

**NUCLEAR REGULATORY COMMISSION**

**ORIGINAL**

Title: Advisory Committee on Reactor Safeguards  
Reactor Fuels Subcommittee  
MOX Fuel Fabrication Facility

Docket Number: (not applicable)

PROCESS USING ADAMS  
TEMPLATE: ACRS/ACNW-005

Location: Rockville, Maryland

Date: Friday, November 16, 2001

Work Order No.: NRC-113

Pages 1-202

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

**ACRS Office Copy - Retain  
for the Life of the Committee**

TROY

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

November 16, 2001

The contents of this transcript of the proceedings of the United States Nuclear Regulatory Commission's Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

REACTOR FUELS SUBCOMMITTEE

MIXED OXIDE (MOX) FUEL FABRICATION FACILITY (FFF)

+ + + + +

FRIDAY,

NOVEMBER 16, 2001

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The subcommittee met at the Nuclear  
Regulatory Commission, Two White Flint North,  
Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Dana A.  
Powers, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

- |                  |          |
|------------------|----------|
| DANA A. POWERS   | Chairman |
| MARIO V. BONACA  | Member   |
| THOMAS S. KRESS  | Member   |
| GRAHAM M. LEITCH | Member   |
| WILLIAM J. SHACK | Member   |
| JOHN D. SIEBER   | Member   |

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACRS STAFF PRESENT:

2 MAGGALEAN W. WESTON, ACRS Staff Engineer

3

4 ALSO PRESENT:

5 DAVID BROWN

6 FRED BURROWS

7 JOHN CALVERT

8 NANCY FRAGOYANNIS

9 JOSEPH GIITTER

10 TIM JOHNSON

11 ED LYMAN

12 ALEX MURRAY

13 ANDREW PERSINKO

14 TOM PHAM

15 JOHN STAMATOKOS

16 SHARON STEELE

17 CHRISTOPHER TRIPP

18 REX WESCOTT

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## I N D E X

	<u>AGENDA ITEM</u>	<u>PAGE</u>
1		
2		
3	Introductory Remarks	4
4	MOX FFF Presentation	
5	Introduction	8
6	Safety Analysis	23
7	Radiological Consequences	51
8	Chemical Process and Products	66
9	Nuclear Criticality Safety	82
10	Fire Safety	99
11	Confinement Ventilation	115
12	Electrical	131
13	I&C	143
14	Seismic	155
15	Material Control and Accountability	164
16	Physical Security	172
17	Summary	183
18	Presentation by Ed Lyman, Nuclear Control	187
19	Institute	
20	Discussion and Adjournment	197
21		
22		
23		
24		
25		

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
 1323 RHODE ISLAND AVE., N.W.  
 WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:38 a.m.)

1  
2  
3 CHAIRMAN POWERS: Let's bring the meeting  
4 to order. I apologize for delaying people. We have  
5 little administrative matters that have to be taken  
6 care of while we have a chance here.

7 This is a meeting of the ACRS Subcommittee  
8 on Reactor Fuels. I'm Dana Powers, Chairman of the  
9 subcommittee.

10 The ACRS members in attendance are: Dr.  
11 Bonaca, Dr. Kress will be with us after he does his  
12 little administrative chore this morning, Graham  
13 Leitch, Jack Sieber, and Bill Shack.

14 The purpose of the meeting is to discuss  
15 the mixed oxide fuel fabrication facility construction  
16 authorization. The subcommittee will be gathering  
17 information, analyzing relative end issues and facts,  
18 and formulating proposed positions and actions as  
19 appropriate for deliberation by the full committee.

20 Maggalean Weston is the cognizant staff  
21 engineer for this meeting and the person whose office  
22 will be overflowing with paper generated by this  
23 project.

24 (Laughter.)

25 The rules for participation in today's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meeting have been announced as part of the notice for  
2 the meeting previously published in the Federal  
3 Register on November 2, 2001.

4 A transcript of the meeting is being kept  
5 and will be made available as stated in the Federal  
6 Register notice. It is requested that speakers first  
7 identify themselves and speak with sufficient clarity  
8 and volume so they can be readily heard. And I assure  
9 you our reporter, in her charming way, will let you  
10 know when you fail to comply with those requirements.

11 We have received a request from Mr. Ed  
12 Lyman from the Nuclear Control Institute to make an  
13 oral statement at today's meeting. We have also  
14 received written comments from Georgians Against  
15 Nuclear Energy, Atlanta, Georgia. These comments have  
16 been distributed to the ACRS members here today, and  
17 I encourage the members to examine it. They raise 13  
18 issues. It's a fairly quick and interesting read.

19 If members look at the agenda, the  
20 statement by Mr. Lyman is not culled out on the  
21 agenda. My intention is to call a break at 3:00 and  
22 do his statement at the conclusion of that break. Mr.  
23 Lyman has spoken to us before, and I think we'll all  
24 agree he usually has interesting things to say.

25 We're embarking on looking at a plutonium

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 process facility. This is not the first process  
2 facility that's ever been constructed in this country.  
3 My own involvement has been with three of them --  
4 Rocky Flats, PUREX, and the plutonium finishing plant.  
5 I wish I could assure the members that the smooth,  
6 non-controversial functioning of these facilities  
7 should give us confidence in the ability to prepare a  
8 new facility.

9 There are some differences that we do need  
10 to recognize. This is going to be a new facility.  
11 Whereas the older facilities were designed with short  
12 lifetimes and the technology was evolving as they were  
13 being operated, this new facility is going to be  
14 designed with a 50-year lifetime and a fairly well-  
15 established technology.

16 Members are going to find that the safety  
17 analyses for facilities are substantially different  
18 than what we're familiar with in the reactor world.  
19 Members may want to reexamine Part 70 of Chapter 10 in  
20 the Code of Federal Regulations. They also might find  
21 it of interest to look at the Parts 800 and above that  
22 are the codification of some of the DOE orders that  
23 give you some insight on how facilities within the DOE  
24 world are operated.

25 The committee historically has been very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comfortable with the quantification of risk -- going  
2 to enter into a less familiar world of safety analyses  
3 that are done for process facilities. And these are  
4 process facilities that are fairly unusual. It's  
5 located on a large government-controlled reservation.

6 That means that risks to the public, as we  
7 generally define them, are going to be low because --  
8 just because of the distance. On the other hand,  
9 there are large populations of people on these  
10 government reservations. The last time I looked at  
11 the Savannah River site there were 25,000 people  
12 working on that site, most of whom will have only the  
13 vaguest familiarity with any hazards posed by the  
14 mixed oxide fuel fabrication facility.

15 And, consequently, the definition of what  
16 we mean by "public" in looking at this facility  
17 becomes interesting.

18 Well, with that brief introduction, I  
19 think we can proceed with the meeting, unless other  
20 members have opening comments they'd like to make. I  
21 will begin, and I believe Drew Persinko is going to  
22 start us off on this?

23 MR. PERSINKO: Yes.

24 CHAIRMAN POWERS: Drew, the floor is  
25 yours.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PERSINKO: Thank you. My name is Drew  
2 Persinko. I am the MOX Project Manager at NRC. I  
3 will try -- I will give a brief introduction and will  
4 try to move through it quickly, so we can get on to  
5 more technical matters.

6 Today we will be speaking about many  
7 different topics as we were requested to do -- a  
8 little bit about many areas. We will not be speaking  
9 about any classified information, nor will we be  
10 speaking about any proprietary information. If a  
11 question is asked that contains proprietary  
12 information as an answer, we will decline to answer.

13 So we have a tight schedule today. We've  
14 tried to pack in a lot of information into this  
15 schedule. So if we extend in one area, we're going to  
16 steal from another area.

17 CHAIRMAN POWERS: Yes. I think you use  
18 your judgment on this. This is -- I mean, we're  
19 looking at this mostly as an introduction to the  
20 subject. One of the things that the committee is  
21 going to have to do at the end of the meeting is try  
22 to decide when we bring the -- what and how much  
23 material when we bring to the full committee.

24 You've got a substantial fraction of us  
25 here, so you can tell there's a lot of interest in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this new activity.

2 MR. PERSINKO: Okay. Next slide, please.

3 Start off with a brief history. I'll go  
4 through it quickly. You've heard some of this before  
5 in an earlier presentation that we made, I think it  
6 was last February.

7 The reason for the facility is a U.S.  
8 agreement with Russia, whereby each party, each  
9 country has agreed to dispose of 34 metric tons of  
10 plutonium. The policy is being implemented through  
11 the Department of Energy. The Department of Energy  
12 has decided to convert some of the excess plutonium to  
13 MOX fuel; 25 metric tons will be converted to MOX  
14 fuel.

15 The DOE has contracted with Duke Cogema,  
16 Stone & Webster, whom we will -- we use the acronym  
17 DCS -- to build and construct and operate the facility  
18 located at the Savannah River site in Aiken.

19 I'd also like to state that at the current  
20 time the Bush administration is currently reviewing  
21 all of the plutonium disposition programs within the  
22 Department of Energy. And it's possible at the  
23 conclusion that some elements of the program may  
24 change. But at the current time, staff -- the NRC  
25 staff is continuing to review the project at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 current schedule.

2 Next slide, please.

3 This is an overview, high-level depiction  
4 of the flow of material, weapons-grade plutonium  
5 coming into the Savannah River site, first coming to  
6 a pit disassembly and conversion facility, which will  
7 be under the jurisdiction of the Department of Energy  
8 and not NRC.

9 From there, the plutonium oxide powder  
10 goes to the MOX fuel fabrication facility, and then to  
11 the reactors. The plan is that the MOX fuel fab  
12 facility will process approximately -- assuming staff  
13 approval, will process approximately 70 metric tons of  
14 heavy metal per year.

15 Next slide, please.

16 This is an artist's depiction of the  
17 proposed facility from the applicant's construction  
18 authorization request. The main building is  
19 approximately -- the footprint is about 400 by 400 by  
20 about 65 feet above grade. The main building  
21 comprises of three areas within the building, one  
22 being the aqueous polishing area, one is the  
23 shipping/receiving area, and one is the MOX processing  
24 area, which we'll get into a little bit here.

25 CHAIRMAN POWERS: And this is all in F

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 area?

2 MR. PERSINKO: All in F area. Next slide,  
3 please.

4 This is a map of the Savannah River site.  
5 You can see that the MOX fuel fabrication facility is  
6 shown in F area. This is the -- the red line around  
7 the outside is what the applicant has proposed to be  
8 the controlled area boundary. You mentioned earlier  
9 about there is a significant amount of Department of  
10 Energy personnel on site, which there are.

11 The Part 70 regulation allows the  
12 applicant to choose the controlled area boundary at a  
13 location between the restricted area and the site  
14 boundary, and the applicant in this case has chosen  
15 Savannah River site boundary as its controlled area.  
16 The Part 70 regulation does have provisions in it you  
17 may have read about how the Department of Energy  
18 personnel should be treated with respect to the  
19 performance requirements in 70.61.

20 It has to do with training, so that they  
21 do become aware of the hazards associated with the MOX  
22 facility. But we can go into that in much more detail  
23 if you'd like at --

24 CHAIRMAN POWERS: It's quite a question to  
25 my mind how much this committee really wants to get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into that argument. I have endured those arguments  
2 within the Department of Energy itself for worker  
3 protection. There's a real question in my mind,  
4 though, whether that's a useful use of this  
5 committee's time. I think it's an interpretation of  
6 the regulations.

7 I have my interpretation. It's  
8 undoubtedly different than the applicant's. But I'm  
9 not sure I have -- I'm not sure the Commission is  
10 looking to me to get advice in that area.

11 What you might want to point out is  
12 there's a public road going through this.

13 MR. PERSINKO: Yes. There are public  
14 roads running in that area, and I believe that area  
15 right there is a public road. There are public roads  
16 that transverse the site.

17 I guess I'll have to point out, too, that  
18 the MOX fuel fab facility is approximately five to six  
19 miles to the nearest controlled area boundary site.

20 Next slide, please.

21 This is a high-level view of the process.  
22 Alex Murray will get into the chemical process in more  
23 detail when he speaks, but this is a high-level view  
24 of it. This is the part known as the aqueous  
25 polishing part of the process. It's based on various

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 processes that are in place at the LaHague facility in  
2 France. It's similar to the PUREX process in many  
3 ways.

4 It consists of a dissolution phase where  
5 the plutonium oxide is dissolved in nitric acid, a  
6 purification stage whereby Americium and gallium and  
7 other impurities are removed via pulse columns and  
8 solvent extraction. And then it's converted back to  
9 a plutonium oxide and transferred to the next phase of  
10 the process.

11 Next slide, please.

12 CHAIRMAN POWERS: I'll learn lots about  
13 red oil here.

14 (Laughter.)

15 MR. PERSINKO: And Alex will be happy to  
16 talk to you about that.

17 (Laughter.)

18 Okay. The next phase is the actual -- the  
19 fuel fabrication process. This is based on the  
20 process that's currently in use at the MELOX facility  
21 in Marcoule, France. Both, like I said, the aqueous  
22 polishing and this are based on processes in France.  
23 Some of the components will be exactly the same, some  
24 will be different, but the basic processes are  
25 involved -- are similar.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The applicant is doing what it has called  
2 Americanization, which means trying to take the  
3 designs that are in France and showing that it meets  
4 U.S. codes and standards.

5           CHAIRMAN POWERS: Excuse me. A couple of  
6 things here that pop immediately to mind is that there  
7 is an accumulation, it seems to me, at some point in  
8 the 20 percent blend here before we get into the  
9 blending to form the pellets. So there is -- I mean,  
10 there is more complexity in this step here.

11           The other thing is that some of the  
12 technology that's just recently come to the fore is  
13 being applied in this. It's the ultramicronization  
14 and things like that to get a little -- a better  
15 distribution in the fuel.

16           MR. PERSINKO: Yes. As you were saying,  
17 the first process is a blending. It's a two-step  
18 blending process. After each phase there is ball  
19 milling, homogenization of the material, and it uses  
20 what's known as -- you referred to the MIMAS process  
21 in France.

22           It's pressed into pellets, sintered in  
23 ovens, and assembled into rods and assemblies, similar  
24 to -- the process is -- that part of it is similar to  
25 the uranium processing facilities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Next slide, please.

2 This is just an overview of all of the  
3 regulations that apply to the facility, just to let  
4 you know that there's more than just Part 70. But  
5 today we'll be speaking primarily about Part 70.  
6 We'll get into some others when we talk about  
7 safeguards and security, but --

8 CHAIRMAN POWERS: You've left Part 20 off.

9 MR. PERSINKO: You're absolutely right.

10 (Laughter.)

11 Part 20 should be added. It's a very  
12 important one.

13 Okay. Next slide, please.

14 Yes, we put a lot of pictures onto the  
15 slides. They didn't quite fit onto one floppy, so we  
16 had to split it up.

17 Okay. So the primary regulation that we  
18 will be discussing today is 10 CFR Part 70. Part 70  
19 allows a two-step process to be -- a two-step  
20 licensing process, one for construction and one for  
21 operation. We are currently reviewing the  
22 construction application that was provided to us that  
23 was submitted by Duke Cogema, Stone & Webster, the  
24 applicant.

25 Next slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Concerning construction, Part 70 requires  
2           that the design -- that in order for the applicant to  
3           move forward with construction, the NRC must approve  
4           the design bases of the principal structures, systems,  
5           and components, the quality assurance plan, and also  
6           complete an environmental impact statement.

7           We are in the process of working on the  
8           environmental impact statement. We have issued a  
9           quality assurance -- a safety evaluation report  
10          concerning the quality assurance plan.

11          Next slide, please.

12          We are using the definition of design  
13          bases from 50.2, which consists of functions and  
14          values primarily.

15          Next slide.

16          With respect to operation, you had quite  
17          a presentation on this on Wednesday. But, once again,  
18          with respect to operation, the applicant will be  
19          required to submit an integrated safety analysis.  
20          Part 70 requires that an ISA be submitted, that the  
21          NRC approve the ISA summaries. It also has provisions  
22          to identify the items relied on for safety, and I  
23          think you're familiar with that term, commonly  
24          referred to as IROFS, and then management measures to  
25          assure that the IROFS are available and reliable.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Those are the three main ones, but there  
2 is a host of other items that must be also submitted  
3 with the operational application, such things as  
4 physical protection plan, material accounting plan.

5           One thing I'd like to say at this point,  
6 though, is for the construction phase the regulations  
7 talk about principal structures, systems, and  
8 components, and safety analysis. At the operations  
9 stage, it talks about integrated safety analysis and  
10 the IROFS, items relied on for safety.

11           There's an analogy there, but there are  
12 different terms that apply to it. We sometimes forget  
13 ourselves and use the terms interchangeably. But I  
14 would like to state that when we talk about  
15 construction we are really meaning principal  
16 structures, systems, and components.

17           CHAIRMAN POWERS: We will be equally  
18 sloppy.

19           (Laughter.)

20           MR. PERSINKO: Next slide, please.

21           This is a depiction of the performance  
22 requirements, which is the -- in 70.61. You heard  
23 about them on Wednesday. This is shown -- the  
24 performance requirements are shown in matrix form.  
25 Basically, if you have unmitigated doses to the public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or the workers that fall into different consequence  
2 bins, you have to have associated likelihoods with it.

3           These areas -- for example, if an  
4 unmitigated consequence and a certain likelihood fall  
5 in this bin, you either have to provide -- the  
6 applicant must provide -- must identify items,  
7 principal SSCs or items relied on for safety,  
8 preventive IROFS, which would take it into this  
9 direction, or mitigative IROFS, which would lower it  
10 into this direction. But, basically, the regulations  
11 require that you -- after application of the IROFS,  
12 you do not exist in those bins.

13           CHAIRMAN POWERS: One of the challenges  
14 I'm sure we're going to come up with is understanding  
15 the role or the application of defense-in-depth  
16 philosophies to this, which may well be interpreted by  
17 at least some as a balance between preventive and  
18 mitigative activities. Can you comment on that?

19           MR. PERSINKO: Well, the applicant, for  
20 certain scenarios such as criticality, has committed  
21 to prevention rather -- as opposed to mitigation. In  
22 other cases, it has relied on mitigative features.  
23 Rex Wescott, when he speaks about the safety analysis  
24 part, will get into more of this.

25           What I'd just like to say also -- the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performance requirements that are shown up here really  
2 apply to the operations phase. When Part 70 was  
3 formulated, it was -- we were thinking operations  
4 phase at this point. So they really applied to  
5 operations. However, they are also being used by the  
6 applicant in identifying principal structures,  
7 systems, and components at the construction phase,  
8 although the regulations do not require that.

9 At the construction phase, the applicant  
10 is identifying the principal SSCs at a systems level,  
11 and then at the operations phase the applicant intends  
12 to identify IROFS at a component level.

13 Next slide, please.

14 This is a quick overview of the activities  
15 that the staff has done to date, has completed to  
16 date, or is in progress. Has completed to date -- we  
17 issued a standard review plan, NUREG-1718. We've  
18 established a website, although I don't think it is  
19 currently -- because of the -- I don't think it's  
20 currently usable right now, but it was a very good  
21 website.

22 (Laughter.)

23 And hopefully we'll have it back online at  
24 some point.

25 We've had numerous technical meetings on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the subject, some of which were in Aiken, in South  
2 Carolina near the site. We have had also public  
3 meetings with members of the public, especially in the  
4 EIS -- in the environmental area, both in South  
5 Carolina and North Carolina. We had environmental  
6 scoping meetings down there in Charlotte as well as  
7 the Aiken area.

8 CHAIRMAN POWERS: None in Georgia.

9 MR. PERSINKO: We had them in -- well, we  
10 had them near Aiken, North Augusta, South Carolina,  
11 which is just across the border from Georgia.

12 MR. GIITTER: And one in Savannah.

13 MR. PERSINKO: Oh, one in Savannah.  
14 That's right. That's right. Thank you. We did have  
15 one in Savannah. That's right. Savannah being  
16 downstream of the plant along the Savannah River.

17 And we have issued a request for  
18 additional information. We issued that last June.  
19 The applicant has responded to our 239-question RAI,  
20 a very interesting number.

21 CHAIRMAN POWERS: That's why Mag is  
22 applying for a bigger office.

23 (Laughter.)

24 MR. PERSINKO: And the applicant has  
25 responded to that -- to those 239 questions. We are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 currently discussing some of those responses with the  
2 applicant because of additional or clarifications as  
3 well. We are currently in that process right now.

4 We've had public meetings on this -- on  
5 certain RAIs, and we have visited the offices to  
6 review certain in-house -- in-office supporting  
7 documents that the applicant has. That's where we  
8 currently are.

9 Next slide, please.

10 A high-level view of our schedule up  
11 through -- near-term schedule, I should say. The  
12 environmental report was received in December of 2000.  
13 The application for construction -- the construction  
14 authorization request -- was submitted in February of  
15 '01. We intend to issue a draft EIS in February of  
16 '02 and a draft construction SER in April of '02.

17 The applicant has indicated that it will  
18 submit an application for operation of the fuel fab  
19 facility in July of '02, and our plans are to issue a  
20 final EIS and construction SER in October of '02.

21 Next slide, please.

22 These are just some of the considerations  
23 that we are currently dealing with within the staff.  
24 We're using 10 CFR Part 70. It was revised fairly  
25 recently, about a year ago. And it's the first time

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's being applied in total from start to finish for  
2 our new facility.

3 We also have -- since this is a two-step  
4 licensing process, we are working on design bases. So  
5 we have many interesting discussions concerning what  
6 is the appropriate level of detail with respect to  
7 design bases.

8 Another issue -- another consideration is  
9 that this is a plutonium facility. It's been quite  
10 some time, maybe about 25 years, since the staff has  
11 reviewed such an application. We are also -- let's  
12 not -- in addition to the technical safety analyses  
13 being performed, we are also in the process of writing  
14 an environmental impact statement. And there are also  
15 public hearing -- requests for public hearing, and the  
16 technical staff is supporting the Office of General  
17 Counsel in that respect.

18 And that completes my presentation. With  
19 that, I would like to turn it over to Rex Wescott, who  
20 will talk about the safety analysis portions.

21 CHAIRMAN POWERS: Well, I'll just  
22 interject we'll -- I think we could have an  
23 interesting discussion on this issue of design bases  
24 and design alternatives, because it's a -- it's  
25 remarkable how many of these processes I've actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 seen before. I mean, these are fairly geriatric  
2 approaches to mark what little progress has been made  
3 in the last 20 years.

4 MR. WESCOTT: Good morning. My name is  
5 Rex Wescott, and I'm the safety analysis reviewer, and  
6 I'll be describing the safety analysis review which is  
7 primarily the review of Chapter 5 of the construction  
8 authorization request for the MOX fuel fabrication  
9 facility.

10 Next slide?

11 The purpose of this slide is to give you  
12 an idea of the scope and organization of my  
13 presentation. I want to note that the applicant  
14 refers to the safety analysis provided in Chapter 5 as  
15 the safety assessment of the design basis, which is  
16 also the terminology from our SRP. And this is the  
17 terminology which I will use in referring to the  
18 applicant's analysis.

19 I wish to note that the objectives of the  
20 safety assessment and the tasks listed to meet those  
21 objectives were developed by the applicant and are  
22 presented here to better describe what is being  
23 reviewed by the staff.

24 I will also talk about the NRC's safety  
25 analysis review responsibilities, which include a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 little bit more than just Chapter 5 review, an  
2 overview of the MOX safety assessment, a little bit of  
3 quantitative information about what it all entails,  
4 and the status of the MOX safety assessment review to  
5 date.

6 Next slide?

7 The major objectives of the safety  
8 assessment are as follows: to identify the hazards  
9 and events associated with the MOX fuel fabrication  
10 facility design and operations. That's the first step  
11 to figure out what the hazard and events are. The  
12 second objective is to identify the principal SSCs  
13 required to mitigate or prevent these events and their  
14 specific design bases.

15 MEMBER KRESS: Are those the same as  
16 IROFS?

17 MR. WESCOTT: At this point, no. This is  
18 at the systems level, and I'll get into IROFS a little  
19 bit later. Right now we're primarily dealing with  
20 principal structures, systems, and components. I  
21 guess that's consistent with Drew's explanation.

22 And the third objective is to provide  
23 reasonable assurance that the identified principal  
24 structures, systems, and components can reduce the  
25 risk to a level consistent with 10 CFR 70.61, through

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the adoption of a general design philosophy, design  
2 bases, system designs, and a commitment to appropriate  
3 management measures.

4 The significance of that is that the need  
5 to consider the design philosophy and commitment to  
6 management measures is a reflection of the early state  
7 of the design at the construction authorization stage.  
8 At this point, we really don't have the quantitative  
9 reliabilities or the procedures to assure them that  
10 could allow us to be more quantitative.

11 MEMBER SHACK: On 70.61, this matrix that  
12 we were shown earlier is from 70.61?

13 MR. WESCOTT: That is correct. That  
14 reflects the requirements of 70.61.

15 MEMBER SHACK: So that is the codified --

16 MR. PERSINKO: You won't see the matrix  
17 itself in 10 CFR --

18 MEMBER SHACK: No. But I will see the --  
19 these numbers --

20 MR. PERSINKO: Yes.

21 MEMBER SHACK: -- the low consequence  
22 doses is --

23 MR. PERSINKO: Yes.

24 MEMBER SHACK: -- 25 rem for the worker.

25 CHAIRMAN POWERS: Yes. You can construct

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the matrix from that.

2 MR. PERSINKO: Right.

3 MEMBER SHACK: Is there a numerical value  
4 associated with highly unlikely and likely?

5 MR. WESCOTT: At this point, what the  
6 applicant has done, basically, in response to one of  
7 our RAIs, has committed to an index as we've described  
8 indexes in Appendix A of the SRP, an index of minus  
9 five, which we -- and this is, incidentally, just for  
10 the public and the site workers. It is not for the  
11 facility workers.

12 He has committed to an index of minus  
13 five, which we take as approximately a probability of  
14  $10^{-5}$  per year, not exactly, you know, in a sharp  
15 regulatory sense, but kind of a neighborhood  
16 approximate goal.

17 MR. PERSINKO: The regulations themselves,  
18 though, Part 70, do not specify a numerical number  
19 with the likelihoods.

20 MR. WESCOTT: For the facility worker, the  
21 licensee has committed to more or less qualitative  
22 descriptions that should ensure a likelihood of -- we  
23 would estimate in that neighborhood, such as defense-  
24 in-depth and a commitment to quality assurance. I  
25 can't remember all the commitments, but they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically qualitative commitments that followed in the  
2 nuclear industry that should provide for a very high  
3 level of protection.

4 MEMBER SHACK: It just seems like a worker  
5 dose of 25 rem is not being unlikely is acceptable  
6 just --

7 (Laughter.)

8 If I walked into a national lab and told  
9 them that I was going to, you know, give my hot cell  
10 worker a 25 rem dose --

11 CHAIRMAN POWERS: You'd walk right back  
12 out again.

13 (Laughter.)

14 MR. WESCOTT: Well, certainly, it's  
15 attempting to make it very -- you know, highly  
16 unlikely.

17 MEMBER SHACK: But it says not unlikely is  
18 acceptable.

19 MR. WESCOTT: Not unlikely is acceptable.

20 MEMBER SHACK: Yes. It says low  
21 consequence, worker dose --

22 MR. WESCOTT: Oh.

23 MEMBER SHACK: -- I guess he can have  
24 24.9 --

25 MR. WESCOTT: I see what you're talking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about. Well --

2 MR. PERSINKO: One thing to remember I  
3 think is that those doses are with respect to the  
4 performance requirements in 70.61. They're not with  
5 respect to Part 20. The applicant still must meet the  
6 Part 20 dose requirements.

7 MR. WESCOTT: Right. But you're  
8 absolutely right. From the performance requirements  
9 that is the regulation. But Part 20 and ALARA we feel  
10 will come in to kind of make that particular --

11 MEMBER SHACK: Less acceptable.

12 (Laughter.)

13 MR. WESCOTT: Yes, less likely.

14 CHAIRMAN POWERS: There may be a question  
15 that has no answer right now, because of timing, but  
16 I'll ask it anyway just because it pops into my mind.  
17 Suppose the NRC indeed grants both the applicant's  
18 request for construction and operation. What kind of  
19 monitoring and enforcement regime would the NRC  
20 anticipate at this facility? Episodic or continuous?

21 MR. PERSINKO: That decision has not been  
22 made yet. It's very possible we would have a resident  
23 inspector on site, but that decision has not been  
24 made.

25 MR. WESCOTT: Okay. Slide 4, next slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Okay. Now here are the tasks which have  
2 been developed to meet these objectives. First is the  
3 identification of hazards and events which was  
4 accomplished in the applicant's primary hazard  
5 analysis, which is kept at his office. It wasn't  
6 supplied to this.

7           And in this he's gone through procedures  
8 like what-if checklists, hazard interaction, matrices,  
9 and similar basic tools to determine what the events  
10 are.

11           The determination of unmitigated  
12 consequences, of course, identifies events which will  
13 have to be prevented or mitigated. The identification  
14 of bounding events is part of our SRP guidance. In  
15 other words, we don't require that every event be  
16 dealt with in terms of principal SSCs, but the  
17 bounding events at this point.

18           And the formulation of a safety strategy  
19 and identification of principal SSCs and their  
20 associated design bases -- the last two elements there  
21 -- is directed toward getting the event to be in  
22 compliance with 10 CFR 70.61 performance requirements.  
23 We will --

24           CHAIRMAN POWERS: Looking and reviewing  
25 these things, how much access has the staff had to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 historical record of the DOE facilities that in many  
2 cases have used similar SSCs to mitigate events?

3 MR. WESCOTT: Well, we have looked at some  
4 facilities. I mean, we were out at Los Alamos a  
5 couple of --

6 CHAIRMAN POWERS: EA-55.

7 MR. WESCOTT: -- ago and looking at their  
8 experience and what they did, and so on. Primarily,  
9 at this point, we are looking at trying to make sure  
10 we've got all of the events covered. And as I'll  
11 mention later, of course, in determining the  
12 strategies we are looking at the basic nuclear  
13 experience, including reactors.

14 If something is normally done to prevent  
15 an accident or prevent a dose in a reactor as a  
16 strategy, say, as a -- let's say, an entry control or  
17 interlock, you know, we -- we tend to accept that as  
18 probably an acceptable strategy here. And, yes, we  
19 are trying to base our review, to the extent possible,  
20 on historical precedent.

21 CHAIRMAN POWERS: Okay.

22 MEMBER KRESS: How will you decide what an  
23 SSC is? If they're not IROFS, what are they?

24 MR. WESCOTT: Well, right now, principal  
25 SSCs -- I'm trying to be consistent with Drew, because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think that is generally the way we're going -- is  
2 primarily systems, the principal SSCs. We're up at  
3 the system level.

4 Now, in some places, a component can, of  
5 course, be a system. And that would be a principal  
6 SSC. But right now, we're at the systems level. The  
7 strategy is still in the conceptual design stage, I  
8 guess would be a proper way to characterize the  
9 design, and we're looking at systems as opposed to the  
10 actual design of these systems themselves.

11 Where we get into the IROFS, the  
12 components, would be -- be -- some components maybe  
13 IROFS, some components may not be, depending on the  
14 design of the system.

15 MEMBER KRESS: But you don't have the  
16 equivalent of an importance measure that you'd have  
17 with the PRA. So I'm not quite sure what the criteria  
18 is going to be for saying this is an SSC.

19 MR. WESCOTT: Do you mean this is a proper  
20 SSC?

21 MEMBER KRESS: Yes.

22 MR. WESCOTT: I'll get into that a little  
23 later.

24 MEMBER KRESS: Okay.

25 MR. WESCOTT: But I guess maybe to answer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your question right now, as I said before to Dr.  
2 Powers, one of the criteria is, is it being used in  
3 the industry? I mean, is it a normally applied  
4 strategy?

5 The other thing we're using is we have a  
6 table in Appendix A, Table A-5, which is a description  
7 of various types of measures -- in other words, robust  
8 passive control or active control, that type of thing,  
9 and it assigns an approximate probability of  
10 unavailability.

11 And so we're kind of doing a semi-  
12 qualitative/quantitative approach at this stage to get  
13 an idea of whether this appears to be an appropriate  
14 strategy, whether it's going to work at the OL stage.  
15 That's what we're trying to do right now. We're  
16 trying to have reasonable assurance that they're going  
17 to have a design that when they actually design the  
18 components and determine the surveillance requirements  
19 and go into all of these different measures that  
20 narrow down what the exact reliability is, they are  
21 starting with something that will work, that they can  
22 get there from where they're starting. That's our  
23 concern at this point.

24 MR. GIITTER: Just to make it clear that  
25 the approach they're taking is deterministic at this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 point.

2 MR. WESCOTT: I'm sorry. I guess slide 5,  
3 next slide.

4 Okay. Determining the mitigated  
5 consequences checks for the actual quantitative  
6 compliance with the performance requirements. In  
7 other words, doing a calculation with mitigative  
8 measures; that is, for those that are not -- those  
9 events that are not prevented, we determine whether  
10 the dose to the public, the dose to the site worker,  
11 or the dose to the facility worker, and so on, has  
12 dropped below the threshold value and then is in  
13 compliance. You've got to do that check or you don't  
14 really know if your mitigative measure is proper yet.

15 Support systems, such as power supplies  
16 and other supporting systems have to be identified  
17 when you're looking at these principal SSCs. Natural  
18 phenomena hazards were treated as events whose  
19 consequences are normally prevented through the use of  
20 proper design of SSCs. Natural phenomena, of course,  
21 include things like tornadoes, earthquakes, floods,  
22 that type of thing.

23 And one of their last tasks here was  
24 provide a general description of the principal SSCs,  
25 and that's required so the reviewers can -- the other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reviewers, the discipline reviewers, can determine  
2 whether the design bases for these principal SSCs has  
3 been properly reflected.

4 Next slide?

5 Now, to kind of show you where they are  
6 going, I thought it was also a good idea to show what  
7 is required at the operating license stage, so you can  
8 see how what's being done at this stage goes into what  
9 we'll be reviewing next.

10 First is the identification of items  
11 relied upon for safety will drop down from the systems  
12 level to the components level. That's when we start  
13 being concerned about pumps and valves and circuits  
14 and that type of thing in certain --

15 CHAIRMAN POWERS: HEPA filters.

16 MR. WESCOTT: -- yes, in certain systems.  
17 There will have to be a demonstration that those  
18 IROFS, items relied upon for safety, have the right  
19 characteristics to meet the regulatory performance  
20 requirements. In other words, do they have the right  
21 reliability, right pedigree, QA, that type of thing.

22 And often this is accomplished through a  
23 preparation of likelihood analyses, criticality  
24 analyses, shielding analyses, structural analyses,  
25 fire hazard analyses, etcetera. In other words, this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is where we expect to be a lot more quantitative, to  
2 have a lot more quantitative information to base our  
3 review on.

4 And specific operating requirements will  
5 be identified with many of these operating  
6 requirements supporting the demonstration of  
7 regulatory compliance, such as, as I mentioned before,  
8 surveillance frequencies, testing frequencies, that  
9 type of thing, which really can't be developed at this  
10 point.

11 MEMBER BONACA: So at this stage, you  
12 would expect to have a more quantitative assessment of  
13 all these issues.

14 MR. WESCOTT: That is correct.

15 MEMBER BONACA: Do you expect those to  
16 have -- you know, the question that Dr. Shack posed  
17 before, a better or a quantitative classification of  
18 the categories here, what is acceptable, unacceptable,  
19 and so on, insofar as the categories of accidents?

20 MR. WESCOTT: I'm not sure exactly --

21 MR. PERSINKO: You're talking about the  
22 likelihoods, I guess? Is that what you're referring  
23 to?

24 MEMBER BONACA: Yes.

25 MR. PERSINKO: Yes. Well, I --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: I'm trying to understand  
2 how you go from --

3 MR. PERSINKO: Yes.

4 MEMBER BONACA: I mean, for the  
5 construction, clearly, you cannot be overly  
6 quantitative.

7 MR. PERSINKO: Right.

8 MEMBER BONACA: Because -- but at some  
9 point you will have to become more quantitative. And  
10 I guess my point is, you know, what flexibility you  
11 have during the operation, the phase from construction  
12 to operation to adjust and modify, because you may  
13 discover that some systems that you now classify it as  
14 safety-related become safety-related or vice versa  
15 or --

16 MR. PERSINKO: Let me -- well, first of  
17 all, there is if you go look at the standard review  
18 plan -- to answer your last question, there is a  
19 flowchart in there about how the construction phase  
20 interfaces with the operations stage, and there are  
21 feedback loops in there so that if you learn something  
22 later you can feed it back into the process and  
23 properly characterize the SSCs.

24 As far as the quantitative/qualitative  
25 aspects on the highly -- on the likelihoods, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applicant has currently proposed qualitative terms for  
2 its likelihoods, which it intends to follow, and it  
3 still intends to follow that in a qualitative manner.

4 I'd like to point out that during the  
5 Part 70 rulemaking, too, the Commission did say that  
6 qualitative analyses were acceptable. PRAs are  
7 optional.

8 But, so anyway, but in our -- one of the  
9 responses to our request for additional information,  
10 it was response number 39, as Rex had said, the  
11 applicant has committed to doing an index approach as  
12 we propose in our standard review plan, and I think  
13 also the Part 70 standard review plan has the same  
14 option.

15 So in our -- in response to our question  
16 number 39, at the OL stage the applicant has committed  
17 to showing that for the site workers and the public  
18 that they will meet a certain index.

19 MR. WESCOTT: Next slide, please?

20 Okay. This slide --

21 MEMBER BONACA: I just would like to  
22 pose --

23 MR. WESCOTT: I'm sorry.

24 MEMBER BONACA: -- to you just one more  
25 question, just for clarification. You don't have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have a PRA to be somewhat quantitative. I mean, core  
2 powerplants had ranges which were based on projections  
3 even when, you know, at the beginning it was somewhat  
4 guesswork.

5 MR. PERSINKO: That's correct.

6 MEMBER BONACA: If you go back to the ANSI  
7 standards, you know, that's -- if you look at the  
8 1970s, the 1960s, and so -- so, you know, that's not  
9 requiring such an effort. I mean, that's more like  
10 giving some ranges of classification. Would you  
11 expect that?

12 MR. WESCOTT: Well, I think we expect  
13 whatever is required to give us a good idea of what  
14 the reliability or availability is. If it really  
15 takes a PRA, then I guess we would expect a PRA. But  
16 we would expect this to be maybe for very few -- maybe  
17 the ventilation system, the C4 confinement system, for  
18 example, may be the only thing requiring a PRA. And  
19 maybe not. But we wouldn't expect to see a lot of  
20 PRAs, if any, I guess would be the best way to answer  
21 that question.

22 MR. PERSINKO: I think you will get some  
23 quantification when the index approach is performed at  
24 the next stage.

25 MR. WESCOTT: This slide is to show the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 NRC review responsibilities at the construction  
2 authorization stage. The first one I think we've  
3 already gone through -- the necessity of evaluating  
4 completeness of the hazard evaluation. We're doing  
5 this as a team approach. We're doing this by going  
6 down and looking at their preliminary hazard  
7 evaluation onsite. We're doing onsite reviews.

8 We're reviewing the methodology that was  
9 actually used. And, of course, the detailed review of  
10 the CAR in-house we expect to have some questions  
11 regarding actual completeness of the hazard  
12 evaluation.

13 The appropriateness of the selected safety  
14 strategies is, in my opinion, primarily a safety  
15 analysis responsibility, along with team input. And  
16 that's where our evaluation is based on standard  
17 nuclear practices, an awareness and knowledge of  
18 what's gone on in similar facilities, and our somewhat  
19 of a reliance on the qualitative criteria from  
20 Appendix A of the SRP. That's where we're trying to  
21 make sure at least they're starting with the right  
22 approach.

23 Evaluation of the design basis. And the  
24 question here is: do the design bases support the  
25 strategy in terms of assuring compliance with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regulation? Some design bases at this point consists  
2 of commitments to standards. Some design bases  
3 actually will require numerical design bases. It  
4 depends on the SSC, and it depends on the standard.  
5 If it's a standard commitment -- if it's a commitment  
6 to a standard, how specific it is, that type of thing,  
7 as to what's an acceptable design bases.

8 And the final -- well, I shouldn't say the  
9 final, maybe one of the most important aspects of the  
10 safety analysis review is to coordinate the resolution  
11 of multidisciplinary conflicts. In other words,  
12 that's the integrated part of the integrated safety  
13 analysis, and that's when we'd look to -- the classic  
14 conflict is fire and criticality.

15 But we're also finding other conflicts in  
16 this particular project that also require a  
17 multidisciplinary approach, and the SA responsibility  
18 is to try to oversee this and make sure that it's  
19 being coordinated properly.

20 MEMBER BONACA: Now, one question I have  
21 again. I guess just coming from qualitative, one of  
22 the issues that you have when you look at defense-in-  
23 depth, you look at not excessive reliance on  
24 procedural requirements.

25 MR. WESCOTT: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER BONACA:     But if you have a  
2                   qualitative -- you know, a heavily qualitative  
3                   application, you know, like we saw in the early  
4                   designs of powerplants, there is a lot of reliance on  
5                   the operator action, who will take care of it at some  
6                   point.

7                   MR. WESCOTT: Well, right now, in the CAR,  
8                   the licensee has an area entitled their hierarchy of  
9                   controls, and that's where basically they've made a  
10                  commitment to, wherever possible, use a robust passive  
11                  engineered control first and then an active engineered  
12                  control second, and then maybe enhanced administrative  
13                  controls, and finally a simple administrative control.

14                  So even though they haven't told us in all  
15                  cases what the control might be, there is a commitment  
16                  to start with the higher level of control.

17                  Now, we have found some cases where  
18                  there's a commitment to a standard and the standard  
19                  maybe says, "Well, you can use almost any type of  
20                  control," and then we might want, you know, a little  
21                  more of a commitment there. But, yes, the applicant  
22                  has provided a hierarchy, and our understanding is he  
23                  is committed to that hierarchy and we expect it will  
24                  be followed.

25                  MEMBER BONACA: Would you want to set, for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your review, a set of defense-in-depth criteria that  
2 you are going to consistently apply to your review?  
3 I think it would be appropriate.

4 MR. WESCOTT: Well, we've tried.  
5 Unfortunately, there are so many different types of  
6 events that what seems to work well in one event can't  
7 -- I think a facility worker's safety is an area -- is  
8 a problematic area right now, because, first of all,  
9 there's not a lot of history there, or, you know,  
10 other examples where we're actually designed to try to  
11 keep facility worker safety to within a certain  
12 probability and within a certain -- below a certain  
13 threshold. So --

14 MEMBER BONACA: But wouldn't that be a way  
15 to bring the, you know, 40 or 50 years of experience  
16 in operating reactors to better experience on what in  
17 defense-in-depth really paid off and what it didn't,  
18 into the review of a new application. That would  
19 help, I think. That would also help the review on  
20 your part and on our part.

21 MR. WESCOTT: Oh, yes. We are certainly  
22 not ignoring, you know, regular nuclear engineering  
23 practice. That weighs very highly in our review.

24 MR. PERSINKO: I'd like to say, while  
25 we're on this subject, it's a Part 70 regulation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 When it talks about items relied on for safety, the  
2 item itself can be an operator action, because it does  
3 -- human action is defined as also an item relied on  
4 for safety.

5 So an admin procedure, an admin control --  
6 human action would be the item relied on for safety.  
7 The admin control or the procedure would be the  
8 management measure that supports the reliability of  
9 the human action. So it's analogous to a component  
10 and a procedure.

11 Also, the regulation does specify a  
12 preference for engineered controls over admin controls  
13 right in the regulation for new facilities.

14 MEMBER BONACA: Yes. The reason why I  
15 insisted on this point was because there is quite an  
16 amount of qualitative bases to this application  
17 evidently. And, you know, in the context, at least  
18 the experience of the past has been, you know, when we  
19 had early PSARs and FSARs there was heavy overreliance  
20 on operator actions without definition of what that  
21 will be and what it will accomplish.

22 And then later over time we found that we  
23 had to refine them or substitute, you know, equipment  
24 for those. So that was the reason why I brought up  
25 this issue.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WESCOTT: One thing I'd like to  
2 mention is some places where we're really having  
3 doubts as to whether actions or administrative  
4 controls are sufficient -- at the strategy level, we  
5 are asking for calculations, so we'll have some  
6 numeric -- these are primarily in one aspect. Like in  
7 the load drop, we're asking for some dose calculations  
8 to see -- just to give us kind of a baseline or a --  
9 let's say a data point so we can determine with some  
10 degree of confidence whether this is a -- whether this  
11 is a viable strategy or not.

12 MEMBER BONACA: Okay. Thank you.

13 MR. PERSINKO: One thing also, the  
14 process, if you've seen the MELOX process, it's a  
15 highly automated process. So it -- not to say there  
16 are no admin controls or operator actions, but it is  
17 a highly automated process.

18 The admin control is one of the areas they  
19 do come into play, like Rex has been saying, is -- is  
20 with respect to the worker safety and worker actions  
21 and that kind of thing.

22 MR. WESCOTT: Next slide?

23 Okay. I'm not going to go through these  
24 slides in detail. I just prepared them more or less  
25 for information for the committee and to give you an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 insight into the extent of the safety assessment at  
2 this stage.

3 And I'd like to mention that the  
4 applicants valuated natural phenomena, external  
5 manmade events, loss of confinement events, fire  
6 events, load handling events, explosion events,  
7 chemical events, and criticality events. And these  
8 seem to be pretty much similar to events that are the  
9 types of events evaluated at other --

10 MEMBER SHACK: When it says 19 hazards  
11 evaluated out of 32 considered, it means the others  
12 were somehow ruled out as being too unlikely or --

13 MR. WESCOTT: Yes, that's correct. In  
14 other words, you know, the -- yes, too unlikely. That  
15 would be -- actually, I think almost more in terms of  
16 credibility. I don't -- I think the ones that were  
17 ruled out were really considered incredible rather  
18 than just highly unlikely.

19 MEMBER KRESS: Was there a criterion for  
20 what was meant by "incredible"?

21 MR. WESCOTT: Well, the criteria for  
22 credible in our SRP is  $10^{-6}$ . And from my review of  
23 what they did, that seemed to be quite similar to --

24 MEMBER KRESS: So they had some sort of a  
25 SIMAC quantitative --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WESCOTT: Yes, they didn't state their  
2 criteria --

3 MEMBER KRESS: Yes.

4 MR. WESCOTT: -- for credible. But they  
5 did use a lot of existing NRC Reg. Guide criteria,  
6 which is in that neighborhood. So I would say --

7 MEMBER KRESS: Yes. You know, for  
8 example, in the past I have seen things like if you  
9 have two independent highly unlikely things that have  
10 to go wrong to get you any kind of consequence, that's  
11 -- that was sometimes viewed as incredible. I  
12 wondered if they did something like that or --

13 MR. WESCOTT: For the external events, I  
14 don't believe -- I'm not absolutely sure, but I don't  
15 recall any in that category.

16 MEMBER KRESS: Oh, the external -- seismic  
17 would be easy. You just pick the frequency above  
18 which you don't -- the  $10^{-6}$  and above, you just forget  
19 about them I guess.

20 MR. WESCOTT: Well, it's -- I'm going to  
21 let --

22 CHAIRMAN POWERS: Seismic is not easy at  
23 this --

24 MEMBER KRESS: I know. The selection of  
25 which ones not to worry about is --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: I mean, I think you see  
2 -- I think the speakers characterize it correctly.  
3 What I see is a lot of things get screened out just on  
4 plausibility. For instance, you don't really have to  
5 worry about seepage as an external event, because  
6 there is no lake or body of water there.

7 (Laughter.)

8 And, interestingly enough, I think they're  
9 wrong about the tsunamis, because there is -- an  
10 authority has looked at the Sea Mount collapse at the  
11 Medeira Islands and concluded that once every 5,000  
12 years there is a possibility of a tsunami that reaches  
13 that part.

14 I don't fault him for ruling it out,  
15 because I think a tsunami created by a Sea Mount  
16 collapse in the Medeira Islands would give us things  
17 to worry about other than the MOX facility.

18 MR. PERSINKO: The applicant's qualitative  
19 definitions of highly unlikely are essentially a  
20 single failure criterion.

21 CHAIRMAN POWERS: Yes. I think -- but, I  
22 mean, he's been encyclopedic in listing what are the  
23 possibilities, and most of them get ruled out just on  
24 plausibility grounds.

25 MR. PERSINKO: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: He includes meteorites  
2 in his external events list.

3 (Laughter.)

4 I'm going to apologize to you. Three of  
5 our members have had to go off and help former  
6 Commissioner Rogers with an activity, and they will be  
7 back as quickly as they can.

8 MR. WESCOTT: Okay. I think this is  
9 coming up to the last slide?

10 Okay. The status of the MOX review at  
11 this point, the safety analysis review. The staff is  
12 still reviewing the hazards analysis for completeness.  
13 I really can't give you a status on that -- in other  
14 words, how many potential open items there are. There  
15 is a couple of potentials, but we want to get more of  
16 a consensus in-house before we go down --

17 CHAIRMAN POWERS: Just for your  
18 information, I have already sent a note to our Fire  
19 Protection Subcommittee that we're going to ask for  
20 their assistance in reviewing this material. So as we  
21 progress forward, we'll probably have some focus on  
22 the fire protection issues here.

23 MR. WESCOTT: Okay.

24 CHAIRMAN POWERS: With people expert in  
25 that facility, in that area. Fortunately, you have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 most of the members of the Fire Protection  
2 Subcommittee already here, just not the chairman.

3 MR. WESCOTT: Right. Okay. We are going  
4 to be talking about fire protection later. We've got  
5 requests for additional information pending in areas  
6 of fire protection, load handling, confinement to  
7 define adequacy of proposed safety strategies.

8 I think I mentioned the load handling  
9 information request. We've also got some in fire  
10 protection where we're trying to determine whether  
11 combustible loading controls by themselves will be a  
12 sufficient strategy for preventing some type of fire  
13 events, and we're looking for some quantitative  
14 analyses there.

15 CHAIRMAN POWERS: The problem at the  
16 Savannah River site, as a whole, in the area of fire  
17 protection analyses has always been transient  
18 combustibles.

19 MR. WESCOTT: Right. That's exactly what  
20 we're concerned about.

21 CHAIRMAN POWERS: Yes.

22 MR. WESCOTT: But we think that other  
23 areas -- but certain areas we feel are going to have  
24 different transient combustibles than others. So  
25 rather than just having them pile up the combustibles

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 until we know, you know, that there is going to be --  
2 I think we'd want to have them to take a look at just  
3 exactly what they might possibly bring into a certain  
4 area, say with fuel rods or something, where there's  
5 no type of suppression, and, you know, what might  
6 likely be left there, try to get an idea just how good  
7 a combustible loading control by itself is.

8 CHAIRMAN POWERS: How do you -- well, this  
9 may be jumping ahead of even where you are in your  
10 review right now. But I think we're going to be real  
11 interested in electrical circuit damage in fire  
12 events. Have you given any thought to that?

13 MR. WESCOTT: Well, no, not specifically.  
14 I know there's a possibility of chloride damage, and  
15 so on, from, you know, burning of cable trays type of  
16 thing. Sharon may have. I think I'm going to pass on  
17 this. Incidentally, I'm a fire protection engineer,  
18 but Sharon is our expert on --

19 (Laughter.)

20 -- so I'm going to keep my mouth shut on  
21 fire protection stuff.

22 CHAIRMAN POWERS: I think we'll also be  
23 very interested in filtration strategies, because  
24 there is an awful lot of reliance on filters in this  
25 system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WESCOTT: Yes, there definitely is.  
2 And we are very concerned about aspects of the  
3 filtration system.

4 CHAIRMAN POWERS: And we're going to be  
5 interested in discussing knock along and knock  
6 through, and things like that.

7 MR. WESCOTT: Well, and, of course, design  
8 basis concerns are still being evaluated and may  
9 result in additional questions. So that's primarily  
10 -- that's my presentation.

11 CHAIRMAN POWERS: Sure.

12 MR. BROWN: Good morning. My name is  
13 David Brown. I'm the health physics or radiation  
14 safety reviewer for the MOX project. I'm going to  
15 talk specifically this morning about how the applicant  
16 derived radiological consequences for specific events.

17 Next slide, please.

18 And specifically, I'll talk about how  
19 source terms were derived, the major pathways for  
20 release from a plutonium facility, and specifically,  
21 once the material reaches its receptor, how we  
22 calculated doses or concentrations in the environment.

23 Next slide, please.

24 The approaches, you know, of what has come  
25 to be known as the five factor formula, it's described

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the nuclear fuel cycle facility accident analysis  
2 handbook. It's a product of the five independent  
3 factors I've shown here. On the next slide I'll get  
4 into that a little more.

5 Next slide, please.

6 The first factor, of course, being the  
7 material at risk, the applicant has looked at the  
8 amount of material they may have in I think something  
9 more than 200 individual process units throughout the  
10 plant. That gives you a feel for the resolution of  
11 the safety assessment at this point.

12 The damage ratio or the fraction of that  
13 material at risk for any given process unit is  
14 generally one, just conservatively. They're assuming  
15 it all gets involved in the event. Both the  
16 atmospheric release fractions and respirable fraction,  
17 which are, of course, additional reduction factors on  
18 the material at risk, are from the handbook 6410.

19 And the final, of course, factor, another  
20 reduction factor, is the leak path factor, generally  
21 that which would be used for two HEPA filters in  
22 series. I'll talk about that a little bit more on the  
23 next slide.

24 With regard to that approach, the staff  
25 just has two issues. There is the -- what we call the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 intermediate consequence performance requirement to  
2 keep concentrations at the restricted area boundary  
3 below 5,000 times the values that appear in Appendix B  
4 to Part 20.

5 It's release of material to the  
6 environment, not intended to be a human dose, so the  
7 application of the respirable fraction to reduce  
8 emissions would not have been appropriate. We've  
9 pointed that out, and that will be resolved.

10 We've also questioned the use of 99  
11 percent efficiency for two consecutive stages of HEPA  
12 filter for all events. I was particularly interested  
13 in how that might be degraded during a fire event or,  
14 say, an explosion event, that type of thing.

15 CHAIRMAN POWERS: It seems to me the issue  
16 of HEPA filters is on whether you can stack -- I mean,  
17 they are advertised as being 99 percent efficient  
18 devices, or sometimes 98 efficient devices. But the  
19 second stage is filtering material that was not  
20 filtered, and it's difficult -- it's challenging to  
21 believe that they retain that high level of efficiency  
22 for material that has already passed through.

23 The second one is that you have presumably  
24 some accumulation on these filtration devices during  
25 normal operation, and you have a phenomena

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 colloquially known as knock along and knock through  
2 from the particles that in an accident maybe it makes  
3 more material available on the back side of the first  
4 stage than you thought.

5 MR. BROWN: I think in the Department of  
6 Energy, for example, I've heard that 99.9 percent may  
7 be credited for the first stage, 99.8 -- marginally  
8 lower efficiency -- for the second stage, perhaps to  
9 account for the phenomena you described first.

10 With regard to the second phenomena, I  
11 don't think that's a consideration at this point. You  
12 know, but the applicant has pointed out 99 percent,  
13 you know, is the efficiency they choose to use rather  
14 than 99.9, for example.

15 Tim Johnson will provide a presentation on  
16 the confinement system, including the ventilation  
17 system, later. And he may shed some more light on  
18 some of those questions.

19 CHAIRMAN POWERS: It's interesting, it  
20 seems to me, that some of the facilities at Savannah  
21 River have chosen to use sand filters rather than  
22 HEPAs for their operations.

23 MR. BROWN: Yes.

24 CHAIRMAN POWERS: And it's interesting  
25 they go back to the HEPAs here. Same filters, though.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BROWN: It is something we have  
2 discussed with the applicant. It's a consideration in  
3 our current draft EIS as an alternative.

4 CHAIRMAN POWERS: Oh, okay.

5 MR. BROWN: Or what we call a technical  
6 option. My understanding is it's both a fire  
7 protection issue and, of course, a confinement  
8 ventilation issue. I think, again, Tim Johnson and  
9 Sharon may touch on that in their presentations.

10 CHAIRMAN POWERS: Good.

11 MR. BROWN: Next slide, please.

12 Again, as may be expected for a plutonium  
13 facility, the pathway of most concern to the in-  
14 facility worker would be the inhalation of plutonium  
15 oxide or other plutonium compounds resulting from a  
16 breach of confinement. Of course, the notable  
17 exception to that would be a criticality event  
18 involving direct radiation dose.

19 The strategy is to assume that the -- an  
20 event affecting a facility worker is unacceptable. We  
21 don't have, for example, quantitative unmitigated  
22 doses in the construction authorization request for  
23 facility workers. The safety strategies assume that  
24 they will be unacceptably exposed and that we'll apply  
25 principal SSCs to either prevent or mitigate the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 event.

2 The pathways are similar for SRS employees  
3 immediately offsite and members of the public off the  
4 Savannah River site. Inhalation is the predominant  
5 pathway for accidents, and immersion becomes the  
6 pathway for criticality. The staff will also take a  
7 quick look at whatever marginal increase may be  
8 attributable to Groundshine. We would expect that to  
9 be pretty small.

10 Listed up there are the two codes we've  
11 used for estimating the atmospheric dispersion of  
12 contaminants moving downwind -- MACCS2 for members of  
13 the public and ARCON96 for the worker.

14 Next slide, please.

15 Issues that were identified with respect  
16 to pathway analysis were the so-called intermediate  
17 consequence environmental performance requirement that  
18 -- 5,000 times the Appendix B values is intended to be  
19 calculated at the restricted area boundary, which for  
20 this plant is just a little over 100 meters away.

21 The applicant calculated it at the  
22 controlled area boundary, which they assume is five  
23 miles away, and they will correct that. The  
24 implication of that is that, as one might expect, that  
25 this -- really, this is the bounding intermediate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 consequence performance requirement. This is the  
2 toughest one to meet. And I'll give you the results  
3 at the end of my presentation for where they are in  
4 meeting that performance requirement.

5 The second issue is one you touched on  
6 earlier, and it's our resolution of the problem here.  
7 Certainly, Part 70 has provisions for allowing members  
8 of the public within the controlled area to be treated  
9 as workers for the purposes of meeting their  
10 performance requirements.

11 The applicant has decided to meet the  
12 provisions of the -- you know, the requirements of  
13 those provisions in the rule. But it doesn't change  
14 the status of these individuals with respect to  
15 Part 20, and that was a point we needed to clarify  
16 with the applicant. So --

17 CHAIRMAN POWERS: That's cute. Finesse  
18 that one right there. Nice.

19 (Laughter.)

20 MR. BROWN: Moving on to the final stage  
21 of the assessment, there are just some general, you  
22 know, what I'll call issues specific to the plutonium  
23 facility. We didn't identify any issues with the  
24 applicant's calculation. Just that we may -- when  
25 you're doing something like this, we will be looking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at both soluble and insoluble forms of the plutonium  
2 compounds. That will have some bearing on how you  
3 would calculate inhalation doses.

4 We'll also be looking at material that's  
5 been purified and material that has not yet been  
6 purified, the impure material having a slightly higher  
7 dose consequence per gram.

8 CHAIRMAN POWERS: I am confused about the  
9 status of our database on dose effectiveness for the  
10 239 Plutonium isotope and completely ignorant as far  
11 as the dose effectiveness for the Americium isotopes.  
12 Can you give me -- I mean, what is it that we know?  
13 What is it we don't know? And what is it we think we  
14 know?

15 MR. BROWN: Well, I think --

16 CHAIRMAN POWERS: A lot of the data comes  
17 from -- a lot of the data comes, it seems to me, comes  
18 from 238, which I wouldn't think would be directly  
19 applicable but maybe it works okay for like what the  
20 soluble fraction is. I don't know.

21 MR. BROWN: You're touching on an issue we  
22 looked at very early on, which had to do with, you  
23 know -- well, to do with some proposed research to  
24 study could there be, for example, a super Class Y  
25 plutonium compound, that type of thing. But for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 most part, for the purpose of this application, we're  
2 using dose conversion factors that are provided in the  
3 Federal Guidance Report Number 11.

4 And, for example, a Plutonium 239 nitrate  
5 compound would be a Class W compound, and that is the  
6 dose conversion factor we would use.

7 I think I understand what you mean. Many  
8 of the earlier -- some of the studies were involving  
9 Plutonium 238 oxide, which has a tendency to fragment  
10 within the tissue of the lung and can actually lead to  
11 I'll say unpredictable dose consequences, plus you're  
12 doing bioassay and actually tracking how much is being  
13 retained.

14 CHAIRMAN POWERS: You got highly variable  
15 results as I recall.

16 MR. BROWN: Yes.

17 CHAIRMAN POWERS: I mean, in some cases no  
18 effect. I mean, literally no effect. And in some  
19 cases very severe effects.

20 MR. BROWN: I think we'll be dealing with  
21 oxides that are created and temperatures that are  
22 routinely encountered at other -- at similar plants  
23 worldwide and even in the history of the U.S. Nothing  
24 that should be really exceptional.

25 Next slide, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           These are the applicant's calculations of  
2 mitigated doses to both the Savannah River site  
3 employee who is assumed to be 100 meters downwind and  
4 a member of the public who is five miles downwind. If  
5 you compare the -- this employee doses to the 25  
6 millirem intermediate consequence criteria, you'll see  
7 that they've met that with some considerable margin.  
8 And the same is true for the public.

9           Next slide, please.

10           The other -- you know, and again, I've  
11 mentioned it a couple of times -- the intermediate  
12 consequence criterion of meeting the 5,000 times the  
13 Appendix B concentrations, these are their  
14 calculations.

15           I should point out that there's a footnote  
16 at the bottom of the screen. I hope most of you can  
17 see it. Once we've resolved the issue of making sure  
18 they've done this calculation at the correct  
19 compliance point, which is not at the Savannah River  
20 site boundary but at the -- essentially the protected  
21 area fence of the facility, that they've not used the  
22 respirable fraction to further reduce the source term.

23           Once we've resolved issues pertaining to  
24 the actual rated removal efficiency of HEPAs, it may  
25 be challenged by certain events. These numbers could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 go up considerably. It wouldn't be a stretch to say  
2 they could go up a factor of 1,000. So --

3 CHAIRMAN POWERS: The change in -- from  
4 respirable fraction to actual release fraction will be  
5 a big one.

6 MR. BROWN: It's typically about, I would  
7 say, a factor of 10, perhaps a factor of 100. Moving  
8 the boundary is about a factor of 100. Therein you  
9 have anywhere from 1,000 to 10,000. So the meaning of  
10 that, then, is that the -- they may come right up  
11 against this particular performance requirement,  
12 which, again, is an intermediate consequence event.  
13 They need only show that this event is unlikely or  
14 further mitigated. We're working on that now.

15 Last slide, please.

16 Now, this is just a summary of the issues  
17 that are identified in deriving radiological  
18 consequences. We talked about the fact that they use  
19 a respirable fraction when perhaps they shouldn't  
20 have. We may need to consider a leak path factor for  
21 degraded HEPA filters, the fact that the environmental  
22 performance requirement was calculated at the boundary  
23 and not the restricted area boundary, and that the so-  
24 called issue of the co-located worker I think we've  
25 satisfactorily resolved.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Are there any other questions?

2 CHAIRMAN POWERS: I come to the -- also to  
3 the airborne release fractions and took them out of  
4 6410 -- I think they came from.

5 MR. BROWN: That's right.

6 CHAIRMAN POWERS: Is that the Meshima  
7 database essentially?

8 MR. BROWN: Essentially, yes.

9 CHAIRMAN POWERS: So the applicability is  
10 always going to be a question on that, isn't it?

11 MR. BROWN: Yes. I mean, given the P  
12 value may not specifically match the experiment.

13 CHAIRMAN POWERS: Yes. Yes. He put in  
14 that collection what he had, and he may not have the  
15 exact thing that -- that's really wanted there. It's  
16 like Perry's Handbook of Chemical Engineering. It  
17 will give you an answer. Doesn't tell you whether  
18 it's a good answer or not; it will give you an answer.

19 And so are we looking at -- with any care  
20 at the applicability of the airborne release  
21 fractions?

22 MR. BROWN: We will. At this time, we  
23 have not studied that in detail.

24 CHAIRMAN POWERS: I mean, I -- there may  
25 not be much you can do, but you can certainly see how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bounding they were on those.

2 MR. BROWN: Certainly, we will look at --  
3 you know, if it was for dropping an oxide powder, then  
4 we want to be sure that that was properly used for an  
5 event in which there is an oxide powder.

6 CHAIRMAN POWERS: Yes. I think you're not  
7 going to have too much trouble with that one. I think  
8 where it more likely is when you have the combustion  
9 events, aerosolizing things that just by the  
10 difficulty of doing the experiment they probably  
11 didn't do the kind of event you really would have  
12 liked to have seen. And that's the one where you've  
13 got to look and say carefully what -- how bounding of  
14 a value do they really pick.

15 MR. BROWN: I might just suggest, I  
16 suppose that in the event that we simply can't agree  
17 on a bounding consequence, the applicant has the  
18 option to simply show that the accident is prevented.

19 CHAIRMAN POWERS: Sure.

20 MR. BROWN: Which is unique to Part 70.

21 MEMBER LEITCH: Schematically, the aqueous  
22 processing unit that was shown I guess at the very  
23 first slide is at the front end of this whole process,  
24 and that portion of the activity is regulated by DOE.  
25 Is that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BROWN: No. The entire facility is  
2 regulated by the NRC.

3 MEMBER LEITCH: The entire facility is.

4 MR. BROWN: If I may just clarify that the  
5 -- the feedstock, the plutonium powder, will be  
6 prepared in a different DOE facility.

7 MEMBER LEITCH: Okay. And it comes in in  
8 the form of powder, then, is that --

9 MR. BROWN: Plutonium oxide powder.

10 CHAIRMAN POWERS: One would just really  
11 love to see the trade study that resulted in taking a  
12 metal tray into an oxide and redissolving the oxide to  
13 polish it and make it back into an oxide. Why that  
14 was chosen as the route, I would just love to see the  
15 trade study that gave that. That's not these  
16 gentlemen's problem.

17 (Laughter.)

18 MEMBER LEITCH: That process takes place  
19 elsewhere at Savannah River or elsewhere?

20 MR. BROWN: As it has been described, say,  
21 most recently in the DOE EIS for the project, it would  
22 be right next door.

23 MEMBER LEITCH: But the aqueous polishing  
24 process is an integral part of this facility. In  
25 other words, in the plot plan where you showed the 400

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 by 400 --

2 MR. BROWN: It was barely visible as is  
3 somewhat -- to a different square in that top plan.

4 MEMBER LEITCH: I guess I misunderstood  
5 perhaps at the very beginning. I thought there was a  
6 portion of this that was DOE regulated and a portion  
7 that was NRC regulated.

8 MR. BROWN: That's right. And it is --  
9 the DOE activity will be at a physically separate  
10 plant, not -- and this will -- everything within the  
11 protected area fence here will -- you know, to the  
12 extent that it's licensed material, will be NRC  
13 regulated.

14 CHAIRMAN POWERS: The waste stream coming  
15 out of the facility will go back into the DOE complex?

16 MR. BROWN: Yes.

17 CHAIRMAN POWERS: And presumably in one of  
18 their tanks, and then eventually to the DWPF and  
19 things like that?

20 MR. BROWN: That's the plan. That's  
21 correct. Yes.

22 MEMBER LEITCH: Okay. Thanks. I  
23 understand.

24 MR. BROWN: Thank you.

25 CHAIRMAN POWERS: So we don't have an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue of a long-term accumulation of a waste stream  
2 here?

3 MR. BROWN: We should not. No, the plan  
4 is to --

5 MEMBER LEITCH: We can discuss that a  
6 little bit.

7 MR. BROWN: Right. We can always talk  
8 about that.

9 MR. MURRAY: Okay. Good morning  
10 everybody. My name is Alex Murray. I am the chemical  
11 safety reviewer for the proposed MOX facility. I am  
12 also a supporting reviewer for ISA on issues related  
13 to chemical safety.

14 Next slide, please.

15 This is just a quick overview of my  
16 presentation. I'm going to just give you a very brief  
17 discussion of the main chemical process areas in this  
18 facility. Some of the details are considered  
19 proprietary by the applicant, so if you have questions  
20 which require detailed answers, we may have to get  
21 back to you in a different forum.

22 I'm also going to discuss some of the  
23 proposed design bases from the applicant. I'm going  
24 to give a quick overview of where the review stands  
25 right now. It is very much a work in progress, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'll give you some idea about current issues that we  
2 are discussing.

3 Next slide, please.

4 Just to -- as we have discussed, there are  
5 several main chemical process areas in this facility.  
6 There's the AP area, aqueous polishing. Its principal  
7 function/objective is to purify the plutonium and  
8 basically separate out gallium, uranium, and some  
9 other impurities.

10 There also is the MOX process, which is  
11 essentially a powder processing route that actually  
12 makes the fuel rods and assemblies. To support these  
13 areas there are some chemical reagents, storage, and  
14 mixing areas. Some are outside the actual MOX  
15 handling building and would be regulated under OSHA.  
16 Some are within the building and would be regulated by  
17 the NRC because of their potential effects upon the  
18 handling of licensed radioactive material.

19 And as we have with the chemical area,  
20 there are both chemical and radioactive radiochemical  
21 hazards.

22 Next slide, please.

23 Now, discussing aqueous polishing, it's  
24 important to note that there are some modifications to  
25 the standard PUREX process routes which have presented

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some hazards which might require some controls or  
2 principal SSCs in this facility.

3 First off, the plutonium dioxide which  
4 comes from DOE, a separate DOE facility proposed at  
5 Savannah River, is actually dissolved using an  
6 electrochemical process. And there are some issues  
7 with that.

8 The PUREX process itself is actually  
9 tweaked, adjusted, optimized, to improve the  
10 separation factors. Okay. There are some very fine  
11 oxidation state adjustments which I'll mention on the  
12 -- one of the next slides, and so forth.

13 I should add that at the very early stages  
14 of this project there were some discussions about,  
15 "Oh, why can't we use a dry process to purify the  
16 weapons grade plutonium?" And the reason is it didn't  
17 work. Okay. There are many other issues in addition  
18 to the fact that it was basically ineffective for  
19 purification.

20 Once the plutonium has been purified, the  
21 proposed facility would precipitate it as an oxalate,  
22 a very standard step. And I should add that in the  
23 aqueous polishing area many of these operations are  
24 very similar to operations that are performed in some  
25 portions of the LaHague facility in France. They also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have been performed at some of the DOE facilities in  
2 this country.

3 Next slide, please.

4 Okay. Computers are wonderful. That is  
5 actually PuO<sub>2</sub>. Okay. For the dissolution step, okay,  
6 the plutonium dioxide powder would come from a DOE  
7 regulated facility. It was on one of Drew's slides.  
8 It is referred to as the pit disassembly and  
9 conversion facility. Okay. That is regulated by DOE.

10 The dissolution uses nitric acid  
11 principally as the dissolving medium. However,  
12 because of concerns about processing rates, kinetics  
13 if you will, they use -- the proposed process uses a  
14 silver(II) ion, a very strong oxidizing agent, to  
15 assist with the dissolution.

16 Because silver(II) is also extremely  
17 corrosive and has some other issues, the applicant has  
18 proposed means to reduce, in effect eliminate, the  
19 potential hazard associated with that reagent once the  
20 plutonium has been dissolved. Of course, the  
21 electrochemistry -- you have both heat, gases, and,  
22 you know, sort of like an interesting combination of  
23 potential hazards from the electrochemical operations.

24 And also in the dissolution step the  
25 applicant proposes to initiate isotopic dissolution of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uranium 235. Now, you may wonder, gee, why if we're  
2 discussing weapons grade plutonium is there  
3 uranium 235. It turns out that there -- that about  
4 one percent of the heavy metal U235 from the alpha  
5 decay of plutonium 239.

6 Next slide, please.

7 Okay. In the actual purification step, it  
8 is a PUREX process. The PUREX process is optimized.  
9 There are some very fine valence adjustments to  
10 improve the extraction coefficients of plutonium.  
11 Most notably, most of the plutonium is reduced from  
12 the plus six state to the plus four state. This  
13 improves the separation factor.

14 After it has been separated, there is some  
15 other oxidation adjustments which basically allow the  
16 plutonium to recover by going to the plus three state.  
17 Then, there are some other adjustments made, so it  
18 precipitates better with oxalic acid, the oxalate  
19 precipitation steps. They take it back to the plus  
20 four state.

21 All of the reagents used for these  
22 operations do present some potential hazards which we  
23 are reviewing to see if any potential PSSCs are  
24 needed.

25 Finally, there are some solvent washing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and purification steps. These are actually done in  
2 mixer settlers, not the columns which are used for the  
3 actual plutonium purification. And this is primarily  
4 -- this is a PUREX process, but it is primarily in a  
5 Dodecane diluent as the actual solvent.

6 Next slide, please.

7 Okay. Once the plutonium has been  
8 purified, it is just recovered by an oxalic acid  
9 precipitation. There are some fine pH adjustments,  
10 again, to improve the recovery, get some additional  
11 decontamination factors from some of the potential  
12 impurities.

13 The oxalate is filtered and then fired in  
14 a calcined and oxygen atmosphere, and then this  
15 purified material is sent on to the actual MOX powder  
16 processing step.

17 Next slide, please.

18 As part of aqueous polishing, you do  
19 generate some liquid streams which require some  
20 processing for recovery of useful reagents before they  
21 are sent to waste management at the Savannah River  
22 site. It should be noted that the majority of these  
23 recovery operations for things such as silver, some of  
24 what they call the oxalic mother liquors in the  
25 proposed facility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           These have all performed on -- all of  
2 these operations are performed on high alpha  
3 contaminated streams. Okay? So we're looking at some  
4 of the potential issues and hazards associated with  
5 those to see if any principal SSCs are needed.

6           Nitric acid is recovered by evaporators  
7 and subsequently rectified, distilled, to get it back  
8 up to strength to be recycled within the process, and  
9 that step also has some potential hazards which we'll  
10 discuss shortly.

11           Next slide, please.

12           Okay. Just very quickly, the MOX powder  
13 area -- this is simply a powder processing line. It  
14 is based upon the advance MIMAS process from France,  
15 a lot of micronization of the powders. Ultimately,  
16 the powders are formed into pellets, sintered, and  
17 then placed into the fuel rods and the rods into  
18 assemblies.

19           From the chemical safety perspective in  
20 this area, the main areas of potential concern have to  
21 do with a lot of inert gas use and also around the  
22 sintering furnaces where there are hydrogen/oxygen --  
23 I mean, hydrogen/argon mixtures used. And I should  
24 note for this area, this -- the processing steps are  
25 very similar to those at the operating MELOX facility

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in France.

2 Next slide, please.

3 CHAIRMAN POWERS: Do they do the sintering  
4 with just forming gas, or do they --

5 MR. MURRAY: I'm sorry?

6 CHAIRMAN POWERS: Do they do the sintering  
7 under an atmosphere of argon/hydrogen that --

8 MR. MURRAY: At MELOX?

9 CHAIRMAN POWERS: At four percent like  
10 hydrogen or something like that?

11 MR. MURRAY: In the proposed facility,  
12 there is actually a range.

13 CHAIRMAN POWERS: A range.

14 MR. MURRAY: Okay. And some of the  
15 details on the range are proprietary.

16 Okay. Just to give you a quick overview  
17 of some of the applicant's proposed principal  
18 structures, systems, and components, and their design  
19 bases and potential controls, for the public, a  
20 receptor in the chem safety area, the consequences  
21 were judged to be low and no PSSCs were proposed.

22 Similarly, for the Savannah River site  
23 worker, no PSSCs are proposed. For the facility  
24 worker, in the area of chemical safety, the applicant  
25 has proposed that the emergency control room HVAC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system would be a PSSC, and the applicant has stated  
2 that they believe most of the radiological-related  
3 PSSCs will provide adequate protection for chemical  
4 safety type events. And, hence, no additional chem  
5 safety PSSCs are necessary.

6 Having said that, if you could go to the  
7 next slide, please.

8 Within the text of the construction  
9 authorization request, there are actually PSSCs  
10 proposed for chem safety, and I've listed these here.  
11 There are a lot of proposed administrative type  
12 controls for chemical makeup, for reagent  
13 concentrations, and so forth, the proposed controls,  
14 PSSCs, on some of the vents and offgases. Some of  
15 these are interrelated with radiological-related  
16 issues.

17 Also, the applicant has proposed PSSCs to  
18 ensure that there are non-explosive mixtures, and I've  
19 listed some here. However, as our review is  
20 continuing, we are finding that the specificity might  
21 need more definition.

22 MEMBER LEITCH: Just a question for  
23 understanding on the previous slide.

24 MR. MURRAY: Sure.

25 MEMBER LEITCH: It says emergency control

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 room AC system. Is that for an emergency control  
2 room? Or should that say control room emergency AC  
3 system?

4 MR. MURRAY: That is actually for an  
5 emergency control room.

6 MEMBER LEITCH: Okay. That was my point.

7 MR. MURRAY: Yes.

8 MEMBER LEITCH: In other words, there is  
9 an emergency control room.

10 MR. MURRAY: Yes.

11 MEMBER LEITCH: And the thing that would  
12 be a PSSC is the air conditioning system for that  
13 control room.

14 MR. MURRAY: That's correct.

15 MEMBER LEITCH: Okay. I understand.

16 MR. MURRAY: That's correct. That's  
17 correct.

18 MEMBER LEITCH: But not for the main  
19 control room apparently?

20 MR. MURRAY: With the documentation and  
21 the discussions that we have had so far, not at this  
22 time, no. The review is still continuing. Okay?

23 MEMBER LEITCH: Thank you.

24 MR. MURRAY: Okay. Just to give you a  
25 quick overview of the status of the review and some of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the activities, we are -- the review is continuing.  
2 It is a work in progress. We have looked at the  
3 construction authorization request, the RAI responses.  
4 We are looking at independent sources of information  
5 in the literature, including DOE peer reviewed  
6 documents and what have you.

7 We are having discussions with the  
8 applicant. Some of these are in public meetings.  
9 Some of these are documented phone calls. And also we  
10 plan additional meetings and reviews. We currently  
11 are working on a very preliminary -- very, very rough  
12 draft of the chem safety sections of the evaluation  
13 report.

14 Next slide, please.

15 Okay. Our main findings to date are, as  
16 I previously mentioned, we find a general lack of  
17 specificity for some of the chemical principal  
18 structures, systems, and components, and their  
19 associated design bases. As we read the documents,  
20 the responses from the applicant, and as we review the  
21 literature, we are finding that there are many implied  
22 or potentially implied PSSCs and design bases.

23 We also notice there is, particularly in  
24 the chemical area, a heavy reliance on operators and  
25 admin controls.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Next slide, please.

2 Okay. I've just listed some of the areas  
3 where we have some current issues under review and  
4 discussions. Once again, admin controls, how do you  
5 get to the highly unlikely regime and minimize the  
6 consequences, the high alpha waste streams, how they  
7 are controlled to basically do the recovery functions  
8 safely and appropriately, and then ultimately the  
9 waste going on to the Savannah River site.

10 The electrolyzers, the proposed facility  
11 has three electrolyzers. Right now, two are for  
12 dissolution, one is for recovery of the silver which  
13 is used in dissolution.

14 Evaporators, this is the red oil concern,  
15 the nitrated tributyl phosphate esters. The proposed  
16 facility has at least three areas where evaporators  
17 are used for reagent recovery, concentration, recycle,  
18 etcetera. And also, we have an issue we are reviewing  
19 in the area of the uranium 235 -- where it goes in the  
20 process, how it is diluted, where it is diluted, what  
21 the intermediate assay levels are, and so forth.

22 CHAIRMAN POWERS: In the issue of red oil,  
23 I got the impression that the principal safety control  
24 on that was to control the temperature.

25 MR. MURRAY: That is what the applicant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 has proposed, yes.

2 CHAIRMAN POWERS: And my initial reaction  
3 to that was -- I've probably gotten out of date on  
4 where we stand on oil, red oil issues. But my  
5 recollection is --

6 MR. MURRAY: I'm sure you're quite  
7 current, Dana.

8 (Laughter.)

9 CHAIRMAN POWERS: My recollection is that  
10 we had a poor understanding of the formation of this  
11 material, that when we have tried to form it it's a  
12 hit and miss sort of thing, that we have never been  
13 able to convince everyone that what we form in the  
14 laboratory is exactly what we seem to form in the  
15 accidents, and that we couldn't say that there was a  
16 temperature threshold for the formation of red oil.

17 MR. MURRAY: Well, this is an area that we  
18 are reviewing and discussing with the applicant.  
19 There are concerns that we have in this area. There  
20 have been at least five events within the DOE complex  
21 over the years, some as recently as the 1970s. Okay?  
22 In the late 1980s, DOE did issue a summary report  
23 which basically was based upon the temperature  
24 control.

25 However, there have been a couple of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 incidents since then, most notably overseas, the  
2 Tomsk-Sevin area in the former Soviet Union. That  
3 appears to involve some other factors beyond  
4 temperature. DOE has done a lot of work in the mid  
5 and late 1990s looking into this issue some more. And  
6 all I can say is right now we are continuing,  
7 obviously, to --

8 CHAIRMAN POWERS: Stay tuned, huh?

9 MR. MURRAY: Stay tuned, yes.

10 CHAIRMAN POWERS: Good.

11 MR. MURRAY: Yes.

12 MEMBER LEITCH: Has there been any  
13 discussion at this point of staffing levels or  
14 operator qualifications or training, or is that all  
15 premature to ask those kinds of questions?

16 MR. MURRAY: At this stage, yes. Okay.  
17 In the area of admin controls, we have been in  
18 discussions with the applicant about how -- how do you  
19 show independence, how do you show redundancy, how do  
20 you ultimately attain the highly unlikely threshold  
21 for, if you will, chem safety events which could have  
22 high consequences.

23 MEMBER LEITCH: Does this generally tend  
24 to be a batch process or a stream process? In other  
25 words, is this the kind of thing that once this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 process is up and running it runs for -- on a  
2 continuous basis around the clock, or is it a batch  
3 kind of an operation?

4 MR. MURRAY: The majority of the plant, of  
5 the proposed design, would run in what I would call a  
6 more continuous manner. Some steps within it, notably  
7 the dissolution area, is a batch, a semi-batch sort of  
8 processing area. Some of the evaporators function in  
9 what I would call a semi-batch mode. But it is  
10 predominantly a continuous process.

11 MEMBER LEITCH: Okay.

12 MR. MURRAY: And the applicant, in their  
13 description of the process, have proposed sort of like  
14 idle modes, particularly in the solvent extraction  
15 area, where it can sort of keep running but it doesn't  
16 have to be fed fresh materials.

17 MEMBER LEITCH: Thank you.

18 MR. MURRAY: You're welcome.

19 Any other questions? I know earlier on  
20 you had a question on the waste streams. In the  
21 proposed design, the applicant is proposing to batch  
22 the waste, the high alpha waste, to the Savannah River  
23 site via a double-contained underground pipeline.

24 And the batches would be, oh, about a  
25 weekly sort of operation with on the order of a few

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thousand gallons. They think it'll be between one and  
2 two thousand gallons.

3 MEMBER LEITCH: And in order of magnitude,  
4 how long is this pipeline?

5 MR. MURRAY: We do not have any specifics  
6 on that at this time. We are discussing this with the  
7 applicant.

8 CHAIRMAN POWERS: Okay. Well, at this  
9 point, we're scheduled to take a break, which is a  
10 little longer because members have to do some  
11 interviewing I think.

12 MR. MURRAY: Okay.

13 CHAIRMAN POWERS: So we will recess until  
14 a quarter of the hour.

15 (Whereupon, the proceedings in the  
16 foregoing matter went off the record at  
17 10:17 a.m. and went back on the record at  
18 10:45 a.m.)

19 CHAIRMAN POWERS: I think we can come into  
20 session now.

21 My agenda says that Margaret Chatterton is  
22 going to talk to us next. Maybe I'm in error. Nope?

23 (Laughter.)

24 Well, in that case, here's Margaret.

25 (Laughter.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TRIPP: How are you doing? My name is  
2 Chris Tripp, and I'll be talking about the criticality  
3 safety design for the MOX facility for the  
4 construction application.

5 Next slide, please?

6 Criticality safety is one of the dominant  
7 risks at the facility, along with fire safety. And  
8 part of the reason for that is because of the type of  
9 processes and types and forms of materials that are  
10 going on -- are going to be used at the facility.

11 The criticality risk associated with this  
12 plant is similar, in our view, to several other NRC-  
13 regulated facilities; specifically, the high enriched  
14 uranium facilities, NFS and BWXT. Those facilities  
15 involve high enriched uranium. Here we're dealing  
16 with plutonium.

17 And the reason for that is out of the 22  
18 criticality accidents that have occurred at processing  
19 plants in the United States, Russia, Japan, and the  
20 United Kingdom, all but three have involved either  
21 plutonium or iron-enriched uranium, and they have all  
22 involved solution forms because of the small critical  
23 masses, the difficulty in controlling these types of  
24 material configurations, and so forth. And we have  
25 similar types of processes here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The MOX plant is, as has been stated  
2 previously, based on the MELOX and LaHague facilities.  
3 And from the standpoint of criticality safety, the  
4 LaHague type processes, the aqueous polishing process,  
5 has the majority of the criticality risk because we're  
6 dealing with solutions.

7           There are some differences between the  
8 French plants and the proposed American plant, and  
9 some of the equipment dimensions are different and has  
10 criticality implications, because of two things,  
11 because of Americanization where they have to make the  
12 plant conform to American standards, and also the more  
13 significant factor is that this plant is using weapons  
14 grade as opposed to reactor grade plutonium as is in  
15 the French plant.

16           The areas of greatest risk are where you  
17 have material configurations that are difficult to  
18 control, particularly Plutonium 239 solution, but also  
19 in the MOX process where you're dealing with  
20 uncontained powder. And that is -- the majority of  
21 the criticality issues are at the front end before the  
22 material is isotopically diluted with depleted  
23 uranium.

24           Next slide?

25           At this point, specific controls, items

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       relied on for safety, have not been defined for  
2       criticality hazards, being a worker safety issue --  
3       and we'll go into that in more detail. But the basic  
4       parameters of interest are the aqueous polishing phase  
5       would rely mostly on favorable geometry for plutonium  
6       nitrate solutions as well as spacing between the  
7       components.

8               CHAIRMAN POWERS: I guess I am surprised  
9       that you don't also cite acidity control and avoiding  
10      the plutonium hydroxide precipitations.

11             MR. TRIPP: Well, the concentration is not  
12      credited for criticality purposes.

13             CHAIRMAN POWERS: No. What I'm talking  
14      about is the tendency of plutonium nitrate, if you  
15      drop too low in acidity, to drop out this amorphous  
16      precipitate. That's an oxyhydroxide material. It's  
17      been responsible for at least one criticality event.

18             MR. TRIPP: Yes, that's true. But in this  
19      case, the -- they're not taking credit for the  
20      concentration, so it's being assumed it's at an  
21      optimal concentration. So, therefore, if it would  
22      precipitate out, you'd tend to have an undermoderated  
23      solution. It would probably be less reactive than the  
24      optimally moderated case.

25             Now, the chemical form is credited because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the nitrate acts as a neutron poison, a mild neutron  
2 poison.

3 CHAIRMAN POWERS: Well, I'm going to have  
4 to think about that a little bit, because I get very  
5 nervous when we don't have good acidity control on  
6 nitrate solutions.

7 MR. TRIPP: Yes. Well, that's certainly  
8 a concern, and the chemical balancing of the process  
9 is important to keeping the solution out of -- keeping  
10 the uranium -- plutonium in this case -- out of the  
11 raffinate stream, which is another criticality hazard  
12 that I should mention.

13 In the MOX process, we have -- the main  
14 controls/modes are the isotopic control, where you're  
15 mixing it with depleted uranium after the blending  
16 stage. That's being credited for criticality safety  
17 -- and also moderation, keeping the powder dry.

18 The master blend is to take the plutonium  
19 oxide powder and to blend it down to about 20 weight  
20 percent in Pu, with the depleted uranium, and then  
21 later on it's further diluted to between two and six  
22 weight percent plutonium. And the blending, as I  
23 said, is crucial to ensuring the right isotopic mix.

24 So that's some information about the  
25 inherent risk of the facility. It should be pointed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out that the majority of the facility is going to rely  
2 on passive engineered controls, particularly safe  
3 geometry, and probably to a greater extent than being  
4 based on a more modern design -- a greater extent  
5 relying on favorable geometry than a lot of U.S.  
6 plants. So that will -- should significantly reduce  
7 the risk associated with the facility.

8 CHAIRMAN POWERS: I'm just surprised my  
9 distinguished colleague from Tennessee didn't salute  
10 the advice to keep your powder dry.

11 (Laughter.)

12 MR. TRIPP: Very important for  
13 criticality and --

14 CHAIRMAN POWERS: Not going to volunteer  
15 anything, huh?

16 (Laughter.)

17 MR. TRIPP: Now, I'm just going to quickly  
18 summarize the regulatory requirements from Part 70.  
19 As for most of the safety disciplines, it's very non-  
20 prescriptive. They are free to choose pretty much any  
21 high dose relied on for safety as long as they meet  
22 the performance requirements of the rule. In fact,  
23 the only specific SSC that's mentioned for safety is  
24 the criticality alarm.

25 They have to make high consequence events

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 highly unlikely, and that's -- typically, criticality  
2 is considered highly unlikely by default. At least in  
3 this case, it is, so when we're talking about the risk  
4 we're talking basically about likelihood associated  
5 with preventing criticality.

6 They're required to maintain  
7 subcriticality, and that includes using an approved  
8 margin of subcriticality, which is based on code  
9 validations that we'll talk about in a little bit.

10 And, finally, in 70.64, they're required  
11 to adhere to the double contingency principle, such  
12 that two -- at least two unlikely and independent  
13 changes have to occur before criticality is possible.  
14 And that is really only applicable for new plants or  
15 new processes at existing plants. The reason for that  
16 is a lot of -- some of the older plants have  
17 historically not been able to meet double contingency,  
18 because you're dealing with bulk quantities of powder  
19 and other things. And then, of course, the SRP goes  
20 into a lot more detail on this.

21 Next slide, please?

22 Required to ensure that the design basis  
23 of the principal SSCs provide reasonable assurance of  
24 safety. I'll quickly go over this, since I know you  
25 heard this in more detail on the 14th.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           At this point, there have really been no  
2 principal SSCs or IROFS identified for criticality  
3 safety. That will come more during the review of the  
4 ISA summary, along with the license application. So  
5 what do we have to rely on for safety?

6           Most of the assurance is based on having  
7 an adequate NCS program, and that follows the typical  
8 DOE model and also the model we adopted for the  
9 gaseous diffusion plants, where most of the details  
10 referred to the program, and the regulator is mainly  
11 overseeing the structure of the program.

12           And that will be relied on in the  
13 construction stage, and then the component-level  
14 review, as with the other Part 70 facilities, will be  
15 more in the operating phase.

16           So I'd like now to turn to the open  
17 issues, of which there are three. There were several  
18 RAI questions asked. About 40 in all I think pertain  
19 to criticality issues. And we've reached resolution  
20 on all but three issues, and they are the NCS staff  
21 qualifications, the -- what's an acceptable  
22 subcritical margin, and an issue related to how we  
23 meet the performance requirements.

24           And on these two issues on this slide we  
25 have provided them with a summary of industry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 experience, industry licensing precedent I should say,  
2 on what we've accepted for other plants, understanding  
3 that this plant has some unique issues associated with  
4 it.

5 For the staff qualifications, we are only  
6 interested in the construction phase, because part of  
7 having a reasonable assurance that the plant could be  
8 designed safely is our assurance in the qualifications  
9 of the people doing the safety design. So we're only  
10 interested in the roles and responsibilities  
11 associated with design activities, not operation. And  
12 primarily we're looking at the education and  
13 experience levels associated with these individuals.

14 And what has been accepted at the  
15 different plants varies across the spectrum. But in  
16 this case, a couple of the unique issues are that this  
17 is a brand-new facility. There really is no facility-  
18 specific experience, which is often credited in  
19 saying, for instance, you have to have two years of  
20 industry or facility experience.

21 The other is the fact that most of the  
22 industry experience is drawn from uranium plants, and  
23 criticality safety depends a lot on the judgment of  
24 the analyst. And so the staff has -- believes that  
25 it's necessary that NCS staff have some specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plutonium or MOX experience.

2           So it's a question of, what would be the  
3 -- how transferable would be experience at other  
4 plants? And some of that experience they can get.  
5 There is experience on the DOE side, of course, with  
6 plutonium. But that's one thing that we are in the  
7 process of discussing.

8           The other secondary issue is, what's an  
9 acceptable subcritical margin? And I'll quickly go  
10 through this. This is the standard equation for  
11 calculated multiplication factor plus uncertainties --  
12 has to be less than what's known as the upper  
13 subcritical limit, which is one minus the  
14 calculational bias minus the uncertainty in the bias  
15 minus -- delta Km is an arbitrary or administrative  
16 margin.

17           And the bias is the difference between the  
18 experimental value, typically 1.0 for K effective of  
19 a critical experiment and the calculated value. And  
20 all the statistical effects are taken up in the bias  
21 and the uncertainty in the bias. And this  
22 administrative margin is meant to account for  
23 unquantified or unknown uncertainties, such as the  
24 fact that what you're actually modeling differs from  
25 any of the benchmarks. Well, how important is that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 kind of effect?

2 And so what the applicant has proposed is  
3 -- and this actually goes beyond what most of our  
4 licensees do in practice -- is to split the types of  
5 processes at the plant into five main areas and  
6 perform a separate validation, which could result in  
7 a separate bias and administrative margin for each  
8 area.

9 And whereas the techniques for determining  
10 the bias are well understood, the techniques -- there  
11 is no real applicable guidance on the administrative  
12 margin and what is acceptable. So, again, we provided  
13 them with precedent on what was accepted at other  
14 facilities, with the understanding that there are some  
15 differences because you have -- plutonium physics is  
16 slightly different, significantly different in some  
17 cases.

18 The administrative margin of .05 has  
19 typically been accepted at most uranium plants.  
20 That's based on a rule of thumb, but there has still  
21 always been a requirement that the licensee or  
22 applicant justify it on a case-by-case basis. And  
23 that's particularly true in -- for a plutonium or MOX  
24 plant where we have different neutron physics.

25 The other complicating factor in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 validation, which we're looking at as a significant  
2 part of the design basis, because it tells to what  
3 maximum K effective you can design the plant to, is  
4 the fact that for a lot of these systems, particularly  
5 the three types of systems listed in Part 2, there is  
6 not really a lot of critical benchmark experiment data  
7 available.

8 So a typical statistical technique may  
9 need to be augmented, and there are some techniques  
10 such as sensitivity uncertainty methodology, which is  
11 currently being developed at Oak Ridge National  
12 Laboratory, that may be applicable. It's just  
13 different from what the staff has had to review in the  
14 past.

15 Finally, I turn to the -- what's probably  
16 the most significant of the open issues, and that is,  
17 what's the relationship between the two regulatory  
18 requirements to be doubly contingent and to assure  
19 that high consequence events are highly unlikely?

20 Well, I know you heard some of this the  
21 other day on the index likelihood method. So I won't  
22 go into the details of what that is associated with.  
23 The MOX SRP, standard review plan, Appendix A, is  
24 based on the Part 70 standard review plan and has a  
25 safe technique proposed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Since the SRP has come out, we have  
2 approved ISA plans for BWXT and NFS on the Part 70  
3 side, and so there are plants that have proposed  
4 methods that are acceptable to the staff that have  
5 been approved.

6           Now, for hazards other than criticality,  
7 DCS has proposed meeting the index likelihood method.  
8 The reason for excluding criticality, as we understand  
9 it, is criticality is viewed as a facility worker  
10 hazard. So, therefore, there are many -- the approach  
11 is one of prevention.

12           There are many different -- sometimes  
13 dozens of accident sequences that have to be prevented  
14 against. Unlike a site worker or a public type of  
15 consequence, you can't simply mitigate the bounding  
16 accident. So there's a great deal of analysis  
17 involved.

18           And I believe on the ISAs that we've seen,  
19 about probably more than half of the accident  
20 sequences involve criticality hazards for that reason.  
21 And so what DCS has proposed was to meet -- use the  
22 commitment to double contingency and say that was  
23 sufficient to ensure that criticality is highly  
24 unlikely.

25           The industry has traditionally used a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 deterministic approach that relies on the judgment of  
2 the analyst, rather than any kind of quantitative or  
3 qualitative assessment of reliability of the barriers  
4 relied on. So, therefore, there's a lot of  
5 subjectivity associated with that kind of approach.

6 And the other thing that has been proposed  
7 is what DCS calls robust double contingency, and that  
8 would be a commitment to meet double contingency plus  
9 a generic commitment to meet management measures and  
10 the applicable criticality ANSI standards, of which  
11 there are probably about 20 in total.

12 And, again, on an accident sequence basis,  
13 that does -- it simply is too vague to give assurance  
14 that in all cases they will beat the standard of being  
15 highly unlikely. The wording of the double  
16 contingency principle is taken from an ANSI standard,  
17 and it's not defined in terms of a performance  
18 requirement.

19 And the last bullet, let me say that what  
20 the staff has determined is that the robust double  
21 contingency defined above as double contingency  
22 principle plus management measures and ANSI standards  
23 is what we have said is not sufficient. We are still  
24 discussing what would a possible form of a robust  
25 double contingency be that would be sufficient to meet

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the performance requirements of the rule. And those  
2 discussions are ongoing.

3 So that is basically where the status of  
4 the review is now. If you have any further  
5 questions --

6 MEMBER BONACA: I have a question.

7 MEMBER LEITCH: I have a question. It  
8 seems to me that criticality prevention is -- if I  
9 understand what you said correctly, is primarily the  
10 geometry. There are passive things in the way the  
11 facility is built, particularly the geometry for  
12 prevention of criticality, supplemented perhaps by  
13 operator actions and administrative procedures.

14 But are there no engineered systems to  
15 mitigate criticality? In other words, it seems like  
16 everything is geared towards preventing the initiating  
17 event. But what about mitigative strategies?

18 MR. TRIPP: Okay. And you're quite right  
19 in that the fact they're relying on geometry and other  
20 passive controls, that all comes out of this hierarchy  
21 of controls that was talked about during the ISA  
22 presentation.

23 But the approach taken at -- by the NRC is  
24 that criticality is something that is to be prevented.  
25 It's undesirable to have a criticality, regardless of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the actual dose consequences. At a minimum, it  
2 involves a lot of cleanup activities, and so forth.

3 The only real mitigation is from 70.23,  
4 which is requirement to have a criticality alarm  
5 system. And, of course, that won't mitigate the dose  
6 to the person that's there when the initial burst of  
7 the criticality goes off, but it could mitigate dose  
8 to further individuals. And also, there is -- there  
9 are requirements to have emergency procedures and  
10 protocols in place.

11 In DOE, there are some -- DOE facilities,  
12 some of them are shielded, and they do take credit for  
13 that in allowing criticality to be less than highly  
14 unlikely. But the NRC has never taken the approach  
15 that you can substitute mitigation for prevention for  
16 a criticality accident.

17 MEMBER BONACA: Okay. I had --

18 MEMBER LEITCH: Go ahead.

19 MEMBER BONACA: I had a question on the --  
20 you made a reference to 22 process accidents that have  
21 occurred worldwide, and at the highly enriched uranium  
22 facilities. And I was curious to know, first of all,  
23 is there a dominant sequence that has occurred? I  
24 mean, what is the dominant cause for these accidents?  
25 And, second, could you comment on the consequences?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TRIPP: Certainly, yes. As I've said,  
2 all of these have occurred in process tanks or vessels  
3 of some type. Typically, columns relied on for  
4 favorable geometry, and so the typical sequence a lot  
5 of the time is you have something that has an  
6 inadvertent transfer to unfavorable geometry, such as  
7 to a wastewater tank or some other large geometry  
8 vessel. There are variations on that, but I think  
9 several fall under that category.

10 MEMBER BONACA: Right.

11 MR. TRIPP: As far as the consequences  
12 have been, there have been -- most of them have not  
13 involved fatalities. Some of them have. I think two  
14 or three is the maximum number, and that's just --  
15 that's from the worker that's in the immediate area.

16 MEMBER BONACA: So to the personnel.

17 MR. TRIPP: Right.

18 MEMBER BONACA: The release is outside the  
19 -- it's at the site.

20 MR. TRIPP: Right. And that's typically  
21 because it's usually operators involved in the  
22 initiating event.

23 MEMBER BONACA: Okay. Thank you.

24 MR. TRIPP: Okay. I'd like --

25 MEMBER LEITCH: I asked the question of an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 earlier presenter about operator training, and I guess  
2 the answer I got was we were a little too far  
3 premature to discuss that. But you alluded to the  
4 fact that you have given at least some thought to how  
5 these operators might be qualified.

6 MR. TRIPP: Yes. We were -- actually, I  
7 was talking about the criticality safety staff who  
8 were involved in the design of the facility and what  
9 their experience and qualifications are. I would  
10 agree it's a little early to be talking about the  
11 operator training, although that would be one of the  
12 management measures that we would expect to be --

13 MEMBER LEITCH: Yes.

14 MR. TRIPP: -- applied in the next stage.

15 MEMBER LEITCH: And there again, as you  
16 indicate here, that there's precious little experience  
17 to draw on. I guess the same would be the case with  
18 the operators.

19 MR. TRIPP: That would probably be the  
20 case, unless you go to the DOE complex.

21 MEMBER LEITCH: Yes. Okay. But, again,  
22 I'm hearing that it's just premature to talk about  
23 that, but it's a topic that I'm very interested in.

24 MR. TRIPP: Yes. That was something that  
25 will be very important later on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER LEITCH: Yes, right. Thank you.

2 MR. PERSINKO: I'd like to make a comment.

3 You asked about engineered features with respect to  
4 criticality control. As I mentioned earlier, the  
5 system is a highly automated system. There is an  
6 instrumentation and control system referred to as the  
7 MMIS system, which material is not allowed to move  
8 from one station to another station unless the  
9 permissive is given by the MMIS system.

10 The system keeps track of material  
11 inventory at various posts, and then before material  
12 can move from post A to post B the computer system --  
13 the instrumentation and control system checks to see  
14 whether it's permissive, whether the material can move  
15 to this area or not, with respect to criticality  
16 controls.

17 We will get into that particular system  
18 more when John Calvert talks about the digital I&C  
19 control systems.

20 MEMBER LEITCH: Thank you.

21 CHAIRMAN POWERS: Any other questions  
22 about the criticality safety? I think we can move on.

23 MS. STEELE: Good morning. Can you hear  
24 me clearly?

25 My name is Sharon Steele, and I'll be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presenting the fire safety portion of the briefing.  
2 I will begin with a brief discussion of guidance in  
3 the standard review plan and the applicant's proposals  
4 for the facility couched in terms of the major aspects  
5 of fire safety. I will discuss some of the open items  
6 and then follow up with a summary.

7 In developing the standard review plan, we  
8 relied on NRC guidance for fuel cycle facilities and  
9 reactors, where appropriate. We also drew heavily  
10 from DOE standards, particularly the one -- the fire  
11 protection criteria, and also required conformance to  
12 National Fire Protection Association codes and  
13 standards.

14 Based on the elements of a standard review  
15 plan and on accepted engineering practice, there are  
16 some major aspects of fire safety that I'd like to  
17 briefly touch on, and they are administrative controls  
18 or -- and development of a fire protection program  
19 which helps to prevent a fire from occurring. Also,  
20 automatic detection and suppression systems provide  
21 the capacity to extinguish a fire if they occur.

22 Manual firefighting capabilities are  
23 important as well as --

24 CHAIRMAN POWERS: Do you really give  
25 credit for automatic systems extinguishing a fire?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. STEELE: Sometimes -- in some places,  
2 automatic suppression systems are considered principal  
3 structures, systems, and components. But for the most  
4 part, they're used as defense-in-depth strategy.

5 CHAIRMAN POWERS: The suppression -- you  
6 know, I can imagine giving credit, but giving credit  
7 for an automatic system to actually extinguish the  
8 fire.

9 MS. STEELE: You're referring to the  
10 detection, then, automatic detection concerning --

11 CHAIRMAN POWERS: Detection you can do and  
12 suppression from an automatic system. But to  
13 extinguish the fire with an automatic system seems to  
14 be optimistic.

15 MS. STEELE: Right. Normally, when you  
16 use fire -- water-based sprinkler systems, I think the  
17 probability of success is 96 percent. Other systems  
18 are a little bit lower.

19 Also, one of the major aspects of fire  
20 safety is compartmentation, which would help prevent  
21 the spread of fires to other parts of the building.  
22 And, finally, the fire hazards analysis is an  
23 important part because it's a common thread throughout  
24 the various aspects of fire safety. So I'll discuss  
25 that next.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The fire hazards analysis, or FHA, is a  
2 systematic analysis of the fire hazards inside and  
3 outside of the facility, and it is used to determine  
4 the adequacy of plant fire safety. When performing a  
5 fire hazards analysis, the facility is divided into  
6 discrete fire areas, and the risk or the consequences  
7 of ignition and combustion scenarios are evaluated.

8           The fire hazards analysis is used to  
9 develop design basis fire scenarios from which  
10 principal structures, systems, and components are  
11 developed. The applicant has provided a preliminary  
12 fire hazards analysis, which we were able to review  
13 onsite, and they are continuing to develop the fire  
14 hazards analysis in conjunction with the integrated  
15 safety analysis.

16           The applicant has committed to develop  
17 administrative controls in the license possession  
18 stage, and these controls will include procedures for  
19 the storage and control of ignition sources and  
20 combustible items. It will include periodic  
21 surveillances of the physical fire protection features  
22 to ensure that these systems are operational, and also  
23 periodic surveillances of the transient combustibles  
24 to ensure that limits are not exceeded.

25           The applicant has proposed administrative

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 controls as a principal structure, system, and  
2 component in some cases. They have also committed to  
3 develop a fire protection program which will describe  
4 the policy with regard to protecting items relied on  
5 for safety.

6 The fire protection program will also  
7 describe personnel and lines of management for the  
8 development of procedures for training for combustion  
9 controls and procedures for maintenance, testing, and  
10 inspection of fire protection features. It will also  
11 address the development of controls for design  
12 changes, recordkeeping, and fire prevention activities  
13 such as fire emergency planning.

14 The applicant --

15 MEMBER LEITCH: Can you talk about --

16 MS. STEELE: Sorry.

17 MEMBER LEITCH: -- the transient  
18 combustibles? I'm used to thinking of transient  
19 combustibles as trash, basically, that could be stored  
20 in the facility. Are some of these process streams  
21 combustible?

22 MS. STEELE: Yes.

23 MEMBER LEITCH: In other words --

24 MS. STEELE: Yes, they are. But in some  
25 cases --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER LEITCH: So is that what you mean  
2 by transient combustibles, stuff that's flowing  
3 through the process or --

4                   MS. STEELE: I think in some cases that  
5 could be the combustible, the transient combustible.  
6 But largely within the process rooms there might be  
7 cases where it is assumed that there could be leftover  
8 pieces of polycarbonate window materials left over  
9 from maintenance activities as well.

10                  CHAIRMAN POWERS: It's moving drums of  
11 Dodecane around.

12                  MS. STEELE: The applicant has provided a  
13 strategy for automatic detection and alarm systems,  
14 and these include smoke and heat detectors and manual  
15 pull stations throughout the facility. The systems  
16 will be able to provide audible and visual alarm in  
17 the affected areas, and it will indicate and transmit  
18 these alarms to central alarm panels which would be  
19 located in the polish and control room and at the  
20 Savannah River site fire department.

21                  They have also proposed various types of  
22 suppression --

23                  CHAIRMAN POWERS: Not to the control room?

24                  MS. STEELE: I'm sorry? Polish and  
25 control room.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Oh, to the control room.

2 MS. STEELE: Yes. They have also provided  
3 various suppression agents. For example, sprinklers  
4 will be provided in the hallways and offices, and  
5 basically in areas where an inadvertent actuation of  
6 the sprinkler system does not affect -- cannot affect  
7 the operation.

8 Also, clean agent suppression will be used  
9 where fissile materials are present, and in those  
10 areas the suppression systems will be considered a  
11 principal structure, system, and component.

12 They are also proposing the use of  
13 standpipe and hose systems and portable extinguishers  
14 for manual firefighting.

15 A baseline needs assessment for the manual  
16 firefighting and the license to possess stage will be  
17 provided. This assessment will evaluate the minimum  
18 staffing needs of the firefighting force. It will  
19 describe organization and coordination of onsite and  
20 offsite firefighting resources. It will describe  
21 personnel protective and firefighting equipment, also  
22 training of the fire brigade, and fire emergency  
23 planning.

24 The FHA will determine a need for a  
25 separate emergency response team.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Remind me what FHA  
2 stands for.

3 MS. STEELE: The fire hazards analysis.  
4 I apologize.

5 CHAIRMAN POWERS: Okay.

6 MS. STEELE: Will determine the need for  
7 a separate emergency response team which -- in  
8 addition to what's already provided at the Savannah  
9 River site fire department.

10 MEMBER BONACA: So this is the Savannah  
11 River site fire department.

12 MS. STEELE: Yes. They will look at  
13 the --

14 MEMBER BONACA: Because you mentioned  
15 before that you will have alarms in the Savannah fire  
16 department that --

17 MS. STEELE: There will be a -- there's a  
18 plan to send an alarm to the Savannah River site fire  
19 department as well, and in the baseline needs  
20 assessment they will, during that stage, analyze the  
21 firefighting forces to determine whether the Savannah  
22 River site fire department would be sufficient to meet  
23 the needs at the MOX facility or whether they would  
24 need a separate emergency response team.

25 CHAIRMAN POWERS: It would stun me if they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 weren't.

2 MS. STEELE: I'm sorry?

3 CHAIRMAN POWERS: It would surprise me if  
4 they weren't adequate.

5 MS. STEELE: Right. Exactly. But yes.

6 MEMBER SIEBER: Well, part of this is the  
7 response time.

8 MS. STEELE: Right.

9 CHAIRMAN POWERS: Well, considering where  
10 they are, that's not going to be a real problem.

11 MEMBER SIEBER: Right.

12 MEMBER BONACA: I guess my question was  
13 more in the sense that, are they trained to deal with  
14 a facility where you may have a fire situation and,  
15 you know, radioactive release at the same time?

16 MS. STEELE: That should be part of the --

17 MEMBER BONACA: That's part of it. Okay.  
18 I mean, I'm not talking about the fire brigade there.  
19 I'm talking about the one in Savannah.

20 MS. STEELE: Yes.

21 CHAIRMAN POWERS: Well, I mean, at  
22 Savannah River site they have lots of places where you  
23 can have fires and radioactive material at the same  
24 time. No question that they would have to have  
25 training for the particular site.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER BONACA: Okay. And then, how you  
2 integrate these forces I guess.

3                   MS. STEELE: Right. Integration and the  
4 training for specific hazards that could be  
5 encountered at the MOX facility.

6                   For operational purposes and as provided  
7 by the fire hazards analysis, the MOX facility -- the  
8 buildings at the MOX facilities are subdivided into  
9 several fire areas. The fire area boundaries are  
10 typically provided to separate manufacturing  
11 operations, radioactive material storage, control  
12 rooms, electrical equipment rooms, offices, and  
13 redundant TRANEs of principal structures, systems, and  
14 components.

15                   The primary structural members surrounding  
16 each fire area will have a minimum of two-hour fire  
17 rating. The openings in the barriers, including fire  
18 doors and dampers and penetration seals, would be  
19 appropriately rated.

20                   There was a question earlier regarding  
21 electrical circuits and cable trays. Right now, what  
22 I've been able to establish is that for the most part  
23 qualified cable would be used in the facility, and  
24 they could be contained in non-metallic cable trays.

25                   CHAIRMAN POWERS: Qualified cable --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. STEELE: Right.

2 CHAIRMAN POWERS: -- just a little harder  
3 to ignite than --

4 MS. STEELE: Right.

5 CHAIRMAN POWERS: -- unqualified cable.  
6 I mean --

7 MS. STEELE: That's right.

8 CHAIRMAN POWERS: -- it's not going to  
9 stop anything.

10 MS. STEELE: That's right.

11 CHAIRMAN POWERS: I mean, I'm a little  
12 surprised, and maybe it's premature. But it seems to  
13 me that you've got people coming in here saying,  
14 "Okay. We're going to have this facility. It's going  
15 to have this elaborate electronic computerized system  
16 to make sure we don't have a lot of inadvertent  
17 transfers," which has been the bane of most chemical  
18 processes involving plutonium.

19 MS. STEELE: Right.

20 CHAIRMAN POWERS: They're going to try to  
21 get around this with a computerized quasi-automatic  
22 system. It seems to me that if I was defining the  
23 fire strategy, I would say, "Okay. You must have a  
24 TRANE that allows you to shut this system down and is  
25 protected against fire."

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. STEELE: Yes. Right.

2 CHAIRMAN POWERS: And that doesn't seem to  
3 be emerging from this.

4 MS. STEELE: I believe that could be  
5 addressed later in the electrical portion. But there  
6 would be redundant TRANEs of -- I'm sorry.

7 MR. GIITTER: As you'll see in the I&C  
8 presentation, there are redundant systems that could  
9 shut the system down.

10 CHAIRMAN POWERS: Well, you know, I just  
11 don't think you can separate that from the fire. I  
12 mean, I think you have to sit here and say, "Well,  
13 you've got to have enough separation here and enough  
14 protection, so that you always have one of those  
15 TRANEs available." You're protected from -- I mean,  
16 it's a lot like Appendix R. You have a shutdown TRANE  
17 that you protect from fire.

18 And so there is some sort of a design. I  
19 mean, most of this stuff is kind of routine fire  
20 protection for a car body company. And, I mean, it  
21 seems like there should be a strategy here that I'm  
22 not seeing emerging.

23 MS. STEELE: Okay. You are not seeing the  
24 integrated effort that perhaps we should -- well, that  
25 we are currently doing in our review. And that will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be addressed. Also --

2 CHAIRMAN POWERS: I had also noticed -- I  
3 jumped and noticed that you -- they are going to have  
4 separate electrical equipment rooms, but you did not  
5 cite sprinklers for the electrical equipment rooms.

6 MS. STEELE: I believe clean agent  
7 suppression systems will be employed there.

8 CHAIRMAN POWERS: Oh, yes?

9 MS. STEELE: And it's --

10 CHAIRMAN POWERS: We're just never going  
11 to learn that you've got to put these fires out with  
12 water, are we?

13 MS. STEELE: In addition, fire barriers  
14 are considered to be principal structures, systems,  
15 and components. I will cover a couple of open items  
16 that remain, and then I will summarize.

17 But, again, DCS is proposing the use of  
18 polycarbonate material for the windows and the  
19 gloveboxes. This is against or -- against what  
20 National Fire Protection Association Code 801  
21 requires, because it prohibits the use of non-  
22 combustible material in the glovebox construction.

23 And even though polycarbonate is not non-  
24 combustible, DCS has tried to demonstrate that an  
25 equivalent level of fire safety could be still

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 achieved, and they've done so by using -- providing  
2 various test results that indicate that the  
3 polycarbonate is difficult to ignite and difficult to  
4 sustain combustion.

5 Also, where gloveboxes are used, they will  
6 be providing additional administrative and physical  
7 fire protective features. However, we feel that the  
8 scenarios that DCS provided does not adequately  
9 address areas where polycarbonate could be -- could be  
10 combusted or could be involved in the combustion, and  
11 we're asking them to develop or provide analyses to  
12 indicate a better -- that the margin of safety is  
13 maintained.

14 And we're requesting additional analyses,  
15 such as determination of when flashover would occur if  
16 these gloveboxes were involved.

17 An additional open item is that of the  
18 combustible loading controls. The applicant is  
19 proposing combustible loading controls only as items  
20 relied on for safety to protect various forms of  
21 plutonium that are not in fire qualified containers,  
22 and some of these containers would be canisters, fuel  
23 rods, and the final HEPA filter.

24 We have requested details on additional  
25 surveillances to augment the controls, and we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 asking them to provide a fire safety analysis to look  
2 at critical transient loads beyond the imposed or  
3 established limits. We are also trying to get more  
4 information on what the role of detectors would be,  
5 the role of detectors which are not credited in the  
6 ISA would be.

7 Finally, to summarize, I'd like to say  
8 that DCS has addressed the major aspects of fire  
9 safety. They have provided the commitments to develop  
10 administrative controls, a fire protection program,  
11 and a baseline needs assessment for manual  
12 firefighting.

13 They have described the planned  
14 suppression and detection features and currently have  
15 a preliminary fire hazards analysis. I identified a  
16 few of the open items in the fire safety, and NRC will  
17 continue to review additional information in order to  
18 complete the safety evaluation report.

19 Any questions?

20 CHAIRMAN POWERS: One question that pops  
21 immediately into mind is in a facility everything gets  
22 through and eventually they put these pellets down  
23 into some zircaloid-clad tubes. Do they do any work  
24 with the zirconium that would result in the  
25 accumulation of scrap zirconium and turnings and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things like that?

2 MS. STEELE: Yes, that's a potential  
3 hazard that has been identified, and I believe they  
4 have ways to remove the scarse, and they are providing  
5 -- the principal SSC there would be combustible --  
6 would be controls, staff training, administrative  
7 controls I should say, and the use of manual  
8 extinguishers, Class D portable extinguishers, in  
9 those areas.

10 Those areas -- currently there is no  
11 suppression -- no automatic suppression provided in  
12 those areas because of -- because the space is so  
13 large, and they're not sure whether they could achieve  
14 the desired atmosphere using a clean agent.

15 CHAIRMAN POWERS: Do you have any  
16 familiarity with the available base of incidents that  
17 have occurred on spontaneous combustion of zirconium  
18 fines?

19 MS. STEELE: Yes. There is some  
20 information that's available that I will be looking  
21 at.

22 CHAIRMAN POWERS: I'm aware of two  
23 incidents --

24 MS. STEELE: Right.

25 CHAIRMAN POWERS: -- myself.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. STEELE: One occurred at MELOX in  
2 France where I believe they use a vacuum, for example,  
3 to remove some of the scarse, and there was a fire  
4 that occurred. I believe they were able to extinguish  
5 that with a Class D extinguisher.

6 CHAIRMAN POWERS: Okay. Looks like the  
7 Fire Protection Committee has got a lot here.

8 MEMBER SIEBER: I think so.

9 CHAIRMAN POWERS: Yes.

10 MS. STEELE: Uh-oh. Thank you.

11 CHAIRMAN POWERS: We'll tell Mr. Rosen his  
12 work is cut out for him here. Lots to read.

13 (Laughter.)

14 MR. JOHNSON: The next presentation will  
15 be on confinement systems. My name is Tim Johnson,  
16 and I'll discuss with you some of our issues that  
17 we've identified in this system.

18 The objectives of this presentation is to  
19 briefly discuss the proposed confinement system that  
20 Duke Cogema, Stone & Webster presented in their  
21 construction application. I'd like also to discuss an  
22 issue that we've raised regarding the high efficiency  
23 particulate air filter removal efficiencies, and also  
24 discuss an issue involving whether HEPAs or sand  
25 filters should be used.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Our review is in process. We have raised  
2 some issues with DCS on these, but we're not at the  
3 point where we've made any decisions on the  
4 acceptability of the proposed system.

5                   Ultimately, when we make our decision on  
6 the acceptability of the system, we're going to have  
7 to evaluate whether or not the safety features  
8 presented can adequately protect public health and  
9 safety. And in DCS's proposed design, the ventilation  
10 and confinement systems are important features for  
11 doing this.

12                   As part of the construction authorization,  
13 DCS needs to provide a safety assessment of the design  
14 bases to demonstrate that the safety features can  
15 perform their safety function under anticipated  
16 accident conditions and conditions of natural  
17 phenomena hazards. And since DCS is relying on the  
18 confinement system as one of the safety features, it's  
19 an important area for our review.

20                   Another aspect of this is we are looking  
21 to -- at the defense-in-depth features of the proposed  
22 system.

23                   MEMBER KRESS: Tim, what exactly does that  
24 mean?

25                   MR. JOHNSON: Defense-in-depth would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the use of as proposed -- what they refer to as static  
2 and dynamic systems. Confinement would be by things  
3 like gloveboxes, room walls, as well as a ventilation  
4 system. So these are diverse systems that help to  
5 confine the material and prevent releases.

6 MEMBER KRESS: So the defense-in-depth is  
7 -- relates to how diversities are or --

8 MR. JOHNSON: Diversity and redundancy.

9 MEMBER KRESS: In this instance, you're  
10 talking about diversity and redundancy as being --

11 MR. JOHNSON: Right.

12 MEMBER KRESS: -- defense-in-depth.

13 MR. JOHNSON: Yes.

14 MEMBER KRESS: Okay.

15 CHAIRMAN POWERS: It sounds like multiple  
16 barriers as well.

17 MR. JOHNSON: Yes. We have some guidance  
18 that we've published dealing with confinement systems,  
19 the standard review plan. We have the fuel cycle  
20 facility accident analysis handbook, and there is also  
21 a regulatory guide on design of ventilation facilities  
22 for plutonium processes.

23 And, of course, these guidance documents  
24 provide acceptable methods for meeting our regulatory  
25 requirements. They don't restrict DCS. DCS can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 propose alternatives, but those alternative approaches  
2 would need to be provided with adequate justification.

3 The proposed confinement system of DCS  
4 involves what they refer to as both static and dynamic  
5 barriers. A static barrier would be a thing like a  
6 glovebox, a process cell, process piping, process  
7 tanks. A dynamic barrier would be the ventilation  
8 system.

9 And I have a very simplified figure that  
10 may help to explain the approach that's used.

11 Is that okay?

12 The confinement system is basically  
13 oriented by the formation of four confinement zones.  
14 These zones are oriented where leakage would go from  
15 a zone of lesser hazard to a zone of higher hazard,  
16 and the most hazardous zone is what they refer to as  
17 C4. These would be the gloveboxes containing the  
18 plutonium pellets or powder, etcetera.

19 The confinement system is the glovebox,  
20 and it also has a separate ventilation system. The  
21 ventilation system has HEPA filters right at the  
22 glovebox, on the inside and outside of the glovebox.  
23 There's another HEPA filter. This is -- this would be  
24 located at the boundary of the room, and there is also  
25 a separate final filtration assembly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This is a very simplified figure. It only  
2 shows the HEPA filters, but there are also spark  
3 arresters and a set of pre-filters here as well.

4           The next zone is what is referred to as a  
5 C3 zone, and this is in the process room and airlocks.  
6 It has -- its static confinement is the room boundary  
7 itself, the walls. There's an airlock system. It has  
8 its own ventilation system that has a HEPA filter  
9 right at the boundary and a separate filter assembly  
10 that has spark arresters, a set of pre-filters, and  
11 HEPA filters here.

12           The areas surrounding the C3 process rooms  
13 also have a separate ventilation system. It has,  
14 again, spark arresters, a pre-filter, two sets of HEPA  
15 filters that run to the stack.

16           Another example of a confinement system  
17 would be the control rod itself. After it's finished,  
18 it's been sealed and appropriately tested, it comes  
19 out of the glovebox arrangement. That also provides  
20 a confinement boundary.

21           This figure here is for the mixed oxide  
22 processing areas. There's a similar figure here for  
23 the aqueous polishing areas, and it has some of the --  
24 a lot of the same concepts -- you know, the glovebox  
25 confinement, the process room confinement, and so on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But in addition to that, DCS also has areas called  
2 process cells where there are welded tanks that  
3 contain aqueous polishing liquids, and so on, and  
4 equipment.

5 This would be equivalent to a C4 zone. It  
6 has an offgas system with filtration as part of that,  
7 and the process cells also have their own separate  
8 ventilation system, again with double HEPA filters,  
9 pre-filter, and spark arresters.

10 CHAIRMAN POWERS: I keep coming back to  
11 the fire protection. It seems to me that in the  
12 events of glovebox fires you cannot credit the first  
13 filters, HEPA filters.

14 MR. JOHNSON: Right.

15 CHAIRMAN POWERS: Do you have problems  
16 crediting the second batch of filters in the event of  
17 a fire?

18 MR. JOHNSON: DCS is not taking credit for  
19 the HEPA filters right at the glovebox. There is one  
20 inside and outside immediately on the glovebox. There  
21 is also another one at the room boundary that they're  
22 not taking credit for. The only ones they're taking  
23 credit for are the final filtration assembly ones.

24 MEMBER KRESS: What is the criteria for  
25 whether you take credit for it or not?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JOHNSON: Well, I think it has a lot  
2 to do with the fire hazard itself. In the immediate  
3 vicinity of the fire, the HEPA filter could degrade  
4 and be ineffective.

5 MEMBER KRESS: Temperature or pressure or  
6 loading, excess loading or excess temperature or  
7 excess pressure? What is the --

8 MR. JOHNSON: Right. Right.

9 MEMBER KRESS: Are all those --

10 CHAIRMAN POWERS: I think the answer is  
11 yes on those.

12 MEMBER KRESS: Okay. And where in that  
13 line do you draw the line and say, "Okay. Now the  
14 loading or the temperature or the pressure is down far  
15 enough that my HEPA filter can survive"? Do you have  
16 criteria for that?

17 MR. JOHNSON: Well, that's kind of the key  
18 question that we have. What DCS's approach is is  
19 they've set up specific fire areas, basically their  
20 process rooms or -- individual process rooms would be  
21 considered a separate fire area. And they're saying  
22 that they can confine the fire to one fire area, and  
23 the effluent exhaust from that fire area would be  
24 basically diluted in temperature, and so on, by  
25 exhaust from other areas as it goes into the final

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system.

2 So they are taking credit for dilution  
3 from areas where the fire has not spread to. And  
4 that's, of course, one of the things that we're --  
5 where we're looking at. And it goes back to one of  
6 the things that Sharon indicated was, you know, what's  
7 the margin of safety of their fire barriers? And, you  
8 know, will the fire spread to other areas?

9 What I'd like to talk kind of briefly  
10 about is some of the key design features of the  
11 ventilation system. This indicates here the design  
12 base pressure areas and vacuums for each of the zones.  
13 You can see there is a gradient here where leakage  
14 would go from lower pressure areas to higher -- to  
15 higher vacuum areas as the hazard increases.

16 There's also a supply air system. The  
17 supply air into the C4 and C3 zones do get filtered by  
18 HEPA filters. There is also redundant fans in that  
19 system. The C4 confinement system includes  
20 gloveboxes. Also, the exhaust system has redundant  
21 final filter assemblies. Each of the filter  
22 assemblies has two banks of HEPA filters.

23 There are four redundant fans as part of  
24 this exhaust system, and other parts of the system are  
25 gloveboxes and the C3 boundary wall.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I presume there are  
2 dampers in the ductwork.

3 MR. JOHNSON: There are fire dampers in  
4 each of the fire areas just to confine it.

5 MEMBER SIEBER: Would the action of a  
6 glovebox fire be accompanied by shutting down the  
7 ventilation system?

8 MR. JOHNSON: Yes, into that zone.

9 MEMBER SIEBER: And closing the damper.

10 MR. JOHNSON: Into that zone, yes.

11 MEMBER SIEBER: All right.

12 MR. JOHNSON: The C3 confinement system --  
13 this would include process rooms and cells. It has  
14 redundant filter assemblies. Each of the filter  
15 assemblies has two banks of HEPA filters and two  
16 redundant fans for each of those systems.

17 One of the issues that we've identified in  
18 our review is the amount of credit that DCS is taking  
19 for the release fraction for their accident analyses.  
20 And as Dave Brown mentioned, they were basically  
21 crediting each bank of the final HEPA filters -- of  
22 the HEPA filters in the final filter assembly at 99  
23 percent for basically a release fraction of  $10^{-4}$ . And  
24 we have some concern with that.

25 There have been fires in a number of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facilities which have resulted in filter damage.  
2 We're very concerned about that. There are  
3 uncertainties in the fire analysis, and we requested  
4 further justification for those removal fractions.

5 Our guidance says we will accept a 99  
6 percent removal efficiency for a ventilation assembly,  
7 and we asked DCS to provide additional justification  
8 for their removal efficiencies. Their response to us  
9 was basically to use a calculational approach to  
10 calculate what the efficiency might be, and their  
11 approach addressed soot analysis and projected  
12 temperatures, but it didn't include other aging  
13 effects, you know, chemical effects, and so on, that  
14 left us still concerned.

15 And after some discussion with them, they  
16 have decided that they will try to refine their  
17 environmental conditions and send us additional  
18 information on that. Again, this is an issue that we  
19 have not made a decision on.

20 The other issue I wanted to talk about is  
21 an issue that fell out of our environmental impact  
22 statement scoping meetings where a number of people  
23 talked about the Savannah River site and the fact that  
24 historically they've used sand filters in their  
25 plutonium processing areas. And there are other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facilities. At DOE Hanford, they use some sand  
2 filters as well, but it's not universal within the DOE  
3 system.

4 And what we decided to do in our EIS was  
5 to include this as an option in terms of our impact  
6 analysis. And we had a preliminary analysis performed  
7 for us, and, you know, what we found is that both  
8 systems have advantages and disadvantages. Both of  
9 them have similar particulate removal efficiencies.  
10 They have similar life cycle costs.

11 And by life cycle costs we included the  
12 installation costs, maintenance, replacement of  
13 filters, in-place testing. Waste disposal and  
14 decommissioning costs are in there, and our analysis  
15 was that overall they are pretty similar.

16 There are some advantages to the HEPA  
17 filters in terms of lower installation costs, lower  
18 decommissioning costs. Sand filters -- we're talking  
19 about a system here that may be, you know, a couple  
20 hundred feet by a couple hundred feet by, you know,  
21 eight to 10 feet deep. We're talking -- this is a  
22 fairly large piece of equipment. It would have some  
23 significant decommissioning costs if it was required  
24 eventually to totally dismantle that facility and  
25 dispose of the sand in a waste disposal area.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The sand filters do have lower maintenance  
2 costs because the sand filter is there for the life of  
3 the plant. You don't need to keep replacing and  
4 testing the individual filter units. And sand filters  
5 can withstand severe events like fires.

6           MEMBER KRESS: The particulate removal  
7 efficiency, does that apply to the most respirable  
8 size of the particulates?

9           MR. JOHNSON: There have been -- yes,  
10 there have been some tests on sand filters with the  
11 dioctyl phalate, DOP, tests. And they come out 99.8  
12 percent in a sand filter. A HEPA filter bank, when  
13 it's DOP tested in the field, would generate 99.95  
14 percent.

15           MEMBER KRESS: Yes. But my understanding  
16 was that for sand filters the part that went through  
17 was the respirable size, whereas the HEPA filters took  
18 out the relative percentage of all of the sizes. Is  
19 that not true?

20           MR. JOHNSON: Well, I think the bottom  
21 line is is that there -- the differences are slight  
22 between them in terms of, you know, all sizes of  
23 particles.

24           MEMBER KRESS: Okay.

25           CHAIRMAN POWERS: Yes. These are big sand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- these are serious sand filters.

2 MEMBER KRESS: Huge.

3 CHAIRMAN POWERS: And so you just -- just  
4 the interception component gets rid of that respirable  
5 fraction pretty well. I mean, I've always been  
6 impressed by them. And having endured the headaches  
7 of misaligned --

8 MEMBER KRESS: HEPAs?

9 CHAIRMAN POWERS: -- HEPA filters and  
10 testing and things like that --

11 MEMBER KRESS: It's hard to misalign a  
12 sand filter.

13 CHAIRMAN POWERS: Once you've got her  
14 built, she's good forever.

15 (Laughter.)

16 MR. JOHNSON: So as part of our  
17 environmental impact analysis, we are including a  
18 discussion of the use of sand filters as an  
19 alternative.

20 In summary, I've talked about the proposed  
21 confinement design. I talked about the issue  
22 regarding HEPA filter removal efficiency and also  
23 about how we're considering in the EIS the sand filter  
24 use. If you have any questions, I'll be happy to try  
25 to answer them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: One of the questions  
2 that comes up is we have a lot of redundancy on the  
3 fans for maintaining the pressure differentials.  
4 Redundancy and diversity are two different things, and  
5 so what -- I mean, how do we view this?

6 MR. JOHNSON: Well, I think we -- we view  
7 it in terms of the confinement systems as a whole,  
8 that it includes both physical barriers like  
9 gloveboxes, cell walls, confinement zones, as well as  
10 ventilation filtration. And, you know, the redundancy  
11 built into the ventilation system, you know, is a part  
12 of that. But diversity I think is achieved through  
13 the use of both static and dynamic confinement areas.

14 CHAIRMAN POWERS: So you're really putting  
15 ventilation and barriers on an equal footing here and  
16 saying, "Yes, there's diversity."

17 MR. JOHNSON: Right.

18 CHAIRMAN POWERS: Okay. Thank you.

19 MEMBER KRESS: The other issue that  
20 usually comes up about barriers is, how independent  
21 are they and how independent do they need to be? And  
22 the independence depends on the -- on things like  
23 bypass and loads and how well the fire can spread from  
24 one to the other. Have you looked at that part of it?

25 MR. JOHNSON: Well, I think the fire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 spread is a key area of the fire analysis, and it is  
2 something that Sharon is focusing on. And that's a  
3 basic assumption in the use of the HEPA filters here,  
4 and its overall integrity in the event of a fire  
5 event, because they are making the assumption that  
6 they can confine a fire to a specific fire area.

7 MEMBER BONACA: You characterize the four  
8 ventilation zones as independent. But it seems to me  
9 that the C4 and the C3, for example, were depending on  
10 the same intakes and exhausts. Are there still  
11 independences maintained there somehow?

12 MR. JOHNSON: Well, I guess I would look  
13 at them as somewhat independent in that they can be  
14 segregated, they can -- through damper systems, so  
15 that the -- the design goal here is that they will  
16 have fire dampers that would activate and seal off a  
17 fire area.

18 So in that situation, the rest of the  
19 system would still remain operational in the other  
20 areas where the fire doesn't spread to. But, again,  
21 the question of, can you adequately contain the fire  
22 into a fire area is a question that we're still  
23 looking at.

24 MEMBER BONACA: Yes.

25 CHAIRMAN POWERS: Any other questions?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Well, thank you.

2 MR. JOHNSON: Okay. Thank you very much.

3 CHAIRMAN POWERS: We are scheduled to take  
4 a lunch break and to resume at 1:15, and I can't  
5 change that resumption schedule.

6 I'd like to, at this intermediate stage,  
7 congratulate all the presenters on what I think have  
8 been so far outstanding presentations and hope that  
9 those after lunch can maintain this high standard  
10 here.

11 And with that, I'll recess this until  
12 1:15.

13 (Whereupon, at 11:53 a.m., the  
14 proceedings in the foregoing matter went  
15 off the record for a lunch break.)

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

(1:16 p.m.)

CHAIRMAN POWERS: Let's go back into session and continue our discussions of the MOX fuel fabrication facility. And I guess we're moving on to the electrical stuff.

MR. BURROWS: I'm Fred Burrows. I'm the electrical reviewer for MOX. I'm going to give a general overview of the electrical systems. It'll be using the viewgraph and also the slide projector, so bear with me.

CHAIRMAN POWERS: A multimedia presentation here.

MR. BURROWS: Yes, that's true.

This is a simplified one-line diagram of the MOX facility. It has two feeds from the Savannah River site. They are 13.8KV feeds. There are two transformers, one for each feed. They're 100 percent capacity. That is, they are capable of carrying all of the loads in the facility.

There are two 4KV buses. There are two 4KV emergency buses. There are also 480-volt load center buses. There are more than one; I've only shown one to make this slide simple. There is an automatic transfer scheme. If an offsite source

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should be lost, all of the loads on this bus will  
2 shift over to the opposite source following a time  
3 delay.

4 Also, the 480-volt buses here have cross-  
5 ties. They are manually controlled. They are used  
6 for maintenance.

7 If I could go back to the overhead.

8 MEMBER LEITCH: Just before you leave  
9 that, we have talked about the diesels a little bit.  
10 The standby diesels --

11 MR. BURROWS: Yes.

12 MEMBER LEITCH: -- normally supply the  
13 standby bus. In other words, can you tie the  
14 emergency diesel to the standby bus?

15 MR. BURROWS: No. I'll be working my way  
16 down to --

17 MEMBER LEITCH: Okay. Okay. I'll just  
18 hang on --

19 MR. BURROWS: I'm starting at the top.

20 MEMBER LEITCH: -- for a second. Okay.  
21 Good.

22 MR. BURROWS: All right. All right. I'm  
23 down to the last bullet. The normal AC system that I  
24 describe is designed to IEEE Standard 785 -- or 765.  
25 And it is a non-principal structure system component.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And I should say this is similar to what you'd find in  
2 a nuclear powerplant.

3 MEMBER KRESS: Is non-principal a  
4 category?

5 MR. BURROWS: Yes.

6 MEMBER KRESS: Or is that just a word?

7 MR. BURROWS: No, it's non-principal SSC.

8 MEMBER KRESS: There's different kinds of  
9 SSCs, principal and non-principal? Did I miss that  
10 earlier?

11 MR. BURROWS: Yes. If it's not a  
12 principal, it's a non-principal.

13 MEMBER KRESS: But it's still an SSC.

14 MR. BURROWS: No, it is --

15 MEMBER SHACK: I think it's like saying  
16 it's non-safety-related, if we were going to put it in  
17 -- you know, in reactor terms.

18 MR. BURROWS: It's non-Class 1E.

19 MEMBER SHACK: Yes, it's non-Class 1.

20 MEMBER KRESS: Non -- okay. That's the  
21 basic analog.

22 MEMBER SHACK: Okay. And principal is  
23 just what you think it is.

24 MEMBER KRESS: Okay.

25 MR. BURROWS: Okay. The next -- and I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want to talk about the standby AC system. It has two  
2 diesel generators. These each have redundant  
3 batteries for starting. Also, they are not shown in  
4 this diagram, but there are two 120-volt, 208-volt  
5 uninterruptable power supplies, which provide power  
6 for the control of the process.

7 These generators will start on the loss of  
8 a feed and the failure of the transfer to the other  
9 offsite source. And their purpose is to provide for  
10 safe shutdown of the facility and also a quick restart  
11 of production. And they are sized to carry one  
12 emergency bus that corresponds to their switch gear  
13 bus, and they are also sized to carry the shutdown  
14 loads associated with this bus. Not all of the loads;  
15 some of the loads are shed.

16 MEMBER SIEBER: What's the kilowatt output  
17 of the diesels?

18 MR. BURROWS: I'm not sure of that yet.  
19 I don't think that's been established. But I believe  
20 they are the same size as the emergency diesel  
21 generators, but that doesn't answer your question.

22 MEMBER SIEBER: No, it didn't.

23 (Laughter.)

24 It can't be too big if you use batteries  
25 to start it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BURROWS: Yes. Okay. Let's see, I'm  
2 now down to the last bullet on this slide. The  
3 standby AC system is designed to IEEE Standard 446,  
4 and, again, it is not a principal SSC. It is not  
5 Class 1E.

6 Now, moving on to the important stuff, the  
7 emergency AC system. That's this area down here.  
8 There are two separate redundant diesel generators.  
9 They also have redundant batteries for starting. They  
10 are, if I can use the term, Class 1E.

11 And there are also two 480-volt  
12 uninterruptable power supplies. Those are for the  
13 glovebox extraction fans. You saw a little bit of  
14 that with the ventilation system. There are two 120-  
15 volt uninterruptable power supplies, and they provide  
16 power for the principal SSCs in the I&C area. That is  
17 instrumentation and controls.

18 Now the diesel generators and these power  
19 supplies are there for the loss of all other sources.  
20 And they power -- the diesel generators provide power  
21 mainly to the principal SSCs, such as the  
22 depressurization exhaust fans. That's part of the  
23 ventilation system also.

24 As I said, they are Class 1E, so the whole  
25 emergency AC system is designed to Class 1E IEEE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 standards such as 308, 387, and they are a principal  
2 SSC.

3 Are there any questions?

4 Okay. Next slide.

5 Now we have the normal DC power system,  
6 two separate 125-volt batteries. Each has a charger.  
7 They provide breaker control and some DC loads in the  
8 plant. As a normal system, it's designed to 485 for  
9 battery sizing and 484 for the installation of the  
10 batteries. And they are designed as non-principal  
11 SSCs. That is, they are not Class 1E.

12 Then we get to the emergency DC system.  
13 This also has two separate redundant 125-volt  
14 batteries. They each have a charger, and they provide  
15 power for the emergency breakers. That is, the  
16 breakers that are needed for the emergency buses.  
17 They also provide emergency lighting, and they are  
18 also principal SSCs. They provide power to the loads  
19 that are principal SSCs.

20 They are designed as Class 1E DC systems  
21 to such standards as 946, 450, and 485. And they are  
22 designed as principal SSCs. That is, they are  
23 Class 1E.

24 Now, in summary, the whole electrical  
25 system is a robust design, as I showed. They have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 multiple AC sources, multiple systems. I believe that  
2 provides defense-in-depth -- multiple layers.

3 Specifically, the emergency AC and DC  
4 power systems are designed for redundancy and  
5 independence. No single failure vulnerability, have  
6 sufficient capacity and capability to carry the  
7 emergency loads. They will have quality assurance  
8 applied. Also, some of the IEEE standards provide for  
9 maintenance, and there will be an environmental  
10 qualification program to ensure they perform their  
11 function when required.

12 Now, the only issues I have are related to  
13 the specific standards and the associated Division I  
14 reg guides. As you know, the staff endorses IEEE  
15 standards. It's usually specific versions, a specific  
16 year. So DCS, the applicant, has used the latest  
17 standards, and the staff is somewhat behind in their  
18 endorsement.

19 So I am reviewing the differences with the  
20 help of DCS. We are having ongoing dialogue. They  
21 have also agreed to look at the Division I reg guides,  
22 and in some cases they are committing to the  
23 Division I reg guides.

24 Are there any questions?

25 MEMBER LEITCH: Could you get back to your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 single line again, please, Fred? I was just --

2 MR. BURROWS: Yes.

3 MEMBER LEITCH: I was just a little  
4 confused about the answer to the diesels. The  
5 emergency diesels can't backfeed through and pick up  
6 the main -- the normal bus?

7 MR. BURROWS: Oh, no. That's going to be  
8 separated from the switchgear, just carry the  
9 emergency loads.

10 MEMBER LEITCH: All right. So, in other  
11 words, if the emergency diesel breaker is closed, you  
12 won't be able to close one of those tiebreakers to the  
13 other bus?

14 MR. BURROWS: No. I mean, just these  
15 breakers.

16 MEMBER LEITCH: I'm just curious how that  
17 -- and maybe you don't have the details yet on how  
18 that interlock works.

19 MR. BURROWS: Yes. You wouldn't want to  
20 do that. There was a question when I was out of the  
21 room this morning about separation, electrical  
22 separation. You don't want to tie your emergency  
23 Class 1E stuff back to the non-1E stuff.

24 MEMBER LEITCH: Yes, I agree. I was just  
25 wondering how -- how that interlock is achieved. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guess you can't have those two breakers closed at the  
2 same time is about what it amounts to.

3 MR. BURROWS: Yes. I don't -- I don't  
4 know if they want -- they could do that, but I don't  
5 think they want to do that. I'm not sure they'll have  
6 interlocks to prevent it, but there may -- they may be  
7 designed with interlocks. I haven't seen that level  
8 of detail at this point. It's just --

9 MEMBER LEITCH: Yes. I mean, I think it  
10 should be interlocked so that it's impossible to do  
11 that, really. Otherwise, you compromise the  
12 independence of the two systems.

13 MR. BURROWS: Well, you know, yes. You  
14 know, sometimes, you know, for testing you have to  
15 parallel them to the offsite sources, and so there  
16 might be occasions when you want to do that to develop  
17 load and --

18 MEMBER LEITCH: But at any rate, that  
19 level of detail is not worked out yet.

20 MR. BURROWS: Yes. At this point, the  
21 review is focusing on the standards that they're  
22 using, not -- the applicant graciously used the IEEE  
23 standards from nuclear powerplants, which made my  
24 review very simple, somewhat simple. But, so it's  
25 pedigreed as -- similar to what you find in a nuclear

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 powerplant.

2                   Actually, I personally believe it's better  
3 than the powerplant, but -- than a nuclear powerplant,  
4 with certain features like standby diesel generators  
5 that start automatically and -- before you end up on  
6 your emergency diesels.

7                   MEMBER LEITCH:     Okay.     Do you know  
8 anything about the nature of those two 13KV lines?  
9 Are they aerial? How long are they? Those kinds of  
10 things.

11                   MR. BURROWS:   No. I don't know that at  
12 this point. I do know they are committing to be  
13 somewhat independent of each other, but I don't -- the  
14 independence is, you know, not to the point that  
15 they're going to commit to using separate right-of-  
16 ways. They're going to make sure one line, if it  
17 falls over, doesn't fall into the other. So you're  
18 going to get that type of limited separation.

19                   MEMBER LEITCH:   So it would not be on the  
20 same pole set.

21                   MR. BURROWS:   No. That's all discussed in  
22 IEEE 765. I won't go into GDC 17, but it's in that  
23 area.

24                   I believe this morning there was a  
25 question about separation. Somebody had a question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Right.

2 MR. BURROWS: One of the standards they  
3 are committed to was 384, along with we're looking at  
4 Reg. Guide 175. That's part of the ongoing dialogue,  
5 to home in on, what are the issues? Where do they get  
6 closer? Where do the cables get closer than what's  
7 permitted by the version of 384 that's endorsed by  
8 Reg. Guide 175?

9 Are there other questions?

10 MEMBER SIEBER: Could you give us examples  
11 of some of the emergency loads that might be carried  
12 by the emergency bus? What is the equipment that  
13 you're operating?

14 MR. BURROWS: Yes. From this morning's  
15 presentation by Tim Johnson, it's mostly the  
16 ventilation system, the fans.

17 MEMBER SIEBER: What about the pumps and  
18 things like that? Nothing?

19 MR. BURROWS: No, just mostly fans for the  
20 ventilation system.

21 MEMBER SIEBER: And what are the  
22 consequences if the fans don't operate?

23 MR. BURROWS: Well --

24 MEMBER SIEBER: A release? It looks like  
25 everything --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JOHNSON: Do you want me to try to  
2 answer that? If the fans don't operate, there's a  
3 chance the confinement systems won't work properly and  
4 you could get a release.

5 MEMBER SIEBER: Okay.

6 MR. BURROWS: You're going to lose that  
7 vacuum in your gloveboxes or your different  
8 confinement zones.

9 MR. GIITTER: Something that was kind of  
10 interesting, we were out at -- a group of us were out  
11 at Los Alamos last week, and about a year ago when  
12 they had the fire that threatened the facility they  
13 actually walked away. They shut the entire facility  
14 down, no power to the facility, and they walked away  
15 from it for two weeks.

16 They came back into it expecting, you  
17 know, some at least minor contamination, but they  
18 really didn't see any. So in that particular instance  
19 of just shutting down the facility, walking away from  
20 it, did not lead to widespread contamination at all.

21 MR. BURROWS: But, of course, this is --  
22 this is designed for spills, you know, event-type  
23 scenarios, upsets of things, you know, activities that  
24 could cause problems, releases, not just normal  
25 operation but emergency situations where you need that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 filtration system to work.

2 MEMBER SIEBER: Thank you.

3 CHAIRMAN POWERS: And the throughput  
4 through TA-55 is substantially smaller than this  
5 facility, I think.

6 MR. GIITTER: Yes, that's true.

7 CHAIRMAN POWERS: John, you're going to  
8 discuss I&C, huh?

9 MR. CALVERT: Yes, sir. My name is John  
10 Calvert. Fred and I work together actually on  
11 instrumentation and controls.

12 Next slide, please?

13 Today I want to give you an overview of  
14 the I&C systems and talk about the principal  
15 structures, systems, and components that we've been  
16 calling the PSSCs. They are the -- if you will, the  
17 safety-related systems. A little bit about the system  
18 architecture, the design bases, and then a summary.

19 Next slide, please?

20 This is -- shows you in a nutshell the  
21 four major systems in the MOX facility. MOX or --  
22 yes, MOX process control, AP control, utility control,  
23 and emergency control. Each one of those has a  
24 subsystem that's entitled normal, protective, and  
25 safe. And then the Xs show which is allocated to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those systems.

2 The PSSC is shown here as the -- in these  
3 two systems here, but there is also -- in the  
4 nomenclature that's used presently by the applicant,  
5 there are safety controllers that aren't necessarily  
6 PSSCs. The emergency control is a hard-wired system.  
7 It's all PSSC. And then I showed the various control  
8 rooms, which are manned according to the process.

9 There are six control rooms associated  
10 with MOX, one major control room associated with AP,  
11 and then there is -- utility control normally is in  
12 this control room in AP, and then there's an alternate  
13 control room.

14 Then, emergency control has two control  
15 rooms separate and redundant. And then there is one  
16 more control room for reagent processing, which I  
17 don't show. But the important thing here is that  
18 we've identified the PSSCs.

19 Next slide, please.

20 This is an overview of the system  
21 architecture for both the process -- it could be in  
22 the AP or MOX, but it will have this architecture.  
23 What it centers around is there is a normal controller  
24 that's programmed with the modular processing  
25 algorithm, and it is -- this is the main controller

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for that production step if you will.

2 Then, separate and independent is a safety  
3 controller that's looking at limits, and then we'll  
4 take action to mitigate any safety problem, or these  
5 safety problems.

6 In addition, there is a protection --  
7 personnel and equipment protection that's inside this  
8 MCC that is used for equipment, motors, and so forth,  
9 and for industrial safety of personnel.

10 CHAIRMAN POWERS: And what is an MCC  
11 again?

12 MR. CALVERT: Motor control center.  
13 Sorry.

14 CHAIRMAN POWERS: Motor control center.

15 MR. CALVERT: The normal process has its  
16 normal complement of sensors. Then, the normal  
17 controller controls to -- the motor control center  
18 controls the process actuator. This could be, you  
19 know, a motor, a valve, or whatever.

20 In addition, connected across this bus  
21 called the immediate control network are work  
22 stations. These work stations at this time are  
23 usually in the associated control room that this step  
24 -- this production step is associated with.

25 And this monitors the action of what's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happening down here, and the normal control center  
2 also sends and receives messages from the MMIS  
3 computer, which is the manufacturing, management, and  
4 information system. So that in some cases, for  
5 example, you -- they want to start a particular  
6 product module. The normal controller can't stand  
7 until it receives permissive information from MMIS.

8 Then, when it stops, it sends messages  
9 back to MMIS which says, "I'm done. You can proceed  
10 to the next step." The MMIS keeps track of the  
11 material inventory and the steps in performance. This  
12 little section in here in the MMIS concerns one part  
13 of the safety controller, and that is we are trying to  
14 find out from the licensee in detail how this will fit  
15 in with the IEEE standards that he has chosen. And we  
16 are -- so that's why that's there.

17 The manufacturing status computer is  
18 actually a mirror image of the MMIS, and this is where  
19 production sorts and production information and  
20 everything are taken out of. The MMIS, like I say, is  
21 taking information from the normal controllers, and it  
22 serves as a server for the terminals that are spaced  
23 at the various control rooms.

24 This is a diagnostic computer that  
25 receives information over the local -- local

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 industrial network this is called. And it has an  
2 independent program that figures out that the normal  
3 controller is in trouble or it's not performing the  
4 way it should.

5 And it's used as a diagnostic aid only for  
6 the operation staff. And this was added from the --  
7 the foreign facilities added this, which was an  
8 interesting choice.

9 So what happens is for each production  
10 step you can have a normal controller by itself or a  
11 normal safety controller by itself, depending on the  
12 -- what the process engineers desire. So these little  
13 dots here indicate different configurations, and this  
14 is one of the configurations showing just a normal  
15 controller by itself.

16 So this is designed such that these  
17 ethernet buses here -- ICN, LEN, and XTN -- are really  
18 not needed. This can control by itself. It's  
19 independent and almost autonomous. The safety  
20 controller is autonomous. Nobody touches it.

21 So that's the idea. Each production step,  
22 then, is broken up. And if one section fails, it will  
23 only be that one section, not the whole -- like  
24 sometimes they put in a whole massive computer, it  
25 fails, everything goes. So this is -- is designed for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 availability.

2 CHAIRMAN POWERS: You indicated that the  
3 manufacturing status device and the manufacturing --  
4 the MMIS were mirror images of each other. Can they  
5 send conflicting signals?

6 MR. CALVERT: At this time, we don't know  
7 that because we don't know the details. But if it's  
8 a non-primary or non-principal SSC, we'll ask those  
9 questions. But if they come up with conflicting  
10 answers, we'll have to solve it. It's not a safety  
11 situation. That's why we tried to identify the PSSCs.

12 But there are the interactions where the  
13 normal controlling -- there are interactions there  
14 which will -- that we look for that may cause a safety  
15 action to occur.

16 MEMBER SIEBER: Will the depth of your  
17 review include a line-by-line review of the software?

18 MR. CALVERT: For the primary -- for the  
19 principal SSCs.

20 MEMBER SIEBER: Okay.

21 MR. CALVERT: And the rest of the --

22 MEMBER SIEBER: Are they all the same?  
23 You know, all of these controllers and computers.

24 MR. CALVERT: Yes. Well, I'm not sure of  
25 the entire details. But the design is that the normal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 controllers are PLCs. They have a history of  
2 operation in the plants overseas. And also, the  
3 software -- the requirements for the software will  
4 have a background of actual operation.

5 And safety controllers will get a pretty  
6 thorough review. Normal controllers we'll be looking  
7 for -- that they satisfy the algorithms, that there's  
8 no chemical safety problems, and so forth, and that a  
9 normal failure will not cause one of these things to  
10 come into existence.

11 MEMBER SIEBER: Okay.

12 MR. CALVERT: Any other questions?

13 MEMBER LEITCH: Is there some kind of a  
14 manual override on the safety controller? Or once it  
15 intervenes, you can't do anything about it? I was a  
16 little confused. You said it was autonomous and I --

17 MR. CALVERT: It's autonomous in that it's  
18 -- it's looking at a set of parameters all by itself.  
19 When it senses the condition to take action, it  
20 overrides anything that's coming from the normal  
21 controller down to the process actuator and actually  
22 causes the process to stop.

23 If that doesn't work, the administrative  
24 control -- they go to -- the operators go to the  
25 emergency control center and actually shut off the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 power either to that module or whatever, like what  
2 happened in what Joe was talking about. You shutdown  
3 and leave.

4 MEMBER LEITCH: All right.

5 MEMBER SIEBER: Are the process sensors  
6 and the protection sensors two different sensors, or  
7 do you have --

8 MR. CALVERT: At this time, I --

9 MEMBER SIEBER: -- cases where one sensor  
10 would serve both functions?

11 MR. CALVERT: No. They are supposed to be  
12 separate and independent. Everything here that's  
13 cross-hatched, with the exception of MMIS, which we're  
14 investigating, is supposed to be separate and  
15 independent.

16 MEMBER SIEBER: Okay.

17 MR. CALVERT: Any other questions?

18 Okay. So that's the main architecture  
19 that will be used.

20 The second architecture is for utility  
21 control.

22 Next slide. Oh, there we are.

23 It has the same structure, except this one  
24 has two data communication networks. Here again, we  
25 have the normal safety controller arrangement. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now the safety controller, which is also independent,  
2 has independent, manual, and actually from safety work  
3 station. This is in a control room, and this is in a  
4 different location than this.

5 But, again, this is a non-principal SSC.  
6 But it has a redundant design. And so this is for  
7 utilities, you know, the gas, and so forth.

8 Next slide, please.

9 The emergency control is actually what  
10 we're used to looking at -- is separate, redundant,  
11 control centers, actually in separate rooms. And this  
12 has no -- these have no software involved at all. And  
13 their main -- this is where the operators will go to  
14 manually control the process, essentially to turn it  
15 off. So it has the same kind of structure, but it is  
16 separate and redundant.

17 Okay. The design bases at this time --  
18 the function of -- these are the safety control  
19 subsystems. These are the PSSCs. Again, here is the  
20 safety limits, can't be exceeded, and they are used to  
21 prevent or mitigate the undesirable conditions or  
22 events.

23 The design is -- what they've done since  
24 they've modularized everything -- this is the  
25 applicant -- they've chosen standards for the system

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 design, the programmable electronic system, and then,  
2 for software -- these are usually all the things for  
3 software. They've chosen IEEE specs. These are IEEE  
4 specs, the set points, independent separation,  
5 isolation, EMI, follow pretty much what we have in the  
6 reactor arena. The only tricky part in this is we  
7 have to check their application as applied to this  
8 kind of facility.

9 Again, here's the safety controller,  
10 single, separate, independent. And all of its  
11 interfaces with non-SSCs are isolated.

12 Here is the emergency control center or  
13 system. Again, its function -- and its design, again,  
14 is redundant, primarily manual control. This we have  
15 to work out with the applicant what that means. I  
16 think it comes in in the design phase where they might  
17 find something different.

18 And, again, they use appropriate standards  
19 from the reactor arena that are applied to this type  
20 of facility.

21 CHAIRMAN POWERS: They don't have  
22 standards of an appropriate nature coming out of the  
23 chemical process industry?

24 MR. CALVERT: The applicant has chosen to  
25 apply reactors. There are some in the chemical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 industry, yes, and I'm familiar with them and so is  
2 the applicant. But they've chosen the route of  
3 reactor -- actually, for us it's a better deal because  
4 we're quite familiar with those.

5 CHAIRMAN POWERS: Sure. Sure. But I'm  
6 just anxious that we're not missing something.

7 MR. CALVERT: That's been discussed, but,  
8 as I say, I and some of the other fellows have a  
9 little bit of background in that. We don't apply them  
10 in our industry, of course. But I have looked at them  
11 for -- part of my job is to look at other industries  
12 and see what's good.

13 CHAIRMAN POWERS: We have -- I mean, we  
14 have -- I think what you said, looking at the  
15 applicability issues, because you've got other -- a  
16 different environment here.

17 MR. CALVERT: Yes.

18 CHAIRMAN POWERS: You have a lot more  
19 chemical vapors that you have to worry about, and  
20 things like that.

21 MR. CALVERT: And that's -- I didn't  
22 mention that part of the -- in the I&C review, I have  
23 to work with the chemical process, the ventilation,  
24 everybody. And this comes in in the design stage,  
25 because actually the requirements that will hopefully

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be firmed up in the ISA actually become requirements  
2 of the design for those controllers.

3 So I have to make sure that those hazards  
4 and the mitigation of those hazards are actually in  
5 the software requirements and actually get done.

6 In summary, again, the appropriate  
7 standards are used. It's really the application  
8 trickiness of it. We have discussed this with the  
9 licensee and we're working that out.

10 The design basis commitments -- at this  
11 time, they are appropriate for a construction  
12 application. And then the allocation of safety  
13 controllers to the process modules for the PSSCs, what  
14 we would like -- and discussing it now -- is what PSSC  
15 goes with what process module, or what module of the  
16 process. So we can -- you know, we've got eight of  
17 these or four of them, or whatever. And then we can  
18 check back through the various other reviewers to see  
19 that that's correct.

20 So that ends my presentation. Are there  
21 any questions?

22 CHAIRMAN POWERS: Questions from the  
23 members? My off-hand reaction to this system is it's  
24 sufficiently complex that we may need some consulting  
25 help on this, examining this system. And I am writing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a note to that effect to the able cognizant engineer.

2 Thanks, John.

3 MR. CALVERT: Yes, sir.

4 CHAIRMAN POWERS: I guess we're moving now  
5 to the seismic discussion, a non-controversial area on  
6 the southern -- South Carolina area. We'll all become  
7 familiar with sand vents, and I think we ought to have  
8 a subcommittee meeting in Charleston, just so we get  
9 familiarity with the seismic issue.

10 MEMBER KRESS: I second that. I second  
11 that.

12 MR. STAMATOKOS: What's the easiest for  
13 me? Do you want me to sit and talk or --

14 CHAIRMAN POWERS: Whatever is easiest with  
15 you. You have the option of sitting or standing.  
16 It's just you have to be next to a microphone. That's  
17 the one requirement or our extremely competent and  
18 charming reporter will be on your case. And you don't  
19 want that to happen to you.

20 MR. STAMATOKOS: Well, my name is John  
21 Stamatokos. I work at the Center for Nuclear Waste  
22 Regulatory Analysis in San Antonio. And our task is  
23 to evaluate the seismic hazards among other parts of  
24 this particular project.

25 The bottom line I think of the applicant's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approach to the seismic, as you'll see, is that they  
2 have chosen to use Reg. Guide 160 design spectrum  
3 anchored at .2G, which is similar to a nearby nuclear  
4 facility. And their whole analysis in their  
5 construction authorization request is developed to try  
6 to support that as an appropriate and safe level  
7 ground motion.

8 So what we're evaluating is sort of their  
9 technical basis for choosing the design spectrum that  
10 they have. So what I'm going to walk you through in  
11 this talk is just some of the things that they've done  
12 in support of that and some of the things that we've  
13 talked about with them in our preliminary part of the  
14 review.

15 Go to the next slide.

16 So the history of the seismic evaluation  
17 at Savannah River has gone on for a long time.  
18 There's a long history of the evaluation. The  
19 approach that was taken by the applicant was to first  
20 develop a probabilistic seismic hazard assessment,  
21 generic for the entire Savannah River site.

22 The way that that was done was by using  
23 existing probabilistic seismic hazard results from  
24 Lawrence Livermore and EPRI. They've averaged those  
25 two to develop a better hazard spectrum. They

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 established, then, a design basis earthquake, and in  
2 doing so they were implementing Standard -- DOE  
3 Standard 1023, which is quite similar to NRC guidance  
4 Reg. Guide 1.165.

5 DOE uses -- also uses a standard now in  
6 their probabilistic seismic assessments of DOE  
7 Standard 1020, which sets -- it's a graded approach.  
8 It sets five performance goals, PC0 through PC4, and  
9 in this particular instance we are -- they are most  
10 interested in the highest levels, PC3 and PC4.

11 PC3 standards are essentially for nuclear  
12 fuel-type storage facilities, those kinds of  
13 facilities. PC4, which is the highest, are  
14 established for reactor-type facilities. And the  
15 input return periods for those are 2,000 and 10,000  
16 years.

17 Okay. Next slide.

18 MEMBER KRESS: Did you say you averaged  
19 the LL -- the Lawrence Livermore and the EPRI?

20 MR. STAMATOKOS: Yes, they averaged them  
21 together to get a composite.

22 MEMBER KRESS: To come up with a new  
23 composite?

24 MR. STAMATOKOS: Right. Yes. It's sort  
25 of intermediate between the end member --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: That was very interesting.

2 MR. STAMATOKOS: Diplomatic. The other  
3 thing they did, and they've -- they performed a lot of  
4 checks along the way. One of the things they did was  
5 what they called their historical earthquake check.  
6 In this case, they are using the Charleston 1886  
7 earthquake, which is a magnitude 7.2 earthquake, at a  
8 distance of approximately 120 kilometers from the  
9 site.

10 So there was the -- the approximate  
11 location of the Charleston earthquake, an approximate  
12 surface magnitude of 7.2. We don't, obviously, know  
13 the exact magnitude of that.

14 So they then filtered this information in  
15 to make sure that the design spectrum they were going  
16 to ultimately use will envelope that ground motion  
17 from the Charleston earthquake.

18 Next slide?

19 The other half, once they've developed  
20 these input rock ground motion, probabilistic seismic  
21 ground motions, is that they did a study of the site  
22 response. And, again, like the other one, this is  
23 sort of a two-part approach.

24 They used the ground motion attenuation  
25 models to generate what they call the site-specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PSHA, and then they used the extensive soil data they  
2 had to develop the soil profiles in order to bring  
3 those ground motions from the bedrock up to the soil  
4 surface.

5 And the way that they did that was to  
6 develop some amplification functions which would scale  
7 the uniform hazard spectrum bedrock to the soil  
8 surface. But they also developed an alternative  
9 methodology, looking at amplification functions as a  
10 way to test to make sure that their approach was  
11 conservative. This is an approach developed by  
12 Cornell, and I can't remember the other author's  
13 names, but it's basically to perform a check of the  
14 scaling they used for the amplifications.

15 And then they said in their soil stability  
16 analysis what they're going to do is use their bedrock  
17 PC3 ground motions and scale those to the surface, so  
18 that the PGA is at .2G.

19 Next slide, please.

20 MEMBER SIEBER: Do you use actual borings  
21 from the actual location of the plant?

22 MR. STAMATOKOS: Yes, they have both a  
23 site-wide soil response model, and they have some  
24 site-specific information which they used to show that  
25 the site-wide model is appropriate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER SIEBER: So you are comfortable  
2 that there won't be a soil liquification --

3           MR. STAMATOKOS: Well, I haven't talked  
4 about liquefaction in this particular topic. Yes, but  
5 we're pretty confident that that is also handled in  
6 the application.

7           So this is the -- this diagram, which  
8 didn't come out as clear as I had hoped on the slide,  
9 but anyway, this is the design spectrum that they're  
10 going to use. What they're showing you here is that  
11 PC4 and PC3 spectrum, so this would be the 10,000  
12 year, this is the 2,000 year. Theirs is -- this is  
13 the 160 spectrum anchored at .2G.

14           And as I said, they tied this to Reg.  
15 Guide 160. The resulting spectrum that they're using  
16 they say is quite comparable to what's used at the  
17 nearby nuclear powerplant. The only differences are  
18 at the -- there are some very low frequencies. The  
19 frequencies of interest in the facility are probably  
20 in this range, but I'll let the engineers address  
21 that.

22           And then the final point is that the --  
23 these were all done for the horizontal spectrum, and  
24 for the vertical spectrum they originally started with  
25 using the sort of traditional two-thirds horizontal,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but they decided that wasn't conservative enough, and  
2 so they went back and they're using the vertical  
3 spectrum also from Reg. Guide 160 anchored at .2G PGA.

4 CHAIRMAN POWERS: That's interesting.

5 MR. STAMATOKOS: Next slide.

6 So our evaluations, which have been talked  
7 about with -- in our preliminary RAI and in the  
8 meeting with them in South Carolina -- have to do with  
9 the use simply of the Lawrence Livermore and EPRI  
10 hazards and whether or not there is any need to  
11 consider updating those or modifying those slightly to  
12 consider a closer source for the Charleston  
13 earthquake.

14 There are some differences between what  
15 has been produced for this site and what the USGS --  
16 that's the national earthquake hazard reduction  
17 program has predicted, and that -- those differences,  
18 the USGS -- the NEHRP results are a little bit higher  
19 has to do with just how some of the attenuation models  
20 are scaled. And that was a question that was raised  
21 at that meeting, and we're looking forward to seeing  
22 how they might modify to incorporate the additional  
23 attenuation models.

24 And, of course, we're looking at the site  
25 response information and, in particular, the sort of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interesting way that they're checking their site  
2 response with the alternative method that was proposed  
3 by Cornell.

4 So that's a very quick summary of the  
5 seismic assessment, and I'll be glad to take some  
6 questions.

7 CHAIRMAN POWERS: Any other questions on  
8 this particular area? I bet we get to visit this  
9 again.

10 (Laughter.)

11 MR. STAMATOKOS: I think so, too. Yes.

12 CHAIRMAN POWERS: I mean, this issue of  
13 closer sources is one that's been around for as long  
14 as I've been going to Savannah River. And it would be  
15 interesting to see how that gets resolved. The other  
16 question, of course, is the bedrock to soil transfers  
17 and how they do that.

18 Fine. Fair enough.

19 MEMBER SIEBER: Just are there differences  
20 when they do the two amplification models?

21 MR. STAMATOKOS: There are some slight  
22 differences, and they show that the one that they're  
23 using is a higher motion than the --

24 MEMBER SIEBER: The Cornell model.

25 MR. STAMATOKOS: That's right. So they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 justify it by saying, "We did this check, and we still  
2 feel that by anchoring at .2 and using the 160 that we  
3 essentially envelope what a specific hazard would tell  
4 us."

5 MEMBER SIEBER: Did they compute the  
6 G-forces using separately EPRI and Lawrence Livermore  
7 data?

8 MR. STAMATOKOS: No.

9 MEMBER SIEBER: Okay. So this means that  
10 that choice of averaging is -- makes it non-bounding.

11 MR. STAMATOKOS: In that sense, yes. If  
12 you would just use -- certainly, if you'd use the  
13 Lawrence Livermore, you'd get higher values.

14 MEMBER SIEBER: That's right.

15 MR. STAMATOKOS: But I --

16 MEMBER SIEBER: I'm just wondering if  
17 that's significant or not because --

18 MR. STAMATOKOS: I don't think so. I  
19 think that -- I think that the choice of giving them  
20 equal weight actually is -- is -- you know, at least  
21 it gives deference to all of the information that's  
22 out there.

23 MEMBER SIEBER: Both of them are just  
24 opinions anyway.

25 MR. STAMATOKOS: That's right. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right. I think that the proof comes in this  
2 historical check. I mean, you know, if you take --  
3 you know, and that's where this controversy about  
4 where you place the Charleston earthquake is  
5 important.

6 MEMBER SIEBER: Okay. Thank you.

7 CHAIRMAN POWERS: On my agenda, I have  
8 physical security. Is -- oh, no, I'm sorry. Material  
9 control and accountability.

10 MR. PHAM: Good afternoon. My name is Tom  
11 Pham. I am the reviewer in the material control and  
12 accounting, MC&A, area. As you know, complementary to  
13 the physical protection aspect, MC&A is a part of the  
14 overall safeguard program for the applicant.

15 The basic regulatory requirements for the  
16 MOX MC&A program consists of the MC&A regulation  
17 contained in 10 CFR Part 74, subpart A, paragraphs 51  
18 through 59. This put the applicant into what we call  
19 a Category 1 facility, which requires the most  
20 stringent requirements in MC&A.

21 Along with the regulations, the applicant  
22 needs to submit a so-called fundamental nuclear  
23 material control plan, FNMCP, following the guideline  
24 for how NUREG guidance document 1280. And this plan  
25 is being prepared by DCS following our NUREG

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guideline, and it will be submitted to us with the  
2 operation license application stage.

3 In the construction authorization  
4 application, and also in two different meetings in  
5 December 1999 and March 2001, DCS staff presented to  
6 the NRC and -- in the CAR application DCS committed to  
7 provide to us the FNMC plan consistent with the NUREG-  
8 1280 and also provide us the overall approach and  
9 different physical aspects of various MC&A elements,  
10 including the process monitoring, the program item  
11 monitoring, the receipt measurement, measurement  
12 system, and how to control the measurement, and also  
13 about the annual inventory, physical inventory.

14 And the overall aspect is it depends on  
15 the current expected highly automated control process  
16 and manufacturing features.

17 CHAIRMAN POWERS: Do they give you a  
18 feeling for the kind of MOF that they're going to  
19 have, the materials that they just miss in this -- in  
20 their monitoring process? I mean, do they have a  
21 target for that or anything that --

22 MR. PHAM: Yes. They -- it's -- I can  
23 give you an overall description. I cannot give you  
24 into detail a description they provide to us. For the  
25 process monitoring, the program is designed to detect

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some material in case they -- if that happened.  
2 That's the main idea for the NRC to ask to require  
3 that process monitoring.

4 And in two different stages, process  
5 stages, the first one, the aqueous polishing, they  
6 want to divide that process in some subdivisions, some  
7 subunit. And in those subunits, they are going to set  
8 up a certain control limit and monitor that through  
9 different material control tests to detect any  
10 potential material lost during three-day or seven-day  
11 tests, depending on the characteristic of the time of  
12 the material getting involved.

13 And after that process goes through the  
14 material -- the MOX process, the fuel process, they  
15 also divide, depending on the type of material and the  
16 stages, into more subdivisions. And its subunits that  
17 -- they have to set up also the same thing, different  
18 control, material control limits and material control  
19 tests, three-day or seven-day, and also those things  
20 combine to trigger in case they have some kind of  
21 alarm or material loss. So it's in there.

22 MEMBER SHACK: Well, I think Dana was  
23 asking whether it was some sort of specific kind of  
24 tolerance that they would -- you know, they would  
25 track the -- to plus or minus X grams.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PHAM: Right now, they do not provide  
2 to us those specific numbers. Like, for example, we  
3 don't know exactly right now the applicant wants to  
4 put in one batch -- for example, a batch of material,  
5 10 kilograms or five kilograms or 20 kilograms. It  
6 depends on -- later on, during the operations stage,  
7 depending on that quantity of material, that's what  
8 you need to use your statistical calculation to come  
9 up with the control limit.

10 At that stage, the staff had to look at  
11 that -- how much is the input and what is -- if the  
12 control limit is appropriate for that material  
13 quantity. And what is the input? What is the output?  
14 What is the process different to calculate it to see  
15 that it is okay?

16 And even after setting those control  
17 limits, the applicant is still allowed to -- to do  
18 that for a certain period of time to get some  
19 experience and modify their control limit to make sure  
20 everything is running smoothly, how many alarms, how  
21 many -- yes, how many alarms has happened during a  
22 certain period of time. And you have to adjust that  
23 and control that.

24 But right now, at this stage, they come up  
25 with some information about the design basis to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that, but not a specific number or even more detail  
2 how they do that in the future.

3 MEMBER KRESS: Is this different than the  
4 way it's been done in the past?

5 MR. PHAM: No. This is the normal  
6 operation process the other NRC licensed facilities  
7 are doing, like we have -- right now, we have two  
8 Category 1 facilities, nuclear fuel -- BWXT down in  
9 Lynchburg doing that. And my understanding is the  
10 contractor for writing the fundamental nuclear  
11 material control for the DCS, they are using the  
12 licensee, the NRC licensee people from NFS and other  
13 consultants working in the past have experience in  
14 Cat. 1 facilities.

15 So we feel like they use the right people,  
16 they use the knowledgeable people, experienced people,  
17 to do that. And how Cat. 2 facilities -- they run  
18 that for many years in 1980s when we first proposed or  
19 when we first put into the regulations for a Cat. 1  
20 facility like the process monitoring program. We put  
21 that back in 1985, and those people have experience to  
22 do that.

23 MEMBER KRESS: Yes. But I thought that  
24 part of that experience was that the plus or minus  
25 that Dana is talking about, if you integrated it over

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a number of years, it would come out to be a  
2 substantial quantity. And that's what I think Dana  
3 was getting at.

4 I don't know what that quantity is, but I  
5 just wondered if they are doing better here or not.  
6 Just a comment for you to think about.

7 CHAIRMAN POWERS: I mean, it's -- this is  
8 a highly visible program internationally. And losing,  
9 you know, 80 kilograms of material is probably not a  
10 real good idea.

11 MEMBER KRESS: Not a good idea.

12 (Laughter.)

13 And your system has to be set up to be  
14 sensitive at that level.

15 CHAIRMAN POWERS: I mean, it seems like  
16 it's a particularly challenging design element, that  
17 you'd want some -- I mean, it seems to me that you'd  
18 want some pretty specific considerations of it at the  
19 design stage, because it's -- it's been a problem in  
20 all of our facilities.

21 MEMBER KRESS: It's basically a  
22 measurement error and statistics problem that can be  
23 dealt with.

24 CHAIRMAN POWERS: Well, there is also the  
25 -- I mean, most of the wayward material is actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just holed up in the system.

2 MEMBER KRESS: Yes, that's the other part  
3 of it. Where does it get --

4 CHAIRMAN POWERS: You've got to convince  
5 people that that's the case, and trying to do it after  
6 the fact, after the system has been designed and what  
7 not, is a chore.

8 MEMBER KRESS: Yes, particularly when  
9 you're dealing with powder and liquified systems you  
10 get that problem.

11 CHAIRMAN POWERS: And these, of course,  
12 are powders that are particularly obnoxious because  
13 they tend to distribute themselves uniformly over any  
14 surface that they encounter.

15 MEMBER KRESS: They get electrified.

16 CHAIRMAN POWERS: Yes.

17 MEMBER KRESS: Anyway, that's --

18 MEMBER SHACK: The good news is you can  
19 make the measurements of what goes in and what comes  
20 out precisely.

21 MEMBER KRESS: Yes. You can do that --

22 CHAIRMAN POWERS: Yes. But the trouble  
23 is, they're not going to be the same number.

24 (Laughter.)

25 MEMBER KRESS: You can do that for --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Well, you don't want to  
2 be too glib about that. It becomes increasingly  
3 difficult as you move down this processing line. What  
4 comes in you'll know pretty well.

5 MR. PHAM: At this stage, the staff found  
6 that the overall approach and the physical aspects of  
7 the DCS MC&A design basis, that they are adequate.  
8 And we have no outstanding issue in this stage, and we  
9 expect to conduct further review when DCS submits the  
10 MC&A plan at the operations stage.

11 And that concludes my presentation on the  
12 MC&A.

13 CHAIRMAN POWERS: Any other questions on  
14 this? Okay. I think now we can move to physical  
15 security.

16 MEMBER KRESS: Is this in closed session  
17 or not?

18 CHAIRMAN POWERS: No. I think this is  
19 general.

20 Are they different from these?

21 MS. FRAGOYANNIS: Yes.

22 CHAIRMAN POWERS: Now, this is Mike  
23 Warren, who has metamorphosed some.

24 (Laughter.)

25 MS. FRAGOYANNIS: You've got new slides

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that are coming around.

2 MEMBER KRESS: These are different than  
3 the ones we have?

4 MS. FRAGOYANNIS: Yes. Disregard the one  
5 that you have in your packet, since we have one coming  
6 through.

7 CHAIRMAN POWERS: We've got lots of  
8 slides.

9 MS. FRAGOYANNIS: Okay.

10 CHAIRMAN POWERS: We're up to date here.

11 MS. FRAGOYANNIS: Okay. You're up to  
12 date. All right.

13 CHAIRMAN POWERS: You can't get ahead of  
14 us.

15 MEMBER KRESS: One package has not arrived  
16 I guess.

17 MS. FRAGOYANNIS: Oh, okay. Well, we'll  
18 start. My name is Nancy Fragoyannis. I'm a physical  
19 protection specialist here at the NRC, and I do want  
20 to mention before I get into my presentation that  
21 discussions and reviews of physical protection were  
22 made prior to September 11th.

23 As a result of the events of  
24 September 11th, the NRC is conducting a top to bottom  
25 review of physical protection regulations, including

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the design basis threat. That is an ongoing process,  
2 and we're communicating frequently with other agencies  
3 throughout the government.

4 So what we'll be discussing today is pre-  
5 9/11, and many of these may change. So what I'm going  
6 to do is I'm just going to give you a quick overview  
7 of the process that we went through and just some of  
8 the security measures that we would have implemented  
9 at the time.

10 What we're doing in the physical  
11 protection is -- the goal is to protect nuclear  
12 material or facilities from unauthorized removal of  
13 nuclear material and sabotage. The safeguards  
14 approach that we use in order to protect our  
15 facilities is, first, a graded approach, and that's  
16 dependent on the type of material, the significance of  
17 the material.

18 Then we incorporate a defense-in-depth  
19 strategy, which will include multiple barriers which  
20 could be physical barriers such as fences, reinforced  
21 walls, or even protective forces. Various alarms,  
22 whether they're internal or external.

23 Can you hear me okay when I back up?  
24 Okay.

25 Communications, onsite and offsite, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 response. And regarding response, you will have  
2 immediate response by your licensees and then  
3 reinforced response through local law enforcement and  
4 the Federal Bureau of Investigations.

5 NRC provided DCS with a detailed SRP and  
6 other documents to help in their -- to assist, excuse  
7 me, in the physical protection design. DCS, in turn,  
8 provided us a comprehensive briefing on protection  
9 strategies and designs that they would incorporate in  
10 the facility. That included defensive strategies,  
11 location of their guards, wall structure, types of  
12 walls, thicknesses of their MMAs in vault areas, and  
13 they also discuss the modeling tools they use for  
14 vulnerability assessment, which will help in worst-  
15 case scenario and as well as response force.

16 The NRC will review a physical protection  
17 training and qualifications and contingency plan --  
18 will review that to make sure that they do meet the  
19 intent of our regulations, as well as do an onsite  
20 review.

21 MEMBER KRESS: Will these measures be  
22 tested routinely by --

23 MS. FRAGOYANNIS: Well, there are  
24 requirements to test measures, yes. Your protective  
25 force will be tested routinely through various force-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on-force exercises throughout the course of the year.  
2 There are a certain number that you have to do, yes.

3 I'm just going to go over a number of  
4 measures. This is not all inclusive. And this first  
5 group is more physical protection measures that you  
6 would incorporate at the site. First, is your dual  
7 perimeter fences that have an isolation zone. And  
8 there is where our PIDAS -- our perimeter intrusion  
9 detection and assessment system is incorporated, where  
10 we will have alarms, CCTV coverage, adequate  
11 illumination to provide detection and assessment for  
12 the protective force.

13 MEMBER KRESS: Are there specifications on  
14 what the fence has to be?

15 MS. FRAGOYANNIS: There are certain  
16 specifications at this time, and we don't know if that  
17 will change. But there are specifications, and the  
18 type of alarm system that has to be tested, routinely  
19 tested for operational and effectiveness testing. So  
20 there are a number of those that will be incorporated.

21 We have a hardened central alarm station  
22 that will be manned 24 hours a day with another  
23 independent, secondary alarm station in the event of  
24 an emergency. Volumetric alarms in unoccupied areas  
25 for quick type of detection and then an assessment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 On the next --

2 MEMBER SIEBER: I presume the CAS will  
3 have its own emergency diesel generator?

4 MS. FRAGOYANNIS: It will have -- if I'm  
5 correct, I believe it does. Yes, it does. It will be  
6 independent, yes. So it will be a stand-alone  
7 redundant system at the SAS also.

8 MEMBER SIEBER: All right.

9 MS. FRAGOYANNIS: These are some other  
10 measures, not physical in itself, but more operational  
11 measures. There will be access control points in  
12 which contraband will be screened, firearms,  
13 explosives, and other contraband deemed at the site.

14 There will be also exit searches for  
15 special nuclear material coming out of the facility.  
16 The MAAs will be locked and alarmed, and there will be  
17 access control in those areas, limited control areas  
18 also, so they won't allow anybody into the material  
19 access area. HEU and PU will be stored in vaults.

20 Here we talk quickly about protective  
21 local police response force, but on the next page I  
22 get into a little more about the armed response.  
23 There will be armed security force onsite provided by  
24 the Savannah River site. They will have  
25 qualifications and training for site members. They're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to have a special tactical response team,  
2 special response team for DOE, who are more like their  
3 SWAT members, and they will have special training and  
4 qualifications.

5 There will be performance evaluations  
6 conducted on the protective force. It could be in  
7 writing. It could be test-taking as well as firearms  
8 training and other response training. And then we'll  
9 have multiple offsite communications, actually onsite  
10 and offsite, but in that case --

11 And then these are some other measures  
12 that we're going to also incorporate, and we want to  
13 protect against internal conspiracies, possibly put  
14 CCTVs at locations, two-man rule, MC&A controls,  
15 additional searches, maybe a -- I believe it was a  
16 two-guard search or two searches going out, so no  
17 nuclear material will be removed.

18 They will have a personal screening  
19 program, the fitness for duty and access  
20 authorization, and full-field background  
21 investigations will be conducted if the government --

22 MEMBER KRESS: Does that include drug  
23 testing?

24 MS. FRAGOYANNIS: I'm sorry. Drug testing  
25 -- I believe fitness for duty is drug testing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And just a quick overall summary. It is  
2           on the Savannah River site, the DOE reservation, the  
3           MOX facility will be located. They will be protected  
4           by the Savannah River site guard force.

5           In January of this year, NRC traveled to  
6           Savannah River site to meet with DOE security  
7           management and discuss onsite security. At that time,  
8           they had the opportunity to observe two force-on-force  
9           exercises conducted by the protective force. NRC  
10          staff was very pleased with the results, which help  
11          reinforce that we think that the Savannah River site  
12          and DCS will be able to provide the level of  
13          protection needed for the MOX facility. And as we  
14          indicated, they had two force-on-force exercises  
15          there.

16          I must add that the MOX facility, in  
17          addition to meeting NRC regulations, will also have to  
18          meet certain DOE landlord requirements. Thus, it may  
19          go over the NRC regulations and requirements.

20          And we feel that the security prior to  
21          9/11 and the discussions we had and some of the  
22          documents we reviewed will protect the public health  
23          and safety. And, again, after 9/11, that will all  
24          have to be reviewed again.

25                           CHAIRMAN POWERS: Stay tuned.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. FRAGOYANNIS: Yes.

2 (Laughter.)

3 CHAIRMAN POWERS: None of us know exactly  
4 what that one will be.

5 MS. FRAGOYANNIS: Well, time will tell on  
6 that.

7 MEMBER SIEBER: Your personnel screening  
8 program, I presume that the screening that's done will  
9 be at a higher level than it would be for powerplant  
10 workers.

11 MS. FRAGOYANNIS: Well, it would be for  
12 the Category 1 facilities.

13 MEMBER SIEBER: Okay.

14 MS. FRAGOYANNIS: Yes. Yes.

15 MEMBER SIEBER: So it's equivalent to  
16 the TQ?

17 MS. FRAGOYANNIS: It's different than your  
18 power reactors, yes. They will get background  
19 investigations where they have access to classified  
20 material, yes.

21 MEMBER KRESS: What do you do about  
22 offsite contractors that come in occasionally to do  
23 maintenance and things? Are they --

24 MS. FRAGOYANNIS: We haven't really gotten  
25 to that point yet where we've discussed -- do you mean

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 escort requirements?

2 MEMBER KRESS: Yes.

3 MS. FRAGOYANNIS: I don't think we've  
4 gotten to that point where there's like one to five or  
5 one to three. I don't know. We haven't gotten there  
6 yet. I can't answer that.

7 MEMBER SIEBER: But they will be escorted  
8 just like in a powerplant.

9 MEMBER KRESS: Oh, yes.

10 MS. FRAGOYANNIS: They will be escorted,  
11 but I can't tell you the number of escorts per onsite  
12 contractor, independent --

13 MEMBER SIEBER: I take it there is not yet  
14 a physical security plan by the applicant nor a TQ  
15 plan?

16 MS. FRAGOYANNIS: I can't answer that.  
17 I'm sorry. I don't know that.

18 MEMBER SIEBER: Oh, okay.

19 MS. FRAGOYANNIS: We had a very thorough  
20 briefing provided to us because it's a classified  
21 briefing, and they went through what they plan on  
22 doing for physical protection. And that was provided  
23 to us. I apologize. I'm not the main person on the  
24 MOX project, so I -- I've been involved in it, but I  
25 don't know if there's a specific plan that has come

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in.

2 MEMBER SIEBER: But NRC approval is  
3 usually based on --

4 MS. FRAGOYANNIS: Oh, yes, I'm sorry. It  
5 will be based on a plan, and we will review that plan  
6 and then do an onsite verification, yes.

7 MEMBER SIEBER: Okay.

8 MS. FRAGOYANNIS: Sorry.

9 Any other questions? I'm sure you'll have  
10 more for me --

11 CHAIRMAN POWERS: Well, I guess -- you  
12 know, I sit here saying -- I'm picturing the site.

13 MS. FRAGOYANNIS: Okay.

14 CHAIRMAN POWERS: And I'm saying, okay,  
15 I've got Savannah River, and then I have this new  
16 operational entity operating in there. And at the  
17 gates, and what not, it has its own people. And then  
18 -- but then there's this other layer out there, and  
19 I'm saying, what goes wrong in the interface between  
20 the two?

21 MS. FRAGOYANNIS: Well, the goal -- it's  
22 going to be the -- are you talking about the  
23 protective force itself? The protective force will be  
24 from Savannah River. They will augment their current  
25 forces in order to be able to protect the new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facility, and there will definitely be coordination  
2 between the sites out there, because you've got the --  
3 it's a very large reservation. I don't know the exact  
4 size of the reservation, but they've got a number of  
5 buildings. This will be a separate protected area.

6 MEMBER KRESS: It had design basis threats  
7 that you've already identified prior to --

8 MS. FRAGOYANNIS: Pre-9/11, yes. We had  
9 the design basis threat pre-9/11, and -- but we don't  
10 know what changes will be made. And, of course, we'll  
11 have to incorporate that in the security plan. But  
12 those were discussed prior to.

13 MEMBER SIEBER: If you want a description  
14 of that, that's in the first set of slides you got.

15 (Laughter.)

16 MS. FRAGOYANNIS: I wanted to avoid that.

17 (Laughter.)

18 That's an unclassified version which --  
19 what you have there, it just gives you a -- just a  
20 quick synopsis of what the DBT was prior to 9/11.

21 CHAIRMAN POWERS: Okay. Any other  
22 questions? Thank you.

23 MS. FRAGOYANNIS: Thank you.

24 CHAIRMAN POWERS: We'll come now to a  
25 summation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PERSINKO: Thank you. At the outset,  
2 we said we were here to tell you a little bit of  
3 information about a lot of areas, and I think we did  
4 that. And, in fact, in some areas we --

5 CHAIRMAN POWERS: You did very well, too,  
6 by the way. I am very --

7 MR. PERSINKO: Well, thank you.

8 CHAIRMAN POWERS: -- impressed with the  
9 amount of information you were able to pack in.

10 MR. PERSINKO: And I was going to say, and  
11 maybe in some cases we gave you a lot of information.  
12 But even though we did that, there are still areas we  
13 did not discuss with you, for example, quality  
14 assurance, human factors, wind and tornadoes,  
15 structural criteria, heavy load, control of heavy  
16 loads, material handling, fluid systems.

17 So there are still a number of areas that  
18 we have not discussed, primarily due to time  
19 limitations. We'd be happy to discuss any of these  
20 areas with the committee. We'd also be happy to come  
21 back and talk to you about any of the areas we spoke  
22 today about in more detail.

23 And one thing we would seek from the  
24 committee is feedback. We are in the process of doing  
25 our review. We're well along in our review, and we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would appreciate feedback from the committee,  
2 preferably in the form of a letter, so that we know  
3 whether we are moving in the right direction or  
4 whether there are areas that we should be doing  
5 differently or items we should be considering  
6 differently.

7 But this is a good stage that we get the  
8 feedback, because our schedule, as I showed you at the  
9 outset, was to issue a draft SER in April. So we can  
10 make mid-course corrections right now.

11 And with that, that concludes the staff's  
12 presentation.

13 CHAIRMAN POWERS: Now, your schedule is  
14 for April. What I want to do is try to schedule  
15 things with the full committee. I know right now that  
16 they will shoot me dead if I try to get something in  
17 on the February meeting. So it strikes me as March is  
18 the earliest we can.

19 What I would propose doing, then, is  
20 sometime after the first of the year getting together  
21 with you and discussing the areas that I think you  
22 should bring up in a meeting to the full committee,  
23 because it's only the full committee that can produce  
24 a letter. And it will be the areas -- it's going to  
25 be difficult.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm going to pick the areas that I think  
2 we have the most questions about, so that you're not  
3 going to get to put your best foot forward. Okay?

4 (Laughter.)

5 Because I want to concentrate on that,  
6 because I want to get feedback on the areas that --  
7 where we might have comments about what you're doing.  
8 And I will do that with you sometime after the first  
9 of the year, once I can get us a slot on the schedule,  
10 which is a bit jammed right now with power uprates and  
11 license renewals coming in at prodigious rates. We're  
12 just getting booked. That's the problem.

13 But I -- we'll have to strategize exactly  
14 how we want to present that. And some of the  
15 materials I think can be presented in a summary  
16 fashion, and some areas we will want to go into  
17 detail. In the meantime, I am going to ask that the  
18 Fire Protection Subcommittee take over looking at the  
19 fire protection aspects of this rather than the Fuel  
20 Subcommittee. I think that's just efficient and it's  
21 -- it's an area that can be broken out fairly  
22 efficiently on that.

23 And I'm sure fire protection will be one  
24 of the issues that we'll want to bring up with the  
25 full committee, and what not. And so I propose we'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just get back after the first of the year on those  
2 things. And before then, I can assure you that you  
3 put on an impressive show here. This was --

4 MR. PERSINKO: Thank you very much.

5 CHAIRMAN POWERS: -- extremely well done  
6 presentations, extremely well organized, and if  
7 nothing else you persuaded at least the Chairman of  
8 this committee that you guys have got your act  
9 together. So, but I think we will try to get you  
10 before the committee, but I think it -- I think the  
11 earliest we can do that is the first week of March.

12 MR. PERSINKO: Okay. Thank you very much.  
13 Any feedback we can have would be appreciated.

14 CHAIRMAN POWERS: Okay. Well, and, of  
15 course, the comments that came around here, you have  
16 heard those.

17 MR. PERSINKO: We've taken note of those.

18 CHAIRMAN POWERS: And if you -- and I  
19 think the members are always willing to follow up with  
20 you if you just want some elaboration on, you know,  
21 what were you talking about, and what not. In the  
22 meantime, the members are getting this several pounds  
23 of documentation to get themselves all up to speed on  
24 this, and more is coming. I know that, indeed. Thank  
25 you very much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PERSINKO: Thank you.

2 CHAIRMAN POWERS: Let's see, the next  
3 scheduled -- we're a little ahead of schedule. I  
4 wondered if -- Dr. Lyman, are you prepared to make  
5 your presentation? Why don't you go ahead and do  
6 that. I think most of the members are -- have met Dr.  
7 Lyman. If you have a written copy of your  
8 presentation, can we get one for the record, or --

9 MR. LYMAN: I actually don't. But I can  
10 maybe supply one afterwards.

11 CHAIRMAN POWERS: Oh, sure. Whatever is  
12 easiest. Well --

13 MR. LYMAN: I'm going by the seat of my  
14 pants here. Things are changing very rapidly. And I  
15 don't have much time today, but since, Dana, you've  
16 anticipated a lot of what I was going to say, as  
17 usual, it makes my job easier.

18 The Nuclear Control Institute has had a  
19 long-standing concern with the U.S. MOX program, in  
20 particular issues of safeguards and physical  
21 protection. And to cut to the chase, I think in this  
22 context the question we have to ask right now -- is  
23 the approach that the staff and DCS are taking for  
24 safeguards and physical protection at this facility --  
25 the question is: are those approaches adequate to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 task?

2 We had concerns about that pre-September  
3 11th, and now that it's post-September 11th our  
4 concerns are even greater. For that reason, I did  
5 assist Georgians Against Nuclear Energy, or GANE, in  
6 preparing a couple of the contentions which they've  
7 submitted in the current licensing proceeding on the  
8 construction authorization request. And I guess I'd  
9 just like to summarize some of my concerns in that  
10 context.

11 I think the overarching concern we have is  
12 that the inertia of NRC and its whole regulatory  
13 bureaucracy may interfere with the ability to make  
14 changes swiftly enough so that this proceeding can be  
15 more credible in light of post-September 11th events.  
16 And to illustrate that, I'd just like to point out  
17 that The Washington Post, in a front-page story on  
18 November 3rd, used an NRC staff legal brief in this  
19 proceeding to illustrate the sluggishness of the  
20 bureaucracy.

21 It was a brief dated September 12th, and  
22 it was responding to GANE's contention that sabotage  
23 issues should be considered in the MOX plan  
24 environmental impact assessment. The staff's response  
25 on September 12th was, "That's not necessary because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 it doesn't meet the legal tests that a terrorist act  
2 is a reasonably foreseeable occurrence."

3 Now, I think NRC has to be extremely  
4 careful now about avoiding stories like that in the  
5 future, because I think it may affect its credibility  
6 and public confidence that it's dealing with these  
7 issues in a timely way.

8 And I'd just like to recap some of the  
9 issues that GANE has raised in this proceeding. I  
10 think the -- one of the overarching concerns we have  
11 is the fact that the license application under Part 70  
12 has been bifurcated effectively into two pieces. One  
13 is the construction authorization request, which is  
14 not a document defined in Part 70 in any way. It's an  
15 invention of DCS and the staff.

16 And the impact of this is that the CAR  
17 itself contains a fairly limited amount of  
18 information, and, in fact, does not contain  
19 significant bodies or significant categories of  
20 information which one may argue is something that  
21 should be available at the design stage and be part of  
22 the review.

23 The fact that a number of issues have been  
24 segregated and deferred to the actual application for  
25 the license to possess and use SNM means that there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certain information not available now to the staff  
2 that may actually be very relevant at the design  
3 stage. And in my mind, one of the primary areas where  
4 this is true is what was just discussed before in the  
5 material control and accounting area.

6 It seems to be accepted wisdom in other  
7 quarters that -- that material control and accounting  
8 should be an important feature at the design stage,  
9 and that issues of making sure that the systems are  
10 adequate to the task at hand is something that should  
11 be built into the design. Both the International  
12 Atomic Energy Agency has emphasized that, and so has  
13 DOE.

14 In fact, a report from 1997 with co-  
15 authors from Los Alamos and Sandia made exactly this  
16 point, that there are design considerations that have  
17 to be taken into account at the design stage to make  
18 sure that the material control and accountancy and  
19 physical protection systems will work as billed when  
20 the plant is built.

21 And if those aren't considered at the  
22 design stage in enough detail, there's a risk that  
23 there may have to be expensive backfitting to modify  
24 those systems to make sure that they actually can meet  
25 the regulations. One good example -- I'm sorry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Let me interject here.  
2 You know, you could argue that NRC's job is to set the  
3 standard, and it's the licensee's job to meet that  
4 standard. And if he wants to blow this off at the  
5 design stage, that's his business. NRC just says when  
6 the thing is up and running, it's got to meet the  
7 standard.

8 Certainly, the designers might be foolish  
9 not to recognize what IAEA has said about this. But  
10 if they want to ignore that, shouldn't they have --  
11 shouldn't it be left up to them?

12 MR. LYMAN: Well, that actually was the  
13 argument that DCS made in responding to this  
14 contention. They said, "Well, we're willing to assume  
15 the risk." You know, you say, "Well, we may have to  
16 backfit later. We're willing to take that risk." But  
17 the fact is DCS is doing the public's job and, in  
18 fact, they're not assuming any risk at all. The  
19 public is going to end up with the bill.

20 So I think it's really the public's -- it  
21 should be in the public interest to determine whether  
22 or not DCS should be allowed to risk their money or  
23 not. So that was a pretty disingenuous comment on the  
24 part of DCS.

25 A second part is that this is a program of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 larger implications, as Dr. Powers mentioned. The  
2 International Atomic Energy Agency theoretically  
3 should play a role or even apply verification to this  
4 facility, because this program is not in isolation.  
5 It is a bilateral program, hopefully with an  
6 international component. And we have to lead the way  
7 by example.

8 And to that end, I still haven't seen --  
9 I know -- if there is a response to a letter sent to  
10 DOE in December 1999 by NRC saying it is their  
11 operating assumption that IA safeguards would be  
12 applied to this facility, and if they could get an  
13 answer, a clarification of that as soon as possible,  
14 it would assist in their review of the design.

15 And I have not found a response to that.  
16 Maybe Pat Rhodes would be able to supply that  
17 response. But to my knowledge, DOE ignored this  
18 request. So it right now is not known to the extent  
19 to which IAEA will be allowed access to this facility.  
20 And that would be an important component, especially  
21 at the design stage, because it -- for instance, the  
22 Los Alamos report in 1997 indicates that if  
23 international safeguards are going to be applied there  
24 are space considerations and other things which may be  
25 important in the design.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So I do think that the inappropriate  
2 limitation of what we should look at at the design  
3 stage and what information is necessary to make the --  
4 to approve construction, that limitation is  
5 inappropriate, especially now. I think that the  
6 applicant should be willing, well, to exceed what may  
7 be the appropriate requirements.

8           After September 11th, I think they should  
9 step to the plate and say, "Well, we're going to take  
10 this issue -- issues of both safeguard and physical  
11 protection as seriously as possible. And we're not  
12 going to be bound by this very strict legal -- what  
13 we're required to do and no further." I think that  
14 doesn't show good faith on their part in this threat  
15 environment.

16           I just wanted to get in one more  
17 illustration of the importance of design  
18 considerations in safeguarding, and that's the  
19 experience of the plutonium fuel fabrication facility  
20 in Japan or plutonium fuel production facility, PFPF,  
21 where this plant operated for a few years, accumulated  
22 at least 70 kilograms of plutonium in the ductwork,  
23 necessitating a shutdown for many years, including a  
24 cleanout and a complete redesign of the internal  
25 measurement systems, redesign of the gloveboxes to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 improve the ability to measure in-process materials,  
2 all to the tune of over \$100 million.

3 So this issue of backfitting is a  
4 significant cost, and, really, I think there has to be  
5 additional attention now and additional information  
6 about details of the material control and accounting  
7 system and how problems like holdup will be mitigated  
8 by the design.

9 The second issue I'd like to raise is,  
10 again, in the post-September 11th context. I am  
11 encouraged by the letter that NRC sent to DCS only a  
12 few days ago reminding DCS that the design basis  
13 threat, as well as all other physical protection  
14 regulations, are under review. .

15 But this letter wasn't very helpful. It  
16 said that NRC couldn't say right now what was going to  
17 happen, if anything, but DCS should be aware of it.  
18 But certainly there needs to be a better sense right  
19 now of whether there's going to be a major change in  
20 the design basis threat and other aspects that might  
21 affect the design of the facility.

22 And to that end, GANE and NCI did file, on  
23 October 13th, a motion to postpone the existing  
24 proceeding pending the results of the top to bottom  
25 security review, and we maintain that that's prudent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because staff resources are being wasted right now in  
2 a review of the design which may be obsolete in the  
3 post-September 11th era.

4 And one aspect which I think deserves  
5 particular attention is the aspect of resistance of a  
6 plant to a deliberate air crash. The facility, as  
7 designed now, screened out even accidental air crashes  
8 as part of the design basis on the basis of low  
9 probability. So there is no -- not even any  
10 consideration of an air crash as an external event  
11 threatening the plant.

12 Therefore, the design basis missiles used  
13 to establish the missile resistance of the building  
14 are those generated by tornados and high winds, which  
15 are considerably less penetrating than the jet engine  
16 of a 767 plowing into the facility at full speed. I  
17 calculate the penetration of the design basis missile  
18 to be something like a factor of 10 lower than what  
19 the jet engine in the 767 would be at full speed.

20 So whether the appropriate new design  
21 basis threat should include an intentional plane crash  
22 I think has to be considered. And for all we know,  
23 the whole way that nuclear facilities are going to be  
24 built in this country or elsewhere is going to have to  
25 be rethought in the context of this kind of threat.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It may be that facilities will have to go  
2 underground in the future. That may be a significant  
3 constraint that would lead to a substantial redesign  
4 of this facility. So these questions have to be  
5 asked, and obviously they are appropriate for the  
6 design phase.

7           So, you know, we do feel that there needs  
8 to be a pause in the review until questions are  
9 clarified. And, again, this is because the public is  
10 paying the bill for this facility.

11           One last issue is something we're  
12 concerned about, and that's the control area boundary  
13 definition, which is cross-cutting and impacts the  
14 whole safety basis for the facility. I missed the  
15 discussion this morning, but I'd just like to  
16 reiterate our position that it only makes sense to  
17 define the controlled area boundary as one which is  
18 reasonably -- reasonably includes only the facility  
19 that we're talking about and not the entire Savannah  
20 River site.

21           I think that such a definition simply does  
22 not pass the red face test, and to imply that the  
23 licensee, DCS, can by any definition have authority,  
24 sole authority to exclude anyone from the entire  
25 Savannah River site, which is what the regulations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 require, that kind of authority should not be granted  
2 to a private entity. And it clearly seems to violate  
3 the intent of Part 70 as written to have such an  
4 extensive definition for the controlled area. And we  
5 believe that a legal review will show that our  
6 position is right.

7 So I think I'll stop there. Thank you.

8 CHAIRMAN POWERS: Will you entertain  
9 questions if members have any?

10 MR. LYMAN: I'll try.

11 CHAIRMAN POWERS: Any people have  
12 questions?

13 Mr. Lyman, I will recall for you that I  
14 think in one of your packages you have a recently  
15 published paper on use of MOX as a disposal means.  
16 And it's -- I can attest to be a good read. So I'd  
17 recommend it to the members to read.

18 Any questions for Mr. Lyman?

19 Thanks, Ed.

20 MR. LYMAN: Thank you. Appreciate the  
21 opportunity.

22 CHAIRMAN POWERS: Let's chat just a minute  
23 or two before we adjourn about strategy. I suggest  
24 that we have something of an oral summary on this  
25 meeting and acquaint the full membership with this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 coming along the pike at our December meeting, just  
2 mostly to say that -- to summarize the fact that we  
3 have met and the kinds of things that we forecast.

4 I see some challenges for us in the  
5 instrumentation area, just because of the dilution of  
6 membership. Mr. Persinko mentioned to us several  
7 areas we have not gone into which includes flow  
8 systems, and what not. I am sure that if I bring up  
9 flow systems for our Thermal Hydraulics Committee they  
10 will throw large, heavy objects at me. So we may have  
11 some challenges there.

12 I think we should ask the Fire Protection  
13 Subcommittee to look at this in addition to us,  
14 because it's an issue up their alley, and it -- it can  
15 be split out kind of easily, I think.

16 Are there any other suggestions on  
17 strategy here?

18 MEMBER KRESS: I think your thought of  
19 narrowing the presentations down to items where we may  
20 have additional questions or concerns is a good one.  
21 We'll have to define what those area, so --

22 CHAIRMAN POWERS: Yes. If members could  
23 send me notes on the areas that they think those  
24 presentations should be concentrated in for the -- it  
25 will probably be the March meeting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 My thinking is if we're going to prepare  
2 a letter that has feedback, we've got to bring up  
3 those items where we're going to have feedback. And  
4 this covers a host of things, and I don't see any  
5 convenient way to cut it down, because they were  
6 pretty synoptic presentations they made to begin with.  
7 So it's a little hard to tell them what to leave out  
8 on any one of them. So I'd like to focus on those  
9 areas where I think we'll have comments on.

10 I am -- I have a sense that we'll have  
11 comments on the fire protection area for sure, the  
12 MC&A area for sure. I think --

13 MEMBER KRESS: And there may be some  
14 defense-in-depth questions.

15 CHAIRMAN POWERS: We're going to have some  
16 questions about the philosophical approach overall  
17 here, including the bifurcations issues.

18 MEMBER KRESS: And I suspect we may have  
19 some safeguards issues.

20 CHAIRMAN POWERS: Well, you know, I'm  
21 reluctant to bring that one up because I think it's --  
22 I think it's still too much up in the air, and I'd  
23 rather do it as part of our more integrated view. You  
24 know, we're going to have -- we're going to have to go  
25 back and understand better what the results are of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what the NRC is doing now. There is no point in going  
2 back immediately on that because they are still fixing  
3 to do it.

4 And then, I mean, once they're in a  
5 position there, then I think this is one of several  
6 areas that this comes up in. And I wouldn't leave  
7 them out of this.

8 I do see a distinction between this  
9 facility and commercial facilities. I mean, you know,  
10 commercial nuclear powerplants and a facility doing a  
11 government job on a government reservation. I see  
12 distinctions here.

13 MEMBER KRESS: It's two completely  
14 separate missions, too.

15 CHAIRMAN POWERS: Yes.

16 MEMBER KRESS: And that needs to be  
17 considered.

18 CHAIRMAN POWERS: Right.

19 MEMBER SIEBER: Well, the philosophical  
20 approach to safety is different, too. Our plants use  
21 PRAs, and these kinds of plants are integrated safety  
22 assessments, and I think people need to understand  
23 what that really means and how they're done.

24 CHAIRMAN POWERS: Yes. That's the other  
25 thing we should think about. In the presentation to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the full committee, they really need our Wednesday  
2 morning presentation as well as this presentation. I  
3 mean, they have to have both of them. We'll have to  
4 figure out how to do that exactly. So I think I'm  
5 going to --

6 MEMBER KRESS: Just more time on the  
7 agenda.

8 MEMBER SIEBER: I think we ought to  
9 have --

10 CHAIRMAN POWERS: Yes, that's --

11 MEMBER SIEBER: -- to the meeting. That  
12 would do.

13 CHAIRMAN POWERS: That would make people  
14 real happy with me, wouldn't it?

15 (Laughter.)

16 Okay. So we've got some challenges to  
17 deal with the planning and procedures folks. Any  
18 other comments?

19 Well, again, I want to thank the speakers  
20 and presenters. I think seldom have I seen such  
21 terrifically organized and well-presented material for  
22 a one-day meeting. It was an outstanding job. I  
23 think it does reflect well on the kind of work that's  
24 being done at this stage, and it was very useful to  
25 the subcommittee. I think it will be useful to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 full committee.

2 MEMBER KRESS: And I think we should thank  
3 Mr. Lyman for his input.

4 CHAIRMAN POWERS: He always has something  
5 useful to tell us, and I encourage the members, if  
6 they have a chance, to take time to look at the GANE  
7 submission here. They didn't have a chance to  
8 present, but I found it interesting reading.

9 And with that, I will adjourn the meeting.

10 (Whereupon, at 2:56 p.m., the proceedings  
11 in the foregoing matter were adjourned.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: ACRS Reactor Fuels

Subcommittee - MOX Fuel

Fabrication Facility

Docket Number: (Not Applicable)

Location: Rockville, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



\_\_\_\_\_  
Pippa Antonio  
Official Reporter  
Neal R. Gross & Co., Inc.

**NEAL R. GROSS**  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701