

NUCLEAR REGULATORY COMMISSION

ORIGINAL

Title: Advisory Committee on Reactor Safeguards
488th Meeting - Afternoon Session

Docket Number: (not applicable)

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Location: Rockville, Maryland

Date: Wednesday, December 5, 2001

Work Order No.: NRC-132

Pages 1-62

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005

(202) 234-4335
**ACRS Office Copy - Retain
for the Life of the Committee**

TROY

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

DECEMBER 5, 2001

The contents of this transcript of the proceedings of the United States Nuclear Regulatory Commission's Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

488th MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)

AFTERNOON SESSION

+ + + + +

WEDNESDAY

DECEMBER 5, 2001

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B3, 11545 Rockville Pike, at 4:00 p.m., Dr. George
E. Apostolakis, Chairman, presiding.

COMMITTEE MEMBERS:

- GEORGE E. APOSTOLAKIS Chairman
- MARIO V. BONACA Vice Chairman
- F. PETER FORD Member
- THOMAS S. KRESS Member-at-Large
- DANA A. POWERS Member
- STEPHEN L. ROSEN Member
- WILLIAM J. SHACK Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMITTEE MEMBERS:

JOHN D. SIEBER Member

GRAHAM B. WALLIS Member

ACRS STAFF PRESENT:

MICHAEL T. MARKLEY

I-N-D-E-X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AGENDA

PAGE

Risk-Informed 10 CFR Part 50 Pilot Program
(Option 2)

4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(4:01 p.m.)

DR. APOSTOLAKIS: We're back in session.

Before we start, I want to say something -- a few words about something else. I think all the members know that we have very good relationship with the ACRS staff, but today it was made clear to me that some of us are loved more than others. The staff found out that it's Dr. Kress' birthday today, so they bought a card and they had everybody sign, wishing him happy birthday. So this is for you, Tom.

DR. KRESS: Yes. You know, it's tough when you turn 55.

(Laughter.)

DR. APOSTOLAKIS: I know.

DR. POWERS: Dr. Kress, I'd like to point out that we were going to get you a cake with candles, but the fire protection group here said that that was too much of a load on the building.

MR. ROSEN: And at 55, what's the uncertainty band on that?

DR. APOSTOLAKIS: A factor of two.

DR. KRESS: I certainly appreciate this.

DR. SHACK: We called a little late, but we still don't know too many 130-year-olds.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: It's not normal the
2 other way.

3 DR. KRESS: I certainly appreciate this
4 from the staff and thank them very much. It's a very
5 nice card with -- I will take that home and frame it
6 and keep it.

7 DR. APOSTOLAKIS: Okay.

8 DR. KRESS: Thank you very much.

9 DR. APOSTOLAKIS: Now, back to business.
10 The next topic is Risk-Informed 10 CFR Part 50 Pilot
11 Program, Option 2. We had a Subcommittee meeting
12 yesterday when -- yesterday afternoon. We discussed
13 with the staff primarily the language of the rule and
14 then the treatment requirements and so on. We did not
15 get into the technical details of the categorization
16 process and other issues, but we will have another
17 Subcommittee meeting, it was agreed, maybe as early as
18 February where we'll go into details in these matters.

19 The staff agreed to present today to us
20 obviously a shorter version of their presentation
21 yesterday, but we also heard from NEI, Mr. Peitrangelo
22 and Mr. Heymer, yesterday, who unfortunately have
23 other commitments today and they cannot be with us.
24 But the staff promised to have one viewgraph where
25 they would identify some differences of opinion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 without expressing any views since the other side is
2 not here.

3 And, Mr. Reed, you have the floor.

4 MR. REED: Thank you, Dr. Apostolakis. As
5 already mentioned, I'll be trying to go through a much
6 briefer version than what was delivered yesterday, for
7 the sake of time.

8 And I'll focus on the highlights from
9 yesterday's meeting, basically focusing in on the two
10 pieces of the draft rule language where I think most
11 of the discussion centered -- on the categorization
12 area, that's Paragraph C, and also in the RISC-3 area.
13 And then we'll also be discussing some of the early
14 comments or major issues, if you will, as requested by
15 the Committee.

16 Before we do that, though, real quickly,
17 a little bit of background here to get the Committee
18 same page. As you'll recall, SECY-99-256 provided the
19 rulemaking plan for Option 2 back in October of '99.
20 It attached an advanced notice for proposed rulemaking
21 that was published in March of 2000, which we got
22 something between 100 and 200 comments. And SECY-00-
23 194, which published in September of 2000, we provided
24 preliminary views on those comments and also some
25 additional thoughts on the regulatory approach.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 South Texas, as the Committee's very
2 aware, was a technical effort that went on for I
3 believe it was about two years and was just issued in
4 early August. It was the majority of the tech effort,
5 if you will, from the staff for about the last year,
6 and it was a proof of content for Option 2. There's
7 been numerous stakeholder interactions.

8 We cite three public workshops of note.
9 Most recently there was one in November that I'll
10 speak to a little bit here in a second. We've had two
11 Commission briefings in September of 2000 following
12 issuance of SECY-00-194, and then also in conjunction
13 with the STP exemption approval, we also briefed the
14 Commission in July of this year. Just recently, last
15 week, I guess it was -- the 29th, I believe it was, in
16 the Federal Register we published the draft rule
17 language. And that, of course, was the major
18 discussion yesterday at the Subcommittee.

19 I will mention here a little bit the
20 request of the Committee. In our workshop that we
21 held back in November, when we discussed the draft
22 rule concepts, we discussed three alternative
23 approaches for addressing RISC-3 treatment. Those
24 approaches were, if you will, what I'll call almost a
25 pure commercial approach, Alternative 1, which would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basically have a simple statement in the rule that
2 says basically maintain the design basis functions for
3 this RISC-3 treatment, basically; Alternative 2, which
4 is very much like what you see in the draft rule
5 language, which has what I'll call minimum rule
6 attributes in the rule, more of a programmatic
7 approach but very -- a minimal amount of detail in the
8 rule, hopefully; and then Alternative 3, which would
9 be a much more detailed rule, which would, in my view,
10 very simply put, would be like putting the South Texas
11 FSAR in the rule. So there would be a lot of detail.

12 That was discussed during the workshop.
13 We got good stakeholder feedback, and we drafted the
14 rule that you see and what was published last week,
15 and it's pretty close to Alternative 2, although the
16 staff likes to think it's between Alternative 1 and
17 Alternative 2, I think you heard yesterday. NEI
18 believes it's about 1.95. So there's one little piece
19 of disagreement.

20 A little more background to remind the
21 Committee of just the general structure and approach
22 here for Option 2 and how we're going from the old
23 safety-related, non-safety-related world into the
24 safety-significant, low safety-significant world.
25 This is the infamous four-box diagram. It shows the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 RISC-1, RISC-2, RISC-3 and RISC-4 boxes. This is the
2 bins that the expert panel would put the SSEs into.

3 If you're safety-related and you're
4 safety-significant, as determined by this Risk-
5 informed categorization process, you're in Box 1,
6 RISC-1. If you're non-safety-related, and that
7 includes important safety equipment, okay, and you're
8 safety-significant, you're in Box 2. And if you're
9 safety-related, low safety-significant, you go to Box
10 3. And, of course, non-safety-related and low safety-
11 significant is Box 4.

12 Additionally, I show a little bit of the
13 requirements that would be in each box. Basically,
14 Boxes 1 and 2 all requirements continue to apply for
15 the safety-significant boxes, okay? So if they have
16 anything on them, and of course Box 1 has a lot of
17 special treatment requirements; those continue. Box
18 2, if there are any special treatment requirements,
19 those continue, and that will be a function of when
20 the plant was licensed and what happened during the
21 process, but it can have some special treatments
22 requirements there. Those would continue.

23 DR. WALLIS: Usually, when you have axes
24 like this, the most important things go up on the
25 vertical and to the right on the horizontal, and this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is not the case. The scale of deterministic increases
2 to the left.

3 MR. REED: Yes. We didn't --

4 DR. WALLIS: Why don't you switch them
5 around?

6 MR. REED: I think you might have had that
7 comment before, actually, didn't you?

8 DR. WALLIS: I think I may have, but you
9 haven't done anything about it, have you?

10 MR. REED: No. I haven't addressed that
11 comment.

12 (Laughter.)

13 DR. APOSTOLAKIS: Well, it wasn't a
14 Committee position.

15 MR. REED: But, in general, that's the way
16 it works. The requirements stay on for Boxes 1 and 2.
17 A lot of effort was focused on Box 3 during the South
18 Texas project, and an all out effort's been focused on
19 that for Option 2, and it's a major area of discussion
20 with all the stakeholders.

21 And what we're trying to do here, just to
22 remind the Committee again, Option 2 is really only
23 risk informing what are called the special treatment
24 requirements, or those assurance requirements that are
25 in place throughout Part 50, 54, 52, Part 100, Part

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 21. They're there basically just to try to provide a
2 high level of assurance that in fact these SSEs
3 perform design basis functions. We're not changing it
4 to unknown requirements, okay, or to design basis
5 events or anything like that. That's Option 3. Just
6 these assurance requirements.

7 So one of the ground rules is for Option
8 2 that we have to maintain design basis, and that's
9 how we get stuck with this Box 3 and trying to do
10 something to provide a sufficient level of regulatory
11 assurance that we can say we're maintaining design
12 basis functions without in fact imposing all the
13 special treatment requirements. So that's kind of the
14 quandary we're in there.

15 DR. APOSTOLAKIS: Now, I think the line,
16 "ensure categorization assumptions," does not belong
17 there, because that's something you have to do anyway
18 for all four boxes. And it's not really a special
19 requirement. I mean, presumably, everything we do has
20 sound assumptions behind it, right?

21 MR. REED: Yes.

22 DR. APOSTOLAKIS: So I suggest that you
23 take that out.

24 MR. REED: Yes. Could have taken it out.
25 I mean it was a matter of judgment what I put in those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boxes. I could have -- yes.

2 DR. APOSTOLAKIS: I mean the other stuff
3 is different. Current requirements continue, I mean
4 that makes sense.

5 MR. REED: Yes. That's right.

6 DR. APOSTOLAKIS: So you're telling the
7 industry that they don't have to ensure categorization
8 assumptions for RISC-3? You're not saying that,
9 right?

10 MR. REED: What I'm saying is that your
11 categorization assumptions have to be valid, okay?

12 DR. APOSTOLAKIS: Of course, but that's
13 understood.

14 MR. REED: And you have to maintain them,
15 yes.

16 DR. APOSTOLAKIS: That's understood.
17 Everything we produce here has good assumptions.

18 DR. SHACK: No, but I think it means more.
19 It means that the treatment is chosen to assure that
20 that's --

21 MR. REED: Yes.

22 DR. APOSTOLAKIS: Use a different verb.

23 DR. SHACK: It's not as though we're
24 making good assumptions or bad assumptions, that
25 you're also essentially looking for treatment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirements.

2 MR. REED: Well, it's actually --

3 DR. APOSTOLAKIS: Oh, you mean the
4 requirements that would make sure that the
5 categorization assumptions remain valid. You need a
6 better way to say that.

7 MR. REED: Yes. I think "treatment" is a
8 bad word, actually, to use, and I think that set off
9 an industry. What we're really saying is if you're
10 assuming something in the categorization process, you
11 ought to have a basis for that assumption, okay? And
12 take a look at what you're assuming. If you're
13 assuming a widget's going to perform --

14 DR. APOSTOLAKIS: So it's closer to what
15 I'm --

16 MR. REED: It's exactly what you're
17 saying. So it's probably an unfortunate term to use
18 there.

19 As I mentioned, just to try to hit the
20 highlights from the Subcommittee yesterday and not go
21 through the entire draft rule language, and I know
22 this Committee's very interested in the categorization
23 part, so we'll focus on the categorization piece
24 first, which is Paragraph C. I revised these bullets
25 since yesterday. These are now in my language, and I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do not make any attempt to take the actual draft rule
2 language and put it in here. Now, if you like, I have
3 the actual draft rule slides. If you want to discuss
4 it, we could put that up.

5 DR. APOSTOLAKIS: We have that too.

6 MR. REED: But, basically, what Paragraph
7 C is, first of all, it requires the use of an approved
8 categorization process. Appendix T, which in earlier
9 versions of this existed, does not exist in the draft
10 rule now. That was a stakeholder comment that if you
11 put a very detailed Appendix T in place, we're going
12 to get into the same sort of boxes and exemption
13 spaces that we have with things like Appendix R.
14 That's a very onerous type of situation to deal with,
15 and that can tie up a lot of resources, in fact, when
16 you get into that kind of framework. So we're
17 commenting them and basically using an approved
18 categorization process, which then requires a
19 submittal and a review by the staff.

20 You must have an expert panel or an
21 Integrated Decisionmaking Process to determine the
22 safety-significance of the function. In fact, this
23 entire thing really revolves around an expert panel
24 and giving them the sufficient information to make a
25 risk-informed judgment about the safety significance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of SSCs. So you must have that expert panel.

2 And that panel must use plant-specific
3 PRAs with internal events at full power, at a minimum,
4 okay? And in addition to that, we prefer you use PRA
5 as much as possible, but we're only requiring that at
6 full power internal events PRA. And if you're not --
7 you don't have everything in a PRA, then you must
8 evaluate the SSC function for whatever other tools you
9 have available -- safety significance in other modes,
10 in external events, shutdown, whatever, fires.
11 Whatever tools you have available, use that
12 information and give that to the expert panel.

13 DR. APOSTOLAKIS: Now, I got the
14 impression from yesterday's discussions, plus from
15 reading the NEI Table 4, there is more just having an
16 IDP. Both the industry and you would expect some
17 structure in the deliberations. Maybe that's
18 something you want to put here.

19 MR. REED: I think that's a good point.
20 I think it's also an observation that we've had to
21 date from watching the pilots, that when you get to
22 watching these expert panels and especially when they
23 get outside the quantitative piece, where you know --
24 they're very good at running through the PRA, the RAW,
25 the Fussell-Vesely, using the quantitative piece, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when they get outside of that and they're in the
2 qualitative portion and discussion, I think that came
3 up yesterday, it's been an observation we've had, it
4 probably needs more structure. I think NEI
5 understands that too.

6 DR. APOSTOLAKIS: I can tell you, I mean
7 when we reviewed the South Texas application, the fact
8 that there was a lot of structure in the expert panel
9 deliberations was something that was a positive --

10 MR. REED: Yes. I think it makes it a
11 more efficient panel.

12 DR. APOSTOLAKIS: So you agree with that.
13 Let's see if you agree with the next. Must use a
14 plant-specific PRA with internal events at full power
15 and uncertainty analysis.

16 MR. REED: The key words were "and
17 uncertainty analysis."

18 DR. APOSTOLAKIS: That's right.

19 MR. REED: I'll have to look to Glenn or
20 Mike or Mark or whoever.

21 DR. APOSTOLAKIS: I'm just telling you
22 that there's going to be a lot of discussion of this
23 when we discuss --

24 MR. REED: Yes. I understand.

25 DR. APOSTOLAKIS: -- categorization

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process. And there is evidence that if you use point
2 estimates which are ill-defined, you may not get the
3 categorization that would be the best. And as I said
4 yesterday, one of those papers was written by your
5 colleagues here. And if you use mean values, then
6 it's okay. You get a pretty good categorization. But
7 point values are -- we don't know what they are, and
8 the IPEs confirm that. I mean if you look at the
9 IPEs, some of the numbers are way out the mainstream,
10 so to speak. So it seems to me that that would be a
11 requirement at the end.

12 And, again, it's not difficult to do
13 anymore. This is not 1980 anymore. I mean there are
14 codes, it's done routinely with our distributions for
15 inputs all over the place. So I think that will be a
16 useful thing to put. Otherwise you're going to pay
17 the price or the licensee or the petitioner will pay
18 the price later. When you guys will start asking
19 questions -- why did you have this point value here
20 and there, what is the basis, and so on.

21 One of the things that most people don't
22 seem to appreciate is that an uncertainty analysis is
23 easier to defend than point estimates. It's much
24 easier to defend. So, anyway, that is going to come
25 up by at least one member of this --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: It also is very important to
2 the expert panel to know the bounds of uncertainty on
3 what it's using, because if you have the component
4 that comes out of the PRA at close to one of the
5 thresholds, Fussell-Vesely or RAW, say it's 2.1, well,
6 that's just more important than two, and you can't put
7 it in the low safety-significant category. But what
8 if it comes out 1.9? Now, you're tempted to put it in
9 the low safety-significance category, but you cannot
10 fail to remember in two years you're going to do an
11 update of the PRA, based on the actual performance of
12 the plant, and it's going to shift the numbers a
13 little bit, and you don't want to go there. You do
14 not want to be a plant that has a bunch of components
15 that move from category to category based on the
16 Bayesian update, because that could wreak havoc, and
17 you have to go back then and look at everything you've
18 done since the last update.

19 So the expert panel wants to know -- when
20 it gets a RAW value, it wants to know the uncertainty
21 on that number. It will want, typically, to place
22 things in a higher category. If the number's very
23 well known, that's one thing, but, typically, they're
24 going to move -- the expert panel will move things to
25 a higher category.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: I think a lot of it
2 depends -- I mean there were at least two papers that
3 I'm aware of where people did the categorization, not
4 the same, necessarily, as you have, using point
5 estimates that they found someplace and then
6 distributions and the mean values of distributions.
7 And a general conclusion, although, you know, there
8 may be exceptions to that, is that if the point
9 estimate you're using is to the right of the mean,
10 it's higher than the median, most likely you're going
11 to get conservative categorizations. If it's to the
12 left, you will get non-conservatives in the sense that
13 an SSC that belongs, say, to Category 3 may end up in
14 4. And I think these are useful insights that will be
15 helpful to you.

16 MR. CHEOK: This is Mike Cheok.

17 DR. FORD: Can I ask a physical question.
18 Why do you have the --

19 PARTICIPANT: We've got a guy.

20 DR. FORD: Oh.

21 MR. CHEOK: This is Mike Cheok from the
22 staff. I guess we've all come prepared to talk about
23 uncertainties in February, in the February
24 Subcommittee meeting. But the one comment I have
25 today, though, is that the uncertainties that we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 talking about are the parameter uncertainties. I
2 believe that in categorization the big uncertainty
3 that would affect the results would be the stated
4 knowledge or the incompleteness uncertainties. And I
5 think we're trying to address that through the IDPs
6 and in a structured IDP process. I think we can
7 handle the data uncertainties in the parameters itself
8 but not the epistemic type uncertainties.

9 DR. APOSTOLAKIS: Very true. By the way,
10 the data uncertain is not epistemic. You're right,
11 you're right. But if we do that in the analysis part,
12 you know, take care of the parameter uncertainties,
13 then the burden on the panel will be less. And I
14 think that's what Mr. Rosen's comment was also about.
15 It will be less. So the more you do to help the
16 panel, the better off you will be.

17 MR. REED: Sure.

18 DR. APOSTOLAKIS: Dr. Ford?

19 DR. FORD: I have a physical-based
20 question: Why do you have the qualifier at full
21 power?

22 DR. APOSTOLAKIS: Because that's the only
23 one they have.

24 DR. FORD: That's the only one.

25 DR. APOSTOLAKIS: That's the only one they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have.

2 DR. FORD: Only one what?

3 DR. APOSTOLAKIS: PRA.

4 DR. FORD: Oh.

5 DR. APOSTOLAKIS: It's recognition of
6 reality.

7 DR. POWERS: Not for want of our trying.

8 DR. APOSTOLAKIS: Yes.

9 DR. FORD: The reason why I asked the
10 question, not being a PRA expert, is that there are
11 other degradation mechanisms that occur not at full
12 power.

13 MR. REED: Yes. This process, though, is
14 going to be assessing the significance at all modes
15 and for all events. It's just that PRA at full power
16 is what -- we're going to require you have that.

17 DR. APOSTOLAKIS: You know, as the staff
18 stated yesterday -- I think they're right -- for the
19 modes for which you don't have PRA, then they're
20 taking you to a conservative categorization.

21 MR. REED: Exactly.

22 DR. APOSTOLAKIS: In other words, you're
23 paying the price.

24 MR. REED: Which would tend to make things
25 more put up in the higher boxes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: Unless you use point
2 estimates.

3 MR. REED: Right.

4 MR. ROSEN: In terms of structure, we
5 talked about the questions also that the South Texas
6 exemption used.

7 MR. REED: Right.

8 MR. ROSEN: It provided a lot of
9 structure, and we'd encourage you to think about if
10 not having that, having something equivalent.

11 MR. REED: Yes, yes. I'm sure you have a
12 pretty good list of comments that you want to provide.
13 I know those two are coming for February, and I'm
14 sure there's many more.

15 DR. APOSTOLAKIS: Sure.

16 MR. KELLY: This is Glenn Kelly from the
17 staff. Regarding the -- if you're using a non-pure
18 technique to analyze things at the Plant, those that
19 were for external events where, for example, they used
20 the five methodology of a seismic margins method,
21 these are things that are going to take you because
22 those methods inherently have some conservatisms in
23 it, theoretically. They should be giving you
24 conservative results.

25 However, for things like shutdown and mode

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changes, where we do not have particular methods that
2 can be relied upon at this point to judge whether or
3 not something's important, where it's going to be more
4 engineering judgment at this point, you're not
5 necessarily going to end up with the same kind of
6 assured conservatism that you would for the external
7 events.

8 DR. APOSTOLAKIS: But even for the
9 external events, when I read the NEI document, I had
10 a lot of questions, because I'm not sure it's fair to
11 say these are conservatives analyses; these are
12 screening analyses. So how one determines the --

13 MR. KELLY: The Fussell-Vesely it's not
14 clear, and that's correct, because it's not clear what
15 the Fussell-Vesely is going to tell you. And with the
16 five methodology --

17 DR. APOSTOLAKIS: Right.

18 MR. KELLY: -- you can't really do that.
19 What it will do is will potentially tell you whether
20 components in an area are important or not, but it
21 won't -- that's not the same as giving you a Fussell-
22 Vesely --

23 DR. APOSTOLAKIS: Well, the basic problem
24 that I see is that you don't have a CDF from those
25 models.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: That's correct.

2 DR. APOSTOLAKIS: And these measures
3 depend on the CDF. So these are the -- the sooner we
4 meet, I think the better off we'll all be.

5 DR. KRESS: Yes, George, that brings to
6 mind a question that's bothering me for some time. If
7 you look at importance measures, RAW and Fussell-
8 Vesely, both of them have the absolute value -- let's
9 say with respect to CDF --

10 DR. APOSTOLAKIS: Yes.

11 DR. KRESS: -- both of them have the
12 absolute value of CDF in them. That means you're
13 treating a plant with a low CDF differently than
14 you're treating a plant with a high CDF. You could be
15 treating them differently. And it seems to me like
16 that's not the right thing to do and that there might
17 ought to be some sort of a virtual CDF absolute that
18 you don't want to get close to, and you define an
19 importance measure with respect to a component as to
20 how much would contribute to getting up to that
21 absolute value that you're willing to accept as a kind
22 of importance measure for this kind of classification.

23 MR. ROSEN: I don't think you're right
24 about that, Tom. The risk achievement worth is a
25 ratio. So it has -- for a plant with a low CDF and a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant with a high CDF, you're going to get a ratio.
2 That's what RAW is --

3 DR. APOSTOLAKIS: Well, that's what he's
4 objecting to.

5 DR. KRESS: That's what I'm objecting to.

6 DR. APOSTOLAKIS: He's objecting to it.
7 He says that --

8 DR. KRESS: That's exactly what I'm
9 objecting to.

10 DR. APOSTOLAKIS: -- you rank them, and
11 then you treat the Class 1 the same as in the other
12 one.

13 MR. ROSEN: No. I'm not making myself
14 clear. Risk achievement worth is --

15 DR. APOSTOLAKIS: Both of them are ratios.

16 MR. ROSEN: Whether or not you're not at
17 South Texas, a very low overall CDF, or some much
18 earlier plant, they're both ratios --

19 DR. APOSTOLAKIS: Exactly.

20 MR. ROSEN: -- within themselves. So it
21 tends to wash out.

22 DR. KRESS: No. That's why I'm objecting
23 to it; it doesn't.

24 MR. ROSEN: Well, that's one I don't
25 agree.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: I think maybe another
2 way of stating is the thresholds of 0.005 for Fussell-
3 Vesely and two for RAW could be different depending on
4 the absolute value of the CDF.

5 DR. KRESS: Absolutely.

6 MR. ROSEN: That's the part I don't agree
7 with. We need to work on that.

8 MR. CHEOK: I think the example here is
9 that if the baseline CDF is ten to the minus four, a
10 plant with a RAW value of two would get a delta CDF
11 increase of ten to the minus four. Whereas a baseline
12 plant CDF of ten to the minus six would only get an
13 increase of ten to the minus six. So the point there
14 is --

15 DR. APOSTOLAKIS: That's the essence of
16 the argument.

17 MR. CHEOK: And the response to that, Dr.
18 Kress, is that we do have a requirement in the rule
19 language that says that your increase in risk, i.e.,
20 CDF and LERF, should be small and conform to that
21 specified in Reg Guide 1.174.

22 DR. APOSTOLAKIS: Right.

23 DR. KRESS: Which means you have to end up
24 with different thresholds for what you use to
25 determine significance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CHECK: That's correct. In essence,
2 those thresholds could be different for the different
3 plants, for different baseline CDFs.

4 DR. KRESS: Somehow I don't see that
5 concept in here.

6 DR. SHACK: But it's in the NEI document,
7 but they sort of admit that when you go through and
8 you don't -- you know, if in your first cut you don't
9 make it, you have to go back and adjust it.

10 DR. KRESS: It's in the NEI document,
11 which we haven't reviewed.

12 DR. APOSTOLAKIS: No, but the other side
13 --

14 DR. SHACK: He's right, it is capped in an
15 absolute sense by the 1.174 criteria.

16 DR. APOSTOLAKIS: But there's another side
17 to it. What if a licensee uses 0.005 and two, and
18 everything he finds is fine, the delta CDF is low and
19 so on? But if you change the thresholds and remove
20 some of the components from RISC-1 down to RISC-3, you
21 still get a delta CDF that's low. You don't allow
22 that because you have fixed the thresholds. So there
23 should be some flexibility there, shouldn't there?

24 DR. SHACK: Only if you worry about that
25 problem.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Well, if I'm the licensee, I
2 do.

3 DR. APOSTOLAKIS: Well, I mean, gee, if I
4 were a licensee --

5 DR. SHACK: It's the licensee's problem --

6 DR. APOSTOLAKIS: No, because if you --

7 DR. SHACK: -- from a regulatory problem.

8 DR. APOSTOLAKIS: Well, the regulator must
9 say, "Here are some suggestions from the thresholds,
10 but we're open to listening to other comments." If
11 you put them there as an absolute -- but I think this
12 comes back --

13 DR. SHACK: They're not going to be in the
14 rule?

15 DR. APOSTOLAKIS: What?

16 DR. SHACK: They're not going to be in the
17 rule.

18 DR. APOSTOLAKIS: They're not going to be
19 in the rule. It's going to be in the guidelines.

20 MR. CHEOK: As a matter of fact, the top
21 event prevention essentially does what you would
22 suggest, George, in that you could pick and choose
23 what you want to put in RISC-1 and include that in
24 your success paths.

25 DR. APOSTOLAKIS: I hear that licensees

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 using some other methods for importance measures, and
2 they're getting many more components going down to
3 one. So you really want to not to ossify the methods.
4 But it comes down to the old argument -- just go and
5 find a gypsy, if she tells you what to do, the delta
6 CDF is all right.

7 DR. SHACK: It's acceptable. It may not
8 be optimal.

9 DR. APOSTOLAKIS: Yes, because of the
10 economy of the country. And I think the point that
11 Tom raised -- you're happy, Tim, right; we're arguing
12 among ourselves.

13 (Laughter.)

14 It comes back to -- guys, there's one
15 meeting here.

16 DR. POWERS: If he wants to argue among
17 himself, he doesn't want any distractions.

18 DR. APOSTOLAKIS: I think if you follow
19 what Tom is saying with the absolute CDF, then you're
20 closer to the ROP. If you follow the current CDF,
21 you're closer to my interpretation of ROP, which will
22 come down. Now, as you're trying to maintain the
23 current levels or, as he's saying, as long as you're
24 below the regulatory goals, it's okay. So this point
25 will keep coming back, I think. Now, Tim, back to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you.

2 MR. REED: Okay. Additionally, then the
3 rule requires the IDP to consider --

4 DR. APOSTOLAKIS: Cindi is smiling over
5 there. Why is that?

6 DR. KRESS: They probably had this
7 discussion among themselves at one time.

8 MR. REED: As I mentioned, it requires you
9 have an IDP, and then the IDP must consider all the
10 information I'll just briefly mention -- the PRA
11 results, the non-PRA information, defense in depth and
12 safety margins. So this is clearly a risk-informed
13 reg guide 1.74, if you will, type approach that we're
14 instituting here. If something's low, if an SSC's
15 low, then there has to be a justification for it to be
16 low safety significant.

17 DR. APOSTOLAKIS: Now, wasn't that an
18 issue that was raised yesterday, I believe, by my
19 colleague to the left here, supported by others, that
20 all this is focusing too much on CDF and LERF, and
21 that some components --

22 MR. REED: True.

23 DR. APOSTOLAKIS: -- SSCs are there to
24 prevent perhaps a higher consequence -- I mean, yes,
25 a higher consequence -- I mean low consequence, high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 frequency and that there may be a way of having those
2 --

3 DR. BONACA: Yes. I mean the
4 classification has the consideration of frequency
5 consequence, and here it's just simply CDF. And
6 anything below core damage doesn't seem to be
7 considered risky.

8 MR. REED: At least my interpretation of
9 that was -- that's another way of addressing defense
10 in depth. If you look at the NEI document, they have
11 that table there, and it's a little bit confusing, but
12 it talks about the frequency of the event and then the
13 number of redundant diverse systems you have. For
14 very frequent events below consequences, we would want
15 to have redundancy and diversity there, in fact, to
16 make sure it's low. But there's other ways of doing
17 that. I think what you're suggesting is another way
18 to potentially do that.

19 DR. APOSTOLAKIS: Well, and also the
20 argument has been made in the past that the licensees
21 will take care of those for other reasons.

22 MR. REED: If they affect power operation,
23 clearly.

24 DR. BONACA: My main comment yesterday was
25 that you're still struggling with justifying --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. REED: Yes.

2 DR. BONACA: -- defending functionality
3 for RISC-3 because you still believe, probably because
4 of that curve, that they need to be protected, those
5 functions. And you're not convincing me yet that
6 you're doing that. Conversely, if you take RISC-3
7 from the box and divide it then based on the risk
8 consequence, you could practically divide those
9 between those that you preserve and you can maintain
10 under Appendix B, and the majority will go under RISC-
11 4.

12 MR. REED: Yes. I mean there's clearly a
13 set of SSCs in Box 3 which have no nexus to safety.

14 DR. BONACA: Absolutely.

15 MR. REED: And what have been termed
16 ornaments, if you will. And you were suggesting for
17 those we really don't need anything at all.

18 DR. BONACA: I would like to just insert
19 right here the reason why it's important, yesterday we
20 discussed what does functionality mean, and we used a
21 good example of 89.10, motor-operated valves. And we
22 concluded that for those in RISC-3 now, those MOVs
23 would not be stroke tested, right? They won't be
24 anymore under 89.10.

25 MR. KELLY: No, I believe -- this is Glenn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Kelly from the staff. The indication was that there
2 would be no requirements under RISC-3 that they
3 receive special treatment.

4 DR. BONACA: Right.

5 MR. KELLY: But they would be required to
6 retain their functionality.

7 DR. BONACA: And what does that mean?

8 MR. KELLY: And, certainly, to one extent,
9 I expect that inspector might ask a licensee if it
10 hadn't stroke tested its valve in five years why in
11 the world they think it's functional?

12 DR. BONACA: Because yesterday, Steve, you
13 commented that they would not be anymore under 89.10.
14 So, therefore, they would not be stroke tested.

15 MR. KELLY: That's correct, they would not
16 be under 89.10.

17 MR. ROSEN: They would not be under 89.10,
18 but that just means that they could be -- their
19 frequency would be longer. That doesn't mean they'll
20 never be tested.

21 DR. BONACA: But the reason why --

22 MR. ROSEN: They might be dynamically
23 tested now, and they might be statically tested.

24 DR. BONACA: Well, one of the reasons why
25 it did not work --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: It doesn't mean if you put
2 something in RISC-3 you're never going to test it.

3 DR. BONACA: I understand that, but let me
4 just say one of the reasons why they did not work
5 under design conditions was because the stems were
6 underdesigned. One of the reasons was because if you
7 don't stroke stress in that condition, the grease
8 hardens with time, and they don't work.

9 MR. ROSEN: Right.

10 DR. BONACA: So here we're leaving -- you
11 know, here I'm still left, as a member, very uneasy
12 about what this functionality means. We determined
13 through 89.10 that in order to demonstrate
14 functionality you have to stroke test them under
15 design conditions -- accident conditions, okay, in
16 addition to improving the stems. Because now we're
17 saying they low safety significance so we put them
18 there, and then we'll determine what you have to do.
19 And it seems to me that the very requirements we
20 implemented to assure performance are being removed.
21 That's what makes me uneasy. I mean I just don't know
22 at the end of the day what this demonstration of
23 functionality will mean.

24 MR. ROSEN: Well, it starts with the
25 answer to the question it does it matter whether it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 works or not? And the answer is it's very low
2 significance.

3 DR. BONACA: Well, no, you see, because if
4 you use the curve I was discussing there, a certain
5 percent of those in RISC-3 will be still safety
6 significant in my book, as they were in the FSAR. The
7 rest would be not.

8 MR. ROSEN: They will be in RISC-3, if
9 they're safety significant.

10 DR. BONACA: Because you're using only
11 CDF, okay? And you're assuming that meeting Part 100
12 or not exceeding Part 100 is irrelevant. So you're
13 making certain assumptions that the guy on the other
14 side may not agree with you; in fact, they probably
15 won't.

16 DR. APOSTOLAKIS: Anyway, the comment is
17 that they should look at these things and possibly add
18 something else in addition to CDF and LERF, some
19 consideration. Because even defense in depth, I mean
20 it was said earlier that it will take care of these
21 things for defense in depth. Well, defense in depth
22 in the abstract doesn't mean anything. You have to
23 have something to defend, right? And, typically, when
24 we talk about defense in depth, we have in mind the
25 release or radioactivity over dome of the core. If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you say, "No, now I'm interested in something else,"
2 then defense in depth will have a different result.

3 MR. KELLY: This is Glenn Kelly --

4 DR. APOSTOLAKIS: I mean the concept is
5 the same, but --

6 MR. KELLY: This is Glenn Kelly from the
7 staff. In the pilots, this issue came up about the
8 defense in depth. And defense in depth, as I
9 understand how it's supposed to applied here is
10 defense in depth for both the deterministic -- each
11 component is supposed to have its functions defined
12 for -- its deterministic safety functions as well as
13 any functions that are attributes that are given to it
14 or taken credit for it under the PRA evaluation. And
15 then you look at to what extent, if you remove the
16 treatment for this equipment, whether or not you're
17 affecting defense in depth in particular for your
18 deterministic evaluation, because, in part, the PRA
19 order is already counting in some ways for the defense
20 in depth.

21 So they are supposed to be looking at,
22 which is one of the reasons why something like standby
23 gas treatment system would probably be retained under
24 a defense-in-depth argument, because it doesn't affect
25 core damage frequency, it doesn't affect LERF. But it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is a defense-in-depth thing for your Part 100. So I
2 would expect that that would end up being a RISC-1
3 rather than a RISC-3.

4 MR. ROSEN: That's why the expert panel is
5 there. If you didn't do that, you wouldn't need an
6 expert panel for the components that are for model,
7 the model components. You'd just go "click" and you'd
8 get the answer, but that's not how you do it. You get
9 the answer and then you subject it to a review by the
10 expert panel.

11 DR. APOSTOLAKIS: But this is part of what
12 we asked for structure of the --

13 MR. REED: Exactly.

14 DR. SHACK: But even in that case, when we
15 looked at the questions that the panel looked at in
16 South Texas, it didn't address Mario's concerns,
17 because the questions were all aimed at preventing CDF
18 and LERF.

19 DR. APOSTOLAKIS: But Mr. Kelly now
20 expanded it.

21 MR. ROSEN: But the questions aren't the
22 only -- the questions that are asked are answered for
23 the expert panel, but they're not the only questions
24 the expert panel asks. It asks questions about
25 shutdown, it asks questions about --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHACK: I think what Mario is asking
2 is do you make them more explicit? Does it sort of
3 somehow get dragged in? Maybe, but if the criterion
4 are RAW and Fussell-Vesely and the questions are the
5 questions, then it looks like all the explicit
6 criteria are CDF-oriented.

7 DR. APOSTOLAKIS: So let's wrap it up by
8 saying that the deliberations of the panel, I think,
9 we need a lot of guidance there. We agree that's part
10 of it.

11 MR. REED: Certainly more structure.

12 DR. APOSTOLAKIS: We shouldn't rely on the
13 kindness of the panel too much.

14 DR. SHACK: Even if they're strange.

15 DR. APOSTOLAKIS: Even if they're strange.
16 Thank you, Will. You're the only one who appreciated
17 the comment.

18 MR. REED: Additionally, the draft rule
19 requires -- and this is what I refer to as the bottom
20 line -- that the potential increase in CDF and LERF
21 will be small. And this is -- I think it's already
22 been mentioned to the Committee -- this is sort of, in
23 effect, maintaining the current risk profile of the
24 plant, this approach here, unlike some more absolute
25 value. So this is currently the way we're going.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You'll have to monitor the performance
2 condition of SSCs. It can affect the categorization
3 results. And if you find integrated situation or you
4 get -- whatever information you get back, you need to
5 take action and maintain the validity of that SSC,
6 SSCs categorization, and then to maintain the
7 categorization through time. So it's update the PRA
8 and categorization as you either change the
9 configuration of the plant or you obtain operational
10 data. So this is make it valid and keep it valid,
11 basically.

12 DR. APOSTOLAKIS: I don't understand this,
13 "must monitor the performance of condition of those
14 SSCs that can affect the categorization results."
15 What does that mean? How would the results be
16 affected by the performance?

17 MR. REED: I think that's an effort -- and
18 I might need a little help on this -- but that's an
19 effort to note that -- there's thousands and thousands
20 of assumptions, as you guys are well aware. Some are
21 very important, some are not important. What you
22 monitor, you want to monitor those that really affect
23 the results, the categorization results, and that's
24 what you want to focus your energy on and maintain.
25 There are assumptions in there that really don't make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any difference at all, whether there's RISC-3 or
2 whatever.

3 DR. APOSTOLAKIS: But if I have a
4 component that has been categorized RISC-1 or even
5 RISC-3 and I find that its performance is below par,
6 how would that change the categorization? I mean I
7 would probably be looking somewhere else why the
8 performance is poor.

9 MR. REED: First of all, you'd make sure
10 that you're still in keeping with the assumptions you
11 made for its reliability, availability and capability.
12 That would be the first thing you'd do. And,
13 hopefully, the assumptions you're making for that
14 component, the data you're collecting, is in keeping
15 with that. If not, then you'd have to alter those
16 assumptions.

17 DR. APOSTOLAKIS: But would that be
18 subsumed then by the last bullet?

19 MR. REED: Exactly. Yes, they really do
20 overlap.

21 DR. APOSTOLAKIS: Yes. That's why I don't
22 need that.

23 MR. REED: Yes. A lot of these actually
24 do overlap. I mean I break them out for bullets, but

25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: As I update my PRA, if
2 I have lots of --

3 MR. REED: These three really all kind of
4 go together.

5 MR. ROSEN: It will affect the shifting
6 the categorization of a component. But you don't want
7 to do that.

8 MR. REED: Yes. That's actually --

9 MR. ROSEN: You guard against that in your
10 original categorization.

11 MR. REED: That's actually a very good
12 point.

13 MR. ROSEN: Either way it creates havoc.

14 MR. REED: Yes.

15 MR. ROSEN: Operationally -- handling the
16 program.

17 MR. REED: Yes. That's an excellent
18 point.

19 DR. APOSTOLAKIS: I would just delete it
20 and make it part of the last bullet.

21 MR. ROSEN: And I know that because some
22 of ours shifted, and it's not fun to have to deal with
23 that.

24 DR. APOSTOLAKIS: Which way?

25 MR. REED: If they go up, that's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problem.

2 MR. ROSEN: Once they move up, that's a
3 real problem.

4 MR. REED: Yes. Once you take something
5 out of the special treatment requirements and release
6 --

7 DR. APOSTOLAKIS: But why did they move,
8 Steve? Because of performance or --

9 MR. ROSEN: I don't remember now.

10 DR. APOSTOLAKIS: Okay.

11 MR. ROSEN: There were very few cases, but
12 there were a couple that were particularly nasty.
13 They had to be fixed, and we had to go back and look
14 at what had we done on these components since we
15 categorized them, et cetera, et cetera.

16 DR. APOSTOLAKIS: Okay.

17 MR. REED: Okay. The other area that we
18 had, I think, the most discussion on yesterday was the
19 RISC-3 treatment, and I've already mentioned the RISC-
20 1 and RISC-2 treatment, in passing, that those
21 requirements are basically you're maintaining all the
22 requirements on those SSCs. RISC-3, the focus,
23 though, is to have sufficient regulatory requirements
24 to maintain the design basis functions, basically.

25 So what we're doing in this portion of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 draft rule is, first, taking off the special treatment
2 requirements, and then we're replacing them with the
3 requirements you see in Paragraph 50.69(d)(2). And,
4 basically, that says you must have processes to
5 control design, procurement, installation, maintenance
6 inspection tests and surveillance, corrective action,
7 oversight and configuration. So it's not simply a
8 matter of saying, okay, you're going to maintain your
9 design basis function; it's also a matter of having
10 these processes in place, okay?

11 And if you look at the draft rule, you'll
12 see that under each one of these headings, we have at
13 least one or, in some cases, two sentences that
14 provide a minimal set of attributes for what we're
15 thinking that you need to do for each of these
16 processes. But the bottom line is, is that you need
17 to apply the pertinent programmatic requirements to
18 provide reasonable confidence of the capability of
19 RISC-3 SSCs to perform the safety-related functions
20 under the design basis conditions.

21 Now, this is -- I think the Committee had
22 quite a bit of discussion yesterday -- how did we
23 determine this was a sufficient level of regulatory
24 confidence and so forth? And I think this is clearly
25 an area where we've had a lot of discussion in South

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Texas. We've had discussion on Option 2; I think
2 we'll continue to have that kind of discussion. And
3 I'll point out it's an area that I think is a major
4 issue area here in a couple of slides.

5 MR. ROSEN: The NEI wanted to discuss
6 those, and they characterize this as something in
7 between Appendix B and no Appendix B.

8 MR. REED: Yes, they did.

9 MR. SCARBROUGH: Right. This is Tom
10 Scarbrough with the staff. It's sort of -- if you
11 look at it, it's sort of on the order of what might be
12 imposed for station blackout equipment and ATWS
13 equipment. It's somewhere -- it's not the no controls
14 whatsoever so that you can down to what's commercial
15 practice kick and count, receipt inspection or tool
16 pouch maintenance.

17 It's not all the way down to that level.
18 It's probably somewhere in between. It's something
19 that you might expect for under station blackout
20 equipment or ATWS. But in terms of the actual
21 details, we haven't gotten down to that level. We're
22 trying to say that it's not down to the complete low
23 level, but it's somewhere in the middle.

24 MR. ROSEN: Yes. I think we felt, and I
25 think the industry continues to feel, that if you end

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up with a third program, in other words, no program,
2 the full program and something in between, then a lot
3 of the benefit of this tends to go away.

4 MR. SCARBROUGH: Right. Well, that's why
5 I think it's important to realize that what we're
6 talking about is probably on the order of what's
7 already been implemented for the station blackout and
8 ATWS equipment. It's equipment that's a lot of
9 commercial grade, but it has some controls over its
10 procurement, and that's on the order of what we're
11 talking about. There's a lot more flexibility.

12 I think there was a question that
13 yesterday came up in terms of what are some of the
14 differences, and we were talking about that today in
15 terms of some of the major differences are the
16 flexibility. You have these very high-level
17 attributes that we're talking about. There's a lot
18 less prescription in the QA criteria. You don't have
19 the 16 criteria; you have eight processes which are
20 very general. You don't have the very specific
21 control of measuring test equipment. You still will
22 deal with that under the general functionality
23 requirement, but you don't have the very specific type
24 of QA criteria, which you have to have very specific
25 procedures and documentation and recordkeeping.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's a lot more flexibility in how you do that.

2 And we talked about procurement yesterday.

3 It's a lot more flexible in terms of getting it from
4 vendors. For certain procedures -- for certain
5 activities, such as some types of maintenance where
6 it's not technically difficult to do, you can do a lot
7 more maintenance without detailed procedures, more
8 general procedures, like skill a craft type of
9 procedures, that would be allowed.

10 In a specific area, such as motor-operated
11 valves, which we were talking about, in this case, the
12 way the rule is currently drafted, this draft, 55(a)
13 is still applied, and so they still would have ISI and
14 IST processes. And 55(a), in the most recent revision
15 of the regulations, applies an overlaying design basis
16 capability verification long term for motor-operated
17 valves. So that would be accommodated even for these
18 low risks. But how they would accommodate that is
19 through the risk-informed programs that are being
20 developed by ASME, the code cases and such. They
21 allow less margin and longer frequencies for testing
22 for these low risk ones. So that's how they sort of
23 take care of that.

24 DR. APOSTOLAKIS: Okay. Understand.

25 MR. SCARBROUGH: And so those are some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 areas where that would -- they'd be able to apply this
2 flexibility and get a lot of gain. But they're still
3 covered but just less assurance than we have right now
4 for Appendix B.

5 MR. REED: Okay. Getting on to trying to
6 identify some of the areas where there's perhaps some
7 differences or concerns between staff and
8 stakeholders, and I'm referring to them as early
9 comments here. I just broke them into what I'll call
10 areas of concern with the draft rule language and then
11 some of the areas of concern with the implementation
12 guidance. And this is, by no means, an exhaustive
13 list, but it just gives you some of the more big
14 ticket items that at least I heard yesterday and I've
15 heard in recent weeks.

16 Certainly, I think you heard that there's
17 a view that the language that we have in the draft
18 rule in this RISC-3 treatment area that it may be too
19 detailed. In fact, perhaps some of that detail ought
20 to be moved to the Quality Assurance Program, as was
21 suggested yesterday. That's one area that we need to
22 work on.

23 There was also a suggestion that we should
24 probably use what we have available to us in terms of
25 regulatory vehicles today. We've spent a lot of time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the last couple years developing design basis 50.2
2 guidance. We should probably use that. We have a
3 Commitment Management Guidance document out there, NEI
4 99-04, that the staff's endorsed. And 50.59's
5 recently been revised, and there was a suggestion that
6 that ought to be utilized to the maximum extent in the
7 framework you heard yesterday.

8 There was also concern that the license
9 amendment process that we're suggesting -- right now,
10 if you look in the draft rule language, it requires,
11 prior to approval, a submittal. It also requires that
12 to be a 50.90 license amendment. And so there's some
13 concerns of is that the appropriate way to go about
14 this? Can we do that without that process? That's
15 perhaps some burdens associated with the license
16 amendment.

17 And I think, in general, there were a lot
18 of comments that would go to this bullet saying that,
19 basically, we just need more dialogue to understand
20 what this draft rule language means. I mean I look at
21 some of it, frankly, and sometimes I'm having a hard
22 time figuring what it means myself. So, certainly, if
23 we would have the statement of consideration -- if
24 this was a proposed rule, we'd have the statement of
25 consideration to be explaining that, but we don't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that in this format. We're trying to work with
2 stakeholders early. We don't have that available to
3 us, so it's understandable that stakeholders are
4 looking at the words and don't know what they mean and
5 there's some concerns there, so we just need more
6 dialogue.

7 Which leads me to the next piece, which to
8 get more comfort in the draft rule, we probably need
9 to have a little bit more comfort in how you're
10 implementing it. And that leads to the issues in
11 implementation guidance. Staff has really reviewed
12 the categorization part of the implementation -- NEI
13 00-04. We've provided two rounds of comments, and
14 we're about to provide a third round. So we've done
15 a pretty good amount of review there on that part of
16 it.

17 On the treatment end of it, unfortunately,
18 really they didn't have much treatment in the very,
19 very early versions, and now, in the most recent
20 version, if you look at that, it really allows you to
21 pretty much -- it's not really guidance; it's really
22 the description of typical processes. It's not
23 aligned to the way the draft rule is today. I think
24 it would have to be written more like guidance and be
25 aligned to our draft rule for us to really provide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constructive comments. So it remains to be seen how
2 we'll address the treatment portion.

3 In the categorization area, like I said,
4 we're having another round of comments. I'd just
5 simply point out, there's a lot more than simply the
6 long-term containment integrity issue, but that's an
7 issue that is a big one, I think. But there's many
8 others that have been identified and also identified
9 during our observation of the pilot activities. And
10 we'll roll all those up and get those to NEI in the
11 near term.

12 Also, I became very well aware yesterday
13 that this Subcommittee has some significant concerns
14 on the robustness of the categorization process, and
15 so we want to meet with the Committee as soon as we
16 can -- February, hopefully; if not, March -- to get a
17 list of all those concerns. And, frankly, I would
18 think at that point in time that it would be a good
19 idea to have NEI also present and discuss their
20 document. They are in fact the author of a lot of
21 that, and they probably would be -- it would be good
22 to have them here to defend their document, as a
23 suggestion.

24 DR. APOSTOLAKIS: Now, Mike, do we have to
25 wait until February?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARKLEY: It's up to you, whenever you
2 and the staff and NEI are ready to sit down and talk.

3 DR. APOSTOLAKIS: It has to be in
4 Subcommittee. We should not transmit any comments

5 MR. MARKLEY: They would be individual
6 member comments and have to be captioned that way, but
7 we could do that.

8 MR. REED: I mean I really see the staff
9 kind of in the mode of listening to the Committee's
10 comments. And we'd like to get those as soon as we
11 can to try to factor those into what we're going to do
12 with the categorization guidance.

13 MS. CARPENTER: This is Cindi Carpenter
14 from the staff. We're available any time that you are
15 to discuss that.

16 DR. APOSTOLAKIS: But NEI has to be
17 available too.

18 MS. CARPENTER: Right. Exactly.

19 MR. REED: Yes. That's another -- got to
20 work them into it too. We can work with Mike.

21 DR. APOSTOLAKIS: I would rather do it
22 sooner than later, because the more we wait, the more
23 resistance there will be to the comments, because the
24 process advances.

25 MR. MARKLEY: But, George, it would seem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to me it also would be good if the time when you have
2 it, the staff has refined their comments more fully on
3 the NEI document as well, so that you're looking at
4 something they've got, whether it's a response back to
5 them, and you're dealing with the resolution of those,
6 as opposed to necessarily just throwing these out to
7 get folded in.

8 MR. REED: We were thinking that way too,
9 but I'm not sure how much we'll have refined by early
10 February. Hopefully, we will, but it's most important
11 for us to understand these concerns. So I think that
12 I'd rather have that happen, get the concerns as soon
13 as possible. And if we can have our comments refined,
14 we can deliver those too at the same time. Hopefully
15 we can get those to NEI first as part of the process.

16 DR. APOSTOLAKIS: Well, maybe we can
17 submit -- first of all, during the Subcommittee
18 meetings, the comments that members make are
19 individual; they're not Committee positions anyway.
20 Maybe send something to them in the form of questions
21 from individual members? Because I really would hate
22 to wait until February.

23 MR. KELLY: This is Glenn Kelly from the
24 staff. And you can correct me, Mike Cheok, if I'm
25 wrong, but it's my understanding that we're pretty up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 to date in categorization with NEI. And we've
2 certainly had a lot of discussions with them there.
3 And they reasonably well understand where we are, and
4 I think we understand where they are. We're not
5 necessarily in the same place with treatment, so we
6 can probably come and discuss categorization right
7 away, and we'd have to wait on treatment. So even if
8 you could split those two up --

9 DR. APOSTOLAKIS: Oh, yes.

10 MR. KELLY: -- that's fair.

11 MR. MARKLEY: George, maybe the best way
12 to put this thing together is that if we can refine a
13 list of questions or something that would be the
14 context of what's discussed at the Subcommittee, I
15 think that may be the better way of doing it.

16 DR. APOSTOLAKIS: Sure. I think that's a
17 good point. So I can invite the members to submit
18 questions if they wish.

19 MR. MARKLEY: It really just becomes the
20 agenda for the meeting at that point.

21 DR. APOSTOLAKIS: Yes. And, again, things
22 that we've covered here, like put more structure to
23 the deliberations of the panel, we don't have to put
24 those down. That's part of the transcript now. But
25 there are some detailed technical questions that I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would really hate to wait until February to give them
2 to you. So Mr. Markley and the Committee will work
3 together to come up with the best way to do it.

4 MR. REED: Okay. Actually, I've already
5 said this, but I'll say it again. On the treatment
6 portion of the NEI guidance, as I mentioned, it's
7 really not written in terms of guidance, and obviously
8 could not have been aligned to the draft rule since
9 the draft rule just recently came out. So we need to
10 work with NEI and figure out the most sufficient way
11 to get that tuned up to fit with the draft rule and be
12 written as guidance.

13 And I simply point out, and I think the
14 Committee's well aware of it, but in the RISC-3 area,
15 I think the key to success of Option 2 is
16 understanding the details of implementation of RISC-3;
17 in fact, hopefully getting agreement on that
18 implementation. That sorts out whether in fact this
19 is cost beneficial or not for industry to follow it,
20 and it will be the key factor determining success,
21 ultimately, of Option 2.

22 MR. ROSEN: What do you define as success
23 of Option 2?

24 MR. REED: Actually, I define it as
25 everybody understanding -- personally, I'd like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have both sides completely understand what's going on,
2 okay? We need to have regulatory assurance, okay?
3 That's a given. We need to maintain design basis.
4 And when we get to the point where we've defined the
5 minimum level of requirements for RISC-3 that we have
6 to have, okay, as low as we can, and we understand and
7 we can transmit to basically deliver the information
8 in industry, when we expect the means to implement
9 that, then it becomes a function of what does that
10 mean in terms of cost and benefit?

11 MR. ROSEN: Well, that's what I think is
12 the definition of success, is that staff is able to
13 define a set of requirements that does in fact
14 maintain design basis functionality.

15 MR. REED: A minimum, yes.

16 MR. ROSEN: And licensees see that as not
17 so high a barrier to entry that a fairly large
18 percentage of them choose to adopt Option 2. If you
19 set a criteria that preserves design basis
20 functionality and everybody agrees but the licensees
21 say, "Well, it costs so much, and I wouldn't bother to
22 change anything," then I would say that's failure.
23 That's a lot of work for nothing. There's no change.

24 MR. REED: Yes. I mean I have to start
25 with the prerequisite that I maintain design basis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 functions, and there's a minimal set of requirements
2 to do that. I hope that it works out. That's cost
3 beneficial. If it's not cost beneficial, then
4 obviously it's not -- it doesn't behoove anybody to
5 follow this approach. This is a voluntary initiative,
6 and staff shouldn't be taking its resources to put
7 together a voluntary initiative that nobody will
8 follow. So we're both interested, both industry and
9 the staff, of what the costs and benefits are. And
10 the sooner we can get there, I think the better off we
11 are.

12 And then, quickly, just one slide, George,
13 on where we're going from here. We're continuing our
14 efforts to review the NEI implementation guidance, and
15 in that regard, developing guidance for review of the
16 submittal, which would look at the categorization
17 process and the PRA quality issues. We're continuing
18 to observe pilots. We've observed two pilot plants to
19 date, two pilot expert panels and two more are coming.

20 DR. APOSTOLAKIS: Yes. Tim, I had a
21 question on that. Is the purpose of the pilots to
22 observe the IDPs or to put the whole process under
23 scrutiny? Because the reports that you got back from
24 your colleagues, which I must admit I read very
25 quickly, but the reports that you got back from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two pilots were primarily dealing with the
2 deliberations of the panel. Will there be any effort
3 to see if this is how they did the categorization,
4 they're calculating Fussell-Vesely correctly? In
5 other words, the whole works, not just what questions
6 the panel asks.

7 MR. REED: Well, clearly, the expert
8 panel, in my mind, is the culmination of the process.
9 They have all the information delivered to them. For
10 example, the pilot I was involved with, observing Quad
11 Cities, Quad Cities, basically, the BWR Owners Group
12 gave them about a 300-plus page document that did the
13 categorization, okay? And we got an opportunity to
14 take a look at that. And then they additionally
15 provided data sheets and what have you to help the
16 panel do its job.

17 So, in a sense, you get to -- when you
18 observe the IDP, you get to see the RAW information in
19 addition to watching the panel perform. And so it's
20 a good opportunity to interface with the pilots in an
21 efficient manner with minimal interruption and still
22 get an awful lot of feedback.

23 DR. APOSTOLAKIS: But are you going to
24 question what's in the 350-page input to the panel?

25 MR. KELLY: I can speak about the two that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we already had. Generally, we didn't really get the
2 information early enough ourselves to be able to do
3 any kind of independent test. What we did do is, as
4 Tim mentioned, is to observe the third part of the
5 categorization process. We did not look at how they
6 came up with defining the functions for each
7 component. We did not look at how they did the
8 Fussell-Vesely or RAW calculations for each component.
9 Those, given that you have a PRA, are relatively
10 simple calculations to set up. We were more concerned
11 about that they had things such as had defined all the
12 important functions for the components, had considered
13 potential problems associated with failure of the
14 components.

15 DR. APOSTOLAKIS: The statements in the
16 NEI report, though, regarding common cause failures I
17 must say I don't --

18 MR. KELLY: You have some issues. That's
19 one of our issues.

20 DR. APOSTOLAKIS: I'd like to see a
21 natural implementation of this and say, "This is what
22 we did." For RAW it says -- I believe it says that
23 you don't need a common cause failure.

24 MR. KELLY: Well, this is one of the --

25 DR. APOSTOLAKIS: It exists for a year,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and I'm trying to understand what that means.

2 MR. KELLY: Well, one of the problems
3 associated with common cause failure is that I don't
4 think in either one of the pilots that they understood
5 what they were doing regarding common cause failure.

6 DR. APOSTOLAKIS: Other than that, did you
7 like what they did?

8 MR. KELLY: Well, I mean this is one of
9 our comments. We recognized that they didn't really
10 understand that. And there were a number of things
11 that they didn't understand, but this is a learning
12 process for them also. As we had mentioned at the
13 Subcommittee, generally they had about six or seven
14 experts about various parts of the plant, one of which
15 was generally a PRA expert, and he was generally the
16 only person that had any clue about really what RAW
17 and Fussell-Vesely or any of the PRA stuff meant. And
18 that was a real limitation in how the IDPs were run.
19 Hopefully, in the future, that part will be -- they'll
20 be better educated in where the risks are, as defined
21 by the PRAs and things like that. We did identify
22 that in our comments that came out of the pilots. I
23 think Mike has a comment.

24 MR. MARKLEY: I guess, for the record, I
25 guess it's not that fair to say that they did not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand common cause failures. I guess the
2 understanding was different from what the staff would
3 understand it to be. They, basically, did not account
4 for the common cause failures in the calculations of
5 importance measures. The staff position was that we
6 have to account for it somehow, either through the
7 random failure probability, such as the beta factors.
8 We are still in the middle of discussions with NEI on
9 that.

10 DR. APOSTOLAKIS: I expect that. I didn't
11 name it that, by the way.

12 (Laughter.)

13 Don't look at me that way. Are you done,
14 Tim?

15 MR. REED: Just about. Additionally,
16 we'll continue issuing revisions of the draft rule
17 language onto the web as they become available. Of
18 course, we're going to meet with ACRS, as I point out
19 here, in the February/March time frame, whatever we
20 work out with Mike Markley. We have to start the
21 regulatory analysis and of course develop the proposed
22 rule package, which we've started on now.

23 DR. APOSTOLAKIS: Good.

24 MR. REED: So those are the tasks that we
25 have to perform. Thanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: Any comments, questions
2 from the members? Well, thank you very much. And I
3 must say I'm really happy to see that you're so
4 willing to ask questions yourselves and learn from
5 that what the Committee has to offer. That's very
6 good. That's why I don't want to wait until February
7 when perhaps you will start being more defensive.

8 (Laughter.)

9 So this is early in the process, and I'm
10 really very happy to see that you have the right
11 attitude. So thank you very much, appreciate it. You
12 responded to the Subcommittee's request very well,
13 even though you only had a day. So we'll meet again.
14 And we'll discuss with Mr. Markley what the
15 appropriate way would be to --

16 MR. ROSEN: Get comments in.

17 DR. APOSTOLAKIS: -- give you comments or
18 maybe have another Subcommittee soon or somehow
19 communicate with you.

20 DR. POWERS: If you're looking for input
21 on that, I really grow nervous when members start
22 offering comments outside of the normal processes of
23 these meetings.

24 MR. REED: Maybe we'll have to have a
25 meeting and round them up at that point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: Sure. That's part of
2 the consideration of whether we send comments. Okay.
3 Thank you very much. Now we have to work on our
4 reports. I think we start at 5:30.

5 (Whereupon, at 5:09 p.m., the ACRS
6 Advisory Committee Meeting was concluded.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: ACRS 488th Meeting

Afternoon Session

Docket Number: (Not Applicable)

Location: Rockville, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Rebecca Davis
Official Reporter
Neal R. Gross & Co., Inc.