

NUCLEAR REGULATORY COMMISSION

ORIGINAL

Title: Advisory Committee on Reactor Safeguards
Thermal-Hydraulic Phenomena Subcommittee
OPEN SESSION

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, January 18, 2002

Work Order No.: NRC-177

Pages 612-628
Closed pp 523-611
Session

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

**ACRS Office Copy - Retain
for the Life of the Committee**

TROY

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
THERMAL HYDRAULIC PHENOMENA SUBCOMMITTEE

+ + + + +

FRIDAY

JANUARY 18, 2001

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The subcommittee met at the Nuclear
Regulatory Commission, Two White Flint North, T2B3,
11545 Rockville Pike, at 8:30 a.m., Graham Wallis,
Chairman, presiding.

COMMITTEE MEMBERS:

GRAHAM B. WALLIS, Chairman

THOMAS S. KRESS, Member

VIRGIL SCHROCK, Consultant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 STAFF PRESENT:

2 PAUL BOEHNERT

3

4 ALSO PRESENT:

5 JAMES MALLAY

6 BOB MARTIN

7 RALPH LANDRY

8 BILL NUTT

9 STEVE BAJOREK

10 JERRY HOLM

11 GENE JENSEN

12 YURI ORECHWA

13

14

15

16

17

18

19

20

21

22

23

24

25

I-N-D-E-X

Staff Presentation

Ralph Landry 615

Adjourn 628

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

P-R-O-C-E-E-D-I-N-G-S

(10:43 a.m.)

MR. LANDRY: I think I'll sit down for this next couple of minutes. Hopefully I won't say anything stupid to disclose proprietary material in the next few minutes.

MR. BOEHNERT: We'll shoot you if you do.

MR. LANDRY: What I'd like to do --

MR. BOEHNERT: He's going to go back to his original slides.

MR. LANDRY: Going back to my original slides. What I'm going to do is skip up to page six and then to page eight because we've just had the presentation on the review that is being performed on the statistical methodology.

Some of the comments that the subcommittee made with regard to S-RELAP 5 for the small break LOCA and I've lumped some of the comments together in just identifying three items. One thing the committee said was that the staff should insist on complete documentation before issuing a final SER. When we look at the material that has been submitted for the realistic large break LOCA on S-RELAP 5, our impression at this point is that there is a great deal of material and, in fact, far more material than we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 typically see on any submittal of a code.

2 Whether it is the absolute perfect
3 complete set, I'm not sure we could say right now but
4 I would say that this is a very large set of material.
5 It includes a full set of manuals on the code itself
6 and on the subsidiary codes. It includes other
7 documentation which is contained on the three CD roms
8 which we have received.

9 One of the points that was brought up
10 yesterday by Professor Schrock was looking at the
11 decay heat model and how that model has been
12 substantiated. The vendor has produced licensing
13 calculations or calculation notebooks -- excuse me --
14 along the way which they do on every calculation they
15 do. Normally, we do not ask for submittal of
16 calculation notebooks. They are available for audit
17 at any time. We will discuss with them further though
18 whether part of the justification for the decay heat
19 model which they are using should be supplied as
20 additional material, perhaps in an RAI or some
21 submittal form. But we will discuss that with them
22 further. We do not anticipate asking for the
23 calculation notebook, but perhaps we should put on the
24 record an extract from that notebook which justifies
25 what they have done.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Another comment that the committee made
2 was that the staff needs to consider how broad-based
3 the assessment of realistic LOCA should be, not only
4 to ensure adequacy but also to the measure of
5 uncertainty. We've been making comments throughout
6 this presentation. Doctor Orechwa just gave you his
7 views and the approach he's taking to doing the
8 review, and we will continue to discuss this, look at
9 developing his views further, and we would look
10 forward to feedback from the subcommittee on your
11 views on what he has said and the approach he has
12 taken.

13 Another comment that the committee made
14 was that there should be an independent evaluation of
15 code runs when S-RELAP 5 is submitted as realistic
16 LOCA. We are doing that, as I indicated yesterday.
17 We have at least one person now --

18 CHAIRMAN WALLIS: That means running the
19 code yourselves.

20 MR. LANDRY: Running the code ourselves on
21 input models but also running parts of the code,
22 looking at models and sub-routines within the code,
23 varying parameters within those models and
24 correlations to determine the effect on the result.
25 We have a person who is putting in time working with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the code, worked from the source code, modifying the
2 models, modify parameters, recompile the code and run
3 the code. That would, of course, be taken to be
4 understood that that is a modification we have made to
5 the code and it is not the frozen code, that the
6 results that we get are looking at an effect of change
7 within the code and would not be taken that this is
8 UMAR01 or whatever the latest frozen version of the
9 code is. So that would have to be that understanding,
10 that these are modifications we made to try to
11 understand what the code does.

12 As part of that effort, we will be looking
13 at some of those models and some of the equations
14 within those models and spot checking. Are they
15 programmed to represent the model equation or the
16 correlation that is in the documentation? So we will
17 be doing independent evaluation with regard to some
18 spot checking also.

19 So I hope that those comments respond to
20 some of the five points that you had in your letter.
21 I lumped a couple of those together in these
22 responses, but we are taking those points that you
23 made quite seriously and we're trying to respond to
24 them and we're trying to factor those into our review
25 on the realistic large break LOCA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Some of our conclusions. We do feel that
2 the S-RELAP 5 submittal is probably the most complete
3 we've seen to date.

4 CHAIRMAN WALLIS: Of any code?

5 MR. LANDRY: Of any code. At least in the
6 last several years, this is the most complete of any
7 code we've had submitted. The documentation is
8 massive. All the pertinent documents for S-RELAP 5
9 have been submitted and for models that are carried in
10 as outside models into the code.

11 The effort of the review is focusing on a
12 number of areas that have not been previously reviewed
13 in the code. There are some things that we will be
14 going back to look at, but I've outlined some of the
15 specifics that we are looking at in this review.
16 Again, due to our staff resources, we can't review
17 everything in the code. We have to pick out what has
18 not been reviewed and items that we feel are very
19 important and focus very heavily on those. The review
20 will include independent evaluation of the models and
21 the code and we do, as has been said a number of times
22 the last few days, have a very aggressive schedule for
23 this review. We are doing our best to adhere to that
24 schedule. We're pressing the staff and the consultant
25 to adhere to that schedule to get information and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 questions very quickly because we want to proceed with
2 the schedule.

3 MR. KRESS: Does your exercise of the code
4 include the ability to do the non-parametric
5 statistics?

6 MR. LANDRY: We have not planned to do the
7 statistical analysis with the code. We are, again
8 because of staff limitations, there's only a certain
9 amount we can do and my feeling is that it would be
10 more beneficial and better use of the resources if I
11 focus them on areas of the code that should be
12 evaluated internally and independently.

13 MR. KRESS: You will evaluate the ranges--

14 MR. LANDRY: That is part of the questions
15 that we talked about yesterday and part of other
16 questions we'll be asking to ensure that the
17 correlations and models are being used within the
18 range of validity and applicability. And Yuri brought
19 up some of that this morning, too, in his discussion,
20 concern that you're using data properly and
21 correlations properly.

22 If there are no other questions, those are
23 the conclusions and where the staff review is on the
24 code. I've taken a number of notes the past two days,
25 a number of items that we're going to look at. One of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the points that we're going to discuss internally is
2 what can we do in the way of looking for compensating
3 errors or effects.

4 One of the examples that always comes to
5 mind on that is talking about the LOFT test L-22.
6 When we ran the L-22 test, as one that was managing
7 the project then, I was sitting there in the control
8 room when they ran the test and we had a beautiful
9 plot that was done with RELAP 406, I believe it was,
10 up on the screen and here comes this plot and here
11 goes the temperature screaming up, almost overlaid the
12 blowdown --

13 CHAIRMAN WALLIS: -- heat up or something.

14 MR. LANDRY: The blowdown part overlaid it
15 beautifully and the curve drops down and goes on up to
16 reflood and here comes the temperature screaming down.
17 We thought, holy cow, what did we do wrong? And then
18 the temperature goes back up. So afterwards we spent,
19 after we got some rest because we worked about three
20 days without sleep before we did that test, after we
21 got a little rest, we started looking at the data
22 trying to figure out what in the world happened and
23 found out that we had indeed had a core quench. Right
24 away at that point, the two people that had the codes,
25 INEL with RELAP and Lionel Los Alamos with TRAC,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 started trying to figure out how they're going to
2 predict this. Lionel came back with a calculation
3 that overlaid the quench perfectly. They used a new
4 correlation. We sat back and looked at that and
5 started looking at the correlation and looking at it.
6 We said, you got the temperature right but you don't
7 have a single other parameter right. Every single
8 hydraulic parameter is wrong. So you got the right
9 temperature for the wrong reason.

10 Prime example of a compensating error and
11 a big concern that we do have is we have to make sure
12 to find some way to determine are the values we're
13 seeing right for the right reason or are there
14 compensating errors?

15 We want to look at break flow split a
16 little bit on these double-ended guillotines. How is
17 the break flow being split between the two ends of the
18 pipe? The comment that Professor Schrock was bringing
19 up about the split break is very valid. There are no
20 data for a split break. There are data for T-flows
21 and, indeed, the split break starts as a T. But it
22 transitions from a T to flow from two directions into
23 what should be a T, and there are no data that I'm
24 aware of to do that. So we have to give some more
25 thought to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Critical flow calculation and model. One
2 of the things that we specifically tasked our
3 contractor to look at is the critical flow model, the
4 break flow models. So we'll be looking at that
5 further.

6 CHAIRMAN WALLIS: I think we'd like an
7 explanation of how you go from two fluid to
8 homogeneous or whatever and how things are fitted
9 together.

10 MR. LANDRY: That's one of the things that
11 I think we'll be asking Doctor Ward to look at
12 further. The regulatory implications of biases.
13 That's part of a discussion that we'll be having with
14 Doctor Orechwa and the views on the uncertainty
15 analysis, I believe.

16 We'll be looking further at things like
17 UPTF and some of the other tests and the applicability
18 or how you deal with some of the oscillations that
19 have been shown and discussed in this meeting. So
20 those are a number of the notes that I have for
21 further input we'll be looking for in the transcript
22 of the meeting and we'll also be waiting to hear from
23 the subcommittee and from the subcommittee's
24 consultant any additional comments, especially with
25 regards to things that you think as part of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 independent evaluation should be looked at within
2 particular models. We have a person dedicated to
3 doing this work and I would like to have the specifics
4 to keep her busy so that we look at the right
5 questions instead of come up in August and say, you
6 didn't look at the right questions. I'd like to use
7 the person correctly and look at some of those right
8 questions plus the other work she's doing.

9 CHAIRMAN WALLIS: We can not promise that
10 there won't be questions in August. My experience is
11 that no matter how much you go over this, there's
12 always the chance that something will come up.

13 MR. LANDRY: I realize that.

14 CHAIRMAN WALLIS: But we don't want to
15 surprise you in August.

16 MR. LANDRY: We'd like to give the best
17 shot we can.

18 CHAIRMAN WALLIS: We simply don't have
19 time. I've had that experience of reviewing
20 something. You think you've done it and then you find
21 out that it triggers something and you dig further
22 into something else and you find something you didn't
23 know you were going to find. Can't be sure.

24 MR. LANDRY: One final comment. A comment
25 with regards to statistics and liars and statisticians

1 is often times attributed to Mark Twain or Samuel
2 Clemens. Actually, it originates with Disraeli and
3 Mark Twain was quoting Disraeli.

4 CHAIRMAN WALLIS: I would think it's
5 probably been used before that. Almost as soon as
6 they were invented, someone probably saw the
7 potential.

8 MR. LANDRY: Julius Caesar may have talked
9 about the statistical evaluation of whether he should
10 be stabbed or not.

11 CHAIRMAN WALLIS: Well, they probably had
12 59 conspirators to make sure.

13 MR. NUTT: Then you have a 95 percent
14 probability he's dead.

15 CHAIRMAN WALLIS: Well, I think that we
16 don't have any ACRS letter on this and we're not to
17 that point. What will happen is that I anticipate
18 that I will make a very short presentation to the full
19 committee saying we've had this meeting and we've
20 heard various things and this is where we are in the
21 process.

22 Do any of my colleagues wish to say
23 anything at this time before I wind up the meeting?
24 I'm looking forward to your comments by email so that
25 I can prepare for the full committee meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOEHNERT: I think the only thing we
2 have to sort out is this business about what we want
3 to transmit or what we have to transmit to the staff
4 and Framatome and how to do it.

5 CHAIRMAN WALLIS: I'd like to know what we
6 transmitted last time.

7 MR. BOEHNERT: Yes, we got to dig that up.
8 Absolutely.

9 CHAIRMAN WALLIS: Tom, do you have any
10 last minute remarks for us?

11 MR. KRESS: No. I think -- well, you
12 covered my items that I think he ought to think about
13 already that I had on my list. I might want to say
14 overall I was favorably impressed with the approach of
15 using PIRT and the uncertainty and sensitivity to
16 determine the 95/95 values for your acceptance
17 criteria. Looks like a good approach to me. There
18 may be some problems with some of the details but I
19 was impressed with it.

20 CHAIRMAN WALLIS: Virgil.

21 MR. SCHROCK: I think I was impressed in
22 many ways and disappointed in a few others. I think
23 I've commented on the places where I thought there was
24 a problem. I'll try to make those more pointed and
25 clear in my written comments. I do think there's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 problem with this so-called best estimate approach
2 being picked apart this way and to have continuum of
3 things ranging from Appendix K method to best estimate
4 method. Not very much clarity about what it is that
5 finally guarantees the thing is satisfactory.

6 I guess the decay power is the key one
7 that we talked about. Ralph's about not requiring
8 these notebooks, I guess you need to think about
9 whether the requirements that you have are going to
10 serve adequately in this environment. Seems to me
11 that the key point there was that if you're going to
12 claim that what you have is a conservative approach to
13 the thing, you have to demonstrate its conservatism.
14 I don't see in that case any other way of doing it
15 than doing a large number of best estimate
16 calculations which are exercising the full range of
17 technical information in the ANS standard that's now
18 being done.

19 CHAIRMAN WALLIS: Well, I was hoping to
20 stop at 11 but it's gone.

21 MR. BOEHNERT: Just barely.

22 CHAIRMAN WALLIS: And the reason is that
23 we started a minute late. I'd like to thank
24 Framatome. I think a lot of useful information was
25 transmitted in this meeting and it's given us a good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 start in our review of your submittal or the role that
2 we play in the review process. I'd also like to thank
3 you for your general appearance of openness to discuss
4 questions, respond frankly. That's been very helpful.
5 We don't have any comment yet on the documentation I
6 think because we haven't really had time to study the
7 details. It's a lot of stuff, but we look forward to
8 that, too.

9 So thank you very much. We'll see you
10 again some time in the future and hope this all works
11 out well for all of us. Thank you.

12 MR. HOLM: Thank you.

13 CHAIRMAN WALLIS: The meeting is
14 adjourned.

15 (The meeting was adjourned at 11:05 a.m.)
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

CERTIFICATE

This is to certify that the attached proceedings
before the United States Nuclear Regulatory Commission
in the matter of:

Name of Proceeding: ACRS Thermal Hydraulic

Phenomena Subcommittee

Docket Number: (Not Applicable)

Location: Rockville, Maryland

were held as herein appears, and that this is the
original transcript thereof for the file of the United
States Nuclear Regulatory Commission taken by me and,
thereafter reduced to typewriting by me or under the
direction of the court reporting company, and that the
transcript is a true and accurate record of the
foregoing proceedings.



Pippa Antonio
Official Reporter
Neal R. Gross & Co., Inc.