

NUCLEAR REGULATORY COMMISSION

ORIGINAL

Title: Advisory Committee on Reactor Safeguards
489th Meeting

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, February 7, 2002

Work Order No.: NRC-214

Pages 1-368

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005

2021 204-4433
**ACRS Office Copy - Retain
for the Life of the Committee**

TRO4

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

489TH MEETING

+ + + + +

THURSDAY

FEBRUARY 7, 2002

+ + + + +

ROCKVILLE, MARYLAND

The ACRS met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., George E. Apostolakis, Chairman, presiding.

COMMITTEE MEMBERS:

GEORGE E. APOSTOLAKIS, Chairman

MARIO V. BONACA, Vice Chairman

F. PETER FORD

THOMAS S. KRESS

DANA A. POWERS

STEPHEN L. ROSEN

WILLIAM J. SHACK

JOHN D. SIEBER

GRAHAM B. WALLIS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACNW MEMBERS PRESENT:

2 B. JOHN GARRICK, ACNW, Acting Chairman

3 MILTON N. LEVENSON

4

5 STAFF PRESENT:

6 MICHAEL T. MARKLEY

7 SAM DURAI SWAMY

8 HOWARD J. LARSON

9 SHER BAHADUR

10 CAROL A. HARRIS

11 NOEL DUDLEY

12 JOHN T. LARKINS

13

14 ALSO PRESENT:

15 VICTOR H. RANSOM, Invited Expert

16 MARK CUNNINGHAM

17 FRANK GILLESPIE

18 STEWART MAGRUDER

19 RICHARD BARRET

20 LAWRENCE KOKAJKO

21 SAMUEL J. COLLINS

22 ASHOK THADANI

23 WILLIAM D. TRAVERS

24 MARTIN VIRGILIO

25 GARY HOLAHAN

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C-O-N-T-E-N-T-S

Opening Remarks by the ACRS Chairman 4

Risk-Informed Regulation Implementation Plan . . . 7

Meeting with EDO and Office Directors of NRR, . . 72

NMSS, and RES

Proposed Final Revision to Regulatory Guide . . 181

1.174 and SRP Chapter 19

PTS Technical Bases Reevaluation Project . . . 249

Adjourn 368

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:34 a.m.)

1
2
3 CHAIRMAN APOSTOLAKIS: The meeting will
4 now come to order. This is the first day of the 489th
5 Meeting of the Advisory Committee on Reactor
6 Safeguards. During today's meeting the Committee will
7 consider the following, this Conformed Regulation
8 Implementation Plan, meeting with the ADO and the
9 Office Directors of NRR, NMSS and RES, status report
10 on the proposed final revision to Regulatory Guide
11 1.174, and Standard Review Plan, Chapter 19, PTS
12 Technical Basis Re-evaluation Project, Proposed ACRS
13 reports. ACNW Members John Garrick and Milt Levenson
14 will participate in the meeting with ADO and the NRC
15 Office Directors.

16 This meeting is being conducted in
17 accordance with the provisions of the Federal Advisory
18 Committee Act. Dr. John T. Larkins is a designated
19 federal official for the initial portion of the
20 meeting.

21 We have received no written comments or
22 requests for time to make oral statements from members
23 of the public regarding today's sessions. A
24 transcript of portions of the meeting is being kept,
25 and it is requested that the speakers use one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 microphones, identify themselves, and speak with
2 sufficient clarity and volume so that they can be
3 readily heard.

4 I will begin with some items of current
5 interest. I'm pleased to announce that the Commission
6 has approved the appointment of Dr. Victor Ransom to
7 the ACLS, subject to final clearance review. Dr.
8 Ransom is attending this meeting as an observer.
9 Welcome.

10 Amarjit Singh is going on rotation for
11 three months as Senior Project Manager in the
12 Probabalistic Risk Analysis Branch of the Office of
13 Research, effective February 10th. And I am happy and
14 sad to announce that Mr. Noel Dudley is leaving the
15 ACLS - will you stand up, Noel - to join the Office of
16 Nuclear Reactor Regulation as a Senior Project Manager
17 with the License Renewal Section, effective February
18 10th, as well.

19 Noel, as we all know, has been one of the
20 most valuable members of the staff. He has been with
21 ACLS for eight years, and he has made significant
22 contributions in several areas, including License
23 Renewal, Steam Generator Tube Integrity, Materials and
24 Metallurgy, the Licensing of AP-600, Safeguards and
25 Human Factors.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm happy to congratulate Noel, but I'm
2 also sad, as I said, that he's leaving us, and I think
3 he deserves a round of applause.

4 MEMBER ROSEN: I think we'll also miss Jit
5 over the three months he --

6 CHAIRMAN APOSTOLAKIS: Jit is coming back
7 in three months. I don't have to say too much about
8 him.

9 MEMBER ROSEN: Can I get a -- can I be
10 sure of that?

11 CHAIRMAN APOSTOLAKIS: Now one other item
12 of interest, in the hand-out, those items of interest,
13 please go to pages 34 and on, and find information on
14 the Annual -- the 14th Annual Regulatory Information
15 Conference, which will be held in Washington next
16 March, March 5th, 6th, and 7th. So if any members
17 decide that they would like to go, please let us know.

18 MEMBER POWERS: When is our meeting in
19 March?

20 CHAIRMAN APOSTOLAKIS: When is our
21 meeting? The last date.

22 MEMBER POWERS: Yeah.

23 MR. DUDLEY: I'd like to add to that that
24 the registration form for the meeting is on -- is the
25 last page of your package.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Yeah.

2 MR. DUDLEY: You can also register on-
3 line.

4 CHAIRMAN APOSTOLAKIS: Okay. Are there
5 any comments or announcements from the members?
6 Hearing none, we'll proceed with the agenda. The
7 first item is Overview of Risk Informed Regulation
8 Implementation Plan. Dr. Shack, you will lead the
9 Committee through this.

10 MEMBER SHACK: Okay. We've, of course,
11 spent a lot --

12 CHAIRMAN APOSTOLAKIS: Bill, your
13 microphone.

14 MEMBER SHACK: We've spent a lot of time
15 discussing individual issues under Risk Informed
16 Regulation. I think this is the first time that I can
17 recall reviewing the overall Risk Informed
18 Implementation Plan, and I guess Mark Cunningham is
19 going to lead the presentation for it.

20 MR. CUNNINGHAM: Thank you, sir. You're
21 right. I think -- if the Committee has been briefed
22 on the Implementation Plan, it's been a long time ago,
23 so I think the intent of our briefing today is to both
24 give you some ideas of the general structure of the
25 plan, and the rationale for the plan as it's laid out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then give you some -- describe some of the more
2 important initiatives that are embedded in the plan.

3 I'm Mark Cunningham in the Office of
4 Research. With me is Stu Magruder and Frank Gillespie
5 from NRR. Joining us shortly will be Lawrence Kokajko
6 from Office of Nuclear Materials Safety and
7 Safeguards.

8 We've got four parts to the presentation
9 today. I'm going to give you an overview of the new
10 Implementation Plan format and content, and some of
11 the rationale of why it looks the way it does.

12 The Implementation Plan, the substance of
13 the Implementation Plan is organized by a strategic
14 arena. Frank and Stu will talk about the reactor
15 arena work, including both major initiatives and
16 challenges facing the staff right now, and at least
17 one approach for identifying how we -- for how we
18 would identify new areas, or new regulatory activities
19 to be risk informed in the reactor arena.

20 Lawrence will then talk about the
21 materials and waste arenas, again some important
22 issues that are facing them, some upcoming milestones,
23 and how they are now using -- what process they're now
24 using to identify what else in NMSS they'd like to
25 risk inform. And then I'll come back at the end with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some next steps that we're taking.

2 By way of background, those of you who
3 have been on the Committee for a while may recall that
4 there used to be a PRA Implementation Plan, and in the
5 late 1990s, in 1999, we received some rather
6 considerable criticism of that from the General
7 Accounting Office, and the GAO advocated that to -- in
8 order to really effectively implement NRC's PRA Policy
9 Statement, we needed to develop a comprehensive
10 strategy for risk informing NRC's Regulatory
11 activities. In 1999, the Chairman made a commitment
12 that we would modify the plan, and try to accomplish
13 what GAO was interested in. Next slide.

14 We've gone through two iterations of the
15 plan in the terms of the format of the plan since
16 then. We had a March 2000 version that went to the
17 Commission, and the Commission gave us some guidance
18 at that point on three specific areas. They said they
19 wanted to hear more about internal communications, of
20 how we talk internally and bring the staff together on
21 how the benefits of risk informing are requirements.
22 They also wanted --

23 MEMBER WALLIS: Can I ask you something?

24 MR. CUNNINGHAM: Yes, sir.

25 MEMBER WALLIS: You have a plan. Is it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 clear what the goals are? Is it clear what the
2 objectives are before you have a plan to get there?

3 MR. CUNNINGHAM: I believe so. Yes, sir.
4 We could give you some examples when we get done here,
5 if you'd like.

6 MEMBER WALLIS: Okay.

7 MR. CUNNINGHAM: As I say, the -- at the
8 high level, the purpose -- the -- what we're trying to
9 do in Risk Informed Regulation is oriented to the
10 strategic plan goals of the agency. They're much
11 broader than this, and everything that we talk about
12 in the plan is linked to the accomplishment of a
13 specific, what they call strategy, in the strategic
14 plan.

15 MEMBER WALLIS: It just seems to be --
16 Risk Informing seems to be sort of a method rather
17 than an objective. Is more Risk Informing better, or
18 is it itself a means to some other end, which is
19 greater than itself?

20 MR. CUNNINGHAM: It's a means to another
21 end, which is -- and one way to think about it is to
22 improve the focus of our Regulatory activities on the
23 most safety important issues and topics.

24 MEMBER WALLIS: Okay. Then you to have
25 some measures of those successes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CUNNINGHAM: Yes.

2 MEMBER WALLIS: So you say we have Risk
3 Informed this regulation, and in so doing, we have
4 achieved some objectives which are measurable on some
5 scale.

6 MR. CUNNINGHAM: That's correct.

7 MEMBER WALLIS: It would be very useful to
8 have that.

9 MR. CUNNINGHAM: That's correct. That's
10 the --

11 MEMBER WALLIS: We have reduced the number
12 of pages in 10 CFR by 50 percent, or whatever.

13 MR. CUNNINGHAM: Yes, that's right.
14 Probably the most obvious success so far has been in
15 the new Oversight process used by inspection, where we
16 are focusing our inspection activities on the most
17 safety important issues, and that's led to a lot of
18 challenges as well, but that's probably the biggest
19 success.

20 CHAIRMAN APOSTOLAKIS: I thought the most
21 successful one was the Risk Informed In-Service
22 Inspection. They use a number of metrics, and it
23 looks really good.

24 MR. CUNNINGHAM: That's another one. I
25 think of it in terms of the -- how the -- there's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 large number of inspectors in this agency out in the
2 regions, and how they spend the time on a day-to-day
3 basis is dramatically different now than it was five
4 or ten years ago. So in terms of NRC resources,
5 certainly they're being allocated much differently
6 today, and I think, to a much better focus on safety.

7 Okay. So at any rate, in 2000, the
8 Commission asked for better communications internally,
9 a plan for better communications internally,
10 explicitly talk about staff training requirements, and
11 to come back to the Commission, and tell them of
12 impediments that we see in progress for achieving the
13 goals of the PRA Policy Statement, so that led to an
14 October 2000 version.

15 In January of 2001, the Commission came
16 back with more specific instructions to us. They're
17 shown on slide five. They wanted to have a better
18 idea of the priorities of individual activities within
19 the Implementation Plan. They wanted to see more
20 detailed communications plans. That really means
21 activity specific communications plans. They wanted
22 to know what resources were being applied to what
23 activities. They wanted to bring in performance-based
24 regulation for us to identify where performance-based
25 -- the performance-based policy aspects of what we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing is brought into the Risk Informed areas.

2 Also, to identify critical path items, and
3 important, what they call cross-cutting activities,
4 activities that have implications for a number of
5 different Regulatory activities. And so on slide six,
6 you see the current version of the Implementation Plan
7 that was sent to the Commission in December. SECY
8 010218, does provide the priorities determined by the
9 Implementing Offices.

10 MEMBER WALLIS: I'm sorry. This goes back
11 to my question. It's all about activities, isn't it?

12 MR. CUNNINGHAM: Yes.

13 MEMBER WALLIS: And you've got keep sight
14 of where you're going.

15 MR. CUNNINGHAM: Okay. If you would hold
16 off on that one slide, we'll try and come back to
17 that, or a couple of slides.

18 Again, we have added general and specific
19 discussions of communication -- and project specific
20 discussions of communications activities, resources
21 for FY01 and 02, where it was appropriate to bring in
22 the performance-based discussion, and identify cross-
23 cutting activities.

24 So in terms of what you have in front of
25 you now, there's two basic sections to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Implementation Plan. One is the background and basis
2 for why we're Risk Informing our activities, and this
3 is a combination of the essence of the Commission's
4 1995 Policy Statement, and the strategic plan that was
5 issued a couple of years ago.

6 It also talks in general terms about how
7 we decide what activities to Risk Inform. There are
8 factors -- there are a set of factors that are in
9 there that are oriented towards making the decision
10 whether or not to Risk Inform a particular Regulatory
11 activity. They're at a more general level. Each of
12 the arenas implements them in a somewhat different
13 way. Again, it provides communications plans,
14 training programs.

15 Part Two is, again, much more specifically
16 oriented with the strategic plan, and the details of
17 the strategic plan. If you recall, in the strategic
18 plan, there are a set of agency strategic goals, and
19 there are performance goals to accomplish the
20 strategic goals. And there are strategies to
21 accomplish the performance goals. What you'll --

22 MEMBER KRESS: Where is it you discuss the
23 impediments?

24 MR. CUNNINGHAM: I'm sorry?

25 MEMBER KRESS: Where is it you discuss the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impediments that the Commission has asked for?

2 MR. CUNNINGHAM: They come in in the --
3 probably the -- typically in the body of the
4 Commission paper. If we feel it's an impediment that
5 the Commission can do something about, if it's
6 necessary for the Commission to do something.

7 MEMBER KRESS: It's in the Commission
8 paper, not in the plan.

9 MR. CUNNINGHAM: Typically, yes.

10 MEMBER KRESS: Okay.

11 MR. CUNNINGHAM: That's right. The
12 Commission -- in the impediments here, the Commission
13 was -- I think -- I believe it was Commissioner
14 McGaffigan, I'm going to say, if there's something
15 that we can do to help move this along, tell us and
16 we'll see what we can do.

17 MEMBER KRESS: I see.

18 MR. CUNNINGHAM: And Part Two is described
19 and is organized into two chapters, and focused by
20 arenas. The reactor safety arena is one chapter, and
21 we have the materials and waste arenas combined in a
22 second chapter.

23 Going to slide eight, this is where, Dr.
24 Wallis, we tried to get into how do we relate the what
25 to the why, if you will. This is kind of an example

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the activity descriptions that you'll provide --
2 you'll see in the plan.

3 Up in the upper left corner are the agency
4 performance goals and strategies that are relevant to
5 a particular activity, so we've oriented the work that
6 we're doing to say we need this body of work to
7 accomplish this strategy that's laid out in the
8 agency's strategic.

9 MEMBER WALLIS: Well, what does it say
10 there under the performance goals?

11 MR. CUNNINGHAM: Well, let me pick -- I'll
12 pick one as an example, see what --

13 MEMBER WALLIS: I can't read it. I'm sure
14 you can't.

15 MR. CUNNINGHAM: Well, I'll pick it --
16 I've got the book in front of me, so I'll try to --
17 okay. Let's -- 8-8, there we go. Okay. So an agency
18 primary performance goal, picking one example is,
19 "maintain safety, protection of the environment and
20 the common defense and security." Very high level
21 goal. Okay.

22 There are a number of strategies that the
23 agency has defined to accomplish that goal. Strategy
24 eight is, "We will continue to develop and
25 incrementally use Risk Informed, and where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 appropriate, less prescriptive performance-based
2 Regulatory approaches to maintain safety." And so
3 what you'll get out of that is a set of projects that
4 are intended to accomplish that strategy.

5 MEMBER WALLIS: It just seemed to me
6 that's such a high level statement. I'm not sure it's
7 very useful for planning a particular activity.

8 MR. CUNNINGHAM: The challenge -- I think
9 the biggest challenge we faced in this is what is the
10 necessary and sufficient set of projects needed to
11 accomplish that strategy. And this is -- and Frank
12 will get into some of this later. We have a set of
13 activities --

14 MEMBER WALLIS: Well, you said you're
15 already doing that with the present regulations.
16 You've already met that strategy with the present
17 regulations, so you've got to have something else
18 which tells you what the payoff is for Risk Informing.

19 MR. CUNNINGHAM: Okay. Well, let's -- I'm
20 not sure -- the strategic plan was something that --

21 CHAIRMAN APOSTOLAKIS: Well, could you
22 read the goals again? It's safety?

23 MR. CUNNINGHAM: The perform -- the higher
24 level goal --

25 CHAIRMAN APOSTOLAKIS: Higher level, yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CUNNINGHAM: Maintain safety,
2 protection in the environment, and the common defense
3 and security.

4 MEMBER WALLIS: We do that already.

5 CHAIRMAN APOSTOLAKIS: That's not why
6 we're Risk Informing the regulation.

7 MR. CUNNINGHAM: I agree.

8 CHAIRMAN APOSTOLAKIS: These are boundary
9 conditions actually.

10 MR. CUNNINGHAM: This is a very high
11 performance goal, and there are many things that the
12 staff does to accomplish that goal. A subset of those
13 are Risk Informed activities.

14 CHAIRMAN APOSTOLAKIS: But shouldn't we
15 say somewhere in there that the whole idea is to
16 remove unnecessary burden and --

17 MR. CUNNINGHAM: For example, on 1-H you
18 have a secondary performance goal, which is to reduce
19 unnecessary burden.

20 CHAIRMAN APOSTOLAKIS: Yeah. There has to
21 be a goal somewhere.

22 MR. CUNNINGHAM: That's correct.

23 CHAIRMAN APOSTOLAKIS: Because that's
24 what's driving all this. We're not just conforming
25 the regulations to maintain safety.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Increase sufficiency of the
2 regulation --

3 CHAIRMAN APOSTOLAKIS: Yeah.

4 MEMBER KRESS: -- and to reduce burden
5 where it's appropriate.

6 CHAIRMAN APOSTOLAKIS: That's right.
7 Exactly.

8 MEMBER KRESS: I think we've stated those
9 somewhere.

10 MR. CUNNINGHAM: That's right. And I
11 picked one activity out of a bunch of activities.
12 There are other -- that was -- the one I talked about,
13 maintain safety, is a performance goal. Another
14 performance goal is to reduce unnecessary Regulatory
15 burden. And there's --

16 MEMBER WALLIS: Well, I think that you
17 ought to give the safety prong much more weight. And
18 my view is that if you really did Risk Informed
19 Regulations, you'd have a far better idea, and the
20 public would have a far better idea of how safety is
21 really being maintained. That's a much better goal
22 than this rather diffuse thing of reducing burden and
23 being efficient.

24 CHAIRMAN APOSTOLAKIS: But these goals are
25 not part of the plan. Right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CUNNINGHAM: Those goals are part of
2 the strategic plan of the agencies.

3 CHAIRMAN APOSTOLAKIS: The strategic plan.
4 Yeah.

5 MR. CUNNINGHAM: Not the Risk Informed
6 Regulation.

7 CHAIRMAN APOSTOLAKIS: Yeah, so we can't
8 really debate them.

9 MR. CUNNINGHAM: If you'd like -- there's
10 another set of people you can debate those with, if
11 you'd like, but that's not us.

12 MEMBER WALLIS: I'm trying to be helpful.
13 I think if you could get these objectives in a better
14 -- in a more specific form, it might be easier to plan
15 the activities.

16 MR. CUNNINGHAM: Agreed.

17 MEMBER WALLIS: If you have something
18 that's too general and too vague, then any activity
19 will do.

20 MR. CUNNINGHAM: And that's where you get
21 down to the strategy, and then what you need to
22 accomplish the strategy.

23 CHAIRMAN APOSTOLAKIS: Well, I understand
24 all this, but it seems to me that all this rests on
25 the assumption that you already have the activities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In other words, given an activity, I have these
2 things, you know, how does it -- which goal does it
3 serve, through which strategy, and so on. Isn't the
4 most important part though, how to come up with the
5 activities? What to do? I mean, given an activity,
6 yeah, you can always give some justification. Is that
7 part of the plan?

8 MR. CUNNINGHAM: Yes, it is.

9 CHAIRMAN APOSTOLAKIS: Okay.

10 MR. CUNNINGHAM: In the sense of the plan
11 as you see it in the Commission paper is the --
12 actually, the August 2001 version of the plan, there's
13 a commitment in there, and there's a statement in Part
14 One that says this is, in effect, what we're doing
15 today. And we're going to describe a process in Part
16 One that says we're going to go out and continue to
17 identify, seek out and identify whether or not there
18 are other things, other Regulatory activities that
19 need to be Risk Informed. That is a very key piece of
20 the Implementation Plan.

21 One of the big criticisms from GAO was
22 you've given me a catalogue of what you're doing. You
23 haven't told me where you want to be and how you're
24 going to get there, and that is a key piece.

25 CHAIRMAN APOSTOLAKIS: So the selection of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the activities.

2 MR. CUNNINGHAM: The selection of the
3 activities is a key piece.

4 CHAIRMAN APOSTOLAKIS: Is a key piece
5 which means what now? There is a methodology for
6 doing this, or --

7 MR. CUNNINGHAM: There is a methodology in
8 place in the waste and reactor arenas that you can --
9 you'll hear about later. The methodology for that in
10 the reactor arena is still evolving. We have an IOU
11 to the Commission, basically, the next version of the
12 Implementation Plan, which is due in June, will
13 describe in much more detail the process that we're
14 going to use, and whatever results we have to date.
15 But you're right, to get at the real goal, to
16 accomplish the policy statement, to accomplish the
17 intent of the strategic plan, you have to have that
18 piece of it. And that has been a legitimate criticism
19 of previous versions of this. It didn't show that
20 path forward.

21 I'm leading into what Frank wants to talk
22 about this morning, because he has some ideas on how
23 we could do that. But the staff is working several
24 different ways, in several different activities to lay
25 out that future looking part of the plan.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Do you plan to talk about
2 the waste arena today too?

3 MR. CUNNINGHAM: Yes. Yes.

4 MEMBER KRESS: I understand, they don't
5 plan to use PRA. How can you risk inform any activity
6 without PRA, is the question I might have.

7 MR. CUNNINGHAM: One of the challenges in
8 trying to bring together all three arenas is a history
9 of different terminology and things. And they say --
10 they may say we don't use PRA, but we use performance
11 assessment. And then how is -- then you get into how
12 is that different, and first blush, I'm not sure it's
13 very different. They've evolved separately.

14 MEMBER KRESS: They may, in fact, have
15 some sort of a risk analysis, you're saying.

16 MR. CUNNINGHAM: Yes. That's correct.
17 They just may not call it that, if you will. And then
18 when we get into the materials arena, again they are
19 thinking of how risk assessment is to be used there.
20 And you'll hear about how they're going to develop
21 safety goals and that sort of thing, so that we're
22 trying to bring things that have been done separately,
23 under a common set of -- a common footing, if you
24 will.

25 So at any rate, the intent of the plan as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we show on slide eight is to link activities to the
2 strategic plan, performance goals, and to the more
3 detailed strategies. Basically then, we provide a
4 consistent set of information on individual
5 activities, and so that becomes, if you will, the
6 description of -- for the Commission of what we've
7 said are the priorities, and what the resources are
8 associated with individual activities.

9 Perhaps I'll just go on from there, and
10 just say what we can do now is maybe turn to page --
11 slide nine, which is the reactor safety arena. And
12 we'll get into some more of the substance, some
13 initiatives, and their ideas on how they're going to
14 proceed to identify other activities. Frank or Stu.

15 MR. GILLESPIE: Yeah. I'm going to start
16 off, because I was told I have to absolutely put what
17 you're about to hear in context. And the context is
18 it has no management approval, other than having been
19 shown to people. And what we're groping with is not
20 in any way in conflict with the plan, the four
21 strategic goals of the agency, the four strategic
22 goals. And you might say when you pick a task,
23 whether you want to do that task or not, is how it
24 contributes to efficiency, and effectiveness, and
25 burden reduction. So those goals help prioritize, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not necessarily select.

2 The other thing we were grappling with,
3 and what I'm suggesting is this is the rule making
4 group in NRR grappling with risk as integral. When
5 you change one rule, have you made the other rules
6 more important? There's some fundamental questions
7 you have to address when you start picking things one
8 at a time. And I think you know that I was kind of
9 involved in the early part of -- the first nine months
10 anyway, of the oversight process. And what we've done
11 is looked back on that and said what did we learn from
12 that? How did we structure it? And I actually went
13 back and looked at the old NEI white paper, and what
14 we ended up with didn't look like anything what they
15 had suggested in the first place. The pieces were
16 there, but it came out different as it evolved.

17 So what you're about to hear is our best
18 thinking as reflected on some view graphs, to try to
19 structure or develop a structure that is a whole, that
20 is going to have to have some lower level objectives
21 that would allow us to explain how things fit
22 together, because we found ourselves doing 50.46,
23 50.44, petitions on heat curves, Zircaloid, Zirca, and
24 how does all this fit together? And how does it fit
25 together with things like the safety goal, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subsidiary safety goals we use. Where do all these
2 things fit? How do we structure what we're doing so
3 we know what we're either creating or destroying, and
4 we can explain it, so this is very preliminary
5 thinking.

6 We're happy to have feedback. This has
7 not been displayed virtually to anybody. We sent
8 these view graphs around yesterday, but it will give
9 you an idea where Stu, who is kind of project
10 managing, how do we organize rule making together in
11 a Risk Informed manner. Tried to understand some
12 discussions we had, so this is very preliminary. No
13 one owns it but the rule making group right now, so
14 I'm going to let Stu go through it, and let's see if
15 we can answer some questions. I hope it does provoke
16 some questions, because we need an active dialogue on
17 how this all fits together.

18 MR. MAGRUDER: Thanks, Frank. Let me
19 first go through some of the significant items from
20 the reactor safety arena, if I could have slide number
21 nine. There it is.

22 These are just a sample of the many
23 activities from the plan, but we just wanted to
24 highlight these, and see if the Committee had any
25 questions about the status of any of these real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quickly.

2 We like to think that Risk Informed
3 Technical Specifications are one of the successes that
4 we've had in this area, that would fall under what we
5 term Option One of the 98300 Plan. No rule changes
6 are required for this. However, within the current
7 regulations we're making a lot of progress, and
8 getting a better safety focus on tech specs.

9 We've talked briefly about the oversight
10 process, the significance determination process is
11 evolving in that area. And Mark talked a lot about
12 how the inspection have been more focused on safety
13 important equipment.

14 Option Three, in general, is changes to
15 the Technical Requirements, and Part 50. The 50.44
16 rule making, which you've heard about before, is close
17 to proposed rule stage that should be coming out
18 within a month or two for comment. 50.46, there's
19 been a lot of discussion recently about how to
20 approach that, how to break that down into more
21 manageable pieces, maybe, but that's progressing as
22 well.

23 50.69, which is the proposed name for Option Two
24 Rule Making. I'm sure you've had a lot of discussion
25 on that. That is progressing, although there's some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 challenges in there we'll talk about. And obviously,
2 the significant work on the PRA Standards with ASME,
3 ANS, and NEI on guidance. Slide ten, please.

4 MEMBER SHACK: One of the things that, you
5 know, we always come back to is, you know, how much
6 risk information do you have to Risk Inform with.

7 MR. MAGRUDER: Uh-huh.

8 MEMBER SHACK: And as I went through the
9 plan, I tried to sort of sum up everything that was
10 involved in getting risk information, you know. And
11 I came up with a tenth of an FTE on the standards
12 work, you know. Now I see that's one of the major
13 initiatives, and it gets a whole tenth of an FTE. You
14 know, 1.5 for SAPHIRE, two for SPAR which is, you
15 know, sort of fundamental for my level three analysis.
16 It just doesn't seem like, you know -- we make the
17 words that the significance determination process is,
18 you know, the key ingredient we have to be working on
19 in the ROP, and yet I can come up with maybe three
20 FTEs out of the whole effort that seem focused on
21 improving the SDP process. You know, I hear words,
22 and then somehow the resources connected with them
23 don't seem to be commensurate.

24 MR. CUNNINGHAM: Okay. Just to be clear
25 on the standards, the large fraction, the vast

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 majority of the work going on in PRA standards is
2 being done outside of NRC, by ASME and by ANS, and so
3 it's not that it's not important, but our role in that
4 is rather limited.

5 MEMBER SHACK: No, but the notion of how
6 the standards and the whole PRA Review Process are
7 incorporated -- you know, one of the difficulties we
8 have every time there's a Risk Informed application,
9 somebody trots in a PRA, you know. What is it good
10 for? Is it good enough? And somehow, I don't see any
11 emphasis in here on how we're going to use the
12 standards, we're going to use the review process as
13 part of a tool for the NRC to make that judgment as to
14 whether the PRA is applicable.

15 MR. CUNNINGHAM: Okay. Now one of the
16 challenges of the Implementation Plan is how do you
17 capture inter-relationships among activities. The PRA
18 Standards work is our support to the standards setting
19 organizations. How we use that is in another activity
20 in the Implementation Plan, which is Risk Inform,
21 develop of guidance for Risk Informed applications, or
22 something like that. So it goes -- it's another area
23 of the plan.

24 One of the real frustrations we've had is
25 how do you show those types of relationships, so that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 somebody picking up the document would understand that
2 there's more than just that tenth of an FTE associated
3 with making the decisions on how we use PRA in
4 licensing. That being said, that's one of the
5 continuing challenges with the plan.

6 That being said, after lunch, I guess
7 you're going to hear about where we're going on Reg
8 Guide 1.174. And that -- you'll hear a lot this
9 afternoon on how we intend to endorse the ASME
10 Standards, and ANS work, and how we're going to bring
11 the NEI 0002 into this, and all that sort of thing,
12 and that's going to be discussed after lunch. And
13 it's different than what shows up in the plan, because
14 the work has evolved considerably in the last -- our
15 ideas on how to do that have evolved considerably in
16 the last six months or so. That's another challenge
17 for the plan, how do you maintain a current, if you
18 will.

19 MR. BARRET: If I could interrupt, my name
20 is Richard Barret. I'm with NRR. I'd like to just
21 take a second to address your statement about the
22 Reactor Oversight process, Significance Determination
23 process.

24 There is a fair bit of effort, and a lot
25 of thought going on right now on the subject of where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are we going in the future with the Significance
2 Determination process. We have a Phase Two -- a Phase
3 One methodology that we're happy with. We have a
4 Phase Two methodology that is a work in progress, very
5 much a work in progress. And we have a Phase Three
6 methodology, which also is a work in progress.

7 We are currently having discussions within
8 the staff as to how much emphasis we would give to
9 Phase Two versus Phase Three. And also, where our
10 priorities and our resources will go in developing and
11 finalizing particularly the Phase Two tool, but also
12 the SPAR models. And questions are being raised as
13 to, for instance, do we want to accelerate the bench
14 marking of those methodologies, so I just want you to
15 know that the question of the quality of the
16 Significance Determination Process Tools is very much
17 on our radar screen right now, and we --

18 MEMBER SHACK: It doesn't seem to be
19 highlighted very well in the plan though. You know,
20 I look at -- you know, they've got like a priority of
21 six or seven for the SPAR stuff --

22 MR. CUNNINGHAM: Yes.

23 MEMBER SHACK: -- which sort of says yeah,
24 okay. You know, we'll think about it when we get to
25 it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CUNNINGHAM: Yeah. You're right. In
2 August of 2001, that was a reflection of where the
3 agency was and the importance of the SPAR work.
4 Again, one of the challenges is that perspective has
5 changed considerably over the last three or four -- as
6 we've developed more experience with SDP, so the plan
7 -- and so the challenge is how do you continue to
8 reflect that, and somebody can look at this plan and
9 see that it's up to date. SPAR, I think it's
10 recognized, as Rich was alluding to, there's a much
11 better recognition today of the importance of the SPAR
12 models in the context of the three phases of the SDP.

13 MR. MAGRUDER: Okay. Real quickly, on
14 page 10, I just wanted to highlight that there are
15 obviously some challenges ahead of us in Risk Informed
16 Regulation, and these are just some of the areas that
17 I wanted to highlight. You can look through those.

18 The last one, I think, Dr. Wallis, we'll
19 address in the next couple of slides here, which is
20 how we see this all fitting together. This is -- as
21 Frank said, these are preliminary views of this.

22 MEMBER ROSEN: Did you skip the third one
23 for a reason?

24 MR. MAGRUDER: Just for time, but I'd be
25 happy -- if you have a question about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: I don't know what it means.

2 MR. MAGRUDER: The Risk Informed
3 Environment is an effort within NRR to -- well, it's
4 got several phases. Basically, the goal is to try to
5 make risk information more available to the staff and
6 have the staff more open to using Risk Informed
7 Regulation -- Risk Informed methods in their day-to-
8 day work.

9 MEMBER POWERS: If I'm a Project Manager,
10 let's say in NRR, and say I'm -- I have a job, maybe
11 power upright maybe, and I say gee, I want to know
12 whether this is a risky operation. How do I get --
13 how do I find out? Say it's -- let me just be very --
14 to be specific --

15 MR. MAGRUDER: Uh-huh.

16 MEMBER POWERS: Say I've got Indian Point
17 II and they want to power upright.

18 MR. MAGRUDER: Right.

19 MEMBER POWERS: How do I go about getting
20 risk information on Indian Point II?

21 MR. MAGRUDER: Well, I think Rich will
22 probably talk -- if I can impose on Rich to talk some
23 more about that, but I think generally, the Project
24 Manager goes to Rich's staff in NRR, and ask them to
25 look at the submittal from the licensee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BARRET: Dana, we have -- I guess we
2 could say there are two classes of license amendments
3 like that, those that come in that are flagged by the
4 licensee as being Risk Informed license amendments.
5 And then, of course, it's obvious that they should be
6 reviewed by the risk staff. But then there's another
7 class, a much larger class of license amendments that
8 -- oh, and by the way, that first class -- no, let me
9 not say that. That's not true.

10 MEMBER POWERS: Well, I'm -- regardless of
11 what the licensee has submitted, I just want to know.

12 MR. BARRET: You mean, just woke up one
13 morning and you just want to know about --

14 MEMBER POWERS: I got a thing in front of
15 me from this licensee, wants to do something.

16 MR. BARRET: Okay.

17 MEMBER POWERS: He's got his case laid
18 out, perhaps using risk information, perhaps not. I
19 just want to know --

20 MR. BARRET: Right.

21 MEMBER POWERS: Because I've got -- I
22 mean, you've already made a decision that if I want
23 this information, I can get it.

24 MR. BARRET: Yes.

25 MEMBER POWERS: Okay. And now I want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know whether I should be asking for more or less,
2 because I want to know if it's risky, because it's
3 different.

4 MR. BARRET: Yeah.

5 MEMBER POWERS: It's changed the plan.

6 MR. BARRET: Yeah. And that's -- one of
7 the things we did in SECY 98300 was we raised this
8 very issue, and that is, what if a licensee submits
9 something, and it meets all of our regulations, and it
10 looks like it's consistent with our current design
11 basis, and it looks like something we should just
12 approve based on our deterministic regulations. And
13 yet, you have -- you wonder, is this risky anyway.
14 And we put in place a process for questioning that,
15 and it's -- without going into a lot of detail, it's
16 sort of a three step process where we first ask
17 ourselves does this represent a special circumstance?

18 MEMBER POWERS: I mean, I understand what
19 you have to do if you want to go to the licensee, or
20 you want to factor it in. I just want to know. I
21 haven't decided yet whether this is risky or not. I
22 don't know.

23 MR. BARRET: They would come to our staff.
24 They should come to our staff, the Probabalistic
25 Safety Assessment Branch, and get a read on it from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 us.

2 MEMBER POWERS: And you do that by running
3 a SPAR model, or --

4 MR. BARRET: Well, you know, it depends on
5 the question. You know, there are -- as you all know,
6 there are many questions where --

7 MEMBER POWERS: I'm in the last bastion of
8 the risk ignorant. All I know is there's a thing
9 called risk, and I want to know what it is for my
10 particular plant and things like this. I haven't got
11 a clue what question to ask.

12 MR. BARRET: Right. And you have the
13 license amendment in front of you, and I -- you know,
14 as you know, a risk analyst can kind of look at an
15 issue and pretty quickly get a sense of whether it
16 tends to be risk significant, or it tends not to be
17 risk significant. And it may not go any farther than
18 that. It may be that we could say right off the bat
19 that this doesn't -- this is not in the range of the
20 risk significant --

21 MEMBER POWERS: Okay. Suppose the
22 licensee says gee, the NRC is making me inspect the
23 upper heads of my reactor vessels all the time. And
24 boy, that's a super pain to do because I've got all
25 this insulation on there. What I'm -- the licensee is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 proposing to do, is he's going to change out this
2 insulation that he's got for this new micro porous
3 insulation that's kind of elevated above a head, and
4 you can get it off real easy, and do this inspection
5 all the time.

6 How do -- and so the Project Manager wants
7 to know whether that's -- that has any risk
8 significance or not, because I mean, it's change but
9 it doesn't seem like a very big change. I mean, one
10 insulation for another. How does he find out?

11 MR. BARRET: He would come to us, I would
12 say, if he had that curiosity. And we would look at
13 the issue, and you know, ask ourselves some key
14 questions about what affect would this have on
15 initiating events, what would have on the availability
16 and reliability of systems? Would it have any affect
17 on operator actions, containment performance, you
18 know. And if there was some plausible impact on risk,
19 then we might look deeper. We might look at the SPAR
20 model --

21 MEMBER POWERS: You think your risk models
22 that you have model something as detailed as the
23 insulation on the upper head?

24 MR. BARRET: Off the top of my head, I
25 don't think that example would be in a PRA. In fact,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a great deal of what you might see in the way of
2 license amendments you would not find explicitly
3 modeled in a PRA.

4 MEMBER POWERS: And suppose I told you
5 that this micro porous insulation that's proposed to
6 use is extremely friable, and in a blow down system
7 will produce a lot of particulum?

8 MR. BARRET: You know, I think that would
9 be one of the questions that we would ask ourselves,
10 for instance. You know, we -- we're cognizant of the
11 work that's being going on with strainer blockage and
12 the -- now that we're working on the PWR sumps issue,
13 so that would be one of the questions. Sure, we would
14 ask ourselves that.

15 CHAIRMAN APOSTOLAKIS: Well, when we say
16 risk information, do we all understand the same thing?
17 I -- the reason why I'm saying this is I was surprised
18 recently in talking to some industry people that they
19 don't think that uncertainty analysis is necessary,
20 and the staff is not using it.

21 MR. CUNNINGHAM: That would be a surprise
22 to me too.

23 CHAIRMAN APOSTOLAKIS: Well, I mean, if we
24 look at the petitions from the industry, the risk
25 informed things, are they doing explicitly risk -- I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mean, uncertainty assessments, or is it a qualitative
2 discussion as it is in 1174, which says if you come
3 close to the boundary, management will pay attention,
4 will do something and thing about it.

5 MR. CUNNINGHAM: I suspect 1174 is --
6 today is as precise a characterization of how to deal
7 with uncertainties as we've got.

8 CHAIRMAN APOSTOLAKIS: So if I go with
9 1174, then I don't need to do it explicitly.

10 MR. CUNNINGHAM: It depends on what the
11 issue is, and what the decision you're trying to
12 achieve is.

13 CHAIRMAN APOSTOLAKIS: But does NRR, for
14 example, when you review a request, you look for
15 explicit statements of uncertainty, or is it a
16 qualitative discussion is good enough.

17 MR. BARRET: It's generally qualitative
18 discussion. I mean --

19 CHAIRMAN APOSTOLAKIS: Ahh, see.

20 MR. BARRET: Well, again I want to make
21 sure we're talking about the same thing. I mean, when
22 we say qualitative you want to know if you're close to
23 an edge, if you're close to a catastrophic change in
24 the picture, or are you looking at something where if
25 the temperature is five degrees higher everything

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changes, or you know --

2 CHAIRMAN APOSTOLAKIS: Yeah, these are
3 sensitivities really, but I mean --

4 MR. BARRET: Some of them have to do with
5 margin, for instance.

6 CHAIRMAN APOSTOLAKIS: Yeah. Doing
7 standard uncertainty analysis, standard means that
8 you're right on something, is that kind of stuff.

9 MR. BARRET: Right.

10 CHAIRMAN APOSTOLAKIS: It is a trivial
11 matter these days.

12 MR. BARRET: Yeah.

13 CHAIRMAN APOSTOLAKIS: I mean, with the
14 computer programs that are available and so on. And
15 yet, you know, from talking to people I get the
16 impression that they don't think that that's something
17 that's necessary. And why is it not necessary,
18 because the staff does not request it. And that came
19 as a surprise to me. Now I know when we're developing
20 rules here, we're thinking about uncertainty all the
21 time.

22 MR. BARRET: Yes.

23 CHAIRMAN APOSTOLAKIS: But when it comes
24 to interacting with the licensees, evidently there's
25 a different philosophy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CUNNINGHAM: Again, there's an element
2 of --

3 MEMBER ROSEN: But later today we are
4 going to talk about the PTS.

5 CHAIRMAN APOSTOLAKIS: Yes.

6 MR. CUNNINGHAM: And then there's a
7 tremendous amount of thinking about uncertainty.

8 CHAIRMAN APOSTOLAKIS: Because that's us.
9 The industry is not submitting anything there. We are
10 doing that. And as I said, we are very sensitive to
11 that issue when we are developing studies ourselves.

12 MR. CUNNINGHAM: In a sense, that gets at
13 the point of what's the decision being made. The
14 change for an individual license, associated with an
15 individual license amendment may not necessitate that
16 sophisticated of analysis. The change of a rule that
17 could affect whether or not we have a PTS rule for a
18 dozen or 15 plants looking for life extension, license
19 extension is --

20 CHAIRMAN APOSTOLAKIS: I hope you could
21 resolve that in the ASME Standard. That was a major
22 issue of disagreement.

23 MR. CUNNINGHAM: I hope it is too. I'm
24 not -- I suspect it is not.

25 CHAIRMAN APOSTOLAKIS: Is not. I mean,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's true that we can do a lot of things without a
2 rigorous uncertainty analysis. It's very true.

3 MR. CUNNINGHAM: Yes.

4 CHAIRMAN APOSTOLAKIS: I don't doubt that.
5 The thing that's missing, like in many other places,
6 is under what conditions can you do that, under what
7 conditions can you do something else. And we don't
8 seem to be paying attention to these things.

9 MR. CUNNINGHAM: I guess conceptually the
10 three column approach in the ASME Standard is a step
11 towards trying to lay out when you could do very
12 simple, and when you need to do more sophisticated, or
13 very sophisticated analyses. Whether it accomplishes
14 it for -- in this particular area, I'm --

15 CHAIRMAN APOSTOLAKIS: Well, it's been a
16 while since I saw that, but the I mean, the second
17 column said use mean values.

18 MR. CUNNINGHAM: Yes.

19 CHAIRMAN APOSTOLAKIS: And I don't know
20 how you can use mean values if you haven't done an
21 uncertainty analysis.

22 MEMBER KRESS: Yeah, and that --

23 CHAIRMAN APOSTOLAKIS: If you declare them
24 that they are mean values, then it's okay. All right.

25 MEMBER KRESS: That brings another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question to mind, and that is what we normally see
2 from the submittals are "best estimates", which they
3 declare to be a mean. They don't declare it, but it's
4 understood that this is a mean.

5 I've never seen a study by this
6 organization, or any other, that actually took what
7 would be a best estimate, which to my mind, you go in
8 with all the parameters that you can -- as input and
9 part of the code that does it, and you try to pick
10 your mean values for those, and end up with the final
11 product, is my view of what that best estimate is.
12 I've never seen a study that really compared that
13 number to the real mean that you would get by
14 quantifying the full uncertainty. Is that anywhere in
15 your plan, because it seems to me like a key issue
16 these days. You don't really know what you're getting
17 from these things unless you have that.

18 CHAIRMAN APOSTOLAKIS: Exactly.

19 MEMBER KRESS: And I just don't see that
20 task in the plan anywhere.

21 MR. CUNNINGHAM: Okay. No, that --

22 CHAIRMAN APOSTOLAKIS: Sensitivity
23 analysis is used a lot.

24 MR. CUNNINGHAM: Yes.

25 CHAIRMAN APOSTOLAKIS: Which is really not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 used, it's abused, so --

2 MR. CUNNINGHAM: I guess there's two
3 things to Dr. Kress' point. There were studies done
4 ages ago to look at that issue, and I don't know -- I
5 don't even know that it was really documented very
6 extensively but, you know, this was perhaps 15 or 20
7 years ago. I can remember somebody looking at that
8 issue and saying the difference was a factor of two or
9 three in the value, if you will. Whether that has any
10 substance today, I don't know.

11 MEMBER KRESS: It would be useful to dig
12 that out. I didn't realize that existed.

13 MR. CUNNINGHAM: There had been work on
14 that ages ago, and I'm not trying to defend it or
15 anything.

16 CHAIRMAN APOSTOLAKIS: Yeah. And this is
17 part of our confusion. I mean, you don't know.

18 MR. CUNNINGHAM: Yeah.

19 CHAIRMAN APOSTOLAKIS: It depends a lot on
20 how complex a problem is.

21 MR. CUNNINGHAM: Exactly. Exactly. And
22 the characteristics of the underlying distributions,
23 and all that sort of thing.

24 MEMBER KRESS: But if I knew I was no
25 further off from the mean than a factor of two, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 example, I wouldn't worry much about it.

2 MR. CUNNINGHAM: Again, that was an
3 example done years ago, and probably with the WASH
4 1400 PRA Models, and all of the baggage that goes with
5 those, if you will. But the issue --

6 MEMBER KRESS: But is there a general
7 conclusion, like if you did the central estimate, you
8 end with the best estimate, can you make a statement
9 like you always end up with a number that's higher
10 than the mean?

11 CHAIRMAN APOSTOLAKIS: No, I don't think
12 so.

13 MR. CUNNINGHAM: No.

14 CHAIRMAN APOSTOLAKIS: I don't think so.

15 MR. CUNNINGHAM: I suspect if you did the
16 mean, you would --

17 CHAIRMAN APOSTOLAKIS: The kind of study
18 you want has not been done. I agree with Mark that
19 there have been pieces here and there.

20 MR. CUNNINGHAM: Yes.

21 CHAIRMAN APOSTOLAKIS: But the
22 comprehensive study that looks at that has not been
23 done, and I'm not sure it can come up with general
24 conclusions, because it will depend a lot on what
25 functions you're dealing with.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CUNNINGHAM: Yeah. I think typically
2 you tend to see mean values being higher than -- in
3 the few examples I can think of, the mean values to be
4 higher --

5 CHAIRMAN APOSTOLAKIS: The rigorous mean.

6 MR. CUNNINGHAM: The rigorous mean --

7 MEMBER KRESS: Has to be higher than this.

8 MR. CUNNINGHAM: Higher than the best
9 estimate.

10 MEMBER KRESS: Okay.

11 CHAIRMAN APOSTOLAKIS: Also, it depends on
12 how you handle the correlations and all of that.

13 MR. CUNNINGHAM: Yes. Yes.

14 CHAIRMAN APOSTOLAKIS: It is true though,
15 it seems to me, that the industry does not feel that
16 they have to do uncertainty analysis when they come to
17 you, or not to you, to NRR. And again, we see that
18 right now in the NEI document on Option Two. You will
19 find the word sensitivity many, many times, but not
20 uncertainty. And I don't know why they feel that by
21 putting everything at the 95th percentile and carrying
22 out the calculation is more meaningful than doing an
23 uncertainty analysis. I just don't understand that,
24 but we will discuss that with them when the time
25 comes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAGRUDER: Okay. Let me move on --

2 CHAIRMAN APOSTOLAKIS: But does the risk
3 information, in your mind, include the uncertain?

4 MR. CUNNINGHAM: In my mind?

5 CHAIRMAN APOSTOLAKIS: Yeah.

6 MR. CUNNINGHAM: Every time. Yes, sir.

7 CHAIRMAN APOSTOLAKIS: So all these
8 documents will do that. Rich?

9 MR. BARRET: Well, I think there's a lot
10 of value in sensitivity analysis, and it tells you --
11 if you combine it with some sense of how wide, you
12 know, the variances might be. I mean, if I believe
13 that reliabilities might go down by a factor -- or
14 unreliability might go up by a factor of ten, then I
15 do a sensitivity analysis around that estimate, I
16 think I've learned something from that.

17 CHAIRMAN APOSTOLAKIS: But it's not a
18 substitute for uncertainty analysis. I mean, you
19 learn something from sensitivity. In fact, if you do
20 a rigorous uncertainty analysis, and you can structure
21 your sensitivity analysis around that by not just
22 changing point values, but maybe changing
23 distributions and so on, which would be a much more
24 meaningful thing.

25 MR. BARRET: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: But as a rule, I
2 don't think you guys require rigorous uncertainty
3 estimation.

4 MEMBER KRESS: And along that same thing,
5 Rich, I'm not sure I know or have seen any written
6 material of what constitutes a rigorous uncertainty
7 analysis. I mean, rigorous sensitivity analysis,
8 because what's usually done, you take various
9 parameters you think you might have a sensitivity to,
10 and you change them one at a time. Sometimes you
11 change all of them together.

12 MR. BARRET: Yes.

13 MEMBER KRESS: But I don't know what
14 constitutes a rigorous sensitivity analysis. Those
15 two don't do it for me at all. And, you know,
16 sensitivity is a whole output space.

17 CHAIRMAN APOSTOLAKIS: Actually, the place
18 will have done a lot of sophisticated sensitivity
19 analysis and performance assessment. There are all
20 chapters there where they do all sorts of things. In
21 fact, they are so sophisticated that simple minds like
22 ours have difficulty following what they are doing,
23 because they had, you know, statisticians develop, you
24 know, using the latest methods. So there is a gap, I
25 think, you know, between doing very trivial stuff and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very sophisticated stuff, doing something in between.
2 And for reactors I haven't see that, that kind of
3 analysis.

4 MR. CUNNINGHAM: Yeah, that's true. And
5 as you alluded to earlier, the PTS work that we're
6 doing is closer --

7 CHAIRMAN APOSTOLAKIS: It's closer --

8 MR. CUNNINGHAM: -- on the scale to the
9 performance assessment work --

10 CHAIRMAN APOSTOLAKIS: Yeah, among us boys
11 again. I mean, I will --

12 MR. CUNNINGHAM: That's right. You know,
13 and as part of that project we're trying to sort out,
14 now how do you capture the importance of the
15 uncertainties, the relative importance of different
16 uncertainties in the process, and all of --

17 CHAIRMAN APOSTOLAKIS: For example, in
18 Option Two, we are categorizing systems and components
19 using the expert panel with a very input, being the
20 importance measures. Now the importance measures are
21 uncertain themselves.

22 MR. CUNNINGHAM: Yes.

23 CHAIRMAN APOSTOLAKIS: And that's nowhere
24 to be found.

25 MEMBER POWERS: George, one of the things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that you've raised is the relative weakness of
2 performance measures as a tool for understanding what
3 the risk assessment is telling you. Is anyone trying
4 to develop better tools for telling you what the risk
5 assessment is commenting on these things, since we use
6 -- I mean, we have a lot of work going on now that
7 involves the categorization of things in both events
8 and hardware. And Professor Apostolakis has written
9 magnificently on why one should not attach great
10 significance to things like fusel vessely or risk
11 achievement worth, and risk reduction worth.

12 MR. CUNNINGHAM: Yes, there actually is.
13 There's some work going on in my group. Using as an
14 example, the categorization process used for South
15 Texas to say, you know, that as you've said before and
16 others have said, the fusel vessely and the other
17 importance measurements were designed for a particular
18 purpose, and now we're kind of using them for a
19 different purpose. And we're asking the question in
20 this project of given how things were done in the
21 South Texas example, if you will, is there a better --
22 an alternative formulation of an importance measure,
23 an importance calculation that might make more sense
24 given that application. We're doing some work in that
25 area right now, but -- partially at Brookhaven and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 partially at the University of Maryland. At some
2 point, it may be appropriate to come back and talk to
3 the Committee about that.

4 MEMBER ROSEN: I think South Texas would
5 have an interest in it, as well.

6 MR. CUNNINGHAM: That's probably true.
7 Yes.

8 MEMBER POWERS: Minor.

9 CHAIRMAN APOSTOLAKIS: Shall we go on?

10 MR. MAGRUDER: Sounds good. Let's go to
11 slide eleven, please. As Frank mentioned, the NRR
12 rule making group has been looking at how our rule
13 making, or what the next steps should be for risk
14 informed rule making, along with discussions with
15 Office of Research, obviously. And this is
16 preliminary information here, but one of the goals
17 that we think should have is to proceed with risk
18 informed regulations such that our rules start to
19 converge with the processes that we have in place.

20 We perceive that there may be a gap
21 between some of the activities in place, and the rules
22 to support the activities, and I'll talk a little bit
23 about that in a couple of slides here. And of course,
24 with the -- we want to follow the principles that we
25 have laid out, dimension depth, safety margins, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistency with the safety goals that the Commission
2 laid out.

3 MEMBER WALLIS: Now I read this slide
4 ahead of time and tried to think about what it meant,
5 and I don't really understand it. And it seems to me,
6 you're always going to have some measure defense in
7 depth, you're going to have some round of safety
8 margins, but the regulations never tell you what
9 defense in depth is, how you measure it, or what
10 safety margins should be, or how you measure them, so
11 it seems to me that they need to be risk informed.
12 You need to -- when you ask the question how much
13 defense in depth is necessary, that should be a risk
14 informed decision. And when you ask the question how
15 big should the safety margins be, that should be a
16 risk informed decision, so they're not on some other
17 plain or some other measure. And you should be risk
18 informing those ideas themselves.

19 MR. MAGRUDER: If we could go to the next
20 slide --

21 MEMBER WALLIS: Otherwise, you'll always
22 be arguing, or someone will always say well we need
23 more defense in depth. You'll never reach a
24 conclusion.

25 MR. GILLESPIE: I think --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAGRUDER: Graham, we're in violent
2 agreement.

3 MEMBER POWERS: Well, maybe I'm not. You
4 know, I worry. We create this intellectual construct
5 called risk information, which in examining it
6 closely, you find all these deficiencies. I mean,
7 there are uncertainties here, there are uncertainties
8 there. We don't know whether this is included. You
9 know, you go through and you do an uncertainty
10 analysis. George will just excoriate you because all
11 you've done is do parameter uncertainty, and you
12 haven't worried about model uncertainty, things like
13 that. And at some point, you have to ask what if I'm
14 just completely wrong about all this stuff? And I
15 think that that's where you start asking for defense
16 in depth. And if you try to justify defense in depth
17 based on the construct you're trying to protect
18 yourself from, you're going to get into a paradox
19 that's going to leave you vulnerable, I think. And so
20 I'd be very careful about using risk information to
21 guide my selection of defense in depth.

22 Now you will find on this august buddy
23 certain people called rationalists, and I encourage
24 them to think carefully about self-referencing sets
25 before they try to advocate the use of risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information to guide themselves on defense in depth.

2 MEMBER WALLIS: Well, what you're simply
3 saying is that you've got to be more sophisticated
4 about how you interpret and use risk information. But
5 essentially, when you make decisions about defense in
6 depth, it's made to change the risk. And you're
7 making it -- because -- if you make it on some other
8 basis than using PRAs, it's because you don't believe
9 the PRAs, and that's information, that's risk
10 information too. You're still making decisions based
11 on --

12 CHAIRMAN APOSTOLAKIS: It seems to me that
13 Option Three provides an example of -- I mean,
14 actually set certain criteria, you know, attribution,
15 prevention, mitigation quantitatively, so there is
16 some degree of quantitative judgment already
17 established in regulation, so are you referring to
18 that here, or --

19 MR. GILLESPIE: Yeah. If -- let me ask
20 Stu to jump in. Let me jump to the problem we had.
21 The problem we had was --

22 MEMBER WALLIS: Well, Frank, you were in
23 violent agreement with me, so --

24 MR. GILLESPIE: Yeah, I am. No, actually
25 I'm kind of -- we're groping with those same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions. And, Dana, I think we're also in agreement
2 with you, which is why we started in the last
3 several --

4 MEMBER POWERS: You didn't frown at all.

5 MR. GILLESPIE: Which is why we started
6 this kind of construct. If you noticed, the first two
7 view graphs were a list of rules, and they were being
8 treated as independent rules. And I'll give you an
9 example. Top of a report in the Pass said you didn't
10 need a sampling system. Well, that was because we had
11 a sampling system required by the Hydrogen Rule. And
12 for a year and a half, the Hydrogen Rule people wrote
13 a rule that said you didn't need a sampling system
14 because the Pass people had it. And after about two
15 years of work, got these two people to talk to each
16 other, and we realized what we really needed was a
17 single sampling system, not two.

18 What's that evidence of? That's evidence
19 of when you start getting so many individual efforts
20 going, and you haven't fit them into any kind of
21 construct. And it's not that the one we've got up
22 here is the right one, it's kind of the first one that
23 Stu and I kicked around, and some smart people gave us
24 some input on, to try to start to pull things
25 together. And the next step in this is to fill in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some information. You'll see on there that we've got
2 the -- under "Accident Prevention", we've got the
3 surrogate safety goal, if you would, of 10 to the
4 minus 4. What we did was just to put some plugs in of
5 where some things fit that currently exist. You could
6 see the oversight cornerstones in there. Those blocks
7 are in there.

8 We went to a slightly lower level just in
9 this picture, and the concept would be to try to
10 balance things like defense in depth, is to write an
11 objective for each of the blocks you would see, or
12 however this might evolve. It would be kind of a
13 regulatory objective. What's our objective? And we
14 took initiating events, and just chatting about it
15 with some brainstorming we said well, you know what,
16 there's transients and there's accident events, like
17 true events. What rules do we have that deal with
18 transients, which might be like station blackout,
19 things that happen that we don't necessary have all
20 the regulations on, but we have some. And what
21 regulations fit under each of these categories.

22 And then if you -- and I don't mean by
23 whole regulation, by 50.46, or 50 -- I mean by
24 subparagraph, so that you get the truly like things
25 that deal with phenomena together, recognizing that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one regulation like single failure criteria could
2 actually go across the board. And then when you
3 change something, if we change 50.44 you can ask
4 what's its affect on all the other objectives.

5 What we're trying to do is kind of link --
6 in DOT process is link our current body of
7 regulations, which people would agree are not
8 necessarily written in a risk informed context,
9 although safety was in the context of the minds of the
10 writers, with some set of risk informed objectives.
11 And I say risk informed objectives because, just
12 because an initiator is so low, doesn't mean you
13 shouldn't have a mitigation function for it. So what
14 we're trying to do is provide a structure in which to
15 consider defense in depth. It's not totally driven by
16 the PRA, it's driven by some of our deterministic
17 thinking which we might not have totally let go of.

18 But the important piece of where we're going with
19 this, or where we think we might be going if it
20 matures further, would be to write objectives for each
21 of these blocks, sort the rules, the pieces of rules
22 under this, and say now let's look at it. Is that
23 rule needed to meet that objective?

24 The important piece, as we found in the
25 ROP, was coming up with a consensus objective of what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is containment there for. And coming up with that one
2 or two sentence objective was, once we did that in the
3 ROP program, the rest was easy. The rest was actually
4 quite easy. It was implementation.

5 So in trying to organize our thought
6 processes, this was our first cut. You can see under
7 the LERF box, we've got less than E minus 5. Well,
8 that's not a conditional number, we recognize. That's
9 kind of an absolute number, but there's also some
10 conditional numbers, and we didn't -- Stu didn't have
11 a chance to find it, but there used to be like a
12 conditional number on containment that was thrown
13 around in some literature in the agency also. And
14 so -- I think it was .1, so what we're doing is right
15 now is kind of searching around --

16 MEMBER KRESS: That was for the full
17 conditional failure.

18 MR. GILLESPIE: Full conditional failure,
19 yeah. So what we're doing now is searching around for
20 all of this policy guidance and saying how can we
21 create a structure and fit it in? How can we then
22 take the next step and create an objective for each of
23 these blocks which is risk informed, and it may be
24 qualitative, it may be a number, it may be both. And
25 we picture kind of a database -- a spreadsheet with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little Xs as a starting point to index our thinking
2 relative to grouping the regulations, and then say
3 does this regulation -- is it needed to meet that
4 objective? Can these two be combined with a more
5 performance oriented wording, like the example I used
6 on sampling systems, to meet the objective?

7 If I take this rule out, am I more
8 dependent on the other rules for meeting the
9 objective? And it's those kind of questions that
10 we're running into as we're dealing with things in
11 isolation one at a time.

12 This doesn't compete, by the way. You
13 prioritize what you work on by the four agency goals,
14 which is what's in the plan.

15 MR. MAGRUDER: Right.

16 MR. GILLESPIE: This is a thought process
17 to help us make sure we structure things. And if we
18 destroy a rule, we know its impact is a synergistic
19 affect in the whole. Let's skip to the next slide.

20 MEMBER SHACK: Didn't the research try to
21 do that with their framework document?

22 MR. GILLESPIE: Well, we did. We took --
23 we scavenged a lot, you'll see in here, from the
24 research document which was used to prioritize Option
25 Three. But this thought process is the body of rules,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and it's kind of independent of Option Two/Option
2 Three. And we're not using it to prioritize. What
3 we're doing is using it kind of like an analytic
4 approach, or an analytic tool to say do we really know
5 what we're doing when we change this rule, or this
6 paragraph, and know what its impact is overall, in
7 kind of a risk informed structure. I'm not saying
8 it's perfect, but it's a risk informed indexing, and
9 now let's go in and change things, but let's
10 understand how the impact is. Let's have something
11 that helps us display and understand the impact.

12 MR. MAGRUDER: Yeah, this is -- I guess
13 this is kind of an expansion of the framework
14 document.

15 MEMBER WALLIS: Have you used this for
16 something like 50.46? And I can see looking at -- I
17 can see doing it with one regulation like 50.46. The
18 difficulty though is, how does that relate to all the
19 other regulations because I don't -- bringing all the
20 regulations into this kind of a box you just showed us
21 is going to be very difficult.

22 MR. GILLESPIE: Well, I think the first
23 cut is not that difficult. It's a matter of just
24 sitting down and taking the various subparagraphs, and
25 separating them in some logic manner, grouping the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 phenomenological things together.

2 MEMBER WALLIS: But they're also dependent
3 on all the other regulations, so the interaction is
4 not going to be --

5 MR. GILLESPIE: And that's what I'm
6 concerned with, is we're trying to get a handle as
7 those interactions. When I destroy a rule, have I
8 become more dependent on the rest? And so this is our
9 thought process. I picture the next thing being the
10 bottom row of blocks here along the top of a database,
11 and all of our regulations in some logical subset,
12 because you can't deal with them in big pieces.
13 Otherwise, you've kind of got to get them down, and
14 also recognize underneath each one of those little
15 paragraphs in the regulations is a big body of
16 guidance.

17 I'm not saying it's simple, but what we're
18 trying to do is get our thought processes away from
19 thinking in isolation, and thinking in context, and
20 take advantage of some of the thinking that went into
21 the ROP and its development. And going to the next
22 step, I'll tell you what I think the importance of
23 being able to articulate what the objective of
24 containment is, what the objective of protecting the
25 fuel is, or protecting the primary circuit. What are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our expectations? Is in the next diagram --

2 MEMBER KRESS: Before you go to that
3 Polish firing squad diagram, I have a comment about
4 this one I'd like to --

5 MR. GILLESPIE: Remember, this is only me
6 and Stu, and Cindy.

7 MEMBER KRESS: If you look at the row of
8 initiating events, mitigation, containment, emergency
9 planning, that's sort of a shorthand for PRA.

10 MR. GILLESPIE: Uh-huh.

11 MEMBER KRESS: That's what goes into a PRA
12 when you calculate the risk. And what you -- I
13 understand your thinking is that you're going to look
14 at the body of regulations you now have to see where
15 you deal with these things, and see how you might risk
16 inform that part of it. The problem -- the partial
17 problem I have with that is, the assumption -- there's
18 an implied assumption there that what you now have is
19 the right balance among those things. Let's talk
20 about balance as a defense in depth concept.

21 MR. GILLESPIE: Okay.

22 MEMBER KRESS: Now I'm going to reveal my
23 rationalist viewpoint here, but what -- when I look at
24 this, and if I did this in a PRA for each individual
25 plant, I would get different contributions along those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from each plant to establishing its risk status at --
2 with risk, some thing at the end of the PRA. And I
3 would get different numbers, different contributions
4 for those depending on the reactor, and the type, and
5 so forth. And so, I have to ask myself, what is the
6 contribution among those that I find acceptable from
7 the defense in depth standpoint? That's a question I
8 ask myself over and over. And I've never seen a
9 rationalization of any kind of criteria, other than
10 what we already have, which is kind of 10 to the minus
11 4, with nothing -- with no sequences that really --
12 outstanding versus -- and 10 to the minus 5. Those
13 are the only two. Why are those appropriate in my
14 mind, and what do they have to do with the
15 uncertainties in the determination of each point along
16 the line?

17 Now as a rationalist, I would say when I
18 ask myself what if I'm wrong as a defense in depth
19 concept? What if I'm wrong, and how do I accommodate
20 that? I rephrase the questions and say what
21 confidence do I have in my answer in the PRA? And
22 that gives me a measure of how much I think I'm wrong,
23 if you do the uncertainty wrong. So I think the
24 rationalist approach can accommodate a structurist
25 thinking, because I think you can answer that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question, what if I'm wrong, to some extent. And how
2 wrong am I, and then I can have a handle with which to
3 tie how much defense in depth I need, or where does it
4 need to be put. And I don't see that in here at all,
5 that handle.

6 MR. GILLESPIE: I agree with you, because
7 that's -- kind of our next step would be -- and let me
8 go back to what I said. No matter how low you can
9 force initiating events down in the mathematical
10 modeling, mitigating the core damage frequency
11 accident is still a requirement, which means you need
12 to set up a set of objectives. This is what we're
13 grappling -- this is why you don't see an objective
14 written down there. It's just a title right now, is
15 independent of how good you can make your plant, it
16 doesn't matter. WE still expect this, this is being
17 able to mitigate the accident, and this in being able
18 to contain it. And I think some of that thinking went
19 into writing the regulations over the years, but no
20 one wrote it down. It wasn't in a structured,
21 necessarily, way. And what I'm suggesting is this how
22 we and the staff are trying to at least get some
23 structure to our thinking, to start putting those
24 questions on the table, because that would get to,
25 well what is the objective of mitigation systems?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Now I have a
2 problem here. At 10:00 we have the Officer Directors
3 coming, and you, gentlemen, have to wrap it up in two
4 minutes.

5 MR. GILLESPIE: If I could just jump to
6 the next slide --

7 CHAIRMAN APOSTOLAKIS: Tell us what the
8 most important thing is from your presentation.

9 MR. GILLESPIE: Okay. The next slide --

10 MEMBER ROSEN: You're going to wrap up the
11 entire discussion, or just the reactor arena
12 discussion, because we had two subjects, and we've
13 talked about --

14 CHAIRMAN APOSTOLAKIS: This section is
15 being wrapped up in two minutes.

16 MEMBER ROSEN: We talked about half of
17 what we came to listen to.

18 CHAIRMAN APOSTOLAKIS: Well --

19 MR. GILLESPIE: Let me jump just to the
20 next slide so I can wrap up our piece, and why I think
21 the first slide is important. The first slide, which
22 sets up a set of objectives, basically starts setting
23 up a standard. And in this slide you see some of the
24 things going around the outside that we've been doing
25 kind of in isolation. And one would ask, why does the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ASME Code have a low categorization in ISI and IST,
2 which could be different from Option Two's Risk Three,
3 and why are they treated different? And what's the
4 relationship between that and configuration management
5 under A-4, which also has a scheme for having
6 something that's called just leave it to the skill of
7 the trades? And why are all those thresholds
8 articulated in a different way, all in different
9 places? And this is an endeavor to say as we're
10 becoming more risk informed, we need to bring all of
11 these things we've put out in the last three or four
12 years together, and start using the same thresholds if
13 they're, in fact, supposed to represent the same
14 safety level of action or inaction. And we would see
15 -- the first picture I showed you is actually fitting
16 in, is kind of being the common risk informed
17 objectives that would fit into this kind of central
18 wheel.

19 It does mean going back and looking at how
20 we articulated some other things in the past. For
21 example, on A-4, because the way we did it might not
22 have been the right way. We might be more informed by
23 some of the things we're doing in Option Two right
24 now, is we do need to bring these things together, and
25 a central set of objectives is one way applying it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 across the board to do that. Creating those
2 objectives, I recognize, is going to be difficult
3 because defense in depth is a balance. How do you
4 consider uncertainty? But I need a structure to
5 answer those question -- to even ask those questions,
6 and I'd like to have a structure I can put the
7 questions in, so that when I get the answers, I know
8 how they fit together. And that's what we're trying.
9 I just thought I'd put this on the table as -- it's a
10 little different.

11 MR. MAGRUDER: I'm sure we'll talk a lot
12 about this, but we need to turn over to Lawrence.

13 CHAIRMAN APOSTOLAKIS: I don't know for
14 how long.

15 MR. KOKAJKO: I can do it very quickly. My
16 name is Lawrence Kokajko. I'm the Section Chief of
17 the Risk Task Group in the Office of Nuclear Material
18 Safety and Safeguards. I have not appeared before the
19 ACRS before, but I have appeared before the ACRS/ACNW
20 Risk Sub-Committee, and so some of what I'm going to
21 talk about, they have already heard.

22 Just very briefly, NMSS through the RIRIP
23 has embarked on a way to modify the regulatory
24 framework across a spectrum of regulated activities,
25 all the way from small seal sources devices, all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way through spent fuel, storage, transportation, fixed
2 gauges, the gaseous diffusion plants, fuel fabrication
3 facilities, and others. It's not the homogenous group
4 that NRR is. And consequently, we have to be a little
5 more creative in how we risk inform the regulatory
6 framework.

7 MEMBER ROSEN: I'd say it's even less
8 homogenous than the reactor safety arena.

9 MR. KOKAJKO: Even less.

10 MEMBER ROSEN: Yes.

11 MR. KOKAJKO: We like to think we're the
12 more interesting program in all this. We have gone
13 through conducting eight case studies recently. We've
14 developed some final screening considerations, and
15 implementing guidance to help us to determine what is
16 amenable for risk informing within the office. We've
17 initiated staff training like NRR has, and we're
18 looking forward to training, perhaps -- having
19 advanced training later on for the staff. And we've
20 completed a number of our activities in December.

21 We are now looking at implementing a Phase
22 Two approach, where we're looking at what is amenable,
23 and looking at cross-cutting measure. I believe
24 Margaret Federline has appeared before you some months
25 ago, and she indicated that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are going to categorize any
2 improvements through the PBPM process and prioritize
3 them to see which ones are most effective.

4 CHAIRMAN APOSTOLAKIS: Through what
5 process?

6 MR. KOKAJKO: PBPM, Planning, Budgeting,
7 and Program Management Process. It's the way to
8 prioritize the -- what we should do next. Although
9 this work is ongoing, we will implement it in a Phase
10 Three, there are things that are going on within NMSS
11 right now, which we're taking advantage of.

12 A couple of things that we will -- that
13 are being worked on is changing the inspection manual
14 chapter for the fuel cycle facilities to be risk
15 informed. Also, for Uranium recovery we're doing the
16 same thing. Part 72 Geological and Seismological
17 Siting Criteria in SFPO is -- will be risk informed.
18 It will also match what is going on in the reactor
19 arena.

20 CHAIRMAN APOSTOLAKIS: In June you're
21 going to issue another plan, version of the plan.
22 Right?

23 MR. KOKAJKO: Yes, sir.

24 CHAIRMAN APOSTOLAKIS: And we will meet
25 again?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KOKAJKO: I hope, yes.

2 CHAIRMAN APOSTOLAKIS: So then we'll start
3 with you.

4 MR. KOKAJKO: Okay. That would be fine.
5 Hopefully by June, we will have some other products
6 available.

7 CHAIRMAN APOSTOLAKIS: Good.

8 MR. KOKAJKO: The other thing I'd like to
9 say is we are working on developing draft safety goals
10 with the Office of Nuclear Regulatory Research. The
11 Sub-Committee, we've presented the three-tiered
12 approach, and I think it was received pretty well.

13 We'll also be going to PSAM in June, and
14 we're looking forward to that.

15 CHAIRMAN APOSTOLAKIS: You'll do what in
16 PSAM?

17 MR. KOKAJKO: We're going to make about --
18 I think we're going to have about 12 presentations at
19 PSAM in June.

20 CHAIRMAN APOSTOLAKIS: Okay.

21 MR. KOKAJKO: That's it in a nutshell.

22 CHAIRMAN APOSTOLAKIS: You choose good
23 conferences to do it.

24 MEMBER ROSEN: Well, it certainly was
25 quick. Right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: But no, we will
2 have another occasion to discuss these things --

3 MEMBER ROSEN: I think this is a very
4 important area.

5 CHAIRMAN APOSTOLAKIS: -- in the next few
6 months.

7 MEMBER ROSEN: And we gave the full
8 Committee, really a very short shrift of it, and I
9 think it deserves a lot more discussion.

10 CHAIRMAN APOSTOLAKIS: If we can only
11 settle the issue of defense in depth, then everything
12 will be going very quickly at these meetings.

13 MEMBER POWERS: It's very well settled.
14 We know what it is.

15 CHAIRMAN APOSTOLAKIS: Dr. Shack.

16 MEMBER SHACK: It's back to you. I guess
17 we're done.

18 CHAIRMAN APOSTOLAKIS: Thank you very
19 much, gentlemen. We'll recess until 10:00.

20 (Off the record at 9:52 a.m.)

21 (On the record at 10:04 a.m.)

22 CHAIRMAN APOSTOLAKIS: We're back in
23 session. Well, on behalf of the ACRS, I would like to
24 welcome the Executive Director for Operation, Dr.
25 Travers. Director of the Office of Research, Ashok

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thadani. Director of the Office of --

2 MEMBER SHACK: It says NMSS in there,
3 doesn't it?

4 MR. COLLINS: I got a promotion on way
5 over.

6 CHAIRMAN APOSTOLAKIS: Nuclear Reactor
7 Regulation, Mr. Sam Collins. And the Director of the
8 Office of Nuclear Material Safety and Safeguards, Mr.
9 Marty Virgilio. We're looking forward to discussing
10 items of mutual interest with EDO and the Office
11 Directors, and I understand this is the first time
12 that either committee has had such an opportunity to
13 exchange ideas and thoughts on both ongoing and future
14 high priority activities with the Directors. I
15 understand Dr. Garrick, Acting Chairman of the ACNW
16 also has a few opening comments.

17 MR. GARRICK: Thanks, George. Good
18 morning. My name is John Garrick, the Acting Chairman
19 of the ACNW. The reason that I'm Acting is that
20 neither our Chairman, George Hornberger, nor our Vice
21 Chairman, Ray Wymer, could join us today. They do
22 send their regrets. I am joined by the very able
23 Committee Member, Milt Levenson, and he will -- he and
24 I will have to do the best we can to represent the
25 Committee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would like to add my welcome to that of
2 Dr. Apostolakis. This happens to be an extremely
3 timely event, because the ACNW will be holding its
4 retreat, its planning activity later this month, and
5 one of our goals is to select a limited number of high
6 priority issues for the Committee to concentrate on
7 the next year, and beyond. And these presentations,
8 I'm sure, are going to be very helpful in that whole
9 selection process, to ensure that the Committee and
10 the NRC Staff share the same high priority issues, so
11 we look forward to that very much. Thank you.

12 CHAIRMAN APOSTOLAKIS: Bill.

13 MR. TRAVERS: Thank you very much. Mr.
14 Chairman, a limited number of high priority issues is
15 a goal we have. We haven't managed to get to that
16 point yet, but we do appreciate the opportunity to be
17 here before both committees. There was a time in
18 NRC/AEC history when we used to report to a joint
19 committee of Congress, and some look forward, or look
20 fondly on those days, but we are certainly happy to be
21 here today with you to talk about some of our current
22 issues, some of the issues that you've been
23 addressing, and have a discussion, a dialogue on some
24 of the activities that we see, and perhaps you see
25 going forward.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Each of the Office Directors with me
2 today, and I should mention that Bill Kane and Carl
3 Paperiello, my Deputies, are here as well, are looking
4 forward to a dialogue. We have a presentation. I'd
5 like to make just a few brief comments at the outset,
6 and leave plenty of time for the dialogue to following
7 after the presentations.

8 I have to tell you that we are in the
9 midst of an awfully dynamic time. I think you
10 recognize that. It's, in my estimation, probably one
11 of the most dynamic periods in NRC history.
12 Certainly, we've had some of those in the past, after
13 Three Mile Island, and at other times. But if you
14 look across the spectrum of activities that we are
15 involved in, and certainly you are involved in in your
16 role, it is a daunting scope, and we are anxious to
17 continue to make progress in many areas.

18 Let me begin by just touching on some of
19 the areas where I think we have been particularly
20 benefitted by activities of both the ACRS and the
21 ACNW, and just touch on a few of those. I think we'll
22 probably touch on some of these in the presentations
23 to follow, as well.

24 Certainly, in the area of advanced or
25 future reactors, ACRS has been significantly involved,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 positive spin on it --

2 MR. TRAVERS: That's right.

3 MEMBER POWERS: -- but, I mean, telling us
4 what we've done good, it's nice and we appreciate it.
5 But we're not going to get better if you don't bring
6 to our attention the things that haven't been helpful.

7 MR. TRAVERS: Well, let me propose that I
8 start with where we've gotten good things.

9 MEMBER POWERS: Okay.

10 MR. TRAVERS: And perhaps the more
11 appropriate place to go further than that would be in
12 the discussion that follows, if that's acceptable.

13 CHAIRMAN APOSTOLAKIS: If, of course,
14 there are any.

15 MR. TRAVERS: In the area of -- let me
16 continue positively, if I may. In the area of license
17 renewal, the ACRS has been involved in the review of
18 the generic documents that have been produced,
19 including the Sandia Review Plan, in our efforts to
20 institutionalize some of the lessons learned in the
21 generic age and lessons learned document.

22 I was going to mention in the ACNW's case,
23 a number of positive interactions have occurred as
24 well, including the input on the Draft Policy
25 Statement on Decommissioning Criteria for the West

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Valley Demonstration Project. This has really helped
2 us in our sense to identify areas where clarifications
3 that should have been made, were made.

4 We've had interactions, as well, with ACNW
5 on the development of the Decommissioning Standard
6 Review Plan. We think those have been particularly
7 productive. And I'd have to comment on our very
8 positive view of the recommendations that ACRS made,
9 and ACNW made separately, on the safety and waste
10 research plans in the Office of Research.

11 As you know, we largely agreed with the
12 key recommendations in those reports. And, in fact,
13 we've incorporated many of the ACRS' recommendations
14 into our planning and budget process for the outlying
15 years.

16 One thing that I personally would like to
17 thank you for, and in concluding my opening statement
18 is, your efforts at my request to look at a differing
19 professional opinion, a rather complex one that had
20 been under review for quite some time, we took the
21 rather unusual step of asking the Committee if they
22 would act as a technical review of this issue.

23 We take these issues that are raised by
24 our staff very, very seriously. And we think that the
25 effort that you put into the review of those technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues was very well done, and has helped not only put
2 some closure to that issue, but identify a path in
3 some activities moving forward to help further assure
4 ourselves with confidence that we have, in fact, those
5 steam generator issues well covered.

6 MEMBER POWERS: Let me interject. You're
7 -- just to remind everyone that the only reason it was
8 possible for the ACRS to arrive at any conclusion in
9 that area was the fact that your staff and the
10 differing professional opinion authors could provide
11 such effective support, and effective presentations,
12 forthright, frank, complete description of their
13 various technical opinions, in a very clear fashion.
14 When we get that kind of support from your staff, I
15 think the Committee is far more effective, than if we
16 have to delve into things, and try to find them for
17 ourselves. We're not very good at that.

18 MR. TRAVERS: I should ask you for areas
19 where we haven't done well, but perhaps we could take
20 that up --

21 MEMBER POWERS: Well, we'll go into a
22 couple of them by day's over.

23 MR. TRAVERS: Well, I think the last thing
24 I'll mention in terms of our interactions with ACNW,
25 and certainly things we see moving forward, are the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interactions that relate to our identification of the
2 key technical issues in the Yucca Mountain project.
3 I know the Commission has asked for some insight from
4 ACNW on these issues. WE're happy to work with you on
5 a roll-up of those things, a discussion of the
6 significance of the various items that are on that
7 list, and talk about a path moving forward.

8 So with that sort of brief and positive
9 beginning, why don't I turn to Marty Virgilio, who is
10 going to begin a presentation that we have planned in
11 each of the program offices. Marty is going to talk
12 about, obviously, NMSS programs. Ashok is going to
13 talk about research, and Sam will, aside from what it
14 says on his placque, he will talk about the Office of
15 Nuclear Reactor Regulation. Marty.

16 MR. VIRGILIO: Good. Thank you, Bill.

17 Good morning, and thank you all for this
18 opportunity to meet with you today to discuss some of
19 NMSS' current and ongoing activities that we consider
20 of high priority, and the ones that we value your
21 input on, continuous dialogue and advice.

22 There are a number of high priority issues
23 for NMSS that we'll be discussing with you today.
24 Many of these issues represent what we consider
25 technical resolutions to first of a kind applications

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for radioactive waste transportation and storage, and
2 disposal.

3 New standards are being developed around
4 these issues, with what I consider worldwide interest.
5 Compliance with these new standards are being
6 demonstrated for the most part through modeling, with
7 assumptions where we lack empirical data. That makes
8 it rather challenging for all of us, I think. And
9 there's a high degree of public interest in all of
10 these activities.

11 MEMBER POWERS: Actually, that easy to do
12 it. If you've got no data, and you just have to live
13 on assumptions, those kinds of models are great to
14 develop.

15 MR. VIRGILIO: Difficult to defend.

16 MEMBER POWERS: Difficult to defend.

17 MR. VIRGILIO: Right. We acknowledge that
18 you've already provided us good advice in a number of
19 areas involving high level waste, as Bill alluded to
20 in his opening remarks, particularly on the KTIs. And
21 we appreciate your continued feedback to us on the
22 total system performance assessments, and some of the
23 issues that we're dealing with there. And we just
24 recently got a memo from you dated January 17th on
25 this topic.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the interest of time, I want to focus
2 on just a few of the current and future issues that I
3 see as the most significant, so if we could have slide
4 two, please.

5 Today, these represent the four issues
6 that I want to spend my time on, your time on. These
7 are activities in the nuclear waste safety arena, and
8 related programs that we believe will require
9 continued ongoing discussion and consultation with,
10 between the NMSS Staff and the ACRS and ACNW.

11 The first pertains to high level waste and
12 repository issues, particularly the resolution of the
13 KTIs, and subsequent performance confirmation.
14 There's ongoing and increased interest in this area
15 involving waste package, transportation safety issues,
16 and our reviews in this area, and some of the other
17 studies that are planned and ongoing, and I'll touch
18 on them.

19 The second activity involves
20 decommissioning and site cleanup issues, as well as
21 technical issues related to demonstration of
22 compliance with the license termination rule.

23 The third activity pertains to
24 enhancements of NMSS' risk informed approaches. And
25 the fourth area includes anticipatory and confirmatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 research areas in the waste arena.

2 There's this over arching need that I just
3 want to make sure that you're sensitive to within
4 NMSS, that we continue to make continuous improvements
5 to our program, that we continue to challenge
6 ourselves to seek most efficient and effective
7 solutions to the problems that face us. And I just
8 want to make sure that you're as sensitive to that as
9 we are. If I can have slide three, please.

10 DOE now has officially announced its
11 intent to recommend Yucca Mountain to the President,
12 and so now we continue to prepare for the license
13 application in light of that announcement. There are
14 a number of important activities underway today with
15 the staff, and you have interacted with us on several
16 of these. First, the key technical issues.

17 The focus of the key technical issues and
18 related agreements, when I think of those together, is
19 to make sure that when we finish that, we have
20 provided DOE guidance on the information they need to
21 submit a sufficient license application. The scope
22 and level of detail is based on what would be needed
23 to provide the requisite confidence regarding
24 demonstration of compliance with 10CFR Part 63.

25 The performance assessment approach which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is embodied in the Yucca Mountain Review Plan has been
2 used to derive the risk insights for prioritizing and
3 integrating these key technical issues. The key
4 technical issues themselves add a varying complexity.

5 While DOE must satisfactorily address the
6 KTIs to prepare a sufficient license application, it
7 must take into account the risk significance in
8 defining the scope of its response on each of these
9 agreements.

10 The relative importance of these key
11 technical issues and related agreements may be
12 qualitatively assessed using a combination of factors,
13 such as the risk significance of the associated
14 structures, systems and components, and the processes,
15 the number and complexity of the agreements associated
16 with each of the KTIs, and of course, stakeholder
17 issues and concerns, as well.

18 The agreements that we've reached with --
19 between NRC and DOE in the pre-licensing application
20 process are based on extensive staff review of DOE's
21 technical case, and subsequent identification of gaps
22 in DOE's supporting information. So our future
23 technical meetings with Doe will continue to focus on
24 these gaps and provide strategies and answers that
25 will help close each of these gaps.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scope and depth, the amount of energy we've put in
2 them has changed based on our assessment of their
3 significance, and how that's changed as we've gotten
4 more information, as we've worked through these
5 issues.

6 MEMBER POWERS: Have you thought about
7 applying that kind of an approach to things like the
8 transportation issues? I mean, many of our
9 transportation regulations and approaches for safety
10 in transportation are fairly geriatric, and people are
11 interested in perhaps upgrading those. Have you
12 thought about applying that in that same area?

13 MR. VIRGILIO: No, I think we're going to
14 approach that from a different perspective. What I'd
15 like to do there is take a more risk informed
16 approach, instead of setting out at the front end
17 saying that there are this set of a dozen particular
18 issues that I want to focus on.

19 What we're working cooperatively with
20 research today, is to get more insights around
21 storage, dry cast storage, and working on
22 transportation issues as well, in a more risk informed
23 approach right from the beginning, and focus our
24 attention based on what the risk information is
25 telling us. Where we have large uncertainties, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: You guys prepared and
2 developed a program of, I hesitate to call it, so much
3 research as technical investigations let's call it,
4 because I think it was a mixture of research and
5 technical support, around a set of what you call KTIs,
6 Key Technical Issues. And I think the Committee wrote
7 a report some time back, saying gee, what a great idea
8 this is, and how useful this is. They very much liked
9 it. Is that kind of an approach still going on? I
10 mean, do those KTIs evolve, or they -- they're the
11 ones that you set up a long time ago, and you see no
12 reason to change them?

13 MR. VIRGILIO: The KTIs have not evolved.
14 What I think are some of the sub-issues, and how we
15 are focusing on the sub-issues that I think have
16 evolved is we've gained more information and more
17 insights about the site. So if you look at the ten
18 KTIs, or nine technical plus the performance
19 assessment, they have held constant for the -- you
20 know, for as long as I've been associated with the
21 program. But what has evolved is our thinking around
22 some of the sub-issues.

23 MEMBER POWERS: Uh-huh.

24 MR. VIRGILIO: While the titles haven't
25 changed, I think the way we've looked at them, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 example. Well, overall the system might not be posing
2 a large risk, the value of doing these kinds of
3 assessments is to tell you where you've got large
4 uncertainties, where you've got margins that you might
5 be able to focus on, and where you've got maybe small
6 margins --

7 MEMBER POWERS: So instead of KTIs, you'll
8 have LUIs, Large Uncertainty Issues and things like
9 that.

10 MR. VIRGILIO: I don't know --

11 MR. THADANI: Then I will touch on this
12 issue --

13 MEMBER POWERS: Good.

14 MR. THADANI: -- when I brief you about
15 what we're doing, and it's really basically along the
16 lines of what Marty is saying. And one of my issues
17 is going to be, this is an area where we're going to
18 interact with you, and make sure that if there are any
19 issues we're not considering, that we have the benefit
20 of your thoughts on that.

21 MEMBER POWERS: Well, the -- I just
22 comment that the KTI approach, since I have limited
23 overlap with the issues of Yucca Mountain, was an
24 extremely effective way, I think, of persuading me
25 where the research needed to be done, because it had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been -- it was systematic and whatnot. Doing it with
2 risk I think is no less systematic, and maybe more
3 justifiable, but the articulation of these things was
4 just a very effective --

5 MR. THADANI: Since you're on this issue,
6 the approach we are using, of course, is phenomena
7 identification ranking table type of an approach, so
8 I think it's fairly systematic.

9 MEMBER POWERS: Yeah. I mean, a similar
10 sort of thing.

11 MR. THADANI: Yeah.

12 MEMBER POWERS: Yeah. That -- I have to
13 say that that -- your staff has been effective in
14 taking a concept focused largely in thermal
15 hydraulics, and seeing how they can apply it in other
16 areas.

17 MR. THADANI: Yes.

18 MEMBER POWERS: And it's very impressive.
19 I mean, that -- I think when people ask is there
20 creativity in the NRC Research Program, that's one of
21 the areas I'd point to.

22 MR. TRAVERS: I just have to comment on
23 one thing mentioned, and one part of your statement
24 indicated that there are those who would like to see
25 changes in those requirements, and some would like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see risk informing. There are others, however, who
2 really aren't looking for change in the regulatory
3 scheme, so sometimes there's a balancing of what we're
4 doing in the context of stakeholder interest on the
5 part of the industry.

6 MEMBER POWERS: Making that judgment is
7 why you get the big bucks, sir.

8 MR. TRAVERS: It's a balancing act at
9 times.

10 MR. VIRGILIO: Just to close on the KTIs,
11 I wanted to recognize that there's international data
12 and experience that we're trying to draw on as we work
13 forward on the high level waste repository issues. I
14 believe that the NRC Staff and the Committee, as well,
15 needs to utilize the experience gained by the Finns
16 and the Swedes to the maximum extent possible, so not
17 only leveraging our dollars, but also leveraging our
18 decision making, and I think it has an opportunity to
19 enhance public confidence, as well.

20 That's really all I wanted to say about
21 that issue. If we could move on to slide five,
22 please. There's been increased national attention on
23 spent fuel transportation and storage issues. These
24 have been stimulated by the Baltimore Tunnel fire.

25 CHAIRMAN APOSTOLAKIS: Why did you skip

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 four?

2 MR. VIRGILIO: Oh, I'm sorry. I think I
3 covered it. It was all covered in my notes. I'm
4 sorry if --

5 CHAIRMAN APOSTOLAKIS: Well, I've got a
6 question on the fourth.

7 MR. VIRGILIO: Sure.

8 CHAIRMAN APOSTOLAKIS: Can we go back to
9 four?

10 MR. VIRGILIO: Yes, please.

11 CHAIRMAN APOSTOLAKIS: This issue of
12 uncertainty and realistic assessment and all that
13 stuff, I'm pretty sure you have significant model
14 uncertainties in the performance assessment, and we do
15 also in reactors. Now the way we are handling them to
16 the extent that they can be handled is using defense
17 in depth. How do you guys do it?

18 MR. VIRGILIO: We also use the defense in
19 depth --

20 CHAIRMAN APOSTOLAKIS: Is that defense in
21 depth, really?

22 MR. VIRGILIO: -- approach for the
23 repository. That is part of the process.

24 CHAIRMAN APOSTOLAKIS: Multiple barriers,
25 and that's it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. VIRGILIO: Multiple -- yeah, an
2 approach that looks at multiple barriers, that looks
3 at the fuel, the waste package, and it also then takes
4 into consideration the repository, the transport.
5 Each of those provide a certain measure of defense in
6 the process.

7 CHAIRMAN APOSTOLAKIS: And people compound
8 this --

9 MEMBER POWERS: It's a good approach,
10 George.

11 CHAIRMAN APOSTOLAKIS: Huh?

12 MEMBER POWERS: It's a good approach,
13 defense in depth.

14 CHAIRMAN APOSTOLAKIS: Well, I'm not so
15 sure. I think it's a very different application of
16 defense in depth in barriers.

17 MR. VIRGILIO: Yes, it is. We've written
18 several papers on it that we'd be happy to share with
19 you, if you --

20 MEMBER KRESS: The only variable you have
21 access to there in terms of what you can do is the
22 cask. I mean, you've got the fuel. It's already put
23 into some sort of form. You've got the repository
24 external, so the defense in depth you have access to
25 is what you -- how you design the cask. Now my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question is, how do you know how good of a cask you
2 define to get the appropriate defense in depth you
3 need?

4 MR. VIRGILIO: It is not limited alone to
5 the cask. I think you have to look at the entire
6 system. I think there are things that you can do with
7 regard to how you store the waste, how you back fill
8 behind the waste. There are a number of variables
9 that you have in addition to the natural barriers that
10 are provided. Am I sorry. Your question then was?

11 MEMBER KRESS: My question was how do you
12 know when you've got enough of that, including those
13 other things?

14 MR. VIRGILIO: Through tests and through
15 modeling.

16 MEMBER KRESS: You have a criteria for how
17 much change in some risk measure that you want this
18 cask to give you?

19 MR. VIRGILIO: You can do sensitivity
20 analysis, and you can do modeling in terms of -- you
21 know, what would be the affect of you decrease the
22 performance of the cask, for example. Take the
23 package, and so you make some assumptions about how
24 well it's going to perform. You can model and
25 decrease, you know, the performance around a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particular element.

2 MEMBER KRESS: The performance is measured
3 by some release somewhere, or some contamination --

4 MR. VIRGILIO: By the standards that have
5 been established and incorporated in our rules. The
6 standards are established by EPA. DOE brings forward
7 the license application. NRC assesses that
8 application, so there are a number of federal agencies
9 involved in this. But EPA has set the standards that
10 really are looking at what the affect might be on some
11 hypothetical resident in the vicinity of the facility.

12 MEMBER KRESS: So you do sensitivity
13 analysis to --

14 MR. VIRGILIO: Yes, in part to understand
15 the contribution and affect.

16 MEMBER KRESS: Contribution, and do you
17 know -- when you do a sensitivity analysis do you -
18 what? Put some parameters at their 95 percentile
19 values or something like that?

20 MR. VIRGILIO: And vary them? Yeah.

21 MEMBER KRESS: Vary them.

22 MR. VIRGILIO: As to what degree of
23 performance you're getting, for example, out of the
24 cask, or out of the package.

25 MEMBER KRESS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: On your third bullet, how
2 relevant is that experience to the plans at Yucca
3 Mountain. In the reactor safety area we update PRAs
4 with relevant experience from many thousand years of
5 reactor experience. Is there analogous value to that
6 data that you're getting out of others experience in
7 repository performance?

8 MR. VIRGILIO: I think that it's coming in
9 now in terms of what we're getting from the Finns and
10 the Swedes, and I think that we'll see more from WIPP
11 as we get more involved in what DOE has done, so there
12 is some experience. But we rely heavily on the
13 modeling.

14 CHAIRMAN APOSTOLAKIS: What is consistency
15 in treatment of uncertainties?

16 MR. VIRGILIO: One of the things that we
17 want to make sure that we're doing is in approaching
18 the KTIs in a somewhat consistent manner, in terms of
19 not having more conservatism in one, and less in
20 another, for some of the same factors. It's a
21 reconciliation of how we're approaching this.

22 Try to put everybody on the same playing
23 field, where we can. That's -- I think it's a very
24 important factor that we don't unnecessarily treat or
25 use conservatisms around certain assumptions, which in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your last letter to us, I think the over arching issue
2 there was, because it can bias the results. And I
3 think that's very appropriate guidance.

4 MR. GARRICK: I think one thing that might
5 be important to Tom Kress' question is the very
6 different situation that exists with respect to the
7 activity called site characterization, very different
8 from the reactor problem.

9 The site characterization program is
10 designed to really deal with the question of how much
11 protection are we getting from the natural setting,
12 and so that's a component of the defense in depth.

13 MEMBER KRESS: It seems like it's a highly
14 uncertain --

15 MR. GARRICK: It is a highly uncertain,
16 but on the other hand, if you look at the work that's
17 going on, that's where most of the work is taking
18 place, is in better understanding the performance of
19 the natural setting. There's a lot of emphasis on the
20 waste package, and that is very much an engineering
21 effort, but the activity associated with the site
22 characterization is very involved, and very extensive,
23 and has been going on for many years, and there have
24 been many lessons learned. And one of the lessons
25 that probably is the most important from that whole

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process is that it is very difficult to quantify the
2 uncertainties associated with the performance of the
3 natural setting. But I think that in general, they
4 have learned along the way what is more important, and
5 are focusing on those barriers, and those parts of the
6 natural setting that are going to have the greatest
7 impact on performance, such as how water moves through
8 the mountain. And so I think that, to pick up on
9 Marty's response, that it comes from both places, it's
10 clearly correct, that there needs to be a component of
11 defense in depth with respect to the engineer portion,
12 which is primary what is called the near field, and
13 primarily what is called the waste package. And there
14 needs to be an expose of the ability of the natural
15 setting to provide backup when and how a source term
16 is actually developed. When you see the billions of
17 dollars that are spent, most of it is spent in just
18 trying to go as far in the direction as reasonable, to
19 quantify the geological setting.

20 MR. VIRGILIO: Okay. If we can then move
21 on to slide five. Okay. There's been increased
22 national attention on spent fuel transportation. And
23 as I said earlier, this has been stimulated by the
24 Baltimore Tunnel fire, the terrorist acts of September
25 11th, and other things, including DOE's announcement

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of Yucca Mountain. Staff is, and will continue to
2 seek the ACNW's views and guidance on critical safety
3 issues pertaining to spent fuel transportation issues.

4 The staff itself has been engaged in
5 review of spent fuel transportation packages, and the
6 performance of spent fuel transportation packages in
7 severe design basis accidents, beyond design basis
8 accidents, what we call the package performance study.
9 And we've been working very cooperatively with
10 research in this area.

11 We've developed a test plan that will be
12 issued in the near future for comment. In addition,
13 the Staff is also going to be involved in activities
14 to validate the structural computer models that we use
15 in risk assessment around transportation of spent
16 fuel.

17 We've also recognized at the National
18 Academy, The National Research Council Board of
19 Radioactive Waste Management, will begin a broad
20 transportation based study focused on spent fuel
21 issues. This study is going to start in April of this
22 year, and Staff will solicit the Committee's comments
23 on the study.

24 NRC may also conduct additional
25 transportation vulnerability studies in response to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the terrorist attack of September 11th, and our
2 proposals are currently before the Commission in that
3 area.

4 MR. LEVENSON: I have a question on
5 transportation. You've listed it under high level
6 waste. What about other -- at the moment, the big
7 transportation process going on is stuff going to
8 WIPP. It turns out that in many cases, it isn't the
9 NRC licensed cask that's controlling much of anything,
10 but DOT regulations. What's -- do we have the same
11 fuzzy area with high level waste?

12 MR. VIRGILIO: No, that -- I don't --
13 well, first of all, I don't think it's very fuzzy at
14 all. I think that the roles and responsibilities
15 around transportation of waste in this country are
16 fairly clear with regard to NRC's responsibilities,
17 Department of Transportation's responsibilities.

18 With regard to high level waste, this is,
19 you know, NRC and DOE responsibilities. This is not
20 going to involve the Department of Transportation, to
21 the same extent that you see for low level waste, and
22 for other materials that are being transported around
23 the country today. They still have some
24 responsibilities associated with the conveyance, be it
25 the truck or the rail conveyance, but there's a lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more NRC requirements, if you will, around high level
2 waste transportation.

3 That's changing though. I will recognize
4 that there's a lot of change going on today around
5 transportation of low level radioactive waste as well.
6 We're working cooperatively with the Department of
7 Transportation, Customs, and other organizations to
8 make sure that we understand and refine all the
9 different levels of protection, if you will, around
10 transportation packages. That's, in part, being
11 stimulated by our response to the terrorist attack.

12 MR. LEVENSON: Is there some regulation,
13 or rule, or law that decreases the role of DOT for
14 high level waste, compared to the waste going to WIPP?

15 MR. VIRGILIO: I'd have to get back to you
16 on that. I'm --

17 MR. LEVENSON: Because the issues -- I
18 mean, the shipping container for WIPP is licensed by
19 NRC. It's an NRC DOE and that's fine, but DOT has all
20 kinds of miscellaneous requirements arising from the
21 conveyance, which is -- I just spent the last two days
22 in an Academy meeting on WIPP. And the controlling
23 thing resulting in maybe hundreds of millions of
24 dollars per year additional expenditure rises from
25 requirements of DOT, not NRC.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAVERS: DOT will still have those
2 conveyance requirements, as applicable to high level
3 waste as they are to the WIPP shipments. I think what
4 we were trying to convey was that in the context of
5 the detailed reviews that are going to be conducted
6 associated with high level waste transportation,
7 they're more rigorous.

8 Certainly, we went through a certification
9 process for the cask or the -- is that what it's
10 called at WIPP? And I guess I'm not familiar with the
11 specific DOT issues that may be limiting, or causing
12 greater expense in connection with WIPP, but we think,
13 when it comes to high level waste, it's much more
14 likely that the reviews and the technical requirements
15 of NRC are likely to dominate, if you will, versus
16 some of the safety conveyance requirements of DOT.
17 They're going to be applicable. DOT still has a
18 principal, primary role in transportation throughout
19 the country of anything that involves hazardous waste
20 shipments.

21 MR. LEVENSON: Who is responsible, or is
22 anybody, for looking at that interface, because I know
23 I've seen what the problem has arisen at WIPP, that
24 there's some DOT requirements -- right now, the big
25 issue is because remote handled waste going to WIPP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can't necessarily be handled and looked at. You can't
2 necessarily meet the DOT requirements, and with spent
3 fuel, you're going to have that in spades.

4 MR. TRAVERS: Yeah. If you look at what
5 historically has been the case, we've actually shipped
6 high level waste around in this country. Not that
7 much, but it's happened over the years. And am I
8 saying there won't be issues associated with a much
9 larger project? I'm not, but I think we have fair
10 experience in the interaction of NRC requirements and
11 DOT requirements as they apply to high level waste
12 shipments in the country.

13 I don't know if any are actively going on
14 right now, but they have over the years.

15 MR. VIRGILIO: There are a handful per
16 year, moving fuel from one facility to another right
17 now, so we do have some limited experience.

18 MR. TRAVERS: But it's a good issue, and
19 I think it's one when you envision a much larger
20 expansive project, that is worthy of consideration,
21 and we'll take that as a challenge.

22 MR. VIRGILIO: Any other questions? If we
23 can move on to slide six. In the area of
24 decommissioning, NMSS Staff is currently evaluating
25 activities and looking for ways to further risk inform

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our technical reviews. Here's an area where we
2 believe that the ACNW input and guidance has been and
3 will continue to be helpful.

4 We're currently working on a consolidated
5 decommissioning guidance project, where we'll update,
6 and risk inform, and improve our technical reviews.
7 The consolidated guidance project is a three volume
8 set covering decommissioning process, characterization
9 surveys, and radiological criteria, financial
10 assurance, recordkeeping, and timeliness of our
11 reviews.

12 The ACNW review of the consolidated
13 guidance will help ensure that we achieve a clear,
14 complete, and comprehensive set of guidance. The
15 first volume of this three volume set has just been
16 published.

17 Staff is also actively engaged in
18 evaluating options for long term stewardship for
19 decommissioned sites, and financial issues pertaining
20 to cleanup activities, and will be continuing to
21 interact with the Committee on those issues.

22 Dose modeling for complex sites, and
23 consistencies, and conceptual models, as well as the
24 selection of parameters, and probabalistic dose
25 analysis are being addressed today in collaboration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with other federal agencies.

2 Important issues here are being addressed
3 as well involving partial site releases and
4 radionuclide transport and pathways. We'll continue
5 to interact with the Committee around some of these
6 issues. If I could move to slide seven.

7 CHAIRMAN APOSTOLAKIS: Now you mentioned
8 long term stewardship of decommission site. How long
9 is long term?

10 MR. VIRGILIO: For hundreds of years, as
11 a matter of fact --

12 CHAIRMAN APOSTOLAKIS: Wow.

13 MR. VIRGILIO: -- for some of the sites
14 that we have, some of the complex decommissioning
15 sites that we're looking at. We're -- right now we're
16 looking at Department of Energy for taking some of
17 these sites. However, there are other options being
18 considered for some of the sites. We're looking at
19 states for some of the sites. We're looking at Tribal
20 Governments. We're looking at a number of options in
21 terms of ensuring enduring institutional controls, and
22 forcible institutional controls, responsibility for
23 the long term care and protection of these sites.

24 CHAIRMAN APOSTOLAKIS: Interesting.

25 MR. VIRGILIO: It's a very significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue for us today.

2 CHAIRMAN APOSTOLAKIS: I know it's a
3 significant issue for DOE, for their side. I didn't
4 realize it was significant for you, as well.

5 MR. VIRGILIO: Yes. And we're working
6 with DOE and the states, and the Tribal Governments to
7 try to find a success path around some of these
8 issues.

9 CHAIRMAN APOSTOLAKIS: So we're going to
10 have again long time periods. Right?

11 MR. VIRGILIO: Possibly. With, you know
12 -- yes, with institutional controls on some of these
13 sites. On slide seven, I just wanted to -- and I know
14 we've met several times with the Joint Committee
15 around risk informing the NMSS programs. We are
16 continuing to work to further risk inform our decision
17 making. We've briefed you in the past on this issue.

18 Today we're engaged in integration of case
19 studies that were done, eight case studies, and I
20 believe the staff has briefed you on this. We're
21 addressing lessons learned and exploring applying a
22 risk informed approach to other activities within
23 NMSS.

24 One of the most significant tasks that
25 we're working on today is to develop risk metrics and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety goals appropriate for the materials and waste
2 arena activities. We see this as very challenging,
3 but we've been collaborating with the Joint Committee
4 around these issues, and will continue to work with
5 you as we move forward.

6 MEMBER POWERS: When you speak of risk
7 metrics, could you clarify what you mean by that?

8 MR. VIRGILIO: Some of that is somewhat
9 preliminary at this time, but --

10 MEMBER POWERS: Well, just give me the
11 analogy to reactor world that you're --

12 MR. VIRGILIO: If you look at the safety
13 goals at the fairly high level for reactors, those are
14 some of the same things we're looking at in terms of
15 societal risk, individual risk, those type of measures
16 in metrics.

17 MEMBER POWERS: Yeah, I know what you mean
18 now. I'm looking at things like risk achievement
19 worth, or something like that.

20 MR. VIRGILIO: Not to that level of detail
21 or sophistication.

22 MEMBER POWERS: I understand.

23 CHAIRMAN APOSTOLAKIS: Let's say deep
24 diag.

25 MR. VIRGILIO: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Period.

2 MEMBER ROSEN: Useful detail.

3 MR. VIRGILIO: We're also continuing with
4 our training program to make sure that we're uniformly
5 and consistently applying some of these risk informed
6 decision making across NMSS.

7 The last slide I wanted to just touch on,
8 confirmatory and anticipatory research. And I met
9 with the Committee before on this, and so has
10 Margaret. If you think about high level waste, Sub-
11 Part F of Part 63 requires DOE to submit a performance
12 confirmation plan as part of their application.

13 This plan should, in fact, lay out a
14 program that identifies some of the key assumptions
15 for the overall site performance assessment. The plan
16 will also take into account some risk insights, and
17 develop new and continuous analysis, tests and
18 experiments that probe and challenge the assumptions
19 and technical basis for the licensing case.

20 Anticipatory -- and we'll continue to work
21 on that issue. As far as the anticipatory research,
22 I think we need to consider what could be needed in
23 the future, and most importantly, prioritize what
24 should be done, prioritizing the funding for
25 anticipatory research needs to integrate external

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stakeholder input, the ACNW/ACRS recommendations, and
2 NMSS views, and of course, researches, technical
3 insights and planning.

4 Margaret Federline and I have both
5 discussed this issue with the ACNW in the past, and we
6 look forward to further discussion around these
7 issues.

8 IN closing, I just welcome your continued
9 contributions and guidance to the Staff. Your
10 critical review contributes to ensuring public health
11 and safety, and enhancing public confidence in the
12 NRC, so we appreciate your continued interactions.
13 And I thank you for the opportunity to meet with you
14 today.

15 MR. TRAVERS: Sam, we're going to continue
16 with your presentation, if that's all right.

17 MR. COLLINS: Very good. Good morning.
18 I'm Sam Collins. I'm the Director of the Office of
19 Nuclear Reactor Regulation. I believe I've had the
20 opportunity in various capacities to speak to you as
21 individuals. I'd like to welcome Steve Rosen. Steve
22 and I have worked at a couple of forums together, the
23 most recently being South Texas. And I think it's an
24 indication of your stage in career when you have been
25 at least two places working with one person through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your various stages, but it does lend perspective.
2 And I think on Steve's part, I never really envisioned
3 you to be a government employee, but I welcome you.

4 MEMBER ROSEN: Thank you very much, Sam.
5 I'm a special government employee.

6 (Laughter)

7 MR. LEVENSON: Special means no benefits.

8 MEMBER ROSEN: That's exactly one of the
9 things it means.

10 MR. COLLINS: What I hope to accomplish in
11 the next period of presentation and questions, is to
12 provide a broad overview of some of the areas within
13 the purview of the Office of Nuclear Reactor
14 Regulation that are of interest to the Committees.

15 We have a very large span of control in
16 the Office of Nuclear Reactor Regulation, most of them
17 being programmatic, so our processes are areas that we
18 focus on, as well as the technical decision making
19 within those processes.

20 In the past, the ACRS has been involved in
21 both of those forums, and we do have continuing
22 challenges to achieve success, as we define it. And
23 I will clarify some of those as I go through.

24 We appreciate the opportunity to continue
25 what I would call constructive exchange. And clearly,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that means an exchange of views, in some cases
2 differing views with perspectives taken into
3 consideration, and we recognize that both our staffs
4 play a key role in defining issues.

5 Here with me today I have members of the
6 Executive and Leadership Team from the Office of
7 Nuclear Reactor Regulation. They're here not only to
8 gain perspective from the presentations and the
9 questions, but if necessary, to help support responses
10 to your questions.

11 I will address a number of cross-cutting
12 issues today within the areas of presentation, and I'd
13 like to acknowledge that the three offices here really
14 work in partnership to address many of the agency's
15 challenges. We rely heavily on the technical
16 expertise within the Office of Research to support the
17 decision making with our programs, and Marty and I
18 have cross-cutting arena areas in the area of
19 decommissioning, and we're working on those program
20 structures also to become more efficient and
21 effective, and to align those processes between the
22 offices.

23 Let me go into the areas of interest, and
24 begin by talking with technical specifications.
25 Technical specifications are probably the most

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important guidance that's provided to the facilities
2 within the bounds of operation of the plants. Those
3 of you who have experience with testing research
4 reactors in the power reactor community, understand
5 that this is where the regulations are applied in the
6 control room 24 hours a day, under varying conditions.

7 We do have guidance from the Commission.
8 It's one of the areas of challenge, to risk inform
9 programs. I think Ashok will be talking about that
10 also. Marty has mentioned it in his arena, and along
11 with our efforts to standardize the technical
12 specifications, we are embarking on a program to risk
13 inform various areas of the technical specifications.
14 This is one of our fundamental focuses now in
15 improving that technical specification tool.

16 We do have risk informed decision making
17 guidance, and Marty responded to a question of Dr.
18 Apostolakis having to do with risk informed decision
19 making. And we have Reg Guide 1174, was developed in
20 partnership primarily by the Office of Research, which
21 does include a fairly prescriptive decision making
22 process, although some of the inputs to those process
23 might not be prescriptive, of how to consider the
24 deterministic aspect, as well as the risk and the
25 consequences in those variables to come to a good risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 informed decision. We've had some revisions to that
2 process in the past, and I think it will continue to
3 be refined as we apply the program itself.

4 In the area of technical specifications in
5 that risk informed decision making process, we're
6 really going to focus today on two areas that we
7 believe the ACRS involvement will be important.
8 Although we have one proposal on missed surveillances
9 that's been approved by the staff, and two others
10 which are modified in state and mod change flexibility
11 should be complete by the end of the summer. There
12 are two areas, one being configuration risk management
13 for completion times, which would permit managed
14 temporary extension of existing completion times
15 within a limiting condition of operation, and that
16 concept is currently under development.

17 The second being the risk significant
18 scope for technical specifications, which would review
19 tech specs to remove systems, are included solely
20 because they were judged as risk significant at one
21 time, and have now been shown by analysis not to be.

22 Those two initiatives under the eight
23 total initiatives under risk informed tech specs will
24 be provided to the Commission, as a part of our
25 process, as major policy areas. And we will --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: What exactly is an
2 initiative?

3 MR. COLLINS: -- be giving those to the
4 ACRS.

5 CHAIRMAN APOSTOLAKIS: Sam, when you say
6 initiative, what do you mean? Do you mean the
7 agencies doing this, or the industry has requested
8 that something like this happen, and they are
9 proposing something?

10 MR. COLLINS: Right. That's a good
11 question. We have been working with the industry and
12 our stakeholders, primarily through NEI as leveraging
13 the industry to provide the input to the areas that
14 they believe the risk informed decision making could
15 be applied. We're focusing on eight of those areas.
16 This is being done in a stakeholder environment.
17 We're continuing to involve not only the industry
18 through NEI, but the other stakeholders with public
19 meetings on the progress of these initiatives. And,
20 of course, as changes to the tech specs, they would be
21 subject to public comment.

22 In the process sense, we're using a new
23 implementation, or a revised implementation process
24 which provides for what we would call a pre-screened
25 amendment review, in that we put out a template, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as the licensee meets that template, then they are
2 automatically allowed to change their technical
3 specifications, but that's on the process end.

4 CHAIRMAN APOSTOLAKIS: So configuration of
5 risk management for completion times, that means that
6 -- what, that something has failed, and I'm looking at
7 the new configuration during my risk assessment. And
8 I decide that, you know, the risk would be acceptable
9 if I completed repair or whatever is required by such
10 and such time?

11 MR. COLLINS: Yes. I think you have
12 captured it. Right.

13 CHAIRMAN APOSTOLAKIS: Now the -- you
14 know, this creates an interesting problem. It seems
15 to me that PRA was done, as was done in the early 70s
16 and the last 25, 30 years, was not really developed
17 for this kind of thing. It was developed for a study
18 state long term kind of assessment, developing
19 frequencies of core damage or accident sequences and
20 so on. And now we are rushing into applications for
21 which the baseline risk information was not intended.
22 That doesn't mean that it's inappropriate, but that's
23 not why it was developed in the first place. And in
24 particular, talking about time dependent situations --
25 I mean, I don't think PRA was really very good at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. We are averaging too many things. We are
2 averaging the input of periodic tests, this and that.
3 Now when it comes to real time applications, I don't
4 know that we really have thought about it very well.
5 And this is just one example where we're -- I think we
6 are rushing into applications for which the original
7 tool was not designed.

8 Now some -- that doesn't mean that, you
9 know, it's useless. Most of the information is there,
10 but I think we need to really be careful, and pay
11 attention to the fact that now it's a different
12 application. Now you've been trying to say something.

13 MR. THADANI: I'll touch on --

14 CHAIRMAN APOSTOLAKIS: Sam, yes.

15 MR. COLLINS: I think your caution is
16 appropriate. However, I'm not sure rushing into it is
17 the right connotation. I think if we were to look at
18 the history of the maintenance rule, which is really
19 configuration management giving risk insights, that
20 was a fairly deliberate process. I would call it
21 deliberate. The industry would call it excruciating
22 probably, and it's not that different, other than the
23 conditions set by operational conditions, which would
24 result in corrective maintenance, rather than the
25 prescriptive -- the conditions that are pre-planned

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for corrective maintenance. So the configuration is
2 a little more tenuous, perhaps, and less able to be
3 pre-planned, so the process is twisted that way. But
4 I do think that we have a history with the maintenance
5 rule that would indicate that these tools are
6 appropriate, but the input has to be correct.

7 MR. THADANI: George, I understand the
8 point you're making, and I recognize that time
9 dependence is not built into today's PRAs, and so
10 there are some limitations in what we have in front of
11 us. On the other hand, we have much better
12 understanding of where the significant risks might be.
13 We have these tools, in spite of the imperfections and
14 uncertainties in these analyses. I think these tools
15 are very valuable in bringing better discipline to the
16 set of requirements that are embodied in the technical
17 specifications. Particularly, as you know, the tech
18 specs were developed with the concept of one change at
19 a time. Reality is different than that, so
20 configuration management, to the extent one can take
21 advantage of the plant models, so to speak, I think is
22 a step forward, is the right thing to do, as long as
23 we're sensitive that there are some limitations in the
24 tools that we're utilizing. So it's progress, and we
25 need to be looking at the issues of dynamic aspects as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we go forward. I think this is the right direction to
2 go in, and not to wait until we finish everything.

3 CHAIRMAN APOSTOLAKIS: I agree that it is
4 the right direction. It's just the availability of
5 the appropriate tools that worries me.

6 MEMBER POWERS: Well, I guess the question
7 I'd ask is, do we even have the appropriate tools
8 right now? You've gotten -- the IPEEE insights
9 document comes out. It says gee, all these
10 operational things that you guys are talking about,
11 that's half the risk. I mean, is it appropriate to do
12 analyses of configuration management taking into
13 account half the risk?

14 MR. THADANI: I think the answer to that,
15 in my view, is yes. External initiators are going to
16 look at, and the same way as you would internal
17 initiators. I think I can agree with you that half
18 the risk may be from external initiators. That does
19 not mean that the components, and systems, and
20 structures within the plant, you shouldn't look at
21 from the best risk perspective you can get. And the
22 industry, I think to me that's progress. Industry is
23 making better use of IPEs and IPEEEs, and that mode.
24 I recognize the limitations. You recognize the
25 limitations. I mean, the spectrum of these studies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and analyses, but nevertheless, I mean is there
2 something better we can use to risk inform various
3 activities?

4 MEMBER POWERS: Well, let's make sure --

5 MR. THADANI: I don't think there is.

6 MEMBER POWERS: -- we understand, that one
7 of the external initiators you're talking about, it's
8 actually an internal fire.

9 MR. THADANI: Yes, I understand that.

10 MEMBER POWERS: And it seems to me that we
11 have -- I mean, the IPEEE insights document is a wake-
12 up call that says you've got a problem when you're
13 using the conventional PRA tool, that you're ignoring
14 half the risk. And I think there's no question if
15 your current PRA tool comes back and says this
16 component is important, or this configuration is
17 important. The answer is yeah, it is. It's when it
18 comes back and says well, you can live with this, that
19 you have the question because of the incompleteness of
20 your tools.

21 CHAIRMAN APOSTOLAKIS: John, you wanted to
22 say something.

23 MR. GARRICK: Well, I just wanted to
24 comment that I think that as far as this time
25 dependent question is concerned, it's correct that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 most of the logic diagrams are static models. But it
2 is also important to note that a lot of the
3 applications have been with respect to dynamic
4 situations. And the way that is often addressed is in
5 the context of discretizing that dynamic situation in
6 such a manner that you can assemble a set of so-called
7 steady state or static models, in a manner that will
8 represent a dynamic representation.

9 Examples of that, and where it's done more
10 than in the reactor field, is in the chemical field
11 when you're trying to do a risk assessment of a
12 process, where you fundamentally divide that process
13 up into a series of unit operations. And you connect
14 the individual unit operations with pinchpoints that
15 logically and reasonably defensible.

16 The same thing is true with respect to
17 developing a risk assessment of something like the
18 space shuttle, where you map an entire mission. And
19 the way that's often been done is with some clever
20 discretizing of the model, and defining of the input
21 and output states, that do a reasonable job of
22 representing what's going on. So my only comment is
23 that there's a great deal of ingenuity being applied
24 to some of these models that goes beyond what we're
25 having described here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Yeah. My concern
2 was not so much how to handle time, because I agree
3 with John, that discretizing has worked very well. My
4 concern with configuration management is when I change
5 the configuration, and we saw that in the calculations
6 of the risk achievement work, which actually does do
7 some of that. When I change the configuration, and I
8 use now the new PRA, which is usually a variation of
9 what I already have, am I doing it correctly? Because
10 if one component is down, or more than one component
11 are down, several terms in the PRA are affected. And
12 some of them in a subtle way, and I'm not sure that we
13 have -- I'm not saying we cannot do it. I'm just
14 saying we have not really thought about it very
15 carefully, and established rules how to do it and so
16 on. The time dependent part I agree with John with.

17 In other words, don't misunderstand me.
18 I'm not saying we should go to the dynamic PRA that
19 some groups are proposing. So far we don't seem to
20 have that compelling reason to do that, but the
21 configurations worry me a little bit.

22 VICE CHAIRMAN BONACA: Well, one thing we
23 have to also reflect is what's in tech specs right
24 now, and what is the basis for them. And typically,
25 there isn't a basis. I mean, it's just -- there were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numbers often times coming from -- so I totally agree
2 on the need of cautiousness.

3 Mr. APOSTOLAKIS: But this is true for --
4 there is no logical basis for anything that's not PRA
5 based.

6 CHAIRMAN APOSTOLAKIS: Okay.

7 MR. COLLINS: Okay. Again, the goal here,
8 as Dr. Powers indicated, I guess I would debate the
9 words that the goal is to live with this. The goal is
10 really to acknowledge that there is a trade-off
11 between the risk of taking an action with a dynamic
12 power plant that's called for by the license, which
13 may be ramping down in power, as opposed to a steady -
14 state operation with a calculated length of time that
15 provides for recovery of the equipment, so that's the
16 balance we're trying to achieve.

17 The next area I'd like to focus on - and
18 I thank you for your questions. It's good debate - is
19 rule making. This is clearly an area where the
20 agency, again, is interdependent. I'm going to talk
21 about a few areas, specifically 50.44 and 50.46 that
22 are part of the Option Three Rule Making Area where
23 research has leave to define the criteria. I'm in
24 rule making space now, which is really when we're
25 talking to the ACRS concerning the application of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these tools themselves. And clearly, many of these
2 are of interest to the ACRS, and will likely be
3 activities that we will bring to the ACRS.

4 50.44 is combustion gas control systems.
5 We're looking at a final rule in early fiscal year
6 '03. 50.69 is a risk informed treatment of structure,
7 systems and components. It's called the Option Two.
8 South Texas, which you're familiar with, we understand
9 the issues from the ACRS having to do with South
10 Texas. We could call that a proof of concept, but
11 there are some differences between the approaches to
12 50.69. We are wrestling, as you are, with the
13 categorization and the treatment balance.

14 CHAIRMAN APOSTOLAKIS: We have a Sub-
15 Committee meeting scheduled for later this month to
16 discuss the NEI document.

17 MR. COLLINS: Okay. We have proposed rule
18 in spring of 2002, final rule in fiscal year '03. We
19 are getting feedback from South Texas on the
20 application of the South Texas proofer concept which
21 was a license exemption, and we're continuing to learn
22 from that process also.

23 The ECCS acceptance criteria 50.46, the
24 technical reviews are ongoing. Ashok has lead for
25 that. We're looking at what we call an "unbundling"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the technical issues which is the separation of the
2 interdependencies in that area. We do have a paper
3 that was provided to the Commission in July of 2001.
4 It's SECY 0133, and as a result of the recent arena
5 update to the Commission which occurred last week, we
6 anticipate that we'll be requested to update that
7 paper, and that will provide for clarification of the
8 challenges that the staff has in looking at 50.46.

9 50.61, pressurized thermal shock. The
10 technical reviews are ongoing. And again, we'll rely
11 on the input from research. There's a possible
12 proposed rule in fiscal year '03 in that area.

13 50.48, fire protection rule making.
14 Again, the regulatory framework in the adoption for
15 NFPA 805 and the proposed rule in fiscal year '03.

16 MEMBER POWERS: Sam, do you think anybody
17 is going to take advantage of NFPA 805? Is there any
18 advantage to the 805 to take?

19 MR. COLLINS: I think it's going to have
20 to be looked at on a case by case basis, where
21 licensees would look at the ability to bring realism
22 to the code, if you will. Where fire protection
23 systems already exist, there will be a balance between
24 maintaining those systems, and/or modifying those
25 systems, and there has to be a value associated with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, so the answer to your question, I think, right
2 now is indeterminate. And I think it relies fairly
3 heavily on how the staff use the implementation
4 guidelines with the fire code. How much leeway will
5 we allow for a mix and much, if you will, of the
6 regulations.

7 MEMBER POWERS: Pick and choose among the
8 things?

9 MR. COLLINS: Right.

10 CHAIRMAN APOSTOLAKIS: I'm a little bit --
11 I'm confused actually. I don't understand how a major
12 technical society can come up with something that is
13 not very useful to a major technical agency. In fact,
14 it's almost useless. I don't understand that. How
15 can that happen? Do you have any thoughts on that?
16 I mean, the ASME Standard on PRA, we have
17 disagreements with them, I mean the staff does, but
18 there is some substance there. You can see what
19 they're doing. The other guys are -- I mean, in one
20 of the earlier versions you're supposed to do the
21 deterministic stuff, and then you, you know, do a risk
22 assessment on top of it. I mean, a complete
23 misunderstanding of why one does a risk assessment.
24 It's a mystery to me how that can happen. I mean, are
25 we approaching fire protection in such a different way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the National Fire Protection Association, or they
2 don't know what risk information means?

3 MR. COLLINS: Let me ask Gary to respond
4 to that.

5 MR. HOLAHAN: Gary Holahan, NRR. First,
6 George, I think -- we've had some of these discussions
7 before. The first point is that NFPA 805 is the Fire
8 Protection Agency's -- I mean, it is the consensus
9 among the fire protection experts of the country as to
10 how to approach these issues. And I think it's not a
11 proper characterization to say that the approach is to
12 have deterministic requirements, and on top of it do
13 a PRA.

14 CHAIRMAN APOSTOLAKIS: At some point it
15 was, now maybe not now.

16 MR. HOLAHAN: I think at this point -- in
17 fact, 805 has been -- was published last year. The
18 way 805 works is to have identified those areas in
19 which the technology exists to risk inform specific
20 parts of fire protection requirements. Okay. And
21 those are specifically identified, and then what the
22 fire protection community felt, there was no
23 technology available to risk inform it. They
24 identified what were, in effect, deterministic
25 requirements. Okay. So the document has areas that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can and should be risk informed, and those for which
2 there ought to be deterministic requirements.

3 In the NRC's endorsement of this rule, it
4 is likely that we will accept that as the current
5 state of the art, but then also recognize that where
6 that state of the art is changing, where a licensee or
7 an industry group wants to come in and say some of
8 those things which 805 is not risk informed, we now
9 have developed the technology to do that. We will be
10 receptive to those, as well. And the rule that we
11 write, which is still in the formative stage, but the
12 rule that we write will be receptive to using the risk
13 informed pieces of 805, but also be receptive to
14 additional risk informed activities in some areas that
15 are not currently developed. But it will send a
16 signal that we're receptive to those, and it will give
17 a rule that will allow us to do those things without
18 going through an exemption process. So I view it as
19 a step forward within the existing technology. Okay.
20 But an invitation to stretch the technology, as well.
21 And I think the previous comments about usability and
22 who will use this, frankly, we don't have a pilot
23 plant who wants to try this out. And it may be, at
24 least early on, that licensees will only want to pick
25 and choose pieces of 805 and the new rule, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as it suits them, or as they have changes to their
2 programs, they will pick up pieces. But the fire
3 protection community, you know, was highly involved,
4 something like 60,000 fire protection engineers around
5 the country, you know, voted on this thing, so I think
6 they think it's useful. But I think utilities will
7 pick and choose the pieces of this that they find
8 appropriate.

9 CHAIRMAN APOSTOLAKIS: I think that's a
10 clear case where you see how this agency differs from
11 everybody else. I mean, there is a much higher
12 appreciation of risk information within this agency
13 than in other places. And I think that was part of
14 why 805 was not --

15 MR. THADANI: George, to round out this
16 discussion, I think -- I suspect you know, but in case
17 the Committee doesn't know, there's been healthy
18 debate about to what extent 805 really does consider
19 risk information, provides guidance and how to go
20 forward.

21 The American Nuclear Society has got
22 effort -- they're initiating an effort to develop --
23 I believe they have decided - I may be wrong on that.
24 I need to confirm - to initiate an effort to develop
25 a standard for conducting fire risk analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: So that says a lot.

2 MR. COLLINS: We would view any effort in
3 this area that's a consensus agreement as a better
4 place than the existing requirements for the fire
5 protection that we have, so that's one of the impetus
6 that we have in this area.

7 MR. TRAVERS: Sam, could I make one
8 comment?

9 MR. COLLINS: Yes.

10 MR. TRAVERS: While we're on the rule
11 making slide here, I thought I might make note of the
12 fact, and it's probably not surprising to you that
13 we've gotten just recently a rule making petition on
14 50.46 from NEI that focuses on just the size of the
15 break. And that's clearly been the focus of industry
16 stakeholders up until now, so we'll be treating that
17 in the process that we use for considering those
18 things. Of course, our effort has been broader in
19 context.

20 MR. THADANI: Yeah, let me just -- I was
21 going to get into it later on, so maybe this is the
22 right place. The scope of 50.46 in the paper that Sam
23 referred to that's in front of the Commission, issued
24 in July, had certain options in it. The first piece
25 had to do with models, the Appendix K models versus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should we look at the decay heat curve, clad water
2 interactions and so on. The break size, to what
3 extent we can rely on single failure criterion versus
4 functional reliability systems, so we broke it down in
5 three pieces. And the first piece had to do with sort
6 of models, analysis, functionality. There is actually
7 a petition even on that. Industry had a petition to
8 modify the -- get rid of 1971 decay heat curve and use
9 1994 decay heat curve, which is clearly more
10 realistic, and the '71 curve is conservative. But
11 there are issues regarding Appendix K models, and we
12 were trying to make sure we took an equal look at
13 that.

14 The second piece was some of the
15 assumptions that go in the analysis, such as large
16 break, along with loss of off-site power and so on.
17 We thought that was an area we could handle based on
18 what we have in the near term, so we had hoped to
19 complete that work next summer. There's been a delay
20 of two to three months because of the September 11th
21 follow-up activities. But the final issue, which is
22 defining what's an appropriate break size, we
23 identified a number of areas that we need to work on,
24 and we felt it was going to take some time, so in the
25 paper to the Commission we said it probably will take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 us on the order of three years to get to a new, what
2 I call design base accident for current plans. We now
3 have a petition which would clearly require that we
4 take another look and see where we can go.

5 MR. COLLINS: Okay. Thank you. As you
6 know, these are integrated activities, as demonstrated
7 by the discussion here today, and they are coordinated
8 to the Risk Informed Regulatory Implementation Plan,
9 latest update of that was December 5th, 2001.

10 MEMBER POWERS: Sam, if I were you -- had
11 your job, I'd be a very frustrated individual. You've
12 got a list of rule making activities here. I bet
13 you've got another list that you fear on the horizon,
14 and every single one of them has all this risk
15 information that you're supposed to take into account.
16 And you've got a Commission that's telling you to be
17 more risk informed. But the way your staff goes about
18 getting risk information strikes me as clumsy.

19 As I understand it, if they want risk
20 information, they go down to Rich Barret and talk to
21 him about risk information. It's always useful to
22 talk to Rich Barret. I know, I always learn something
23 from him. But, you know, Rich gets busy. And he's
24 got a lot of other things, and you've got to kind of
25 wait for him to deliver the risk information that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need. He might have to go over to research because he
2 -- it's a question beyond what the capabilities he
3 has.

4 Your staff can't dial up risk information
5 on a particular plant at any time they want one. Have
6 you thought about what your staff needs to really
7 facilitate this risk information move to make it
8 convenient to address all these risk informed things
9 that are coming down the pike at you?

10 MR. COLLINS: I guess you put a challenge
11 in front of me that I didn't realize existed to the
12 extent that you express it. We have a risk informed
13 group within the Leadership Organization that cuts
14 across all divisions, and the risk informed activities
15 themselves are really centered in David Matthews'
16 organization. Rich Barret is an expert in that area,
17 but most of our risk application is really in the
18 process area, how do you consider risk.

19 Plant specific information, we rely on the
20 tool that in large part are provided by research,
21 whether they be the SPAR models, or the SAPHIRE
22 models, or the different phases of the workbooks for
23 the significant determination process. But ultimately
24 to make regulatory decisions, we need the input from
25 the licensee if we're going to make what I would call

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory decision, as opposed to a programmatic
2 process definition, if that makes sense to you.

3 MEMBER POWERS: I think what you're
4 telling me is that you're comfortable relying on
5 getting all your risk information from outside
6 sources, and never playing with it yourself. I mean,
7 just taking this as truth, and having all answered,
8 and he's characterized for you satisfactorily all the
9 contingency plans that -- for you by the outside. And
10 that the individual in your organization that's
11 actually formulating them, and it goes through a lot
12 of processes and consideration, but there is somebody
13 making the initial determination of actions to take,
14 that he can rely on this, and he doesn't need direct
15 access to risk information.

16 MR. COLLINS: Well, we have risk
17 information that's available to us in the form of the
18 tools that's been provided by research. We make
19 Rich's decisions day to day in the Operating Events
20 Analysis Group, where we get the event reports from
21 the licensees. We do a rough cut of the event
22 significance to determine what's our response. The
23 region does the same based on their input to the
24 plants themselves. That's a very different decision,
25 and uses a different tool, than a long term, long term

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 being up to a year approval of a risk informed license
2 amendment would be. In which case, we would rely on
3 the licensee to submit the portion of the PRA that's
4 most applicable to the area of the license that they
5 in fact want to change, so it's a graded approach.
6 And I think the graded approach is the tool we have
7 today. Now can we improve that? I think the answer
8 to that is yes, and it will be improved by the PRA
9 standard being applied by the working agreements that
10 we have with research to upgrade the tools for the
11 field, as well as for those decision makers in NRR.
12 But I'm trying to contrast a difference, Dr. Powers,
13 in the dynamic decision making that's done as a result
14 of events so we know how to respond in the short term,
15 as a result of the more programmatic reviews which are
16 done with the aid of the licensee's information.

17 Ultimately, when we make a regulatory
18 decision in enforcement space, for example, or in the
19 significance determination process, we use our
20 internal tools, and we rely on the licensee to bring
21 their information to the table, and then we reconcile
22 that. And that's ultimately what prevails.

23 MR. THADANI: Let me just comment on what
24 was just said. Coming from the culture I come from,
25 I think what you described I will characterize as --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: Well, the culture you come
2 from is his culture.

3 MR. THADANI: And we -- I don't think we
4 have reached that stage at the agency, obviously, but
5 I don't -- I want to make sure you know the effort
6 that's ongoing in developing SPAR models that cover
7 all 70 sites, and the process we're going through to
8 make sure they're technically appropriate and can be
9 used by all the staff at NRR and regions, and so on.
10 So I think that's an important step towards I believe
11 what you're describing.

12 MEMBER POWERS: Well, I guess it is and,
13 you know, we discuss these SPAR models and argue over
14 well, are they good enough and things like that. And
15 quite frankly, I think we both believe that perfect is
16 the enemy of accomplishing anything here. And first
17 steps are worthwhile, and the SPAR models are -- it's
18 just that my comment is driven by if I were doing --
19 working for Sam, I -- and I knew he was being hammered
20 with all these people saying take risk information and
21 do more with it, and things like that, you know, I'd
22 want that SPAR model yesterday, and I'd want it
23 continuously better so that I could play with it and
24 understand risk, rather than having to rely on
25 somebody else because Sam is a very good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Administrative Assistant to hold me accountable as
2 somebody working for him for what I produce. And
3 maybe it's effectively taken care of, but like you
4 say, maybe we can improve it, and maybe the SPAR
5 models help.

6 CHAIRMAN APOSTOLAKIS: I wonder whether we
7 should look at the clock every now and then. We want
8 Mr. Thadani to have enough time, as well. Although,
9 I'm sure that --

10 MR. COLLINS: Well, he's taken some time
11 already.

12 CHAIRMAN APOSTOLAKIS: There will not be
13 as many questions for him.

14 MEMBER POWERS: The program is in such
15 good shape you can't have any questions then.

16 MR. THADANI: I will be very efficient.

17 MEMBER POWERS: Unfortunately, we won't.

18 MR. THADANI: I didn't say that.

19 CHAIRMAN APOSTOLAKIS: You are risk
20 informed.

21 MR. THADANI: Yes.

22 MR. COLLINS: I'll move quickly so you can
23 get --

24 CHAIRMAN APOSTOLAKIS: Okay. I don't want
25 to rush you, but I will do it any way.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COLLINS: New reactor licensing, in
2 response to the Commission's request, we provided the
3 Commission in October of last year, future licensing
4 and inspection readiness assessment as SECY 0188. And
5 that assessment identified several areas that may need
6 to be performed in support of new reactor licensing.

7 Now I would have to indicate to you, as
8 you well realize, that one of our challenges in this
9 area is the uncertainty in the plans of the potential
10 applicant. And having said that, there are areas that
11 the Office of Research, and the Office of NRR are
12 focusing on as we move forward in providing products
13 to the stakeholders. One of those, I believe, is
14 within the purview of the ACRS, as you well realize,
15 is the pre-certification and the certification review
16 of the AP1000.

17 During the week of January 28th, we
18 completed the Phase Two evaluation, having to do with
19 the scaling analysis, and we met with Westinghouse on
20 the 23rd of January on two issues that Westinghouse
21 has agreed to respond to as a result of that Phase Two
22 review. The report is in preparation as a result of
23 the review at this time.

24 On the 15th of this month, Jim Lyons'
25 organization, the new reactor licensing project office

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is scheduled to brief a sub-committee on the
2 applicability of the AP600 standard design, analysis
3 code and test program as it applies to the AP1000
4 standard design. WE're expected to brief the full
5 Committee on these issues during March 14th and 15th,
6 I believe.

7 We also have a challenge in defining Part
8 52, and those areas that need policy guidance from the
9 Commission. WE have a tentative date right now for
10 ACRS briefing on November 2002, and that timing of the
11 ACRS interaction is dependent on when an SRM is
12 received on the proposed rule itself.

13 The ACRS interaction on NEI proposed
14 alternative regulatory framework for advanced reactor
15 designs will be determined after staff has received
16 the NEI white paper, and is currently expected in the
17 second quarter of 2002. ACRS interaction will
18 probably be late 2002 or 2003. Research plays a key
19 role in that area.

20 The application reviews for the Pebble Bed
21 marginal reactor, the AP1000, the GTMHR are expected
22 to involve several policy issues that most likely will
23 require ACRS interaction. And again, these schedules
24 and policy issues are dependent on the application
25 schedules and the applicant's willingness to support

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the work from the staff.

2 The PBMR application review is expected
3 approximately in 2004. The AP1000 standard design
4 certification review is expected this year in 2002,
5 and the gas turbine modular Helium reactor, GTMHR
6 combined license application is expected in late 2004.

7 Also within our budget assumptions, we
8 would be receiving requests for early site permits
9 this year and in 2003, and all of those are in the
10 budget assumptions that have been provided to the
11 Commission itself.

12 CHAIRMAN APOSTOLAKIS: Are you going to
13 get into this shop in your presentation as well?

14 MR. THADANI: Yes. I'm going to talk
15 about what the research plans are.

16 CHAIRMAN APOSTOLAKIS: Okay. So we
17 shouldn't be asking those questions now.

18 MR. COLLINS: And I can chime in, if
19 necessary, if you want to just consolidate the
20 questions in one area. That would be sufficient.

21 Licensing issues, there are three broad
22 areas I'd like to bring to your attention. One, of
23 course, is familiar to you, and that's power uprights,
24 and we've had presentations in front of the Committee
25 for power uprights. We think the first presentation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the staff had a few missteps in support for ACRS in
2 that area, and we did recover in our subsequent
3 presentation. We are in receipt of the ACRS
4 recommendation to consider a standard review plan in
5 this area. We have it under advisement.

6 I would want to relay to you that that's
7 a balancing of needs within the office now. We have
8 taken a rough look at what it would take to formulate
9 a standard review plan, and the time frame necessary,
10 which essentially would be this year given the amount
11 of power uprights that are coming in in 2002, 2003,
12 that's when really the application would be. Against
13 the use of the revised topical, which is currently
14 under review by the NRR staff, as well as the
15 initiative to use an already approved power upright as
16 a template for the SER, and we will balance those and
17 come to a weighted decision and provide that back, not
18 only to the ACRS, but the Commission has asked us for
19 that consideration also.

20 MEMBER WALLIS: While we're on power
21 uprights, you're aware we've had some correspondence
22 about the safety evaluation report, and this is, of
23 course, the written technical justification for
24 decisions made by the Commission. And I think both of
25 us, or all of us are very concerned, are very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interested in it being as clear a document as
2 possible, giving all the reasons for the decisions
3 that are relevant.

4 MR. COLLINS: We agree, and I think we've
5 made some revisions to the SER to provide for that
6 standard, as indicated by the ACRS.

7 MEMBER WALLIS: Okay.

8 MR. TRAVERS: There's been a similar
9 comment, Graham, that we got from the IG, noting that
10 while we're getting to the right technical conclusion,
11 very similar to your recommendation that there is a
12 need to revisit, and NRR is developing an initiative
13 to do that, looking at the characterization of those
14 conclusions and the basis for them in SERs that we --
15 we agree with you that they're fundamental in a whole
16 host of ways to the products that we put out. And I
17 know Sam and his folks are working very hard on that.

18 MR. COLLINS: Right. The issue there is
19 the basis for the decision, as you well indicated.

20 MR. TRAVERS: Not the bottom line.

21 MR. COLLINS: Right. We currently have
22 eleven power uprights under staff review, including
23 four extended power uprights, so this is a business
24 line of our's which is very active. WE've completed
25 22 uprights during our review processes, including

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 five extended power uprights. That total for all
2 power uprights is about 3,200 megawatts of
3 electricity.

4 License renewals, you're well familiar
5 with license renewals. Again, that's a premiere
6 product line. The Commission, as well as the ACRS, is
7 very interested in that. Under review we have Turkey
8 Point, North Inniserry (phonetic), Catawba, McGuire,
9 Peach Bottom, St. Louis, and Fort Calhoun. Next
10 decision on license renewal is Turkey Point.

11 The generic guidance has been issued to
12 assist the NRC and the future applicants in improving
13 the effectiveness and efficiency of the reviews. And
14 the first applicant to use this guidance fully is Fort
15 Calhoun, we expect.

16 You should be aware that we're assuming a
17 33 percent efficiency in this area. It's part of the
18 staff initiatives, and Marty mentioned the program
19 office goal of NMSS of efficiency and effectiveness,
20 and this is one of the assumptions that we have made
21 in refining our processes, going from about eighteen
22 and a half to about twelve and a half FDE per license
23 renewal.

24 We're also looking at potential plant
25 reactivations. Brown's Ferry is under consideration,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and to a lesser extent, WMP1 completion study is
2 underway. These initiatives are not new licensing
3 organization responsibilities under the project
4 office. Those will come under John Zwalinsky in the
5 licensing area, but those are challenges at this point
6 that we have not budgeted for, although we do have a
7 general knowledge of what it would take, particularly
8 in the case of Brown's Ferry, for the recovery given
9 the other two units that have been recovered. There
10 would be additional challenges to the staff.

11 CHAIRMAN APOSTOLAKIS: But you have had
12 some indications that somebody is thinking about it,
13 but you may get some application?

14 MR. COLLINS: Our understanding, and I
15 think it's been announced that a decision on Brown's
16 Ferry would be expected in the early spring, in the
17 April time frame.

18 CHAIRMAN APOSTOLAKIS: Okay.

19 MR. COLLINS: And there have been ongoing
20 technical reviews for approximately the past year at
21 that site.

22 MEMBER ROSEN: Have you heard anything
23 about Zion?

24 MR. COLLINS: I've heard, Steve, probably
25 what you have about Zion, and that's only in the trade

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 press. Let me move on to the summary. We have a
2 great deal of work on our plate, as does the ACRS.
3 I'd like to acknowledge the benefit in the exchange of
4 staff with the ACRS. We thank you for Noel Dudley.
5 He will be a great addition to our staff. We welcome
6 him back.

7 MEMBER POWERS: We hate you for this.

8 MR. COLLINS: Well, we'll donate it in
9 other areas. John and I have a healthy exchange on
10 the support for ACRS, and we believe that it is a
11 worthy rotation for our staff to understand not only
12 the issues, but the perspectives that the ACRS brings
13 to those, and we're working on rotational development
14 opportunities.

15 We are meeting our commitments. We were
16 very successful last year in our performance goals.
17 And again, that's indicative of the support between
18 the offices. One of our challenges is to find a way
19 for the ACRS to understand some of the resource
20 constraints that are facing the staff, and I think
21 that is an area of a challenge for us to exchange.
22 And that's a little bit of realism into the
23 application of the answers. It's always good to think
24 broadly, and to deal conceptually. And we welcome
25 those inputs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The Offices of NMSS and NRR are really
2 where we have to apply the issues, and we're under
3 fairly strict time constraints as mandated by the
4 Commission in many of these areas, so I would believe
5 that there's room for us to enter into a constructive
6 conversation in that area, particularly when we're
7 talking about refinement of programs.

8 MEMBER POWERS: It's one of -- I mean,
9 it's a challenge that I don't know that the ACRS can
10 ever meet on this. You know, we just don't know what
11 your constraints are, and we can't evaluate it, so I
12 think that's the most valuable when you respond to
13 some of our suggestions. And you say well, look, you
14 know, this is -- it's just a constraint of time, or
15 manpower or things like that, you know, that's one we
16 just have to accept from you, because there's no -- we
17 just don't have the time or expertise, it seems to me,
18 to go into that.

19 MR. COLLINS: I understand.

20 MEMBER POWERS: And I think it would be
21 unwise for the ACRS to temper its comments by mentally
22 -- suppressing them by mentally taking that into
23 account.

24 MR. COLLINS: Right.

25 MEMBER POWERS: I mean, it's far better

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for you to come back and say well, I just can't -- I
2 just don't have the manpower to do this.

3 MR. COLLINS: That's a fair observation.
4 I think it's information that we owe to the ACRS, and
5 that is put in perspective in --

6 MEMBER POWERS: Yeah, I mean it's --
7 everybody has to somehow live within their budget
8 plan.

9 MR. COLLINS: Right. And I do believe
10 additionally there is a role, and it may be a by-
11 product but its one that we would want to be sure
12 you're aware of, of the ability of the ACRS in your
13 decision making, in your input to help us with our
14 public confidence goal. And again, that public
15 confidence is not directly in the context of promoting
16 nuclear power. It's in the context of the NRC as a
17 strong credible regulator. And the role of the ACRS
18 in looking at the products, and challenging the staff,
19 and in providing for that independence, I think is
20 important. It may not be well known, but -- and I
21 think to some extent the staff ourselves can work with
22 you on the right context to place that in. We don't
23 want to leverage it overly, but I do believe it's
24 valuable.

25 MR. GARRICK: Sam, a while ago you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 referred to the collaboration between NRR and NMSS.
2 One thing that occurred to me is that over the past
3 four or five years in particular, the two Committees
4 have written numerous letters to the Commission on
5 this whole issue of risk informing the regulations,
6 and risk informing the process.

7 You also mentioned a little earlier about
8 a cross-cutting group in the risk area. I'm curious
9 if somebody is looking at these letters from the
10 standpoint of consistency of advice, consistency of
11 application. In particular, our Committee has been
12 very focused on the issue, some very fundamental and
13 philosophical issues associated with what constitutes
14 risk assessment, having to do with transitioning from
15 assumption based to evidence based analyses, having to
16 do with reasonable, as opposed to conservative,
17 unnecessarily conservative.

18 The reason we want to do uncertainty
19 analysis is because we don't have to make the choice
20 of being conservative or non-conservative. We put
21 forth our best shot at what we think the risk is.

22 These are very fundamental ideas and
23 issues, and I just wonder if somebody is looking at
24 that database, if you wish, and tracking the
25 consistency of advice that the Commission is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 receiving. That would seem to me to be a very useful
2 platform of collaboration in this rather important
3 concept.

4 The other thing I just wanted to mention
5 before we got into the research area, is that Dana had
6 referred to earlier, alluded to the difficulties of
7 getting your arms around all of the risk informing
8 activities that are going on. One of the things that
9 this Committee found very useful was the Commission
10 white paper of three or four years ago on risk
11 performance based regulation. That paper was
12 refreshing in that it reached out more than any I had
13 ever seen to deal with the issues of what was meant by
14 risk assessment, what was meant by performance based,
15 and what was meant by defense in depth, and
16 precipitated a whole list of very important points
17 that we found very useful in using as a kind of a
18 starting point for subsequent advice on risk and what
19 have you, so those two things.

20 One, is somebody looking at the advice in
21 terms of the consistency on these rather critical
22 issues. And second, what prospect is there for maybe
23 a sequel to the white paper, an update on the white
24 paper that went beyond the rigid and formal structure
25 of rules and regulations, and indicated some sense of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how the Committee -- how the Commission was thinking
2 about these extremely important issues.

3 MR. COLLINS: The -- I'll defer to Ashok
4 here in just a moment, but the forum we have to
5 integrate our risk informed activities is the Risk
6 Informed Implementation Panel and the Steering
7 Committee, which Ashok is the Chairman of, and which
8 Marty and I are also members.

9 Now in direct answer to your question, do
10 we take the ACRS letters and look at those, and
11 compare those? I think the answer to that is no.
12 Each office does that individually.

13 MR. GARRICK: Uh-huh.

14 MR. COLLINS: I think what we would have
15 to do is take that under advisement, and it could
16 easily be done by the panel as an order of business.

17 MR. GARRICK: Well, what triggered it was
18 your reference to a cross-cutting group. It just
19 seemed to me this might be a useful exercise.

20 MR. COLLINS: I think it's the right forum
21 for that.

22 MR. GARRICK: Yeah. Right.

23 MR. COLLINS: Right. Yeah.

24 MR. THADANI: John, just to add to what
25 Sam was saying, we -- today we do not really have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systematic process in place to look if various
2 decisions are consistent in terms of risk information.

3 We are applying at least areas where we in
4 research are involved, and for example, work on the
5 cask. We're trying to make sure that there's
6 consistent application of risk informed thinking as we
7 go forward. Marty indicated that we're starting out
8 on a number of areas just now, within NMSS activities,
9 and research is engaged in that to make sure that
10 again, if there are going to be differences in
11 applications and decisions, we understand what those
12 differences are, and able to account for those
13 differences.

14 In addition to that, actually Marty's
15 initiative, there is a PRS Steering Committee that I
16 Chair, of the Program Officers who are members of the
17 Committee. Louise Reyes from Region Two is a member.
18 OTC is a member and so on.

19 Marty has actually brought to table a
20 number of initiatives within NMSS just for that
21 purpose, to share with the Committee, to see if there
22 are some inconsistencies, there may be some
23 inconsistencies. At least offer an opportunity for
24 discussion of those, but I could tell you, we're just
25 barely starting. Marty may want to add to that, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think it's just an initial stage where we are.

2 MR. COLLINS: Yeah. Let me just finish by
3 clarifying a comment that Ashok made, and that is that
4 in the Office of NRR, when we make risk informed
5 decision making, we do attempt to go back and do a
6 quality check. For example, in the revised oversight
7 process, or the significance determination process, we
8 make those decisions as provided for by the ROP, the
9 Revised Oversight Process. Research does an
10 independent check of those after the fact, and
11 provides us an input into whether that consideration
12 was appropriate or not.

13 MR. THADANI: That's through our accident
14 sequence precursor program.

15 MR. COLLINS: Right. So that's kind of --
16 that's how we're trying to balance that, but your two
17 points are still appropriate for us to take away.

18 MR. THADANI: Yeah.

19 CHAIRMAN APOSTOLAKIS: One last question
20 on the letters, since the issue of the letters came
21 up. We are discussing among ourselves what, you know,
22 the best way would be to communicate with you. And
23 there are several ideas regarding the structure of the
24 letters. And in fact, in the last several years we've
25 been using that structure that has the recommendations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up front, or the conclusions and recommendations, and
2 then a discussion, which we believe is an improvement
3 over past practices, where you really had to look all
4 over the place to find the recommendations.

5 But one of the things that's happening is
6 that in some issues where there are disagreements
7 among committee members, the letter has to be written,
8 you know, at some point, so the easy way out is to
9 eliminate as much as we can the controversial issues,
10 and come up with the lowest common denominator and say
11 this is a conclusion now. And some members feel that,
12 you know, there is a lot of useful -- there are a lot
13 of useful ideas and maybe possible recommendations
14 that are eliminated that way, so you guys never know
15 that some members felt that way, and others countered
16 with counter arguments.

17 So what -- do you think that the letters
18 are better if they have clear recommendations without
19 any controversial debates, or they would be improved
20 if some of the issues that the members have been
21 discussing in the open forum here were actually
22 reflected in the letter, but diluting the
23 recommendations?

24 MR. TRAVERS: Yeah. Maybe I can start,
25 and I'll be happy to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Sure. Sure.

2 MR. TRAVERS: -- hear conflicting views.
3 But from my vantage, it's helpful to have a clearly
4 articulated recommendation. It -- from a number of
5 perspectives, not the least of which is being able to
6 track our responsiveness to that. You know, clearly
7 identify where, in a consensus sense, the Committee
8 has come down on an issue.

9 Having said that, I don't think we'd look
10 askance at additional information that bore on your
11 deliberation on any particular issue, including views
12 by members, as long as, you know, it was sort of
13 illustrative of the debate or discussion that sort of
14 was carried out in connection with that. But I --
15 from our -- you know, from a management standpoint,
16 it's very helpful to be able to start with a consensus
17 or majority view, however it's done here. I believe
18 it's majority, and be able to work that top level view
19 as we deem appropriate, and certainly be able to
20 respond to you in the context of how we're doing that.
21 Or if we disagree, why and what the constraints may be
22 that force that view on our part.

23 MEMBER KRESS: From that standpoint, what
24 do you do when you get a letter from us that has
25 additional comments from particular members, that may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be either giving additional information, or may be
2 contrary to what's in the main body of the letter?
3 What do you do with that sort of information?

4 MR. TRAVERS: I think it's a matter of us
5 considering that in an informing sense as we go about
6 our duties and responsibilities. Any information of
7 that sort, I think, can be helpful, and it may shed
8 some additional light on the recommendation and
9 conclusion that you reached. You know, it's
10 illustrative, I think, of a healthy discussion/debate
11 here on the part of the committees.

12 MR. COLLINS: In summary, I've covered the
13 major areas I believe are of interest, although I've
14 been very specific in the topics. Other areas that
15 might be of interest for future discussions, one might
16 be a presentation by the Steering Committee on Risk,
17 for example, if that would be beneficial in response
18 to some of the lines of questioning today.

19 Revised Oversight Process is clearly of
20 interest to the ACRS Committee, including the use of
21 PIs, the Significance Determination Process and the
22 Colors. We do have materials engineering challenges
23 with the cracking in the control rod drive mechanism.
24 We have other areas that we're looking at, stress
25 corrosion cracking in general. Do appreciate the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACRS' involvement in the proposed orders that were
2 formulated for the CRDM cracking.

3 License renewal I talked about a little
4 bit. In response to the September 11th attack, and
5 the resources and the focus of the program offices, I
6 think will cascade down to some of our products, and
7 we'll be talking to the ACRS, if necessary, on
8 schedules.

9 Managing human capital is not necessarily
10 an area of ACRS purview. I think it is a challenge
11 for the agency right now to staff up to the levels
12 that are necessary to support the new work in response
13 to the event of 9/11, as well as new reactors. And
14 improving our business practices, including defining
15 performance goals is an area that I believe the ACRS,
16 at least, should be aware of to know that we are
17 accountable for our products, and our outputs, and our
18 outcomes, and ACRS in many cases is an integral part
19 of that. As you are in our definition of work as far
20 as our work flow diagrams, ACRS is integrated into
21 that processes, and we need to be coordinated to be
22 successful. So that concludes my remarks, and I would
23 leave the remaining five minutes to --

24 MR. THADANI: Okay. Well --

25 MEMBER POWERS: Never draws any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 controversy.

2 MR. THADANI: As always. Let me also
3 start out with some positive thoughts here. Every
4 time I meet with you, the committees always walk away
5 learning things, and recognizing there are areas that
6 maybe I need to pay a little more attention to, so I
7 find these dialogues extremely valuable and, I think,
8 important.

9 I particularly want to acknowledge what I
10 think was a tremendous amount of effort on your part,
11 look at research programs and the document that you
12 produce. It's, in my view, a masterpiece. It is
13 extremely well thought out. As I have indicated to
14 you before, I think we were in agreement in most of
15 the areas. There were some small differences of
16 views, but they were not fundamental in nature. It
17 was just a matter of relative timing of what we do
18 with some of the recommendations that you had in your
19 report.

20 Similarly, this, of course, has some
21 aspects of waste in it, as well. I also wanted to
22 note that the February 5th letter, in particular, from
23 the ACNW had a number of recommendations about
24 research that were taking to heart there are things we
25 can do, and there are things we cannot do. So to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extent we, as an office, can address those, we are
2 doing that. And, in fact, we've made progress in some
3 of those areas.

4 What I will do since I only have about ten
5 minutes, I think I have eight or nine charts. I'm not
6 going to talk about everything. Let me briefly take
7 each chart and see if I can't make what the key points
8 may be, and we can move on. And I'll certainly try to
9 answer whatever questions you may have on the topics
10 that you will see. Let me go to the first -- may I
11 have the first chart, please. Okay.

12 This is a list of -- I mean, this is not
13 a complete list, but what I call major issues that we
14 have been working with the committees, and we expect
15 to continue to work on, different specific areas, but
16 for the next two to three years, this is going to take
17 a lot of attention and our time, and I expect a lot of
18 interactions with you.

19 I'm not going to say anything about the
20 follow-up to 9/11 activities, except that there is
21 significant ongoing effort in the Office of Research.
22 Much of it is classified, and I do expect down the
23 road that there will be some interaction with the
24 Committee in terms of what we're doing here.

25 Let me go on to the next chart. Advance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactors, the two parts that I want to highlight first
2 in terms of the importance of trying to make sure we
3 have a reasonable framework in place, which would
4 guide our activities, would define how far we go in
5 certain areas, what the boundaries would be. And this
6 is clearly -- this would include the role of safety
7 goals. Obviously, safety goals alone would not be
8 sufficient. The discussion is ongoing, and I know
9 you're looking at issues of frequency consequences
10 approach, and what's the role of deterministic
11 thinking in this process. And then how to account,
12 when you go to designs that are pretty unique and new
13 to us, how are we going to account for lack of data,
14 inexperience, and that would impact the quality of
15 PRAs and the role of PRAs, and whatever decisions have
16 to be made.

17 We're pulling together a research plan,
18 and the scope of the research plan is going to cover
19 PBMR, the GTMHR, AP1000, and IRIS. What are some of
20 the key technical issues? How would we go about
21 making sure we have appropriate tools to help us make
22 those independent decisions as an agency? What sort
23 of resources would be necessary, schedules? And this
24 would be a living plan. It's one that we would hope
25 to have a draft later this month. We have sent out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the first version for comments, but we expect to have
2 our initial discussions with you on the plan in April.
3 That means we'll get you a draft some time in March so
4 you would have an opportunity to have looked at it.

5 Just to give you a sense of what's in it,
6 if I can be brief. This is a snapshot. AS I said,
7 this is a living plan. And I think you will recognize
8 some similarity cornerstones approach that you're very
9 familiar with. The idea here was that we want to take
10 what I would call a systems approach to defining what
11 we need to do in terms of research. And you will note
12 that this includes also the fuel cycle issues, because
13 we need to look up front from beginning to end, and
14 not necessarily continue with the ways of the past, so
15 to speak.

16 This -- the whole idea here is the idea of
17 completeness. We want to make sure we lay out all the
18 issues that may be important, and some of which may
19 require research effort. Our intention is to go
20 through this process in a very systematic way, the
21 kind of thinking that I talked about, part type
22 thinking has to be applied to each of these issues as
23 we go forward.

24 CHAIRMAN APOSTOLAKIS: So you worry about
25 the aging for future reactors?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. THADANI: Absolutely. Sixty years.

2 MEMBER POWERS: Well, if you're radiating
3 graphite, you're better to learn about aging real
4 quick.

5 MR. THADANI: Exactly. I would use the
6 same example, and there are some very interesting
7 technical issues from aging of graphite which could
8 have very significant bearing on the design, I think.
9 I'm not going to go through this. We will be
10 discussing a lot of this with you in April. Let me go
11 to the next chart.

12 On risk informed initiatives, obviously we
13 can spend an awful lot of time, but let me make just
14 a few comments. This is an area where we have very
15 extensive interactions with you, and I anticipate will
16 continue for the next three years, so -- but just to
17 give -- to bring to your attention that we have a Risk
18 Informed Regulation Implementation Plan. We updated
19 it, and Sam mentioned that last version went to the
20 Commission December 5th.

21 It includes everything that we at the
22 agency are doing in terms of applications, risk
23 informed thinking. I think that's a very good thing
24 to do, because it does bring us together in terms of
25 communication and so on. It includes prioritizing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 activities, identifying necessary tools, resources,
2 and integration activities, as well.

3 We're trying to identify in that plan what
4 are some of the most critical milestones that need to
5 be completed before one can go on to some place else,
6 and what some of the cross-cutting issues are. I
7 think we need to do better than what we've done up to
8 now, but it is a good start, I think. It does
9 identify what some of the cross-cutting issues are.

10 Another effort that's good in this
11 document, we often talk about risk informed
12 regulations, and performance based to the extent
13 practical. WE've always said that. Here's a document
14 we're trying to make sure as we go forward, and with
15 any future rule makings, we systematically consider
16 factors, but we can, in fact, be performance based in
17 the articulation of our regulation. So that's -- I
18 think that's a good move. It's -- to me, I look at it
19 like a handbook. It's a good handbook, I think. And
20 on individual pieces, of course, you may have to go
21 elsewhere.

22 In terms of the PRA quality, you know
23 about the standards. I won't dwell on it. WE're
24 looking at all the standards, the ASME/ANS, as well as
25 looking at the NEI peer review document. We're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 planning to pull together a guide that will help us
2 integrate the role of the standards, role of the peer
3 review, so there's one place one can see how these
4 things are going to be utilized. And our intention is
5 to pull that guide together, and we'll be meeting with
6 you on that guide.

7 I won't say anything about PTS because I
8 know you're up to speed, 50.44, 50.46. We had the
9 discussions. Human reliability analysis, I guess I
10 just want to make sure you know that we're sunsetting
11 ATHENA this year.

12 CHAIRMAN APOSTOLAKIS: You're what?

13 MR. THADANI: We're going to sunset
14 developmental activities within ATHENA. We're
15 applying it, as you know, in the area of --

16 CHAIRMAN APOSTOLAKIS: Speaking of cross-
17 cutting and working with other offices, I saw the
18 slides the two gentlemen from NMSS were using
19 recently, two, three weeks ago in a presentation to
20 the staff on human performance for NMSS.

21 MR. THADANI: NMSS, yes.

22 CHAIRMAN APOSTOLAKIS: They went back to
23 THERP.

24 MR. THADANI: They went back --

25 CHAIRMAN APOSTOLAKIS: No mention of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ATHENA, no mention of --

2 MR. THADANI: Uh-huh.

3 CHAIRMAN APOSTOLAKIS: THERP, way back.

4 MR. THADANI: That went to THERP. Okay.
5 That's good input. I told you, I always learn things
6 here.

7 CHAIRMAN APOSTOLAKIS: I know that you
8 guys have been doing this, or they studied it and they
9 said this is not helpful.

10 MR. THADANI: Yeah. Yeah.

11 CHAIRMAN APOSTOLAKIS: Okay.

12 MR. THADANI: Yeah. Good thinking.

13 CHAIRMAN APOSTOLAKIS: This is always a
14 question that comes to mind.

15 MR. THADANI: Yes. Thank you. It's a
16 message that's well received, and will be followed up
17 on. The only point I wanted to make sure you knew
18 under human reliability analysis reach plan, that
19 there are some boundaries that we're not crossing.
20 We're not looking at the issues of safety culture.
21 We're not looking at the issues of organization and
22 management, but we are monitoring what's happening in
23 the international community. And I think you know the
24 next piece very well. We've got significant efforts
25 going --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: Let me just inject, Ashok.
2 We've been holding off on looking at this, your
3 current human reliability analysis research program
4 because we had the perception that your staff was a
5 little busy to come talk to us about this with other
6 activities, and I still want to do that, if not to
7 impose on them, but I don't want to hold you up
8 either.

9 MR. THADANI: Yeah. In fact, I'm glad you
10 raised that. I think we sent you a draft plan some
11 time ago.

12 MEMBER POWERS: Yes.

13 MR. THADANI: It's got to be revised, I
14 think.

15 MEMBER POWERS: Okay.

16 MR. THADANI: And that's the issue. I
17 think we need to revise it, and then get it to you,
18 and then have meetings with you.

19 CHAIRMAN APOSTOLAKIS: Ashok, we spent so
20 much time reading it, now you're revising it?

21 MR. THADANI: When I say revised, certain
22 elements. So you haven't read it as --

23 MEMBER POWERS: Tell him completely from
24 top to bottom, throw away all those comments that he
25 has.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. THADANI: I just wanted to note that
2 I think you know all the work that research is doing
3 to support NRR, in terms of looking at operating
4 experience, and how it can be utilized, the analysis
5 of this experience on a number of initiatives that NRR
6 has ongoing.

7 CHAIRMAN APOSTOLAKIS: I have a comment on
8 this. The rest of the slides deal with engineering
9 issues and so on, so maybe this is the best place to
10 raise it.

11 MR. THADANI: Sure.

12 CHAIRMAN APOSTOLAKIS: We made the
13 recommendation -- well, I'm not going to raise
14 decision theory when we talk about fuels.

15 MR. THADANI: Right. Fine.

16 CHAIRMAN APOSTOLAKIS: When you talk about
17 risk informing initiatives, making decisions --

18 MR. THADANI: Uh-huh.

19 CHAIRMAN APOSTOLAKIS: -- and we had a
20 recommendation in the research report --

21 MR. THADANI: Yes.

22 CHAIRMAN APOSTOLAKIS: -- that formal
23 methods have existed for quite a while now, and we
24 recommended that your staff investigate the
25 possibility of taking advantage of this work that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 people have done.

2 MR. THADANI: Uh-huh.

3 CHAIRMAN APOSTOLAKIS: And we don't see
4 anything here. And I want to make it clear, that we
5 are not really proposing that you use formal decision
6 theory in all your decision making activities. I
7 mean, that would be absurd, but there should be, I
8 think, some appreciation of what these methods can do
9 within the Office of Research, at least.

10 MR. THADANI: Yeah.

11 CHAIRMAN APOSTOLAKIS: And for example, in
12 the last bullet with the performance indicators, you
13 would have found this expertise useful. It would have
14 helped you do certain things better than they were
15 done in the documents we saw. And there may be other
16 places where you may also take advantage.

17 MR. THADANI: Sure.

18 CHAIRMAN APOSTOLAKIS: In other words,
19 here is a decision making agency that's using risk
20 information, which means uncertainty estimates all the
21 time.

22 MR. THADANI: Uh-huh.

23 CHAIRMAN APOSTOLAKIS: And it's trying to
24 risk inform its regulations, and there is this large
25 body of knowledge that tells you how to use these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty estimates in a rational way. And we are
2 not really taking advantage of that. I mean, this is
3 really where we're coming from. It's not that we want
4 you to say well, gee, you know, Sam has a problem
5 tomorrow. He has to make a decision, oh formal
6 decision. No, not at all. But there is a lot of
7 information there that could be useful.

8 MR. THADANI: Yeah.

9 CHAIRMAN APOSTOLAKIS: In fact, it would
10 be. I know it would be, and we are not really using
11 that. Now I know you have asked one of your staff
12 members to do some investigation. That's not good
13 enough, in my view.

14 MR. THADANI: Well, I --

15 CHAIRMAN APOSTOLAKIS: We should take it
16 a bit more seriously in the sense of at least there
17 should be a bullet there saying that you're thinking
18 about it.

19 MR. THADANI: Well, let me say that we're
20 thinking about.

21 CHAIRMAN APOSTOLAKIS: Okay.

22 MR. THADANI: If that satisfies you.

23 CHAIRMAN APOSTOLAKIS: You will take
24 appropriate action in the future.

25 MR. THADANI: Yes. In addition to that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have asked, and Dr. Johnson happens to be sitting
2 here.

3 CHAIRMAN APOSTOLAKIS: I know.

4 MR. THADANI: He is looking at what I
5 would call looking at the state of the art, to what
6 extent we can utilize these methods, which approach is
7 maybe better, and so on. I can tell you that we're
8 not embarked on an extensive evaluation. Until we do
9 an initial assessment, then we'll have to decide how
10 far we can go, or can't go in certain directions, but
11 it is a first step. And once we get done with that
12 first step, maybe I can come back and tell you more
13 about where we are planning to go.

14 I just wanted to make a note here, you
15 have in the past raised some concerns about the need
16 to do a peer review of SAPHIRE, and we have -- I mean,
17 you had this discussion just two weeks ago. And we've
18 looked at all the information, and we think that we
19 will go forward with peer review this year. The scope
20 and so on is yet to be decided, but I've asked the
21 staff to come and meet with you before we initiate any
22 peer review, because I want to be sure that we are, in
23 fact, properly focused on whatever issues there may be
24 in terms of applying --

25 CHAIRMAN APOSTOLAKIS: You are aware of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the fact that some NASA Manager have volunteered --

2 MR. THADANI: Yes.

3 CHAIRMAN APOSTOLAKIS: -- to participate
4 in this.

5 MR. THADANI: Yes, I am. Yes.

6 CHAIRMAN APOSTOLAKIS: Okay.

7 MR. THADANI: But I just wanted to let you
8 know, because this is just recently we decided we'll
9 go forward.

10 CHAIRMAN APOSTOLAKIS: Yeah.

11 MR. THADANI: Let me go to the next chart,
12 and I think many of you are so familiar with this,
13 that let me just say that much of -- in terms of the
14 MOX fuel, the high burnup fuel, we've had a number of
15 PIRT meetings. WE're going to have a draft report
16 next month, and we'll be assessing various models.
17 We'll be looking at taking advantage of data from
18 different countries in terms of where we go. And this
19 is one of those ongoing interactions with the ACRS.

20 MEMBER POWERS: Are we ever going to get
21 the French data on MOX, and high burnup fuel?

22 MR. THADANI: Well, we -- I hesitate to
23 say that we have reached that agreement, but I'm
24 hoping we're there. I'll have to -- I don't think we
25 have yet reached that end point, but I'm hoping we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get there. And we have to -- we're discussing options
2 of how can we provide the necessary resources to get
3 the data from the French.

4 MEMBER POWERS: Well, wouldn't -- and you
5 might want to be aware that we've invited the -- some
6 of the investigators from the PHEBUS Program to come
7 speak to the Committee in May.

8 MR. THADANI: In May? Okay. I didn't
9 know.

10 MEMBER POWERS: About both the current
11 PHEBUS Program and some of their plans for follow on
12 programs. Not that the Committee is taking any
13 action, just for information purposes.

14 MR. THADANI: Yeah. We're hoping,
15 depending on how '03 budget comes out in the end.
16 We're hoping to continue our relationship with the
17 French on PHEBUS Program.

18 MEMBER POWERS: That raises one of the
19 questions. We've been very supportive of your efforts
20 in the high burnup fuel area, and I note that you've
21 even expanded those activities beyond what they
22 originally convened, and they seem to be progressing
23 well.

24 MR. THADANI: Yeah.

25 MEMBER POWERS: I mean, there are some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hiccups in just getting available fuel but, you know,
2 those things happen in research, and that's why you
3 have lots of white hair, undoubtedly.

4 One of the questions that's going to come
5 up is that you're doing a lot of experiments on single
6 rod, specialized experiments, and they look very
7 useful. The question is, is that going to be enough?
8 Do we have to go to multi rod experiments to
9 understand things?

10 MR. THADANI: Let me -- because of my, you
11 know, limited time, let me take that as a question to
12 get back to.

13 MEMBER POWERS: Yeah. I mean, you don't
14 have to give me an answer now. It's one of those --

15 CHAIRMAN APOSTOLAKIS: Speaking of that,
16 Bill, is it okay to go to fifteen --

17 MR. TRAVERS: Sure.

18 CHAIRMAN APOSTOLAKIS: Okay. Great.

19 MEMBER KRESS: Ashok.

20 MR. THADANI: Yes, Tom.

21 MEMBER KRESS: Before we get off of the
22 question of the French data, if you ever get the
23 VERCORS data --

24 MR. THADANI: VERCORS --

25 MEMBER KRESS: -- I would be very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interested in getting it as soon as -- letting me
2 know as soon as I could.

3 MR. THADANI: Okay. All right.

4 MEMBER KRESS: Because I could use it
5 right now.

6 MR. THADANI: We're also talking to the
7 Japanese, of course. I think you know about the VEGA.
8 Okay. Another thought here that I just want to make
9 sure and capture, is that we are looking at the burnup
10 and correlation affects on cladding, cladding of
11 various designs, Zircaloy 2, 4, Zirlo, M-5 and so on,
12 so this is something that various types of testing,
13 and trying to make sure that there are no surprises
14 there for us. This talks a little about HTGR. I just
15 wanted to make sure that you knew that this is going
16 to be captured in the plan.

17 The next chart, in fact, I'm not sure that
18 I need to say any more. We've had very extensive
19 discussions with the Thermal Hydraulics Subcommittee,
20 and we -- I think you're up to speed on where we stand
21 in terms of assessment of TRACM and so on, and what
22 some of our continuing efforts are going to be.

23 A point I'd like to highlight here is that
24 I think this is an area where I'd like for us to be
25 proud that we've got pretty good in-house capability,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and I hope it's coming through to you, as well. We've
2 got a pretty strong group of people in this area.

3 MEMBER KRESS: Are you doing anything in
4 severe accident area --

5 MR. THADANI: Yes.

6 MEMBER KRESS: -- on air ingress ion
7 accidents?

8 MR. THADANI: Yes. We are now discussing
9 with an Eastern European country to see what kind of
10 test could be done at very reasonable cost to get some
11 data.

12 MEMBER KRESS: You have good ideas.

13 MR. THADANI: Well, I am assuming you know
14 we're looking at similar approach for severe accident
15 codes, such as MELCORS, as we were with the DPA type
16 activities. Next chart, please.

17 I mean, this is an area where NRR and
18 research are very tightly integrated, I would say.
19 Very significant information that's coming out of
20 operating reactors, examples that Sam used, that
21 clearly require that we be prepared to support NRR in
22 dealing with some of those issues. And the work at
23 Argonne and some international arenas has been very,
24 very valuable, and I want to thank you for the support
25 that you've given us.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Our focus now is largely on a radiation
2 assisted stress corrosion cracking, crevice chemistry,
3 and some of those fundamental mechanisms that may be
4 involved, and trying to see how we can make sure we
5 are prepared, that we can do appropriate -- we, as an
6 agency, can do appropriate inspections, and know
7 what's really going on.

8 The -- again I'll not say much about
9 advanced reactors in this area, other than to just
10 note that high temperature metals, Graphite and the
11 containment confinement are going to be significant
12 challenges that we're going to have to deal with this
13 perspective as well.

14 Steam generators, we're following the plan
15 that, Dana, you know about, and we're on course.
16 Digital I and C, we've got a plan that's been
17 discussed with you, so let me just move on to the next
18 chart, unless you have questions.

19 Waste issues is sort of -- some of the
20 issues that we're involved in. You touched upon dry
21 cask. You raised a question earlier, Dana.
22 Obviously, we're looking at structural material
23 systems and probabalistic considerations in an
24 integrated fashion. And we're doing a PRA. I'm happy
25 to note much of the work is actually being done in-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 house by our staff, so it's very important.

2 We do have some cooperative efforts with
3 the Electric Power Research Institute, and Department
4 of Energy to looking at fuels, for example, various
5 burnup levels, trying to get the right data. The idea
6 behind this, of course, is to support NMSS and their
7 decisions on license extensions from 20 years, to 40,
8 to 60 and so on, so this is sort of a time dependent
9 element of this, how fast we can go.

10 Very quickly, package performance studies
11 is related to transportation cask beyond -- looking at
12 beyond design basis types of events. Marty indicated
13 that, and we're looking at things like high speed
14 impact, and fires and so on, as part of the -- when I
15 say we're looking at, I'm sorry. Let me clear it --
16 clarify it. We developed a plan, and we need to get
17 international support to -- we can elaborate our
18 resources, and a number of countries have indicated
19 very strong interest, and I don't anticipate a big
20 problem in moving forward on that.

21 Radionuclide transport, John, there was
22 very extension discussion, workshop. Let me not --
23 I'm looking forward to your report on that workshop
24 because it would be very useful to get your insights
25 on where you see things are going.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I already touched on the whole issue of
2 looking at the full cycle for these new reactors.

3 MEMBER KRESS: Are you doing anything more
4 on spent fuel pools?

5 MR. THADANI: Spent fuel pools, some of
6 the work we're doing can be -- let me say, I can't
7 talk about what we're doing as a following to the 9/11
8 event. We're doing some work there, but in terms of
9 the source term, some of the other work we're doing
10 can be of value to spent pool fuel issues.

11 Let me just quickly say that both -- you
12 know, the expert panel which was headed by
13 Commissioner Rogers and others, have clearly indicated
14 need that we in the Office of Research need to do a
15 better job of telling what we're doing, why, and how
16 it can be of value to the agency and the public at
17 large.

18 There's sort of a synopsis. I think you
19 know of the paper that we prepared, lay out, vision,
20 mission, role and responsibilities of research. And
21 I think you know what is confirmatory, and what is
22 anticipatory. Let me highlight two or three points.

23 We're going to -- we are embarked on a
24 plan to do a much better job of communication,
25 internal and external to the agency. And a number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 initiatives that we have, planned, some of them
2 planned, others are ongoing. But in terms of the
3 internal communication, we have -- I think the biggest
4 step that has helped us in terms of better
5 communication has been what I call -- what I guess we
6 call leadership team meetings. At the division
7 levels, there's very frequent contact between the
8 offices, NRR and research in particular. And I know
9 Cheryl meets with NMSS folks on a weekly basis to make
10 sure there is proper communication taking place.

11 I think that has improved our
12 understanding of the challenges NRR has, and NRR's
13 understanding of how the work we do fits in in terms
14 of the decisions they have to make.

15 The other part that's I think helping us,
16 and that we still have to go further is the Research
17 Effectiveness Review Board. I think you know
18 generally what the plans are. They've been focusing
19 in largely on the user needs, and the process of user
20 needs and follow through. And that's going to
21 continue, and I think it can only be of value to us.

22 I want to highlight one item under
23 anticipatory research. You criticized us, and I think
24 it was George, you in particular. And I notice that
25 -- I wanted to get your attention, and actually it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Rogers Expert Panel also, that in anticipatory
2 research, we were too inward looking, that we didn't
3 seek ideas and concepts from a broader spectrum of
4 audience, so I have just this week sent letters, first
5 internally to NRR/NMSS regions, to research staff,
6 briefly giving background, and seeking ideas from
7 them.

8 I've also sent letters to Nuclear Energy
9 -- Nuclear Engineering Department Heads Organization,
10 to NEI, to EPRI, to UCS, Nuclear Control Institute,
11 and also in Federal Register Notice, making sure that
12 we're not interested in just a lot of ideas. We're
13 interested in ideas which are focused on the areas
14 we've identified. And also, ideas that have a
15 reasonable chance of success in terms of getting
16 there.

17 We may well get some good ideas. Clearly,
18 we're not going to be able to consider them for this
19 budget cycle, because we have to provide our input in
20 a matter of six weeks or so, so it can't be done. And
21 I wanted to make sure that various organizations had
22 enough time to really think about these things. I'm
23 seeking input by June 1st, and we will then set up a
24 group that will evaluate the recommendations and
25 ideas, and then we will consider them for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 following budget cycle. It's taken a year longer than
2 I had hoped, but nevertheless, we are moving in that
3 arena.

4 The other point that I want to make that
5 I think is helping in coordination is that we're now
6 giving a number of briefings, for example, program
7 review committee briefing and our research did it
8 jointly, NMSS and research did it jointly. I think
9 these are good steps forward. It's working better.
10 I think coordination is improved. We need to go
11 further, but it's going in the right direction. With
12 that I will stop.

13 MEMBER SHACK: There's one exercise here
14 that I happen to be the guinea pig that you did once
15 upon a time, and it's never been repeated, but I
16 thought it was quite successful, where you had a
17 research program with an open meeting with the public.

18 MR. THADANI: Yes.

19 MEMBER SHACK: And then we had people from
20 the NRC --

21 MR. THADANI: Yes.

22 MEMBER SHACK: -- utilities, owners
23 groups, and intervenor groups. And I thought it was
24 very successful. I think the intervenor groups went
25 away with a much better feeling that the NRC was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 getting some independent information. They had a
2 chance to ask questions, which you never can ask
3 questions of a report, and all in all, it was a pretty
4 successful thing. And then, you know, it sort of --
5 we tried it once, and --

6 MR. THADANI: Yeah. I think you're
7 exactly right. I know when that meeting was held, and
8 it went very, very well. We have done a little bit
9 more of that, but I think it's clear, and I'm glad you
10 brought it up. We need to maybe expand in that area,
11 as well.

12 MR. TRAVERS: That is a good point, as you
13 probably. I'm sure you know, that increasing public
14 confidence is one of our four agency strategic goals,
15 so we're always looking for some good ideas on how to
16 achieve that. And frankly, it's a difficult thing to
17 get your arms around in any particular forum.

18 That does complete our presentation. I
19 wanted to respond though. I didn't mean to keep you
20 waiting, Dana, on any negatives that we had, hold you
21 in any suspense. But the answer quite simply from a
22 significant negative perspective, at least on our
23 part, is that we don't have any. We think we enjoy
24 today the kind of professional relationship that is
25 advantageous to our separate, but very related

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 responsibilities, under statute. Can we do better?
2 We can always do better. Can we do better from our
3 standpoint in providing documents in a timely way,
4 getting input from you in a timely way to support some
5 of our activities? Of course. But I think what I
6 would like to send as a final message is that we very
7 much appreciate the relationship that we do have. We
8 think its value added, frankly, from our perspective.
9 Do we agree with everything you recommend? No, but we
10 try to get back to you with reasoned basis for not
11 agreeing in all instances. But I would say that in
12 many, if not most instances, we take and implement
13 much of the recommendations and --

14 MEMBER POWERS: Well, I think the message
15 I give you here is that I, certainly, and I think the
16 Committee as a whole is not adverse to you coming back
17 and saying something was not helpful. Okay. Some
18 direction that we're taking, some approach that we
19 take, something like that. I mean, we can disagree
20 with you too, but it's useful for us to know the
21 downside, as well as the bright side. And, I mean,
22 some mechanism to just indicate something is not
23 helpful.

24 MR. TRAVERS: Okay. That's fair. I think
25 we do have mechanisms for doing that, and we'll take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that as a --

2 MEMBER POWERS: Sure.

3 MR. TRAVERS: Thank you.

4 CHAIRMAN APOSTOLAKIS: Okay? Well, any
5 members have any comments, observations they would
6 like to make?

7 MEMBER POWERS: Ashok, you mentioned
8 letters and a Federal Register Notice that you were
9 sending.

10 MR. THADANI: Yes.

11 MEMBER POWERS: Could we get a copy of
12 that?

13 MR. THADANI: Absolutely, yes.

14 MEMBER ROSEN: I have one, George.

15 CHAIRMAN APOSTOLAKIS: Sure.

16 MEMBER ROSEN: I was struck by the fact
17 that you did not ask the stakeholders directly, the
18 licensees for input on the research program. You did
19 it through NEI. I think it might be valuable for you
20 to think about that.

21 MR. TRAVERS: Thanks, Steve. Yeah, I
22 will, and I think I understand the message there.

23 CHAIRMAN APOSTOLAKIS: Any other comments?
24 All right, gentlemen. Thank you very much. WE really
25 appreciate your taking the time to come to talk to us,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and let's hope that we'll do this again, maybe in the
2 not too distant future. Okay? Thank you very much.
3 We're recessing until 1:30.

4 (Whereupon, the proceedings went off the
5 record for a lunch break at 12:35 p.m.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A-F-T-E-R-N-O-O-N P-R-O-C-E-E-D-I-N-G-S

2 (1:35 p.m.)

3 CHAIRMAN APOSTOLAKIS: Do we have a
4 quorum? One, two, three, four, five, six. All right.

5 We're back in session. The next item on
6 the agenda is the Proposed Final Revision to
7 Regulatory Guide 1.174 and SRP Chapter 19.

8 Ms. Drouin?

9 MS. DROUIN: Okay.

10 My name is Mary Drouin with the Office of
11 Research, the Probable Risk Analysis Branch.

12 CHAIRMAN APOSTOLAKIS: Excuse me, Mary.
13 I was suppose to make an announcement.

14 MS. DROUIN: Sorry.

15 CHAIRMAN APOSTOLAKIS: You have this
16 hand-out number 10 in front of you, members? Number
17 10? You all have this? It's very thick.
18 Reconciliation of ACRS Comments and Recommendations.
19 Please take a few minutes to read it today. We're
20 going to discuss it tomorrow. It includes the EDO's
21 response to our letter on the reactive oversight
22 process, steam-generated, tube integrity. There's a
23 lot of good stuff here. So please do that.

24 Okay, Mary. Sorry.

25 MS. DROUIN: Are we ready?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701