

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Source Term Applicability Panel

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, December 13, 2001

Work Order No.: NRC-138

Pages 568-742

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMITTEE  
+ + + + +  
SOURCE TERM APPLICABILITY PANEL  
MEETING  
+ + + + +  
THURSDAY  
DECEMBER 13, 2001  
+ + + + +  
ROCKVILLE, MARYLAND  
+ + + + +

The Panel met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B1, 11545 Rockville Pike, Rockville, Maryland, at  
8:35 a.m., Brent Boyack, Facilitating.

PANEL MEMBERS PRESENT:

DR. DANA POWERS, ACRS  
DR. THOMAS KRESS, ACRS  
BRENT BOYACK, FACILITATOR  
DAVID LEAVER, EPRI  
JAMES GIESEKE, CONSULTANT  
BERNARD CLEMENT, CEA FRANCE  
JEAN-MICHEL EVRARD, CEA FRANCE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT:

2 JASON SCHAPEROW

3 MOHSEN KHATIB-RAHBAR

4 JOCELYN MITCHELL

5 PATRICK BLANPAIN

6 STEVE NESBIT

7 LARRY LOSH

8 HAROLD SCOTT

9 ED LYMAN

10 \* indicates unintelligible word(s) due to  
11 accent.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C-O-N-T-E-N-T-S

Opening . . . . . 571

Panel BWR Source Term Applicability . . . . . 579

    Discussion

    Description: MOX Fuel and Identification . . . 696

        of Additional Information Needed

        for Developing the Source Term

        S. Nesbit . . . . . 696

        P. Blanpain . . . . . 714

    Discussion: Objectives and Actions for 3rd . . 739

        and Final Panel Meeting

Adjourn . . . . . 742

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:35 p.m.)

1  
2  
3 MR. BOYACK: Good morning. Just a couple  
4 of items that I wanted to check on as we begin, and  
5 then we will return to our Source Term Applicability  
6 work.

7 I just wanted to go ahead and reaffirm  
8 that the date for the third and final meeting of the  
9 panel, we agreed yesterday that that meeting would be  
10 held in February, the last week, February 26th, 27th,  
11 and 28th. That is Tuesday, Wednesday, and Thursday.

12 And the idea here I think for setting the  
13 meeting this far ahead is so that those of you who  
14 need to make arrangements that involve non-reformable  
15 tickets and everything, this is a short day.

16 So I just wanted to look at Charlie and  
17 Jason, and make sure that this day is all right with  
18 the NRC.

19 MR. SCHAPEROW: We may have an issue with  
20 it. Can we get back to you later today?

21 MR. BOYACK: Yes.

22 MR. TINKLER: Well, from what I know right  
23 now, it would not be -- and not that my involvement is  
24 critical, but it would be a real bad meeting for me to  
25 have, because it is the start of the EUSAFE Program,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and their first meeting is scheduled for that week.

2 MR. BOYACK: Just to go ahead and give you  
3 an idea of where you are. If you look at the week of  
4 the meeting before, you will see that there are ACRS  
5 meetings; and the week of the 11th for Tom and also  
6 Dana. It is a holiday the next week.

7 I can't remember if there was anybody  
8 else. Then we get into February, and I was trying to  
9 keep the meeting to the first part of the month, and  
10 the first week was--

11 MR. CLEMENT: Well, with the NRC, Mark  
12 won't be involved with that.

13 (Discussion off the record.)

14 MR. BOYACK: So a Wednesday, Thursday, and  
15 Friday. I think that possibly could work, but let's  
16 just check everybody's calendar. Now, the discussions  
17 from the audience, you have to use the mike.

18 MR. CLEMENT: Is it a firm date for --

19 MR. TINKLER: I believe it is.

20 MR. CLEMENT: What this means is that  
21 assuming now that this week that has been previously  
22 scheduled is still available, it would leave within  
23 the period that we initially had blocked out, two  
24 weeks, the first of them beginning the week of the  
25 18th of February, and there was a suggestion that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meet on Wednesday, Thursday, and Friday.

2 Is there anybody for whom that would not  
3 be acceptable?

4 DR. LEAVER: My wife.

5 MR. SCHAPEROW: Shall we have the meeting  
6 out in California?

7 MR. BOYACK: Okay. David, what do you see  
8 there? Then there is this other possibility. While  
9 David is looking at that calendar, the week of March  
10 11th. What is the situation there with everybody?

11 MR. LEAVER: The week of the 11th is a  
12 better week for me, and if push comes to shove, I  
13 could do it then.

14 DR. KRESS: Dana, there is some suggestion  
15 that we go down to Turkey Point on Wednesday and  
16 Thursday of that week?

17 DR. POWERS: Yes, I think we have our  
18 Turkey Point visit then.

19 MR. BOYACK: Are you talking now about the  
20 week of March?

21 DR. POWERS: Yes.

22 DR. KRESS: Yes.

23 MR. BOYACK: All right. It looks like,  
24 although it is difficult to David, that really leaves  
25 the only available date here of -- and you suggested

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Wednesday, and Thursday, and Friday? Is everybody  
2 else all right with that?

3 DR. POWERS: I think for us that work for  
4 a hard working laboratory, we don't even get that  
5 holiday.

6 DR. KRESS: I don't even know what holiday  
7 it is.

8 DR. POWERS: I have no idea what it is  
9 either, but I'm sure we don't get it.

10 MR. LEAVER: I'm not sure that we get it  
11 either, but we might.

12 MR. BOYACK: Well, those who do work at  
13 progressive laboratories do celebrate President's Day,  
14 and we do celebrate it on Monday, the 18th, although  
15 I can travel on Monday, the 18th. Again, it is not a  
16 big thing to me. It is just a question of when you  
17 would rather go.

18 If you would rather meet on the 19th,  
19 20th, and 21st, that's perfectly all right with me.

20 DR. POWERS: It is mox-nix.

21 MR. BOYACK: I am the only one who has a  
22 holiday, right? And you guys don't travel.

23 DR. POWERS: Oh, I am sure that they get  
24 the holiday.

25 MR. SCHAPEROW: We get every holiday.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: And on President's Day we  
2 have to travel. As an independent Federal Agency, you  
3 probably shouldn't celebrate that holiday.

4 MR. TINKLER: Well, we celebrate  
5 Washington's birthday.

6 DR. POWERS: Oh, that's an idea.

7 MR. LEAVER: Well, if we do the 20th,  
8 21st, and 22nd, can we adjourn early enough Friday?

9 MR. BOYACK: Well, what I propose is that  
10 we just go up to the middle of the week, which would  
11 be the 19th to the 21st. Would that be all right with  
12 everybody? February 19th through the 21st, Tuesday,  
13 Wednesday, and Thursday.

14 MR. LEAVER: Yes, that's fine.

15 MR. BOYACK: Then that's okay. Now the  
16 idea here is that nobody is going to cross-program,  
17 and we can go ahead and make reservations and things  
18 like that.

19 Now, the next thing that I would like to  
20 do before we actually get working is just to ask a  
21 question that would help me with the documentation.  
22 If you look up on the screen here, this is one of the  
23 typical tables.

24 It was the last one that we were working  
25 on for the Tellurium group, and what I have done in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all the tables that I have generated thus far is I  
2 have just entered your initials, and it seemed to be  
3 a good way because we were taking individual comments.

4 The question is the final report. There  
5 are perhaps three options that occurred to me. The  
6 first is that as I sit down I have tried to identify  
7 what I think would be the key points. We strip any  
8 reference to individuals, and it just becomes a view  
9 of the panel.

10 The second one is that we leave the names  
11 there and you get to clean up your own live  
12 transcription of your comments, but they are  
13 identifiable.

14 I guess the third approach is something  
15 like they did on one of the elicitations, where they  
16 become Expert One, Two, Three, Four, and Five. Does  
17 anybody have any questions or comments, because I am  
18 going to ask if there is a preference for how to  
19 document this. Any questions?

20 MR. GLESEKE: Well, I think that as it  
21 appears now there is a lot of just nonsense in there,  
22 like same as X, Y, Z, or you know, those kinds of  
23 comments.

24 MR. BOYACK: Sure.

25 MR. GLESEKE: I see one up there by my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 name, for instance. I mean, it is the same as some  
2 reference. Does that mean anything?

3 MR. BOYACK: Well, my preference on a  
4 claim document is to summarize the information, and  
5 put it down, and let the panel review it, and comment  
6 on it, and help me to correct it, and get it right.  
7 But then it doesn't have specific names. David, do  
8 you have any comments on this?

9 Well, the one thing that you lose there is  
10 that you lose something that might look more like a  
11 minority opinion, and we would have to figure out a  
12 way to do that.

13 DR. POWERS: Well, you just say that the  
14 majority opinion was this, and there was a view that--

15 MR. BOYACK: We could do that.

16 MR. LEAVER: I think there is some value  
17 to different views, or in some cases even contrary  
18 views to document that and not lose it. But I think  
19 the way that Dana described it would be an okay way to  
20 do it. I don't think it makes sense to have the same  
21 as so and so.

22 MR. GLESEKE: And then there is a lot of  
23 lines in there like this.

24 MR. LEAVER: I think it is kind of less  
25 important on who said what, but to capture the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fundamental information that may be of use for people  
2 in the future when they are trying to figure out what  
3 we did, and what they want to do.

4 DR. POWERS: Well, for instance, there is  
5 a line in there that says when we looked at the JAERI  
6 data, and, oh, I will get you the reference to that  
7 very JAERI data, and things like that.

8 MR. LEAVER: Exactly.

9 DR. POWERS: And we can dress that up and  
10 things like that. It is like progressives, and you  
11 need to know what data the panel was looking at, and  
12 the fact that they didn't have whatever was known in  
13 five years.

14 MR. LEAVER: Exactly.

15 MR. BOYACK: All right. And again, the  
16 way that this will happen is that when I send this  
17 information to you, I will send it in two forms, two  
18 electronic forms. One will be a PDF file, which you  
19 can't work on, and one will be a Word file, Word 6 or  
20 something like that.

21 And then if you choose, you can work  
22 electronically on the file in color, and I will put  
23 these instructions in to just send it back to me  
24 marked up that way, whichever way it works for you.  
25 You can mark it up and fax it back to me. I will take

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it any way.

2 Okay. Well, with that, before we actually  
3 go back to Tellurium, are there any other comments of  
4 an overview nature that you wish to offer? If not,  
5 when we concluded yesterday, we had moved on to the  
6 Tellurium group.

7 After we finish Tellurium, we have the  
8 Barium Strontium, Cesium group, and Lanthanides to  
9 complete by noon. We had gone through on Tellurium,  
10 the gap release, and actually slipped in a value of a  
11 half-a-percent.

12 We had some differing opinions on the  
13 early vessel, and I guess those range between 15 and  
14 35 percent. And I don't think -- by that time it was  
15 late, and we had not really decided on how to come to  
16 a view, but we just heard the comment from Dana that  
17 sort of said that what we might do eventually here,  
18 and the majority opinion was to state the value again,  
19 and another opinion was to enter that.

20 Well, enter my password. I don't know  
21 what my password is. Oh, I'm sorry. I am curious  
22 about it why it came up. So I would propose that the  
23 way that we handle this is since I--I don't see any  
24 way to continue on in a protracted discussion, which  
25 would lead us to a point where we would sort of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 negotiate a value here or a value there. That is my  
2 opinion.

3 You may offer a different opinion, but I  
4 suggest that what we do on the early in-vessel is  
5 enter what we call the majority opinion about the  
6 release fraction, which I think was in the area of 30  
7 percent.

8 Then we would make a statement that there  
9 was another opinion that the release fraction was in  
10 the area of 10 to 15 percent. I don't know any other  
11 way to do that.

12 MR. LEAVER: Well, there was a comment--I  
13 don't know if you documented it, but I think at the  
14 end of that discussion that Dana had a comment.

15 MR. BOYACK: Is that here?

16 MR. LEAVER: I thought I saw it in the  
17 thing that you handed out. Maybe Dana can remember  
18 what his comment was.

19 DR. POWERS: Well, my comment was that  
20 even if we take the lowest value, the 15 percent  
21 value, you are doing radical surgery of this, this  
22 fraction, and you are really --

23 MR. SCHAPEROW: That comment is right  
24 there under notes, the very last sentence.

25 MR. BOYACK: Yes, it is. Down at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bottom here, if you take a look.

2 MR. LEAVER: Yes, and I think we kind of  
3 broke up right at that point.

4 MR. BOYACK: Right, that's where we are.  
5 So the question is would the rest of the panel accept  
6 an entry of 15 percent, and if not, we could go to the  
7 majority and minority statement, because I think  
8 everybody else was in the 30 percent range.

9 DR. POWERS: It seems to me that if you  
10 have got a majority opinion of around 30 percent, then  
11 you might as well put that in.

12 MR. BOYACK: Right.

13 DR. POWERS: I will comment that before we  
14 met that the number that I had written in for that one  
15 is a change as it was 15 percent, and when I did it  
16 without the discussion.

17 DR. KRESS: I would be interested in how  
18 you arrived at that 15 percent.

19 DR. POWERS: I think I arrived at it,  
20 Tom, thinking of the release is a hundred percent from  
21 the tool, and Bernard reminded us that the PHEBUS  
22 result, which is a fairly oxidizing environment, but  
23 not deliberately so -- it is not huge -- was a more  
24 quantitative release, and that they got very much  
25 higher penetration.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And more troublesome than that, they get  
2 higher penetration when the codes are calculated for  
3 this steam generator tube. It is like the codes are  
4 overpredicting what the amounts and it is an  
5 aerosol/physics problem.

6           And we never thought that. We always that  
7 the codes were giving us a lower bound on the  
8 deposition because they don't take into account all  
9 the subtleties and things like that.

10           And it just reminds us that it is a bit  
11 more complicated than you think, and I don't think I  
12 was taking that -- and so when I listed to you and  
13 Jim, and Bernard talking, and you reminded me of the  
14 FPT-1 results, I moved it back up.

15           MR. LEAVER: Let me ask a question of  
16 Bernard. What was it in PHEBUS that -- you had this  
17 period of between 6,000 and 6,500 seconds, of which  
18 you had release occurring?

19           MR. CLEMENT: Which release?

20           MR. LEAVER: Your release occurred over a  
21 period of somewhere between 6,000 and 6,5000 seconds.  
22 What was going on, or what was the form of the bundle?  
23 Had the bundle melted and slumped, or was it just kind  
24 of sitting there with steam going by?

25           DR. POWERS: The jump in the release that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you get out at the end there.

2 MR. LEAVER: At the end?

3 DR. POWERS: That is a relocation that is  
4 taking place

5 MR. LEAVER: So relocation occurred at  
6 around 5,500 or 6,000?

7 DR. POWERS: Yes. They had several of  
8 them, but you will recall that he is giving a pretty  
9 fair release all the time, and then it kind of jumps.

10 MR. CLEMENT: It jumps, and we have a  
11 relocation of hot material.

12 MR. LEAVER: Do you have your integrated  
13 release chart, and maybe we could take a look at it?

14 MR. CLEMENT: Too many slides. What you  
15 have at the end is movement of hot materials.

16 DR. POWERS: Old time slides.

17 DR. KRESS: It's a sad day when George  
18 passed away.

19 DR. POWERS: Oh, did he? I didn't notice  
20 that.

21 (Discussion off the record.)

22 MR. CLEMENT: You are speaking about this?

23 MR. LEAVER: Yes.

24 MR. CLEMENT: And then it seems that the  
25 \* should be roughly the same for all the \* inventing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 material lower, because it is higher because there is  
2 -- this \* is higher.

3 MR. LEAVER: At the end, yes.

4 MR. CLEMENT: But it is roughly the same  
5 rate for all three items \* and the difference in  
6 slopes comes from what happens at the beginning,  
7 and --

8 MR. LEAVER: There is a little bit of a  
9 delay, about a 200 second delay, yes.

10 MR. CLEMENT: So, after that --

11 DR. KRESS: Actually, that is the kind of  
12 results that we got at Oak Ridge when we used fuel  
13 that didn't have clad on it and it was highly  
14 oxidized. The ones with clad on it was the problem.

15 MR. LEAVER: Was this -- well, what kind  
16 of a fuel bundle was this? Was it a typical PWR?

17 MR. CLEMENT: Yes, it was okay. 20 watts  
18 coming from the R-3 reactor. So short watts coming  
19 from the R-3, and --

20 MR. LEAVER: Okay. And it was fully clad?

21 MR. CLEMENT: Zircaloy full cladding and  
22 the \*.

23 MR. LEAVER: And it was heated how?

24 MR. CLEMENT: Heated by neutronic heating

25 --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEAVER: Heating from what?

2 MR. CLEMENT: Neutronic heating from the  
3 -- the UO2 is heated. But only if this is the PHEBUS,  
4 but if we look at the VERCORS, we have three pellets  
5 that are zircaloy -- and heated by high frequency --  
6 and we have roughly the same rates for the material.

7 DR. KRESS: And that is basically what I  
8 have in my model.

9 MR. CLEMENT: I mean, it is a -- \* same  
10 tendency, and recently they choose \* .

11 MR. LEAVER: The FPT-2 has been done,  
12 right?

13 MR. CLEMENT: Yes. FPT-2 has been done,  
14 and it gave the results for the material.

15 DR. POWERS: And it is the same.

16 MR. CLEMENT: And they are the same.

17 DR. POWERS: Even though that one was much  
18 less steam. It actually went in earlier, in 20  
19 minutes of the test.

20 DR. KRESS: The only thing I would ask is  
21 --

22 MR. LEAVER: And then FPT-2 was a more --

23 MR. CLEMENT: It was a period of producing  
24 where it was much lower. Typically, it was .5 instead  
25 of 1.5. You have things in a period of about 17 or 18

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 minutes, and all the steam flow was consumed by  
2 zircaloy oxidation, and plus nearly all the zircaloy  
3 oxidized, and \* . And so the Tellurium release was \*  
4 during this period.

5 DR. KRESS: Where did you get your fuel?

6 MR. CLEMENT: From Belgium --

7 DR. KRESS: From ER3?

8 MR. CLEMENT: ER3.

9 DR. KRESS: Yes, I wondered, because about  
10 the only thing that I could reconcile the difference  
11 between the Oak Ridge and that was the type of clad,  
12 but that is what we used. We used Belgium ER3.

13 MR. CLEMENT: There are many sources of  
14 ER3 used.

15 DR. KRESS: I was wondering.

16 MR. CLEMENT: We made a study at the  
17 beginning of the safety program to be sure it was  
18 okay, because many people that they \*.

19 MR. LEAVER: So in terms of inert  
20 materials, the only inert materials in this experiment  
21 was the clad?

22 MR. CLEMENT: No, not the clad. It was  
23 also \*

24 MR. LEAVER: Oh, in PHEBUS you had --

25 MR. CLEMENT: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEAVER: So these are the finger piece

2 --

3 MR. CLEMENT: They is a rod in the center  
4 of the --

5 DR. POWERS: Oh, he just has a rod that  
6 goes down and out right in the center of the package.

7 MR. LEAVER: In a BR3? I mean, it is out  
8 of Westinghouse, basically a Westinghouse type report?

9 DR. POWERS: Basically, Westinghouse, yes.

10 DR. KRESS: And the VERCORS didn't have  
11 any.

12 MR. CLEMENT: The VERCORS didn't have any.

13 MR. LEAVER: Yes, the VERCORS did not.

14 DR. KRESS: And it is hard to discount  
15 that.

16 DR. POWERS: And it is very difficult to  
17 conform.

18 DR. KRESS: Okay

19 MR. BOYACK: I think there has been a good  
20 review, but we need to move on. Let me tell you how  
21 I propose to handle this. What I will do is that in  
22 any case where you have a difference of opinion, you  
23 will see that there is a footnote here, and we will  
24 refer down to the bottom, which in this case that says  
25 that I recently had --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But basically this is a note to the  
2 majority opinion. However, one member of the panel  
3 felt that lower release rate of 10 to 15 percent was  
4 more applicable. So that will be explicitly called  
5 out when they look at that number, rather than just  
6 somewhere down in the text, okay?

7           Now, the one that we are working on now,  
8 the Tellurium, we have a total of five groups left, or  
9 4-1/2, and Tom drew the short straw for being the  
10 first speaker on Tellurium, and then we will go  
11 around, and there is four more groups and four more  
12 leads. So we will just go in order.

13           And what I put in for the early release  
14 was 30 percent. So, now we are going to move to the  
15 next release, and it is your turn.

16           DR. POWERS: I arrived at the 30 percent  
17 number by a release that was the fraction of normal  
18 fuel and high vertical fuel, and so what is left that  
19 didn't get released in the pool is 40 percent. And  
20 that is going to get released in the same sense that  
21 some of the other volatiles and from residual fuel  
22 that was in the core, it will get released from that.

23           The vessel had fails, and everything that  
24 goes down and does the core concrete interaction will  
25 get -- and so I would be putting about a 40 percent in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the -- release.

2 MR. BOYACK: All of which will be released  
3 when it reaches the concrete block?

4 DR. KRESS: Yes, or in residual fuel, the  
5 fuel that is left up in the vessel after the vessel  
6 failed, and the fuel has been released from that, and  
7 so I counted that as excess.

8 MR. BOYACK: Okay. So that the statement  
9 that I need to capture is the release from the  
10 residual fuel core.

11 DR. KRESS: Interaction. I know that I  
12 said interaction, but --

13 MR. BOYACK: I didn't realize that I was  
14 so literal on the transcription. Thank you. Okay.  
15 Jim.

16 MR. GLESEKE: I'm trying to reconstruct.  
17 I went through all this logic yesterday, but I can't  
18 remember. I think I had --

19 MR. BOYACK: Do you need a moment to  
20 reconstruct?

21 MR. GLESEKE: Yes. Let me take a few  
22 minutes.

23 MR. BOYACK: Dana.

24 DR. POWERS: I'm behind Tom. I can't help  
25 but relate an antidote. Dick Vogle bet me that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Tellurium would not be released during a melt concrete  
2 NR action because he was in love with the reaction of  
3 Tellurium with metals.

4 And so I took advantage of him, because  
5 when you do a melt concrete interaction after the test  
6 results, you smell rotten eggs. And the reason is  
7 that the gypsum out of the concrete is being reduced  
8 down to sulfur, and sulfur is being vaporized as H<sub>2</sub>S.

9 So I knew damn well that Tellurium was  
10 going to come up, and so I laid a bet with him for a  
11 case of Scotch, and he has never paid off.

12 MR. LEAVER: Let the record show.

13 DR. POWERS: Let the record show that he  
14 has never paid off.

15 MR. BOYACK: Do you need to continue on  
16 for a moment?

17 MR. GLESEKE: Yes.

18 MR. BOYACK: Okay. Bernard.

19 MR. CLEMENT: Okay. We have got in our  
20 estimation a number of Tellurium in the future to be  
21 released by cerium \* interactions.

22 MR. BOYACK: Yes, you basically have a  
23 complete release from either the fuel and residual.

24 MR. CLEMENT: Yes.

25 DR. POWERS: We will catch up with you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We are just slow, that's all. You have to remember  
2 that we are colonials.

3 DR. KRESS: I didn't get the complete  
4 release for two reasons. One of them was not all of  
5 the fuel got real hot, because peripheral fuel was  
6 pretty cold, and because a lot of the fuel was still  
7 at the low burn up levels, and doesn't get released as  
8 fast at the low burn up. So that is the reason that  
9 I --

10 MR. CLEMENT: Okay.  
11 But just what we are saying is that roughly \* of  
12 Tellurium, either fuel remaining in the vessel, or the  
13 fuel remaining in the vessel after lower pressure, and  
14 \*.

15 DR. KRESS: But it all gets released,  
16 that's for sure.

17 MR. GLESEKE: I'm coming up with about the  
18 same number of 35 to 40 percent.

19 MR. BOYACK: So, see TK, the -- David.

20 MR. LEAVER: Okay. I wouldn't disagree  
21 with that, but I think this is a -- well, this is  
22 probably a similar kind of situation to what we had  
23 for the other volatiles, which is the release really  
24 is from what is left in the vessel. I don't think  
25 that much Tellurium is going to go down into the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 container.

2 MR. BOYACK: Yes.

3 MR. LEAVER: Yes, and the way that Tom  
4 expressed it was that it was very slight.

5 DR. KRESS: I think you are basically  
6 right given these --

7 MR. LEAVER: Right.

8 MR. BOYACK: Okay.

9 MR. LEAVER: So we would want to footnote  
10 this in the same way that we did the other volatile  
11 releases, indicating that this isn't really the next  
12 vessel release. It is a faster -- release.

13 DR. POWERS: There is a bunch of data from  
14 Elrick and Company, and from the Brits, saying, gee,  
15 you vaporized this collodium and you ran it down and  
16 as soon as it sees metal it reacts, and that lent a  
17 lot in the trap melt there to a very high deposition  
18 of velocity for Tellurium.

19 And since that time as it moved towards  
20 more sophisticated chemical models, where the gas  
21 stays, and you have these control rods boiling off,  
22 you end up with tin tellurides, and silver tellurides,  
23 and things like that.

24 Should we note that that's why we get  
25 relatively high transmission through the piping

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system?

2 MR. LEAVER: Well, we are getting there.

3 DR. KRESS: Well, yes, when we get late  
4 releases and --

5 DR. POWERS: Yes.

6 MR. LEAVER: Well, that's where we are now  
7 isn't it?

8 DR. KRESS: We --

9 MR. LEAVER: There is no transport section  
10 of 1465.

11 DR. KRESS: Oh, yeah, the earlier vessel  
12 has to include the fraction.

13 MR. LEAVER: And you have already done  
14 that.

15 DR. KRESS: Yes, I have already done that.  
16 In fact, basically I said --

17 MR. LEAVER: But maybe we need to capture  
18 Dana's point just as a point of information.

19 MR. BOYACK: And that is?

20 DR. KRESS: Well, the earlier vessel  
21 number is 30, and 60 percent got released, and the  
22 rest of it -- and so that is what happened to the  
23 other and that's where it had to go. So we are saying  
24 that -- out, and that is a number that we probably  
25 ought to talk about. It used to be that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BOYACK: Okay. Since I was not  
2 tracking the discussion at times, does somebody want  
3 to give me a statement that I could enter in?

4 DR. POWERS: I think I would just note  
5 that because of the fuel rod -- I mean, the control  
6 rods and other metals in the system, chloromas  
7 transport as Tellurides through the reactor cooling  
8 system.

9 MR. CLEMENT: Not as elementary Tellurium.

10 DR. POWERS: Not as elementary Tellurium,  
11 and consequently it doesn't chemically react with the  
12 piping system.

13 MR. CLEMENT: I would agree that there is  
14 some suspicions \*

15 DR. POWERS: Yes, and that's all we know.  
16 I wouldn't argue with that.

17 MR. BOYACK: Okay. So basically what  
18 happens is that because of interactions with the  
19 control rods, and because of chemical reactions with  
20 control rod materials --

21 DR. POWERS: Because of chemical  
22 interactions with vapors from the control rods, and  
23 other things, and it would be tin from the clad as  
24 well.

25 DR. KRESS: You see, Telluride is --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: It is a place in Colorado,  
2 and you can ski there in the winter time, or you can  
3 get doped up there anytime. I think that Telluride is  
4 permanently floating about two feet off the ground.

5 MR. BOYACK: Okay. If we move on to  
6 related vessel.

7 DR. KRESS: The question is why did we  
8 choose the number of 50 percent?

9 DR. POWERS: Well, it is just like the  
10 iodine and the season of its particular deposition.

11 DR. KRESS: Yes, but I don't think we are  
12 dealing with deposition.

13 MR. LEAVER: Because it is mis-mash?

14 DR. POWERS: I don't think so.

15 MR. GLESEKE: The French experiments down  
16 are less of a hold up.

17 DR. POWERS: Yes, they got real hold-ups.

18 DR. KRESS: And that might be because the  
19 bulk of the aerosol --

20 DR. POWERS: It is hard to argue that they  
21 didn't have it, because of the melting down fuel.

22 DR. KRESS: Well, but the aerosol  
23 concentration is --

24 DR. POWERS: That is almost exactly right.  
25 It is almost exactly right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: -- outside the flow rate.

2 DR. POWERS: It is almost exactly right  
3 for concentration in the piping system.

4 DR. KRESS: And how about delay times?

5 DR. POWERS: It is pretty well glomerated  
6 up. We don't see a whole lot of evolution in the  
7 aerosol. It is zipping along pretty fast, and the  
8 flow rates are high.

9 DR. KRESS: And we will still stick with  
10 the 50 percent.

11 MR. BOYACK: Charlie.

12 MR. TINKLER: I just want to make a  
13 request here. I understand the logic as you go  
14 through the tables of the different phases. But for  
15 the benefit of future users of this document, it might  
16 be nice if we really think that some of these releases  
17 are laid in-vessel, and we put them under laid in-  
18 vessel, as opposed to putting them under ex-vessel.  
19 Just so that when people go through this document --

20 DR. POWERS: The problem, Charlie, is you  
21 have got about 10 hours, and if we think it is  
22 concentrated in the front end of it rather than spread  
23 over the whole 10 hours, we put it in the ex-vessel.

24 MR. TINKLER: Well --

25 DR. POWERS: And there is a footnote that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 says why.

2 MR. TINKLER: Then maybe you should  
3 consider some modification of the duration for the  
4 laid in vessel.

5 MR. LEAVER: Or break it into two phases,  
6 or something like that.

7 DR. POWERS: Well, effectively, you have  
8 that.

9 MR. LEAVER: It's just that you call it  
10 ex-vessel, and that is misleading.

11 DR. POWERS: Yes.

12 MR. TINKLER: I can see this now. Three  
13 years down the road --

14 DR. KRESS: Nobody is going to remember  
15 it.

16 MR. TINKLER: -- why in the heck did they  
17 put that under -- oh, yeah, and did they do it for  
18 other things, and --

19 DR. POWERS: There is a footnote on the  
20 table. I mean, what do you want?

21 MR. TINKLER: I can understand.

22 MR. SCHAPEROW: Actually, this is a very  
23 big departure from what is in 1150. I mean, 1150 has  
24 a Tellurium release -- with more concrete interaction.  
25 I don't think anybody here was on that particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 panel for that issue, but I personally would like to  
2 see a little more clarification in this areas, too,  
3 but I am not -- I am an in-vessel, but I don't know  
4 too much about that stuff.

5 DR. POWERS: All you can do is sit here  
6 and create another column, and augment the amount of  
7 work by 20 percent.

8 MR. TINKLER: Well, I appreciate that, but  
9 I don't want to do that. To the extent -- and I want  
10 to raise another issue here, too, because I know that  
11 we have talked about this, and I am not proposing that  
12 I know the answer to these questions, but to the  
13 extent Tellurium is influenced by metals -- and I  
14 know, Dana, that you have already addressed that.

15 The scaling and preservation of zircaloy  
16 to fuel passes, and PHEBUS is something that you might  
17 want to look at a little more carefully. We have the  
18 ratio of zircaloy to fuel may be a little different in  
19 some other reactors than it is in PHEBUS.

20 We have plans for zircaloy grid space, and  
21 we have plans with other zircaloy. We have lots of --

22 DR. POWERS: They have zircaloy grid  
23 spaces.

24 MR. TINKLER: Yes. So you re confident  
25 that the zircaloy --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CLEMENT: For the zircaloy --

2 MR. TINKLER: So you are confident that  
3 the zircaloy mass relative to the UO2 emphasis ratio  
4 is good in PHEBUS?

5 MR. CLEMENT: At this time, it is \* \* the  
6 same in the reactor right now \*.

7 DR. POWERS: But when you are talk about  
8 material mass, they are very good. I mean, that was  
9 a focus in the design of the test, was to get the --

10 MR. TINKLER: I know, I can remember that.

11 DR. POWERS: And the relative amount is  
12 about right.

13 MR. TINKLER: And I remember the concerns  
14 about some of the -- and this is different, but  
15 concerns that the Swiss had that they wanted more  
16 upper internal steam separators, dryers, lots of steel  
17 on the top of the vessel. That is not --

18 MR. CLEMENT: Speaking of volume with  
19 reactors obviously.

20 MR. TINKLER: I understood that. That is  
21 a difference.

22 MR. CLEMENT: Well, the \* is okay.

23 MR. TINKLER: But do you -- so you think  
24 the steel masses are scaled well enough, and the  
25 effect of a small bundle relative to a larger core is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 --

2 DR. POWERS: That is more problematic.

3 MR. CLEMENT: You could argue that you are  
4 getting more oxidation of metallic surfaces, and  
5 perhaps PHEBUS would --

6 DR. POWERS: You would play hell trying to  
7 make that argument.

8 MR. TINKLER: I am just bringing that up,  
9 and this is not in any way a criticism of PHEBUS.

10 MR. CLEMENT: No, no, I understand that.

11 MR. TINKLER: I am the biggest fan of  
12 PHEBUS in the world. I wish we ran three tests a year  
13 instead of -- you know --

14 DR. POWERS: So do they.

15 MR. TINKLER: I would like to have more  
16 high burn up tests, and air ingress tests, and  
17 everything else. I am just -- the arguments about  
18 unreactive metals, unoxidized metals, and the argument  
19 about tellurides, that is an excellent point, and  
20 would make some of my discussion moot.

21 Is the panel going to read on chemical  
22 form of Tellurium?

23 MR. CLEMENT: The point also I think is  
24 related to oxidation processes, because even Tom \*  
25 zircaloy is not \* and sometimes with cladding and not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 being able to continue any more \* and then all the  
2 activity on that has not interacted with such metal.

3 I mean, it is really \* processes and has  
4 been \* of the core that are cold than the Tellurium  
5 that is left in the upper part to escape. And that is  
6 really into the degradation processes, and this is  
7 where it is quite not so easy to make -- to come from  
8 a small bundle to \* and many effects are taking place.

9 DR. POWERS: In fact, I would argue that  
10 as far as getting the Tellurium in a known reactor  
11 form, the large bundle is going to lead you more  
12 toward that than a small bundle, because rather than  
13 having a control release and then kind of tail off,  
14 you are having control rods going off all the time in  
15 a large bundle.

16 And so there is always kind of a constant  
17 amount of silver and cadmium coming through the piping  
18 system at the same time. And zircaloy reacts with  
19 those things.

20 MR. TINKLER: I was just going to say that  
21 originally I think we had a little too much silver,  
22 the ratio of molds of silver to molds of iodine at  
23 once upon a time. So we were getting an exaggeration  
24 of the silver iodine to --

25 DR. POWERS: Well, that was true in zero.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TINKLER: But not -- okay, because it  
2 was -- yes, you are right on that one. With respect  
3 to the chemical form of Tellurium, could we anticipate  
4 that this would decay to iodine in its --

5 DR. KRESS: It doesn't matter whether it  
6 is in its chemical form or not. It will be iodine or  
7 --

8 MR. TINKLER: It will be iodine in its  
9 molecular form or --

10 MR. LEAVER: I was just talking with a  
11 couple of more guys, and there is six isotopes in  
12 Tellurium that are among the group that is considered  
13 for design basis the 60 radionuclide considered for  
14 design basis access.

15 And three of them -- there is one 27-M,  
16 and 127 and 129-M, and 129, and those are of course  
17 would not be interesting even if indicates iodine,  
18 because iodine would be non-radioactive.

19 Then there is 131-M, which is interesting,  
20 and 132, which is interesting. 131-M has a 25 minute  
21 half-life, and as to 131, and that is the main source  
22 of iodine.

23 DR. KRESS: But your question is that this  
24 is going to be iodine or -- and I don't think it  
25 disassociates.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEAVER: We did some dose calculations  
2 to get the effects of this, and it is not truly what  
3 one might expect, and the 131 is a big contributor,  
4 and we assumed that it was as I-2, and you are using  
5 a little more I-2 than you would have otherwise.

6 DR. KRESS: I would have assumed that it  
7 was iodine.

8 MR. LEAVER: You would have?

9 DR. KRESS: Or behaved like iodine.

10 MR. LEAVER: I mean, you have this clump  
11 of stuff, right? A couple of micron particles of  
12 something -- and the stuff decays and becomes iodine.  
13 Why is it going to stay --

14 DR. KRESS: It is iodized.

15 MR. LEAVER: Why is it going to stay as an  
16 iodide?

17 DR. POWERS: I think that's not how I  
18 would go about attacking the problem. I would put it  
19 in containment, and I know that when it decays the  
20 recoil alone will rip that compound completely apart.

21 MR. LEAVER: The what?

22 DR. POWERS: The recoil will rip the  
23 compound apart.

24 MR. LEAVER: The recoil?

25 DR. POWERS: The decay recoil. If I shoot

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 an electron out this way, something has got to go this  
2 way.

3 DR. KRESS: The whole thing goes out.

4 DR. POWERS: Oh, no, it would bust the  
5 bond.

6 MR. CLEMENT: To compare that to your --

7 DR. POWERS: And then I would run it into  
8 the iodine chemistry model, and let it do what it will  
9 do what iodine does. From that point on it will do  
10 what iodine does, okay?

11 Whatever state that iodine is born in, it  
12 isn't going to last very long. And you have cesium  
13 iodide, and I-2, it doesn't make any difference. You  
14 go so quickly to a steady state that it wouldn't make  
15 any difference.

16 MR. BOYACK: Could we go ahead and move  
17 on.

18 MR. LEAVER: Well, these are important  
19 points.

20 MR. BOYACK: That's why I waited.

21 MR. LEAVER: I thought I had reached the  
22 point, and if I am wrong --

23 MR. BOYACK: I think that is acceptable.

24 MR. LEAVER: Okay.

25 MR. BOYACK: Okay. Laid-in vessel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SCHAPEROW: I guess I wanted to know  
2 the application of it. We are still not quite sure  
3 why we would have -- coming out as a result of -- and  
4 I don't know if anybody had a chance to go back and  
5 look at the question.

6 All three of the experts have Tellurium,  
7 have 25 percent Tellurium, from other interactions.

8 MR. LEAVER: That may be because they  
9 didn't release it from the vessel.

10 MR. SCHAPEROW: Oh, okay.

11 MR. LEAVER: I mean, we may not have  
12 released it all.

13 DR. KRESS: Does it --

14 DR. POWERS: Well, it is the one thing  
15 that we can predict. That is the only product that I  
16 am very confident of Vanessa predictions, because we  
17 specifically validated that because, by god, I was  
18 going to get my case of Scotch if it killed me, and  
19 Dick Vogle was not going to give me the horse laugh.

20 DR. KRESS: It depends on the type of  
21 concrete that you used.

22 DR. POWERS: No.

23 MR. SCHAPEROW: One of the things also  
24 that I see in the beginning from where it seems the  
25 message that I seem to be getting is that we insert --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 associated with the heat in the releases for fission  
2 products, and generally it is the difference between  
3 regular fuel and high burn up fuel.

4 I am not hearing much talk about, well,  
5 this is so important for my burn up.

6 MR. LEAVER: I don't think that this is an  
7 issue --

8 DR. POWERS: Hang on. As we move down the  
9 list --

10 MR. SCHAPEROW: Maybe some of the other  
11 items are more important, but at least for -- at this  
12 point it doesn't seem to be.

13 MR. LEAVER: Well, it is probably worth  
14 noting that what we have been discussing here for the  
15 last couple of hours on zirconium is really not -- we  
16 would have had this discussion whether we were here  
17 for high burn up purposes or not. Is that fair to  
18 say?

19 MR. KHATIB-RAHBAR: I have a comment on  
20 this zirconium issue in the vessel part. The argument  
21 is that in the PHEBUS you predicted a complete release  
22 of Tellurium because most of the zircaloy was gone  
23 either due to oxidation or relocated.

24 And the other argument that Dana was  
25 giving is that Tellurium is going to be in metallic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 forms because of all of the control rod material. So  
2 presumably that will not settle on surfaces as it  
3 would otherwise, and would not react, for example, on  
4 metallic constituents like tin on a surface or  
5 whatever, to form things that would not be retained in  
6 the vessel.

7 It would behave like cesium iodide or  
8 cesium hydroxide, or what have you. If this Tellurium  
9 is going to come very late, in the very late in-vessel  
10 phase, you may not have a lot of control on the  
11 material left inside the core.

12 Most of the stuff is probably gone by them.

13 MR. CLEMENT: You may not follow to the  
14 surface.

15 MR. KHATIB-RAHBAR: Well, you have a lot  
16 of surfaces inside the vessel, and there is a lot of  
17 steel inserted.

18 MR. CLEMENT: Yes, and the surface is  
19 oxidized.

20 MR. KHATIB-RAHBAR: I'm sorry

21 MR. CLEMENT: The surface is oxidized.

22 MR. KHATIB-RAHBAR: Well, you are assuming  
23 you have lost enough steam always, but you typically  
24 have steam derivatives in most of these accidents. So  
25 the concern that I have is that you probably are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 putting too much Tellurium into the containment.

2 DR. POWERS: We have not gotten to the ex-  
3 vessel late, or the late in-vessel you have.

4 MR. KHATIB-RAHBAR: But you are releasing  
5 a hundred percent of it though.

6 DR. POWERS: And you only have 30 percent  
7 on the viping system.

8 MR. KHATIB-RAHBAR: So 30 percent is still  
9 retailed of the total.

10 DR. KRESS: Yes, but it is not going to be  
11 there.

12 DR. POWERS: It's not going to be there  
13 very long.

14 MR. KHATIB-RAHBAR: But the argument, the  
15 way that you have it, you are going to release the  
16 rest of it anyway most likely, and so you are going to  
17 put most of it into the containments.

18 DR. POWERS: Eventually we are going to  
19 have it pretty much in the containment. Wait until  
20 Tom launches --

21 DR. KRESS: Yes, but wait until --

22 DR. POWERS: We have not gotten to that  
23 part yet. But he is going after it.

24 DR. KRESS: I probably would put a .25 in  
25 the -- or .02 in the halogens, or something like that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: Well, the number that I wrote  
2 down was .2.

3 DR. KRESS: Yes, .2.

4 DR. POWERS: Because?

5 DR. KRESS: Because the .05 is predicated  
6 on the fact that there is not very much there in the  
7 first place in that particular thing, and if there is  
8 a lot there, it is not latched on chemically to the  
9 surfaces. It is latched on to something else, like an  
10 aerosol, and it is going to behave like cesium  
11 hydroxide.

12 So it is about the same amount on there as  
13 the cesium hydroxide, and so the .2 seems to make a  
14 lot of sense.

15 MR. BOYACK: Okay. There is -- at present  
16 and is not related to surface, but rather it has  
17 bonded to aerosols and more readily to --

18 DR. KRESS: Released.

19 MR. BOYACK: Okay. Jim.

20 MR. GLESEKE: Twenty percent.

21 MR. BOYACK: Okay. Dana.

22 DR. POWERS: Well, once we open up the  
23 piping system, and while the oxygen portion will go  
24 up, we oxidize all the Telluride TEO, which is highly  
25 volatile.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BOYACK: To what?

2 DR. POWERS: TEO.

3 MR. BOYACK: TEO?

4 DR. POWERS: Yes, and telluric acid.

5 DR. KRESS: What is the chemical formula  
6 of telluric acid?

7 DR. POWERS: It depends on which one you  
8 are worrying about.

9 DR. KRESS: I was going to see what it  
10 would be.

11 DR. POWERS: You are just testing him.

12 MR. BOYACK: No, I don't know the formula.

13 DR. KRESS: Okay.

14 MR. BOYACK: And I don't plan on learning  
15 it either.

16 DR. POWERS: Oh, come on. It is good for  
17 your soul.

18 DR. KRESS: There is probably about five  
19 of them or six.

20 DR. POWERS: Yeah, there is a bunch of  
21 them.

22 MR. BOYACK: Okay. Bernard.

23 MR. CLEMENT: Okay. We did not study the  
24 \* of Tellurium. We did not consider it because of  
25 uncertainty, and just because we have already put 17

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent into the containment.

2 DR. KRESS: It amounts to the same thing.

3 MR. CLEMENT: But we agree with \* and  
4 maybe some mechanisms.

5 DR. POWERS: Well, once again, you see the  
6 importance of doing the PTA work and PHEBUS.

7 MR. BOYACK: Okay. David.

8 MR. LEAVER: I would have nothing to add  
9 to those comments.

10 MR. BOYACK: Okay. Jim, you realize now  
11 that you are on the hook for the next lead here.

12 MR. GLESEKE: What is the next lead?

13 MR. BOYACK: On the barium strontium  
14 group; and David, you will have the lead on the noble  
15 metals and so on.

16 DR. POWERS: It is the noble part. It is  
17 appropriate.

18 MR. BOYACK: I don't think I am going to  
19 call in.

20 DR. POWERS: It only leads to dissention,  
21 right?

22 MR. BOYACK: Okay. Well, how easy can it  
23 be? There is only a couple of numbers. Things  
24 change, right? Okay. I see, that you have moved to  
25 the last of the stack.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: Oh, I have been demoted.

2 MR. BOYACK: No, that means that you get  
3 to really just cap off the discussions and summarize  
4 it and make sure that everybody else has got it right.

5 DR. POWERS: You have to understand his  
6 personality. He likes to take potshots at everybody  
7 that has gone before.

8 DR. KRESS: I love it.

9 MR. BOYACK: Okay. Jim. Release for  
10 barium strontium for high burn up fuel.

11 MR. GLESEKE: I think I am going to have  
12 to leave it real small, I think. Like zero. Zero is  
13 a very small number.

14 MR. BOYACK: So in our little --

15 DR. POWERS: Say yes.

16 DR. KRESS: Negative numbers are real  
17 small.

18 DR. POWERS: They are not small.

19 MR. GLESEKE: They are.

20 MR. BOYACK: Okay. Do you want me to go  
21 through the whole thing, or do you want to come back  
22 and take it a phase at a time?

23 MR. GLESEKE: I am thinking maybe one  
24 more. That is kind of what we did with the last one.  
25 I think this is going to be up from what we talked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about before. I mean, from the 1465. He looks at  
2 Tom's calculations, for instance, with effective burn  
3 up. And where his low burn up was .02, and this may  
4 be four times that much.

5 MR. LEAVER: Are you just talking about  
6 just due to burn off?

7 MR. GLESEKE: Yes.

8 DR. KRESS: And you had better correct  
9 that to fuel that has high burn off.

10 MR. GLESEKE: yes, maybe you need to back  
11 that down some because of the percent of the amount of  
12 fuel, and --

13 DR. KRESS: I know that when I make that  
14 correction that it takes it down to six, .06.

15 MR. GLESEKE: Yes. I was going to say  
16 .05, and .06, that's about right.

17 MR. BOYACK: So, 6 percent. Okay. So  
18 let's go back to Dana then.

19 DR. POWERS: Zero is applicable.

20 MR. BOYACK: Okay. Ont he early in-  
21 vessel?

22 DR. POWERS: I believe there are two  
23 competing factors that are arising here. When you  
24 raise the diffusion coefficient for post-strontium and  
25 barium, but you increase the oxygen potential and that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 has the effect of decreasing the volatility of barium  
2 and strontium.

3 So I don't see a bases for changing the  
4 value. I see the need for experimental investigations  
5 of high burn up fuel.

6 MR. BOYACK: Okay. So the first is the  
7 increase in diffusion coefficient for these species,  
8 and the second is the oxygen potential.

9 DR. POWERS: Yes, the oxygen potential,  
10 and to depress the volatility of both strontium and  
11 barium.

12 MR. BOYACK: Okay. I see no reason for  
13 changing -- well, it lacks a basis really to change  
14 it.

15 DR. POWERS: You don't have a bases to  
16 change it.

17 MR. BOYACK: Okay. Let's see.

18 MR. CLEMENT: Applicable

19 MR. BOYACK: Sorry?

20 MR. CLEMENT: Applicable.

21 MR. BOYACK: Thank you. All right. Okay.

22 MR. CLEMENT: And barium should be treated  
23 in a different way than strontium, because there is  
24 experimental evidence that they are not released in  
25 the same way with the same amount from the fuel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: That's right.

2 MR. CLEMENT: Barium is much more volatile  
3 than strontium from experiments.

4 MR. BOYACK: Which is much more volatile?

5 MR. CLEMENT: Barium.

6 MR. BOYACK: Okay.

7 DR. POWERS: Even from a chemistry thing,  
8 it has to be because the barium is huge, and the  
9 strontium just about fits in the vacancies of uranium  
10 dioxide.

11 MR. CLEMENT: If you look at VERCORS and  
12 HI/VI experiments, we derive the release of barium  
13 from fuel of 50 percent of inventory, and what is true  
14 from containment of 10 percent.

15 MR. BOYACK: Okay. So, this was which?

16 MR. CLEMENT: From barium, because we  
17 observed important deposits above the fuel regions in  
18 experiments. PHEBUS doesn't give you the same  
19 reasons. PHEBUS gives you very low areas of barium,  
20 and we have to take into account HI/VI and VERCORS  
21 experiments, and that's why it retains high areas for  
22 barium.

23 MR. LEAVER: You have to take into account  
24 HI/VI?

25 MR. CLEMENT: Yes. HI/VI from that, yes,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from Oak Ridge.

2 MR. LEAVER: From Oak Ridge.

3 MR. BOYACK: Well, you did get about twice  
4 as much barium released in FPT-1 as you did strontium  
5 didn't you?

6 MR. CLEMENT: If you want to put it as  
7 negligible.

8 MR. BOYACK: Well, I have got some numbers  
9 and maybe they are not right. But it is a factor of  
10 two is it not?

11 MR. CLEMENT: Well, it is very small.  
12 Okay. For strontium, we get 10 percent release from  
13 fuel, and 2 percent through containment.

14 MR. BOYACK: FPT-1?

15 MR. CLEMENT: That is the general judgment  
16 from all the available data. That is our own  
17 definitions, and that is the release from fuel in the  
18 --

19 MR. BOYACK: Ont he barium, was that a 10  
20 percent release of barium from the fuel, and then a 10  
21 percent delivery, or --

22 MR. CLEMENT: Fifty percent from the fuel.

23 MR. BOYACK: Okay. So that is what it  
24 was.

25 MR. CLEMENT: And 50 from the fuel and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then 10 from the containment.

2 MR. BOYACK: Thank you. I had that wrong.

3 MR. LEAVER: What are these numbers if  
4 this is not correct for barium?

5 MR. CLEMENT: Yes, yes, but they are very  
6 small.

7 MR. LEAVER: For FPT-1, do you have those?

8 MR. CLEMENT: They are small.

9 MR. LEAVER: This is the release from  
10 containment?

11 MR. BOYACK: Tom, with what you are doing  
12 for this test, what if any of the elements in the  
13 middle of sentence, is it capitalized or not?

14 DR. POWERS: The names are non-  
15 capitalized.

16 DR. KRESS: The names are not capitalized.

17 MR. BOYACK: Okay. Thank you. Okay.  
18 David.

19 MR. LEAVER: On the barium and strontium,  
20 I am just confirming with Bernard that the FPT-1  
21 releases in the containment were of the order of a  
22 factor of 5 to 10 less than -- and we are talking  
23 about in-vessel release now, early in-vessel, and a  
24 factor of 5 to 10, and less than what we have  
25 currently in NUREG 1465, which is where we have 2

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent.

2 For FPT-1 the releases in the containment  
3 were tenths of a percent, and noting also TMI was a  
4 tenth of a percent, and the SFD-14 was about one  
5 percent.

6 And also noting that to the extent that  
7 there is a slight increase in oxygen potential, that  
8 would tend to suppress the release of barium and  
9 strontium.

10 So I would say probably we are high. Our  
11 2 percent number is probably high, but I certainly  
12 don't see any basis for changing it other than I guess  
13 we could lower it, but if we are not in the lowering  
14 business, then we would leave it the same.

15 DR. POWERS: Maybe what you wanted is --  
16 well, it seems like it might be a little high to me,  
17 but it is not very much high.

18 MR. LEAVER: Yes. If it is high, it is  
19 probably only a factor of two high.

20 DR. POWERS: Yes.

21 MR. LEAVER: So it is not a huge effect.

22 MR. CLEMENT: At that point, I believe we  
23 should note that I believe that \* different  
24 experimental results.

25 MR. LEAVER: Between barium and strontium?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CLEMENT: Yes. We have got out of  
2 five experiments, there was high release of barium,  
3 and you take away the five experiments, and there is  
4 no release of barium.

5 MR. LEAVER: Right.

6 MR. CLEMENT: And it is worthwhile to say  
7 whether we have a need to understand really why.

8 MR. LEAVER: Right.

9 MR. CLEMENT: And not to say that I choose  
10 one or the other.

11 MR. LEAVER: No, I think that's right. It  
12 has always been in my mind that barium and strontium,  
13 that there probably should have been a difference, but  
14 I don't think -- you know, we are trying to decide  
15 what to do with 1465, and so we could split them up  
16 and make them two different numbers.

17 But I think that the .02 is probably high,  
18 and so what we wouldn't want to do is leave strontium  
19 the same and raise barium. We might want to reduce  
20 strontium and leave barium the same.

21 But I am not sure. The difference is  
22 modest enough that I am not sure that it is worth the  
23 trouble of creating an extra fission product group,  
24 which is what you would be doing.

25 DR. POWERS: Well, they have not stayed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 When we get down into noble metals, all of the  
2 problems that we will run into is the different  
3 elements, because they have unique and different  
4 chemistry.

5 MR. LEAVER: Right.

6 DR. POWERS: So you are averaging over  
7 those things, and you have to bear that in mind. And  
8 the penalty that you pay in systems level codes and  
9 writing another category is a lot.

10 So you don't like to -- I mean, we went  
11 from essentially noble gases, and iodine, and  
12 particles, to this.

13 DR. KRESS: The question that I would have  
14 is at these levels does it make any difference?

15 MR. CLEMENT: The system that would \* for  
16 strontium, and also --

17 DR. POWERS: Originally it was that you  
18 would just take the average of them, and --

19 DR. KRESS: Well, you know, the release  
20 rates are -- even if you had them differentiated, they  
21 are so low that I don't think that it makes a lot of  
22 difference, in terms of consequences.

23 MR. LEAVER: I think that one perspective  
24 on this is that we are sort of trying to do -- I guess  
25 get things as right as we can get them based on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information that we have here.

2 And I think if we were to present -- if we  
3 were to present, or cut this release of strontium in  
4 half, that would have a non-trivial effect on -- well,  
5 with the strontium, I don't know what percent of the  
6 dose is, but in the stuff that we handed out, it is  
7 about 10 percent of the dose.

8 DR. KRESS: Well, the thing about  
9 strontium is that it hangs around a long time, and it  
10 can have environmental effects, and those are  
11 overlooked in things like dose.

12 MR. LEAVER: Well, maybe -- well, i would  
13 say again what I said earlier, that there certainly is  
14 some evidence that we maybe overdid it a little bit on  
15 strontium, and less than in barium.

16 But if we were to reduce the strontium, it  
17 would have some effect, and that we are trying to get  
18 it as right as we can get it, but I think that is  
19 probably worth considering.

20 We seem to be changing things, and there  
21 is no rule that says we can only change them in one  
22 direction, or at least I haven't heard it.

23 DR. POWERS: I don't know about that one  
24 either.

25 MR. LEAVER: I think it would be a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 significant thing if we were to break up the strontium  
2 and barium, but I think that if there is a difference  
3 there that we shouldn't just push them into the same  
4 number if we don't think that is the right way to do  
5 it.

6 And people who do dose calculations could  
7 handle this without any problem. You might need a  
8 little reprogramming, but it is not a big deal.

9 MR. SCHAPEROW: For the record, barium and  
10 strontium, or different groups, drafted NUREG 455 in  
11 '92.

12 DR. POWERS: I remember that, yes.

13 MR. SCHAPEROW: And the strontium was  
14 less, and they were merged on the basis of in-close.

15 DR. POWERS: I think the argument is  
16 always an ungrouping, and the argument goes that if  
17 there are uncertainties, and the values are as big as  
18 the differences, or commensurate with the differences,  
19 then that when it comes to official product release --

20 MR. SCHAPEROW: They are separate and --

21 MR. LEAVER: Okay. Let's continue on with  
22 the discussion, and first with Tom Kress on gap  
23 release.

24 DR. KRESS: The same.

25 MR. BOYACK: Okay. And then we come down

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to the next phase --

2 DR. KRESS: My fission product release  
3 model does have barium and strontium separately, and  
4 the strontium gets released less than the barium, but  
5 it is about half, and I link them together because  
6 half is well within the uncertainties.

7 So I put them together and the analysis  
8 that I get with the model tells me the same thing that  
9 Jim did, that it ought to be about 6 percent. I have  
10 to qualify that and say that the database that  
11 underlines the barium-strontium release does not  
12 really have this oxidation potential change in it,  
13 because the tests will run in such a way that you  
14 wouldn't get this kind of oxidation potential.

15 So to worry about just a tiny bit about  
16 it, and I think that the release of strontium and  
17 barium occurs later than a lot of the other materials,  
18 and it is during a time when you are reducing  
19 environment according to my model.

20 So I am going to go ahead and stick with  
21 the 6 percent.

22 MR. BOYACK: So did you say you predict  
23 the barium-strontium separately?

24 DR. KRESS: They are close enough together  
25 that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BOYACK: They are close enough  
2 together.

3 DR. POWERS: Tom, your 6 percent is  
4 released from the fuel and --

5 DR. KRESS: The 6 percent is the release  
6 of aerosol that transmits all through that, and the 6  
7 percent was the release.

8 DR. POWERS: So if we assume it was  
9 transmitted as an aerosol, would that be consistent  
10 with --

11 MR. GLESEKE: I had mine down to 3  
12 percent.

13 DR. POWERS: Well, 2 percent and 3 percent  
14 look an awful lot alike.

15 DR. KRESS: I have to admit that I  
16 overlooked that in this particular one, and 6 percent  
17 is the release from the fuel.

18 MR. GLESEKE: I had mine down to 3  
19 percent.

20 DR. KRESS: So that gets me back to David,  
21 and 3 percent is a lot like 2 percent. So you might  
22 want to adjust that. So, 3 percent is close enough to  
23 2 percent, and in fact if I separated the strontium  
24 out it would be 2 percent.

25 MR. BOYACK: Okay. And so --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GLESEKE: And I didn't put that up  
2 here either. I have it here in my calculations.

3 MR. BOYACK: Okay. So you lose your  
4 identity.

5 MR. GLESEKE: Great.

6 MR. BOYACK: But that's all we are going  
7 to go anyway. And then there was the debate about  
8 whether or not to consider to stay combined, which at  
9 the present time we will just keep them combined at  
10 the two percent?

11 DR. POWERS: That's right. My argument is  
12 that I will intend that Barium is always more volatile  
13 than Strontium, and my uncertainty is in the absolute  
14 release fraction is so high, and that the difference  
15 between the two is that they just don't seem very  
16 important at this point.

17 MR. BOYACK: Okay. All right. Let's see.  
18 We now move to the ex-vessel phase. Jim.

19 MR. GLESEKE: I don't see anything about  
20 burn up effects.

21 MR. BOYACK: Dana.

22 DR. POWERS: The release of barium and  
23 strontium excess was directly proportional to the  
24 amount of zirconium metal that comes ex-vessel. If it  
25 has impact on that, it will adjust the number. I have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 no reason to think there is an impact on that, and so  
2 I just stayed with what they have.

3 MR. BOYACK: Okay. Would you like to have  
4 that comment in there?

5 DR. POWERS: Yes, I think it is important,  
6 because they need to understand how high burn up  
7 affects the core degradation process, and how much  
8 metal you have coming out of this vessel.

9 MR. BOYACK: I can use it to capture three  
10 word phrases, but this one went on a little longer.  
11 So, if you would just --

12 DR. POWERS: Three words? Okay. Release  
13 of barium and strontium ex-vessel is proportional to  
14 the amount of zirconium metal becomes ex-vessel. If  
15 high burn up affects the amount of ex-vessel metal, it  
16 will change the release fraction in proportion.

17 DR. KRESS: High burn up fuel has been in  
18 the reactor longer and has had a chance to oxidize.

19 DR. POWERS: That's right. I mean, that  
20 is the potential for a severe accident. In the case  
21 of a design basis accident, it is legislated that thou  
22 shall not change that number very much.

23 DR. KRESS: But we are dealing in design  
24 basis.

25 DR. POWERS: Okay. And I don't know how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things are going to go, but what it all says to me is  
2 we have got to understand how high burn up fuel  
3 degrades if there is a difference. I mean, that is  
4 the test.

5 I have the fundamental doubt about the  
6 adequacy of the existing models to high burn up fuel.  
7 I think they quantitatively lack consideration of  
8 foaming potential.

9 MR. BOYACK: Okay. Very good. Bernard.

10 MR. CLEMENT: We agree with Dana that the  
11 release of barium and strontium from \* depends on the  
12 existing amount.

13 MR. BOYACK: Okay.

14 MR. CLEMENT: I have got some values from  
15 the thermal-dynamic calculations, saying that 10  
16 percent of the strontium present in the core that is  
17 directing \* , and 2 percent of volume present in the  
18 core be \*. This is to be applied to our reinspections  
19 to full volume, and we release 50 percent and 2  
20 percent of the remaining 50 percent. So, 1 percent of  
21 barium.

22 And for strontium, it is 10 percent of 90  
23 percent remaining, and so 9 percent of strontium. We  
24 have got some more thermal dynamic calculations, and  
25 this is purely a calculation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Is that not with the Wechel  
2 Code?

3 MR. CLEMENT: The Gemini Code.

4 MR. GLESEKE: And that is 10 percent of  
5 the --

6 MR. CLEMENT: Ten percent of 90 percent.

7 MR. GLESEKE: Ninety percent?

8 MR. CLEMENT: Nine-zero, not 19. So, 9  
9 percent.

10 MR. BOYACK: You will notice that the job  
11 of the court reporter is safe. Are you going to keep  
12 your day job?

13 DR. KRESS: I don't know if you have read  
14 any of her transcripts.

15 DR. POWERS: I think the logic that has  
16 been used in the French study and the logic that we  
17 used in ours are identical. We just can't get the  
18 fractions coming down, that's all. It depends  
19 strictly on what you do on the in-vessel.

20 MR. CLEMENT: Yes.

21 DR. POWERS: On the ex-vessel, we agree  
22 exactly on the physics ex-vessel, and we are all  
23 working with the same database, and technology base  
24 here. We do use different codes, radically different  
25 codes. But the way that we get to our numbers is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about the same.

2 MR. BOYACK: Okay. David.

3 MR. LEAVER: There may be an effective  
4 burn up, but my instinct is that it is not a large  
5 effect, and so I would have no basis for changing the  
6 importance of that. If anything, you would think that  
7 higher burn-up would tend to oxidize a bit more, and  
8 so there would be a little less metal coming down and  
9 it might reduce the number, but probably not a big  
10 effect.

11 DR. POWERS: Well, the one thing that you  
12 can't imagine is that high burn up increasing the  
13 amount of metal available, and it is just very  
14 difficult to see that.

15 MR. BOYACK: Right.

16 DR. POWERS: But I see the potential of  
17 cutting the amount of ex-vessel Tellurium by a factor  
18 of two. I mean, it certainly exists.

19 MR. BOYACK: Of course, you were will  
20 remember though that the high burn up in only on a  
21 portion of the core. So it is probably no a huge  
22 amount. If you predicting 50 percent zinc oxidation,  
23 and then you do it with what we call with a high burn  
24 up core, where some portion of the core is 65 or  
25 gigawatts, I would be surprised if you went from 50

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent oxidation to 75.

2 DR. POWERS: I can see that.

3 MR. BOYACK: Well, that's why we need to  
4 figure that out.

5 DR. POWERS: You need to run a test. It  
6 won't happen if our candling models are good, and if  
7 they are good for everything, then you are right. You  
8 can't get up to 75 percent.

9 I can't imagine it happening if you go to  
10 a foaming kind of scenario.

11 MR. LEAVER: That's a fundamental change,  
12 and you don't get into the degradation process.

13 DR. POWERS: That's right. That's right.  
14 And that's why you can't do this calculation. You  
15 have to do it experimentally at least once, and see if  
16 you need to qualitatively change the codes, and then  
17 you let the codes do their thing.

18 MR. LEAVER: But I think it would tend to  
19 promote oxidation as if things kind of stay up there  
20 for longer.

21 DR. POWERS: Well, that's what he does.

22 MR. LEAVER: Oh, he does, yeah.

23 DR. POWERS: Actually, what happens is the  
24 fuel stays up there all foamed up, and it forces the  
25 steam to go where there is a code in the vessel, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it keep it there so that there are long interaction  
2 times.

3 MR. BOYACK: Okay. Tom, it is your time  
4 to wrap it up.

5 DR. KRESS: I have no basis to change it.

6 MR. LEAVER: That is a nice succinct way  
7 of saying it.

8 MR. GLESEKE: That's a good way to wrap it  
9 up, Tom.

10 MR. BOYACK: So this stayed at 10 percent.  
11 Okay. Laying in vessel. Jim.

12 MR. GLESEKE: Zero.

13 MR. BOYACK: Okay. What is the phase that  
14 I use here then?

15 DR. POWERS: Applicable.

16 MR. BOYACK: I need to use a little more  
17 wording.

18 DR. POWERS: You guys at Los Alamos never  
19 get to the point.

20 MR. BOYACK: Okay. Dana.

21 DR. POWERS: I can't see anything that  
22 raises the volatility of barium and strontium in this  
23 system. I see lots of potential for lowering it. It  
24 is kind of hard to drop it down below zero.

25 MR. GLESEKE: My logic exactly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: Sigma.

2 MR. CLEMENT: I mean, there are \* on all  
3 the different \* processes. As you have seen then, we  
4 consider elements such as barium and strontium, we see  
5 from the experiments that there is rather high  
6 deposits above the fuel zone.

7 So we have material available for  
8 resuspension, and \* many any late emission. So in  
9 that case \* . But maybe, for instance, some steam  
10 surge, if we adjust the water on the core and things  
11 like that, and we think they should be investigated.

12 MR. LEAVER: Well, a quench test is one of  
13 the things --

14 MR. CLEMENT: Yes, because you release a  
15 rather fraction from the fuel, and you deposit a  
16 fraction in the \* structure of the vessel \*

17 DR. POWERS: And you get high pressure  
18 steam.

19 MR. CLEMENT: And in the containment, you  
20 may have mechanisms in terms of quenching that \* .

21 DR. POWERS: Either a high pressure steam  
22 or a high pressure hydrogen. Either one of them --

23 MR. CLEMENT: Yes.

24 DR. POWERS: -- will drive vaporization.  
25 If you have a mechanism for getting that, you can get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it and I think it is something to pay attention to  
2 when you go experiments.

3 MR. BOYACK: Yes.

4 MR. CLEMENT: So we think we need to --

5 MR. BOYACK: Okay. So I have entered your  
6 information about testing. David.

7 MR. LEAVER: I would have no change to the  
8 NUREG 1465 number.

9 MR. BOYACK: Thank you.

10 DR. KRESS: I certainly agree with the  
11 French position that these things are stuck on those  
12 aerosols, and I know that is chemistry is going to  
13 react on the surfaces, and so they could be  
14 resuspended if you have ways to do it, and they could  
15 be revolatilized if you have got hydrogen or steam  
16 going hot enough.

17 At the moment I have no basis for  
18 evaluating any of that. So I have no basis for  
19 changing the number, although I think those need to be  
20 investigated.

21 DR. POWERS: Hydrogen suppresses the  
22 volatility.

23 DR. KRESS: Air ingression --

24 DR. POWERS: Hydrogen or steam could jack  
25 it up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Yes.

2 DR. POWERS: But what most likely happen  
3 is that it will just react further and bury itself  
4 down in the air and oxide as barium and strontium flow  
5 rate. All that work to leave the number alone. No  
6 fun at all.

7 (Discussion off the record.)

8 MR. BOYACK: Okay. All right. Dana, are  
9 you ready to go?

10 DR. POWERS: Okay. We are going to take  
11 it as applicable here, and it is not zero, but it is  
12 so small that at this stage of resolution you might as  
13 well just call it zero.

14 MR. BOYACK: Dana, do you want to continue  
15 on?

16 DR. POWERS: Sure. And in here we come to  
17 the trouble with grouping. Within this category we  
18 have ruthenium, molybdenum, and palladium.

19 DR. KRESS: And technetium.

20 DR. POWERS: And technetium. And  
21 technetium by everything that I have been able to do  
22 is a relatively non-volatile material. And because  
23 our oxygen potential is in the fuel is going higher is  
24 a relatively volatile material.

25 And you will see from the PHEBUS results

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that you get movement of ruthenium even though they  
2 are not particularly strong in oxidizing environments.

3 So you have got to kind of mentally  
4 integrate all those findings together for this  
5 category. Based on doing that, and recognizing that  
6 in the piping system that you have fundamentally  
7 different processes, and you have molybdenum moving  
8 along as the trioxide or the cesium molybdate.

9 And ruthenium coming out as an oxide  
10 vapor, and then getting reduced down to a metallic  
11 particle. So it is an aerosol physics. You have got  
12 some substantial integration of the two.

13 But I would say that the preponderance of  
14 information coming out now suggests that the value  
15 that we have is too small in this category. That when  
16 we are talking about a quarter of a percent here.

17 And based on that, I propose to raise that  
18 up to about one percent.

19 MR. BOYACK: Okay. If you are ready to  
20 go, I am going to take you right through them.

21 DR. POWERS: Okay. The one element that  
22 we do an atrocious job in the Vanessa modeling to  
23 monitor the release is ruthenium, and universally  
24 under-predicted. I think we would do better for  
25 molybdenum and the palladium metals and what not.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But when we have looked particularly at  
2 the results from Argon on the experiments, we just  
3 underpredict there. Ruthenium releases by about 3  
4 orders of magnitude and what not.

5           I think the people and the panel that we  
6 are doing this evaluation are aware of that under-  
7 prediction, and so I suspect that the number actually  
8 reflects that. So I am not going to change it at this  
9 point.

10           We are going to learn from the experiments  
11 and other sorts that we actually get release and  
12 movement of the use of materials when they are  
13 deposited on the primary piping system, but they are  
14 susceptible to volatilization in the oxidizing  
15 environment that exists in the laid in vessel.

16           And so I am going to propose that we have  
17 about a four percent revaporization of these  
18 materials.

19           DR. KRESS: Four percent of what was on  
20 there?

21           DR. POWERS: Yes.

22           DR. KRESS: Which was one percent?

23           DR. POWERS: No, no. It is more like 10  
24 percent of releases, and I only got about 2 percent  
25 through, and so I have about 8 percent of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inventory. So I am going to get half of that off.

2 MR. BOYACK: I am not sure that I got  
3 enough of that.

4 DR. POWERS: I think you got enough.

5 MR. BOYACK: Okay.

6 MR. LEAVER: Just a second. I was going  
7 to clarify. You are saying that the retention of this  
8 group in the RCS is of the order of 80 percent,  
9 aerosol deposition?

10 DR. POWERS: It is a combination of vapor  
11 and aerosol, both.

12 MR. LEAVER: Some vapor condensation?

13 DR. POWERS: Yes. The palladium is moving  
14 around as the trioxide and as a cesium update. The  
15 ruthenium probably moves around -- it comes off as one  
16 oxide, dioxide, trioxide, and even the cesium  
17 luthinate.

18 And as soon as it gets the opportunity and  
19 converts into a metallic particle and deposits as an  
20 aerosol at that point, and it is reasonably efficient.

21 I mean, I suspect that Bernard is going to  
22 show you some stuff about it from around the top of  
23 the bundle and things like that. And so I think that  
24 there is a lot of deposition that goes on here.

25 MR. BOYACK: Okay. And do your numbers

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 add up? To get a one percent release to containment,  
2 you would need if you had a 10 percent release of the  
3 fuel, you would need 90 percent retention.

4 And if you had a 5 percent release of the  
5 fuel, it would be -- well, somehow you want to end up  
6 with one percent.

7 DR. POWERS: If I said one percent, I  
8 should have said two percent.

9 MR. BOYACK: Would that change any of the  
10 figures or just the comment?

11 DR. POWERS: Well, I should have said 2  
12 percent and these fractions should be raised to 2  
13 percent.

14 MR. BOYACK: Okay. Thank you. Okay.  
15 Bernard.

16 MR. CLEMENT: Okay. The first one, the \*.

17 MR. BOYACK: Okay.

18 MR. CLEMENT: The second one is that we  
19 have a problem of grouping. There is a problem of  
20 grouping here. \* probably find this very volatile.

21 MR. BOYACK: And those figures were for  
22 what, molybdenum?

23 MR. CLEMENT: So the figures we got from  
24 experimental -- is for molybdenum, and 90 percent  
25 release from \* and 70 percent from containment, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the same for --

2 MR. LEAVER: And the FPT-1?

3 MR. CLEMENT: It is mainly \* . And the  
4 same for technetium. For rhodium, 10 percent from \*  
5 and 2 percent to containment.

6 MR. BOYACK: That's your severe accident?

7 MR. CLEMENT: Yes. Rhodium seems to be  
8 more released than the ruthenium.

9 MR. BOYACK: What was that last --

10 MR. CLEMENT: Rhodium. And 30 percent  
11 from fuel, and a total of 6 percent to containment.

12 DR. POWERS: It does not get industrial  
13 use as much as some of the others.

14 MR. CLEMENT: I think --

15 DR. POWERS: It is break time.

16 MR. BOYACK: Okay. So you are again  
17 showing these problems -- which is then referred to as  
18 trying to deal with -- but having a significant  
19 difference.

20 MR. CLEMENT: Yes, there are significant  
21 differentials in \* and also in the consequences for  
22 each agreement.

23 DR. POWERS: The technetium not the  
24 biggest problem.

25 MR. CLEMENT: No, the technetium is not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the problem.

2 DR. POWERS: It is pretty high. But  
3 palladium isn't very much of a problem.

4 MR. LEAVER: Not too much.

5 DR. POWERS: But ruthenium is a pole  
6 buster.

7 MR. LEAVER: Yes.

8 MR. BOYACK: Okay. For the ex-vessel.

9 MR. CLEMENT: Looking for the ex-vessel  
10 for what we consider exists or that \* . Except that  
11 our calculations indicate that we will be negligible,  
12 and so for the time being there is on reason to change  
13 your values.

14 MR. BOYACK: Okay. And finally the ex-  
15 vessel.

16 MR. CLEMENT: Okay. There is again this  
17 same problem with the reauthorization, suspension, and  
18 so on. As I stated for the previous group, and I have  
19 stated here, we have a lack of data and a need for  
20 experiments. Just because \*

21 DR. POWERS: Yes, that is absolutely  
22 correct. What you are saying is that with  
23 experimental we know that we can get it off, and we  
24 know that we could get it on, and it would be nice to  
25 know whether it comes back off again.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BOYACK: So you know that it is  
2 created and deposited. Not created, but --

3 DR. POWERS: Released.

4 MR. BOYACK: Released. I think after we  
5 get through with this, we will take a break. David.

6 MR. LEAVER: I really think that this is  
7 a case where the right thing to do is to split this  
8 group up, because I think the numbers are  
9 substantially different for molybdenum and technetium  
10 and for ruthenium. Those being -- well, I don't know  
11 how important rhodium is.

12 DR. POWERS: It is about seven --

13 MR. LEAVER: Do you have data for rhodium?

14 MR. CLEMENT: No.

15 MR. LEAVER: I didn't think so. The FPT-1  
16 really does show a significant higher release fraction  
17 for -- and release to containment for technetium and  
18 moly. So I think it is difficult to -- I think you  
19 can justify using the 1465 number for earlier vessels.

20 MR. BOYACK: Okay. You are in a different  
21 category than I am.

22 MR. LEAVER: I have no change on the gap.  
23 Sorry. Ruthenium, I guess I don't see a basis for  
24 changing the ruthenium number. If you look at FPT-1,  
25 it was .005, and the 1465 number is half of that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So, I guess the factor of two is within  
2           our uncertainty. I suppose that you could double it.  
3           But I think I would say that the ruthenium number is  
4           pretty close.

5           MR. CLEMENT:       For which that is  
6           containment.

7           MR. LEAVER:       And that is .005. I note  
8           that again for what it is worth, I tend to -- I'm  
9           sorry, go ahead.

10          MR. CLEMENT:       Okay. We have a high value  
11          for containment because you consider it a hot leg  
12          breaks, and the --

13          MR. LEAVER:       Well, the hot leg breaks are  
14          part of it, but certainly we need to balance that with  
15          as we said before different grid locations and sizing.  
16          So I think for ruthenium that I wouldn't have a  
17          complete basis for changing what is in 1465.

18          But I would suggest that we recognize moly  
19          and technetium, and I don't have any data for rhodium,  
20          and so I am not sure where it fits, as being  
21          different, and as being more volatile. And I think a  
22          number like maybe 5 percent for those, and create a  
23          new group.

24          MR. CLEMENT:       That means that it is not  
25          worthwhile because \* .

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEAVER: Well, I don't know. You  
2 don't have any data on rhodium, and so I am not sure  
3 what --

4 MR. CLEMENT: \* .

5 MR. LEAVER: And I don't know how  
6 important rhodium is radiologically. I just don't  
7 have that information with me.

8 DR. POWERS: My recollection is that it is  
9 not wildly different from ruthenium.

10 MR. LEAVER: I suspect that if it was a  
11 substantial release fraction, you probably would have  
12 --

13 MR. CLEMENT: But I think that what is  
14 most important and maybe a radiological \* rhodium is  
15 -- ruthenium. That means in fact what are the  
16 radiological consequences in times of release of \* is  
17 important.

18 MR. BOYACK: You could keep rhodium with  
19 you.

20 MR. CLEMENT: Yes.

21 MR. LEAVER: And also I am just going to  
22 add that once could certainly debate what the right  
23 release faction and containment is for technetium and  
24 moly. I would be tempered somewhat in this judgment  
25 again by the TMI accident, and just sort of bear that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in mind.

2 And that is perhaps why I sort of arrived  
3 at a number like 5 percent. It is kind of an in  
4 between kind of number. It is not quite as high as  
5 was observed with PHEBUS, but it is a lot higher than  
6 what is in NUREG 1465 today.

7 MR. BOYACK: So your 5 percent -- is 2  
8 percent?

9 MR. LEAVER: right.

10 MR. BOYACK: And that's because it was  
11 splitting?

12 MR. LEAVER: Right.

13 DR. POWERS: I have integrated them  
14 together and he wants them split.

15 DR. POWERS: Okay.

16 MR. BOYACK: Okay.

17 MR. LEAVER: Again, just recognizing that  
18 there seems to be something fundamentally different  
19 going on, which I think we understand perhaps a little  
20 bit, because the release fractions are greatly  
21 different.

22 MR. BOYACK: Okay. Let's see. The ex-  
23 vessel. I am not sure about that. I guess I am not  
24 sure why would we not see the same effects going on  
25 ex-vessel for technetium and moly as we saw in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 core.

2 DR. POWERS: Keep them because we have got  
3 a huge amount of steel that keeps them in a metallic  
4 state.

5 MR. LEAVER: In the ex-vessel?

6 DR. POWERS: Yes. And when we tend to  
7 have a model, we calculated it and it was truly  
8 negligible. What we left out of the database didn't  
9 include cesium ruthenate, and cesium -- or the  
10 corresponding sodium and potassium.

11 So when -- they did the experiments up in  
12 Argon, where they delivered -- they put these into the  
13 charge that we never did and --

14 MR. LEAVER: That's because you were in  
15 New Mexico.

16 DR. POWERS: Yes, and they actually got  
17 some release. They got releases up around -- well,  
18 maybe around the one percent level, and maybe a little  
19 less than that. And then we just don't calculate with  
20 the codes, because we have got it all down on the  
21 metal and keep it producing and release into the  
22 environment.

23 And the ruthenates and -- have just  
24 enough vapor pressure to give you enough release  
25 protection, and I think the number on the table

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually reflects that, because if you had just gone  
2 on calculations, it would have been a release fraction  
3 of 10 to the minus 6 or something.

4 MR. LEAVER: Well, I would say that is a  
5 little more detailed explanation than what you said  
6 when you dictated yours, and so I would say let's  
7 leave the number the same. I have no basis for  
8 changing it in light of that comment.

9 MR. BOYACK: Okay. In-vessel.

10 MR. LEAVER: No change.

11 MR. BOYACK: Okay. Tom.

12 DR. KRESS: Well, I guess I have to add  
13 comments or dissenting opinions on this one. This is  
14 a place where I think we have assented out of the  
15 sublime in to the ridiculous, and we need a paradigm  
16 shift.

17 The ability to predict things at this  
18 level is just not there. You can't do it, and to put  
19 the differentiation between noble metals, and cerium,  
20 and lanthanides, and to try and differentiate between  
21 all those things is just not a thing to do for design  
22 basis accidents.

23 And those numbers up there that are  
24 already there have no basis in fact. They are just  
25 put up there --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: Are you talking about noble  
2 metals?

3 DR. KRESS: Yes, all of them. Noble  
4 metals, cerium, and lanthanides. What I think happens  
5 is that you get some -- and especially with high burn  
6 up fuel, you get the potential for some decrepitation  
7 of the fuel itself because of the grain structure.

8 And even in ex-vessel core concrete  
9 interactions, you get bubbles splattering off the  
10 fuel, and you get the fuel itself transmitting. So  
11 there is a minimum level of release that just goes  
12 with the fuel itself. This doesn't have anything to  
13 do with vaporization or chemistry, or anything.

14 And what you do is you just put a ground  
15 floor on the release of those things, and I would put  
16 it at about one percent to two percent levels, which  
17 is what I think those numbers come from in the first  
18 place, both ex-vessel and in-vessel.

19 And I would lump all of them, but I didn't  
20 bother putting them in my model because of this. The  
21 noble metals and cerium, and the lanthanides, and so  
22 I think the release mechanisms are just different for  
23 those, and they have to do with the way that fuel gets  
24 kicked off of its -- the grains get kicked off the  
25 fuel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And I would just stick them all the same,  
2 both ex-vessel and in-vessel, and I would make them  
3 all about 2 percent or something.

4           MR. BOYACK: Okay. So on the gap --

5           DR. KRESS: Nothing on the gap. There is  
6 nothing there. I am talking about the early in-vessel  
7 and the ex-vessel.

8           MR. BOYACK: So, the --

9           DR. KRESS: I would leave them all about  
10 .002, and I get rid of that damn five, and do it on  
11 both ex-vessel and in-vessel, and all the noble  
12 metals, I would group them all together, and I would  
13 also group the cerium and the lanthanides, in with  
14 that.

15          MR. BOYACK: And do you see the need for  
16 testing?

17          DR. KRESS: Well, always. I have never  
18 argued against more testing.

19          MR. BOYACK: I guess it is hard to argue  
20 against testing. So you would see then another  
21 release from down here at 0.2 percent time; is that  
22 what you told me?

23          DR. KRESS: Yes, something like that.

24          MR. GLESEKE: Two percent wasn't it?

25          DR. KRESS: No, no, .2.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BOYACK: Let's see. And where did you  
2 get the .2?

3 DR. KRESS: It was just pulled out of the  
4 hat, out of the air.

5 MR. BOYACK: No, what is that for?

6 DR. KRESS: For all of it. Just for ex-  
7 vessel and in-vessel.

8 MR. BOYACK: For each one?

9 DR. KRESS: For each one, and I think if  
10 I look at the amount of uranium that gets transmitted  
11 in in-pile tests, and in the tests that we do with the  
12 annealing fuel, it would be about -- it would give you  
13 about that level of release just from the fuel itself.  
14 There is no vaporization, and nothing. Just fuel  
15 particles.

16 MR. LEAVER: But that's almost like  
17 staying in the fuel. I mean, the stuff just falls  
18 down.

19 DR. KRESS: No, no.

20 MR. LEAVER: Well, where does it go?

21 DR. KRESS: It is grains, and these grains  
22 are very small, almost like an aerosol with  
23 a --

24 MR. LEAVER: When you say very small, you  
25 are talking what?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Microns. Aerosols.

2 MR. LEAVER: How many -- well, aerosol-  
3 sized?

4 DR. KRESS: Yes, 4 or 5, to 10.

5 MR. LEAVER: Well, with 10s, you are  
6 getting big.

7 DR. KRESS: Well, I mean, it is aerosol  
8 size. But you can deal with that later. So you just  
9 lump it in with the aerosol. And what happens with  
10 the core concrete, is that your bubbles of CO2 comes  
11 up and breaks at the surface and just kicks fuel up.

12 And here is some fraction of those that  
13 are real small particles compared to the aerosols, and  
14 it is about the same level. I have no basis for  
15 predicting how many, and so I just put a floor on it,  
16 and say it is about that many.

17 DR. POWERS: Right.

18 MR. BOYACK: Laid in-vessel. Did I miss  
19 something, or was that --

20 DR. KRESS: Laid in vessel and it is such  
21 a small amount that it is nothing even worrying about,  
22 and I just would give it at zero. But I think it jus  
23 travels like an aerosol, and half of it gets re-  
24 released.

25 MR. BOYACK: All right. Okay. Jim, it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your cast.

2 MR. LEAVER: Can I ask Tom a question?

3 MR. BOYACK: Okay. Go ahead.

4 MR. LEAVER: How do we account -- you are  
5 looking at low percent release data from certain  
6 experiments, and Tom is saying that mechanical release  
7 is an aerosol from the fuel at a low percentage,  
8 fractional percentages. And the French data show 90  
9 percent molybdenum in the fuel.

10 DR. KRESS: That has to be a vaporization  
11 process.

12 MR. GLESEKE: That's right. That's right,  
13 but where does the two glide between .2 and 90, and  
14 when we are looking at the data here --

15 DR. POWERS: The French are right.

16 MR. GLESEKE: What?

17 DR. POWERS: The French are right. I  
18 agree with Tom. When you get down into the cerium and  
19 lanthanides, I am sympathetic to the point where you  
20 -- well, we can measure, and we are measuring, and we  
21 are seeing differences from what we presumed with our  
22 models.

23 And here is a pox on your houses, and make  
24 it a constant level, and I don't think that is a bad  
25 view for the cerium and lanthanides. But I think the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 noble metals we can do things with, and it is  
2 measurable, and it looks like it is actually important  
3 in discussing things like cesium, which are very  
4 important.

5 MR. CLEMENT: Even for the cerium, if we  
6 look at measurements, for instance, of neptunium and  
7 plutonium, you can see that there is a lot of  
8 difference between the reasons that neptunium is much  
9 volatile than plutonium, and this is actually  
10 measured.

11 So, for instance, you look at neptunium,  
12 and plutonium, and uranium. Neptunium is more  
13 volatile than uranium, and uranium is more volatile  
14 than plutonium, which means that not only they can be  
15 made from small grains \*, and other mechanisms.

16 DR. KRESS: I would just trying to add on  
17 the others, because the releases are low. Int he case  
18 of moly, I may have to retract what I said. I don't  
19 like to go in the face of experimental --

20 DR. POWERS: And what we need to do is pay  
21 attention to the noble metals and not -- well, is  
22 because of the -- and you really want to know where  
23 that ruthenium is, because ruthenium is a  
24 bad --

25 DR. KRESS: And none of my data deals with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 air intrusion that I have.

2 DR. POWERS: And what we never suspected,  
3 and I think that it is becoming more and more obvious,  
4 and I think it gets worse and worse as you go to high  
5 burn out, is that the ruthenium and moly would move  
6 around the way we see them.

7 And I think it is simply because as you  
8 burn you are driving that and you are losing the  
9 ability to buffer the oxygen potential around and  
10 striking that uranium.

11 And you start getting more oxidizing, and  
12 these things start moving around, and it gets worse  
13 and worse on you. And you get this, and there is a  
14 lot of evidence in getting cesium updates so that you  
15 are pulling the moly, as well as pushing it.

16 And then you say, okay, now what happens  
17 if I put this stuff on the primary piping system, and  
18 let air into this vessel, and watch them moving  
19 around. If it was just moly, I would say, so, but  
20 when I look at ruthenium toxicology, and ask guys to  
21 do consequences to tell me how that relates to things  
22 that I am more familiar with, they come back with a  
23 scary moment data.

24 MR. BOYACK: Did you get your question  
25 asked?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GLESEKE: Yes. Okay. Starting with  
2 Tom, I will go along with the consensus there.

3 MR. BOYACK: Okay. Are you going to bring  
4 clarify to vessels?

5 MR. GLESEKE: I'm afraid not. What I see  
6 is a wide range of experimental results, and a lot of  
7 unknowns in terms of chemistry and phenomena; from  
8 aerosols, where there will be a residual aerosol, and  
9 all the way down through these last groups.

10 And I can see Tom's point there, but it  
11 looks to me like there is a lot of vaporization, and  
12 because of the wide diversity in the experimental  
13 numbers, I can't see breaking this into pieces.

14 And there is so much uncertainty in the  
15 numbers that to divide them into separate groups, I  
16 think you are kidding yourself no more than you do.  
17 So, I would be included to lump them, at least at this  
18 point in time until there is more data available, and  
19 that we are dealing with a firm basis for splitting  
20 them.

21 And I would go with some mid-range  
22 percentages similar to Dana and Dave's numbers on  
23 those, maybe 2 to 5 percent early in-vessel.

24 MR. BOYACK: Okay.

25 MR. GLESEKE: And small ex-vessel fraction

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of a percent here. Maybe a quarter of a percent. And  
2 with a laid in-vessel, a few percent again.

3 DR. POWERS: Four is a good one, right?

4 MR. GLESEKE: Four is a good number. You  
5 can define four as a few.

6 MR. BOYACK: Can somebody tell me how to  
7 make something out of this mess?

8 DR. POWERS: Just take Jim's numbers.

9 MR. BOYACK: Okay. What we had talked  
10 about was whether to see there was a -- and we talked  
11 about majority, and the minority numbers, and there  
12 was at most one or two people. And so what about  
13 this? Let's see, we have got 2 percent.

14 MR. LEAVER: Can we have a little  
15 discussion on this before we try --

16 MR. BOYACK: Sure.

17 MR. LEAVER: Let me just throw this out in  
18 light of Jim's and Tom's comments on this. The PHEBIS  
19 FPT-1, which seems to be something that people feel is  
20 important, the results that we get, and it is new,  
21 since 1465, and it is probably the best fission  
22 product measurement experiment that we have done.

23 So we are paying attention to it. I will  
24 have some other comments about that later. But there  
25 is a factor of 500 difference in their release to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       containment for ruthenium versus these apparently more  
2       volatile noble metals.

3               I just don't see how -- what bothers me a  
4       little bit here is -- and maybe a lot, is the notion  
5       that you are see from moly and technetium higher  
6       numbers. So why not just raise the whole group.

7               But the problem with that is that if you  
8       make ruthenium 4 percent or 2 percent, that really is  
9       higher than what the data suggests, unless you have  
10      some other reason for thinking that.

11              And how you will have a pretty significant  
12      impact on dose, and not that that is not a reason to  
13      do it, but I think we need to be sure that we know  
14      what we are doing if we are going to do that, and I  
15      just don't think that is --

16              MR. CLEMENT: Well, if it is a question of  
17      the volatility of moly, the \* other -- out of other  
18      experiments is the first point; and the second point  
19      is that it is quite logical --

20              MR. LEAVER: Right. It is logical. You  
21      raise the outside potential that --

22              MR. CLEMENT: And higher volatility, and  
23      I think it is clear that it is much more volatile.

24              MR. LEAVER: Especially with a little bit  
25      higher oxygen potential.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CLEMENT: Yes, of course.

2 MR. LEAVER: So there is a reason for  
3 that.

4 MR. CLEMENT: And the radiological  
5 consequences of moly and oxygen is not at all the same  
6 as for --

7 MR. LEAVER: And you need even higher  
8 oxygen potential to see the same effect --

9 MR. CLEMENT: It is a fact that  
10 radiological consequences are not all the same. There  
11 is other reasons for separating molybdenum from  
12 ruthenium, and the radiological consequences we don't  
13 care so much about moly. But for ruthenium, we care  
14 very much.

15 MR. LEAVER: Right.

16 MR. GLESEKE: They do have 2 percent of  
17 the containment on ruthenium

18 MR. LEAVER: Let's see. Half-a-percent is  
19 what I had.

20 MR. CLEMENT: What we give as a number I  
21 am just entering as a containment. It is not the  
22 number from one single experiment. It is a number  
23 derived from the FPT-1 experiment and other  
24 experiments, and our own experiments -- and this is  
25 just one piece of the feather.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GLESEKE: Oh, okay.

2 MR. LEAVER: I was just talking about the  
3 H1/V1 number. The number that I think Bernard was  
4 talking about was kind of a regulatory conglomeration.

5 MR. GLESEKE: There were more experiments  
6 than one.

7 MR. LEAVER: Yes.

8 MR. GLESEKE: Well, yes, but FPT-1 to me  
9 is probably more meaningful numbers for our purposes.  
10 Yes, it is .005, and I am not sure whether that is a  
11 basis for changing a .0025 number. It is within a  
12 factor of two, and so how significant is that relative  
13 to our uncertainty.

14 That is how I arrived at keeping it the  
15 same, but I think the factor of 500 really to me is --  
16 and in effect as Bernard points out, there is some  
17 physical basis, chemical basis, for why we think the  
18 moly is going to be more volatile.

19 And breaking them up does give you a more  
20 adequate picture, and in this case it is probably  
21 worth a significant enough effect that it is worth  
22 doing.

23 MR. BOYACK: Maybe the first question that  
24 we have to deal with is literally this question of  
25 breaking up the groups, and I am not exactly sure how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one resolves this, except to look at the users. My  
2 users are the NRC, and Charlie, any comment?

3 MR. TINKLER: Yes. There is a way to  
4 compromise on this, and that would be to reflect the  
5 much higher volatility of some of the noble or what we  
6 once called, and still may be called, transition  
7 metals.

8 And then retain the other radionuclides  
9 that we have separated into separate groups, and then  
10 we combine those. I mean, we could reflect a  
11 different release fraction for lanthanides, and then  
12 combine lanthanide and plutonium, and all the cerium  
13 and lanthanites, into one group.

14 I know that is another option. If we  
15 think that ruthenium has a higher volatility as is  
16 reflected in the vaporization phenomena, and you  
17 separate that out, and then we combine all the others  
18 because we think they are perhaps at least to a large  
19 degree mechanically -- due to decrepitation and other  
20 factors.

21 And as far as the NRC is concerned, we  
22 don't have a view that thou shalt retain these  
23 particular groups, and historically the original 1465  
24 panel struggled over this question a little bit on  
25 ruthenium versus Lanthanidium.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The large difference in radiological  
2 effects is clearly one of the reasons why you might  
3 want to make a distinction between .2 percent and 5,  
4 or 10 percent, or whatever you decide, for  
5 anthranithium. I mean, there is a large difference  
6 there.

7           MR. CLEMENT: I agree with you for a  
8 separation of them and other groupings, but maybe we  
9 have some \* . For instance, if you look at the  
10 VERCORS --

11           MR. LEAVER: Can we take a short break?

12           MR. BOYACK: In just one minute.

13           MR. CLEMENT: Okay. If we look at the  
14 results from the tests, for instance, on neptunium,  
15 and uranium, and plutonium. We have got here 6  
16 percent neptunium, and 2 percent uranium, and .2  
17 percent plutonium. So, exactly one decay between  
18 these three elements. So we are against them because  
19 they are a grouping.

20           MR. TINKLER: Yes, I understand, but in  
21 this case, I would attach a little more significance  
22 to some of the integral data when we are talking about  
23 releases to containment, and for the less volatile  
24 stuff, if it migrates a little bit to the upper part  
25 of the bundle, well, that is important.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And it reveals a difference, but as far as  
2 my release -- to defining my release to containment,  
3 I guess I am not sure that I can reflect that level of  
4 discernment in the table

5           MR. BOYACK: Please come to the mike.

6           MS. MITCHELL: Jocelyn Mitchell. I wanted  
7 to speak from the point of view of off-site  
8 consequence calculations. We are preparing to be able  
9 to put into the off-site consequences uncertainty  
10 distributions, and if you see that different chemical  
11 elements have a more uncertainty, or others have less  
12 uncertainty, you might want to divide them.

13           Maybe they are the 50th percentile, or  
14 their mean value might be the same. But if they are  
15 big uncertainty differences, you might want to have  
16 the ability to keep them separate so that when you get  
17 to the off-site consequences that you can put in  
18 different uncertainty distributions on them.

19           MR. BOYACK: I have had multiple requests  
20 for a break now. Let's take 10 minutes and come back  
21 at 11:00 and try to work through these.

22           (Whereupon, at 10:50 a.m., the panel  
23 meeting was recessed, and resumed at 11:04 a.m.)

24           MR. BOYACK: Let's consider a little bit  
25 about where we are and where we need to go before the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 end of the morning. We have in my view maybe until  
2 12:30, and then a very short lunch -- a quick run down  
3 and a quick run back, and then to go ahead and cover  
4 two more areas.

5 DR. KRESS: Bring our lunch back with us?

6 MR. BOYACK: We could do that, sure.

7 (Discussion off the record.)

8 MR. BOYACK: All right. Given all of  
9 that, we have had some major issues that have come up  
10 since we dealt with this noble metals group, and it  
11 seems clear to me that we are not going to be able to  
12 deal with them in the course of this meeting, and then  
13 also cover the rest of the items.

14 These primarily have to do with whether or  
15 not to separate and reform the groups. And then even  
16 within that, there may be some differences in the  
17 values.

18 Now, I guess if we reform the groups that  
19 maybe some of those differences would narrow, but I  
20 don't think we can do that within this time frame that  
21 we have.

22 What I would suggest is that we go on to  
23 the next two, and that is that we don't firm the  
24 values up right now. What we do is go on and have the  
25 dialogue about the next two groups, and record that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information.

2 And then between now and the next meeting,  
3 try to figure out what to do with it. So that is my  
4 position. Let's see. Bernard, did you end up with  
5 the overhead that had our groups?

6 MR. CLEMENT: Sorry, no.

7 MR. BOYACK: IT is the one that we were  
8 marking up with the changes in values.

9 MR. LEAVER: Yes, you do.

10 DR. POWERS: There you go. The third  
11 group.

12 MR. CLEMENT: Oh, sorry.

13 MR. BOYACK: Maybe I ought to check and  
14 see if you have --

15 DR. KRESS: Maybe he fixed the values up.

16 DR. POWERS: He corrected them. He  
17 corrected them. He got them right.

18 MR. BOYACK: David, you started to make a  
19 comment before? Were you just going to make a comment  
20 or just put up the slide?

21 MR. LEAVER: I was just going to put the  
22 slide up.

23 MR. BOYACK: Okay. Is there any  
24 disagreement or other perspectives on continuing? So  
25 what we have to do is -- well, just so there is no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question about that value.

2 So when you get your copies, which you  
3 will be provided, and I think before you leave today,  
4 you will be able to get those to you. All right. So  
5 that moves us on to the cerium group.

6 (Discussion off the record.)

7 MR. BOYACK: So now we are moving to the  
8 cerium group. So with that in mind, I wonder,  
9 Bernard, if you would be willing to provide your  
10 knowledge on the cerium group.

11 MR. CLEMENT: Okay. So we start with  
12 neptunium, and first of all, there is no reason for  
13 changing that.

14 MR. BOYACK: Thank you. There we go.

15 MR. CLEMENT: Then neptunium for our  
16 measurements, and mainly from VERCORS and also from  
17 PHEBIS. We derived the value of 10 percent release  
18 from cerium, and 2 percent from \*.

19 Okay. For plutonium, it is one percent  
20 from \* and 2 percent to the containments. For cerium  
21 --

22 MR. BOYACK: And what is cerium?

23 MR. CLEMENT: Cerium? CE.

24 MR. BOYACK: Thank you.

25 MR. CLEMENT: We did not have direct

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 measurements, but \* rather than with other cerium, and  
2 I will speak later on on lanthanum, but from this  
3 analogy, we come out with a figure of 10 percent from  
4 fuel, and 2 percent from containment.

5 MR. BOYACK: That was plutonium?

6 MR. CLEMENT: That was cerium. It is the  
7 measurement of lanthanum in VERCORS, and an analogy  
8 between lanthanum and cerium.

9 MR. BOYACK: Anything else?

10 MR. CLEMENT: No.

11 MR. BOYACK: Okay. Then as we go along to  
12 the ex-vessel.

13 MR. CLEMENT: Okay. We don't -- well, no.  
14 We don't think we will have a significant release from  
15 an MCCI.

16 MR. BOYACK: Okay. And the late in-  
17 vessel.

18 MR. CLEMENT: The late in-vessel is the  
19 same remark as for various groups. As far as we have  
20 important deposits, and species whose volatilities can  
21 change, depending on the oxidation degree and so on.  
22 And we need more experiment on that to reduce the \* on  
23 these processes.

24 MR. BOYACK: Okay. Thank you. I am  
25 assuming that everybody has read NUREG 1465 values?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: I think everyone has.

2 MR. BOYACK: Okay.

3 DR. POWERS: You had better check that  
4 with the guys from LSU. They seem to do better on  
5 these things. Okay, Dana.

6 MR. CLEMENT: I looked at \* that maybe in  
7 high burn up fuels and so I am going to \* of these  
8 groups.

9 MR. BOYACK: Okay. So basically --

10 MR. CLEMENT: That is not easy to quantify  
11 now, but we know that the morphology of the fuel has  
12 high burn up will not be the same, okay? So the  
13 access from oxygen from the steam to the fuel, or from  
14 the fuel to the steam, may really change, and we know  
15 that the volatility of species, depending upon their  
16 oxidation state -- for instance, the volatility of  
17 species for plutonium is plutonium dioxide, and so it  
18 has to go to dioxide and monoxide.

19 For uranium, it is thee oxides, and so it  
20 is dioxide and trioxide. And then we need to have  
21 more on the effect of morphology of the high burn up  
22 fuel on the release of these species.

23 MR. BOYACK: Okay. Thank you. All right.  
24 David.

25 MR. LEAVER: Well, the PHEBUS -- the FPT-1

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 release of plutonium was somewhat less than 1465, the  
2 1465 number for VERCORS for the cerium group, and the  
3 neptunium was somewhat higher.

4 So I guess I think -- I have -- these  
5 numbers are all so small that I just don't really know  
6 -- I don't feel too comfortable throwing numbers  
7 around because they are all so small.

8 But I think qualitatively that the  
9 neptunium number from FPT-1 would make me want to  
10 think that perhaps we are a little low on 1465, even  
11 though the plutonium release is less than what we have  
12 for 1465.

13 So I maybe would double that number just  
14 to reflect that that FPT-1 data, and make it 10  
15 percent. And I would have no basis for changing the  
16 ex-vessel. I'm sorry, 0.1 percent.

17 And that was ex-vessel. Was there any  
18 comment on any question about the vessels? I would  
19 say it is applicable.

20 MR. BOYACK: Okay.

21 MR. LEAVER: Thank you.

22 DR. KRESS: The high releases of neptunium  
23 and ruthenium even in the VERCORS experiments gives me  
24 room for pause, because 2 percent would be a  
25 significant biological effect in a design basis space.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEAVER: You are talking about  
2 ruthenium?

3 DR. KRESS: Yes, and I am talking about  
4 neptunium also. That has a severe biological effect.  
5 Cerium also does. So, I worry about those numbers.

6 I still believe that all the other things  
7 ought to be capped at something like one-tenth of a  
8 percent, but I am about to change my mind about  
9 neptunium, and ruthenium, and cerium, and we might  
10 want to separate those out as separate species,  
11 because each of them have biological effects that are  
12 severe, and apparently there is experimental evidence  
13 to think that the releases might be in the order of  
14 magnitude more than the .1 percent.

15 So I would kind of focus on those, and I  
16 say that we need to understand and have more  
17 experimental data to understand the PHEBUS results and  
18 the VERCORS results.

19 But right now I would still say that until  
20 we get that data I think I would still look for a cap  
21 on all of those at .1 percent. I don't think I can  
22 differentiate between .1 and .0025.

23 So I am sticking with my number, just .1  
24 percent across the board right now, and with the  
25 qualifier that I think we need to go back and recheck

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the results for neptunium, cerium, and ruthenium.  
2 Those are the ones that I worry about.

3 MR. BOYACK: And that is because of the  
4 health effects?

5 DR. KRESS: Yes, and I am not sure that my  
6 .1 percent properly captures the results of the  
7 VERCORS in places.

8 MR. BOYACK: Okay. And the next vessel?

9 DR. KRESS: The same, .1 percent.

10 MR. BOYACK: And the laid in vessel?

11 DR. KRESS: I don't have any reason to  
12 worry with changing.

13 MR. BOYACK: Okay. Jim.

14 MR. GLESEKE: Well, for not necessarily  
15 all the same reasons, I am going to go along with the  
16 numbers that Tom has here. I would think it would be  
17 important to point out that the neptunium numbers from  
18 the French experience may be a big deal if they are  
19 closer to right than the lower numbers. And we are  
20 looking at 2 percent for the containment, and that  
21 would be a significant deal. I would be inclined to  
22 go with Tom's numbers on this one for the time being.

23 MR. BOYACK: Let's see. I am not sure  
24 what those are.

25 MR. GLESEKE: About a tenth of a percent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the in-vessel.

2 MR. BOYACK: And for the same reason, the  
3 health effects?

4 MR. GLESEKE: Yes.

5 MR. BOYACK: And the ex-vessel?

6 MR. GLESEKE: That can be a tenth of a  
7 percent also for NUREG 1465.

8 MR. BOYACK: Okay. I would like to  
9 introduce the clean up man for the survey group now.

10 DR. POWERS: Over the last decade there  
11 has been quite a lot of work noted at the national  
12 laboratory in the high country in the southwest by an  
13 investigator named Oscar Krikorian, looking at the  
14 vaporization of plutonium at relatively modest  
15 temperatures.

16 And this has been an effort that he has  
17 worked on for at least a decade, and maybe a decade-  
18 and-a-half. And she has indeed found that within  
19 water vapor there are vapor species for plutonium that  
20 will lead to lower temperature vaporization.

21 And I think this lends credence to the  
22 assessment that the French have made for plutonium  
23 that is quite at odds with the thinking at the time of  
24 the source to include package and the time of the  
25 development of 1465.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And I think we just have to say that here  
2 we have two lines of investigation, totally  
3 independent, that are leading to a similar result that  
4 says indeed under these accident conditions you can  
5 get non-trace releases of some of these elements.

6           I have conceptual difficulties with  
7 estimating cerium release based on an analogy to  
8 lanthanum, and I just basically wouldn't do it. I  
9 think a better analogy is between cerium and  
10 plutonium.

11           All together, that leads me to be very  
12 supportive of the idea of an overall 2 percent in-  
13 vessel release of the cerium group to the containment.

14           The results they have obtained from the  
15 neptunium I find remarkable. I don't doubt them, but  
16 the neptunium chemistry is an area that I just am not  
17 very familiar with.

18           I did an assessment in connection with the  
19 development of the Vanessa Code, and my recollection  
20 is that indeed the thermal dynamic data would support  
21 a higher volatility for neptunium.

22           Currently, my mental integration, biases,  
23 thinks heavily toward the plutonium because I think  
24 that Krikorian is giving us a much richer  
25 understanding of the vapor chemistry of plutonium that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would have us say, yes, this is not an irrational --  
2 it is not a fluke of some particular experimental  
3 thing, or that you should get some substantial  
4 release.

5 So I am supportive of adopting plutonium  
6 release as representative of the cerium group.

7 MR. LEAVER: Plutonium release for PHEBUS  
8 or --

9 DR. POWERS: When they did their  
10 assessment, PHEBUS is one point in space. They have  
11 these VERCORS tests which -- and I have been able to  
12 examine them only to the extent of view graphs being  
13 put up on the viewing table.

14 And it would be nice to have a close  
15 examination of these tests, because there are things  
16 that go up and down in them that I don't quite  
17 understand.

18 Again, I doubt them, and our history of  
19 these out of pile tests is that there are things that  
20 we don't understand about them. But you also see some  
21 consistent trends.

22 And I also know that the French, when they  
23 make these assessments, use heavy use of the Gemini  
24 code in developing an understanding. I have spent  
25 innumerable hours with some of the originators of this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 code name, and generally appreciate its quality that  
2 they have exacted on that.

3 I state again that frequently we find  
4 ourselves in completely -- in harsh debate, but I  
5 think they have found something. Furthermore, it  
6 seems to me that these trends that they observed and  
7 their experiments to date, that it only gets  
8 excesuated as we move toward high burn up fuels, where  
9 there is the propensity to have somewhat more  
10 oxidizing conditions in the fuel.

11 And as Bernard points out, indeed even  
12 greater access of oxidizing gases to the  
13 microstructure. So I am saying let's accept what you  
14 have done for plutonium as representative, and flag  
15 it, and say let's look further at this neptunium  
16 business, because Tom tells me that neptunium is a  
17 real bad actor.

18 And cerium I know has the -- is our decay  
19 heat carrier for the long duration. So we need to pay  
20 attention to what it is doing just as a heat source.

21 The French have taken a roughly 80 percent  
22 deposition along the release path, which I think these  
23 materials are transmitted primarily in the aerosol  
24 form, and if we consistently looked at what we did  
25 with aerosol, we basically took a 50 percent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 deposition.

2 And I am not going to go into that kind of  
3 detail. I am just going to be supportive of the 2  
4 percent to containment.

5 MR. GLESEKE: I think they have a tenth of  
6 a percent of plutonium load, Dana, and not to quibble  
7 over numbers.

8 MR. CLEMENT: Yes, you always take \*  
9 deposition, and just because when the contents just  
10 above the fuel, there is not so much aerosol in which  
11 they can \*. So the lowest volatility of elements, the  
12 highest will be the position by vapor condensation on  
13 the walls.

14 If you take a highly volatile element, and  
15 the condensation will find a huge population of  
16 aerosols to be transported. That is the reason. That  
17 is also supported by measurements of deposits in the  
18 upper part above the \* section and the \* section, and  
19 that is the idea.

20 And concerning cerium, I don't remember if  
21 I have ever known why people have made the analogy  
22 with \*, and they were probably some reasons that I  
23 don't know.

24 DR. POWERS: Well, the basis for doing it  
25 is that the predominant vapor species from lanthanum

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sesquioxide is LAO, and the predominant vapor species  
2 from cerium is CEO, and they are very similar in their  
3 properties, and that's how they would do it.

4 MR. CLEMENT: In VI-5, there was a  
5 measurement of 2 percent of the release of cerium, one  
6 for one, and that is the only value that we have got  
7 as a measurement.

8 DR. POWERS: Well, my bottom line is that  
9 it is 2 percent to the containment.

10 MR. GLESEKE: Now, that's a neptunium  
11 number?

12 DR. POWERS: Yes, 2 percent to the  
13 containment.

14 MR. BOYACK: And the name of the  
15 researcher, was that Krikorian?

16 DR. POWERS: Krikorian, yes;  
17 K-R-I-K-O-R-I-A-N.

18 MR. BOYACK: I was distracted by somebody  
19 speaking here. Could you give it to me one more time?

20 DR. POWERS: K-R-I-K-O-R-I-A-N. The noted  
21 Lassel (phonetic).

22 MR. BOYACK: Oh, I did want to get that  
23 in.

24 DR. POWERS: Yes, I figured you did.

25 MR. BOYACK: I assumed that may be what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was going on when it was an unnamed lab in the  
2 southwest..

3 DR. POWERS: Well, no. A famous  
4 laboratory in the high country of the American  
5 Southwest.

6 MR. BOYACK: And the ex-vessel.

7 DR. POWERS: The ex-vessel number here  
8 again is composed of two components. One component is  
9 a mechanical release due to the bubbling, the bubble  
10 bursting at the surface, and then another component  
11 that is a vaporization release that is directly  
12 proportional to the amount of zirconium present.

13 If that amount of zirconium metal present  
14 is changed radically by going to high burn up fuel,  
15 you will see some change in the cerium release, but at  
16 this point I am comfortable with the numbers that  
17 exist.

18 MR. BOYACK: Okay.

19 DR. POWERS: And I think it is .5 percent.

20 MR. BOYACK: Oh, I'm sorry. I was just  
21 looking at the other values.

22 DR. POWERS: No, .5 percent.

23 DR. KRESS: .5 percent.

24 MR. BOYACK: .5. I've got it. Thank you.

25 DR. POWERS: And for the late in-vessel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 release, I think any of this is a resuspension  
2 release. I don't see a vaporization route here, and  
3 our understanding of resuspension hinges very much on  
4 physical form on the surface.

5 I think that these will be among the most  
6 resuspendable of the fission products that drop on the  
7 surface. But right now I think that our assessment of  
8 that suspension is that it is small.

9 MR. BOYACK: Like?

10 DR. POWERS: Like zero. I would not  
11 change the existing value.

12 DR. KRESS: Way to go.

13 MR. BOYACK: Way to go. Pardon me while  
14 I try to find out where I am. Oh, there it is.

15 DR. POWERS: These guys up at Los Alamos,  
16 they lose tape drives, and they lose -- they just  
17 can't find things, you know.

18 MR. BOYACK: It is our way of keeping --

19 DR. KRESS: Look behind the xerox  
20 machine..

21 DR. POWERS: The xerox machine.

22 MR. BOYACK: It is an employment thing  
23 that we engender for the NRC, or not for the NRC, but  
24 for the FBI and other security forces.

25 DR. POWERS: Security forces?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BOYACK: Yes. And I think thinking,  
2 David, because you get to lead off on this.

3 MR. LEAVER: I forgot about lanthanide.  
4 I guess I would see no basis for changing the numbers  
5 in 1465, and that is based on that the FPT-1 data --

6 MR. BOYACK: Now, just to make sure where  
7 we are, which phase are you in?

8 MR. LEAVER: Early in vessel, and there is  
9 no change on the basis of the FPT-1 data, and very  
10 similar results for some of the earlier tests with  
11 SFD.

12 MR. BOYACK: S what?

13 MR. LEAVER: SFD-14.

14 MR. BOYACK: Okay. So that is applicable.  
15 Ex-vessel.

16 MR. LEAVER: I would have no basis for  
17 anything on NUREG 1465 on that.

18 MR. BOYACK: And in-vessel?

19 MR. LEAVER: That is a factor. That is a  
20 factor.

21 MR. BOYACK: And late vessel?

22 MR. LEAVER: No basis for changing the  
23 number.

24 MR. BOYACK: Okay. Tom. Is there anybody  
25 who would change the gap --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Hang on. I want to change  
2 some things that I have done before, because I was  
3 saying a cap of all of these things at .1 percent. I  
4 think that is only in the early in-vessel release. I  
5 would make all of those .01, or .1 percent.

6 But for the ex-vessel release, I would  
7 keep those at .005, because it is a different  
8 mechanism, and it is bubble bursting like Dana said,  
9 and it is more like .005. So I would make all three  
10 of those at .005, and the ex-vessel, and all three of  
11 the early in-vessels at .001. And I would not change  
12 the late-endings.

13 MR. BOYACK: I am just a little slower  
14 here, because now we are going back to talking about  
15 previous --

16 DR. KRESS: Yes. I had them all at .001.

17 MR. BOYACK: So, for the moment here, if  
18 you could just give me this entry, and then I will go  
19 back and --

20 DR. KRESS: .001 and .005., no change to  
21 the NUREG 1465. I actually think that number was  
22 probably based on the bubble bursting in the first  
23 place.

24 DR. POWERS: It has a little bit of a  
25 component in the vaporization, or the zirconium metal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that is pleasant.

2 MR. BOYACK: Now, how many of these are  
3 there that we need to go back to?

4 DR. KRESS: The noble metals and the  
5 cerium.

6 MR. BOYACK: The noble metals and the  
7 cerium. Okay. And this was now .1.

8 DR. KRESS: What are you looking at, at  
9 the end-vessel?

10 MR. BOYACK: I am back at noble metals,  
11 in-vessel.

12 DR. KRESS: Okay. It is .1; and ex-vessel  
13 is .005, or .5.

14 MR. BOYACK: Five percent. I should have  
15 been consistent on this, but I wasn't. And then we  
16 were all right on the --

17 DR. KRESS: And the same thing for the  
18 cerium.

19 MR. BOYACK: Okay. So, now let me get  
20 this together. Now, for cerium --

21 DR. KRESS: And I have .1 percent and that  
22 is okay, and down there I would use .5.

23 MR. BOYACK: Five?

24 DR. KRESS: Yes. Thank you.

25 MR. BOYACK: That is just part of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 service out at Los Alamos. I am trying to keep my  
2 piles straight here. One moment.

3 (Brief Pause.)

4 MR. BOYACK: This gave you a lot of time  
5 to think, Jim.

6 MR. GLESEKE: And it should go pretty  
7 quickly shouldn't it. Just to inform you of the  
8 logic. I used Tom's total numbers here, and --

9 MR. BOYACK: That is his calculations.

10 MR. GLESEKE: His calculations of the  
11 correlation of data, and I adjusted that for some loss  
12 of core practice, and lo and behold we come out at  
13 .002, which is amazing because that is the number that  
14 is up there for the NUREG 1465. So it stays the same.

15 And I will go along with NUREG 1465 on the  
16 ex-vessel, and the same for in-vessel.

17 MR. BOYACK: Okay.

18 MR. BOYACK: Zero, point, oh, two.

19 MR. POWERS: Zero, point, two percent?

20 MR. BOYACK: Zero, point, oh, two release  
21 fraction.

22 MR. POWERS: Okay, all right. I'll just  
23 try to be consistent. Okay. And do you want to  
24 provide a basis?

25 MR. BOYACK: You're going to hear it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       shortly.

2                   MR. POWERS:   Okay.

3                   MR. BOYACK:   And so you can say CDC/JME up  
4       there.

5                   MR. POWERS:   Here?

6                   MR. BOYACK:   Yeah.

7                   MR. POWERS:   CDC, CDC/JME.   Okay.

8                   MR. BOYACK:   And for the ex vessel, I'll  
9       stay with the NUREG number.

10                  MR. POWERS:   You say the same?

11                  MR. BOYACK:   Yeah, the same way.

12                  MR. POWERS:   I have this projector going  
13       in my ear, and I just --

14                  MR. BOYACK:   And for the laid in vessel,  
15       I don't see a lot of perturbation.   I see  
16       resuspension, but my understanding, resuspension is  
17       fairly low level.   So I'll stick with the 65 number.

18                  MR. POWERS:   So this was CDC?

19                  MR. GIESEKE:   SED.

20                  MR. KRESS:   The first C is SED.

21                  MR. GIESEKE:   It's not three initials.  
22       It's a word "see."

23                  MR. POWERS:   As in "see saw Marjorie Daw"  
24       (phonetic)?

25                  MR. BOYACK:   See what?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: CBCA, right?

2 PARTICIPANTS: No, no, no.

3 (Laughter.)

4 MR. KRESS: It's supposed to be BC.

5 MR. POWERS: "See" and then BC.

6 MR. BOYACK: Evidently, what is that when  
7 you flip on I? Am I dyslexic? I've got dyslexic  
8 ears, I guess. So this is CBC?

9 MR. GIESEKE: There you go. Now you're  
10 okay.

11 MR. BOYACK: Hardly took anything, did it?

12 MR. KRESS: Have you heard of the  
13 organization called DAM, D-A-M?

14 MR. BOYACK: Tell me.

15 MR. KRESS: That's Mothers Against  
16 Dyslexic.

17 (Laughter.)

18 MR. BOYACK: Now that I see BC/JMB, what  
19 am I supposed to do with this?

20 MR. POWERS: Listen.

21 (Laughter.)

22 MR. BOYACK: Oh, I'm sorry. Now I finally  
23 got it.

24 (Laughter.)

25 MR. BOYACK: I am really slow, yeah.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Bernard, I have been told to listen to  
2 you.

3 MR. POWERS: Intently. Let me put the  
4 "intently" listen.

5 MR. CLEMENT: We've got the two loops  
6 because we initially thought as everybody that all of  
7 this stuff had very low volatility. In fact, when we  
8 performed the VERCORS HT-1 experiment, it was a burn-  
9 up of 14. When they performed it up to 3,000 Kelvin,  
10 we measured the significant releases of lanthanum,  
11 europium.

12 MR. BOYACK: So the two groups are  
13 lanthanum --

14 MR. CLEMENT: No, no. The first group,  
15 you've got -- we put lanthanum, europium, and  
16 praeseodyminim, Pr.

17 MR. BOYACK: Br?

18 MR. CLEMENT: Pr. It was not measured,  
19 but you can do an analogy.

20 MR. GIESEKE: Yeah, yeah, not a bad  
21 analogy.

22 MR. CLEMENT: Okay. So from these few  
23 results, we've put ten percent release from the fuel  
24 and two percent to the containment. In fact we  
25 measured eight percent that we are using.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   For the others, zirconium, and neurodeme  
2                   (phonetic), there are others. Okay, but we have put  
3                   one percent from \*, .2 percent to containment.

4                   MR. BOYACK: And .2?

5                   MR. CLEMENT: Point, two to containment.

6                   MR. BOYACK: All right. Thank you.

7                   MR. CLEMENT: Okay. I address those.  
8                   Okay? The same as --

9                   MR. BOYACK: Okay, and laid-in vessel?

10                  MR. CLEMENT: Laid-in vessel, I don't know  
11                  if we could have some resuspension or not for the  
12                  staff. That's again the point. We are in the  
13                  resuspension. We don't give any number, but just  
14                  point out that as far as we have important requisites,  
15                  we've got this problem of uncertainties in  
16                  resuspension for the latent vessel. We're saying this  
17                  is a point to be addressed then.

18                  MR. POWERS: Right, but it has to do with  
19                  what we find out about the physical form of these  
20                  deposits, and as we learn a little more about it. In  
21                  some cases the deposits down in the low temperature  
22                  regime, they move around with a breath of air, and  
23                  others you can't chip them off with a hammer.

24                  MR. BOYACK: All right.

25                  MR. LEAVER: You certainly don't see that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 type of result from PHEBUS.

2 MR. CLEMENT: No.

3 MR. LEAVER: So there's something else  
4 going on.

5 MR. CLEMENT: Yes. I don't know if it's  
6 an effect of burn-up of temperatures, but something is  
7 going on.

8 (Pause in proceedings.)

9 (Whereupon, the foregoing matter went off  
10 the record at 11:49 a.m. and went back on  
11 the record at 11:51 a.m.)

12 MR. BOYACK: As you know, as we dealt with  
13 the last three groups, no metals, cerium group, and  
14 Lanthanides, we ran into this issue where the data  
15 uncertainties, this regrouping, and what I'd like to  
16 do is just have your thoughts on candidate ways of  
17 dealing with this, not a resolution, just options.

18 MR. KRESS: Well, first off, I would be  
19 tempted to look at neptunium and cerium and lanthanum  
20 separate from the other groups because of their  
21 biological effectiveness, and from the fact that it  
22 looks like in some cases they get released enough to  
23 worry about.

24 If they didn't get released enough to  
25 worry about, I wouldn't worry about them otherwise,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but they seem like in some cases they get released  
2 enough, and their biological effectiveness is severe  
3 and can make some differences.

4 So I would be tempted to look at those as  
5 separated out from the groups.

6 MR. BOYACK: Okay. So this was a case  
7 where you would separate them out. What else?  
8 Anything else that might occur to you or is that --  
9 you can do this more than once.

10 MR. KRESS: Well, I would think all the  
11 other groupings are pretty much okay because it  
12 doesn't make much difference anyway, and that would be  
13 my feeling.

14 MR. BOYACK: Okay. Jim, what do you  
15 think? Any thoughts about how we handle this, the  
16 fact that we have these --

17 MR. GIESEKE: Well, I think it's important  
18 to note that at least in the case of neptunium, the  
19 French data suggests that that's significantly  
20 different than some of the other elements in that  
21 grouping. So it warrants a special look.

22 I just supported what Tom said, I guess.

23 MR. BOYACK: Okay. Dana?

24 MR. POWERS: I guess you're asking the  
25 question really of what do you do about the fact that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some people say ten and other people say .1.

2 MR. BOYACK: Yeah, yeah. So what do we do  
3 with the variability?

4 MR. POWERS: And I think you go with a  
5 voting mechanism with careful attention in the text  
6 outlining the minority opinion. I think you need to  
7 end up with tables with numbers in them that people  
8 can use, but I think you have to put the explanatory  
9 part in there that says overall this is based on  
10 incomplete information, a snapshot in time.

11 It could be that the outlier view is  
12 closer to reality than the majority.

13 MR. LEAVER: Your point about ending up  
14 with a table that people can use, when we started  
15 this, there was some talk about writing a -- do you  
16 consider this a PIRT exercise, a PIRT report, which  
17 would be like a NUREG CR report similar to the ones  
18 that you've done on the reactivity insertion of the  
19 three that you get?

20 If we do that, then maybe we don't need a  
21 table. Maybe it's a range. I don't know, but then  
22 maybe it's RES' job as the issuer of 1465 to reissue  
23 1465 using this information that we provide. I mean  
24 that's another process here.

25 I'm not sure what the process is, but --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or whether we're expected to come up with a table.

2 MR. BOYACK: Let me just comment that the  
3 very first contact I had referred to this work as a  
4 PIRT activity, and I carry within my mind a certain  
5 definition of what that means, the processes and the  
6 approach.

7 And we had a pre-meeting, came together,  
8 sat down, and discussed what was really the objective  
9 of the NRC activity, and that was to come up with  
10 these tables, these revised tables.

11 And so you may see that I don't use the  
12 word PIRT. In my correspondence I call this the  
13 source term applicability panel rather than a PIRT  
14 panel, and that's the reason why. I don't think it's  
15 the PIRT.

16 MR. LEAVER: Yeah.

17 MR. BOYACK: I understand the point that  
18 you've indicated, and so what I've done is to put down  
19 as one of the options to consider whether the NRC  
20 would take the results of the panel, which may not  
21 have a single value, and then come up with --

22 MR. LEAVER: Well, in some cases it may;  
23 in some cases it may not.

24 MR. BOYACK: Yeah.

25 MR. KRESS: Can you change that word

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 "early" in the top line? I didn't say that or at  
2 least I didn't mean it. It seems to be released to a  
3 greater extent than previously filed.

4 MR. BOYACK: I can change it.

5 MR. KRESS: Yeah.

6 MR. BOYACK: Sure. Okay. Let's see. So  
7 any comments about options, things we might consider?

8 MR. CLEMENT: Yes, I think that some  
9 elements should be separated. So I agree with  
10 neptunium, cerium, and lanthanum, and they would add  
11 the volatile ones, molybdenum and technetium.

12 MR. BOYACK: Okay. So was all of that a  
13 single group?

14 MR. CLEMENT: No, no, no, no, no. This  
15 should be separated according to their volatility and  
16 their radiological importance. I don't give the  
17 separation right now of these other three important  
18 factors.

19 MR. BOYACK: Let's see. The volatility was  
20 the second.

21 MR. CLEMENT: Biological effects,  
22 biological hazards, you know.

23 MR. BOYACK: The list of species. So let  
24 me go ahead.

25 MR. CLEMENT: So neptunium, cerium,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lanthanum, molybdenum, technetium at least.

2           Okay. Then the second point is I fully  
3 agree with what's said that we should identify what  
4 are the sources for the variability within the values.  
5 This is quite very important. I think we do not have  
6 time to discuss in detail all of what were always  
7 sources of variability. What I would propose is when  
8 you look at all what we have said, you identify the  
9 most important sources of variability and maybe asking  
10 panel members --

11           MR. LEAVER: To confirm that.

12           MR. CLEMENT: -- to confirm that and to  
13 send in written form what are the reasons why, not for  
14 all of the variables that were given, but I think that  
15 you can identify after the meeting what are the main  
16 sources of the main differences between the members of  
17 the panel, and you could ask each member of the panel  
18 to give more detail in written form about why stay  
19 with that.

20           That could help to document these  
21 variability.

22           MR. LEAVER: While he's typing, what are  
23 we doing on getting copies of the material that you  
24 presented? Is that happening? Are you going to send  
25 it out next week?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BOYACK: They'll send that to me early  
2 next week.

3 MR. LEAVER: Okay. That's going to happen  
4 next week. Okay.

5 MR. BOYACK: And the one thing, I think we  
6 said Power Point is what you had the material in, but  
7 if you can also in addition create a PDF file. The  
8 one thing I've found out is the PDF files almost  
9 always work and sometimes --

10 MR. CLEMENT: Yeah, yeah, yeah.

11 MR. BOYACK: -- we have trouble with other  
12 files.

13 MR. LEAVER: Is that why you do it, PDF?

14 MR. BOYACK: Absolutely.

15 MR. LEAVER: Is it a smaller file?

16 MR. BOYACK: No. It's platform  
17 independent. That's why it seems to work better.  
18 Since I generate on a MAC machine, that becomes  
19 important.

20 MR. LEAVER: If you got after that  
21 reading, something like that.

22 MR. BOYACK: Right, and those can be  
23 downloaded pretty often off the Internet.

24 Okay. Is there anything else then? I  
25 think that sort of captured what I wanted.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Charlie, what we're going to do is in a  
2 moment take a break for lunch, come back a few minutes  
3 before one, and so the question I have is is there  
4 anything else that you wanted us to discuss for a few  
5 minutes or are we kind of covering what you wanted?

6 You'll note that we haven't done anything  
7 on BWR yet, for instance.

8 MR. TINKLER: Right.

9 MR. BOYACK: And we had some discussion  
10 yesterday based upon Ralph Meyer's presentation.  
11 Maybe that was the first day, that the BWR fuel is  
12 moving in appearance and characteristics towards a PWR  
13 fuel, and there was some thought that we might be able  
14 to go through the BWR --

15 MR. LEAVER: Pretty quickly.

16 MR. BOYACK: -- pretty quickly, which  
17 maybe would be the first section of the final meeting

18 MR. TINKLER: Well, I mean, to the extent  
19 you can talk about the BWR fuel, you know, as we went  
20 into the implementation of the alternate source term,  
21 revised source term, we thought again about whether or  
22 not the distinctions in the source term between the  
23 PWR and BWR were really worth the effort, were really  
24 worth the distinction, frankly.

25 Revised system level calculations only

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 serve to convince us that variability in sequences was  
2 larger than the variability in the source term between  
3 the two reactors, and that, you know, making  
4 distinctions between 30 and 35 percent, which was an  
5 averaging process once upon a time, just really has  
6 questionable value to us, okay, and whether or not  
7 it's, you know, a distinction without a difference,  
8 frankly.

9 MR. BOYACK: Yeah.

10 MR. TINKLER: You know, I'm not  
11 encouraging you to spend lots of time on it if you  
12 want to, but you might consider whether or not it's  
13 just -- considering, as we say, the preponderance of  
14 evidence maybe and the uncertainty associated with all  
15 of this, we just adopt the same source term for Ps and  
16 B.

17 MR. LEAVER: You recognize if we do that,  
18 you're talking about a 30 percent increase in iodine  
19 release.

20 MR. TINKLER: I understand, but do we  
21 really think that, you know, there is that much  
22 difference at this point?

23 MR. LEAVER: Yeah.

24 MR. TINKLER: It's just something to  
25 consider. I know that it's going to have some impact

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on some calculations, but do we really think there's  
2 a difference within the range of uncertainties?

3 It's something you might want to debate  
4 among yourselves, you might want to consider.

5 MR. BOYACK: Okay, all right. What I  
6 suggest we do then now is eat lunch.

7 MR. LEAVER: That's an idea.

8 MR. BOYACK: Unless there is any real  
9 objection to that particular approach.

10 MR. KRESS: Why don't we get back at  
11 12:30?

12 MR. BOYACK: And?

13 MR. KRESS: You said we'd get started at  
14 12:30 or did you say shortly before one?

15 MR. BOYACK: We have speakers coming in at  
16 one to talk to us on this particular question.

17 (Whereupon, at 12:03 p.m., the meeting was  
18 recessed for lunch, to reconvene at 1:00 p.m., the  
19 same day.)

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 (12:57 p.m.)

3 MR. BOYACK: Let's go ahead and resume our  
4 meeting.

5 We're grateful that we've been able to  
6 have some individuals come and talk to us about MOX  
7 fuel, and I don't know whether one of you will take  
8 the lead in introducing all of that.

9 Steve Nesbit. So I'll turn the time over  
10 first to Steve and have him introduce his colleagues  
11 and also the course of the meeting.

12 Now, I should inform you that we have a  
13 court recorder. We're going to have a transcript of  
14 the meeting. There is a microphone --

15 MR. NESBIT: Whatever I say can and will  
16 be used against me.

17 MR. BOYACK: -- microphone here on the  
18 pulpit, and if from the audience you wish to speak, if  
19 you'll use the microphone over at the side.

20 And, Steve, thank you.

21 MR. NESBIT: Thanks.

22 MR. BOYACK: And if there are handouts, I  
23 can take care of getting those out.

24 MR. NESBIT: Okay, great. Okay. Thanks  
25 for giving us the opportunity to come and participate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in this meeting this afternoon.

2 I do have some handouts, and if you can  
3 distribute those, I'd appreciate that.

4 I'm Steve Nesbit from Duke Power, and I'm  
5 the mixed oxide fuel project manager for Duke Power.  
6 WE also have with us today Patrick Blanpain from  
7 Framtome in France. Patrick is going to give the  
8 second presentation of our two.

9 Larry Losh from Framtome USA back there  
10 next to Patrick, and we may be joined by Patrick  
11 Rhodes from Department of Energy. I don't see him  
12 here yet.

13 And we were asked to come and discuss with  
14 your panel aspects of mixed oxide fuel that might bear  
15 upon the applicability of the NUREG 1465 source term  
16 to that fuel, and we've tried to put together a couple  
17 of presentations to address those issues.

18 We certainly encourage you to ask  
19 questions, and if we can't answer your questions  
20 today, we'll try to get back to you at a later time.

21 The purpose of my presentation is to give  
22 you a general overview and background of the program  
23 that we're involved in to use mixed oxide fuel and to  
24 address a few of the points that I think were raised  
25 in your first meeting, which I got from reviewing the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transcript there.

2           Some of this information, maybe all of it,  
3 you're familiar with. I'll try not to go into  
4 excruciating detail on it, but I do want to give you  
5 a general overview of what we're trying to do here.

6           The Department of Energy has the  
7 responsibility for managing surplus plutonium from the  
8 United States Weapons Program, and in September of  
9 2000 the United States and Russia signed an agreement  
10 to dispose of significant portions of that plutonium,  
11 34 tons of weapons grade plutonium for each country.

12           By the terms of the agreement, the  
13 majority of the plutonium will be disposed of by  
14 conversion to mixed oxide fuel in use in existing  
15 nuclear power reactors. Pursuant to that agreement,  
16 actually a little before that, DOE contracted with a  
17 team of companies known as Duke Cogema Stone and  
18 Webster, or DCS, to provide MOX fuel fabrication and  
19 irradiation services.

20           As a general overview of the project, the  
21 way it's supposed to work is this. The material, the  
22 plutonium is currently in the form of pits stored at  
23 Pantex in Texas, a DOE facility there. It's to be  
24 transported by DOE to a facility to be developed at  
25 the Savannah River site called the Pit Disassembly and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Conversion Facility.

2 That facility will turn the classified  
3 weapons into unclassified plutonium oxide powder,  
4 which will be transferred to another facility on the  
5 Savannah River site, also not yet built called the MOX  
6 Fuel Fabrication Facility. That's the subject of a  
7 current license proceeding in front of the Nuclear  
8 Regulatory Commission. They're applying for  
9 construction authorization.

10 This facility will make mixed oxide fuel.  
11 It will be transported by DOE to four nuclear power  
12 reactors, McGuire Units 1 and 2 and Catawba Units 1  
13 and 2. There it will be used in a manner very similar  
14 to existing uranium fuel and eventually it will be --  
15 the eventual in-state would be a geologic repository.

16 Who's who in this team of companies? Duke  
17 Cogema Stone and Webster, imaginatively named after  
18 Duke Engineering and Services, Cogema, and Stone and  
19 Webster. These are the three main partners.

20 Cogema, of course, is the French fuel  
21 cycle company that has a lot of experience in the  
22 field of plutonium and mixed oxide fuel and also  
23 another partner or another subcontractor through  
24 Cogema is Belgonucleaire, which is also an experienced  
25 MOX fuel fabricator, and Electricity de France, which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 has a lot of experience using mixed oxide fuel.

2 Other subcontractors include Nuclear Fuel  
3 Services, who are working in safeguards and security;  
4 Duke Power, which is responsible for using the fuel;  
5 and Framtome AMP, which is responsible for designing  
6 the fuel.

7 Some key milestones. I mentioned that  
8 there's a construction authorization request before  
9 the Commission. That was submitted in 2001 for the  
10 MOX fuel fabrication facility. The goal was to start  
11 MOX fuel fabrication facility construction 2002 or  
12 2003; receive a license to possess and use nuclear  
13 material at the facility in 2004; begin a lead  
14 assembly irradiation program in one of our reactors in  
15 2004; complete the MOX fuel fabrication facility  
16 construction and start-up and testing and start making  
17 mixed oxide fuel in the 2006 and 2007 time frame, and  
18 ultimately start to use the fuel at McGuire and  
19 Catawba 2007 to 2008.

20 Moving on to some facts about what MOX  
21 fuel is and isn't, MOX fuel is, as you're probably  
22 aware, a blend of about five percent plutonium oxide  
23 with about 95 percent uranium oxide, depleted uranium  
24 oxide in our case, and I will point out that like  
25 conventional low enriched uranium fuel, MOX fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pellets are primarily uranium.

2 Fission power from MOX fuel comes from  
3 Plutonium 239 primarily rather than Uranium 235.  
4 Other than the fuel pellet material, a MOX fuel  
5 assembly is essentially the same as a uranium fuel  
6 assembly.

7 MR. POWERS: When you say "a blend," you  
8 don't mean a blend on the atomic scale, do you?

9 MR. NESBIT: I think you're asking about  
10 a question that pertains to the microstructure of the  
11 pellet itself.

12 MR. POWERS: Yes.

13 MR. NESBIT: Mr. Blanpain is going to  
14 address those issues.

15 Using mixed oxide fuel in light water  
16 reactors, typically this is being done on an  
17 industrial scale in Europe today. There's 35 reactors  
18 using mixed oxide fuel.

19 You typically load a mixture of mixed  
20 oxide fuel assemblies and conventional uranium fuel  
21 assemblies in a core.

22 If you look at the EDF program, they have  
23 30 percent MOX fuel assemblies in the core. The  
24 European experience base actually goes up to 38  
25 percent in German reactors. Our plans for the fuel is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to use approximately 40 percent MOX fuel assemblies  
2 and the remainder conventional uranium fuel  
3 assemblies.

4 We designed the MOX fuel assembly in terms  
5 of plutonium concentration to have essentially the  
6 same reactivity as the uranium fuel.

7 MR. BOYACK: Does the plan to burn this  
8 how many tons, 34 tons of plutonium in these four  
9 plants and no others?

10 MR. NESBIT: The current plan is that. In  
11 fact, there's currently 25 tons of plutonium allocated  
12 for MOX fuel. Those 25 tons would be used in those  
13 four plants.

14 What kind of plutonium is in the MOX fuel?  
15 Well, in the European programs, the plutonium comes  
16 from recycled or reprocessed commercial nuclear fuel.  
17 As a result of that, the isotopic mix is approximately  
18 60 percent Plutonium 239, more than 20 percent  
19 Plutonium 240.

20 The material that we're going to be using  
21 is weapons grade plutonium. It will have 93, 94  
22 percent Plutonium 239, and the remainder Plutonium  
23 240. Obviously the material we're using, the weapons  
24 grade material was produced in a special manner  
25 optimizing or maximizing the amount of Plutonium 239

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the mix.

2 I've got some analytical comparisons I'm  
3 going to show between different mox fuel types and  
4 uranium fuel that shed a little bit of light on  
5 differences and similarities between the fuel.

6 This first slide is a nuclear slide, and  
7 I'm a nuclear engineer. So I actually understand  
8 this. What you have got on the Y axis is K infinity  
9 or a measure of the reactivity of the fuel assembly as  
10 a function of burn-up on the X axis, and of course, as  
11 the fuel is burned, the reactivity or the energy  
12 content decreases.

13 The purple or blue line here is a nominal  
14 low enriched uranium fuel assembly. The red line is  
15 a reactor grade MOX fuel assembly, and as you can see,  
16 compared to the uranium fuel assembly, the reactivity  
17 in the reactor grade MOX assembly drops off much  
18 slower.

19 The third line is the weapons grade MOX  
20 fuel assembly, and as you can see, the nuclear  
21 behavior is between the other two, the reactor grade  
22 MOX and the low enriched uranium fuel. So the  
23 behavior is bounded by the other two.

24 Total plutonium content shows a similar  
25 story. Again, these assemblies have a similar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactivity at burn-up of 20 gigawatt days per ton.  
2 This is the amount of plutonium in a fuel assembly as  
3 a function of burn-up. The uranium fuel assembly  
4 starts with none and builds up to around one percent  
5 as the fuel assemblies burn.

6 Reactor grade starts with more because the  
7 plutonium is not as high grade as the weapons grade  
8 plutonium, and it decreases with burn-up. The weapons  
9 grade decreases with burn-up.

10 Two points. Weapons grade is between  
11 reactor grade MOX and low enriched uranium fuel, and  
12 second, as you burn it up in terms of content of the  
13 fuel material, the weapons grade becomes increasingly  
14 close to low enriched uranium fuel.

15 The fuel that we're going to use in our  
16 program is shown here, and it's a proven design in the  
17 United States. It's the Mark BW Framtome design that  
18 has been used for years, and in fact, for years in the  
19 McGuire and Catawba reactors.

20 The difference, of course, is the fuel  
21 pellet material will be five percent weapons grade  
22 plutonium in the form of MOX fuel. There is advanced  
23 alloy M5 cladding for the fuel. I think you all are  
24 probably familiar with that; intermediate flow mixing  
25 grids to make it compatible with the co-resident

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uranium fuel, and another difference here between  
2 uranium and MOX fuel, We've got radial plutonium  
3 concentration zones within an assembly. I've got a  
4 picture here that's going to show that a little  
5 better.

6 Most pressurized water reactor fuel  
7 assemblies have all the pins are the same enrichment  
8 uranium. That's not uniformly true. There actually  
9 is some uranium fuel that I'm aware of that's zoned in  
10 two zones.

11 With MOX fuel, MOX fuel has a much lower  
12 thermal neutron flux than uranium fuel, and therefore,  
13 when you put a MOX fuel assembly next to a uranium  
14 fuel assembly, the edge pins in the MOX fuel assembly  
15 see a high neutron flux leakage from the adjacent  
16 uranium fuel assembly.

17 So we zone the fuel assembly. We put low  
18 concentration plutonium in the corners and on the  
19 edges and next to the control rod guide tubes, and  
20 that way that keeps the power profile across the  
21 assembly flat.

22 Talk briefly about the reactors that are  
23 going to use the mixed oxide fuel in the United States  
24 program. McGuire Units 1 and 2 were started up in  
25 1981 and 1984. They're located near Cornelius, North

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Carolina, which is north of Charlotte.

2 Catawba Units 1 and 2, located near  
3 Clover, South Carolina, which is southwest of  
4 Charlotte, and Catawba units started up in 1985 and  
5 1986. All four units are operated by Duke Power.

6 All four units share the same designed  
7 primary system and core, for the Westinghouse  
8 pressurized water reactors; core power level of 3411  
9 megawatts thermal and 193 fuel assemblies in the core.

10 And all four reactors employ an ice  
11 condense containment system.

12 I want to talk briefly about our planned  
13 fuel management with mixed oxide fuel. We're  
14 currently on 18 month cycles at these reactors. Our  
15 intent is to stay on 18 month cycles so that we'll  
16 keep the same cycle length.

17 We usually have batches around 80 or 84  
18 feed. In other words, we load 80 or 84 fresh fuel  
19 assemblies for each reload, and we anticipate that  
20 we'll keep about the same feed batch size.

21 For the MOX fuel, we are going to impose  
22 a 50 gigawatt day per ton burn-up limit on the fuel.  
23 Now, our uranium fuel is licensed to either 60 or 62  
24 gigawatt days per ton burn-up, but we're putting this  
25 limit on there for the MOX fuel to make the burn-up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that we're going to use consistent with the burn-up  
2 that's been achieved in European reactors.

3 And Patrick Blanpain is going to talk a  
4 little bit more about that in a minute, too.

5 We're going to discharge the mixed oxide  
6 fuel assemblies after two cycles. Most of the low  
7 enriched uranium fuel will run for three cycles. What  
8 we expect, based on our preliminary core designs is  
9 that the typical mox fuel assembly burn-up will be  
10 about 40 gigawatt days per ton.

11 The maximum fuel assembly burn-up will be  
12 in the area of 45 gigawatt days per ton in order to  
13 keep the rod burn-up under the 50 gigawatt day per ton  
14 limit.

15 MR. POWERS: How do those limits compare  
16 to the limits the French have on their MOX?

17 MR. NESBIT: The French, interestingly  
18 enough, don't have specific burn-up limits for their  
19 fuel. They have fuel management licensed by their  
20 regulatory authority. It's a little different.

21 The French typically see burn-ups in the  
22 range of 36 to 40 for their MOX fuel assemblies.  
23 However, other countries in Europe which use mixed  
24 oxide fuel typically see burn-ups in the 40 to 50  
25 range.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Patrick is going to have a slide that  
2 shows that, but the Germans and the Belgians for years  
3 have been using mixed oxide fuel to burn-ups in the 45  
4 gigawatt day per ton range.

5 I should add that that's also on a  
6 production basis, and that there's lead assembly  
7 programs in various countries that are taking the fuel  
8 burn-up well above 50 gigawatt days per ton.

9 Here's typical uranium fuel management  
10 that we use in our cores. The shaded assemblies, this  
11 is a quarter core slice. The shaded assemblies are  
12 the feed assemblies. These are all uranium  
13 assemblies. We use a low leakage pattern, one or  
14 twice burned fuel on the exterior. This increases  
15 neutron economy, and it also minimizes the fluence  
16 (phonetic) at the reactor vessel walls. It's a  
17 typical checker board pattern with concentration feed  
18 assemblies in the so-called "ring of fire" here.

19 This is a busier slide here that tries to  
20 illustrate our MOX fuel core management as we envision  
21 it today, but the point that I'll make is that in  
22 terms of patterns of feed assemblies, it's almost the  
23 same as the uranium patterns. Again, the checker  
24 board feeds in the middle.

25 In this case, the feed LEU are shaded

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 light green. The feed MOX are shaded dark red. The  
2 once burned MOX are shaded light red. Again, checker  
3 board in the middle, the "ring of fire," the once or  
4 twice burned fuel on the exterior.

5 Shift gears a little bit here. One of the  
6 issues that I think was discussed at your first  
7 meeting I would like to talk about briefly:  
8 radionuclide inventories or, I guess, the starting  
9 point for your source term work. Framtome  
10 specifically has done some work on the applicability  
11 of the scale code system for mixed oxide fuel and they  
12 benchmark scale, 4.4 against MOX and LEU fuel rod  
13 measurements.

14 And what they've seen is that when you  
15 compare agreement between the code prediction and the  
16 measurement or the C over M, if you will, calculated  
17 over measured, that the results are comparable for MOX  
18 and LEU fuel. For most isotopes you're within plus or  
19 minus ten percent.

20 I should mention when I say scale that  
21 includes the code origin that some people might be  
22 more familiar with the code system by that name.

23 Oak Ridge has done a lot of work with  
24 scale. In fact, they're the people who developed the  
25 code and maintain it. They are participants in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ARIANE Program, which has recently been completed in  
2 Belgium, managed by Belgonucleaire actually all over  
3 Europe.

4 And there has been benchmarks there to LEU  
5 and mixed oxide fuel rods. They benchmarked other LEU  
6 and MOX fuel rods, and again, they've come to the same  
7 results that Framtome has, that the results are  
8 generally comparable in terms of accuracy between MOX  
9 and LEU fuel.

10 So when you exercise the codes against two  
11 fuel types what happens, what you find out is  
12 generally MOX fuel has slightly fewer fission products  
13 than uranium fuel, and it has more actinides than  
14 uranium fuel, and that's due to the fact that you've  
15 got the initial presence of some plutonium there. So  
16 you are already starting higher up on the atomic  
17 number scale.

18 Framtome did force some comparisons of  
19 radionuclide inventories using scale. I forgot to  
20 capitalize it. Sorry. And they compared a couple or  
21 three different fuel assembly types actually, low  
22 enriched uranium, weapons grade MOX, and reactor grade  
23 MOX at a 45 gigawatt day per ton burn-up point with no  
24 decay time.

25 So this is right at 45 gigawatt days per

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ton, no shutdown time. What kind of fission products  
2 do you see?

3 And I just pulled some samples out here.  
4 These are some radioisotopes that are important to  
5 dose calculations, certainly not all, but I just want  
6 to show the general pattern.

7 Again, the same radioisotopes are there.  
8 They're in different concentrations depending on what  
9 fuel type you've got. What I've done is I've  
10 normalized everything to the low enriched uranium  
11 value here. So you start here with weapons grade MOX,  
12 Krypton 87, about 68 percent of the activity;  
13 Ruthenium 106, 74 percent higher activity; Iodine 131;  
14 Xenon 133, about the same; Xenon 135, about 60 percent  
15 higher in MOX; Cesium 137 about the same; Cerium 144,  
16 about 17 percent lower.

17 Integrated over all of the fission  
18 products, you're about 98 percent of the low enriched  
19 uranium fuel at that point, at that snapshot point.

20 Reactor grade MOX is very similar to  
21 weapons grade MOX.

22 Actinide activities, as I mentioned,  
23 weapons grade MOX and the reactor grade MOX are  
24 significantly higher than the low enriched uranium  
25 because you just start out with more plutonium there,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 two to three times higher for these type of isotopes.

2 Another issue that may bear on your work  
3 is decay heat. There's two real contributors to decay  
4 heat in fuel. One is fission product decay, and that  
5 is higher enriched, low enriched uranium fuel.  
6 There's actinide decay or the heavy elements. That's  
7 higher in mixed oxide fuel.

8 As a result, when you look at a total  
9 decay heat comparison between the two fuel types,  
10 short-term decay heat is lower than mixed oxide fuel.  
11 It's dominated by the fission products, and that  
12 difference is what makes the difference there.

13 Long-term decay heat is higher in mixed  
14 oxide fuel. After many of the fission products have  
15 had a chance to decay off, then the actinide  
16 contribution is more important, and the MOX fuel has  
17 a higher decay heat. I guess the point that I would  
18 leave you with here is that MOX fuel has lower decay  
19 heat during the time frame of the kind of accidents  
20 that I think you're considering for the purpose of  
21 your work on source terms, and I have got a plot here  
22 that shows that a little more quantitatively.

23 This is a comparison, again, a ratio of  
24 MOX to LEU decay heat. Total decay heat for two fuel  
25 assemblies irradiated to 43 gigawatt days per ton.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 One is weapons grade MOX. The other is low enriched  
2 uranium fuel.

3 So in the vicinity of 80 days or a little  
4 longer, you cross over the 1.0 point. So before --  
5 excuse me -- hours, 80 hours. Before 80 hours, the  
6 delay heat from the MOX fuel is lower. Afterwards it  
7 would be higher.

8 I've tried to give you a brief overview,  
9 and Patrick Blanpain is going to give you a much more  
10 detailed and technical overview of the MOX fuel pellet  
11 and the characteristics there.

12 I will leave you with this. As a part of  
13 our program we have been working developing reports,  
14 submitting them to the NRC. I'll call your attention  
15 to several that you may be interested in. The  
16 COPERNIC topical report from Framtome covers a  
17 COPERNIC code which is used to predict fuel mechanical  
18 behavior. And the MOX part of that was submitted to  
19 the NRC in August of 2000.

20 D.C. Hess has developed a fuel  
21 qualification plan, which describes the work that  
22 we're doing in order to qualify in mixed oxide fuel  
23 for use in United States reactors.

24 Revision 2 was provided to the NRC for  
25 information in April 2001, and I would add that it has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a lot of information that we're covering today in  
2 there.

3 Duke Power submitted a topical report on  
4 nuclear analysis methods for MOX and uranium fuel in  
5 August of 2001, and that's before the NRC for review  
6 right now.

7 There's a Web site that the DCS Company  
8 runs that has information on DCS and also has links to  
9 other Web sites that are out there that have plutonium  
10 MOX fuel information.

11 So that's about it for me. If anybody has  
12 any questions they want to ask now, you're welcome to,  
13 or if not, I'll turn it over to Patrick.

14 MR. BOYACK: Any questions?

15 (No response.)

16 MR. BOYACK: Okay. Why don't we proceed  
17 with Patrick's presentation then?

18 MR. BLANPAIN: Good afternoon, ladies and  
19 gentlemen. The purpose of my talk is a general  
20 overview on the MOX fuel fabrication, on the MOX fuel  
21 experience in Europe, and on the MOX fuel behavior in  
22 the reactor.

23 First is the introduction to the stages of  
24 MOX fuel use in Europe.

25 The first commission in 1972 in Germany,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and in 1987 in France, fuel recycling is a form of MOX  
2 fuel, has reached an additional maturity.

3 The production capacity used by Framtome  
4 ANP was 180 ton per year heavy metal with the MIMAS  
5 process. The two French Cogema plants in Kederash  
6 (phonetic) and Machood (phonetic), and the Belgian at  
7 Desser (phonetic) operated by Gelgonucleaire.

8 More than 1,700 fuel assemblies have been  
9 delivered by Framtome in Bay of Fragema to 20 French,  
10 two Belgian, and three German pressurized reactors.  
11 A little more than 1,000 fuel assemblies have been  
12 delivered by Framtome NP GMBH, formerly Siemens to 11  
13 German and three Swiss PNBWRs.

14 Now, a few words about the MOX pellet  
15 fabrication. Through the MIMAS process, which means  
16 the micronization massive plants where you're starting  
17 with UO2 powder and Pu2 powder. First, we are  
18 performing a primary blend with Pu2 powder and Pu2  
19 powder at a ratio that's about 20 to 30 percent of \*  
20 stock in UO2.

21 That primary blend is micronized with a  
22 ball grinding (phonetic) to micronic size.

23 MR. POWERS: What kind of balls are you  
24 micronizing?

25 MR. BLANPAIN: Please?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: What kind of balls are used  
2 for the micronizing?

3 MR. POWERS: I think it's uranium balls.

4 So that primary blend -- also with the  
5 primary blend we can recycle the scraps, and that is  
6 one of the interests of this process. We can reuse  
7 all of the scraps of the fabrication in the primary  
8 blend.

9 So the primary blend is then mixed with  
10 fresh U2 powder to constitute the secondary blend,  
11 which is mechanically mixed, and then the process is  
12 famous for U2 fuel pressing, centering, and different  
13 dried grinding compared to U2 where we use wet  
14 grinding control, and then the MOX pellets.

15 And the results is that \* structure.  
16 That's the fresh MOX pellets as fabricated. It is  
17 micrographed after chemical etching to reveal the  
18 grain boundaries. That scale is ten microns.

19 So we can hear what age of plutonium, the  
20 plutonium \* uranium. So you can see here are some  
21 quite white, large grains that's plutonium rich  
22 particles. So with plutonium enriched zone here, we  
23 can see the gray, some pure uranium particles or  
24 grains.

25 So it's easy to see something here that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 need to be more easy. And you saw the micrograph  
2 after special attract or review, the plutonium  
3 sustained edge chemical attack, and we can see the  
4 plutonium oxide in white.

5 So that what is called plutonium enriched  
6 particles, but what is important is that the plutonium  
7 compound in those particles is the content of the  
8 primary blend between 20 and 30 percent of Pu2.

9 You can see also that we have plutonium in  
10 the U2 matrix also, and here on the right you have a  
11 careful analysis of the plutonium distribution into  
12 pellets. On the Y axis there is the total, percentage  
13 of total plutonium in the pellets, and on the X axis  
14 the particle size in micron from zero to 100 microns.

15 And this was mixed by EPNE (phonetic). So  
16 we can see from that graph we have two curves because  
17 two -- the \* obtained with a U2, AOC U2 border or ADU  
18 U2 border. There is small differences in that zone.

19 But we can say that 50 percent of the  
20 total plutonium is included in particles larger than  
21 eight microns. That means also that 50 percent of the  
22 plutonium is included in very small particle size,  
23 smaller than eight microns in this region.

24 And also it's about 25 percent of the  
25 total plutonium is included in particles larger than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 30 microns, to give you those large particles, size 20  
2 to 30 microns.

3 So that fuel is not so intelligent in  
4 radiation use, but most of the plutonium is spread in  
5 very small particles. And the plutonium content of  
6 those particles is the content of the primary blend.  
7 So it's charged through EPMA, and these are the  
8 plutonium through the pellets. It will glow if  
9 there's a plutonium content to plutonium rich  
10 particles. That's the size of the particles, about 60  
11 microns here. It's a large one.

12 So if we have zero plutonium here in the  
13 U2 grain and then the particles with present content  
14 of about 25 percent, which was the plutonium content  
15 of the primary blend.

16 Then out of the particle there's another  
17 small particle, back to the U2 metric, and then the  
18 next one.

19 MR. SCOTT: You mentioned on the --

20 THE REPORTER: Could you use the  
21 microphone?

22 MR. BOYACK: You can go over here.

23 MR. SCOTT: The question had to do with  
24 the dimension on the bottom of the graph. Was that  
25 your just arbitrary scale? It was over 100.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BLANPAIN: Here? Sorry. That scale,  
2 it's micron.

3 MR. SCOTT: Micron.

4 MR. BLANPAIN: So it's the size of the  
5 particles between -- it's roughly 40 microns.

6 So as I said, this is the MOX use in  
7 Europe. So we're using MOX U in light water reactors  
8 up to 1,300 megawatts electric and are using different  
9 \* designs. For example, for the PWRs from 14 by 14 to  
10 18 by 18 array.

11 They're using in Europe different  
12 neutronic design in fuel management. They're using a  
13 total \* content up to seven percent, enriched  
14 assembly, and given to U5 enrichment to more than four  
15 percent. That would be in Germany, for example.

16 Different core loading schemes are used,  
17 one third annual or one fourth annual.

18 As mentioned before by Steve Nesbit,  
19 recycle rate is usually 30 percent of MOX fuel  
20 assemblies in the core, but 50 percent of MOX  
21 assemblies in the core is licensed in Germany, but in  
22 fact, with maximum use it's 38 percent.

23 We are using different U2 matrix,  
24 depleted, due to natural U2, natural U2 that's  
25 formally in Germany, but not used among it for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 most.

2 The discharge assembly burn-up are usually  
3 around 45 \* and up to 54 gigawatt day \* assembly was  
4 reached for individual elements.

5 In France the MOX fuel can operate in  
6 neutral load model without any restrictions, and so  
7 the conclusion of that is no rods, no MOX rod ever  
8 failed for a mox specific reasons. I mean for reasons  
9 linking to the fuel itself or to the plutonium content  
10 of the fuel.

11 That table shows in more details the MOX  
12 used in Europe. Here is reactor type, B or PWRs, and  
13 different countries, Germany, France, Belgium and  
14 Switzerland.

15 The initial year of loading from 1996.  
16 The total number of assemblies delivered at the end of  
17 2000 and the max assembly burn-up at shields and the  
18 time. This year delivered fuel assemblies reached 80  
19 and 58 \* in the German \* water reactor. The rough  
20 burn-up in the assembly was 63.

21 In France the discharge burn-up is usually  
22 around 37, 40, but it is on assemblies which \* 58  
23 gigawatt days per \*. Also in Switzerland.

24 And that is the actual situation of  
25 discharge burn-up with the burn-up experience for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Fragema deliveries in Belgium, Germany, and France.  
2 In blue we have France. You can see that average  
3 discharge burn-up is around 37, 38 with lead  
4 assemblies at higher burn-up here. That corresponds  
5 to a rough burn-up of about 60 gigawatt days per ton  
6 metal.

7 In Germany and Belgium the numbers are  
8 quite higher, in green and yellow here. We show burn-  
9 up around 43, 45.

10 That was our experience, and now some more  
11 about the design and on the performance of the MOX  
12 fuel. First, the mechanical design of the fuel  
13 assembly structure is identical for uranium and MOX  
14 fuel assemblies.

15 MR. POWERS: That suggests to me that you  
16 anticipate the swelling of the fuel to be the same.

17 MR. BLANPAIN: I will show you some  
18 examples.

19 I submit the design of the fuel assembly  
20 first. Okay? So FOU to fuel meter variable  
21 prediction of the thermal critical behavior of the  
22 fuel rods. So we are making a design of the MOX fuel  
23 with adequate description of the MOX specific  
24 properties.

25 The design models and codes are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 continuously clarified by comparison with  
2 measurements, and that is continuing with high burn-  
3 up, and for the design code, we have for the moment  
4 the same level of \* as for uranium fuel.

5 In France, the current 17 by 17 fuel rod  
6 design accommodate high efficient \* of the MOX fuel by  
7 an increase of the plenum volume and the lower area of  
8 initial pressure, and that was \* mainly to accommodate  
9 high efficient gasoleaks (phonetic) due to the load  
10 follow effect.

11 In Germany, they don't do that because  
12 they have a larger plenum than the 13 by 13 designs.  
13 They have two plenums.

14 So some examples of the physical  
15 properties of the MOX fuel we use in all codes. The  
16 thermal properties, a more important one, and the  
17 specific heat of the MOX fuel compared to U2 fuel.  
18 You can see U2 in the red and the MOX fuel in black  
19 and blue. It's going from an open literature and  
20 showing it the same tendency.

21 The larger difference between MOX and U2  
22 is the thermal conductivity. The thermal conductivity  
23 of the MOX fuel is a little bit lower than the U2  
24 fuel. It depends, of course, on the plutonium content  
25 in the pellets.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Here we have the thermal conductivity of  
2                   temperature. The dashed line is U2 and the lower  
3                   using for the MOX fuel in blue. There is about a  
4                   difference of five percent for the six percent of  
5                   plutonium in the penthouse (phonetic).

6                   MR. POWERS: There is something that I  
7                   don't quite understand when you show heat capacity as  
8                   a function of temperature. For a heterogeneous  
9                   material, surely as you get up in the upper range of  
10                  that temperature you have plutonium dissolving into  
11                  the lattice.

12                 MR. BLANPAIN: Yeah.

13                 MR. POWERS: And that becomes a time  
14                 dependent phenomena, and there must surely be some  
15                 sort of heat of solution that's reflected in your  
16                 measurements, you know.

17                 MR. BLANPAIN: Yes, we have a \* of  
18                 plutonium in the metric has a very, very high  
19                 temperature above lattice, 1,800 degrees. No, there's  
20                 no asset to that, but it was measured, I know, because  
21                 we have performed measurement at very high  
22                 temperature.

23                 Finally, to the thermal expansion of fuel  
24                 U2, fuel U2 and mixture of \* U2 with the same BA load  
25                 of course.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Again, the fuel -- the thermal  
2 conductivity and the fuel temperature. That's just  
3 the reason of the experiment.

4           The final experiment is MOX and U2 rod  
5 flex with a central thermocouple evaluated in the same  
6 condition in the same reactor, and on the Y axis we  
7 have the central comparator as a function of the  
8 power. In blue we have the MOX fuel and in red the U2  
9 fuel.

10           You can see that small difference, and  
11 typically we have a difference of 50 degrees at 200  
12 watt per centimeter, cell \* temperature at beginning  
13 of life.

14           Also reasons for experiment about the fuel  
15 central departure, but at high level, that's a watt \*,  
16 50 gigawatt days per ton. It also is a rod pre-  
17 irradiated in a commercial reactor and then  
18 refabricated with central thermocouple and irradiated  
19 in the Alden reactor.

20           Here we have the comparison. Then we have  
21 the central temperature, assumption of power. The  
22 experimental points are in blue here. and the \* are  
23 the calculations made by design code. That's the  
24 percentage here and the two bounds, the upper and  
25 lower limits.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And that is the prediction at high burn-  
2 up, and what is interesting to note is that the fuel  
3 \* degradation with burn-up in MOX fuel is the same as  
4 for U2 fuel. It was demonstrated in the Alden  
5 experiments.

6           For fission gasoline, I'm going later on  
7 the resource, but that is the comparison of the  
8 prediction and the measurement with COPERNIC on 56  
9 commercial fuel rods irradiated to four radiation  
10 cycles, typically burn-up to 50, 53. I'm show a quite  
11 good prediction of the codes.

12           Now I will show you some regions from  
13 partial examination of irradiated fuel. We have a  
14 quite large experience feedback through surveillance  
15 and analytical programs. We have about 100 commercial  
16 fuel rods, to a rod burn-up of 60.

17           We have performed a lot of power ramp  
18 testing and also instrumented \* irradiation which have  
19 been launched through a national or international  
20 program to assess the particular interaction, fission  
21 gas release, fuel central temperature, \*  
22 specification, and so on.

23           Those experiments were published in the  
24 open literature.

25           But as the main reasons of those programs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So the MOX fuel has the same behavior as U2 fuel  
2 concerning the fuel rod growth, the cladding variance  
3 of the formation. That means the fuel swelling in  
4 normal irradiation conditions. So the irradiation of  
5 the fuel density is the same.

6 The cladding water wide corrosion, there  
7 is no MOX effect on the cladding and no mutual  
8 spectrum effect on the corrosion. As already  
9 mentioned, the pellet solid swelling is the same. It  
10 is quite normal because it is a cell fission  
11 (phonetic) product in the same amount of fission  
12 product in the U2 metrics.

13 Also with no difference concerning the  
14 zirconium oxide internal layer. That's zirconium  
15 oxide internal layer gross with burn-up after the  
16 contact of the pellet and the cladding, and then  
17 stabilized with thickness of around ten, 12 microns as  
18 in high burn-up U2 fuel.

19 Roughly the fission product and activity  
20 release of failed rod, of failed MOX rod is the same  
21 as for U2 MOX rod. So we can see some differences in  
22 the ratio of some isotopes. So that allows us to know  
23 if it is a linked MOX assembly or U2 assembly, but the  
24 activity release is the same.

25 And those results were published in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 literature.

2 So we're seeing the somewhat high  
3 efficient gasolines than U2 fuel at high burn-up.  
4 That means about 40 gigawatt days per meter, leading  
5 to a higher fuel rod internal pressure at the end of  
6 life. I will explain that later.

7 The MOX fuel shows a better cladding  
8 behavior due to the high creep property of the pellet.  
9 So it is interesting for us in France because the MOX  
10 fuel is automating (phonetic) versus the plant  
11 maneuverability. So there is no limitation for the \*  
12 operation.

13 And also there is no AW release in normal  
14 pressurized water reactor irradiation conditions. As  
15 you know, the MOX fuel produce more radium than U2  
16 fuel. This is another magnitude of difference mainly  
17 due to the decay of the Curium 242.

18 Helium release was observed in non-precise  
19 fuel rod, and it's also observed in boiling water  
20 reactor fuel rods, but in the case of pressurized fuel  
21 rod, there is no helium release because helium \*  
22 pressure is higher outside than inside the pellet.

23 So fission gas release data. After  
24 fission gas release, at the induction of rod burn-up  
25 for commercial fuel rods irradiated in EDF reactors in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 France. The MOX data are in red. They're compared to  
2 some U2 data, whereas it is also because it's due to  
3 quite high enrichment. That's in higher power than  
4 the standard U2.

5 And you can see that fission of radiator  
6 (phonetic) of the MOX is generally higher than for  
7 U2, and mainly at high level, above 42 gigawatt days  
8 per ton here.

9 What's interesting, that at high burn-up  
10 this is three cycle fuel rods, annual cycles, and four  
11 cycle fuel rods. There's no fission rate enhancement  
12 due to the burn-up alone. It's, of course, normal  
13 because the power during the four cycles is  
14 decreasing.

15 We had obtained very recently new fission  
16 release data after five irradiation cycles. They are  
17 here.

18 And loss MOX rod while irradiated, power  
19 level similar to the U2 fuel rods. So we can see that  
20 they are in the U2 range.

21 Other data provides by our German  
22 colleagues. Here we have the fractional fission \* as  
23 a fraction of the rod power during the second  
24 irradiation cycle because it's the high powered cycle,  
25 and there have been the open triangles, U2, and here

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the MOX fuel. There's data above 100 for \* and  
2 showing roughly the same \* at relatively low burn-up.

3 At somewhat high efficient gasoline we  
4 have observed in the ADS plant, is explained first  
5 mainly by the neutronic properties of the MOX fuel  
6 leading to the higher linear heat rate at medium and  
7 high burn-up. That's the first factor.

8 I know so the MOX fuel presents a  
9 different paired radial power density distribution  
10 leading to the higher fuel temperature at high burn-  
11 up, and that's higher power, high burn-up. It's  
12 explained by the K infinity showed by Steve Nesbit  
13 during his presentation.

14 So due to the physical properties, due to  
15 the relatively lower thermal conductivity already  
16 mentioned, what is important is the typical threshold  
17 for fission gas release is the same for MOX fuel and  
18 for U2 fuel that was demonstrated in different  
19 experiments. These are Framatome Halden reactor  
20 projects, and that tendency remains the same at high  
21 burn-up.

22 Another factor we could explain high  
23 efficiency gasoline is the oxide microstructure. It's  
24 the presence of plutonium rich particles of 230  
25 percent of Pu2 during the \* process can change and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 make an inefficient gasoline.

2 And due to the local high burn-up zone,  
3 which leads to the formation of dense pore  
4 populations. I didn't go into more details about  
5 that.

6 So as a result of EPMA measurements in MOX  
7 fuel, mainly in the plutonium enriched particles,  
8 that's a nine concentration, as I mentioned, for the  
9 burn-up as a function of the average paired burn-up of  
10 50, we have a local burn-up of 102, 150 gigawatt day  
11 per ton of metal in the plutonium enriched particles.

12 And what is interesting also to note, it's  
13 no big difference, is that it's normal between the  
14 periphery with radius and the center of the pellet.  
15 That's the nine. It's the difference increased  
16 slightly with burn-up. It's due to the fluid  
17 depression in the pellet of high burn-up.

18 Here we have a typical radial cut of a MOX  
19 pellet at high burn-up. It is 50, showing the typical  
20 cracked bottom as U2 fuel, but what we can see here,  
21 the black spots enhanced due to the chemical etching,  
22 but it is plutonium rich agglomerates.

23 And on magnification of that  
24 microstructure, it shows it on the large plutonium  
25 agglomerates, 20 microns. That's why it's a big one,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but periphery, we have the formation in the plutonium  
2 rich zones if porosities of brittles (phonetic). It's  
3 like a \*. At big radius, it goes out at center where  
4 the temperature is higher. We have \* coalescence, and  
5 so we have the presence of larger pebbles, and that's  
6 pretty centralized. Sometimes we have a big  
7 coalescence of the purpose leading to the whole  
8 surrounded by smaller porosities and metallic  
9 precipitates.

10 And here we have an X-ray map of plutonium  
11 and xenon in the set time of agglomerates. Here we  
12 have plutonium mapping. You can see in white plutonium  
13 rich zone with porosities in black. And to the right  
14 side is xenon mapping. We cannot see anymore xenon in  
15 the plutonium rich particle, mainly due to the cutting  
16 and polishing of the pellet. So the gas escape the  
17 porosities.

18 But it is interesting that we have a lot  
19 of xenon around, such as in red, higher with xenon,  
20 higher across red around the agglomerate, of course,  
21 is due to the fission in the U2 around agglomerates.

22 Actually now also we have plutonium also  
23 in -- this is quite a solid solution in the pellet,  
24 but also we have xenon around due to the fission  
25 spike, the \* and recourse, but our high burn-up with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 quite a lot of xenon in the U2 matrix.

2 We have homogenization of the fuel with  
3 the burn-up.

4 Also the result of EPMA analysis, but  
5 through the pellets, both the pellet's periphery and  
6 the pellet's center, in green here is the calculated  
7 prediction of xenon, and the red spot, the measured  
8 xenon. We can see a quite large expression, of  
9 course, is due to the porosities because we cannot see  
10 xenon porosities, but EPMA cannot see xenon in pulse  
11 and bubbles, and also we have cracks in the fuel \*.  
12 So about half of the gas escape in the detection.  
13 It's the same for U2, but particularly for the MOX  
14 fuel.

15 But what is interesting, that that fuel  
16 rod release -- I don't remember -- but five to six  
17 percent of gas, and we have the depression of xenon in  
18 the center of pellet exactly as can be seen on the U2  
19 fuel. So it is the same fission gasoline mechanics.

20 Going back to the helium in the fuel, the  
21 graphs show a helium balance in commercial figure of  
22 MOX fuel rods, and yet here, the helium volume t the  
23 permit (phonetic), and the open square here is initial  
24 volumes with uncertainty on the as fabricated fuel  
25 rods.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And the blue squares are the final volume  
2 of helium which is lower than the initial volume.  
3 That means that a part of the helium was absorbed by  
4 the fuel. It's well known we have exactly the same  
5 reasons for U2 fuel.

6           And also after power ramping. So we have  
7 an example here. The initial volume of the rod before  
8 ramp testing and in green the final volume after  
9 testing. So we have no helium release doing standard  
10 less two power ramps.

11           And the last results about fission gas  
12 release obtained for weapon grade MOX fuel. This is  
13 the data from Oak Ridge, the Oak Ridge National  
14 Laboratory. And those data are compared to commercial  
15 data coming from Germany. It's the same data I  
16 presented before.

17           The fractional release is a function of  
18 average pour (phonetic) during the second irradiation  
19 cycle. So we have German data, and here the data from  
20 the short rods irradiated by Oak Ridge at Aidelle  
21 (phonetic) with weapon grade fuel, and a quite large  
22 amount of gallium, around the one ppm.

23           And here after 20 gigawatt days per ton  
24 metal and sufficient gasoline resource, and after 30  
25 gigawatt days per ton metal. So we have a very good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 correspondence with other fission data. So we can say  
2 that there's no gallium effect on the fission  
3 gasolines.

4 And as a conclusion of my talk and our  
5 major and long-term development. So for economical  
6 reasons, MOX fuel will perform as efficiently as U2  
7 fuel, with the gas burn-up and \* of flexibility  
8 because the burn-up, the key balance to uranium fuel  
9 assemblies as applied in Germany, Switzerland, and  
10 Belgium. It's the maximum assembly discharge burn-up  
11 around 50 gigawatt days per ton of metal.

12 In France that U2 and MOX parity will be  
13 achieved near 2004 because today the maximum burn-up  
14 arrived is 52, and it's due to a MOX -- 52 is the name  
15 of the project.

16 The licensing process is underway. It's  
17 a quite constant process because it concerns the 20  
18 MOX license plans in France, and the rod burn-up will  
19 be 60 in that fuel management.

20 So that we are thinking about the future,  
21 that disparity must be studied on a long-term basis,  
22 and the objective of EDF is to further increase the U2  
23 fuel assembly discharge burn-up.

24 The next step is six days of degraded  
25 pattern meter (phonetic) assembly by 2010, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 research and development to prepare the future MOX  
2 product is still ongoing.

3 Thank you for your attention

4 MR. BOYACK: Thank you.

5 Any questions or comments?

6 MR. POWERS: I thought it was a very nice  
7 presentation, the introduction.

8 MR. BOYACK: Yes, it was.

9 There was a third presentation, and then  
10 we can open it up.

11 MR. POWERS: I have to leave.

12 MR. BOYACK: You have to leave? Okay.

13 Any other questions or comments here?

14 MR. NESBIT: That's it for us.

15 MR. BOYACK: That is? Okay. Very good.  
16 I just wanted to make sure I had that right. Okay.

17 Then you've escaped us without a lot of  
18 questions. Again, the presentation was very nice and  
19 very much appreciated.

20 MR. NESBIT: Thank you.

21 MR. BOYACK: Would you come up to the  
22 microphone if you have a question? Would you come up  
23 to the microphone?

24 MR. SCHAPEROW: Brent, would you like to  
25 pass around the sign-up sheet again? I think there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are a few more people that weren't here earlier.

2 MR. BOYACK: That would be good because I  
3 didn't pass it around at all.

4 MR. SCHAPEROW: Well, I think the very  
5 first day when we started the meeting you did.

6 MR. BOYACK: Yeah, okay.

7 MR. SCHAPEROW: If you could say your  
8 name.

9 MR. LYMAN: Yeah, I'm Ed Lyman from the  
10 Nuclear Control Institute.

11 I have questions actually for Steve  
12 Nesbit, but they pertain to the presentation we just  
13 saw.

14 I just want to establish for the record  
15 now we saw the pellet homogeneity distribution of the  
16 MIMAS fuel that's used in France, and I just want to  
17 compare that to the specification which DCS has issued  
18 in the dual qualification plan, and it looks to me  
19 like those are not the same, and that the DCS  
20 specification is less strict as far as concerning the  
21 size distribution of the agglomerate.

22 So it just --

23 MR. NESBIT: Well, the purpose of our  
24 presentation here wasn't to get into a detailed  
25 comparison of fuel specifications and information that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you may have gleaned or inferred from this  
2 presentation, and I'm not going to stand up here and  
3 try to respond to that question.

4 Do you have any other questions?

5 MR. LYMAN: But it's important because if  
6 you're going to argue that the French data is  
7 pertinent to this discussion, you want to know if the  
8 parameters are the same for the two types of fuels.

9 MR. NESBIT: The specification that we're  
10 using for weapons grade MOX fuel is fundamentally the  
11 same as the specifications being used in Europe today  
12 for reactor grade MOX fuel.

13 MR. LYMAN: But that -- well, I have the  
14 specification here. It says it's 95 percent of the  
15 plutonium enriched particles shall have an effective  
16 diameter of less than 100 microns, and the mean of the  
17 plutonium enriched particle distribution shall be less  
18 than 50.

19 Now, if you look at the distribution that  
20 was just shown, it shows a much smaller number, a much  
21 smaller fraction as an agglomerate size of 100  
22 microns. So it's --

23 MR. NESBIT: Well, but that's actual  
24 results of manufacturing process versus the  
25 specification. The specification provides upper

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 limits for acceptable parameters. It doesn't provide  
2 "you shall not be below this."

3 MR. LYMAN: Well, considering that  
4 Westinghouse recommended back in '94 that improvements  
5 be made for the U.S. MOX program, in fact, limits on  
6 plutonium agglomerates should -- the average should be  
7 limited to ten to 15 microns. Why don't you start  
8 with the specification that's at least as good as what  
9 the French are achieving and try to improve it?

10 MR. NESBIT: We're using the same  
11 specification.

12 Anymore questions?

13 MR. LYMAN: Okay. The other question I  
14 have is you keep maintaining that the maximum fuel  
15 assembly burn-up is typical of European experience,  
16 but from the graph that was shown, just by eyeballing  
17 this it looks like no more than about ten percent of  
18 the fuel assemblies that have been burned have burn-  
19 ups greater than about 40 gigawatt days per ton.

20 And so it just looks to me like a maximum  
21 burn-up of 45 is outside of the envelope of the bulk  
22 of the experience.

23 MR. NESBIT: It's clearly within the  
24 experience as shown by that graph, and I would further  
25 add that if you were to look at uranium oxide fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 burn-ups in the United States, you'd see a similar  
2 shape. b ut that doesn't mean we can't and don't take  
3 uranium fuel to burn-ups of 45 or 50 or 55 gigawatt  
4 days per ton.

5 MR. LYMAN: Well, but there are issues  
6 associated with high burn-up MOX fuel performance that  
7 may be more critical than high burn-up LEU fuel  
8 performance, and so I think it's even more critical  
9 that the experience be supported for the --

10 MR. NESBIT: Your opinion is noted.

11 MR. LYMAN: Okay.

12 MR. BOYACK: Okay. Thank you.

13 Let's see. If there were no other  
14 comments or questions, first off, I want to thank our  
15 guests for bringing in the MOX material. It was very,  
16 very much appreciated.

17 What will happen, for your information, is  
18 we will be meeting, if I can find the slide, we will  
19 be meeting in the third and final panel meeting here  
20 at the NRC February 19th to 21st, and that will be the  
21 meeting that focuses on the MOX source term  
22 applicability, February 19 to 21.

23 And I have you, Steve, I have you on the  
24 distribution list. So you'll receive the E-mails that  
25 have to do with that, but I wanted to make sure you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were aware of when we meet again.

2 MR. NESBIT: Do you anticipate a desire  
3 for any more participation from our team at that  
4 meeting or is that yes/no or is that to be determined  
5 later?

6 MR. BOYACK: Maybe I don't have the answer  
7 because I basically facilitate and rather than deal  
8 with the technical aspects of the meeting, but,  
9 Charlie, do you have any insights as to an answer to  
10 that question?

11 MR. TINKLER: Well, since that's the  
12 meeting at which we will be discussing release  
13 fractions, to the extent anyone has an interest in  
14 hearing those deliberations I would encourage you to  
15 attend, you know, if it's --

16 MR. BOYACK: And we --

17 MR. TINKLER: You know, if you think  
18 you're going to have an interest in that, I would  
19 encourage anyone to attend.

20 MR. NESBIT: Well, I'm sure we will. I  
21 just wondered if --

22 MR. TINKLER: No. Right now I guess I  
23 don't see a need for presentations as part of that.  
24 Okay? All that will be panel deliberations.

25 MR. BOYACK: But we also welcome and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accept the comments coming from the --

2 MR. TINKLER: Oh, sure, sure.

3 MR. BOYACK: -- the participants, too.

4 Okay. Well, very good. I think we have  
5 concluded the business that I had arranged for  
6 ourselves. What I will be doing is momentarily going  
7 upstairs adjacent to make copies as we did yesterday  
8 of the materials that we generate through the course  
9 of our discussions today, and certainly if you want to  
10 stay here for a few moments.

11 The other alternative is I'm going to be  
12 providing these as PDF files in any case to people,  
13 but we will go upstairs and make quick copies if you  
14 want to stay here for a few moments, and we'll be  
15 back. It takes us about 15 minutes to get them out of  
16 my computer through the copying machine and back down  
17 here to you.

18 PARTICIPANT: If we're leaving do we need  
19 escorts or do we need to wait for you?

20 MR. BOYACK: Okay. The question was  
21 whether we need escorts, and anybody that's not an NRC  
22 person needs escorts.

23 MR. SCHAPEROW: It says on your badge  
24 whether you do or not.

25 MR. BOYACK: With that, I will adjourn the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meeting.

2 Thank you very much.

3 (Whereupon, at 2:16 p.m., the meeting in  
4 the above-entitled matter was adjourned.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25