

**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
491st Meeting

PROCESS USING ADAMS  
TEMPLATE: ACRS/ACNW-005

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, April 11, 2002

**ORIGINAL**

Work Order No.: NRC-325

Pages 1-407

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4483

**ACRS Office Copy - Retain  
for the Life of the Committee**

TR04

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

491ST MEETING

+ + + + +

THURSDAY, APRIL 11, 2002

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Committee met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. George  
E. Apostolakis, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

- GEORGE E. APOSTOLAKIS Chairman
- MARIO V. BONACA Vice Chairman
- F. PETER FORD Member
- THOMAS S. KRESS Member
- GRAHAM M. LEITCH Member
- DANA A. POWERS Member
- VICTOR H. RANSOM Member
- STEPHEN L. ROSEN Member
- WILLIAM J. SHACK Member
- JOHN D. SIEBER Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACRS STAFF PRESENT:

2 JOHN T. LARKINS Executive Director

3 SHER BAHADUR

4 SAM DURAISWAMY

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

I N D E X

1

2 Opening Remarks by the ACRS Chairman . . . . . 4

3 Final Review of the Turkey Point License

4 Renewal Application . . . . . 7

5 Advanced Reactor Research Plan . . . . . 116

6 CRDM Penetration Cracking and Reactor Pressure

7 Vessel Head Degradation

8 Peter Ford . . . . . 206

9 Larry Mathews . . . . . 207

10 John Wood . . . . . 257

11 Ken Byrd . . . . . 278

12 Staff Presentations

13 Mr. Jack Grobe . . . . . 295

14 Ken Karwoski . . . . . 333

15 Westinghouse Owners Group (WOG) and Electric

16 Power Research Institute (EPR) Initiatives

17 Related to Risk-Informed Inservice Inspection

18 of Piping

19 Allen Hiser . . . . . 337

20 Andrea Keim . . . . . 357

21 Stephen Dinsmore . . . . . 367

22 Adjourn . . . . . 407

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



## P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIRMAN APOSTOLAKIS: The meeting will now come to order. This is the first day of the 491st meeting of the Advisory Committee on Reactor Safeguards. During today's meeting the Committee will consider the following: Final Review of the Turkey Point License Renewal Application; Advanced Reactor Research Plan; CRDM Penetration Cracking and Reactor Pressure Vessel Head Degradation; Westinghouse Owners Group (WOG) and Electric Power Research Institute (EPR) Initiatives Related to Risk-Informed Inservice Inspection of Piping; and Proposed ACRS Reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Howard Larson is the designed federal official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's sessions. A transcript of portions of the meeting is being kept and it is requested that the speakers use one of the microphones, identify themselves and speak with sufficient clarity and volume so that they can be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 readily heard.

2 I will begin with some items of current  
3 interest. First of all, we are welcoming back Mr.  
4 Graham Leitch.

5 MEMBER LEITCH: Thank you. It's good to  
6 be back.

7 CHAIRMAN APOSTOLAKIS: That's good. I  
8 would like to inform the members that Chairman Meserve  
9 will be here tomorrow at 11 a.m. to welcome our newest  
10 member. And at 1 o'clock tomorrow afternoon we are  
11 all going as a group to have our picture taken  
12 individually because eventually we will get new  
13 budgets.

14 MEMBER SHACK: I'll need to dress up for  
15 that.

16 (Laughter.)

17 MEMBER SIEBER: Would that be possible?

18 (Laughter.)

19 MEMBER SHACK: That's the problem.

20 CHAIRMAN APOSTOLAKIS: You all have this  
21 handout, items of interest. There are five speeches  
22 by the Commissioners at the recent Regulatory  
23 Information Conference. Also, we have summary of the  
24 Reactor Oversight Process Inspecting Findings that  
25 should be of interest and also you will see on page 27

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a news item that Westinghouse Electric Company has  
2 submitted an application for design certification of  
3 the AP-1000 design. And Dr. Kress has a tape perhaps  
4 we should all see?

5 MEMBER KRESS: Yes, I have here in my hot  
6 little hands a copy of a copy of a copy of a copy.  
7 Sandia at work, mostly, that I obtained by nefarious  
8 means and what this is is a tape showing a lot of the  
9 things they did to show the robustness of spent fuel  
10 casks, like running trains into them and dropping them  
11 off of buildings and etcetera. So if anybody is  
12 interested in seeing this and I have it and I guess  
13 Theron can set it up and show it at noon time some  
14 time.

15 CHAIRMAN APOSTOLAKIS: How long is it?

16 MEMBER KRESS: It's not very long.

17 CHAIRMAN APOSTOLAKIS: Okay, so maybe we  
18 can do that at 12:30 or so?

19 MEMBER POWERS: After members have watched  
20 it and convinced themselves that the casks are  
21 incredibly robust, I'll tell them what's wrong with the  
22 tests.

23 MEMBER KRESS: Okay, great.

24 CHAIRMAN APOSTOLAKIS: Okay, so I think we  
25 are now -- do the members have anything else to add by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 way of introduction?

2 Okay, so the first item on the agenda is  
3 the final review of the Turkey Point License Renewal  
4 Application.

5 Dr. Bonaca is our lead member. Dr.  
6 Bonaca?

7 VICE CHAIR BONACA: Yes, good morning. On  
8 March 13, the Subcommittee on License Renewal traveled  
9 to Turkey Point and at that time we visited the site.  
10 We were able to observe on the simulators the ability  
11 of the plant to interconnect the emergency diesel  
12 generators from one unit to the other unit for station  
13 blackout concerns.

14 We also heard from the plant about the way  
15 that they addressed closure of the open items. There  
16 were only four open items in the SER for license  
17 renewal. We had an opportunity to observe the site  
18 and note the excellent physical conditions of the  
19 equipment on the site.

20 In the afternoon on the 13th we met in  
21 Town Hall of Florida City and there we had a public  
22 meeting and we heard from the staff how the open items  
23 had been addressed and closed.

24 During that meeting we also had some  
25 observation from a member of the public. We also had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in writing some concerns raised by another member of  
2 the public. The two concerns really echoed each  
3 other. One of the concerns that was raised had to do  
4 with voids in the concrete structure of the  
5 containment identified at Turkey Point, both units, in  
6 the early 1980s. We heard from the site personnel on  
7 how the issue had been addressed. We felt reasonably  
8 confident that they had been addressed properly. We  
9 asked questions regarding the generic implications,  
10 how they had been addressed and for those we have  
11 asked the staff to come today and tell us how they  
12 were handled for the other sites.

13 And so with that in mind, we have a  
14 presentation this morning both from the Turkey Point  
15 people and from the staff and at this point I turn the  
16 meeting to PK Kuo who is here to present us on that.

17 MR. KUO: Thank you, Dr. Bonaca. Good  
18 morning, members of the Committee. My name is PT Kuo,  
19 the Program Director for the License Renewal and  
20 Involved\* Impacts Program. This is my first week on  
21 the job. Chris Grime has moved on to take on new  
22 challenges and we all wish him good luck. I also want  
23 to introduce Mr. Frank Gillespie on my right. Mr.  
24 Gillespie is the Deputy Director for the Division of  
25 Regulatory Improvements Program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Today, after the Applicant's presentation,  
2 the staff will brief the Committee on the review  
3 results of the Turkey Point license renewal  
4 applications and specifically, the staff will address  
5 in detail the questions raised by Mr. Oncavage in  
6 their letter to the Committee on concrete voids and  
7 the hurricane damages.

8 We are going to have an assembled panel to  
9 brief the Commission. We also have a technical staff  
10 sitting in the audience ready to answer any of your  
11 questions.

12 With that I will ask whether Mr. Gillespie  
13 has any opening remarks?

14 MR. GILLESPIE: Yes. Let me just address  
15 the concrete void issue because we may not have done  
16 as much research on it as we would like relative to  
17 everything from the old Oyster Creek problem with  
18 spalling concrete on the outside to the voids that  
19 were identified in the 1980s and going back and saying  
20 did we consider this generically at that time?

21 The staff is going to be prepared to  
22 address it for Turkey Point where we think it's been  
23 plant specifically resolved and I'm going to tell you  
24 right now we might have an IOU to have to come back as  
25 we were kind of talking about this last night,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 prepping for the meeting. We might not have done the  
2 generic research on the other aspects of it quite yet  
3 and we're kind of still in a process. The other thing  
4 is hopefully between the staff and the licensee's  
5 presentation, we will address things like Part 21 on  
6 analysis and decision points that are in Part 21 on is  
7 it significant, is it generic? And the lack of -- and  
8 it's a question of documentation for convenience.  
9 While the letter you got from this individual was, in  
10 fact, an open letter, the Agency did enter it and  
11 Region II is going to be on the phone to try to  
12 address this. They did enter it into the allegation  
13 system. Even though it was an open question it got  
14 put in the allegation system to make sure we followed  
15 up and got with the person and got back to them and  
16 got letters to them and did an inspection.

17 Unfortunately, that system gives the  
18 appearances because it, in general, was designed to  
19 protect people's identity of being kind of private and  
20 therefore the link to the plant-specific issue and  
21 what was done might not be obvious in public  
22 documentation because of that. So Region II is going  
23 to be on the phone to try to address that to the  
24 degree they can.

25 We put ourselves in a procedural box when

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we put a public issue in a private system.

2 MR. BLANCHARD: Yes. I realize just for  
3 the benefit for those members who were not in the  
4 meeting, this is all because in their mind there was  
5 an expectation that since this was a potentially  
6 generic issue, maybe the licensee had initiated a Part  
7 21 which speaks of a defect to a significant  
8 component. And Part 21's intent is the one of making  
9 the issue known, available to all plants so that  
10 people can look at their own plant and inform the NRC  
11 that there is an action to be taken on that. And  
12 that's why we raise these kind of issues and we will  
13 hear from Region II how it's handled.

14 MR. GILLESPIE: So we'll take our best  
15 shot at answering all of the questions, but we may  
16 have a little something. I talked to Goutam here and  
17 depending on how it all comes out when we get all the  
18 facts on the table, we might have an IOU still left.

19 VICE CHAIR BONACA: Yes, it's important,  
20 however, today that we also separate Turkey Point and  
21 how it was addressed at Turkey Point --

22 MR. GILLESPIE: Yes --

23 VICE CHAIR BONACA: From the generic issue  
24 because that may have to be handled actually -- they  
25 should be handled differently. We want to make sure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



1 that there isn't any outstanding issue to the drafting  
2 of a letter of the report at Turkey Point.

3 MR. GILLESPIE: Yes. And PT told me last  
4 night, he said "I'm the license renewal guy." And he  
5 says, "this is an operating question." I said, "Yeah,  
6 but you're stuck leading the meeting." So --

7 (Laughter.)

8 Thank you.

9 MR. KUO: And if I may add, we also have  
10 a Region II representative who will be tied up in the  
11 telephone line and to here and to answer any questions  
12 you may have.

13 VICE CHAIR BONACA: Thank you.

14 MR. KUO: Thank you.

15 CHAIRMAN APOSTOLAKIS: Okay, the Applicant  
16 can go ahead.

17 MR. HALE: Can everybody hear me okay?  
18 Hi, my name is Steve Hale. I'm the Project Manager  
19 for License Renewal for Turkey Point in St. Lucie. I  
20 thank you for the opportunity to talk to you all  
21 today. I know I've met several of you when you came  
22 to the site, as well as the ACRS subcommittee meeting  
23 we had last September.

24 What I'd like to do today is give you an  
25 overview of the application and then talk specifically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about two of the open items which were a little more  
2 complicated to address than say some of the others and  
3 I'm going to talk about the closure of the nonsafety  
4 related which can affect safety related category of  
5 scoping and the license renewal rule, what we call  
6 Category 2. Then I'll talk about field-erected tanks  
7 and the program that we propose for field-erected  
8 tanks to close that open item.

9 When we began the license renewal  
10 application effort for Turkey Point, a lot of the  
11 guidance that's in place today was really in draft  
12 form, so we had to drawn on multiple sources. While  
13 we had Part 54, we have a draft standard review plan,  
14 but it was under major revision at the time. We had  
15 a draft GALL report. We tried to address and look at  
16 GALL as part of our overall process, but that was also  
17 in the developing stage for Turkey Point. We had a  
18 draft Reg. Guide, but we had 95-10 which was issued,  
19 I guess the final rev. was in the 1996 time frame  
20 which had undergone somewhat of a demonstration  
21 program, so we utilized the methodology that was in  
22 95-10.

23 Additionally, we tried to use the lessons  
24 learned from previous applications, RAIs and RAI  
25 responses which were on-going with Calvert Cliffs and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Oconee at the time. And as generic issues were being  
2 resolved between NRC and NEI, we tried to factor those  
3 also in co-application as they were available and as  
4 they were applicable to Turkey Point.

5 One of the efforts NEI underwent in 1999  
6 was working with the NRC staff and trying to come up  
7 with a format that we both could agree on so we could  
8 get used to the information being presented in the  
9 same places. This was, I believe, in the 1999 time  
10 frame and essentially, based on the draft SCs that  
11 were issued for Calvert Cliffs and Oconee, plus some  
12 lessons learned through those reviews, we structured,  
13 we came up with a format that both the staff and NEI  
14 agreed to and ANO was really the first to follow that  
15 standard format and then we followed Hatch because of  
16 where they were in the development of their  
17 application, attempted as best they could to address  
18 that format, but based on where they were, they really  
19 had a difficult time in trying to comply with it  
20 totally.

21 And then I think the subsequent  
22 applications that have come down the pike, Dominion's  
23 applications, Duke's other applications as well as  
24 Peach Bottom, followed the standard format. It's  
25 broken down into four chapters. The first chapter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 addresses the administrative information requirements  
2 of Part 54. Chapter 2 goes through the methodology we  
3 utilize for scoping and screening and presents that  
4 results. Chapter 3 is where you do your aging  
5 management review and Chapter 4 addresses time-limited  
6 aging analyses.

7 Now I hadn't intended to go through  
8 scoping and screening methodology today. We went  
9 through that in great detail with the subcommittee on  
10 September 25th of last year.

11 Also, as part of that standard format  
12 there were several appendices. One was the UFSAR  
13 supplement. The second is Appendix B where we have  
14 summaries of our aging management programs presented  
15 in the ten element format addressing staff  
16 requirements on how they want aging management  
17 programs presented. We included an Appendix C and  
18 this was really to address some of the, what we call  
19 generic type RAIs, RAIs regarding positions, regarding  
20 aging effects and that sort of thing. It wasn't  
21 required by the standard format, but this was an  
22 intent on our part to address some of the RAIs we had  
23 seen in previous applications and we felt Appendix C  
24 did a good job of addressing some of those. Appendix  
25 D would include any of the technical specification

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 changes that would be identified by the overall  
2 process and then as an adjunct or really an attachment  
3 with the application comes the environmental report.

4 When you look at the scoping criteria in  
5 the rule there's a criteria of safety-related  
6 components that -- and there's three criteria  
7 stipulated for safety-related. Non-safety related  
8 which can affect safety-related, based on our review  
9 of this, we saw two types of non-safety which can  
10 affect safety. One is where the non-safety system has  
11 to function in order not to affect a safety-related  
12 component. And the other is one for potential of  
13 interactions, where the failure of the non-safety  
14 system could potentially affect the function of the  
15 safety-related system. And then category 3 is the  
16 five regulated events: fire protection, PTS, EQ, ATWS  
17 and station blackout.

18 In the application, you'll find in Section  
19 2.2 a summary of all the systems at the plant and the  
20 ones we had identified as in the scope of license  
21 renewal and we do the same with structures. As you  
22 can see, about half the systems in the plant have at  
23 least some portions that fall within the scope of  
24 license renewal and a little less than or a little  
25 more than a third of the structures at the site.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I have to note that the structures at the  
2 site include anything in the protected area so you  
3 have a lot of the administration buildings and that  
4 sort of thing as why not essentially comes into play  
5 is the power block buildings.

6 For screening, this is where you really  
7 get down to the nuts and bolts of the components and  
8 structural components that support the functions that  
9 were identified in the system and structure level of  
10 scoping. And going through screening, the first step  
11 you do a component level scoping. Then you look at  
12 whether the component performs its function without  
13 moving parts or change configurations, essentially  
14 what we consider to be passive and/or they're not  
15 subject to replacement based on a qualified life. So  
16 you take each major system or structure in the plant  
17 that falls within the scope of license renewal. You  
18 break it down into its pieces, parts, you determine  
19 which ones support the functions and you establish  
20 which of those components are passive and which ones  
21 are not replaced regularly.

22 The results of screening are presented in  
23 the six column tables in Chapter 3. One of the  
24 lessons learned that we had with the Oconee and  
25 Calvert Cliffs applications was the fact that it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really makes it good to see the entire IPA on one set  
2 of tables, so you have the scoping and screening  
3 results essentially in the first two columns and then  
4 you have a balance of the aging management reviews, so  
5 rather than including duplicate tables in Chapter 2  
6 and Chapter 3, we simply provide a summary in Chapter  
7 2 and refer to Chapter 3 which lists the scoping and  
8 screening results and then you can see the rest of the  
9 IPA stacked up with each one of those components.

10 The mechanical sections, again, this is  
11 consistent with the standard format that was  
12 developed. You had a reactor coolant system,  
13 connected systems, emergency safety features,  
14 auxiliary systems and steam and power conversion.

15 In the structural area, we chose to break  
16 it up between the containment and other structures and  
17 in the electrical and I & C section, it essentially  
18 looks at all the electrical components of the site and  
19 it follows a slightly different process than the  
20 mechanical and civil sections.

21 We also submitted license renewal boundary  
22 drawings along with our application. Again, the staff  
23 has indicated that really facilitates their review in  
24 the mechanical area and lets them see what the  
25 boundaries were and what equipment was included in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scope based on the actual drawings generated from the  
2 PNIDs at the plant.

3 Aging Management Reviews are presented in  
4 Chapter 3 and Appendix B because really the Aging  
5 Management Review not only consists of identifying the  
6 aging effects, but demonstrating the aging effects are  
7 adequately managed for the extended period of  
8 operation.

9 To facilitate the review, we grouped the  
10 items in the Aging Management Review the same way  
11 they're grouped in the scoping and screening section  
12 so you had a one to one correlation through the  
13 application. Again, the results are presented in the  
14 six column tables including identifying the aging  
15 program that manages any aging effects that  
16 requirement management.

17 For nonclass 1 components, again in  
18 Appendix C, some of the technical positions we took  
19 regarding certain types of aging effects are presented  
20 there for non-Class 1 mechanical as well as civil  
21 structural. In the Class 1 area, we develop and  
22 discuss the aging effects specifically in Chapter 3.

23 One of the things that we felt was  
24 mandatory as part of our review for license renewal  
25 was doing an extensive review of both industry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 experience as well as plant-specific experience at  
2 Turkey Point. We reviewed INPO and NRC generic  
3 communications and also our responses and any of those  
4 that really were related to aging we went back and  
5 relooked at those to see if we'd addressed them  
6 appropriately.

7 In terms of plant-specific history, we  
8 went back and looked at the nonconformance reports and  
9 condition reports, I think all the way back to the  
10 early 1980s. We looked at event response teams.  
11 These are teams we form when we have a significant  
12 event at Turkey Point like a plant trip, those sort of  
13 things. We form teams whose goal is not only to  
14 identify what needs to be done to get the plant  
15 started up, but also root cause and this type of  
16 thing.

17 One of the great source of information we  
18 have, we have a metallurgical lab and all of the  
19 nonconforming conditions or condition reports that  
20 require metallurgical analysis are submitted to the  
21 metallurgical lab for determination of root cause and  
22 the type of aging effects. We also drew on that  
23 population. Those were available, I think, at Turkey  
24 Point we had over 200 metallurgical lab reports so we  
25 used as another major source of information for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operating experience.

2 And as also part of our process, our  
3 procedures and the way we developed our Aging  
4 Management Review had us go and specifically talk to  
5 the system engineers and the component engineers. My  
6 team was located on the Turkey Point site, so we had  
7 quite a bit of interface with the engineers that deal  
8 with the systems on a day to day basis.

9 CHAIRMAN APOSTOLAKIS: Now from the  
10 metallurgical laboratory reports, I don't understand  
11 what benefit you had from those. Is it possible that  
12 you would decide to do something by looking at one of  
13 those reports that you had not already done?

14 MR. HALE: One of the issues that has been  
15 identified as the one -- hey, we don't think aging  
16 effects are occurring, but you need to go in and do  
17 one-time inspections to verify. Pitting is a good  
18 example. But if you go back and you look at  
19 metallurgical and you sort on things like stainless  
20 steel systems with chemistry control, you can look as  
21 whether you've ever had any specific failures related  
22 to pitting or stress corrosion cracking. We use  
23 metallurgical lab reports when they determined that  
24 we've had loss of material due to MIC and we folded  
25 those -- we developed tools for doing aging management

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reviews on the non-Class 1 mechanical systems because  
2 those are the ones where you get the wide variety of  
3 materials and environments. And one of the things you  
4 use is hey, the tools the industry may develop may say  
5 that you have to address stress corrosion and cracking  
6 in the system, but if we can go back to the  
7 metallurgical lab reports and say we've never had  
8 stress corrosion cracking in this system and we can  
9 develop a technical basis for it, it provides a good  
10 source of information. Again, on the other hand, the  
11 tools the industry develops may say you don't get MIC  
12 in these kind of systems. Where we have experienced  
13 MIC and we discovered that through our interface with  
14 the metallurgical groups as well as the metallurgical  
15 lab reports. So we're not saying that we just use it  
16 carte blanche. What we're saying we use that  
17 information as additional research in some of the  
18 technical positions we may have taken with regards to  
19 aging effects.

20 CHAIRMAN APOSTOLAKIS: Okay.

21 MR. HALE: Any other questions related to  
22 that? Okay.

23 Time Limited Aging Analysis. These were  
24 the major TLAAs at Turkey Point: EQ, class and  
25 balance of plant fatigue, containment tendon

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 relaxation, reactor vessel irradiation embrittlement.  
2 We had a couple of cases wear/erosion where we had  
3 TLAAs associated with that. Containment liner  
4 fatigue, crane fatigue. Also as part of the rule we  
5 have to do a review of time bound exemptions whether  
6 we had any and our review determined we didn't.

7 With regard to the UFSAR supplement, we  
8 submitted a markup with the application. In addition  
9 to that we included a new chapter in the SAR which  
10 includes all the AMPs that are committed to for aging  
11 management, as well as a description of every one of  
12 the TLAAs that were identified. Also, in the FSAR  
13 supplements our commitments related to programs are  
14 included. Now additionally, one of the things we did  
15 with the staff, we've updated the SAR supplement to  
16 include all the commitments that were identified as  
17 part of our review of the application. In other  
18 words, with RAIs, responses to RAIs, we included any  
19 additional commitments that came out of that  
20 interchange into a revised SAR supplement that we  
21 issued late last year.

22 With regards to Appendix B where Aging  
23 Management Programs are located, for each aging effect  
24 requirement management an Aging Management Program is  
25 identified. We presented these programs in the 10

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 attributes following the guidance issued by the NRC.

2 We've got three categories of Aging  
3 Management Programs. We have those that are existing,  
4 those that need to be adjusted and those that are  
5 brand new. You see we have pretty equal distribution.

6 Again, I described Appendix C, non-Class  
7 1 component, Aging Management Review Process, it's not  
8 required by the regulation, but we did submit it to  
9 address some of the previous RAIs we had seen and  
10 other applications. And Appendix D was technical  
11 specification changes. We did not have any for the  
12 Turkey Point license renewal application.

13 I just wanted to mention the environmental  
14 report because there is an environmental piece. Some  
15 of the unique things about the Turkey Point site, we  
16 have thousands of miles type of cooling canal system  
17 and you see it from satellite photos, in fact. We do  
18 not identify the need of any major refurbishment which  
19 is one of the issues that needs to be addressed in the  
20 environmental report.

21 We do not use wells at the site. We  
22 essentially, the only water we use from the local  
23 community is domestic water. And the evaluation we  
24 performed against the alternative show that license  
25 renewal is the lowest impact option under the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 environmental review.

2 MEMBER LEITCH: Steve, I have a question.  
3 I'm not sure if this is the right time to bring it up  
4 or not, but the fossil units that are adjacent to the  
5 nuclear units --

6 MR. HALE: yes.

7 MEMBER LEITCH: It seemed to me that --  
8 and I'm going on memory of quite a few years back, but  
9 it seemed to me that during Hurricane Andrew there was  
10 some missiles from the fossil unit that damaged a part  
11 of the nuclear unit. I think it was in the fire  
12 protection pump house or something like that.

13 MR. HALE: What happened was we had a high  
14 tower out in the water treatment plant area and the  
15 high tower fell over on one of our domestic water  
16 tanks. We have two tanks and the domestic water tanks  
17 are also what you credit for your Appendix R, I  
18 believe A-1, whatever, it's our fire protection water  
19 sources. So the tower actually fell over on one of  
20 the tanks and as a result we got into one of the start  
21 up issues we had related post-Hurricane Andrew was  
22 providing the water sources until we could reconstruct  
23 that tank.

24 MEMBER LEITCH: I guess my question is in  
25 the 20 years extension period for this license, what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assurance do we have that the fossil units wouldn't be  
2 retired and as many fossil units abandoned in place  
3 and that there might be missiles, if you will, created  
4 as a result of that that could in future storms damage  
5 the nuclear unit?

6 MR. HALE: Well, for one, the safety-  
7 related equipment is protected from missiles as part  
8 of our design basis. In fact, the safety-related  
9 portions of the plant and even some of the nonsafety-  
10 related portions of the plant survive very well. We  
11 were back on line within a month after Hurricane  
12 Andrew.

13 There were a lot of missiles during  
14 Hurricane Andrew, independent of whether the fossil  
15 unit was there or not. We had winds in the area of --  
16 the eye passed over Turkey Point and we were in 150 to  
17 160 miles per hour range. The South Florida building  
18 code is about 120 and so trees -- there was a missile  
19 that went through one of the oil tanks, what they call  
20 the day tanks that affected that particular tank.

21 The nuclear plant fared very well with the  
22 exception of that high tower falling on the fire water  
23 tank and a materials warehouse that was outside of the  
24 protected area. The plant did very well. I think  
25 it's a proof test on the plant so to speak, but one of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the things in terms of interactions that was  
2 identified some years ago and has been evaluated is  
3 the seismic capability of the smokestacks. And they  
4 have been evaluated. In fact, we've included them in  
5 the scope of license renewal for that very reason.

6 MEMBER LEITCH: Okay, the smokestacks at  
7 the adjacent fossil plant?

8 MR. HALE: Yes, yes. You'll find them  
9 discussed in the application, in fact.

10 MEMBER LEITCH: That's good. Thank you.

11 MEMBER SIEBER: Those stacks aren't very  
12 high though, right?

13 MR. HALE: About 400 feet. I wouldn't  
14 want to climb to the top of them. There are some  
15 folks who do who have to work on the lights, that sort  
16 of thing.

17 Okay now I'd like to go through the  
18 resolution of open items and Dr. Kress, I've tried to  
19 -- you had mentioned the criteria, so I've included  
20 some additional information there. I hope I address  
21 your question that you had.

22 This is a presentation I went through with  
23 the subcommittee when they were at the site. The open  
24 item is entitled scoping of seismic II over I piping  
25 systems. It really goes beyond that. This is really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 interactions between nonsafety and safety-related  
2 system and the potential impact on safety-related.

3 One of the things I wanted to summarize  
4 was go through the components we included in the scope  
5 of license renewal to start with: (1) any pipe  
6 segment beyond the pressure boundary which is included  
7 in the seismic analysis, we included that pipe segment  
8 in the scope of license renewal because it fit in that  
9 first category which is it's performing a function in  
10 support of the safety system.

11 We included all piping component supports  
12 for nonsafety-related mechanical systems with the  
13 potential of seismic II over I interactions because  
14 Turkey Point is an older plant. We did this on an  
15 area basis. We basically went through each building  
16 of the plant and any room that contained both  
17 nonsafety and safety-related equipment all the  
18 nonsafety-related supports were in the scope of  
19 license renewal in that area, regardless of whether  
20 the stuff could follow effect or whatever, we just  
21 said this area contains both types, so as a result all  
22 the nonsafety-related supports associated with  
23 ductwork, cable trays, conduit and in addition to that  
24 we included the conduit itself, the cable trays and  
25 other structural components outside of the mechanical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 area, in these areas where you had both safety and  
2 nonsafety equipment.

3 In addition to that, we had done a fairly  
4 extensive internal and external flooding analyses so  
5 anything related to that was included in the scope of  
6 license renewal and this basically included curbing.  
7 We have some sump pumps down in the RHR pump rooms and  
8 those sump rooms that were included in the scope of  
9 license renewal as well to accommodate flooding  
10 effects and in addition to that, we included all the  
11 pipe whip restraints, barriers, these type of things  
12 that we credit for jet impingement, effects of spray  
13 and pipe whip.

14 That's what we included in the scope of  
15 license renewal to start with. After a lot of  
16 dialogue between the staff and ourselves, the issue  
17 that was identified is that the effects of pipe whip,  
18 jet impingement, physical contact, pipes falling on  
19 pipes and leakage due to credible and that's an  
20 important word, credible nonsafety-related pipe  
21 failures, beyond the current assigned break locations  
22 because we've evaluated breaks in certain places, but  
23 we haven't evaluated them across the board, need to be  
24 considered based on the industry operating experience.  
25 In other words, if you'd had failures of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 nonsafety-related piping, through operating  
2 experience, and you have a piece of a similar type  
3 piping routed above safety-related equipment, then  
4 that should be something that should be included in  
5 the scope of license renewal and managed from an aging  
6 standpoint.

7 As a result of this issue, there may be  
8 some additional pipe segments that need to be included  
9 in the scope of license renewal and thus an Aging  
10 Management Review needs to be performed. During our  
11 ACR Subcommittee walk down to the plant, I showed the  
12 ACR Subcommittee an example of the kind of pipe we  
13 were talking about.

14 What we did as a result of that and all  
15 these rooms where we had both nonsafety and  
16 safety-related equipment we did an evaluation assuming  
17 credible failures based on operating experience of  
18 nonsafety-related piping beyond what's currently in  
19 our current license basis. If there was an  
20 interaction with safety-related components as a result  
21 of this failure, we in turn included that pipe segment  
22 in the scope of license renewal.

23 To address the criteria --

24 CHAIRMAN APOSTOLAKIS: Let me understand  
25 this. Something is credible if it has happened?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HALE: In operating experience in the  
2 industry.

3 CHAIRMAN APOSTOLAKIS: Oh, in the industry  
4 at large.

5 MR. HALE: In the industry at large. Not  
6 necessarily -- although a lot of this piping is not in  
7 the scope of license renewal and that sort of thing,  
8 we don't operate with leaks at the site and we manage  
9 that, but the real issue is when you're looking into  
10 the future, without doing specific aging management  
11 say on a piece of pipe, could it fail, such that it  
12 would affect safety-related equipment.

13 So we used a fairly conservative criteria  
14 in establishing the interaction. Basically, what we  
15 said if we had a nonsafety-related piece of pipe in a  
16 room with electrical equipment and that electrical  
17 equipment is not qualified for outdoor service, then  
18 we said that pipe is in the scope of license renewal.  
19 We didn't do a rigorous evaluation or analysis of  
20 spray and see if the component could accommodate it.  
21 We basically just concluded whether it would actually  
22 affect it or not through analysis, we said that pipe  
23 segment was in the scope of license renewal from a  
24 leakage standpoint.

25 From the pipe whip, jet impingement and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 physical contact and this was basically the high  
2 energy piping out on the turbine building, it really  
3 took walk downs and actual physical observation of the  
4 piping and essentially we took the criteria that if we  
5 could see the pipe and the safety-related equipment,  
6 that piece of pipe was in the scope of license  
7 renewal. It wasn't based on a rigorous analysis, but  
8 we took a very conservative posture on this.

9 And in this case it was primarily conduit  
10 and cable tray routed out in the turbine building, so  
11 if we had to run a cable tray between two walls and  
12 there was high energy piping in the area, we said that  
13 high energy pipe is in the scope of license renewal.

14 I don't know if that addresses the  
15 criteria question that you have, but we basically just  
16 took a conservative position on it.

17 What was the results of all this? We  
18 included a number of pipe segments in five of the  
19 structures that contained safety and non-safety  
20 equipment. We identified the aging effects requiring  
21 management for those pipe segments and for those that  
22 require aging management, we included them in our  
23 chemistry control program, our systems and structures  
24 monitoring program and our Flow-Accelerated Corrosion  
25 Program. And we've already made al those changes in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the program documents. In most cases, they were  
2 already included in the program to start with. We  
3 just had not identified the piece of pipes in the  
4 scope of license renewal.

5 MEMBER ROSEN: What is the qualifier as  
6 applicable?

7 MR. HALE: Well, this is just a broad  
8 statement, you know, you don't use FAC on a non-FAC  
9 system. It was just a broad -- if you locate our  
10 open-item response, I don't know if you all have  
11 copies of that. We highlight specifically what  
12 systems and what programs apply to which pipe  
13 segments.

14 MEMBER ROSEN: But it's not an out -- all  
15 of the above is true except when we decide we don't  
16 want to.

17 MR. HALE: No, no, no, no. The intention  
18 here is not all these programs apply to all the pipe  
19 segments, that's all. FAC applies to only certain  
20 types of systems. Chemistry applies to certain  
21 systems as well as the system structures and  
22 monitoring program. It's in a lot of detail in our  
23 open item response and we've incorporated it on a  
24 component level basis where we identify the specific  
25 programs that are required.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Any more questions on II over I? Now this  
2                   is one that I think the industry and the staff are  
3                   working towards a resolution such that this will not  
4                   become an open item on subsequent applications where  
5                   the guidance gets clear, because a lot of it comes to  
6                   communications and your ability to understand what the  
7                   true issue is and I think once we understood, then it  
8                   was easy for us to work through what it was we needed  
9                   to do.

10                   VICE CHAIR BONACA: Do you think the  
11                   guidance now is clear enough?

12                   MR. HALE: I think it's still going to be  
13                   a challenge because for -- for older plants. I think  
14                   newer plants, we've done an initial scoping review for  
15                   St. Lucie. It's not going to be quite the same. The  
16                   older plants have some unique design features --

17                   VICE CHAIR BONACA: But the logic is  
18                   pretty clear. Older, previous evaluation, II over I  
19                   were based on concerns with high energy line break, so  
20                   therefore you're looking for those kind of effects,  
21                   not aging.

22                   MR. HALE: Right.

23                   VICE CHAIR BONACA: Whatever. Aging now  
24                   introduces potentially some other locations for  
25                   failures that are not already covered by previous, so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it seems to me the logic is clear. I mean --

2 MR. HALE: Right.

3 VICE CHAIR BONACA: The question is how is  
4 the guidance now because we're be looking for. We  
5 thought that the guidance provided in the SER for  
6 Hatch was quite clear.

7 MR. HALE: Yeah. Once you understand what  
8 the true issues are, I think that -- again, these  
9 guidance and these generic interchanges we're having  
10 with the staff are a real positive step, I feel, get  
11 some of these down on paper, you know, so we can -- we  
12 don't get into the point where it's an open item.

13 But the other item I was going to talk  
14 about was related to field-erected tanks. This was an  
15 item where the NRC had identified to us three times  
16 they wanted us to address regarding field-erected  
17 tanks. One, we had not supplied specific acceptance  
18 criteria in the application regarding inspection.  
19 They wanted us to include some additional provisions  
20 in our program that called for additional examinations  
21 if the one-time inspection we had proposed identified  
22 extensive loss of material. And also provide a little  
23 more information regarding why we felt we only needed  
24 to do one-time inspection on these tanks.

25 With regards to the acceptance criteria

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and additional examinations, the acceptance criteria  
2 is any loss of material greater than the tanks  
3 corrosion allowance, okay, will require specific  
4 corrective action in our corrected action program and  
5 as part of that, we'll consider the use of any  
6 additional volumetric or service inspections and  
7 identify as well, whether we need to do follow-up  
8 inspections and that has been incorporated into the  
9 program requirements.

10 Our basis behind one-time inspection and  
11 I'd like to point out in any of these cases where we  
12 say a one-time inspection is because we're going into  
13 it with the thought that we don't expect to find an  
14 issue. In any of these one-time inspections, if we do  
15 find problems we would be required under our  
16 corrective action program to follow up and establish  
17 future inspections and that sort of thing. So when we  
18 say one-time inspections, we're saying that this is  
19 something where we don't expect to find anything, but  
20 our corrective action process would require us to  
21 follow-on if we had to.

22 VICE CHAIR BONACA: So if you find  
23 something when you do the one-time inspection, you'll  
24 convert that to a program?

25 MR. HALE: It depends on the aging effect

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and what it may be, but if it's something that looks  
2 like it's going to be a continuing thing that we need  
3 to manage, then certainly we would institute follow-on  
4 inspections, but that would be part of our assessment  
5 and evaluation and what we saw.

6 Again, the first plan is under the one-  
7 time we don't expect to find significant aging. Our  
8 plant operating experience has revealed no incidents  
9 of degradation of CSTs, RWSTs and DWSTs, other than  
10 some repairs we had to do to the condensate storage  
11 tanks were attributed to one, we had some poor  
12 coatings to start with on the tank and secondly, the  
13 tank was being subjected due to an operational problem  
14 to hotter basically steam fluid was blown into the  
15 tank which was causing some degradation around the top  
16 that it was never really designed for. This is a  
17 field-erected atmospheric tank and it was being  
18 exposed to some higher temperatures.

19 Secondly, we went into the demineralized  
20 water storage tank recently to install a floating  
21 cover on it to help with oxygen control. We didn't  
22 find any degradation in that tank as part of that  
23 modification we performed.

24 On top of that, the RWSTs, the CSTs and  
25 the DWSTs, we inspect those. Those are part of our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on-going external inspection program so any problems  
2 with the tank, you would see corrosion that sort of  
3 thing on the outside of the tanks.

4 When the ACRS Subcommittee was at the  
5 site, we pointed out a couple of the tanks as part of  
6 our walk down we did.

7 Okay, that's all I had with regards to my  
8 formal presentation.

9 Do you have any other questions?

10 VICE CHAIR BONACA: Do you have anything  
11 to say about the statements from Mr. Oncavage or are  
12 they going to be at a later time?

13 MR. HALE: I went back and as part of Mr.  
14 Oncavage's statements I looked at what we did as a  
15 utility, with regards to the discovery, analyzing it,  
16 evaluating any corrective actions. With regards to  
17 the Part 21 issue, our procedures require us to  
18 address defects under Part 21. It's a mandated  
19 requirement. It's in our quality instructions.

20 One of the things that you have to do  
21 though is to do a significant safety hazards  
22 evaluation to establish whether it is reportable under  
23 Part 21. With regards to this particular event, the  
24 evaluation performed by Bechtel one, determined that  
25 the pressure integrity of the containment was never

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       compromised and this is documented in the Bechtel  
2       evaluation after discovery of the event --

3                   VICE CHAIR BONACA: The design capability  
4       of the containment?

5                   MR. HALE: Well, two things. One the  
6       pressure integrity, certainly the containment had  
7       undergone integrated leak rate tests as well as the  
8       structural integrity test previously and if you look  
9       where the void was, it was beyond the welded portion  
10      of the pressure battery.

11                   Secondly, in that evaluation that Bechtel  
12      performed they also demonstrated that the structural  
13      integrity of the containment was not affected by the  
14      voids. So for it to be reportable, at least from our  
15      procedures, under Part 21, it would have to represent  
16      a significant safety hazard and based on the fact that  
17      the pressure integrity and the structural integrity  
18      were not affected by the voids, it would not represent  
19      a significant safety hazard.

20                   VICE CHAIR BONACA: What I'm asking about  
21      is the design capability, I'm referring specifically  
22      to what you're committed to in your testing which is  
23      your testing the containment for your design  
24      capability which typically is lower, much lower than  
25      the overall structure -- ultimate capacity.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HALE: Right.

2 VICE CHAIR BONACA: So the question I had,  
3 I guess, is that evaluation did not address the  
4 ultimate capacity. It addressed the --

5 MR. HALE: The design capacity.

6 VICE CHAIR BONACA: Design capacity.  
7 Okay. Just to make that clear. And so because of  
8 that, it is now reported under Part 21?

9 MR. HALE: Right.

10 MEMBER LEITCH: I have a question about  
11 your ability to inspect the head as per this recent  
12 NRC inspection, NRC request, I should say. There are  
13 different insulation configurations throughout the  
14 industry which make it more or less difficult for  
15 people to get a good look at the head. What's your  
16 status as far as that response is concerned?

17 MR. HALE: Turkey Point, we've completed  
18 bare metal inspections on both heads. Unfortunately  
19 Turkey Point was, if you recall back in 1987, we had  
20 a leak that we operated with --

21 MR. WILLIAMS: Excuse me, Steve?

22 MR. HALE: Yes.

23 MR. WILLIAMS: Is that the right slide?  
24 You've got station blackout up there?

25 MR. HALE: I'm sorry, I apologize.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 I'm sorry, I had a slide for the  
3 Davis-Besse.

4 (Pause.)

5 Excuse me.

6 MEMBER ROSEN: It's going to be  
7 interesting to see you tie the two together.

8 (Laughter.)

9 MR. HALE: All right. As far as the -- as  
10 I was saying, Turkey Point had an event with some  
11 significant leakage in the reactor vessel head area.  
12 In fact, it's what prompted 8805. We had operated, I  
13 believe, about -- I believe it was about six months  
14 with a known leak in the reactor vessel. It was the  
15 conoseals.

16 As a result of corrective actions related  
17 to that, one our insulation configuration was changed  
18 somewhat to where we had inspection ports.  
19 Additionally, we installed a radiation detector that  
20 actually sniffs the head area and so we can get some  
21 intelligence, you know, when we get high radiation and  
22 containment and can help maybe locate whether --

23 MEMBER SHACK: N-16?

24 MR. HALE: Pardon?

25 MEMBER SHACK: N-16s?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HALE: No, it's just radiation  
2 detector in the head region. It's in an enclosure, so  
3 we actually have a -- it's something we did to tell  
4 us. And we also instituted some very stringent  
5 leakage controls. We require specific evaluation if  
6 leakage reaches .5 GPM and if needed, we'll actually  
7 go in and do containment walk downs.

8 So the combination of those things,  
9 although it was a negative event, I believe has  
10 created a situation that we're finding and what we did  
11 is we did a bare metal inspection as a result of  
12 bulletin in 2001 related to Inconnel 600 on Unit 3 in  
13 October of 2001 and we also did it in March of 2002.  
14 I would also like to point out we were able to do this  
15 and accommodate it within a normal -- we're doing  
16 refueling outages in a 25-day type time frame and we  
17 were able to accomplish this with that. We used  
18 remote TV cameras. I actually went through the report  
19 evaluation and they addressed each individual nozzles.  
20 We've got videos and pictures, but it was clean.  
21 There was no evidence of leakage and there was no  
22 evidence of boric acid accumulations.

23 MEMBER SHACK: And you can literally do  
24 100 percent inspection?

25 MR. HALE: One hundred percent visual.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 With remote, television cameras and that sort of  
2 thing. I believe it was Framatone that's developed  
3 the -- but it's very detailed.

4 MEMBER ROSEN: This radiation monitor you  
5 talk about, is it sampling the environment, the air  
6 and taking it through a filter and putting it in front  
7 of a detector?

8 MR. HALE: Yeah.

9 MEMBER ROSEN: Now those filters, are  
10 those looked at?

11 MR. HALE: Yes. They're replaced  
12 periodically.

13 MEMBER ROSEN: What do you find on the  
14 filters?

15 MR. HALE: I'm not sure. You're asking a  
16 question that goes beyond --

17 MEMBER ROSEN: Well, I ask it because  
18 Davis- Besse found a lot of iron oxide on their  
19 filters and they had a similar system.

20 I think you ought to be finding that the  
21 filters are clean.

22 MR. HALE: They replace the paper  
23 periodically because they have to for the monitor  
24 itself.

25 MEMBER ROSEN: They take off the paper to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 replace it because they analyze it.

2 MR. HALE: Yes.

3 MEMBER ROSEN: But not because it's  
4 plugged up or anything.

5 MR. HALE: Yeah.

6 MEMBER ROSEN: But you don't know?

7 MR. HALE: No.

8 MEMBER LEITCH: As a result of your  
9 operating with the leakage back in the 1980s whenever  
10 it was, did you find any wastage at that time?

11 MR. HALE: Not very much, but I think the  
12 number that was quoted, like I said, I'm reaching here  
13 was in the hundreds of pounds, had accumulated on  
14 three of the reactor vessel studs in that stud area,  
15 so there was some wastage on the studs. There was no  
16 real wastage on the head itself, but again, this was  
17 a conoseal leak.

18 MEMBER LEITCH: I understand.

19 MR. HALE: And it was, I believe in the --  
20 it was within tech specs, but it was just spraying  
21 over about six months it accumulated boric acid.

22 MEMBER LEITCH: Okay, thank you.

23 VICE CHAIR BONACA: Going back a moment to  
24 the issue of the concrete, what did you do? How was  
25 it repaired? What I am trying to understand is what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the condition of the containment right now for both  
2 units? I understand you repaired what you found. You  
3 did not open every part of the containment so you had  
4 the inspections to identify whether you had other void  
5 issues?

6 MR. HALE: Bechtel essentially did a root  
7 cause on the issue that was discovered. The root  
8 cause determined it was a combination of a difficult  
9 area to get concrete into plus where they had  
10 established a construction joint. The repairs that  
11 were implemented called for -- we were actually  
12 putting in a heavier steel bottom to the equipment  
13 hatch to remove the steam generators, so they removed  
14 that. They poured the appropriate concrete and they  
15 put a thicker piece of metal which was the intent all  
16 along when they had pulled it off and discovered the  
17 void. In terms of generic implications, based on the  
18 root causes that were identified, Bechtel established  
19 based on that root cause that they wouldn't find  
20 similar type of areas like that based on that -- and  
21 so that's documented.

22 VICE CHAIR BONACA: In other locations of  
23 your containment?

24 MR. HALE: Right, right. And that's  
25 documented in there. It was a fairly extensive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluation that they performed to demonstrate that.

2 VICE CHAIR BONACA: So you do have  
3 confidence that there are no voids in your  
4 containment?

5 MEMBER POWERS: It's an incredibly self-  
6 serving finding, isn't it, that everything is okay, we  
7 only made one mistake.

8 VICE CHAIR BONACA: That's why I'm  
9 interested in hearing about -- what is interesting is  
10 that it happened in the hatch of one of the units and  
11 then they looked at the other one and they found the  
12 same problem right in the location. That's why we  
13 would be raising questions about the generic  
14 implications for other units.

15 Now so there is a confidence that that was  
16 the only location in that containment that could have  
17 been affected by that and it was this position for the  
18 Turkey Point unit?

19 MR. HALE: Right.

20 VICE CHAIR BONACA: Containments.

21 MR. HALE: And it was also communicated  
22 with -- communicated and inspected by the region.  
23 There was an LER on it. They came in and looked at  
24 the Bechtel evaluation as well as the disposition of  
25 the repairs, so I have confidence. We've also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       undergone, I think about seven integrated leak rate  
2       tests on both containments and I have full confidence  
3       in our containments.

4                   MEMBER LEITCH: We had the same problem  
5       with Limerick during construction. I think it was  
6       Limerick I in about 1977 when the forms were removed  
7       from the containment pour and this was above one of  
8       the containment hatches, a large void was found. It's  
9       right above the containment hatch. There was a real  
10      configuration, complex configuration of rebar in that  
11      area, but it was a very significant hole. That was  
12      also a Bechtel job, by the way, and it was a very  
13      significant hole. Were it for the rebar you could  
14      easily put a Volkswagen and maybe a Cadillac into this  
15      hole.

16                   CHAIRMAN APOSTOLAKIS: It saved a lot of  
17      concrete.

18                   MEMBER LEITCH: It saved a lot of  
19      concrete. But of course that was self-evident and it  
20      was all chipped out and replaced.

21                   VICE CHAIR BONACA: Because that was  
22      visible.

23                   MEMBER LEITCH: Yes.

24                   VICE CHAIR BONACA: I had another question  
25      regarding another point that Mr. Oncavage raised

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regarding hurricane?

2 MR. HALE: Yes.

3 VICE CHAIR BONACA: Capability of the site  
4 and he presented the fact that he didn't feel that  
5 Hurricane Andrew was really a category 5 hurricane and  
6 the ability of the plant to withstand a category 5 and  
7 you addressed that issue.

8 MR. HALE: Yes, yes. In fact, the FSER  
9 highlights are design capability, the two aspects of  
10 a hurricane that you're concerned with is wind and  
11 tidal surge, but with regards to wind design, I think  
12 you'll find any FSER were designed for 225 miles an  
13 hour and all the way up to 300 some miles an hour  
14 without loss of structural integrity. So we are not  
15 concerned from -- wind design is not an issue.

16 VICE CHAIR BONACA: Tidal surge was the  
17 issue.

18 MR. HALE: When we look at tidal surge, we  
19 are designed -- the plant elevation is at 18 feet. We  
20 can -- we install stop logs as part of our hurricane  
21 preps up to 20 feet and all the safety-related  
22 equipment is located at 22.5 feet.

23 I had some friends that were affected by  
24 Hurricane Andrew's tidal surge and so I had some  
25 witness accounts of trucks at the top of their garage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as the thing came in and hit their house, but I think  
2 if you look at historical data and that sort of thing,  
3 22.5 feet is plenty to accommodate any tidal surge  
4 that could be expected, even for a category 5  
5 hurricane.

6 VICE CHAIR BONACA: Thank you.

7 MEMBER POWERS: Mario, in light of the  
8 Davis-Besse events, have inspections for these one-  
9 time inspections we do for license renewal, have they  
10 come under question?

11 VICE CHAIR BONACA: I don't think so.  
12 First of all, the components like such as a head are  
13 really under a different kind of inspection program  
14 that clearly is not one-time inspection.

15 MEMBER POWERS: I mean it's the mindset.  
16 If you go and inspect something expecting not to find  
17 it, you frequently don't find things. And there are  
18 an awful lot of inspections in license renewal with  
19 the predisposition not to find anything. And son of  
20 a gun, they don't.

21 VICE CHAIR BONACA: Yes, if you look at  
22 the issue or components which are related to the one-  
23 time inspection, I'm not sure that they are the type  
24 where your ability to detect would be so challenged.  
25 For example, it's erosion, certain components or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 corrosion and so on and so forth. The presumption is  
2 that if you do the inspection close to the 40-years  
3 life and you do it once and you don't find anything,  
4 then you have -- and the first -- I think there is a  
5 good provision in the license renewal that says you  
6 can roll that inspection into your program until you  
7 find something and it then falls under corrective  
8 action. I think it's a good point you are raising.  
9 I think you have to be sensitive to that as we look at  
10 new license renewal applications in the future and see  
11 what kind of one-time inspection we have, if it is, in  
12 fact, an obvious thing that you would identify those  
13 kinds of degradations easily or if your ability to  
14 detect is being challenged.

15 MEMBER POWERS: Since we've been talking  
16 about Turkey Point concrete, I've got to tell the  
17 Committee at least one anecdote about the Turkey Point  
18 concrete, but Turkey Point doesn't know. In 1976, the  
19 NRC asked me to look at the effects of interactions  
20 with concrete and they said use prototypic concrete,  
21 so I said well, what's prototypic concrete? I decided  
22 the FSARs probably had prototypic concrete described  
23 in them, so I went to our library attendee and asked  
24 him for an FSAR and they handed me a box of  
25 microfiche, all jumbled together and they said these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are all the FSARs. So I went to sorting them out and  
2 the first one I sorted out so it was reasonably  
3 complete was Turkey Point and Turkey Point's FSAR has  
4 an excellent description of their concrete and I used  
5 that description of the concrete to create the  
6 concrete I was doing and since I wrote it down  
7 everybody else just used that as the specification and  
8 as far as I know every melt concrete experiment that's  
9 ever been sponsored by the NRC has used Turkey Point's  
10 concrete description.

11 (Laughter.)

12 Sand size. I believe your aggregate is  
13 oolite. I had to figure out what oolite was. And I  
14 know more about the Southeastern United States geology  
15 than I ever cared to learn trying to understand what  
16 oolite is.

17 MR. HALE: Any more questions for me?

18 VICE CHAIR BONACA: I don't think so.  
19 Thank you for the presentation. It was very  
20 informative. We'll hear from the Staff and the SER.

21 MR. KUO: Yes. I will call on Mr. Raj  
22 Auluck, the Project Manager for the Turkey Point  
23 license renewal application review and his panel.

24 MR. CHRISTIANSON: Nuclear Regulatory  
25 Commission, Chris Christianson speaking, may I help

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       you?

2                   MR. AULUCK:   Chris?

3                   MR. CHRISTIANSON:  Yes.

4                   MR. AULUCK:   Raj Auluck.

5                   MR. CHRISTIANSON:  Hi, Raj.

6                   MR. AULUCK:   Hi.  We are just starting in  
7       a couple of places and I just wanted to make sure you  
8       are on the line.

9                   MR. CHRISTIANSON:  Okay.

10                   (Pause.)

11                   VICE CHAIR BONACA:  Be aware we have about  
12       45 minutes left for the meeting, including  
13       discussions, so I leave it up to you to be --

14                   MR. AULUCK:   Okay.  Good morning.  I am  
15       Raj Auluck, Project Manager for the Turkey Point  
16       license renewal application review.  With me around  
17       the table is Jim Medoff.  He's from Division of  
18       Engineering and helping us so he'll assist me on a  
19       couple of the slides.  Then we have some people from  
20       the technical division, Jim Lazeunick from electrical.  
21       And they will discuss some of the issues which were  
22       especially asked by the Subcommittee during our  
23       meeting last week.  Hans Ashar from Mechanical  
24       Engineering and Barry Elliott from Materials.

25                   The purpose of today's meeting is to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 present the staff's review -- Chris, are you there?

2 (Pause.)

3 Chris?

4 MR. CHRISTIANSON: I'm here.

5 MR. AULUCK: I forgot to introduce Chris  
6 Christianson. He's the Branch Chief, Region 2 and  
7 he'll be helping us respond to some of the questions  
8 you have on the inspections or the allegations.

9 I will describe the resolution of the open  
10 items and the basis upon which we'll move forward to  
11 make a recommendation to the Commission on this  
12 application.

13 The application was received 18 months  
14 back, 19 months today exactly. This was the firth  
15 application received by the NRC. Four have already  
16 been approved. This is the first Westinghouse. It is  
17 two-unit site. Each is designed for 2300 megawatt  
18 thermal. The site is shared by two oil and gas fired  
19 generating units in Florida City about 25 minutes from  
20 the Miami, south of Miami.

21 Unit 3 license expires on July 19, 2012  
22 and for Unit 4, on April 4, 2013. The application is  
23 for two years' extension.

24 The review schedule originally issued with  
25 an acceptance letter. As you can see, the next --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that line is completing the SERS briefing and  
2 preparing the Commission paper with the recommendation  
3 on middle of next month.

4 The final SER was issued on February 27th  
5 and final environmental impact statement was issued on  
6 January 15th of this year.

7 MEMBER LEITCH: I have a question  
8 regarding the length of the extension. I read that  
9 the PTS value is very close to the allowable 300  
10 degrees. It's 297.4. And it's stated that that would  
11 be okay because that was the value, I guess after 48  
12 effective full-power years. Now we're extending this  
13 to 60 years. Is it mathematically impossible to get  
14 a number in excess of 48, full-power years, or is  
15 there some kind of a caveat that says 60, but no more  
16 than 48, effective full-power years?

17 MR. ELLIOTT: Well, you could get 48  
18 effective full-power years corresponds to 60 years at  
19 80 percent capacity factor. The plant could run  
20 higher than that and therefore it would exceed the --  
21 before it reached 60 years it would exceed 48  
22 effective full-power years. But it's not the 48  
23 effective full-power years. It's the critical factor  
24 here. It's the neutron effluents received by the  
25 vessel and that's the critical factor and that's what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they have to monitor to determine whether or not  
2 they're going to exceed the PTS screening criteria.  
3 As long as they monitor the neutron effluents and they  
4 stay below their projections, they'll stay below the  
5 screening criteria. According to the PTS rule, if  
6 they start exceeding the effluents values they  
7 projected, they're required to do another projection  
8 of where they'll be with respect to the PTS rule. So  
9 it's within the PTS rule there is a flexibility.

10 MEMBER LEITCH: Okay, so there is no  
11 limitation then at 48 effective full-power --

12 MR. ELLIOTT: No, it isn't 48 effective  
13 full power. It's the neutron effluents.

14 MEMBER LEITCH: And even although they go  
15 above -- if they went above 48 effective full-power  
16 years, presumably they'd be crowding that 300 degree -  
17 -

18 MR. ELLIOTT: They would have to tell us  
19 the impact on the neutron effluents for the vessel and  
20 then from that they would have to project the RPTS  
21 value to determine whether or not they're still below  
22 the screening criteria at end of license to extend the  
23 license.

24 MR. MEDOFF: Barry, may I add something?

25 MR. ELLIOTT: Sure.

1 MR. MEDOFF: I would like to add that in  
2 a reassignment they do exceed the screening criteria,  
3 the rule is written to require the licensee to take  
4 appropriate action including flux reductions and/or  
5 annealing of the reactor vessel. So the rule does  
6 incorporate corrective action should those screening  
7 criteria be exceeded.

8 MEMBER LEITCH: Okay, thank you.

9 MR. AULUCK: Continuing, we'll start with  
10 how we reviewed the application. There are two  
11 self-regulatory requirements that govern the review of  
12 any license renewal application. First is Part 54,  
13 the NRC staff conducts the technical review of the  
14 license renewal application to assure public health  
15 and safety requirements. A second is Part 51, then as  
16 the staff completes routine review of the license  
17 renewal application, focusing on the potential impacts  
18 of additional 20 years of plant operation. Now there  
19 are many programs which are routinely monitored and  
20 assessed plant operations, but the license renewal  
21 review focuses only on those which has the potential  
22 detrimental effects of aging and not addressed  
23 routinely by on-going programs.

24 Part 54 requires the Applicants who  
25 demonstrate how these programs will be effective in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 managing the aging process during the extended period.  
2 Now staff's review consisted on reviewing of the  
3 Applicants' scoping and screening methodology, review  
4 of the aging management programs and review of the  
5 time limited aging analysis identified by the  
6 Applicant. These reviews are supplemented by the site  
7 audits and inspections by the NRC staff. There was  
8 one site audit done on this site and two inspections  
9 governing scoping, screening, aging and management  
10 reviews. Scoping and screening methodology review was  
11 done in two parts. And the first one is a desk top  
12 review which is basically initial review of the  
13 application supporting information and second is the  
14 on-site audit with a team of headquarters' staffs and  
15 regional participants in the review of the on-site  
16 documentation, review of the selected engineering  
17 reports, engineering procedures, design documentation  
18 and discussion with engineering staff.

19 Incidentally, it was during this audit  
20 first done early in the review process which was in  
21 this case November of 2000 when the staff raised the  
22 issue of interaction of nonsafety systems, structures  
23 and components with the safety systems, structures and  
24 components. And then later on this turned out to be  
25 one of the open items in the SER.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   We had several discussions with the  
2 Applicant on this issue. Now this Part 54.29  
3 describes the standards which must be met before the  
4 Committee issues a renewed license. We have talked a  
5 little bit already about the first two items on the  
6 slide. The last one relates to hearing and  
7 intervention on the license renewal application.  
8 There was no hearing on this application. There were  
9 two requests filed for -- filed to petition to  
10 intervene and request for hearing. On January 18,  
11 2001, the Atomic Safety and Licensing Board Panel had  
12 a pre-hearing conference in Homestead, Florida to hear  
13 on the petitioner's standing and the admissability of  
14 their preferred contentions. In the order issued on  
15 February 26, the Board ruled that all -- both parties  
16 have standing to intervene. Neither petitioner  
17 proffered admissible contentions, so their  
18 intervention petitions therefore, must be denied.

19                   The Board ruled that these contentions  
20 raise issues that fall beyond the scope of license  
21 renewal and renewal proceedings. And on March 19th,  
22 one of the petitioners -- he appealed the decision to  
23 the Commission. On July 19, 2001, the Commission  
24 issued an order affirming the Board's decision.

25                   We have participated in several industry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 groups on license renewal including Westinghouse  
2 Owners Group and for that developed series of generic  
3 reports intended to demonstrate that aging effects  
4 will be properly managed. At the Subcommittee, they  
5 asked us as a staff to make a specific presentation on  
6 these reports and how staff intends to use them.

7 Barry?

8 MR. ELLIOTT: Yes, Barry Elliott,  
9 Materials and Chemical Engineering. The staff has  
10 reviewed all these WCAPs. The first four, in  
11 particular, are license renewal documents in which the  
12 Westinghouse Owners Group has done an aging management  
13 review to determine the aging effects for the  
14 components that are listed in the titles there for the  
15 reports and they listed the aging effects for the  
16 components and the aging management programs that we  
17 used to manage those aging effects. The staff has  
18 written safety evaluations for each one of those and  
19 they've identified license renewal Applicant action  
20 items.

21 As far as Turkey Point is concerned, the  
22 staff was a little late in its safety evaluation, so  
23 they couldn't reference the actual staff evaluations  
24 in their report, so they wrote how their components  
25 fit the report and it was during the RAI process, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Applicant addressed the license renewal action items  
2 and the staff reviewed those and found those  
3 satisfactory.

4 Those first four reports were discussed in  
5 detail at the Subcommittee meeting. The fifth item  
6 which is the WCAP-15338 deals with the time limit  
7 aging analysis for underclad cracks, specifically it  
8 has to do with reactor vessel forgings that were  
9 fabricated using a course screen, a head treatment and  
10 fabrication process and where the clad was applied  
11 with high heat input.

12 This is in BWR and in Westinghouse plants  
13 and we've had two topical reports on this. This is an  
14 extension of a review that the staff did in the 1970s  
15 on this issue and what they've basically done here,  
16 Westinghouse, is extended the review that they did in  
17 the 1970s using 1990's technology and information.  
18 They've updated the analysis for new technology, new  
19 information and also extended it for 60 years.

20 These are very small flaws on the order of  
21 10 7-inch, the largest in-depth, the largest we've  
22 ever seen is like 3/10ths of an inch. The run in  
23 length from a tenth of an inch to like two inches.  
24 Very difficult to detect with ultrasonics. Therefore,  
25 we're relying on the analysis to assure vessel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 integrity.

2 The amount of floor growth here from  
3 fatigue is very, very small. In sixty years, it's  
4 less than a tenth of an inch. We don't expect any  
5 growth from stress corrosion or a very small amount of  
6 growth from stress corrosion, cracking. This is borne  
7 out by the recent event this summer where the crack  
8 grew through the weld, reached the ferritic component  
9 and stopped. The allowable flaw size for this is much  
10 larger than the 3/10ths of an inch on the order of one  
11 in three tenths or one in four tenths of an inch. So  
12 there's a large margin here and for that reason  
13 there's no real concern about these cracks for license  
14 renewal.

15 VICE CHAIR BONACA: So this WCAP actually  
16 was used to address one of the open items, right, the  
17 underclad?

18 MR. ELLIOTT: They're required, licensees  
19 are required to identify time limit aging analysis.  
20 There's criteria in the rule. This would be one of  
21 them and this was used to address that requirement.

22 VICE CHAIR BONACA: The reason I'm asking  
23 is that the first four were reviewed, but they were  
24 not referenced into the application.

25 MR. ELLIOTT: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   VICE CHAIR BONACA: Although for the fifth  
2 one, the review was completed before the open item was  
3 addressed. So I think it was credited for.

4                   MR. ELLIOTT: The fifth one was credited  
5 for.

6                   MR. AULUCK: That's correct. The  
7 Commission appeal prepared many internal license  
8 renewal documents under the QA program for use in the  
9 preparation of the application and training of their  
10 staff members. The NRC staff reviewed selected  
11 portion of these documents during our site audit and  
12 scoping AMR instructions. According to the Applicant,  
13 they had several discussions with the previous  
14 applicants and reviewed previously issued RAIs and had  
15 other experts look at the application.

16                   In summary, the staff generated about 215  
17 requests for additional information on this  
18 application which was at that time substantially less  
19 than the previous ones of 300 to 400. And as I  
20 understand, the number is going down, which is  
21 expected as the experience, the quality and clarity of  
22 the application is improving.

23                   As part of this review, the staff review  
24 issued four open items in the draft SER in August of  
25 2001. The first one was seismic II over I interaction

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of nonseismic safety-related piping because  
2 safety-related structures and components are known as  
3 seismic II over I. This was the same one that was  
4 identified early in the review process, but at that  
5 time the staff was in discussion with the Applicant to  
6 resolve the issue so we asked the FPL to just wait  
7 until the resolution is reached on the application and  
8 the staff position will be issued and then they can  
9 address that issue. So in the meantime the SER time  
10 came, so we issued the SER with open items.

11 And I think basically, the Applicant has  
12 gone over the criteria of selecting which portion of  
13 the piping was not included in the first time and then  
14 included later on. All I'd like to add here is since  
15 that time, the staff has issued two positions on this  
16 issue. First one is seismic II over I which was a  
17 narrow scope of nonsafety-related piping closely  
18 related to the safety-related piping. The second  
19 position which is broader in scope, it relates to all  
20 nonsafety-related piping and components. I think in  
21 the future, the staff intends to work with industry to  
22 make it an issue to combine the two positions into  
23 one.

24 The second open item is -- it relates to  
25 the field-erected tanks internal inspection. The

1 reason it was an open item during the SER stage was it  
2 was a new program and the Applicant had not addressed  
3 all the attributes identified in our process, so we  
4 asked the specific questions in the RAI and the  
5 Applicant said it's applicable to five tanks, two  
6 condensate storage tanks, two refueling water storage  
7 tanks and one shared demineralized water storage tank.  
8 The Applicant responded in late fall and the response  
9 was unacceptable. So this item was considered closed.

10 The next item relates to Reactor Vessel  
11 Head Alloy 600 penetration program and Jim Medoff, who  
12 was the lead reviewer for this issue when he was in  
13 Division of Engineering, he will speak.

14 MR. MEDOFF: Good morning, I'm Jim Medoff.  
15 I'm acting as a backup project manager for the Turkey  
16 Point license renewal application.

17 Prior to my rotation to the License  
18 Renewal Environmental Impacts Program I acted as a  
19 materials engineer for the Materials and Chemical  
20 Engineering Branch. Part of my responsibilities in  
21 that branch included the review of the Reactor Vessel  
22 Head Alloy 600 Penetration Inspection Program.

23 Basically what I need to say about the  
24 program is that the license renewal application was  
25 submitted prior to the issuance of NRC Bulletin

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 2001-01 which was the bulletin written on the Oconee  
2 circumferential cracking that they detected in a  
3 number of their penetration nozzles in a couple of  
4 their units. We issued an open item to address  
5 whether the inspection program for the penetration  
6 nozzles was current with bulletin and whether the --  
7 and whether they were going to update the program to  
8 include the bulletin and FPL's responses to the  
9 bulletin and any changes to the inspection program  
10 that might needed to result from the program.

11 When the Applicant's response to the open  
12 item came in, we not only reviewed that, but we also,  
13 the Applicant referenced the bulletin and we looked at  
14 the bulletin response as well. Our review of the  
15 responses to both the open item and the bulletin  
16 indicate that FPL is committing to continue  
17 participation in the industry-wide program for  
18 inspection of vessel head penetration nozzles and to  
19 update this program as necessary based on industry  
20 experience and any further studies that the MRP or  
21 EPRI might conduct regarding vessel head integrity  
22 issues.

23 Their response to Bulletin 2001-01  
24 provided revised rankings for the plants and indicated  
25 that they were going to do bare-head inspections of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 both Unit 3 and Unit 4 vessel heads. FPL has  
2 completed both inspections and has not detected any  
3 visual signs of leakage or boric acids on the vessel  
4 heads for the units. I will say since Davis-Besse has  
5 been brought up that the NRC issued Bulletin 2002-01  
6 to address the Davis-Besse issue and the impact on  
7 vessel head penetrations in pressurized water reactors  
8 in the industry and that FPL has provided its response  
9 to this bulletin. The response further indicates  
10 FPL's commitment to participate in the program and  
11 update the program as necessary based on inspection  
12 results.

13 The next open item deals with reactor  
14 pressure vessel underclad cracking. I'm not going to  
15 talk in depth on this because Barry has just addressed  
16 what the contents of the WCAP were and the technical  
17 details of the issue of underclad cracking.

18 What I will say is that when the NRC  
19 issued the safety evaluation on the topical report,  
20 they required two things. One was for three-loop  
21 plants of which the Turkey Point units are three-loop  
22 plants. They wanted the Applicants to indicate  
23 whether the number of design cycles for the transients  
24 assumed in the topical report bounds the number of  
25 cycles for 60 years of operation in terms of -- we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealgross.com](http://www.nealgross.com)

1 talking in terms of fatigue analysis for growth of  
2 cracks.

3 The second item that the safety evaluation  
4 indicated was that Applicants referencing the topical  
5 reports as being applicable to their facilities would  
6 need to ensure that the TLAA for the valuation of the  
7 underclad cracks was summarily described in the FSAR  
8 supplement for their application.

9 FPL submitted responses to the RAIs  
10 relative to both of the action items so we decided  
11 that the FPL took appropriate action and closed the  
12 open item up.

13 MR. AULUCK: As you recall the  
14 Subcommittee meeting, one of the items discussed was  
15 station blackout and staff was asked how we are  
16 addressing that at Turkey Point. At that time we had  
17 stated that the issue is the position has not been  
18 finalized and when it is finalized it will be  
19 addressed like any other -- addressed by plants  
20 previously relicensed. Since then, the staff position  
21 has changed the final position on that station  
22 blackout was issued on April 1 and at that time they  
23 decided since the position has been issued, this must  
24 be addressed by the Applicant on this application  
25 prior to issuing the license, relicense. So we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       communicated this issue to the Applicant the following  
2       day and since that time we are having meetings, we had  
3       a public meeting yesterday. We're trying to resolve  
4       the issue from the perspective that certain components  
5       from the off-site power to the plant should be  
6       included as part of the license renewal.

7               VICE CHAIR BONACA: This is a change from  
8       the discussion we had.

9               MR. AULUCK: This is a change from the  
10       discussion we had before and that -- so our intent  
11       here is to resolve the issue and still meet the  
12       schedule date of sending the recommendation to the  
13       Commission. What we are thinking is we'll issue --  
14       the FSAR has been issued with all items addressed. It  
15       will go to the printers at the end of this month, but  
16       we are in parallel, we'll be preparing a supplement to  
17       the SER addressing, focusing on the station blackout  
18       issue and our intent is to complete that in the time  
19       frame.

20              VICE CHAIR BONACA: Okay, let me just for  
21       the benefit of the members who were not at the meeting  
22       at Turkey Point, the issue here is that there is a  
23       preferred station blackout recovery path and the  
24       guidance the NRC provided us before the meeting said  
25       essentially that that would include all the equipment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that collects to off-site power. That includes all  
2 the equipment that collects to off-site power. That  
3 includes, for example, the start-up transformers which  
4 the Applicant has not included in the scope of license  
5 renewal.

6 And the Applicant made the case that they  
7 did not rely on off-site power for recovery from  
8 station blackout and demonstrated to us that they can  
9 connect one unit to the diesel generators of the other  
10 units and one diesel generator out of four is capable  
11 of carrying all the loads for both units in case of a  
12 station blackout. They also pointed out that the  
13 experience from the Hurricane Andrew that that was, in  
14 fact, providing for them the most reliable source and  
15 they used it for that particular situation.

16 Our understanding up to now is that, in  
17 fact, that was the way of Turkey Point to address the  
18 license renewal commitments. Now so irrespective of  
19 that, the staff is asking that Turkey Point includes  
20 all the collection to the off-site power?

21 MR. AULUCK: Yes, that's why --

22 VICE CHAIR BONACA: This is a change to  
23 SER that we have in front of us?

24 MR. AULUCK: That's why we're going to  
25 issue a supplement to the SER and we hope to issue

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that shortly, address this issue. Jim Lazevnick from  
2 Electrical will speak on this.

3 MR. LAZEVNICK: Yes, the Turkey Point has  
4 an alternate AC power source as a means of coping with  
5 the station blackout and essentially the point of  
6 disagreement is whether that source is capable of  
7 recovering from a station blackout. In order to  
8 recover from a station blackout, each plant has to  
9 develop a coping duration based on total loss of all  
10 AC power at the plant and the duration for Turkey  
11 Point was determined to be eight hours and they  
12 utilize an alternate AC source to demonstrate that the  
13 plant could cope for that period of eight hours.  
14 These sources may have capability beyond eight hours,  
15 but the staff has not reviewed them to see if they, in  
16 fact, have that capability and the original  
17 requirements of the station blackout rule, the  
18 definition of an alternate AC source did not address  
19 that capability. It spoke of the alternate AC source  
20 being a means to cope with station blackout for the  
21 period of the coping duration.

22 So based on other requirements in the  
23 station blackout rule, specifically Section 10 CFR  
24 50.63(a)(1), the coping duration itself is based on  
25 four factors and one of those factors is the probable

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time needed to recover off-site power at the site.

2 The four factors that licensees use to  
3 determine the specific required coping duration at  
4 their plant was developed into licensee guidance and  
5 this guidance was included in NRC Regulatory Guide  
6 1.155 and an industry document that the NRC worked on  
7 the industry with which was NUMARC 87-00.

8 And all the licensees essentially utilizes  
9 a guidance to determine their coping duration,  
10 relative to license renewal and age-related failures,  
11 it's our view that unless we control a portion of that  
12 off-site power system in terms of age-related  
13 failures, the licensee potentially might need a longer  
14 required coping duration if those age-related failures  
15 were not properly controlled and addressed under the  
16 license renewal rule.

17 Our final position on this has been that  
18 the off-site power circuits between the switchyard and  
19 the safety buses should be included within the scope  
20 of license renewal. We recognize that the off-site  
21 power system actually is a source that the power  
22 source that extends all the way into the transmission  
23 system of the United States. We feel that this  
24 interface, this portion of the circuitry is an  
25 appropriate part to be included within license renewal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because it's the portion of the off-site power circuit  
2 that feeds the plant and essentially has requirements  
3 only in the plant. It has no transmission system type  
4 requirements associated with this portion of the  
5 circuit.

6 VICE CHAIR BONACA: So this says we have  
7 SER with one open item.

8 MR. AULUCK: Out of this stage, right, and  
9 we met with them and there is agreement, close to an  
10 agreement. We have looked at the draft response and  
11 the Applicant believes they can finalize their  
12 response in the next couple of days and we have agreed  
13 to work with the Applicant and issue the supplement as  
14 soon as possible.

15 VICE CHAIR BONACA: Well, we should hear  
16 from the Applicant what the Applicant thinks. They  
17 made a case for us and they made a demonstration of  
18 what they consider the ultimate power supply and as  
19 far as our review was concerned, we asked questions  
20 specifically about a standard for transformers in  
21 October and the answer was they are not in scope. And  
22 so I would like to hear what's happening there.

23 MR. HALE: We still do not agree with the  
24 staff position. We had long discussions with the  
25 staff yesterday. We understand what their position

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is. We have nothing but confidence in the capability  
2 of our system and I think we demonstrated that for you  
3 at the simulator. But we understand what the staff  
4 position is. We have spent the last two weeks, I  
5 guess week and a half, based on being informed by the  
6 staff what their position was and that they had  
7 finalized it. So we have put together a response,  
8 draft response which they've highlighted the  
9 additional equipment. There's not a lot of equipment  
10 involved based on the boundaries that the staff is  
11 proposing. They're basically calling for the breakers  
12 and the switchyard that feeds the start-up  
13 transformer, the start-up transformer itself and the  
14 feed into the 4160 switchgear.

15 VICE CHAIR BONACA: Which I'm sure you  
16 consistently maintained?

17 MR. HALE: Yes, this equipment is  
18 maintained under the maintenance rule because the  
19 maintenance rule scoping criteria goes beyond our --  
20 is different than license renewal. The maintenance  
21 rule considers things as trip hazards and that sort of  
22 thing. So this equipment is inspected under the  
23 maintenance rule, but base don our interpretation and  
24 our CLE documents which include our safety evaluation  
25 report, on-station blackout which we reviewed in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detail as well as our design basis documents and our  
2 FSAR, we cannot find where we've specifically credited  
3 restoration of off-site power, but we understand the  
4 staff position. We think we're somewhat unique in  
5 that we have fully capable diesels. In fact, we have  
6 over 400 KW, 300 to 400 KW of excess capacity of a  
7 single diesel, so it's their position. That's the way  
8 they've interpreted it. They've issued it formal and  
9 so we've issued a response to address the specific  
10 requirements --

11 VICE CHAIR BONACA: So you have already  
12 issued a response?

13 MR. HALE: A draft response. They are  
14 reviewing it. Once we factor in their comments, we  
15 will issue it formal probably within the next week.

16 VICE CHAIR BONACA: Any other questions  
17 for Steve?

18 Thank you.

19 MR. AULUCK: Continuing, in February of  
20 this year, a public citizen, Mr. Oncavage, sent a  
21 letter to the ACRS identifying four safety concerns.  
22 The first one relates to the effects of wires on  
23 aging, degradation rates and structural integrity of  
24 the containment structures at Turkey Point. At the  
25 Subcommittee, we discussed this issue and you asked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the staff to make a presentation as it may apply to  
2 some generic implications to the other plants.

3 Before Mr. Hans Ashar will speak on that,  
4 before he starts, I'd like to go a little bit of when  
5 the issue was first raised and what has happened since  
6 that time.

7 The issue was first raised by Mr. Oncavage  
8 at one of our exit meetings. We had gone for  
9 inspection there and at the exit we provided the  
10 results at a public meeting and Mr. Oncavage raised  
11 this issue that he understands there was some voids  
12 formed at Turkey Point containment during 1980s when  
13 during the steam generator replacement process. So at  
14 the meeting, the Region took this, considered this as  
15 an allegation and gave us a tracking number.

16 And then they asked the Applicant forward  
17 the concern to the Applicant to respond to the NRC.  
18 The Applicant responded with information to the NRC  
19 and on August 10, Region II sent a letter to Mr.  
20 Oncavage summarizing the results of the review.

21 But then in December 15th, he sent another  
22 letter to the Region stating that he's not satisfied  
23 with the results of the August 10 letter and NRC  
24 should ask FPL to start testing, looking for voids in  
25 the containment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Region II informed Mr. Oncavage,  
2           acknowledging the December 15th letter and stating  
3           that they will respond to him after reviewing the  
4           material again. So on April 5th, last week, a formal  
5           response was issued to Mr. Oncavage, summarizing the  
6           review, independent review by the NRC staff and the  
7           inspection reports, other documents. Thus Region II  
8           considers this issue to be closed for Turkey Point.

9           Now Mr. Hans Ashar will speak on the  
10          general implications.

11          VICE CHAIR BONACA: Now I imagine that the  
12          issue was closed for Turkey Point because the two  
13          identified voids were filled and those inspections  
14          were filled in the containment or was it simply some  
15          statement that said we don't expect to find any more?

16          MR. AULUCK: I think it was review of  
17          other technical documents at the site and there was a  
18          technical member from Region II, went and spent a week  
19          there, earlier this year to review all the reports and  
20          results and discussions with them.

21          MR. ASHAR: I am Hans Ashar --

22          MR. GILLESPIE: Excuse me, Mario, if we  
23          could close this out because I know one of your  
24          concerns was documenting the stuff that was done.  
25          Since we have Region II on the phone, if a person went

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to the site that means some place there's an  
2 inspection report which documents what he did. Is it  
3 possible to get that inspection report to the  
4 Committee?

5 VICE CHAIR BONACA: Chris? Chris, are you  
6 there?

7 MR. CHRISTIANSON: Hello, this is Chris  
8 Christianson, Deputy Director, Division of Reactor  
9 Safety.

10 VICE CHAIR BONACA: Did you hear the  
11 question?

12 MR. CHRISTIANSON: Is there a possibility  
13 to get a copy of the inspection report? We did not  
14 document this in an inspection report. We documented  
15 this as a memo to file in the allegation folder.

16 MR. GILLESPIE: Okay, it's still the same  
17 question. Is it possible to get a copy of that,  
18 Chris?

19 MR. CHRISTIANSON: Mr. Auluck can forward  
20 it on to the appropriate person.

21 MR. GILLESPIE: Okay, we'll contact you  
22 off-line, Chris, and we'll get a copy of it and get it  
23 to the right people on the Committee and that might  
24 provide some closure to the issue for Turkey Point and  
25 that might be beneficial.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR BONACA: Yes, just to  
2 understand what was done to assure the issues of  
3 concerns with additional voids in the containment was  
4 properly addressed.

5 Thank you.

6 MR. DURAIWAMY: Mario. Raj, you sent  
7 another letter to Oncavage on April 5th?

8 MR. AULUCK: Yes.

9 MR. DURAIWAMY: From here? From the head  
10 office?

11 MR. AULUCK: No, from the Region.

12 MR. DURAIWAMY: From the Region.

13 MR. AULUCK: Because Region II considered  
14 the December 5th letter from Mr. Oncavage as the end  
15 of the follow-up allegation.

16 MR. DURAIWAMY: Yes.

17 MR. AULUCK: So they tracked it and they  
18 responded to that to him and just closing the loop.  
19 The letter is April 5th from Region II to Mr.  
20 Oncavage.

21 MR. DURAIWAMY: You guys don't have a  
22 copy of that thing?

23 MR. AULUCK: Those are allegations --

24 MR. DURAIWAMY: I know what the  
25 allegation is.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LAZEVNICK: I think I have copies of  
2 it.

3 MR. AULUCK: They can be made available.

4 MR. GILLESPIE: This is why I say when you  
5 put stuff in the allegation system, it's a very closed  
6 system, even though this individual didn't ask to be  
7 treated that way and so we can deal with it and get  
8 you copies of it.

9 VICE CHAIR BONACA: But before the  
10 allegation issue, there was a finding, was an open  
11 finding. There was an evaluation being done. There  
12 was a response by Bechtel. There were people that  
13 came in with concrete and poured it to fill those --  
14 I mean there were things that took place and in  
15 addition to that, if anybody had any question, they  
16 would have looked someone else to find are there other  
17 voids. That's -- I would expect there would be some  
18 documentation that says yes, we did the following  
19 steps and then the committee can review it and feel  
20 confident that something was done that we can state  
21 today those containments were taken care of and there  
22 are no voids in containments to the best of our  
23 knowledge within the limitation of detection and so  
24 on. It's not only the file on the allegation, it's  
25 just simply the paper trail that led to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 documentation of the actions taken to deal with the  
2 voids.

3 MR. GILLESPIE: And I'm hoping a memo to  
4 file actually references it reviewed this, reviewed  
5 that and then when you get those things, those things  
6 contain the subject matter and address these actions.

7 I'm just not sure having not seen the file  
8 how it strings it together, but that's -- the starting  
9 point, I hope would be the memo to file where they  
10 said okay, we reviewed all the existing information  
11 and existing actions taken to date and it appears to  
12 be satisfactory and I hope there's some reference to  
13 what those other documents were so we have a -- we  
14 should have the trail. It's just it's in a system no  
15 one has easy access to. So we'll take back the idea  
16 of working with Region II and copying the paper trail  
17 and trying to get it to you in the very near future  
18 here.

19 VICE CHAIR BONACA: We asked for those in  
20 Florida City. We asked for -- so that -- and Region  
21 II was there, present during the meeting and when we  
22 asked for this information.

23 MR. GILLESPIE: Yes, because if this was  
24 followed up in the 1980s and there was an inspection  
25 report from the 1980s, I'm hoping that research was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 done that we can just pull it together in this one  
2 memo to file was kind of the cap on top of that  
3 review.

4 MR. HALE: Dr. Bonaca, this is Steve Hale,  
5 Florida Power and Light, we interfaced with the  
6 regional -- the fellow that came down to do the  
7 investigation. There were LERs on this event. There  
8 was initial LER plus supplements. There was also two  
9 inspection reports which documented the closure of  
10 those two LERs and the individual came to the site,  
11 looked at that information. So I think this memo to  
12 file or whatever should have all the specific  
13 documents, but I can tell you for sure because we were  
14 supporting him and he went in and actually was looking  
15 at the original pours, concrete pours documentation on  
16 the testing that was performed on that concrete, so he  
17 did a very exhaustive investigation, just based on the  
18 interfaced we had with the fellow when he was at the  
19 site.

20 VICE CHAIR BONACA: Okay, so we'll see for  
21 this.

22 MR. ASHAR: I am Hans Ashar from  
23 Mechanical, NRR. I had read your transcripts of my  
24 tech. team and concerns expressed by various members  
25 of the SEI subcommittee and based on that, I want to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 address only the generic implication at this time as  
2 to what I think about it because we had a very short  
3 time to prepare for any in-depth research, but I'll  
4 try to tell you as much as I can gather from my own  
5 experience as well as other people's input into what  
6 I thought.

7 Now first thing, what I want to refer to  
8 is are the worse possible. ~~First thing I want to~~  
9 emphasize is this, that having voids in concrete  
10 construction, in general, there is commercial  
11 application at nuclear power plant is not an  
12 acceptable way of constructing any structure. It is  
13 not an acceptable matter. People try very hard to  
14 make sure that the concrete that they pour is being  
15 consolidated very well through vibrators and the  
16 construction joints are being formed in such a way  
17 that this kind of voids can be avoided.

18 I also would like to let you know that it  
19 is possible, it is possible that some of the plants  
20 may have existing concrete voids. Now my own  
21 experience, when I was a specification engineer at  
22 Burns and Roe and I was at Three Mile Island, Unit 2,  
23 and at that time we heard about voids in ring guard at  
24 Three Mile Island, Unit 1 and the United Engineers  
25 Construction was the constructor on that one and their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 engineer had found the voids and they took corrective  
2 action after that. So what I would like to emphasize  
3 here is that the way the quality control, quality  
4 assurance works in the industry and it worked at that  
5 time, at least, I know because ACRS had very strict  
6 quality assurance criteria. It had been in force  
7 because people wanted to keep their license and so  
8 there were attempts being made to award this kind of  
9 work being persistence in nuclear power plant  
10 structures.

11 Now somebody might say that that means  
12 that there are no voids in it. I wouldn't say so. I  
13 thin in spite of all the precautions there could be  
14 sometimes back down in some other thing, like a  
15 concrete venting plant, the pumping of the concrete,  
16 the vibratory spin work on the particular areas, voids  
17 might be there in some of the plants. Okay?

18 Now as I said before, core requirements  
19 require concrete voids -- impact of voids. What could  
20 happen to the containment if there are voids present?  
21 Now in a very narrow way I would say there will be a  
22 reduction in thickness of the thick part of the  
23 sections of concrete.

24 MEMBER POWERS: Before you go on to the  
25 impact, your slide says voids can occur where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 vibrators can't reach.

2 MR. ASHAR: This is why I explain to you  
3 in much more depth is to what are the factors that can  
4 influence the existence of voids.

5 MEMBER POWERS: There are many other  
6 causes of voids.

7 MR. ASHAR: Please?

8 MEMBER POWERS: There are many other  
9 causes of voids in the concrete.

10 MR. ASHAR: Yes. Well, in order to avoid  
11 voids in concrete construction, in general, the first  
12 thing to make sure that the construction joints that  
13 they are going to put in are in the right place, so  
14 that you can ensure that the oldest areas, very older  
15 concrete are accessible from the formwork. And the  
16 vibrators can reach into those areas. These are the  
17 items being made all the time. As I told you in my  
18 experience, the voids were in the ring girder of the  
19 containment construction and the ring girder is a very  
20 thick area. It is a liner plate coming down and again  
21 the voids were in the area of the liner plate was  
22 touching the concrete area. But they took out all the  
23 concrete. They rehashed everything. They put new  
24 concrete in there to make sure there are no voids  
25 existing in that particular instance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The other two you heard about were the  
2 Turkey Point and Limerick. So yeah, voids can occur  
3 in various places and due to various reasons.

4           MEMBER POWERS: I mean what I'm struggling  
5 with here is for this particular instance, you got an  
6 individual saying there are voids in the concrete.  
7 How do you know there are not voids elsewhere? The  
8 guy that placed -- the architect/engineer went in and  
9 said yeah, there were voids in this concrete and  
10 here's how we explain them. He said it's because the  
11 vibrators didn't get there. That seems very  
12 convenient to me.

13           MR. ASHAR: Well, it explained to you. I  
14 put one bullet, vibrators can't reach. It is not the  
15 only thing, okay? But the basic thing is to make sure  
16 that the old areas to be concreted out are filled up  
17 with concrete to make sure of that. And then to  
18 consolidate the vibrators to beat the -- now sometimes  
19 it can happen, the water may be a little higher or the  
20 weather might be such that the water can bleed. When  
21 it bleeds what happens the calcium hydroxide from  
22 concrete gets into that area instead of filling of  
23 with full concrete and integrate. Only the water  
24 part, calcium hydroxide stays in that area and it  
25 would look like you filled up the things. As the time

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 goes by that water starts evaporating and the void  
2 forms.

3 So those things are possibilities. I  
4 would not completely --

5 MEMBER POWERS: What I'm trying to  
6 understand is the firm went in and they came up with  
7 a hypothesis of why they had a void in Turkey Point.  
8 It was very convenient and it would not be something  
9 that would extend out of places in the containment.  
10 What did the staff do to look and see if there was  
11 alternate explanations for this?

12 MR. ASHAR: Well, I will ask open forum  
13 for other people to answer to this particular  
14 question. As I said, the construction practice during  
15 that time, the time this plant was being built were  
16 such and the quality assurance requirements were very  
17 stringent because I know from my own experience on  
18 this side of the fence I was not with NRC. I was with  
19 consultants and at that time, as a matter of fact,  
20 after I heard about that void and the cause for those  
21 voids, I wrote my specification for Three Mile Island,  
22 Unit 2 in such a way -- as a matter of fact, it is not  
23 very common for a specification writer to write about  
24 where the constructors would put their construction  
25 joints.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   But in our case, we did write it. Okay,  
2 because we were concerned about the voids in  
3 construction of Three Mile Island, Unit 2. That's why  
4 -- so people --

5                   MR. GILLESPIE: Dana, let me see if we can  
6 put our package of documentation together. I think  
7 this is getting to the point where it may deserve a  
8 different -- I'm going to suggest a separate meeting.

9                   VICE CHAIR BONACA: The other point I  
10 would like to meet, we are here now, general  
11 considerations here. I think that is on the right  
12 track. The issue is you find a void under the hatch  
13 in concrete. So now you say well, let's see if this  
14 is just one of a chance and you go to the next  
15 containment and you find you have a void in the same  
16 spot.

17                   And this seems to be almost like it's a  
18 design feature for this kind of containment, I guess.  
19 It's present in two, let's see how many you've got  
20 where you have a spot. I think you would want to go  
21 beyond. Now typically, you have mechanisms by which  
22 you raise an issue that could be, I thought, would be  
23 Part 21, but Bechtel says oh, it's okay, the  
24 containment is too capable, so it's under Part 21.  
25 I'm sure there was a paper trail by which the issue,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the potential impact of being a generic issue was  
2 evaluated. I mean normally the agency is very  
3 aggressive in pursuing these kind of issues. That's  
4 why we've been looking for how did we address, how do  
5 we get confidence that other containments of Bechtel  
6 design do not have the same voids in the same location  
7 and other containments in general do not have that.  
8 And that is really what we're looking for when we  
9 asked for that information in March down in Florida  
10 City. And we really haven't gotten the information.

11 MR. GILLESPIE: And I think that's exactly  
12 what we need to pull together. Because now we're all  
13 trying to project what happened in the mid-1980s.

14 VICE CHAIR BONACA: Yes.

15 MR. GILLESPIE: And I'm having a tough  
16 time myself remembering what I did last month and  
17 these people weren't there. How well were we  
18 documenting stuff in the mid-1980s? We need to pull  
19 the inspection reports, look at what the people looked  
20 at, look at what the fellow, the inspector from Region  
21 2 that went in and re-reviewed the issue and then ask  
22 the question and look at other records and say now did  
23 we take that? What did we do with it generically? I  
24 just don't know.

25 I think we're talking about something in

1 1985 or something like that, maybe and it's 17 years  
2 old at this time. I like to assume the staff did the  
3 right thing. We did pursue things aggressively at  
4 that time. I just don't have the documentation in  
5 front of us. We need to pull it together.

6 Someone else from engineering --

7 MR. KUO: Goutam Bagchi, he's going to  
8 make a presentation on related issues.

9 MR. GILLESPIE: But I would suggest the  
10 opportunity to come back would be also fine with us.

11 VICE CHAIR BONACA: My proposal will be if  
12 we feel, first of all, this committee will decide  
13 whether or not we feel confident that the issues  
14 themselves for Turkey Point, so we can focus on the  
15 license renewal for that plant. If we feel it is  
16 dealt with properly, then we can say let's concentrate  
17 on that. That will result, probably with separate  
18 letters requesting that we look at the genetic  
19 implications, how they were handled for other units  
20 and that would open the path.

21 MR. GILLESPIE: Yes, and that would be  
22 fine. I think we can get the Region 2 records pretty  
23 quickly for you for Turkey Point to kind of close that  
24 documentation issue and I'll tell you the truth. I  
25 feel more comfortable coming back to talk about the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generic issue versus trying to do something where  
2 we're potentially kind of patching some things  
3 together.

4 VICE CHAIR BONACA: I agree with you one  
5 hundred percent.

6 MR. GILLESPIE: Goutam did have some  
7 thoughts of some basic engineering he covered with me  
8 earlier of about why this is a safety issue we can now  
9 look at in an orderly way and not necessarily assume  
10 we didn't look at it 17 years ago, but let's see what  
11 we decided then and what the basis was.

12 So I'd suggest coming back and let Goutam  
13 finish what he's going to go and we'd be happy to come  
14 back.

15 MR. ASHAR: If Goutam is going to speak,  
16 then I won't say anything --

17 VICE CHAIR BONACA: I would like to hear  
18 from the members, is it acceptable with you that we  
19 put this issue here, which is generic, separately and  
20 address it later or would you like through the  
21 presentation now?

22 MR. BAGCHI: It's a very quick  
23 presentation. I just wanted to share with you some  
24 idea of load sharing, what is it that is unique in the  
25 containment structure of design.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR BONACA: Okay.

2 MR. BAGCHI: And I think there is  
3 something unique in the design itself that gives it  
4 the robustness and the ability to withstand the design  
5 basis.

6 And concrete, as you know, takes  
7 compression. It cracks and it doesn't take an tensile  
8 load and it maintains -- the effective purpose of the  
9 concrete is to maintain the reinforcing bars in the  
10 designed locations.

11 Reinforcement carries all the load.  
12 Post-tensioning tendons keep concrete in compression.  
13 And very high quality, .2 percent ultimate elongation,  
14 ductile liner plates are provided as the leak-tight  
15 barrier.

16 Design basis load is internal pressure,  
17 due to the postulated accident load. Containment  
18 structure goes into tension. Concrete cracks due to  
19 tension. Reinforcement bars take all tension loads  
20 and the liner plate maintains the leak tight  
21 integrity. If there is any local void, it deforms  
22 plasticly and then expands and bridges the gap, as we  
23 have experienced in the reactor vessel head at one  
24 plant.

25 At the shell-mat and shell-dome junctions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 bending moment puts concrete into compression. But as  
2 you know, this was not the area where the concrete  
3 void was found. The concrete void appears where there  
4 is congestion of reinforcement and special provisions  
5 are sometimes lacking when putting in concrete. And  
6 this is the area of the ring girder near the equipment  
7 hatch.

8 So only in those two junctions the  
9 concrete is put into compression. By code  
10 requirement, concrete is under reinforced.

11 Crushing failure of concrete is prevented  
12 by code provision because the reinforcement has to  
13 yield first. Redistribution of load around any void  
14 provides the necessary strength. Structural Integrity  
15 Test would reveal locations of unacceptable voids by  
16 bulging, spalling or local failure. Every reinforced  
17 concrete structure passed the Structural Integrity  
18 Test satisfactorily the very first time.

19 There are requirements to make predictions  
20 of deformations and measurements are made,  
21 observations are made, examinations are made  
22 afterwards and they have all been within the predicted  
23 limits.

24 Post-tensioning puts the highest load  
25 during construction. Any weakness in concrete shows

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 up at this time as we found in the delamination of  
2 dome. It was a weakness in the design. Reinforcement  
3 bars were not provided and later on they learned their  
4 lesson.

5 Containment weakened by pervasive voids  
6 will not pass the SIT, the Structural Integrity test.

7 So my conclusion is that the unique design  
8 of the containment structure, the high quality of  
9 construction, no matter the fact that there were voids  
10 found and these are construction areas those are  
11 imbedded in the code related factors of conservatism  
12 and the allowable stresses and so on, there are going  
13 to be voids and in a very thick structure 4.5 to  
14 5-foot thick walls, you're not going to easily find  
15 the voids. If they were found easily, they will be  
16 taken care of and if there are voids, as I tried to  
17 point out, the load path and the behavior of the  
18 concrete is such that the reliance is not on the  
19 concrete.

20 And this is -- the inside I just wanted to  
21 share with you and I feel that the containment  
22 structure is extremely robust as people have seen from  
23 the tests, although in the tests you wouldn't have  
24 expected any voids, but in a scaled condition,  
25 microvoids may well have been there in those third

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scale, quarter scale test models. But it's the load  
2 and the design of the structure that provides us with  
3 the assurance that there will be good performance  
4 function, certainly, after the design basis load and  
5 way beyond that.

6 MEMBER SIEBER: I have a question. I  
7 recall during -- having witnessed a couple of  
8 Structural Integrity Tests of concrete containments  
9 that one of the steps was to find and map the cracks  
10 that appeared. Was that common practice for every  
11 containment?

12 MR. BAGCHI: Absolutely.

13 MEMBER SIEBER: That would reveal the  
14 presence of the voids because the cracks would appear  
15 around the area of the void as the loads redistribute  
16 themselves. Is that correct or not correct?

17 MR. BAGCHI: I would like to agree first  
18 and then take away some comfort that I've agreed with  
19 you. If it's 4.5 foot thick wall and if this void is  
20 adjacent to the liner plate, you're not going to see  
21 it..

22 MEMBER SIEBER: That's right, that's  
23 right.

24 MR. BAGCHI: This is a conservatism --

25 MEMBER SIEBER: You will see it on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inside if it's adjacent to the liner because there  
2 will be a dimple there.

3 MR. BAGCHI: It has to be a very large  
4 void to do that.

5 MEMBER SIEBER: Yes, it does.

6 MR. BAGCHI: yes sir.

7 MEMBER ROSEN: So the conclusion is small  
8 voids you won't see, but they don't matter because the  
9 loads are being taken by the reinforcement steel and  
10 large voids, if they have occurred, you would see.

11 MR. BAGCHI: Yes, that's my contention.

12 MEMBER ROSEN: In the performance of the  
13 concrete.

14 MR. BAGCHI: If you allow me to  
15 characterize what kinds of voids, I would not consider  
16 as extremely critical is something in the order of a  
17 thickness.

18 MR. KUO: If I might add to it, the large  
19 void, if it is located in critical locations, in other  
20 words, it's a stressed location, void stress location,  
21 you will see during the test, as a result of the test.

22 MR. BAGCHI: That point about crack, map  
23 cracking, mapping the crack is really intended for  
24 that purpose.

25 MEMBER SIEBER: That's right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR BONACA: Thank you for  
2 informative presentation.

3 MR. GILLESPIE: Mario, now what I'm hoping  
4 is that we'll find that back in the 1980s someone as  
5 smart as Goutam wrote that down as a basis and I don't  
6 know if we will -- we need to look, but that's part of  
7 the reason I think some things didn't happen and how  
8 well did we document things in our actions, we need to  
9 do some investigation.

10 VICE CHAIR BONACA: Okay.

11 MEMBER RANSOM: A point of clarification,  
12 in Turkey Point, is it known that there are voids and  
13 do they know how big they are?

14 VICE CHAIR BONACA: Oh yes. They found  
15 voids, as you know.

16 MEMBER RANSOM: They have found them?

17 VICE CHAIR BONACA: Well, they found them,  
18 yeah, sure. That's how the whole issue came up. They  
19 found voids under the equipment hatch when they were  
20 replacing the steam generators. They had to take off  
21 the hatches because they were not large enough. As  
22 they removed them, they found these voids right under  
23 because of the complexity there and the amount of the  
24 rebar that --

25 MEMBER RANSOM: So those presumably were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 remediated when they repaired them.

2 VICE CHAIR BONACA: Absolutely.

3 MEMBER RANSOM: This just led to suspicion  
4 that there may be other voids?

5 VICE CHAIR BONACA: The concern of Mr.  
6 Oncavage was are there other voids in the containments  
7 and so we expected to find that there would be some  
8 documented trail that said yeah, we looked at it or we  
9 tested or we performed some assessment of the type  
10 that we received right now that gives us confidence  
11 that probably there are no voids or there are some  
12 that are not significant to the strength of the  
13 containment. And we haven't found yet this paper  
14 trail. That's what we're looking for.

15 The other issue is the genetic  
16 implications. If you find this kind of issue in one  
17 location, in one containment and then you go to the  
18 next one and find the same thing as happened there, it  
19 tells us that very likely there is going to be  
20 something similar under the hatch in some other unit  
21 and so one will have to understand the significance of  
22 no remediation of that void and again, that may be  
23 some analysis done of this type that is sufficient,  
24 but we haven't seen any of that, so we're looking for  
25 how the generic implications of the issue were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 handled.

2 MEMBER POWERS: I'll point out, Mario,  
3 that there were in construction of the McGuire plant  
4 that they found large voids in the concrete when they  
5 placed, had nothing to do with where they put  
6 vibrators. There are lots of reasons for voids.

7 VICE CHAIR BONACA: Yes, sure, the timing  
8 of pouring of the concrete, the density, the liquidity  
9 of it, how it flows.

10 Okay, so are there any more questions?  
11 Your considerations were still related to each other's  
12 presentation we had on the concrete, right?

13 MR. ASHAR: Pardon me? What's your  
14 question? I didn't get you.

15 VICE CHAIR BONACA: I'm saying what is the  
16 remaining portion of your presentation?

17 MR. ASHAR: Yes, I can finish up with a  
18 few lines. Now Goutam very well described this as to  
19 the robustness of containment and how the voids cannot  
20 be that much of a significance in integrity of the  
21 containment at least to resist the design basis  
22 pressures.

23 This is exactly what Goutam pointed out in  
24 the initial structural integrity testing, periodic  
25 leak rate testing being performed in the containment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       Containment -- they also conformed intended function  
2       of the structure. Now one other question that I'd  
3       seen being asked was what would be the impact on LERF.  
4       What I would say more succinctly is condition probably  
5       of containment failure. That would be affected if  
6       there is any point in it.

7               Now my judgment, it's my own judgment on  
8       this particular issue is that there are two model  
9       tests being performed at Sandia. One in 1995 or so on  
10       reinforced concrete model and one in 1999 on viscous  
11       concrete model which was being financed basically by  
12       NUPAC in coordination with the NRC.

13               On the first test, what I want to point  
14       out is the failure of the model at 137 psig or so, and  
15       at that time the concrete was quite a bit cracked and  
16       heavily cracked, but at that time they did not go all  
17       the way up to the failure of the complete structure.  
18       They stopped when they saw the leakage was too high,  
19       but there was some stiffness left still at that time  
20       and now in the later test in viscous concrete  
21       containment in 1999, they did go a little farther than  
22       just leaking criterion. It was considered the  
23       containment fate, but then they went a little bit more  
24       and they saw that there was few strength left,  
25       stiffness of the concrete to hold the liner in place

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and I think they went about 10 psig, more than what  
2 would consider as a failure, not the ability to -- so  
3 that was my judgment that the effects of LERF of the  
4 voids, in general, would not be that significant.

5 CHAIRMAN APOSTOLAKIS: But the conditional  
6 containment failure probably in NUREG 1150 is  
7 extremely uncertain. I mean it's always between 0 and  
8 1.

9 MR. ASHAR: Yes.

10 CHAIRMAN APOSTOLAKIS: I wonder, does it  
11 include the possible presence of voids?

12 MR. ASHAR: Yes, this is what happens.  
13 Okay, that if the structure were intact completely,  
14 okay, the ideal structure, you find out one fragility  
15 curve occurred for containment probably so there is an  
16 FSAR and ordinate probably to a failure, FSAR used as  
17 pressure as a parameter. Okay, that will give you the  
18 medium design pressure. Point 5 failure could occur.  
19 That was taken in the LERF calculation later on for  
20 structural containment. Now if there is a  
21 degradation, a main degradation is not concrete, but  
22 the liner. In the case of concrete containments,  
23 liner would be the prime candidate for reducing the  
24 effectiveness of containment because it would leak.  
25 So if there is liner degradation of high level, then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you can shift your facility curve in such a way that  
2 it meets with the damage assessment that has been  
3 performed.

4 CHAIRMAN APOSTOLAKIS: My question is if  
5 I look at the -- not the fragility curve, but the  
6 final results of the NUREG-1150, they have very nice  
7 figures with various sequences and then the  
8 conditional containment is computed.

9 MR. ASHAR: Right.

10 CHAIRMAN APOSTOLAKIS: And this is a very  
11 uncertain quantity. It goes from 10 to the minus  
12 something, all the way to .9 sometimes or even 5.

13 MR. ASHAR: Right.

14 CHAIRMAN APOSTOLAKIS: So that's extremely  
15 uncertain. So I don't know what it means.

16 MR. ASHAR: But normally the IPEs are  
17 performed with little more preciseness than those --  
18 excuse me?

19 CHAIRMAN APOSTOLAKIS: You mean the IPE is  
20 no better than your NUREG 1150? I doubt it.

21 MR. ASHAR: Oh no, no, no. What I'm  
22 saying that the uncertainties which are being in NUREG  
23 1150 considers number of uncertainties. When you  
24 start in plant specific IPE, that means they have  
25 precisely characterizing the sequences and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 putting the -- they also have uncertainties, but not  
2 as much as what we see --

3 CHAIRMAN APOSTOLAKIS: Yes, but the IPEs  
4 also did not spend as much effort on the level.

5 MR. ASHAR: I'm not saying I would put a  
6 lot of --

7 CHAIRMAN APOSTOLAKIS: My question is in  
8 the original 1150 studies, was the possible presence  
9 of voids included? You don't know?

10 MR. ASHAR: I know that it was not.

11 CHAIRMAN APOSTOLAKIS: Oh, it was not.

12 MR. ASHAR: It was not. None of the  
13 damage condition or anything was considered in the  
14 1150.

15 VICE CHAIR BONACA: That's why I made a  
16 distinction between the design pressure that I  
17 believe, this condition is still allowed to meet as a  
18 requirement of the tech specs versus the ultimate  
19 containment. So we don't know and typically we are  
20 looking at penetrations as the weak link or something  
21 of that kind and here you have an unknown.

22 CHAIRMAN APOSTOLAKIS: Is the effect not  
23 significant because we are so uncertain to begin with  
24 what can happen?

25 MR. ASHAR: Well, only from the existing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 condition. It's not related to the insignificance.

2 MEMBER FORD: Mario, you also managed to  
3 go about how we felt about this particular issue for  
4 Turkey Point as opposed to generic issues. I feel  
5 really uncomfortable. In all of the rest of the  
6 license renewal examinations we've been asked to  
7 comment upon, we've had detailed documents, ANPs that  
8 we can make good scientific judgments, our own  
9 independent judgments. Here we're hearing engineering  
10 judgment, anecdotes. We've got nothing to go on. So  
11 I don't see how we can make any advice or judgment on  
12 this as an issue.

13 CHAIRMAN APOSTOLAKIS: Yes, I think this  
14 kind of discussion will take place in the afternoon  
15 part--

16 VICE CHAIR BONACA: But I would like to --  
17 I know, we know pretty much what we heard already. My  
18 sense is that we should not write a report now. There  
19 are two issues here that need some closure. One is  
20 the station blackout issue. Although we know that the  
21 plant is taking a position, a direction of fulfilling  
22 the requirements, it is important for us as a  
23 committee for us to understand is it a capricious  
24 requirement in addition to what already they are doing  
25 at Turkey Point? Is it essential? I think we need to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reflect on that and review it. Second, we also now  
2 need to look at this paper that will be provided to us  
3 and so my suggestion would be that schedule one hour  
4 meeting at the May meeting and we look at those two  
5 issues and then resolve them at that time. That will  
6 give us at least time next three weeks --

7 CHAIRMAN APOSTOLAKIS: Well, we have time  
8 this afternoon to discuss the letter. We have already  
9 agreed that there will be some additional information  
10 provided to us with a possible presentation.

11 VICE CHAIR BONACA: Yes.

12 CHAIRMAN APOSTOLAKIS: We're already  
13 behind schedule.

14 VICE CHAIR BONACA: I was attempting to  
15 say in a way that you're right and a means of probably  
16 doing some closure, but I think that for us to jump to  
17 something today is going to make it enough.

18 CHAIRMAN APOSTOLAKIS: Okay. So I'm  
19 wondering now is there anything else we need to  
20 discuss right now?

21 VICE CHAIR BONACA: Any other questions  
22 that members would raise?

23 MEMBER LEITCH: Not related to concrete,  
24 but I have a question about there's a figure in the  
25 environmental report. It depicts a 6-mile radius and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 usually when you see these figures they have a 10-mile  
2 radius. I don't know that this relates to emergency  
3 planning, but I'm just wondering --

4 CHAIRMAN APOSTOLAKIS: Which figure is  
5 this?

6 MEMBER LEITCH: Page 2.1-3 in the  
7 environmental report.

8 I'm just wondering is there any  
9 implication? Does Turkey Point have a 10-mile EPZ  
10 like everybody else?

11 MR. HALE: Yes, we do. Steve Hale,  
12 Florida Power and Light. Yes, we do. That's not  
13 intended for emergency planning.

14 MEMBER LEITCH: Okay and my other question  
15 is can someone tell me what's the CDF and LERF for  
16 these units and are they different from one another?

17 MR. AULUCK: We'll have to get back to  
18 you.

19 MEMBER LEITCH: Okay, I'm just looking for  
20 the CDF and LERF and are units, Unit 3 and 4 different  
21 from one another.

22 MR. HALE: Unit -- I can't cite the  
23 specific numbers, but we're not an outlier or anything  
24 like that. We have reasonable CDF numbers. I can't  
25 speak to the specific numbers.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: Well, actually, your  
2 numbers reported in the IPE are highest of anybody,  
3 but the discussion at Florida was that, in fact, that  
4 your updated PRA has numbers that are much lower. So  
5 I think it's close to four times  $10^{-4}$  in the IPE and  
6 the reported number was like 1 times  $10^{-5}$ , some PRA  
7 person gave this in Florida, but that hasn't been  
8 documented.

9 CHAIRMAN APOSTOLAKIS: So how did it go  
10 from four times  $10^{-4}$  to 1 times  $10^{-5}$ ?

11 MEMBER SHACK: Divide by 40.

12 (Laughter.)

13 MEMBER ROSEN: This is fairly typically  
14 actually --

15 MEMBER SHACK: The discussion was that he  
16 was making some very conservative assumptions when  
17 they did the IPE.

18 MEMBER ROSEN: That's the reason. This is  
19 fairly typical, you see it in most PRAs that the very  
20 first ones are quite a bit higher than the more  
21 sophisticated ones that are done over time.

22 CHAIRMAN APOSTOLAKIS: So that's something  
23 that we have to discuss.

24 VICE CHAIR BONACA: Any other questions?

25 MEMBER POWERS: But George, I'll remind

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you the number is totally meaningless because it only  
2 considers operational events.

3 MEMBER ROSEN: Because of what, Dana?

4 MEMBER POWERS: It only considers  
5 operational events. It doesn't consider shutdown.

6 MEMBER ROSEN: Plants generally have a  
7 shutdown assessment that considers the risk during  
8 shutdown which is additive to the internal events.  
9 It's not meaningless, it's just part of the question.

10 CHAIRMAN APOSTOLAKIS: Okay, any other  
11 questions for the presenters?

12 MR. AULUCK: Do you want us to go over the  
13 other concerns of Mr. Oncavage?

14 CHAIRMAN APOSTOLAKIS: Well, it's too late  
15 now.

16 VICE CHAIR BONACA: Let's just cover  
17 those.

18 MR. MEDOFF: This is Jim Medoff again,  
19 Backup Project Manager for Turkey Point. Basically,  
20 when Mr. Oncavage sent his letter in to you, we did an  
21 independent review of its concerns and basically we  
22 categorized them into voids which we just discussed.  
23 The effect of hurricane windspeeds in storm surges,  
24 unsafe operation of the units. He also went into  
25 concerns about the effect of terrorist attacks on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 safety of the plants and he had a concern about spent  
2 fuel capacity.

3 Basically, what we did is we called up the  
4 National Oceanographic and Atmospheric Administration  
5 to discuss the hurricanes. Hurricane Andrew basically  
6 was one of the most severe hurricanes ever to hit the  
7 Atlantic coast. It had wind speeds of 149 to 150  
8 miles per hour which puts it in Category 4, but with  
9 gusts above that which put the gusts into Category 5.  
10 The storm surges for the Hurricane Andrew were of the  
11 order of 17 feet maximum. As Steve Hale has  
12 indicated, the Florida Power Light units, the Turkey  
13 Point units, vital equipment are designed to withstand  
14 storm surges above 22 feet and all of the vital  
15 equipment such as emergency diesel generators, the  
16 reactor vessel, etcetera are put in design category 1  
17 structures and they're designed to withstand  
18 differential pressures created by the hurricane of the  
19 order of 225 psi without any deformation of the --

20 MEMBER ROSEN: Now you said above 22 feet.  
21 I don't think that's what he said. I thought they  
22 said it was up to 22 feet.

23 MR. MEDOFF: No, the location of the vital  
24 equipment is at 22 feet or higher.

25 MEMBER ROSEN: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MEDOFF: The maximum hurricane -- in  
2 our discussions with NOAA, the maximum surge ever  
3 recorded for the Atlantic Coast was 20 feet and that  
4 was for, I think, it was Hurricane Hugo on the North  
5 Atlantic coast.

6 The maximum storm surge for Hurricane  
7 Andrew was 17, so the vital equipment at Turkey Point  
8 are designed at levels currently to withstand the  
9 current storm surges for Category 5 hurricanes.

10 That's not to say that you might get a  
11 really, really severe hurricane to create a storm  
12 surge above 22 feet, but I think the probability, my  
13 educated guess on that would be the probability would  
14 be low given the data that NOAA had given me in our  
15 discussions with them.

16 The next one is the effective terrorist  
17 attacks on --

18 VICE CHAIR BONACA: We know that that's  
19 being handled.

20 MR. MEDOFF: And the last concern was the  
21 -- Mr. Oncavage was concerned that they were going to  
22 expand the spent fuel capacity in the spent fuel  
23 building. Typically, they're covered by tech specs if  
24 they even come close. FPL will submit action to  
25 address it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: It strikes me that the way  
2 you have approached storm surges is a bit different  
3 than we usually approach natural phenomena, especially  
4 when you're prognosticating for another 30 years or  
5 so.

6 Don't we usually say what's the  
7 probability of storm surges of various elevations over  
8 that period?

9 MR. MEDOFF: Not being the expert in that  
10 area, I'm not going to say yes or not, but I would  
11 expect that to be the case.

12 MEMBER POWERS: Taking particular  
13 incidents since it got to 17 feet, it could get to 20  
14 feet within the last 100 years we've had as high as 20  
15 feet and this is at 23 feet strikes me that you're  
16 very close and I certainly listen to people, not too  
17 intently, that tell me that the weather is such that  
18 hurricanes are going to become more vigorous in the  
19 future. I know that despite the prognostications last  
20 year was a particularly hurricane deficit year, so  
21 maybe their predictions are not too good. But it  
22 strikes me that you need a little more quantified  
23 treatment of this.

24 MR. AULUCK: I think the design of Turkey  
25 Point can handle Category 5 hurricanes. Steve, do you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want to add?

2 MR. HALE: Well; one, I think this is  
3 beyond Turkey Point, I mean if the issue is that  
4 historically in establishing your natural phenomenon  
5 and what you address in your SAR, you go back, I  
6 believe 100 years or something like that and then you  
7 establish some conservatism on top of that in the  
8 design of your structures.

9 We are fully confident in the design of  
10 our structures of accommodating our design basis  
11 hurricanes which had margin well above 100 year storm  
12 that was identified. So I believe that in considering  
13 storms in the future, would be more in the generic  
14 arena than I would a specific Turkey Point issue.

15 MR. AULUCK: So, in conclusion, we have  
16 completed our review. As I understand we owe you  
17 information on the documentation, how Region 2 closed  
18 the issue on voids. It's available. It's just a  
19 question of getting it to you. The staff  
20 recommendation will include the resolution of the SBO  
21 issue and applicant has met all the requirements  
22 required by 54.29.

23 VICE CHAIR BONACA: So mean the second  
24 bullet is not correct, of course, at this stage. I  
25 mean there's one open item and we will --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. AULUCK: All open items identified in  
2 the SER were resolved. This is a new emerging issue.

3 VICE CHAIR BONACA: You're right.

4 MR. AULUCK: It just came last week and  
5 that's why I made a separate bullet in the staff  
6 recommendation.

7 VICE CHAIR BONACA: Thank you. Any  
8 further questions?

9 MR. KUO: And this concludes the staff's  
10 presentation on Turkey Point license renewal  
11 application review and we will take two actions back.  
12 The first one is try to put together the paper trail  
13 on the concrete voids inspection from Region 2. We  
14 will try to get as many copies as we can.

15 The second action is to check the CDF and  
16 LERF values for the containment.

17 VICE CHAIR BONACA: There's a third one  
18 which is the station blackout.

19 MR. KUO: Station blackout. We issue the  
20 staff position on April 2nd on station blackout and  
21 the issue has been there for quite a few months. We  
22 have issued the first station blackout proposed  
23 position back in November of last year. Since then we  
24 have met with NEI and the industry three times and  
25 this position was supported by the NEI and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 industry.

2 VICE CHAIR BONACA: On the other hand, the  
3 staff was present during the walkdown of Turkey Point  
4 and the demonstration of the alternate path and there  
5 was no mention that this requirement would come up, so  
6 I think it's important for us to review it to  
7 understand if the requirement is appropriate.

8 MR. KUO: Sure, sure.

9 VICE CHAIR BONACA: Because I was very  
10 convinced by what I saw there and that it was  
11 adequate, so I would like to just --

12 MR. KUO: I understand.

13 CHAIRMAN APOSTOLAKIS: All right, thank  
14 you all.

15 MR. HALE: Just for my own benefit, so I  
16 understand these issues. I guess right now the  
17 current schedule for the Turkey Point license shows a  
18 letter from ACRS by -- what is it, April 19th?

19 MR. AULUCK: The 19th.

20 MR. HALE: And so what I understand that's  
21 not going to occur?

22 CHAIRMAN APOSTOLAKIS: It looks like it  
23 will not.

24 MEMBER POWERS: Let's make very clear that  
25 that's somebody else's schedule. That's not our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 schedule.

2 MR. HALE: Oh, I'm not -- I'm not -- don't  
3 -- just for my own benefit in terms of where we stand  
4 with our license review.

5 CHAIRMAN APOSTOLAKIS: There is a  
6 probability that it would get it, it went down by a  
7 factor of 40 as a result of today's --

8 (Laughter.)

9 MR. HALE: Is there anything that we can  
10 do? Certainly, we can get our hands on the  
11 information ourselves with regards to the concrete  
12 containment. In fact, I brought quite a bit of  
13 information with me today. If there's some way with  
14 regard to the concrete void issue, we can resolve it  
15 by inspection of the information I have with me.

16 The second item was with regards to  
17 station blackout. We met for an extended period of  
18 time yesterday with the staff and have come in general  
19 agreement to the approach. We also have that  
20 information available. And certainly, the CDFs for  
21 the plant can be obtained very quickly.

22 MEMBER KRESS: I propose that the  
23 Subcommittee Chairman sit down with him and go over  
24 that information and see if it's enough to satisfy the  
25 Subcommittee Chairman and then he can report back to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the full Committee.

2 VICE CHAIR BONACA: There are Subcommittee  
3 member concerns, however, raised right here and I want  
4 to make sure that we satisfy those. I'll be certainly  
5 willing to sit down and review what you have and still  
6 there are a number of issues here, it seems to me that  
7 put the Committee under pressure to come to a  
8 determination when these issues are raised in Florida  
9 City, with the exception of the session blackout. And  
10 so it concerns me in the months, the elapse of time we  
11 haven't been able to find --

12 CHAIRMAN APOSTOLAKIS: Okay, why don't you  
13 then interact with the licensee and report to us maybe  
14 at 5:30 where we have some time to discuss this?

15 VICE CHAIR BONACA: I'll do that.

16 CHAIRMAN APOSTOLAKIS: And see how the  
17 Committee members feel then about writing a letter.  
18 Okay?

19 MR. HALE: I would like for Dr. Ford, too,  
20 because he's the one that's voiced concerns with  
21 regards to -- if possible --

22 CHAIRMAN APOSTOLAKIS: Yes. We can do  
23 these things. But you have to remember, the letter is  
24 from the full Committee.

25 MR. HALE: I understand. I understand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 fully. I just want to make sure that I have brought  
2 information today and anything I can do to facilitate  
3 your review I would like to do that.

4 CHAIRMAN APOSTOLAKIS: Certainly. Okay,  
5 thank you all very much. We'll recess until 11:30.

6 (Off the record.)

7 CHAIRMAN APOSTOLAKIS: We're back in  
8 session. The next topic is Advanced Reactor Research  
9 Plan.

10 Dr. Kress is the cognizant member.

11 MEMBER KRESS: Thank you, Mr. Chairman.  
12 The staff is diligently working on a comprehensive  
13 research plan for advanced reactors. We have a draft,  
14 a proposed draft, copy of it which is incomplete. So  
15 I guess we could consider this kind of an interim  
16 briefing and I guess we're looking for any early  
17 feedback from us that we might be able to give them  
18 either orally now or perhaps in a letter. So with  
19 that minor introduction, I'll turn it over to Farouk.

20 MR. ELTAWILA: Thank you, Tom. You are  
21 exactly right that this plan right now is in a very  
22 early stage, and as a matter of fact, we have not  
23 received the input from the user office like NRR and  
24 NMSS, so it's a work in progress and we'll continue to  
25 update this plan and we envision that we will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 coming to the ACRS at Subcommittee level in the  
2 different areas of this program. But for the time  
3 being, the staff developed that plan to identify the  
4 issues that will be needed to develop the safety  
5 criteria against which this advanced reactor design  
6 will be judged.

7 The plan is extremely comprehensive and  
8 includes a lot of information. Some of this  
9 information might already exist through international  
10 research that's conducted somewhere else. It is also  
11 available through the vendors and the old history of  
12 gas-cooled reactors, for example.

13 So the plan should not be construed as  
14 research activities that the Office of Research is  
15 going to be conducting. As a matter of fact, a lot of  
16 the information that describes in the plant would be  
17 the responsibility of the Applicant of the new reactor  
18 design to try to make the safety case. So we will be  
19 receiving a lot of information from the industry on  
20 that.

21 But regardless of where the source of  
22 information is going to come from, whether it's coming  
23 from NRC, from international cooperation or from the  
24 vendor or the Applicant himself, NRC will have the  
25 best information available to make its regulatory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decision.

2 MEMBER LEITCH: If it's not intended to  
3 identify research, would it be intended to influence  
4 research by the NRC? Maybe identify is not the right  
5 word. "Would influence" be the right word?

6 MR. ELTAWILA: Influence research. I  
7 really consider it now as a gap analysis to try to  
8 identify the weakness or the lack of information at  
9 the NRC because we saw it in this advanced reactor,  
10 particularly gas-cooled reactor very recently. So we  
11 might identify an issue that there have been a lot of  
12 research being done somewhere else, so if I call it  
13 research or try to make it to influence research, it  
14 might be the wrong way of characterizing it.

15 So it's really gap analysis right now and  
16 once we collect more information we are going to  
17 refine that and find out which part of the research  
18 would be provided by the industry, which part will be  
19 provided by NRC.

20 Having said that, one more issue that the  
21 Office of Research, even though if the utility or if  
22 the vendor provide information research data to  
23 support their safety case, the Office of Research will  
24 be conducting confirmatory research to try to go  
25 beyond the information that's usually traditionally

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 provided by Applicants like poking into the area of  
2 severe accident source term and the issue that not  
3 traditionally being addressed by Applicant and  
4 licensee.

5 MEMBER LEITCH: So the operative word is  
6 "by the NRC"? In other words, you're identifying  
7 research that needs to be done by someone.

8 MR. ELTAWILA: By someone. And eventually  
9 we'll try to narrow down to the research that will be  
10 done by the NRC.

11 MR. ELTAWILA: Okay.

12 MEMBER FORD: Can you put a quantitational  
13 thing on "eventually"? When are these decisions going  
14 to be made?

15 MR. ELTAWILA: I think this decision -- we  
16 are supposed to go to the Commission in the fall of  
17 this year so we are planning to form inter-office task  
18 groups to look at the information in the research  
19 plan, identify which part of this information would be  
20 provided. The NRC is going to ask the vendor and  
21 Applicant to provide and then decide after that the  
22 balance of that will be performed by NRC and finalized  
23 that in the fall and send it to the Commission, of  
24 course, after coming to you here.

25 MEMBER FORD: So there will be several

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meetings with the ACRS to comment on the various  
2 points along that time line?

3 MR. ELTAWILA: That's correct, yes.

4 CHAIRMAN APOSTOLAKIS: By fall?

5 MEMBER KRESS: Oh yes, we will several by  
6 fall, yes.

7 MR. FLACK: I think what's envisioned is  
8 that we would come back at least once to the Full  
9 Committee before we go to the Commission with the  
10 plan. And then Subcommittees as we feel are necessary  
11 or as the Committee feels necessary.

12 CHAIRMAN APOSTOLAKIS: Maybe you need a  
13 better title though. When you issue a report that  
14 says "Research Plan" it seems to me most people would  
15 think research to be done by the NRC. Usually, these  
16 are technical issues. They need resolution before you  
17 license them.

18 MR. ELTAWILA: George, I agree with you,  
19 but we are -- are embarking on an area here that we  
20 really don't have too much experience, especially in  
21 the  
22 gas-cooled reactor. We don't have much experience and  
23 we have, for example, we are having a hard time  
24 getting information from the international community.  
25 So the information might be out there, but we might

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 still have to do the research because we are unable to  
2 get this information.

3 CHAIRMAN APOSTOLAKIS: No, I understand,  
4 but I think the title of your report should be  
5 advanced reactor technical issues.

6 MR. ELTAWILA: Information needs.

7 CHAIRMAN APOSTOLAKIS: Yes, information  
8 needs, something like that.

9 MR. ELTAWILA: We can change that.

10 CHAIRMAN APOSTOLAKIS: Instead of Research  
11 Plan.

12 MR. FLACK: Well, the reason why it's a  
13 plan is we're trying to build an infrastructure.

14 CHAIRMAN APOSTOLAKIS: But you cannot plan  
15 for other people, John.

16 MR. FLACK: No, no. I understand. That's  
17 when we exercise the plan. The plan is to build the  
18 infrastructure and then part 2 is well, we're getting  
19 a license application that at some later date we're  
20 prepared to support the licensing office in that area.  
21 So we have a plan to try to establish the  
22 infrastructure that will support the plan.

23 CHAIRMAN APOSTOLAKIS: If you change the  
24 title you will not need a separate color for that  
25 bullet over there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ELTAWILA: We'll change the title, how  
2 about that? Really, it's not a big issue right now.

3 CHAIRMAN APOSTOLAKIS: The second bullet  
4 there, you know, why do you feel that you have to say  
5 that? Isn't that sort of understood that the  
6 Applicants are responsible for data?

7 MR. ELTAWILA: It is -- well,  
8 traditionally, the NRC have been generating the data  
9 for all plans, you know, before the 1990s and things  
10 like that. The NRC generated all the thermal  
11 hydraulic database, all the severe accident and the  
12 fuel. So right now we are entering our strategic  
13 plan, put the burden on the industry for providing the  
14 data that's needed to justify the technical basis for  
15 the licensing of the plant.

16 So it is important to identify that so  
17 people when they read the plan, they don't think that  
18 we are -- whatever we're going to call it, they are  
19 not going to reach the conclusion that NRC is going to  
20 do this work and then they will sit and not do any of  
21 the work themselves.

22 MEMBER KRESS: I think that's worth  
23 saying.

24 CHAIRMAN APOSTOLAKIS: But you also have  
25 a sentence in the actual report. I don't know if you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want to come back to it, but where you say it is also  
2 recognized that an Applicant of a new reactor design  
3 has a primary responsibility to demonstrate the safety  
4 case of the proposed design.

5 MR. ELTAWILA: That's correct.

6 CHAIRMAN APOSTOLAKIS: And later on, you  
7 use a variation of this as well. It wasn't clear, I  
8 mean somehow it sent a message that we are really not  
9 part of this. We are setting the standards, aren't  
10 we, the criteria and the objectives. It's their  
11 responsibility to demonstrate they comply with the  
12 criteria, but not -- what does it mean to demonstrate  
13 the safety case? Are they going to also set the  
14 criteria?

15 MR. ELTAWILA: No, no. I think it's very  
16 difficult to put everything in the first bullets, but  
17 if you go a little bit further in our discussion you  
18 will see that one of our responsibilities is to  
19 develop the data to set the safety limits for this  
20 plan.

21 CHAIRMAN APOSTOLAKIS: Sure.

22 MR. ELTAWILA: So that will be our  
23 responsibility. It's not going to be Applicant  
24 responsibility or anybody else.

25 CHAIRMAN APOSTOLAKIS: Okay, but I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 in the report it should be made clearer, because that  
2 was something that struck me when I read it.

3 MEMBER KRESS: But when it comes to  
4 deciding what data and research that the Applicant  
5 needs to provide to you, do you have some sort of firm  
6 criteria for how to pick out of this comprehensive  
7 document so these are your guys and these are  
8 confirmatory and they're ours. Do you have a way to  
9 decide that or is that just going to be judgment?

10 MR. ELTAWILA: I think it will be a lot of  
11 things: experience, judgment and our interaction with  
12 the user office about what are the information that  
13 they want independent capability from the staff to be  
14 able to do their job. And our own initiative in the  
15 Office of Research about how to build that additional  
16 infrastructure to be able to ask more intelligent  
17 questions from this Applicant and licensees. So it  
18 will be a combination of the three and the way we have  
19 developed this information and the past will play a  
20 major role in deciding which part will be ours and  
21 which part will be the Applicant's. But in the past,  
22 Applicant tends to focus on the operation of the  
23 plant. They have a safety envelope that they work  
24 within the safety envelope and they will provide the  
25 information to satisfy that need only.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 NRC wants to go beyond that and to try to  
2 challenge the system in a different way and we will  
3 generate the information for that.

4 Although the plan itself is for AP-1000,  
5 IRS and GT-MHR and PBMR, you will see that most of our  
6 discussion will be on high temperature gas-cooled  
7 reactor because that's the area we don't have much  
8 information about.

9 CHAIRMAN APOSTOLAKIS: Do you have  
10 sufficient information on IRIS?

11 MR. ELTAWILA: Okay, IRIS, let me -- IRIS,  
12 we have very limited interaction with Westinghouse so  
13 it's not really a major part of our activities right  
14 now.

15 The other points that I want to make is  
16 that we -- Jim Lyons from NRR and I attended a meeting  
17 with Framatome and Framatome is proposing to submit  
18 SWR application. So -- SWR -- honestly, I tried to  
19 look in the vu-graphs to find what -- simplified water  
20 reactor or something like that.

21 MR. LYONS: This is Jim Lyons from NRR.  
22 It's the SWR 1000. It was designed by Siemens from  
23 Framatome and Siemens are now together. It's a plant  
24 that's being considered to be built in Finland.  
25 They're also looking at coming in. That would be a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 BWR design that they're thinking about. They're also  
2 exploring whether or not they'd want to come in with  
3 the EPR which is European Pressurized Water Reactor.  
4 That's another one that they're thinking, they're  
5 considering coming in with for design certification.

6 CHAIRMAN APOSTOLAKIS: Now the SWR is not  
7 the same as the SBWR?

8 MR. LYONS: No, it's not. It is a boiling  
9 water reactor. It was --

10 MR. ELTAWILA: It's almost the same  
11 principle, but it's different. So again, we're going  
12 to change our plant as Jim indicated. They are  
13 coming. They want certification. Next year, they  
14 submit application.

15 They are serious about submitting  
16 application.

17 We're having a meeting with them.

18 MR. LYONS: We're meeting with them on --  
19 they're going to present these two basic designs and  
20 they're trying to understand the design certification  
21 process and to make a business decision on whether or  
22 not they want to come forward.

23 MEMBER ROSEN: This raises the whole  
24 question in my mind of how you pick the things that  
25 you need to get researched, however you get them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 researched. Because I was astonished in reading your  
2 report that the Generation IV program of the  
3 Department of Energy isn't mentioned until the 111th  
4 page which is the last page.

5 CHAIRMAN APOSTOLAKIS: Because they  
6 couldn't do it after that.

7 MEMBER ROSEN: Because they could not do  
8 it after that and still mention it.

9 And in that program which is a very vital  
10 program with lots of effort going into it, hundreds of  
11 people working on it, many of the concepts that were  
12 just mentioned and lots beyond that are being  
13 considered seriously to be down-selected for  
14 development of a roadmap and some research,  
15 significant amounts of research from the Department of  
16 Energy. I know John Flack who's with you. He's aware  
17 of these things and has attended many of the meetings.

18 So I would ask you why don't you even  
19 reference Generation IV in this report?

20 MR. ELTAWILA: That's a good question. We  
21 are keeping informed with what's going on in  
22 Generation IV, but it's a Commission direction. The  
23 Commission directed the staff to work with this  
24 applicant at this time, and that's why we defined the  
25 work that will be needed for these four applications

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that we have, even though IRIS is at the very early  
2 stage.

3 So we get guidance from the Commission  
4 about what to work on and what not to work on, and for  
5 advanced -- for the Generation IV to continue to  
6 interact with DOE, we're keeping abreast of what's  
7 going on, and we keep the Commission informed with  
8 what's going on. And once the Commission feels that  
9 the staff should be engaged in this process, I think  
10 the Commission will direct us to be working in this  
11 area.

12 MEMBER ROSEN: I think perhaps the  
13 committee -- our committee ought to discuss this  
14 point.

15 CHAIRMAN APOSTOLAKIS: It wouldn't make  
16 any difference, though, Steve. I mean, they are  
17 trying to be as general as they can. I mean, look at  
18 the very -- the penultimate arrow there. The  
19 regulations will be technology neutral. I mean, if  
20 they mention Generation IV on the second page, would  
21 it make any difference to what they're proposing?

22 MEMBER ROSEN: Well, I think it would make  
23 a great deal of difference.

24 CHAIRMAN APOSTOLAKIS: Really?

25 MEMBER ROSEN: Oh, yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: They are trying to  
2 be technology neutral.

3 MEMBER ROSEN: Well, but I do think you  
4 have --

5 CHAIRMAN APOSTOLAKIS: Yes. Well --

6 MEMBER ROSEN: -- ever do that.

7 CHAIRMAN APOSTOLAKIS: Then, they will  
8 have, they say, Regulatory Guides.

9 MEMBER ROSEN: No.

10 CHAIRMAN APOSTOLAKIS: So they will not  
11 have --

12 MEMBER ROSEN: For example, this report  
13 includes -- a third of the report is on the research  
14 to support nuclear materials, NMSS activities. The  
15 Generation IV program will be -- if it continues to  
16 evolve the way it currently is, will include a major  
17 research track on sodium-cooled reactors, but the fuel  
18 cycle of it mostly.

19 CHAIRMAN APOSTOLAKIS: Yes.

20 MEMBER ROSEN: With an emphasis on fuel  
21 cycle research. And that's not mentioned at all in  
22 this third -- last third of this 111-page report. And  
23 it would seem to me that it would be a major thrust of  
24 the nation's going-forward activity.

25 MEMBER KRESS: Well, I think Farouk --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: So my basic --

2 MEMBER KRESS: -- I think Farouk  
3 appropriately answered, though. They've got  
4 constraints on what this report is supposed to look  
5 at, and it doesn't include that.

6 MEMBER ROSEN: Right. And I'd say if  
7 those are the constraints that they were asked -- that  
8 they were working within, because the Commission  
9 directed that, then, well, that's certainly what they  
10 have to do.

11 MEMBER KRESS: Sure.

12 MEMBER ROSEN: But we can advise the  
13 Commission that maybe they ought to be thinking about  
14 some broader issues.

15 MEMBER KRESS: Well, that's -- I think  
16 that would be another issue, another thought.

17 MEMBER ROSEN: I'm not faulting them. I'm  
18 just --

19 MR. ELTAWILA: No. I think we encourage  
20 the committee to think about the reality of the budget  
21 situation, and things like that. We have to -- even  
22 that we are encouraging NEI and the industry to come  
23 with identification of what's really their priority.

24 You know, if it is going to be AP-1000,  
25 PBMR, GT-MHR, we really need to get clear guidance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from the industry about what's important, what's  
2 definitely going to be submitted for certification,  
3 and has a chance of continuing with the application  
4 here for review, because, as you can see from the  
5 report itself, the amount of information that needs to  
6 be gathered is tremendous.

7 And given the staff limitation and even  
8 contractor availability and test facilities, and  
9 things like that, we need to plan in a much better  
10 structured way than trying to address everything at  
11 the same time.

12 MEMBER ROSEN: I think there are major  
13 strategic issues that need to be addressed, and that  
14 one of them comes out of what you just said, which is  
15 wait for the applicant to come and then we'll get  
16 ready. I'm not sure that's the only way that research  
17 should get defined, and we can discuss that more in  
18 the committee.

19 MEMBER KRESS: Yes. But surely you want  
20 to give priority to things you know are going to come  
21 in for certification, or at least you suspect very  
22 soon. So, you know, you can't -- if you've got a lot  
23 of stuff to do, you're going to focus on the ones that  
24 you need first. And I think that's what they've done.

25 MEMBER ROSEN: Well, they've done what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 they were told to do, which is a good thing to do --

2 MEMBER KRESS: Yes.

3 MEMBER ROSEN: -- when you work here.

4 (Laughter.)

5 MR. ELTAWILA: Okay. With the -- I think  
6 George alluded about to the new regulatory structure  
7 that we should be looking at. For example, some  
8 feature of the PBMR is not really covered by current  
9 regulation because -- which is developed for light  
10 water reactor.

11 So Exelon has proposed a risk-informed  
12 approach towards defining the license basing event to  
13 supplement the current regulatory structure. And we  
14 are planning to build on Option 3, and that's why Mary  
15 is here, build on Option 3, try to provide -- maybe we  
16 need to develop additional supplemental risk metrics  
17 for the other type of reactor, and at a very high  
18 level for what criteria this design should mean that  
19 we can be technology or reactor design neutral.

20 And then, in the specific Regulatory  
21 Guide, we'll try to see how well they should be  
22 measuring against meeting the acceptance criteria, and  
23 we'll provide that for each type of reactor, a Reg  
24 Guide or a set of Reg Guides to address these  
25 acceptance criteria.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The overall objective of the research plan  
2 is to, as I mentioned earlier, to determine the  
3 critical information that is needed to establish the  
4 safety standard new reactor design is going to  
5 meeting. That's NRC responsibility. Although that we  
6 might get some data from the licensee -- from  
7 applicants, we have the major responsibility of  
8 developing this data.

9           Again, another issue -- the issue of  
10 uncertainty, we are planning to explore uncertainties  
11 in this design and this information, and that's the  
12 responsibility of NRC.

13           And, finally, is the issue of developing  
14 independent analysis tool and give the data to assess  
15 this tool.

16           CHAIRMAN APOSTOLAKIS:       Now, the  
17 uncertainties.     You have in mind something,  
18 NUREG-1150?     That's the only place where I've seen  
19 large uncertainties handled.

20           MR. ELTAWILA:   I think we will be looking  
21 at something like NUREG-1150.

22           CHAIRMAN APOSTOLAKIS:   With expert opinion  
23 elicitation and doing something about it and --

24           MR. ELTAWILA:   For some of this new design  
25 which we're going to have, much of the experience or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 much of the data, that we will have to look into  
2 expert opinion. And you can -- maybe when John  
3 discusses the issues of fuel you'll find some of this  
4 in his discussion. I don't know if you were planning  
5 to discuss it.

6 Again, because of the -- we are going to  
7 rely a lot on cooperative agreement, although we have  
8 been having difficulty entering into some of these  
9 agreements, but there is work in China and Japan,  
10 European community, and we are looking for cooperation  
11 of the Department of Energy to do some testing in the  
12 fuel area.

13 I want to conclude my brief presentation  
14 here by saying that we looked at Dr. Powers' trip  
15 report. I think Dana identified very important  
16 technical and policy issues that the Commission needs  
17 to resolve before we can say this type of PBMR in  
18 particular is -- can be certified or not.

19 CHAIRMAN APOSTOLAKIS: Did you find that  
20 report --

21 MR. ELTAWILA: So the issues are very  
22 important.

23 CHAIRMAN APOSTOLAKIS: Did you find that  
24 report clearly written?

25 (Laughter.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ELTAWILA: If you heard Commissioner  
2 McGaffigan say, it's plain language, you know, and he  
3 was looking for something from us to say the same  
4 thing. But, unfortunately, he also admitted that our  
5 concurrence process will not allow me to write  
6 something like Dana Powers writes. So --

7 (Laughter.)

8 CHAIRMAN APOSTOLAKIS: Well, it's not that  
9 -- I'm not sure this committee would think about --

10 (Laughter.)

11 Yes, he certainly speaks with sufficient  
12 clarity and volume.

13 (Laughter.)

14 And volume.

15 MR. ELTAWILA: Well, they are very  
16 important issues. We identified these issues and sent  
17 them to Exelon, and we are in the process of gathering  
18 information about it, and we actually use this  
19 information in the development in our research plan.  
20 In addition to Dr. Powers, we received other comments  
21 from Dr. Murley, for example, and all of this  
22 information is factored into our plan.

23 CHAIRMAN APOSTOLAKIS: Now, why did -- I  
24 sense that you have some problems with international  
25 -- not problems perhaps, but you are not -- it's also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 clear how you're going to get information from the  
2 international efforts. Why do you need to understand  
3 the status? I mean, you send somebody there, you  
4 understand it. What's the problem? They are  
5 reluctant to give you information?

6 MR. ELTAWILA: When you -- there is  
7 reluctance -- I think, for example, the European  
8 community is -- their system of working the everybody  
9 do -- does research, and the shared information --  
10 there is no exchange of money.

11 So for us to try to get information from  
12 the European community, we'll try to get consensus  
13 from all of the members of the community. And you  
14 know that that's extremely difficult, to enter into an  
15 ongoing program right now to try to get information.  
16 So each country has said yes or no to sharing  
17 information with NRC.

18 When it comes to China, it is just -- we  
19 have limitations through the State Department and  
20 things like that about what level of interaction we're  
21 going to have with them. Japanese, again, the  
22 organization -- so it's just -- in a nutshell, it's  
23 not that easy.

24 Yes, we're sending people to go and meet  
25 with them. We've been exchanging e-mail. We meet

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with them. And it sounds very promising, and it looks  
2 like we are on the right track, and we are going to  
3 get the information. But, unfortunately, nothing has  
4 materialized up to now. We have not signed a single  
5 agreement with any of these countries. You know,  
6 that's one of the most frustrating parts of this  
7 activity right now.

8 MEMBER FORD: And do you have a backup  
9 plan should those agreements not take place?

10 MR. ELTAWILA: Our backup plan is to go to  
11 the Commission and say, "We will have to develop this  
12 data, all of it, ourselves." And which I think that  
13 will be -- will put some of this, like the PBMR  
14 schedule, in jeopardy because some of these data are  
15 very crucial for --

16 CHAIRMAN APOSTOLAKIS: Do they have any  
17 incentive to cooperate with you? Is there any benefit  
18 to them?

19 MR. ELTAWILA: The benefit is that we  
20 definitely -- we are going to be doing research, and  
21 we'll try to exchange the information. It's just  
22 government-to-government communication and the  
23 exchange of information is not that easy as a lot of  
24 people think it is, you know, including our  
25 Commissioner.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Our Commissioner believes that we should  
2           have had all of these agreements signed by now, but  
3           it's just not happening that fast, you know.

4           CHAIRMAN APOSTOLAKIS: It's still not very  
5           clear to me, but, anyway, let's go on.

6           MR. ELTAWILA: Okay. With that, I will  
7           ask John to complete the presentation.

8           MR. FLACK: Okay. My name is John Flack.  
9           I'm the Branch Chief of the Regulatory Effectiveness  
10          and Human Factors Branch, which also has the advanced  
11          reactor group.

12          I know we're time limited, and Farouk  
13          covered a number of things, so I will briefly -- I  
14          will go quickly through the viewgraphs. And please  
15          slow me down if you need more information.

16          CHAIRMAN APOSTOLAKIS: Don't worry.

17          MR. FLACK: The plan was actually created  
18          with a number of --

19          CHAIRMAN APOSTOLAKIS: Does this committee  
20          have a reputation that it does not ask enough  
21          questions? Because every speaker who comes here  
22          encourages us not to hesitate to interrupt them.

23          (Laughter.)

24          Do we have a record of not interrupting?

25          MR. ELTAWILA: For the record, I did not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ask you to --

2 CHAIRMAN APOSTOLAKIS: Is our image so  
3 terrible that --

4 (Laughter.)

5 MEMBER POWERS: We're very shy.

6 (Laughter.)

7 We're tiring.

8 CHAIRMAN APOSTOLAKIS: Okay. John, we  
9 appreciate your --

10 MR. FLACK: Okay.

11 CHAIRMAN APOSTOLAKIS: I know it was well  
12 meaning.

13 MR. FLACK: Thank you. The plan itself  
14 had been created by -- over 20 authors actually wrote  
15 parts of the plan. Many of them you'll find in the  
16 room today, so what I'm -- I'm offering you an  
17 opportunity, if there's anything technical that you  
18 want -- you've seen in the plan or you hear here  
19 today, we have the people here that --

20 CHAIRMAN APOSTOLAKIS: Would you please  
21 introduce your colleagues?

22 MR. FLACK: Oh, I'm sorry. Mr. Rubin to  
23 my left. Stu has been the -- in addition to work in  
24 the fuels issue on the HTTR, he is also the project  
25 manager on the pebble bed reactor.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN APOSTOLAKIS: Okay.

2 MR. FLACK: And Joe Muscara to my right  
3 prepared most of the material and the plan on  
4 materials, primarily high temperature materials and  
5 graphite. Don Carlson also works in our group and has  
6 prepared most of the material on the nuclear analysis  
7 part of that, for both material and reactor safety.

8 CHAIRMAN APOSTOLAKIS: Very good.

9 MEMBER KRESS: When I read the plan -- by  
10 the way, I like the way it's organized.

11 MR. FLACK: Oh, good.

12 MEMBER KRESS: Yes. It makes it very,  
13 very well put together to know what the issue is and  
14 what it -- but when I read it, most of it sounds like  
15 it was written by one person, except when you get to  
16 the materials part that sounds like -- a little  
17 different. But did one person write most of that?

18 MR. FLACK: No. Actually, well --

19 MEMBER KRESS: It was put together by a  
20 bunch of people, huh?

21 MR. FLACK: We tried to establish a  
22 certain format I'll cover in a minute, but I'm trying  
23 to get that information out. But what was important  
24 about the development of the plan is we didn't want it  
25 to be issue driven; in other words, try to figure an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue and then what research you need to resolve the  
2 issue.

3 What we were really focusing on is the  
4 infrastructure, the ability to ask the right  
5 questions. And so we started -- well, I'll get to it,  
6 but we started from that perspective, what are the  
7 tools, what is the expertise that we're going to need,  
8 rather than try to identify issues.

9 But, in the end, I do have viewgraphs on  
10 some of the issues we see already -- technical issues  
11 that could bubble up to be safety issues, that could  
12 bubble up to be policy issues -- and we'll go through  
13 that towards the end.

14 Farouk went over many of the objectives of  
15 the -- the reason why we put together the plan. Some  
16 of these I've just summarized on this viewgraph,  
17 trying to identify the areas, the expertise, having  
18 the plan as a communication tool, so people understand  
19 what we're trying to achieve.

20 MEMBER ROSEN: But wait a minute. Now,  
21 it's not to build an advanced reactor research  
22 infrastructure. It's really to build an advanced  
23 reactor research infrastructure for three or four  
24 selected concepts.

25 MR. FLACK: That's right. The scope is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there, it's only limited -- the scope of the plan  
2 right now is limited to the four concepts that we have  
3 on the table.

4 MEMBER KRESS: You should read advanced  
5 reactor as these four concepts.

6 MR. FLACK: That's right. That's right.

7 CHAIRMAN APOSTOLAKIS: And also --

8 MEMBER ROSEN: Which may change tomorrow  
9 if somebody else brings another concept in with an  
10 application.

11 MR. FLACK: Well, the idea is to see what  
12 we'd need to do. We have an infrastructure in place.  
13 It's what additional work or additional tools above  
14 and beyond what we have already. So with these four  
15 concepts coming in, we already see that we're going to  
16 need new data, additional tools, and at that -- we're  
17 looking at it from that perspective.

18 If another concept came in, we'll have to  
19 see what tools can be applied to that concept. And if  
20 there needs to be something new developed, then we  
21 would take it from there.

22 MEMBER ROSEN: But, as you know, there  
23 were something like 19 concept sets in the DOE  
24 Generation IV program, which really meant that there  
25 were something like 75 or 80 concepts that were looked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at overall. So there's lot of concepts out there.

2 MR. FLACK: Right, right.

3 MEMBER ROSEN: Some day -- so you need a  
4 program that -- a thinking process that sets you up to  
5 be ready to respond to whoever comes in with whatever  
6 concept.

7 MR. FLACK: Well, you have to have that --

8 MEMBER KRESS: You can't do that for all  
9 of them. I mean, you just don't have the resources.

10 MEMBER ROSEN: What I think is the list of  
11 the four has some of the things that we might have to  
12 work on in the next decade, but it certainly doesn't  
13 have all of them.

14 MEMBER KRESS: Well, it probably  
15 encompasses a good many of them.

16 MEMBER ROSEN: But it would be clearly a  
17 mistake to believe that because the Commission has  
18 picked those four that that's all that will ever be  
19 brought to the table here and --

20 CHAIRMAN APOSTOLAKIS: From 4 to 80 is a  
21 factor.

22 MEMBER KRESS: Yes, but I don't think --  
23 to think in terms of which ones of these others might  
24 make it to NRC, and then try to prepare --

25 MEMBER ROSEN: No, but you don't have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think about it. You can just simply ask -- go out and  
2 see what people are doing.

3 MEMBER KRESS: Well, I think their comment  
4 that they try to -- try to make the -- at least the  
5 acceptance criteria in the regulations reactor type  
6 neutral is a good way -- is a good thing to do to  
7 anticipate that.

8 MEMBER ROSEN: It is. I agree with that.

9 CHAIRMAN APOSTOLAKIS: Now, the overall  
10 objective, is it really to build an advanced reactor  
11 research infrastructure, or is it to build the  
12 infrastructure that would allow you to license  
13 advanced reactors?

14 MR. FLACK: Now, there's a distinction  
15 between the infrastructure, one being called  
16 regulatory infrastructure and one called research  
17 infrastructure. What we're talking about, at least  
18 aside from the framework, we're really talking about  
19 research infrastructure.

20 CHAIRMAN APOSTOLAKIS: But the objective  
21 ultimately is to support licensing.

22 MR. FLACK: That's right. Which will get  
23 us through the next phase of this plan that --

24 CHAIRMAN APOSTOLAKIS: So that's what you  
25 should say, actually, right? I mean, to build an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 advanced reactor research infrastructure, why? This  
2 is a regulatory agency here.

3 MR. FLACK: Well --

4 CHAIRMAN APOSTOLAKIS: Only to the extent  
5 that it's required for licensing. We've been told by  
6 the Commissioners many times, they have said it in  
7 public, this is a regulatory agency.

8 MR. FLACK: That's right.

9 CHAIRMAN APOSTOLAKIS: It's not the  
10 National Science Foundation.

11 MR. FLACK: That's right.

12 CHAIRMAN APOSTOLAKIS: So the overall  
13 objective probably needs to be reworded.

14 MR. FLACK: Yes. And it's driven a lot by  
15 regulatory needs.

16 CHAIRMAN APOSTOLAKIS: Of course.

17 MR. FLACK: In fact, that was my next  
18 viewgraph was to say, where are we going on the second  
19 phase of this plan? If I can jump to that, we can --

20 CHAIRMAN APOSTOLAKIS: Of course you can.

21 MR. FLACK: -- talk to that issue a little  
22 bit more.

23 The first phase of the plan was really to  
24 get out everything on the table as -- that we know it  
25 today, with no constraints to resources, and so on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And so we held workshops, we had the preapplication  
2 review to capitalize on, we had talked -- we went  
3 around the world looking at what was out there.

4 So we're coming to the end of this first  
5 phase, and, actually, with this meeting, which will be  
6 the second phase of this research plan. And the  
7 second phase of this research plan is really what  
8 focuses on that particular issue that you just brought  
9 up, George. It's to set up working groups with the  
10 user offices now that we've seen -- and we gave  
11 everything -- put everything out on the table. What  
12 is it that we really need to do now?

13 CHAIRMAN APOSTOLAKIS: Yes.

14 MR. FLACK: Okay? And that's going to be  
15 the next phase, and we see this phase coming to  
16 completion. The next time we come to the committee we  
17 would be more focused on that particular issue of  
18 supporting the process, the regulatory process in the  
19 global sense, and then going to the Commission with  
20 that plan at that time.

21 And then, the third phase is really to  
22 maintain it a living plan, to pick up new designs as  
23 they come in, see what delta needs to be done, what  
24 new tools we need to develop, and to state engaged in  
25 that Generation IV activity, to see if these things

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are materializing to the point where we need to start  
2 getting serious about something.

3 MEMBER FORD: Now, how does the  
4 prioritization judgment come about? Given the fact  
5 that your resources are undecided, management  
6 resources like collaborative agreements, people,  
7 dollars. That's not a fixed amount right now. So  
8 your prioritization is going to presumably change with  
9 time, isn't that correct?

10 MR. FLACK: Well, I think Farouk might  
11 want to --

12 MR. ELTAWILA: No. I think the -- our  
13 budget and resources has been established for the next  
14 three years, you know, that at least to -- our 2003  
15 budget is fixed, and 2004 and 2005 is proposed to the  
16 Commission. And we will try to prioritize within  
17 these budget constraints.

18 And if we're going to be using the same  
19 PPM process, and we'll be competing with other  
20 operating events that depends on the priority, we'll  
21 be funding this research based on the available  
22 budget.

23 MEMBER FORD: No, I recognize that.  
24 That's how you're going to spend your money on your  
25 people and subcontractors. But what happens if one of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the priorities that -- technical priorities -- work on  
2 graphite, for instance.

3 MR. ELTAWILA: Okay.

4 MEMBER FORD: That work has been done in  
5 Britain, for instance. And what happens if the Brits  
6 decide that they don't have to give you that data for  
7 whatever reason? What happens?

8 MR. ELTAWILA: The first point, that we  
9 are going to be asking the applicants to provide us  
10 for the data to support their case, and then based on  
11 the information we're provided we'll see what  
12 additional information we will be -- we need to  
13 develop ourselves.

14 MEMBER FORD: Okay.

15 MR. ELTAWILA: It is not very easy for a  
16 regulatory agency to try to develop a research  
17 program. It has to be issue-driven, as George  
18 indicated, that we -- everything has to be related to  
19 the licensing process that we are working on.

20 CHAIRMAN APOSTOLAKIS: I think the overall  
21 objective should be reworded to reflect that. I mean,  
22 I appreciate the phases, but you said overall  
23 objective.

24 MR. ELTAWILA: Okay.

25 CHAIRMAN APOSTOLAKIS: Ultimately, that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what you're going to do.

2 MEMBER KRESS: I think it's implicit in  
3 everything already anyway.

4 CHAIRMAN APOSTOLAKIS: Another thing I  
5 noticed when I read the report is that you list  
6 everybody's workshops except the ACRS. Was there any  
7 reason? Did you find it useless?

8 MR. FLACK: No. There's no reason why we  
9 missed that. That was an important oversight. Thank  
10 you.

11 CHAIRMAN APOSTOLAKIS: Maybe it was not  
12 very useful to you.

13 MEMBER POWERS: Maybe they just didn't  
14 like our --

15 CHAIRMAN APOSTOLAKIS: That's I thought,  
16 too.

17 MEMBER POWERS: Nothing useful emerged  
18 from it.

19 (Laughter.)

20 CHAIRMAN APOSTOLAKIS: You list  
21 everybody's workshops, the dates and this and that.  
22 Of course, it will never bias our views, but --

23 MEMBER ROSEN: You're too sensitive,  
24 George.

25 CHAIRMAN APOSTOLAKIS: I am not too

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sensitive. I'm just sensitive.

2 (Laughter.)

3 MEMBER LEITCH: The second bullet is --

4 CHAIRMAN APOSTOLAKIS: Commissioner Diaz  
5 was there. He gave the keynote speech. Maybe the  
6 staff doesn't think much of what the Commissioner  
7 said.

8 MR. FLACK: I think if -- you'll find --  
9 I'm sure I've seen it in there somewhere.

10 CHAIRMAN APOSTOLAKIS: It is not here.  
11 John, it is not here.

12 MR. FLACK: It might have got scratched  
13 the last time. I don't know.

14 (Laughter.)

15 MEMBER LEITCH: The second bullet there,  
16 Johns, is there some reason the AP-1000 is not on that  
17 list or --

18 MR. FLACK: No, that should really be on  
19 there. It was for examples, and I was --

20 MEMBER LEITCH: It says "for example," and  
21 I was just wondering if it --

22 MR. FLACK: Yes, they're all HTTRs. I  
23 should have put a light -- yes, a light water reactor  
24 on there. Yes.

25 MEMBER ROSEN: There's an astonishingly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pervasive gas reactor focus on this, because of the --

2 MEMBER KRESS: Well, you're almost through  
3 with the AP-1000 preapplication review anyway.

4 MR. FLACK: Yes. The preapplication is  
5 done, in fact. I think the --

6 MEMBER KRESS: Is that correct?

7 MR. FLACK: But most of the gap that we  
8 see is in the high-temperature gas-cooled area, so,  
9 you know -- but we have an infrastructure in place  
10 pretty good for a light water reactor.

11 Okay. I think we pretty much touched upon  
12 this. The meaning on infrastructure, again, is the  
13 staff expertise, the tools, the facilities, contractor  
14 support, and the scope being the four reactors as we  
15 see it today. And the structure -- and, again, we  
16 built the structure around not the issues themselves  
17 but on the technical areas, which you'll see in a  
18 moment.

19 MEMBER POWERS: John, before you take that  
20 down, let me ask you a question about technical  
21 approach on this. The second item on your list there  
22 is called analytic tools and analysis methods. And  
23 one of the challenges that we repeatedly come up with  
24 when we look at things connected with current reactors  
25 and modest changes to those current reactors, like the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 AP-1000, is that many, many, many of our analytic  
2 tools going from simple neutronics through thermal  
3 hydraulics to fission product release had their origin  
4 in an era when the computing capabilities that people  
5 had were widely different than what it is now, and  
6 probably we'll see in the next 10 years even more  
7 dramatic changes.

8 Yet your plan doesn't seem to act upon  
9 those things. I mean, it doesn't seem to take that  
10 into account. There is lots of things like, well, we  
11 can take TRACM and put another patch on it, we can  
12 take MELCOR and gerry-rig it to handle something else,  
13 rather than saying, "Hold it. We really have  
14 undergone a computer revolution here." The way we do  
15 computing, the way people do coding now, it's just  
16 very, very different than what it was when our codes  
17 had their origin.

18 Maybe it's an opportunity for us to bring  
19 our codes up and to recognize that the hardware has  
20 just changed, and what not. But your plan didn't seem  
21 to delve into that kind of an approach.

22 MR. FLACK: You know, it's an excellent  
23 subject for a subcommittee, I think, to revisit this  
24 particular issue. You're right. We're really  
25 building on things that already have been developed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and seeing where we're going to -- how can we extend  
2 them rather than go back to -- you know, and look and  
3 see is there a better way of doing this. And I think  
4 it's an excellent question. We just -- just built on  
5 what we have.

6 I know TRACM is improving, of course, has  
7 come quite a way from -- just in the Fortran part of  
8 that. But as far as starting with something new --  
9 and this may be an opportunity to do that for these  
10 gas-cooled reactors, where you may have one code,  
11 because of the nature of the beast, that you don't  
12 have the core melt and the accident progression and  
13 that -- you have a fission product release over time  
14 and temperature and using one code to deal with the  
15 whole spectrum, right out into the environment, might  
16 be a way to go.

17 MEMBER POWERS: One of the things that it  
18 seems to me that -- you know, in trying to think about  
19 the future, and you put it right up front in your  
20 plan, you say, gee, you know, we're going to move to  
21 a probabilistic risk assessment kind of framework.  
22 And whereas I -- I know for a fact that a lot of our  
23 probabilistic risk assessment tools are kind of  
24 patchwork things.

25 They work pretty well until you get to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 questions of, gee, let's do some of these  
2 deterministic analyses for a bunch of scenarios. And  
3 then we run into a problem that our codes are fairly  
4 archaic. And if somebody wants to run 150 MELCOR  
5 sequences, for instance, you know, you're -- and  
6 that's an enormous number for a probabilistic risk  
7 assessment; 150 is actually a fairly modest number.

8           You really are buying yourself a pretty  
9 big chore here. So if you -- you know, if you were  
10 looking to say I want to make bigger use of  
11 probabilistic techniques in my licensing process, I  
12 want to have more assessments of them, I want to take  
13 that probabilistic technique deeper into the accident  
14 sequences, rather than just looking at Level 1 I  
15 actually want to go deeper into Level 2, and things  
16 like that, then my phenomenological tools, both  
17 thermal hydraulic and structural techniques and things  
18 like that, have to be better.

19           You might really come to the conclusion  
20 that you need to invest some in your tools, and that's  
21 regardless of what goes on in DOE land or in the  
22 vendor's land, that you really do need to encourage  
23 the Commission to get you the resources to develop  
24 your thing.

25           I mean, I guess my thinking on this is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that, for instance, the thermal hydraulic area you  
2 have some people that are pretty qualified getting  
3 TRACM as a consolidation. And that's going to be  
4 awfully useful for existing reactors, but I bet you  
5 they don't find it very satisfactory for looking at  
6 very innovative kinds of thermal hydraulics things  
7 where the analyses go, I think as you say in the  
8 document, instead of working on time scales of a few  
9 hours you're starting to work on time scales of days  
10 and things like that.

11 MR. ELTAWILA: John, can I try to address  
12 this issue?

13 Dana, you are raising a very good issue.  
14 But I just -- actually, our problem is not really the  
15 speed of the computer, because you continue to enhance  
16 that, and the machine speed itself will make up for  
17 the difference.

18 But the biggest problem is trying to  
19 develop a code. You have to have a target that this  
20 code is going to be better than what we have right  
21 now. And we really don't have the data to support  
22 development of models that we'll be able to put in  
23 this code.

24 So going -- embarking on a code  
25 development program, without having the supporting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 experimental data, will be just a waste of resources.  
2 And we face that issue early, you know, when we are  
3 thinking about either developing a new thermal  
4 hydraulic code versus consolidating the existing code  
5 into a single code.

6 And we'll get a group of experts, and they  
7 all advise us against developing a code from scratch,  
8 because we're going to end up -- the code is going to  
9 be slow because of the limitation of the model, not  
10 because of the machine.

11 So unless somebody is willing to invest a  
12 few hundred million dollars in developing the data to  
13 support this fast running code with accurate, better  
14 models, I think going into the development of faster  
15 code is not going to be the best way we put our money  
16 to work.

17 MEMBER ROSEN: I'd like to add that,  
18 although it's probably true, that many of the codes  
19 that we'd be looking at using in licensing reviews are  
20 built on older, previously developed codes. There may  
21 be some pockets where there are new codes being  
22 developed in the current computing environment.

23 And I would give as an example in the fuel  
24 performance area, the European Commission has a high  
25 temperature reactor fuels task group in place. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one of the areas that they are doing work in is to  
2 develop fuel performance models today. And those fuel  
3 performance codes will be developed, obviously, in the  
4 current computing environment.

5 Also, INEEL, working with MIT, I believe,  
6 is developing fuel performance models and codes to  
7 predict fuel failure, etcetera. So there are a few  
8 examples at least where codes are being developed in  
9 this environment.

10 MEMBER POWERS: Well, I, of course, have  
11 come to learn that fuel research is irrelevant, so --

12 (Laughter.)

13 MR. ELTAWILA: That's the subject of  
14 another meeting.

15 (Laughter.)

16 MEMBER POWERS: I couldn't resist.

17 MR. FLACK: We'll move right along on  
18 that.

19 Basically, to your comment, Tom, on how we  
20 structured the report was around three questions --  
21 why we -- why is it important for us to do this  
22 research, what it is we would actually do, and then  
23 how would we use the results. And we tried to keep  
24 each of the people focused.

25 MEMBER KRESS: And I thought that was very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 good. It was very helpful in reading it.

2 MR. FLACK: And the research plan  
3 structure, which is -- has been developed, and this  
4 was developed to sort of try to get the completeness  
5 of the work that we're doing. We actually started,  
6 again, not from an issue perspective but from the top  
7 down, and we began -- well, we started by looking at  
8 the arenas that we would be working in as far as  
9 research is concerned. Well, as you can see, most of  
10 it is reactor safety.

11 We're looking and pressing into these  
12 other arenas to see what work can be done, since most  
13 of the work that we do involves reactor. So there is  
14 some of it discussed as far as nuclear waste and  
15 materials safety, and then, of course, safeguards.  
16 Again, we're pressing that area.

17 But within the reactor safety arena, we  
18 laid out the work more or less along the lines of the  
19 cornerstones of safety. And bringing that down  
20 further, going from accident -- starting from right to  
21 left, accident progression to initiating events, which  
22 dictates the sort of scenarios we need to look at as  
23 an office on a particular plant design, and then from  
24 there -- which actually sets the stage for the rest,  
25 coming down to look at accident analysis and what area

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or what technical work needs to be done in that area.

2 It's primarily driven by the PRA and those  
3 things that -- that influence the PRA, like human  
4 factors and I&C. And so in these areas PRA was  
5 generally that part of the research under Mark  
6 Cunningham, as you know, Mary Drouin, and Alan Rubin,  
7 and John Ridgely. And on the plant analysis it's  
8 primarily the human factors and I&C, which is Steve  
9 Arndt for I&C and Jay Persinski for human factors.

10 Moving across from there, from left to  
11 right, the next large area is the reactor systems  
12 analysis, which is primarily in Jack Rosenthal's  
13 branch. And under that being the thermal hydraulics,  
14 the nuclear analysis, and the fission product  
15 transport work.

16 MEMBER POWERS: You felt that it was --  
17 that the computational tools you have available to you  
18 for doing probabilistic risk assessment -- the actual  
19 analysis itself, you know, calculating out the  
20 probabilities, that those were in such fine shape that  
21 they deserve no improvement at all?

22 MR. FLACK: Well, no, I don't think that  
23 would be the case. There's really -- I don't know if  
24 Mary wants to respond to that, but there's really  
25 three areas there in PRA that we see as being --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pushing our needs, and that is initiating event  
2 frequency for the high-temperature gas-cooled  
3 reactors.

4 MEMBER POWERS: Yes, but those are data  
5 things. I'm talking about the actual computational  
6 tools.

7 MR. FLACK: Oh, the computational tools?  
8 Do you want to comment on that, Mary?

9 MEMBER POWERS: The way you go about doing  
10 the analyses.

11 MS. DROUIN: I agree that there is going  
12 to need to be some research in the development of some  
13 of these tools, particularly in the computational  
14 area. And that's --

15 CHAIRMAN APOSTOLAKIS: But the report I  
16 think says that SAPHIRE will be used for the PRA.  
17 Isn't that so? That's what the report says.

18 MR. FLACK: Yes, that's right.

19 MS. DROUIN: SAPHIRE is a starting base,  
20 absolutely. I mean, I would not like to think we  
21 would just start with a clean piece of paper and not  
22 take a tool that we already have and see where we can  
23 use it, modify it appropriately.

24 MEMBER POWERS: At least through the  
25 classical Level 1 for normal operating events, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 computational pathway is fairly straightforward, I  
2 think, Mary.

3 MS. DROUIN: Yes.

4 MEMBER POWERS: And adequately -- the  
5 blocks that you need are adequately there in SAPHIRE,  
6 maybe the computational way it's done.

7 The issue, it seems to me, that's been  
8 raised so clearly by the eminent Dr. Kress is that  
9 that computational framework may not be adequate if we  
10 were to extend the way we do PRA from an operational  
11 events to include all plant operational states.

12 I think that's a conclusion that has come  
13 from your own studies in looking at the other  
14 operational events, that the tool you have may not  
15 have all of the computational elements you need to do  
16 all operational states.

17 MS. DROUIN: I don't disagree.

18 MEMBER POWERS: And as we know, we trust  
19 you implicitly, because you're one of my heroes,  
20 right?

21 MS. DROUIN: Absolutely.

22 (Laughter.)

23 MEMBER POWERS: I told you I'd get it on  
24 the record.

25 (Laughter.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: But, you know, when you get  
2 into -- there's a lot of technical issues,  
3 particularly in the Level 2 when you start looking at  
4 the advanced reactors, and this will have a direct  
5 impact, then, on the calculational tools we use and  
6 where we'll be needing to do some work.

7 And right now we are in the midst of  
8 trying to -- when you look at the RES plan, you know,  
9 that plan there, when it gets into the PRA part, is  
10 very high level. We are in the midst of trying to put  
11 together a very detailed plan of what we mean by that  
12 three-page plan in the RES-1.

13 MEMBER POWERS: I'd like to see that.  
14 That would be interesting.

15 CHAIRMAN APOSTOLAKIS: If I look at  
16 this --

17 MS. DROUIN: We do plan to come to the  
18 ACRS with it.

19 CHAIRMAN APOSTOLAKIS: If I look at this  
20 figure, I see the acronym -- actually, it's  
21 initialism, right? PRA? It's an initialism. Down  
22 there on the left.

23 But it seems to me that, you know, again,  
24 your report shows that the thinking is really that --  
25 if you look at the out within the four boxes, and so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on, you will be looking at the accident sequences all  
2 the way from the initiating event all the way to  
3 offsite protection or somewhere in between, and use  
4 that information in your decision-making processes.  
5 And that's PRA, is it not? So it is a little bit  
6 misleading the way it's shown there.

7 MR. FLACK: Under "accident analysis," do  
8 you mean?

9 CHAIRMAN APOSTOLAKIS: Yes. I mean, it's  
10 pervasive. It's --

11 MR. FLACK: Yes, that's true, very much  
12 so. There was another figure in the report that shows  
13 these loops of information, how it flows between the  
14 groups, which I don't have with me. But you're right,  
15 there is always this feedback mechanism, both within  
16 the groups and background PRA. In fact, that's the  
17 way the office does work. PTS is an example where you  
18 bring in, you know, the PRA people with the materials  
19 people with the thermal hydraulic folks and --

20 CHAIRMAN APOSTOLAKIS: Well, the biggest  
21 question, really, here would be, how are you going to  
22 use the PRA? I mean, right now, in the most important  
23 decisions the agency is making PRA is very peripheral.  
24 It doesn't really play any role.

25 MR. FLACK: In your regulatory decision-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 making or the use --

2 CHAIRMAN APOSTOLAKIS: Yes.

3 MR. FLACK: -- in the --

4 CHAIRMAN APOSTOLAKIS: Regulatory, like  
5 license renewal, power uprates, PRA really doesn't do  
6 much there. I mean, it's just, oh, by the way, this  
7 is the number we got from the CDF.

8 MEMBER KRESS: And even in direct  
9 licensing.

10 CHAIRMAN APOSTOLAKIS: And in what?

11 MEMBER KRESS: Just licensing a plant  
12 doesn't seem to play a role.

13 CHAIRMAN APOSTOLAKIS: Well, we're not  
14 licensing anybody. That's what --

15 MEMBER KRESS: Well, we will be.

16 CHAIRMAN APOSTOLAKIS: Yes, that's what  
17 I'm saying, that this will be --

18 MEMBER KRESS: Same thing is the license.

19 CHAIRMAN APOSTOLAKIS: I mean, so that  
20 will be a major challenge, I think, how to use that,  
21 how to actually use it.

22 MR. FLACK: Yes, we're moving towards the  
23 framework box there, I think.

24 CHAIRMAN APOSTOLAKIS: You're going to  
25 talk about it separately?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FLACK: If you'd like. Do you want to  
2 talk about it --

3 CHAIRMAN APOSTOLAKIS: Do you plan to talk  
4 about it? Are you planning --

5 MR. FLACK: Well, we can talk about it to  
6 a certain extent.

7 CHAIRMAN APOSTOLAKIS: Well, that, it  
8 seems to me, would be a major challenge.

9 MR. FLACK: Yes.

10 CHAIRMAN APOSTOLAKIS: Because the  
11 Regulatory Guide 1.174 doesn't apply here. I mean,  
12 that's for changes in the licensing process.

13 MR. FLACK: Right. That's right.

14 CHAIRMAN APOSTOLAKIS: And you don't have  
15 a licensing basis here. So it's really using this as  
16 part of your integrated decision-making process.

17 MR. FLACK: That's right. It is --

18 VICE CHAIR BONACA: They show Option 3 as  
19 a foundation for this. Option 3 has a very specific  
20 apportionment of certain goals --

21 CHAIRMAN APOSTOLAKIS: I understand that.  
22 I understand that.

23 VICE CHAIR BONACA: -- which are really  
24 measurement for PRA. So there is some structure that  
25 you can put inside here already.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FLACK: Yes. But the point I think is  
2 that we're dealing with plants already built, and  
3 we're applying PRA concepts to those plants in the  
4 sense of changes. And now we're thinking, well, what  
5 are we going to do with respect to regulatory  
6 decision-making on future plants that haven't been  
7 built?

8 CHAIRMAN APOSTOLAKIS: Right.

9 MR. FLACK: And that gets us -- I think  
10 pushes us into this framework, what do we need? And  
11 there's really two pieces going on there. One is this  
12 blank sheet of paper starting from a clean approach,  
13 which is -- there is going to be work initiated next  
14 year, and there's work going on in NRR is -- how do we  
15 transition to that?

16 And Mary can talk about the part about the  
17 research plan, and Jim Lyons could talk about the NRR  
18 approach that's now taking place, from that  
19 perspective. So they're coming together in some form.

20 Mary, did you want to --

21 CHAIRMAN APOSTOLAKIS: Well, you are  
22 basing it on Option 3, right?

23 MS. DROUIN: Well, if you remember, the  
24 Option 3 framework has, you know, three parts to it.  
25 It has -- started with, you know, what we call that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hierarchical structure.

2 CHAIRMAN APOSTOLAKIS: Right.

3 MS. DROUIN: You know, a top-down  
4 approach. And then, because it is risk-informed, it  
5 brings in how you bring in defense-in-depth both at  
6 the hierarchical, from the top down and the bottoms  
7 up, and then brings in, how do you bring in your  
8 quantitative guidelines? And ultimately that is  
9 producing the criteria and guidelines that you would  
10 be using to help you in your decision-making process  
11 throughout your licensing.

12 In terms of your earlier question, you  
13 know, the PRA and the framework and -- it's like  
14 they're all very intricately tied, and one of the ways  
15 that you do use your PRA, you know, would help in your  
16 decision-making also in terms of how much research,  
17 using that word loosely here, that you would need,  
18 because you certainly don't want to pursue an area  
19 that, from your PRA perspective, you don't need it to  
20 support the PRA, and you don't need it for -- it's not  
21 going to help you, and it's not going to contribute  
22 significantly to your risk is what I'm saying.

23 CHAIRMAN APOSTOLAKIS: Well, the point,  
24 though, is -- I understand what you're saying, Mary.  
25 But this is really something that is an ideal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 situation. I can't imagine, for example, the guys who  
2 will be working on the reactor plant analysis and fuel  
3 analysis will be willing to take their criteria and  
4 objectives from the PRA guys. They will just --

5 MS. DROUIN: As an input.

6 CHAIRMAN APOSTOLAKIS: That would be one  
7 of the angles to their integrated decision-making  
8 process which would have, I think, other major, major  
9 inputs.

10 MS. DROUIN: Yes.

11 CHAIRMAN APOSTOLAKIS: So the question  
12 will be, you know, to what extent will there be --  
13 will the PRA inputs influence that, or they will say,  
14 no, you know, defense-in-depth and safety margins is  
15 really the name of the game.

16 MS. DROUIN: But that's where you're -- I  
17 mean, what we're calling it, the framework or the  
18 decision-making criteria comes in and provides you  
19 guidelines on that and how you bring in your defense-  
20 in-depth, your uncertainties, your safety margins, and  
21 your risk insights, and how you blend all of those  
22 together in your decision-making process.

23 CHAIRMAN APOSTOLAKIS: Which we don't have  
24 right now. We don't have those guidelines right now.

25 MS. DROUIN: That is what we're going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be developing.

2 CHAIRMAN APOSTOLAKIS: Right.

3 MS. DROUIN: Where we're starting with  
4 Option 3. Now, you can't just adopt Option 3, because  
5 Option 3 is, how do you make current changes?

6 CHAIRMAN APOSTOLAKIS: Right.

7 MS. DROUIN: And so there -- you'd have  
8 other questions that you're going to have to answer,  
9 because we're not just making current changes, you  
10 know, in cases you're starting new.

11 CHAIRMAN APOSTOLAKIS: Right.

12 MS. DROUIN: So when you're starting new,  
13 you've got to --

14 CHAIRMAN APOSTOLAKIS: Well, frankly, I  
15 don't know how you can use PRA in light of Davis-  
16 Besse. That was, I thought, a major blow to the whole  
17 risk cause. I mean, unless we recognize that. I  
18 mean,  $10^{-4}$  means nothing to me now.

19 MEMBER ROSEN: In the case of PBMR, and we  
20 believe GT-MHR, they have proposed a licensing  
21 approach, which the staff has reviewed. And I think  
22 we have briefed the committee on the licensing  
23 approach, and it is very much PRA-based, in the sense  
24 that licensing basis events are randomized for  
25 probability and consequences.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And they are put into the framework or  
2 approach that they utilize for operational events,  
3 design basis events, and beyond design basis events.  
4 And I think it would be useful to have a PRA -- the  
5 staff to have its own PRA to kind of review those  
6 applicant placement of those events within that  
7 framework.

8           CHAIRMAN APOSTOLAKIS: But, you know,  
9 about I think three years ago or so, or maybe longer,  
10 there was a major issue that was raised. I think it  
11 was before 1.174 was published. People, especially  
12 from the industry, were complaining that PRA was just  
13 another burden, that we had to do everything, you  
14 know, the regulations said, plus a PRA, to get those  
15 additional insights.

16           So if we are to use it now, somehow those  
17 other requirements will have to be effective, and  
18 maybe some of them should be eliminated. And I --  
19 this is where I think will be a major problem, how to  
20 do that, because we're going to have, again, the same  
21 philosophical conflict. Okay? And I think the Davis-  
22 Besse incident gives arguments to the structuralist  
23 defense-in-depth.

24           MEMBER ROSEN: If you're correct, George,  
25 that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: They're about to  
2 win me over.

3 (Laughter.)

4 MEMBER ROSEN: I think you would be  
5 correct if all 100 plants had that problem.

6 CHAIRMAN APOSTOLAKIS: Hmm?

7 MEMBER ROSEN: If all 100 plants had that  
8 problem. We're talking about a plant.

9 CHAIRMAN APOSTOLAKIS: Yes.

10 MEMBER ROSEN: One of 100 or so. So --

11 CHAIRMAN APOSTOLAKIS: I missed that.

12 MEMBER ROSEN: Well, I'm just responding  
13 to your point that the event -- that Davis-Besse  
14 invalidates all of the probabilistic thinking.

15 CHAIRMAN APOSTOLAKIS: I didn't say it  
16 invalidates, but it creates serious questions in my  
17 mind.

18 MEMBER POWERS: George, I --

19 VICE CHAIR BONACA: It goes back to the  
20 proposal. It has a means of filling the gap in the  
21 Code of Federal Regulations. I mean, in that sense,  
22 PRA has been extremely successful. Here we've  
23 attempted to see -- it could play a primary role, in  
24 and of itself, rather than defense-in-depth, and  
25 that's really where concern comes. Okay? Can it be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the first, you know --

2 CHAIRMAN APOSTOLAKIS: Dana?

3 MEMBER POWERS: Well, I guess I had two  
4 points. One, just to respond to Steve, all individual  
5 plants have individual peculiarities that can be  
6 problems.

7 To your point, George, as one of the more  
8 ardent of the structuralists on the committee, I'll  
9 tell you that, no, I still think PRA has a -- despite  
10 Davis-Besse, and what not, has a really admirable  
11 place to play within any kind of reactor system. It's  
12 just that it doesn't play in the defense-in-depth  
13 argument from a structural point of view. It plays  
14 very much in the redundancy, and what not, within  
15 systems.

16 I still think it has a strong place to  
17 play there, and I think it will be an even stronger  
18 place to play in the advanced reactors where we can  
19 relieve much more of the ad hoc determinism yet again.

20 CHAIRMAN APOSTOLAKIS: I think unless the  
21 PRA guys do a better job on model uncertainty it will  
22 not play such a significant role in the process.

23 MEMBER KRESS: I think you're right,  
24 George. That'll be a key.

25 CHAIRMAN APOSTOLAKIS: I think the lambda

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stuff, the log normal stuff, is nothing. It's the  
2 model uncertainty that drives the decisions.

3 VICE CHAIR BONACA: I think one thing  
4 that, you know, impresses me more and more as we go  
5 forth is the -- some of the wisdom in 1.174. You  
6 know, the whole concept of integrated decision-making,  
7 etcetera, that comes --

8 CHAIRMAN APOSTOLAKIS: It's an ideal  
9 document. But show me one case where it was applied.

10 (Laughter.)

11 There isn't a single case where this  
12 beautiful discussion on uncertainty was actually  
13 applied.

14 VICE CHAIR BONACA: That's true. You're  
15 right.

16 CHAIRMAN APOSTOLAKIS: It's model  
17 uncertainty. That's the name of the game. The  
18 distributions in lambda don't mean anything, and I  
19 don't think we're doing a good job there. I  
20 understand, you know, some of the tradeoffs that Dana  
21 mentioned, sure, they are meaningful, and so on. But  
22 it's really model uncertainty that does the trick.

23 MEMBER POWERS: Well, I bet we see -- I  
24 certainly hope we see good uses of it in the PTS  
25 stuff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: In the PTS stuff?

2 MEMBER KRESS: Pressurized thermal shock  
3 stuff, yes.

4 CHAIRMAN APOSTOLAKIS: Even there I think  
5 there was more promise than actually done.

6 MEMBER POWERS: Well, we haven't seen the  
7 final story there. But, I mean, that's -- well,  
8 certainly, you can't criticize a program because  
9 there's more promise than was actually done. I can't  
10 think of any program that that's not the case, so --

11 CHAIRMAN APOSTOLAKIS: There's no question  
12 about it, that it's a pioneering study.

13 MEMBER KRESS: Well, Option 3, though, is  
14 still highly focused on light water reactors. It  
15 talks about CDFs and LERFs and sequence frequencies  
16 that are endemic to light water reactors, and it tends  
17 to -- to allocate risk among CDF and LERF and allocate  
18 it among sequences, actually.

19 And you won't run into a difficulty when  
20 you get to the -- trying to apply Option 3 in that  
21 sense to the gas-cooled reactors, because you don't  
22 have the equivalent number of sequences, you don't  
23 have the same ones, you have a different set of  
24 frequencies that are important, and you don't have a  
25 well-defined CDF or even a well-defined LERF.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And so I think one of the things that  
2           you're going to buck up against is you'll need more  
3           precision in your definition of defense-in-depth for  
4           these reactors. You just can't say anymore that it  
5           means a balance between containment and CDF. You're  
6           going to have to be more precise, and it's going to  
7           have to tie in the uncertainty some way, even though  
8           you could still keep the structuralist view. You're  
9           going to have to tie in to uncertainties in some way.

10           CHAIRMAN APOSTOLAKIS:       Well, that  
11           uncertainty has to be a realistic assessment of  
12           uncertainties, not just the stuff that's easy to do.

13           MEMBER KRESS:    Yes.

14           MS. DROUIN:    If you go back to Farouk's  
15           slide, one of the things that we have identified in  
16           developing, you know, this -- taking the Option 3  
17           framework and, you know, modifying it for advanced  
18           reactors, the primary thing was to look at the  
19           surrogates of CDF and LERF.

20           CHAIRMAN APOSTOLAKIS:    Yes.    Yes.

21           MS. DROUIN:    And that's one of the  
22           critical items there, that those may not be  
23           sufficient, and we may need to come up with different,  
24           you know, figures of merit here than just those  
25           surrogates, and come up with some others. So that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.

1           And so I think one of the things that  
2           you're going to buck up against is you'll need more  
3           precision in your definition of defense-in-depth for  
4           these reactors. You just can't say anymore that it  
5           means a balance between containment and CDF. You're  
6           going to have to be more precise, and it's going to  
7           have to tie in the uncertainty some way, even though  
8           you could still keep the structuralist view. You're  
9           going to have to tie in to uncertainties in some way.

10           CHAIRMAN APOSTOLAKIS:       Well, that  
11           uncertainty has to be a realistic assessment of  
12           uncertainties, not just the stuff that's easy to do.

13           MEMBER KRESS:   Yes.

14           MS. DROUIN:   If you go back to Farouk's  
15           slide, one of the things that we have identified in  
16           developing, you know, this -- taking the Option 3  
17           framework and, you know, modifying it for advanced  
18           reactors, the primary thing was to look at the  
19           surrogates of CDF and LERF.

20           CHAIRMAN APOSTOLAKIS:   Yes. Yes.

21           MS. DROUIN:   And that's one of the  
22           critical items there, that those may not be  
23           sufficient, and we may need to come up with different,  
24           you know, figures of merit here than just those  
25           surrogates, and come up with some others. So that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one of the big items that we have ticketed to look at.

2 CHAIRMAN APOSTOLAKIS: Now, coming back to  
3 this figure -- oh, I'm sorry. I can understand, and  
4 I agree, that this thing, you know, by and large is an  
5 effective -- contributing to an effective regulatory  
6 process. I just don't know that it's efficient. You  
7 say effective and efficient. How do you know it's  
8 efficient?

9 MR. FLACK: Well, it's something you  
10 strive for.

11 CHAIRMAN APOSTOLAKIS: But how? I mean,  
12 if you ask the guys who were developing all of these  
13 rules in the late '60s/early '70s, I'm sure what they  
14 wanted to do was also be efficient. And here we come  
15 20 years later and say they are not.

16 VICE CHAIR BONACA: I think if you compare  
17 it to the existing system, I mean, probably the  
18 inclusion of the PRA considerations, the risk  
19 considerations, are making it more effective and --

20 CHAIRMAN APOSTOLAKIS: I'd like to see  
21 that happen.

22 VICE CHAIR BONACA: Well, no, because I  
23 think in some cases you will limit the -- the  
24 necessary burden, okay, that's the only -- I mean, to  
25 the extent --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN APOSTOLAKIS: Mario, you will be  
2 told it's defense-in-depth, period. Do it. Okay?  
3 It's a new system, we don't know, we don't want to be  
4 surprised again. And I think there's a lot to that  
5 argument.

6                   VICE CHAIR BONACA: Well, we have seen  
7 some, you know --

8                   CHAIRMAN APOSTOLAKIS: If in a mature  
9 technology we get things like Davis-Besse --

10                  VICE CHAIR BONACA: Yes, I know.

11                  CHAIRMAN APOSTOLAKIS: You know, I'm just  
12 putting myself in a situation of the poor PRA guy who  
13 says, "Your inspections will fail with probability .2  
14 over a number of years." He's going to be crucified.  
15 My inspectors never fail. Are you kidding? My  
16 inspectors will go there and find it in a minute.  
17 Okay? That's exactly what you're going to get. It's  
18 the same thing you were getting before 1978.

19                  My operators know what to do, and it's  
20 always my -- I don't know why they put that "my" in  
21 front.

22                  (Laughter.)

23                  I remember. I was in a PRA, and we said,  
24 you know, how about if the operators don't know how  
25 to --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIR BONACA: See, but let me just  
2 say this.

3 CHAIRMAN APOSTOLAKIS: Are you kidding?  
4 They will not know?

5 VICE CHAIR BONACA: Yes. But I don't  
6 think we can make too much -- in a Davis-Besse event,  
7 we have to learn more. There were a lot of  
8 indications for a long time that something was wrong.  
9 Now, at some point --

10 CHAIRMAN APOSTOLAKIS: And where is that  
11 in the PRA?

12 VICE CHAIR BONACA: Well, I'm only saying  
13 that there is a burden on operations to, in fact,  
14 respond to the indications that you have. And in this  
15 case, we may have a case where they did not respond  
16 for years to this indication, that they had plenty of  
17 those. And so I'm saying that you cannot address  
18 everything in your PRA.

19 CHAIRMAN APOSTOLAKIS: It seems to me that  
20 you will never make progress unless you punish people  
21 for the mistakes they make.

22 (Laughter.)

23 The PRA should be penalized now for that.

24 MEMBER ROSEN: The PRA should be  
25 penalized?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN APOSTOLAKIS: Well, or the PRA  
2 practitioners on the use of the PRA.

3 MEMBER KRESS: You're just going to change  
4 -- you're going to change the frequency of medium  
5 break LOCAs. That's all you're going to do.

6 CHAIRMAN APOSTOLAKIS: How about the  
7 efficient, though? How are you going to make sure  
8 it's efficient?

9 MR. FLACK: Well, that was the -- the  
10 question is using these risk insights, which you think  
11 or believe at this point aren't doing what they should  
12 be doing, to utilize those and focusing your resources  
13 on the right things and being efficient by doing that.  
14 I mean, without that, I don't know, it's just  
15 judgment. I mean, I --

16 CHAIRMAN APOSTOLAKIS: Well, one way to do  
17 that is to really put a lot of meat to what Mary just  
18 said. I mean, if you start from the top and with a  
19 PRA structure you go down and you put objectives, then  
20 you know why you are putting them there. But the  
21 moment you start saying, "No, I'll do it because of  
22 defense-in-depth, then you are deviating from  
23 efficiency."

24 MR. FLACK: Yes, it could be.

25 CHAIRMAN APOSTOLAKIS: It may be for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 good reason, but --

2 VICE CHAIR BONACA: I still believe that  
3 the use of PRA in many areas where you don't have this  
4 kind of grayness is going to really yield much more  
5 efficiency.

6 CHAIRMAN APOSTOLAKIS: How do you decide  
7 when you have grayness?

8 VICE CHAIR BONACA: Well, I mean, you  
9 know, an area, you know -- I mean, certainly you have  
10 some indications where you have balance with  
11 information and mitigation that you do not want to  
12 compromise, and you're going to be very committed to  
13 defense-in-depth. There are a lot of decisions,  
14 however, in the design of a plant where, you know, the  
15 inclusion of consideration of probabilities will help  
16 you be more effective and have less of a burden.

17 MR. FLACK: I think in that role of  
18 knowing what's not important, I mean, we are always  
19 focusing on the PRAs, trying to point out what is  
20 important, which is a good thing. But it also points  
21 out things that are not important, and for certain  
22 reasons, then, justify that.

23 I mean, you have to have a technical basis  
24 for it. But, I mean, it's a thinking process that  
25 allows you to do that. So, you know, I don't think we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should throw the baby out with the bath water, I mean,  
2 on this.

3 CHAIRMAN APOSTOLAKIS: You're more  
4 optimistic than I am.

5 (Laughter.)

6 VICE CHAIR BONACA: But there was really  
7 practical terms. And in the 15 years or 20 years of  
8 use of PRA in this approach, it has paid off  
9 tremendously for the utilities that use it in those  
10 kinds of decisions where you are not only affecting  
11 defense-in-depth, but you are making intelligent  
12 decisions on imposition of your requirements or  
13 elimination of those.

14 And we have seen some proposals that have  
15 been approved, and 1.174 -- they were really  
16 acceptable, have not been, you know, undermined by the  
17 experience with Davis-Besse.

18 VICE CHAIR BONACA: I think there's got to  
19 be some efficiency brought in by that.

20 MR. FLACK: Moving right along --

21 MEMBER KRESS: Please continue.

22 VICE CHAIR BONACA: I'm trying to convince  
23 you that PRA is --

24 (Laughter.)

25 MEMBER KRESS: I can't believe we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 having this discussion. Continue, please.

2 MR. FLACK: Okay. So this is the process  
3 we use. It's clearly -- it's a matrix approach. We  
4 use the entire office resources as input to the plant.

5 Now, the next few viewgraphs I go through  
6 and identify the different technical areas. I don't  
7 know if we need to spend much time on that. It's in  
8 the plan. Those are the areas that are being hit.  
9 And that kind of leads us on to what the technical  
10 issues are that we're seeing now. Maybe we can, for  
11 the sake of time, jump to that viewgraph.

12 MEMBER KRESS: Well, let me ask you a  
13 couple of questions about the technical areas first.

14 MR. FLACK: Okay.

15 MEMBER KRESS: You know, you're asking us  
16 for -- whether you think you have the right scope or  
17 you're missing anything or something. I thought it  
18 was very comprehensive. In fact, there's so much in  
19 there I don't know how it could ever get done.

20 But there were a couple of areas I was  
21 going to ask you about that I really didn't see in  
22 there. And one of them was the issue of licensing by  
23 test.

24 MR. FLACK: Licensing by?

25 MEMBER KRESS: Test.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FLACK: Test.

2 MEMBER KRESS: For PBMR. I didn't see  
3 that discussed in there anywhere, and I was thinking  
4 there might be a section talking about the -- where  
5 would that fit into the regulatory structure at all,  
6 if at all, and is it part of the thinking, or is there  
7 any research need? Like, you know, research in the  
8 sense of how that would affect your decision-making  
9 process, or what licensing by test actually means. I  
10 didn't see anything on that.

11 MR. FLACK: Well, we have been thinking  
12 about it. I don't know if --

13 MR. LYONS: This is Jim Lyons from NRR  
14 again. This is one of the areas that we've looked at.  
15 There is certainly the ability within Part 52 to  
16 license a prototype reactor, and then you would -- you  
17 know, and then you would perform tests on that  
18 prototype reactor, and then you could continue on with  
19 using that reactor as a way of developing your I guess  
20 licensing by test.

21 I don't know if we've really completely  
22 looked at how we would do that. One of the things  
23 that may happen if we do a license by test or a  
24 prototype reactor is that we may put extra features or  
25 have -- you know, request extra features be placed on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that plant to provide us any, you know, assurance that  
2 there wouldn't be any real problems.

3 But it's part of our process. It's  
4 something that could be done, but I don't think that  
5 we saw any real need in the research area to address  
6 that.

7 MR. FLACK: Yes, it's a difficult question  
8 to deal with until we actually get a plant in as well.

9 MEMBER KRESS: Well, along this same line,  
10 one of the issues that is sure to arise with PBMR and  
11 GT-MHR, GA, just in general, is how do you know that  
12 you actually have the fuel quality that's required  
13 when you -- after you load it into the reactor.

14 And one way to do that is what you do with  
15 light water reactors -- you look at the level of  
16 activity in the primary system, and you infer the  
17 quality of the cladding or the quality of the fuel  
18 from that. And the question I would have is: isn't  
19 there some concept like that being thought of for the  
20 pebble bed modular reactor and the others?

21 So that during start-up of the operational  
22 phases you can say, "All right. Based on what we see  
23 now, you don't have the fuel quality you said you were  
24 going to have in your licensing basis, so you've got  
25 to do something." Is that part of the plan? Is that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in there?

2 MEMBER ROSEN: It's not in there as  
3 explicitly as you just described it, but it is in  
4 there implicitly. The way I like to refer to it is a  
5 defense-in-depth on fuel performance during operation  
6 and postulated events. And you can think of that  
7 defense-in-depth as building in quality absolutely  
8 correctly every time, and that focuses you on the  
9 manufacturing part of the process, to look at the  
10 process and the product specification, make sure  
11 you're doing it right every time.

12 MEMBER KRESS: You would look at process  
13 versus product.

14 MEMBER ROSEN: And that's in our plan.

15 MEMBER KRESS: Now we're wanting to look  
16 at product, too.

17 MEMBER ROSEN: Okay. Then, look at the  
18 products. But before it ever gets put into a reactor  
19 and starts operating, then you get to the next  
20 defense-in-depth place, which is monitoring  
21 operations, and looking at activity and monitoring  
22 conditions.

23 The question comes up, though, is that  
24 method qualified? Is that method reliable?

25 MEMBER KRESS: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Is there data that shows  
2 that --

3 MEMBER KRESS: That's exactly my question,  
4 yes. Is there something in the plan that will answer  
5 that question?

6 MEMBER ROSEN: Yes. Yes.

7 MEMBER ROSEN: Well, I think you have some  
8 advantages here, if you're thinking about pebble bed,  
9 that you don't have in light water reactor. You could  
10 do destructive examination on the fuel.

11 MEMBER ROSEN: That brings me to the third  
12 --

13 MEMBER ROSEN: And you could afford it.

14 MEMBER ROSEN: Yes, that's right.

15 MEMBER ROSEN: But you couldn't do that in  
16 the light water reactor, say, I'm going to destroy  
17 this assembly and say, therefore, the other 80 are  
18 okay. You know, that wouldn't be -- it wouldn't make  
19 any sense. But if you're talking about thousands of  
20 pebbles, you can statistically sample them and do  
21 destructive evaluation and gain some real confidence  
22 as to the quality of the pebbles.

23 MEMBER ROSEN: Right. And that's --

24 MEMBER KRESS: You can't, because they  
25 have to be irradiated. And you're not going -- that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the problem. You've got to run through the  
2 irradiation first.

3 MEMBER ROSEN: That's the research issue  
4 is how do you identify, from looking at the  
5 destructive evaluation of a non-irradiated pebble, how  
6 an irradiated pebble is going to work.

7 MEMBER KRESS: Yes. You can't make that  
8 judgment. You have to irradiate them, and that's  
9 where your statistical problem shows up. You just  
10 can't irradiate enough of them to get the right  
11 statistics to qualify the level of failure or pebbles  
12 that you think you have to have.

13 MEMBER ROSEN: So that's the answer to the  
14 research program, Dr. Kress? I mean, I was suggesting  
15 that there ought to be a research program to get to  
16 that answer. But if you already know it --

17 MEMBER KRESS: Well, you have to -- you  
18 just can't irradiate enough pellets over the timeframe  
19 to do that. You can't do it.

20 MEMBER ROSEN: Well, the approach that's  
21 taken when you have billions, literally billions, of  
22 fuel particles in the reactor is to test hundreds of  
23 thousands in a materials test reactor to qualify them,  
24 and then, even if you --

25 MEMBER KRESS: Yes, to the right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 irradiation level.

2 MEMBER ROSEN: To the right conditions,  
3 temperature, fluents, burnup, whatever it is, and even  
4 if you have zero particle failures you don't  
5 extrapolate if you have zero in the billions. There's  
6 a statistic that you can use to project what the  
7 number would be.

8 MEMBER KRESS: But it's an extremely  
9 difficult task.

10 MEMBER ROSEN: But the question comes up,  
11 are the test statistics going to hold true in the fuel  
12 that you make later?

13 MEMBER KRESS: That's right, because  
14 you're only testing one batch.

15 MEMBER ROSEN: In a sense, that's true.  
16 So you need to show that that's going to continue over  
17 the life of the fuel supply and the life of the plant.  
18 And so you're stuck with, well, how do I then monitor  
19 later on fuel that's coming off the assembly line and  
20 put in the reactor?

21 MEMBER ROSEN: Well, these are good  
22 questions.

23 MEMBER KRESS: But you're saying that's  
24 implicit in --

25 MEMBER ROSEN: Yes. And if you look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the plan, and you look under the fuel performance  
2 piece, you see something called fuel manufacture. And  
3 our plan is to try to understand as best we can what  
4 are the really critical aspects of fuel manufacture to  
5 get quality in the product and also performance in  
6 reactor and in accidents. And there is work going on  
7 internationally to try to understand what it is that  
8 in the process and the product specifications that  
9 will do just that. So we're following that.

10 And the question comes up, should there be  
11 a regulatory footprint in some sense on that piece as  
12 a way of assuring defense-in-depth? I think there's  
13 a general belief that we ought not to regulate the  
14 product but the performance, which puts you into the  
15 next step, which is looking at operating performance.  
16 If you're going to have --

17 MEMBER ROSEN: It would be preferable to  
18 -- in my view, to regulate the performance. But in  
19 the case we're talking about, because of the  
20 importance of the product protocols, it seems to me  
21 that the regulatory footprint in the processing of the  
22 fuel is crucial.

23 MEMBER ROSEN: Yes. And part --

24 MEMBER KRESS: And I think it's analogous  
25 to digital I&C for controls and --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: And part of the  
2 preapplication review, a big part of the fuel  
3 performance review, is to look at the tradeoffs of,  
4 where do you put your regulatory imprint. Do you put  
5 it in the manufacturing piece and/or also in operation  
6 and/or testing fuel after it has come out? I mean,  
7 you can put it anywhere you want.

8 The data I have seen on monitoring  
9 operation and looking at some examples going back to  
10 the German testing program, there are failure modes  
11 that will not be caught by monitoring coolant  
12 activity. They don't --

13 MEMBER ROSEN: Stu, why do you think it is  
14 only one answer? Why do you think that?

15 MEMBER ROSEN: I'm not saying there's one.

16 MEMBER ROSEN: Whatever answer you come up  
17 with now is the answer forever. I don't think so.

18 MEMBER ROSEN: I'm not saying one. I'm  
19 not --

20 MEMBER ROSEN: I think the answer is  
21 something you -- in the beginning you do almost all of  
22 what you've talked about, until you begin to get  
23 confidence that you don't need to -- that you do not  
24 need to do pieces of it and can begin subtracting away  
25 pieces.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER ROSEN: And we very much believe  
2 that this whole area will be a Commission policy  
3 decision. And what we plan to do in our SECY paper at  
4 the end of this -- not so much the advanced reactor  
5 research plan development process, but the end of the  
6 preapplication review, is to lay out those defense-in-  
7 depth opportunities for catching fuel that may not  
8 perform well in an accident, and talk about the  
9 advantages and the disadvantages in each one, and lay  
10 out our -- those options and lay out our  
11 recommendation, and then the Commission will have to  
12 make a decision.

13                       But I'm not going to say what that final  
14 answer is, but it is, we believe, very much a  
15 Commission policy decision on where that imprint or  
16 multiple imprints need to be.

17           MEMBER KRESS: Well, while I'm on a roll  
18 here, I want to have one complaint. There's a  
19 statement in the document -- now I don't have mine  
20 with me, so I don't know what page it's on, but it's  
21 to -- the statement says that the -- I won't be able  
22 to find it, because I've got it dog-eared -- that the  
23 evolution of severe accidents and source terms will be  
24 similar to current operating plants.

25                       Now, I just think that's flat-out wrong

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for IRIS, and it may be wrong -- I mean, you can't  
2 even relate it to PBMRS. But for IRIS I think it's  
3 flat-out wrong, and I think there's contrary evidence,  
4 especially for high burnup fuel, and IRIS, of course,  
5 is going to go to really high burnups. And I just  
6 don't think you can make that statement.

7 And I didn't see in the plan, Dana,  
8 anything on research for core degradation and fission  
9 product releases for high burnup fuel of the LWR type.

10 MEMBER POWERS: It's totally irrelevant,  
11 Tom.

12 MEMBER KRESS: I know it is. Yes. So  
13 that's a complaint. That's the one major complaint I  
14 have.

15 CHAIRMAN APOSTOLAKIS: You have commented  
16 on the whole report now, because I want to do that,  
17 too. You are not just commenting on the --

18 MEMBER KRESS: Yes, that's right.

19 CHAIRMAN APOSTOLAKIS: Okay.

20 MR. ELTAWILA: I agree with you on IRIS.  
21 And as I indicated earlier, we have very limited  
22 interaction with Westinghouse on the design of IRIS.  
23 So we really -- this plan does not really address IRIS  
24 in any extent. So your points are well taken. And  
25 once we -- we are going to keep that plan as a living

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 document. Once we get information about IRIS, we will  
2 modify to address this plant design.

3 MEMBER KRESS: Yes, okay. Well, another  
4 question I have is you had a section in there  
5 discussing -- I don't even remember where it was  
6 either -- discussing underground siting.

7 CHAIRMAN APOSTOLAKIS: Yes, I remember  
8 that.

9 MEMBER KRESS: It's a good idea, but I  
10 don't think anyone is seriously considering that, are  
11 they? I mean, is that -- that wouldn't be a priority  
12 in my research.

13 MR. FLACK: Underground is pretty much the  
14 GA design, the GT-MHR --

15 MEMBER KRESS: Well, that's partly  
16 underground.

17 MR. FLACK: Yes.

18 MEMBER KRESS: Okay. One other thought.  
19 You talked about, for the PBMR and the pebble -- the  
20 gas-cooled reactors that severe accident issues  
21 include water ingress and air ingress. I'm not  
22 so sure water ingress is a severe accident issue.  
23 I think it's a long-term degradation issue and not a  
24 severe accident issue, so you might want to rethink  
25 that one a little bit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I guess that's my list of items, George.

2 CHAIRMAN APOSTOLAKIS: Well, I have a --  
3 I mean, if we are talking about broader issues now, it  
4 looks like -- first of all, you mentioned PIRT some  
5 place. I can't find it now, but I remember. I know  
6 it's a major deficiency on somebody's part not to know  
7 what it is. But I've been on this committee for five  
8 years, and people use the word "PIRT" as if everybody  
9 knew what it was from birth. Is there any place where  
10 I can go and find out what it is? I don't know what  
11 PIRT is.

12 MEMBER KRESS: There's a document called  
13 CSAU that --

14 CHAIRMAN APOSTOLAKIS: Oh, is that part of  
15 CSAU?

16 MEMBER KRESS: Yes.

17 CHAIRMAN APOSTOLAKIS: Can you -- I know  
18 what it is, but I'd like to know how it's done.

19 MEMBER KRESS: Well, I don't want --

20 CHAIRMAN APOSTOLAKIS: And I know that the  
21 thermal hydraulicists are ecstatic about it.

22 (Laughter.)

23 MEMBER KRESS: I don't know what the NUREG  
24 number is.

25 CHAIRMAN APOSTOLAKIS: So I'm very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 suspicious.

2 (Laughter.)

3 Now, that brings me to another point,  
4 which is related to my question about efficiency and  
5 the use of risk information. It's a matter of style,  
6 of tone, how to write this rather than really  
7 substance. I know what you mean, although the  
8 substance is effective.

9 I'm willing to bet that what's going to  
10 happen is you're going to have the PRA at the high  
11 level, and then you're going to use a hell of a lot of  
12 defense-in-depth arguments to really preserve most of  
13 the criteria you have now.

14 And here is the sentence that justifies  
15 that. I'm editing now as I go. However, until  
16 appropriate models can be accurately developed for  
17 these new designs to define and prioritize these  
18 issues, conventional methods will -- may need to be  
19 applied." So this is dismissing now PRA. This gives  
20 you a way out.

21 I would say -- I would change the tone of  
22 this and say the following. Yes, we've had all sorts  
23 of -- I'm reading from the human factors, but I don't  
24 want to single them out, because I don't think it's  
25 unique to them. Yes, you've been looking at task

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis, at procedure development, training program  
2 development. Please tell us how important these  
3 things are in the risk environment.

4 I agree -- you see, now they are putting  
5 the burden on the reliability analysts. Until the HRA  
6 models are accurate, we will continue doing what we're  
7 doing. I'll reverse that. Show me why what you're  
8 doing is important to risk, and then you put a hell of  
9 a lot of pressure on a lot of people to actually  
10 quantify, because if that pressure is not there they  
11 will never quantify, and I say that with a license --  
12 I mean, the power uprates.

13 The answer was, we have an engineer who  
14 looks at the -- who looks at it. You know, the  
15 available time was 42 minutes, now it's 39, and he  
16 says it's okay. Now, where is the incentive of  
17 quantifying if that's the easy solution? An engineer  
18 looks at it and decides it's okay.

19 So it seems to me it's a matter of tone  
20 rather than really substance. Ask all these people to  
21 tell you why all these requirements are important from  
22 the risk perspective.

23 Now, they may come back and say, well,  
24 gee, not everything is important, you know, from --  
25 with respect to CDF, but there are other criteria.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Well, that would be progress in itself, because I do  
2 know there are other criteria that are not  
3 specifically stated.

4 MR. ELTAWILA: If we sound quiet on this  
5 side, it's because Mary keeps saying, "I agree with  
6 you," so I -- we are really --

7 CHAIRMAN APOSTOLAKIS: She agrees with me  
8 or you?

9 MR. ELTAWILA: No, with you. So we are  
10 agreeing with you, and I think that's a good point.

11 CHAIRMAN APOSTOLAKIS: I think that if you  
12 say that clearly here, then I think you are well on  
13 your way of having an efficient -- I'm not saying that  
14 it will always work, but at least you are shifting the  
15 emphasis now.

16 MR. ELTAWILA: Okay.

17 CHAIRMAN APOSTOLAKIS: You have to tell me  
18 why this particular requirement is important from the  
19 risk perspective, whatever "risk" means in this  
20 context. You know, it's not -- nothing is important  
21 with respect to CDF, by the way, unless you demolish  
22 the reactor. There may be other intermediate  
23 objectives that are effective, and at least we will  
24 have them on paper.

25 Ah, come on, Steve. You know you have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do big things to see a big change in the CDF.

2 MEMBER ROSEN: Abolish the reactor?

3 MEMBER KRESS: Almost.

4 CHAIRMAN APOSTOLAKIS: Almost.

5 MR. FLACK: Well, there are sensitive  
6 issues like, for example -- that would be difficult to  
7 quantify. And since you brought up human factors, it  
8 would be like a question of whether an operator is  
9 qualified, what would be the risk from an unqualified  
10 operator? I mean, these are --

11 CHAIRMAN APOSTOLAKIS: All I'm doing is  
12 I'm shifting the emphasis.

13 MR. FLACK: No, I understand. I  
14 understand.

15 CHAIRMAN APOSTOLAKIS: See, as long as you  
16 say it's the problem of the HRA analyst, they will  
17 never get anywhere. If you say, "No, it's your  
18 problem, you tell me whether what you're doing here is  
19 risk-significant," then you will see a very different  
20 attitude. I repeat, I don't want to single out the  
21 human factors. I mean, it applies to I&C, and I am  
22 sure it will apply to other things with the new  
23 reactor.

24 I&C, too -- I mean, you look at it, there  
25 is a lot of work, and this is -- at the end it says,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 "Oh, by the way, we really ought to quantify it, too."

2 Well, yes, sure.

3 MEMBER POWERS: John, let me ask you a  
4 question. Since, obviously, we've blown your  
5 presentation completely to hell, we might as well just  
6 continue this trend. Teach you to make viewgraphs, by  
7 God.

8 (Laughter.)

9 We have just had the IPEEE insights  
10 document given to us, and with arguable exceptions we  
11 find two things. One is the estimates of risk that  
12 the licensee has submitted for fire were surprisingly  
13 high comparable to operational risks. And the  
14 techniques that they used to derive those were  
15 relatively crude.

16 And, okay, so you can argue that maybe the  
17 risks are not as high; they were just very  
18 conservative when they went through and did it. On  
19 the other hand, you can take them at face value and  
20 say, "Hey, one of the features of our current crop of  
21 reactors is there are very susceptible to fire and is  
22 an accident initiator." And maybe we don't want that  
23 for advanced reactors.

24 I mean, it does seem kind of a crude thing  
25 to have a sophisticated, high-technology device like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a nuclear reactor susceptible to fire as an accident  
2 initiator. Why, then, wouldn't you want to put  
3 priority on having good technologies for evaluating  
4 fire and advanced reactors?

5 MR. FLACK: I guess you looked through the  
6 report for that piece and didn't quite find it there.  
7 Fire is a difficult issue. It's a spatial interaction  
8 type of issue that you need to deal with almost on a  
9 plant-specific level. So it's difficult to understand  
10 what that risk would be until a plant actually comes  
11 in and says, "Here is what I got, and here is where  
12 things are," and then you can study it from that  
13 perspective.

14 But I guess, again, this comes back to the  
15 code issue, whether or not our codes --

16 MEMBER POWERS: I'm looking at -- I mean,  
17 I'm taking your lead in saying you're trying to create  
18 an infrastructure here, a capability --

19 MR. FLACK: Right. Exactly.

20 MEMBER POWERS: -- and so I'm asking,  
21 isn't this a capability that you want to have?

22 MR. FLACK: I would -- the answer is, of  
23 course. I mean, it's certainly an important risk  
24 contributor we see in these plants. How they play out  
25 in advanced plants, passive designs, is yet to be seen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in what we'll have -- how we'll approach that problem.

2 Again, it's a difficult issue to deal with  
3 without seeing a plant. But no, it's certainly  
4 external events. Seismic and fire are two that's part  
5 of that.

6 MR. RUBIN: Can I just -- John? This is  
7 Alan Rubin from the PRA Branch and also the IPEEE  
8 External Event Program. As part of the advanced  
9 reactor research plan, we do include external events  
10 in the PRA -- different operational states as well as  
11 external events, fire, and seismic. So we --

12 MEMBER POWERS: We don't doubt that you  
13 include them. I'm really asking a question on the  
14 quality of tool that you have available to include  
15 them. For instance, a noted member of this panel, an  
16 exemplary member of this panel, devised a code some  
17 time in the past, and he recount for you the details  
18 of it, called COMBURN, and we universally find COMBURN  
19 gets used beyond its stated limits of applicability,  
20 because there's nothing else available.

21 And the problem I see that you have is  
22 just what John outlined for you. If you're going to  
23 analyze fire, you're going to have to do it on a  
24 plant-specific basis. If you wait for a plant to come  
25 along in order to do a fire analysis, then there isn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time to develop a better tool, because you're under  
2 the gun and people are yelling at you to do it faster,  
3 better, cheaper, and things like that.

4 And so COMBURN lives forever. And though  
5 I know the author of COMBURN is an exemplary  
6 individual, a noted phenomenologist in this world, I  
7 don't think even he thinks that it deserves to live  
8 forever.

9 MS. DROUIN: Dana, let me just also  
10 interject something. We have a huge research  
11 initiative going on in the area of fire that would  
12 support this effort. I mean, that's looking into  
13 things -- you know, the models. I think they've been  
14 in front of the ACRS.

15 MEMBER POWERS: I get confused, Mary, over  
16 the strategy in preparing the report. It's all well  
17 and good that you have a research effort going on  
18 there, but shouldn't you lay it down here to say, "And  
19 we need that research effort"? I mean, this wasn't a  
20 litany of things that you're supposed to do. It's the  
21 things that are supposed to be done.

22 MR. FLACK: No, that's a good comment.

23 MS. DROUIN: I mean, the whole intent was  
24 to take advantage of what was going on in that  
25 program, and, yes, we probably shouldn't have been so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 silent on it.

2 MEMBER KRESS: I think we have reached the  
3 end of the allotted time for this subcommittee  
4 meeting. I would like to, you know -- lest you go  
5 away thinking we were too negative, I think -- I think  
6 you're on the right track with this thing, and you did  
7 a magnificent job of identifying the -- what the needs  
8 are and the gaps that might exist. And it's a  
9 comprehensive, well-written document.

10 So I think you're on the right track, and,  
11 you know, we got some specific comments. I don't know  
12 if those were sufficient for feedback or should we  
13 have a letter or not. Probably --

14 MR. FLACK: No, we weren't looking for a  
15 letter at this point.

16 MEMBER KRESS: Okay. Well, the other  
17 question I wanted to ask is: when should we think  
18 about having you back again on this same issue? July  
19 meeting, is that too soon, or is that too late, or  
20 what do you think?

21 MR. FLACK: Are we talking about  
22 subcommittee or full committee?

23 MEMBER KRESS: Well, probably need a  
24 subcommittee and a full committee, too.

25 MR. FLACK: On this subject.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Yes. When do you think it  
2 would be worth thinking about another meeting? That's  
3 my question, I guess.

4 MR. ELTAWILA: We are ready any time you  
5 want, Tom, so just set the schedule according to your  
6 -- the availability of you and other members of the  
7 committee.

8 CHAIRMAN APOSTOLAKIS: There has to be  
9 some evolution.

10 MR. ELTAWILA: So I think we will have to  
11 start scheduling all of these meetings between now and  
12 to end by August, to be able to finalize the plan to  
13 go to the Commission. So if --

14 MEMBER KRESS: That's why I was thinking  
15 if it was in July we --

16 MR. ELTAWILA: -- every month you want a  
17 meeting, we will be supporting that.

18 MEMBER KRESS: Well, thanks. I guess  
19 we're going to talk about -- yes, go ahead. One more  
20 thing.

21 MEMBER ROSEN: I want to say one thing.  
22 I associate myself with all of the comments of the  
23 eminent Dr. Kress, but I am still concerned about the  
24 scope. So take that away.

25 MR. FLACK: We gotcha.

1 CHAIRMAN APOSTOLAKIS: And next time,  
2 John, just come with two viewgraphs. It doesn't  
3 matter.

4 (Laughter.)

5 It just doesn't matter.

6 Okay. Thank you, gentlemen.

7 MEMBER KRESS: Thank you very much.

8 CHAIRMAN APOSTOLAKIS: This was a useful  
9 discussion, and we will recess now. How much time do  
10 you guys want? Do you want a full hour? Okay. Shall  
11 we be back at 1:50? 45 minutes? 1:50, okay.

12 (Whereupon, at 1:08 p.m., the proceedings  
13 in the foregoing matter went off the  
14 record for a lunch break.)

15

16

17

18

19

20

21

22

23

24

25