

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Materials and Metallurgy and Plant Operations
Joint Subcommittees Meeting

Docket Number: (not applicable)

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Location: Rockville, Maryland

Date: Tuesday, April 9, 2002

ORIGINAL

Work Order No.: NRC-321

Pages 1-219

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

TROY

**ACRS Office Copy Retain
for the Life of the Committee**

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5 + + + + +

6 JOINT SUBCOMMITTEES ON MATERIALS & METALLURGY

7 AND PLANT OPERATIONS

8 + + + + +

9 Tuesday, April 9, 2002

10 + + + + +

11 Room T2B3

12 11545 White Flint North

13 Rockville, Maryland

14 The discussion on vessel head penetration
15 cracking and vessel head degradation commenced at 1:00
16 p.m.

17 PRESENT:

18 F. PETER FORD, Chairman

19 Materials & Metallurgy Subcommittee

20 JOHN D. SIEBER, Chairman

21 Plant Operations Subcommittee

22 MARIO V. BONACA, ACRS THOMAS S. KRESS, ACRS

23 GRAHAM M. LEITCH, ACRS STEPHEN L. ROSEN, ACRS

24 WILLIAM J. SHACK, ACRS

25 MAGGALEAN W. WESTON, Senior Staff Engineer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

A-G-E-N-D-A

	PAGE
1	
2	
3	I. Introductory remarks - F.P. Ford, ACRS 4
4	II. Bulletin 2001-01 Status and Action Plan
5	Beth Wetzel, NRR 5
6	III. Bulletin 2001-01 Technical Issues
7	Allen Hiser, NRR 12
8	IV. Industry Perspective on Bulletin 2001-01
9	Larry Mathews, MRP 41
10	V. Davis-Besse RPV Degradation NRC Introduction
11	Jack Grobe, RIII 71
12	AIT Members
13	Mel Holmberg, RIII 73
14	James Davis, RES 109
15	Industry Introduction and Background
16	John Wood, FENOC 118
17	Discovery and Characterization of the
18	RPV Head Degradation
19	Mark McLaughlin, FENOC 129
20	Evaluation of Degradation
21	Steve Loehlein, FENOC 166
22	Bulletin 2002-01 - Ken Karwoski, NRR 189
23	Industry Perspective
24	Larry Mathews, MRP 194
25	Alex Marion, NEI 203

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
 1323 RHODE ISLAND AVE., N.W.
 WASHINGTON, D.C. 20005-3701

A-G-E-N-D-A

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

VI. Final Comments

208

VII. Adjournment

219

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(1:00 p.m.)

1
2
3 MR. FORD: This meeting will now come to
4 order. This is a meeting of the ACRS joint
5 Subcommittees on Materials and Metallurgy and Plant
6 Operations. I am Peter Ford, Chairman of the
7 Materials and Metallurgy Subcommittee. My Co-Chair is
8 Jack Sieber, Chairman of the Plant Operations
9 Subcommittee.

10 ACRS members in attendance are Mario
11 Bonaca, Thomas Kress, Graham Leitch, Steve Rosen, and
12 Bill Shack. We also have Region III on
13 videoconferencing. Can you hear us in Region III?

14 VOICE: This is Region III. We can hear
15 you.

16 MR. FORD: Great. The purpose of this
17 meeting is to discuss the vessel head penetration
18 cracking and vessel head degradation issues. We have
19 had a number of subcommittee meetings on the former
20 issue, and this meeting will also include the head
21 degradation issue observed at Davis-Besse.

22 Ms. Maggalean W. Weston is our cognizant
23 ACRS Staff Engineer for this meeting.

24 The rules for participation in today's
25 meeting have been announced as part of the notice of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this meeting published in the Federal Register on
2 March 22, 2002.

3 A transcript of the meeting is being kept
4 and will be made available as stated in the Federal
5 Register Notice.

6 It is requested that speakers use one of
7 the microphones available, identify themselves, and
8 speak with sufficient clarity and volume so they can
9 be readily heard.

10 We have no written comments from members
11 of the public regarding today's meeting.

12 For the first hour we will be talking
13 primarily about the cracking issues and Bulletin 2001-
14 01. For the rest of the afternoon we will be talking
15 about Davis-Besse degradation issues and Bulletin
16 2002-01. We have a very full agenda and ask everybody
17 to keep to the agenda, as written.

18 Jack, do you have any comments to add?

19 MR. SIEBER: Not at this time. Thank you.

20 MR. FORD: We will now proceed with the
21 meeting, and I will begin with Ms. Wetzel to start for
22 us.

23 MS. WETZEL: I'd just like to follow up on
24 what you said about the two bulletins, and I'd like to
25 try to set the tone of the meeting that way.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There are two bulletins, Bulletin 2001-01
2 which deals with the circ issue, and that's what I
3 will be summarizing, and Allen Hiser will be
4 discussing some of the technical issues, the status of
5 the technical issues, now there is the Davis-Besse
6 issue, and the bulletin that was issued in response to
7 Davis-Besse, Bulletin 2002-01, which pertains to both
8 the head condition and axial cracking. And for the
9 purpose of this meeting, we would like to try to keep
10 the technical discussions and the questions separated
11 because if we mix them, it can get confusing.

12 Now, Jack Strosnider -- eventually these
13 converge, and Jack Strosnider said he would give a
14 summary at the end of the meeting where we think they
15 overlap and converge.

16 We do have a full agenda, and I would like
17 to just keep my remarks as brief as possible. I am
18 the lead Project Manager for Bulletin 2001-01, and I'm
19 just going to give a brief status of where we are on
20 that bulletin and the action plan for that bulletin,
21 and we will have many technical presentations to
22 follow, and you can -- there can be interrogations --
23 I mean, questions for the --

24 MR. FORD: It might be interrogation.

25 MR. SIEBER: It's her words.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MS. WETZEL: I wrestled with how to
3 deliver that.

4 (Slide.)

5 Just to discuss our handouts, the NRR
6 folks are going to give three presentations and they
7 will be at separate times throughout the agenda. So,
8 I did try to separate the presentations there for you.

9 Bulletin 2001-01 is divided into short-
10 term management and long-term management, and right
11 now we're in the short-term management trying to get
12 to the long-term management of this issue, and the
13 short-term management is through dealing with each
14 plant on a specific basis, receiving the responses
15 which we've all received, inspections, and we plan to
16 issue three NUREGs summarizing the bulletin -- one
17 summarizing the bulletin responses, one summarizing
18 the inspection results, and a third one summarizing
19 our technical assessment of the bulletin.

20 And we also have some policy issues, and
21 the policy issues, the main one is managing this
22 through leakage or managing this through nonleakage,
23 and that is a major policy issues to resolve.

24 MR. FORD: You're going to manage it by
25 just regular inspection looking for leaks rather than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking for cracks per se? Is that what that means?

2 MR. HISER: Yeah, there are tech spec
3 requirements of no leakage, and the concern relates to
4 do we allow a leak detection to be the main management
5 tool, or should ultrasonic, some sort of volumetric,
6 any current -- some sort of examination like that that
7 is capable of detecting part-through-wall cracks, the
8 head of the leakage, is that necessary.

9 MR. BATEMAN: This is Bill Bateman, from
10 the staff. I juts want to clarify that as it stands
11 right now, we are managing this issue through leakage
12 detection. That is how we are currently managing the
13 issue, through leakage detection.

14 MS. WETZEL: Which may be not looking
15 under the vessel at all, just doing qualified visuals
16 on the top of the heads.

17 MR. FORD: Could you just put a time scale
18 on the short-term management versus the long-term?
19 Short-term will be completed when?

20 MS. WETZEL: Well, we would like to get
21 out of the short-term because it is very resource-
22 intensive for both the staff and the industry because
23 we are basically dealing with this plant-by-plant, on
24 a plant-specific issue.

25 Now, the Bulletin 2001-01 only covers the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first round of inspections, and those should be
2 completed by the end of calendar year 2002. In fact,
3 I guess some second rounds start in 2002, but we would
4 like to have some long-term guidance in place by
5 January 2003, and that's -- you jumped ahead to my
6 last slide, but I'll discuss that a little bit more.

7 (Slide.)

8 Long-term management, there's three parts
9 for developing our long-term management, which the
10 goal would be to have ultimately some type of
11 guidance, regulatory guidance or requirements in place
12 for inspections and inspection frequency, and in order
13 to do that we need to determine criteria, we need to
14 determine the appropriate regulatory tool -- and i've
15 got some listed up there -- and then we would
16 implement that regulatory tool.

17 (Slide.)

18 Technical issues -- these are the explicit
19 items that both the industry, the MPR and the NRC have
20 agreed on that are the technical issues that need to
21 be resolved in order to reach our long-term goal. And
22 I've just got a listing of them here, and Allen is
23 going to give a brief status on where we are on each
24 of those technical issues.

25 (Slide.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Industry/stakeholder interactions. That
2 is a very large part of our action plan. We are not
3 trying to solve this alone, we are dealing with the
4 MRP and the industry. We plan to come to you much
5 more, I'm sure. We've got other oversight groups,
6 public meeting, many public meetings, and we have a
7 Web site -- we actually have two Web sites, one for
8 each of the bulletins now -- and we try to put all of
9 our material up on that Web site for the public to
10 see.

11 (Slide.)

12 Conclusions. Our main goal is to get out
13 of this plant-specific -- where we are right now,
14 dealing plant-by-plant, and have generic guidance in
15 place, and we do have these goals of the selection of
16 the appropriate regulatory tool, completion of our
17 technical basis supporting that regulatory approach.
18 We do have some dates in our action plan for these,
19 and they are very -- it's a very aggressive schedule,
20 and we're not sure where we stand with that because
21 Davis-Besse and other plant-specific issues that we've
22 been dealing with, we have been working closely with
23 the MRP and NEI, and we do feel we're trying to work
24 to the same aggressive schedule to have some guidance
25 in place, some requirements in place for the next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 round of inspections, which would be Spring of 2003.

2 MR. FORD: The time scale for both the
3 short-term and the long-term, an integration of the
4 two, one into the other, is it appropriate given the
5 risk of this particular degradation mode, presented by
6 this degradation mode? I mean, you talked about the
7 short-term ending end of 2002-2003. I'm assuming that
8 the long-term is five years? I don't know. For some
9 of these technical issues, you are talking five years
10 in a normal course.

11 MS. WETZEL: You mean to resolve the
12 technical issues?

13 MR. FORD: Correct.

14 MS. WETZEL: We're looking at resolution
15 of the technical issues to input into our regulatory
16 tool that we would start to initiate implementation of
17 in January 2003.

18 MR. FORD: Oh, so the short-term and the
19 long-term meld into each other?

20 MS. WETZEL: Yes. Yes.

21 MR. FORD: On a very short time scale.

22 MS. WETZEL: It's a very short, very
23 aggressive time scale, but right now the Bulletin 2001
24 only has guidance out to the industry for this first
25 round of inspections, and we would like some more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generic guidance, and they need it for planning
2 purposes. They are ordering new heads.

3 MR. FORD: Jack?

4 VOICE: I think the hope is that we will
5 have enough experience from the inspections that have
6 been performed and with the technical analyses that we
7 would be able to perform, that we could go ahead and
8 put in some in-place requirements for inspections that
9 would serve the long-term interest.

10 MR. FORD: Okay.

11 MS. WETZEL: We might not have -- by
12 January 2003, for instance, if rulemaking is required,
13 we're not going to have rulemaking completed, but we
14 would hope that guidance would be in place for
15 inspection, what type of inspections would be
16 necessary, and frequency of inspections.

17 (Slide.)

18 MR. HISER: To follow up on Beth's
19 overview of Bulletin 2001-01, I want to go over some
20 of the technical status. What I want to do here is
21 provide an overview of the types of inspections that
22 have been performed in response to the bulletin,
23 summarize the results from those inspections, and then
24 discuss the status of the technical issues that Beth
25 listed on one of her slides.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide.)

2 If you remember in the bulletin, we had
3 the PWR plants in four categories. The first category
4 were those plants that had experienced cracking or
5 leakage from CRDM nozzles. The second group of plants
6 was termed high-susceptibility based on a
7 susceptibility ranking model that the industry
8 proposed. The next two groups we term moderate and
9 low susceptibility. Within the context of the
10 inspections that have been performed since issuance of
11 the bulletin, the plants with a cracking or leakage
12 history and those plants that are in the high
13 susceptibility bin have generally performed qualified
14 visual examinations of the head, looking for boric
15 acid deposits.

16 In some cases, the licensee did opt to do
17 either ultrasonic examination or an AD-current
18 examination of all of the nozzles to provide
19 additional assurance. In the case of the visual
20 examinations, if licensees were not able to determine
21 that a specific nozzle was free of any deposits, they
22 would then follow up using ultrasonic testing to
23 determine whether there were flaws in the nozzle. And
24 in addition, ultrasonic testing was also used for
25 sizing of flaws in nozzles that had clear deposits on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the head.

2 MR. FORD: The presumption there, Allen,
3 is if you do not see boric acid by visual inspection,
4 that there is not therefor a crack. That is the
5 presumption. Is it possible that you could have
6 plugging of the annulus below the surface for which
7 you would not see it but there is still a crack?

8 MR. BATEMAN: I just want to clarify, when
9 you say "crack", you mean through-wall crack?

10 MR. FORD: Correct. Yes.

11 MR. HISER: The experience thus far with
12 inspections of nozzles that have not shown any
13 deposits on the head, no through-wall cracks have been
14 identified in those nozzles. So, at least with the
15 experience we have so far --

16 MR. FORD: And roughly 22 plants have been
17 inspected, is that right, approximately?

18 MR. HISER: Well, about 16 inspections
19 have been performed with ultrasonics and under-the-
20 head sorts of methods that can really find cracks
21 themselves, not just the deposits. I think that's one
22 of the concerns that we have in formulating the long-
23 term plans, is issues such as that --

24 MR. FORD: I guess my susceptibility in
25 this case is to best comment that you're trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 move towards having a visual as the precursor to
2 looking more deeply. So, if you don't see any visual,
3 no problem.

4 MR. HISER: Again, within the context --

5 MR. FORD: I'm questioning --

6 MR. HISER: Within the context of the
7 bulletin, and I think the thing we need to remember is
8 the bulletin is a short-term one-time action that
9 we're trying to use information from that to guide us
10 in the longer-term direction that we need to go, in
11 particular, given the recent results from Davis-Besse,
12 I think that has put a different color on where things
13 will end up going long-term. But within the context
14 of the bulletin -- and I think the results that we
15 have to date -- demonstrate that for the short-term I
16 think we have reasonable assurance that we will not
17 have any safety concerns relative to circumferential
18 cracking of nozzles. For the longer-term, I'm not
19 going to speculate right now as to what we'll do.

20 Beth mentioned one policy issue, and I'm
21 sure there will be other issues like that, that will
22 have to be dealt with before we can determine the
23 long-term management scheme.

24 MR. SHACK: When Oconee did a second round
25 of inspections, they came up with more cracks. Had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those nozzles been looked at with the UT or AD-
2 current? I mean, they presumably had passed a visual
3 inspection of the first -- had they been looked at
4 with any other tools?

5 MR. HISER: At that inspection, no. None
6 of the nozzles had been inspected with UT or anything
7 under the head.

8 MR. SHACK: So it's only a purely visual
9 inspection.

10 MR. HISER: Right. Well, the nozzles that
11 did not have UT were cleared last spring using visual.
12 Let me finish this off.

13 With the moderate susceptibility plants
14 again within the context of the bulletin, the bulletin
15 described an appropriate inspection as being a visual
16 examine of the head or some sort of an ultrasonic or
17 AD-current examine if one could not do a visual
18 examine of the head. Plants have either performed
19 effective visual exams or, in some cases, ultrasonic
20 exams of the nozzle ID. In other cases, AD-current
21 examines of the nozzle ID and the J-groove weld have
22 been performed.

23 And the low susceptibility plants were not
24 advised in the bulletin to perform any additional
25 examinations, and the responses indicate that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would perform inspections in accordance with Generic
2 Letter 88-05 and in some cases they propose bare metal
3 visual examinations of the head.

4 MR. SHACK: What's the difference between
5 a qualified and an effective visual examination?

6 MR. HISER: An effective visual exam means
7 that you're able to view the interface of the nozzle
8 and the head for all of the nozzles 360 degrees around
9 the nozzle without impediment such as insulation or
10 other impediments to viewing that area, and also that
11 there are boric acid deposits that could obscure the
12 vision of that area. In contrast, a qualified visual
13 has the same operational aspects as the effective
14 visual, that you can see intersection of the head and
15 the nozzle, but it also has an analysis to determine
16 that there's a leak path from the J-groove weld to the
17 top of the head such that if you do get leakage
18 through the nozzle, that ultimately you should get
19 deposits on top of the head. So it's a little higher
20 threshold that we thought was appropriate for those
21 plants.

22 MR. LEITCH: Allen, does the inspection to
23 date call into question at all, or does it validate
24 the criteria that was used for the binning of the
25 plants. In other words, recall that we used effective

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 full-power years as compared with Ocone bias by
2 temperature to bin the plants, and I guess basically
3 what I'm asking is based on the data to date, does it
4 appear as though that binning is reasonable?

5 MR. HISER: If I can hold that just for
6 two slides.

7 MR. LEITCH: Absolutely, sure.

8 MR. HISER: The first thing I want to do
9 is just provide a table that has all of the inspection
10 results for the plants that are in the first bin and
11 the second bin, so it would include all the high
12 susceptibility plants.

13 (Slide.)

14 In addition -- and these results include
15 also inspections that demonstrated no degradation, I
16 guess in the case of Robinson and Surry 2 and D.C.
17 Cook Unit 2. In addition, results are shown for two
18 moderate susceptibility plants for which cracked or
19 leaky nozzles were identified.

20 To date, with the inspections that have
21 been performed, seven nozzles have been identified
22 with circumferential cracks at or above the J-groove
23 weld. There are numerous cases of circumferential
24 cracks below the J-groove weld, but that does not have
25 a safety implication. In addition, at this point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there have been about 48 nozzles that have been
2 repaired.

3 MR. ROSEN: Allen, I derive from this
4 table the conclusion that no cracks have been observed
5 in low susceptibility plants, or is that a wrong
6 conclusion?

7 MR. HISER: That's correct. At this
8 point, the only plants that we found any cracks are in
9 two moderate susceptibility plants. And I guess the
10 one point I'd like to make about -- well, Crystal
11 River Unit 3 was -- the nozzle was identified through
12 the visual exam where a deposit was identified.
13 Millstone 2, because of the head insulation package,
14 they were not able to do a visual exam, so they
15 actually performed an ultrasonic exam of all the
16 nozzles. They did identify three nozzles with part-
17 through-wall cracks, part-wall cracks. They were not
18 through-wall. There were no indications of leakage.
19 If Millstone had been able to do a visual exam on top
20 of the head, they would have identified no cracked
21 nozzles. So there is some difference, again,
22 depending on the type of inspection that was
23 performed. The depth of knowledge that we have from
24 some of these inspections clearly is dependent on the
25 type of exam.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: Because of the importance of
2 this question, I want to be sure I understood your
3 response. For low susceptibility plants, have they
4 done inspections?

5 MR. HISER: Yes.

6 MR. ROSEN: And no low susceptibility
7 plant has found any cracking, is that correct?

8 MR. HISER: That's correct.

9 MR. BATEMAN: Bill Bateman, from the
10 staff. I'd just like to clarify that. The low
11 susceptibility plants have not done any type of
12 volumetric inspection. So the types of inspections
13 that the low susceptibility plants have done have been
14 visuals, and I'm not sure in each and every case
15 they've been bare metal visuals, they may have been
16 visuals with insulation in place. So, not as
17 aggressive as the inspections that have been done by
18 the other plants.

19 MR. HISER: That's correct, and depending
20 on the insulation package, if a plant has insulation
21 directly in contact with the head, the ASME Code
22 required inspection would be to look at the top of the
23 insulation. That's not real effective in finding
24 deposits from a nozzle crack. The bulletin did not
25 ask licensees to do any additional exam beyond what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they are currently required to do, so I think that
2 would not have been effective in determining nozzle
3 leakage in those cases.

4 MR. ROSEN: So I should take only cold
5 comfort from the idea that there's no low
6 susceptibility plants on this table?

7 MR. HISER: I'd take warm comfort. There
8 are some plants that have looked at the bare metal --
9 I don't have a list right now of how many have done
10 which type of exam, but we can provide that
11 information.

12 MR. FORD: On that very issue, Allen, I
13 seem to remember seeing a slide in the packages that
14 were received, there's many, many more UT exams done
15 than are shown on that table.

16 MR. HISER: Well, all of the nozzles that
17 have cracked or been identified as leakers have been
18 inspected using UT. There may be some plants that
19 have done ultrasonics that do not show up on this
20 table.

21 MR. FORD: But it's important for you to
22 have stated that because it relates to Steve's
23 question, that when you've got down, for instance,
24 qualified visual for Ocone plants, they have all had
25 a UT also, to confirm that there was, in fact, cracks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HISER: Not every nozzle, for example,
2 at Oconee 1 has had a UT exam because it has not been
3 thought by the licensee nor, I think, the staff to be
4 really necessary at this point. The one exception to
5 that, it is Oconee Unit 3, which identified the first
6 circumferential cracks last February. If you scan
7 down the table to November, they had their scheduled
8 refueling outage, identified seven more nozzles with
9 cracks or leakage. Between the two inspections, they
10 have inspected every nozzle with UT, but I believe
11 that may be the only of the three Oconee plants that's
12 in that condition.

13 MS. WETZEL: This might clarify your
14 question. Some plants are -- they are clearing their
15 nozzles, first of all, by doing visuals on the top.
16 And if they can't get a visual on the head, then they
17 will go underneath and do a UT. So, some plants will
18 have a mix of visually cleared nozzles and UT nozzles.

19 MR. BATEMAN: You need to clarify that's
20 only for the moderate susceptibility, that doesn't
21 hold for the --

22 MR. FORD: I think maybe we're just going
23 round and round on this. I think in some of the future
24 presentations, just to reassure us, when you see a
25 visual or not see a visual, that has a direct factual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relationship to whether or not you see cracks.

2 MR. HISER: I would expect the next time
3 we will provide a more thorough review of the
4 inspection results, given the circumstances with
5 Davis-Besse, we wanted to put this at a relatively
6 high level.

7 MR. SHACK: Before you remove that, when
8 I have a crack and I have no repairs, does that mean
9 it's below the J-groove weld or we're operating on
10 sort of a crack growth analysis?

11 MR. HISER: I think in all cases the crack
12 is below the weld. And crack growth through the next
13 cycle did not indicate that it would go up to the weld
14 level.

15 MR. SIEBER: Is it fair to assume that the
16 volumetric examination is better than a visual
17 examination?

18 MR. HISER: I think it's more thorough
19 because the ultrasonic exams are able to interrogate
20 the entire volume of the nozzle. The situation as it
21 exists right now is that the only -- you have the two
22 components in the area are the nozzle base metal and
23 the J-groove weld. The ultrasonic exams are not able
24 to interrogate the J-groove weld. So, as an example,
25 you could have a crack that is not detected that's in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the J-groove weld. You may think that your nozzle is
2 clear when, in reality, you could have a through-wall
3 crack in the weld. So, in the context of this
4 bulletin looking at circumferential flaws, though,
5 ultrasonics is the preferred approach to rule out the
6 existence of circumferential cracks.

7 MR. SIEBER: Based on that reasoning, it
8 would seem to me that you need a combination of both
9 volumetric and visual in order to provide substantial
10 assurance that you aren't going to end up with a
11 separation problem.

12 MR. HISER: Within the context of this
13 bulletin and in segregating any Davis-Besse related
14 issues, the ultrasonic exams can detect the presence
15 of circumferential cracks, and we know that there's a
16 certain time period from initiation of a
17 circumferential crack to the growth of it to a
18 critical size, and I think we have some comfort level
19 in that that if we do not detect a circumferential
20 crack today, that it will not develop to a critical
21 size within a certain time period.

22 MR. SIEBER: Perhaps sometimes during your
23 presentation you could tell us why you would not
24 require licensees to perform both visual and
25 volumetric.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HISER: In some cases, visuals cannot
2 be performed because of insulation package.

3 MR. SIEBER: Why would you not have every
4 licensee who is in the high susceptibility category to
5 do both types?

6 MR. HISER: Every plant that's in the high
7 susceptibility bin can do a visual exam of the head.

8 MR. SIEBER: But why would you not have
9 them do both visual and volumetric since each seem to
10 address slightly different problems?

11 MR. HISER: As we develop our long-term
12 management strategy, that probably will be something
13 we'll consider.

14 MR. BONACA: Bill Bateman again. As I
15 mentioned earlier, we are managing this issue right
16 now as discussed in the bulletin, through leakage. In
17 other words, if a plant detects a leak, then they've
18 got to go make a repair. And when they restart, they
19 will have fixed all the leaks. So that's how we're
20 managing the issue.

21 Now, if we wanted to manage this thing
22 such that we were 100 percent convinced there wouldn't
23 be any leaks during the upcoming cycle, then of course
24 it would involve doing a volumetric examination, but
25 that's not the decision that was made in terms of how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we managed the issue when we initiated this bulletin.

2 MR. STROSNIDER: This is Jack Strosnider.
3 I'd like to follow up on that because it's very
4 important to understand the context of the information
5 we're presenting.

6 Bulletin 2001-01 that went out, as Bill
7 just indicated, it provided the option basically for
8 people to manage this problem in this first round of
9 inspections by doing visual exams, looking for
10 leakage. In some cases, they did under-the-head
11 ultrasonic exams because that was actually to their
12 benefit, depending upon the insulation type. But the
13 information we're presenting is the responses and the
14 results of the examinations performed to Bulletin
15 2001-01. And, in fact, not all those inspections are
16 complete yet. I mean, they will go out through the
17 end of this year. So we're collecting information on
18 that and Allen is going to show the histogram in a
19 minute to show where all this falls in place, which we
20 are going to use to inform what needs to be done in
21 terms of the longer-term program.

22 We're also looking at, as we get the
23 results, to see if there's anything here that tells us
24 we need to take some more aggressive action right now,
25 and we haven't seen that so far. It appears that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program is finding cracks as it should, and Davis-
2 Besse is another issue that we'll talk later in the
3 presentation as to what the implications of that might
4 be. But, right now, we're still collecting
5 information in response to the first bulletin that
6 went out. That bulletin had a graded approach for
7 inspections where people could use visual examinations
8 and, depending on whether they were high to low
9 susceptibility, different levels of qualification. So
10 we're collecting that information and Allen is
11 basically just summarizing where that is.

12 There are clearly some issues that come up
13 with regard to why doesn't everybody need to do
14 ultrasonic as opposed to just doing visuals, and the
15 policy that that was referring to earlier, that's one
16 example of an issue we have to answer in order to
17 establish a longer-term program for managing the
18 issue. And it's very important that we ultimately get
19 to that longer-term program because in the meantime
20 we're managing this problem with bulletins and
21 inspections and plant-specific activities which are
22 very resource-intensive, but when we get back to
23 summarizing at the end, maybe I'll say a little more
24 about that, but I just wanted to make sure we
25 understand what we are presenting here is in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 context of the first bulletin that went out.

2 MR. SIEBER: Well, my questions did not
3 refer to the data that's already been collected and
4 ready for analysis, but what the future holds and what
5 is the best long-term strategy that you might have.
6 And I take it from your answer you would consider at
7 sometime in the future make a decision related to
8 whether both visual and volumetric examinations will
9 be required to provide the level of assurance that is
10 expected. Is that correct?

11 MR. BATEMAN: That's correct. And like I
12 mentioned earlier, that was one of the policy issues
13 that Beth mentioned. Do we want them to continue to
14 manage this through leakage, or not, but that's a key
15 policy decision that will need to be made.

16 MR. SIEBER: Thank you.

17 MR. HISER: And I guess just one short
18 follow up, my guess is that the implications at Davis-
19 Besse may weigh very heavily in terms of what those
20 requirements are. And until we fully digest that
21 information, it's hard to speculate where we'll end
22 up.

23 (Slide.)

24 Now, this is a visual depiction of the
25 susceptibility ranking and the results from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspections to date. The red circles indicate those
2 plants that have identified either leaking nozzles or
3 cracked nozzles. Within the context of the bulletin,
4 plants that were within up to 5 EFPY were binned as
5 high susceptibility plants. As you can see from --
6 there are two plants that are outside of that region
7 that did have cracking. This is the Millstone plant
8 which, again, did an ultrasonic exam, had no through-
9 wall cracks in the nozzles. It may be that if some of
10 these other plants did similarly intensive
11 inspections, they also may have identified some
12 cracked nozzles, but clearly their visual exams did
13 not find any leaking nozzles.

14 The green symbol plants are those that
15 still have to inspect. I think there are about six
16 plants within this regime here up to 30 EFPY that
17 still have inspections this spring. There are another
18 12 plants we'll inspect either next fall or even
19 Spring 2003. There are some of the plants that have
20 24-month cycles.

21 At this point, I think we think this
22 provides some validation of the susceptibility
23 ranking. The highest ranked plant with any leakage is
24 here at about 6 EFPY. It is the first plant out of
25 the high susceptibility bin. The fact that we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not identified any circumferential cracks at higher
2 EFPY levels and have identified no leakers, I think,
3 gives us some level of comfort that for the short-term
4 we have an appropriate management scheme for this, and
5 this will enable us to develop our long-term
6 inspection criteria.

7 MR. FORD: Okay. But it's a management
8 scheme, it's not a resolution scheme. It will occur.
9 In other words, you're just going to walk up that
10 curve.

11 MR. HISER: Right, absolutely. It's just
12 a matter of time.

13 MR. ROSEN: On that same chart that we're
14 looking at now, the susceptibility ranking histogram,
15 there are many plants that have found no cracking
16 throughout the chart. Have you thought about what the
17 lessons are from having plants in the high
18 susceptibility region with no cracking?

19 MR. HISER: I think there may be many
20 lessons. It may point us to some additional
21 parameters that we need to consider, such as heat of
22 material and things like that. There will be
23 additional consideration of this data as we continue
24 to accumulate it.

25 MR. ROSEN: Please consider both sides of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it.

2 MR. HISER: Absolutely.

3 MR. FORD: Is that part of your strategy,
4 this question of a quantitative root cause analysis of
5 this cracking? You mentioned heat variations, there's
6 also residual stress variations. Is it the plan in
7 the long-term as you go through all your technical
8 lists, to come up with a quantitative tool to predict
9 what's going to happen in the near- and long-term?
10 And, in fact, to improve as you go from one repair
11 strategy to the other? Is that one of your goals?

12 MR. HISER: I think to the extent that
13 we're able to do that and that we're able to implement
14 something in a reasonable manner. What we do not want
15 is 69 solutions to 69 problems. We'd like to have --

16 MR. FORD: But, surely, until you get to
17 that capability, you cannot regulate a plant when it
18 comes along and says, "Hey, I haven't seen cracking
19 and therefore I can go for another year", but within
20 that next year you should be able to tell them, "You
21 are a high susceptibility, a high probability that you
22 will crack in the next year if you continue operating
23 the way you are".

24 MR. HISER: I don't think we would err to
25 the wrong side of that. My guess is the inspections

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will be sufficient to cover those kinds of situations
2 that could occur.

3 MR. STROSNIDER: This is Jack Strosnider.
4 I'd just make the comment in response to that question
5 that our intent would be to develop quantitative
6 models that can help inform the development of the
7 regulatory framework in the long-term inspection
8 program, but we have some experience with the
9 susceptibility models both on this type of cracking
10 from the susceptibility ranking that was developed
11 back in the '90s, and on other components like steam-
12 generator tube plugs and steam generator tubes, and we
13 know that we're not -- I mean, we're not going to be
14 able to come up with a quantitative solution that says
15 this plant is going to crack on this day, all right?
16 And the best we're going to be able to do is get some
17 relative susceptibilities, use inspection results to
18 inform as we go down the road, and use those
19 quantitative models to help inform decision, but we're
20 going to have to apply some judgment here, recognizing
21 the uncertainties in these models. And I think what
22 Allen was saying is we will apply that judgment to
23 make sure that we have sufficient conservatism in
24 there to account for uncertainties in these parameters
25 that either are not accounted for in the models, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, frankly, you may not be able to account for
2 because you just don't have the information. So we
3 are dealing with uncertainties here, and there's going
4 to have to be some level of judgment applied.

5 (Slide.)

6 MR. HISER: As I listed earlier, technical
7 issues that we have covered in our action plan. They
8 are reflected on this slide as well. I guess the two
9 points I want to make on this regarding the technical
10 issues is that we expect the industry to do the bulk
11 of the work in this area, and they have taken the lead
12 on many of these issues, and we are awaiting in some
13 cases reports from them. We also have through our
14 Office of Research several contractors that are doing
15 the bulk of the work for the NRC and, as indicated,
16 for example, on probabilistic fracture mechanics and
17 residual stress activities, we do have strong
18 interactions between the staff, our contractors and
19 the industry in those areas.

20 MR. FORD: On that issue, does the
21 industry have any warning of your expectations in
22 these relationships? For instance, crack growth
23 rates, as you know very well, they are all over the
24 map. Are you going to go to an average crack
25 propagation rate, or are you going to accept an upper

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bound crack propagation rate? I mean, they presumably
2 know what your intentions are at this time.

3 MR. HISER: There have been some
4 discussions on that. We've had, I think, several
5 meetings where they've presented status reports on
6 their review of the available data, and I believe the
7 industry has generally proposed a 75 percentile curve
8 as an upper bound. Several of the licensees have
9 proposed for their plant-specific application 95
10 percent, and that seems to be an acceptable kind of
11 value.

12 MR. FORD: And you could relate that to
13 the probability of the first crack occurring, through-
14 wall crack, et cetera? I mean, you can relate that to
15 that physical occurrence?

16 MR. HISER: That's correct.

17 MR. FORD: Why isn't there repair on this
18 list, repair strategies? Well, for instance, if you
19 are going to go to 690 or the relevant weld material,
20 how do you know what the factor of improvement is
21 going to be? I don't see that on this list.

22 MR. HISER: To resolve the current issues
23 that we have with the existing Alloy 600 nozzles, this
24 is the list. We also have user-need in with the
25 Office of Research to look at the characteristics of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Alloy 690, the replacement materials.

2 MR. FORD: Everybody takes as gospel that
3 690 is better than 600, and it probably is -- well, it
4 is in the lot -- and to very limited experience in the
5 field, but we cannot put what the factor of
6 improvement is going to be, can we?

7 MR. HISER: I don't know at this point
8 that we can put a specific number to it. The comment
9 you made earlier about the susceptibility ranking,
10 eventually that will get cracks at higher and higher
11 susceptibility levels, my guess is for 690 it's only
12 a matter of time.

13 MR. FORD: I guess I'm just trying to
14 assess as to where we're going on all this to make
15 sure that in ten years' time you're not going to have
16 another "oh, hell, we didn't think of this" or "we
17 didn't think of that". I'm trying to be constructive
18 as much as possible here.

19 MR. HISER: I guess the one point that we
20 haven't mentioned in any detail is the number of
21 plants that have planned to replace their heads, and
22 I think many of the plants that are on the table that
23 have identified cracked nozzles or leaky nozzles do
24 plan to do that.

25 MR. FORD: Well, presumably replacing with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 690, but is -- you're just saying, "okay, then, that's
2 as best as we can do", or quantifying improvement.

3 MR. HISER: Well, I think at this point in
4 time our focus is really on the Alloy 600 nozzles in
5 place. We do plan to address the 690 nozzle.

6 MR. FORD: So when you do crack growth
7 rate data, there will be crack growth rate data for
8 690?

9 MR. HISER: Not -- let me point out one
10 other -- this technical issue list is really to
11 address the short-term management items that Beth
12 mentioned, to put us in a position to develop the
13 long-term management criteria. So this is -- I would
14 say over the next 12 months we would have completed
15 these issues for the present situation, but we do have
16 Alloy 690 growth and initiation characteristics as a
17 part of our longer-term research activities that we've
18 asked the Office of Research to look into.

19 MR. FORD: And all the subcontractors --
20 Argonne, et cetera, et cetera -- who are working on
21 some of these issues, they are all working to that
22 time scale?

23 MR. HISER: On these issues, yes.

24 MR. BATEMAN: Working to what time scale?

25 MR. FORD: Well, the mention of all these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues, Bill, relate to the short-term, which we said

2 --

3 MR. BATEMAN: No, no, no no. They are not
4 working to establish, for example, crack growth rates
5 for Alloy 690 in the short-term, to meet our short-
6 term schedules, no.

7 MR. HISER: Let me just re-emphasize that
8 the technical issues that are listed here are short-
9 term issues relative to Alloy 600 nozzles and the
10 existing heads. For replacement heads, repaired
11 nozzles with Alloy 690, they are not on these
12 technical issues list.

13 MR. BATEMAN: We have some folks from
14 Research here who might be able to answer your
15 question. Ed, do you have any ideas on when we might
16 have that Alloy 690 crack data?

17 MR. HACKETT: This is Ed Hackett from
18 staff. I guess the issue -- and Peter knows, I guess
19 -- also goes beyond just 690 versus 600. There's
20 weld, residual stresses, and other issues. Those are
21 going to be longer-term. We're hoping to have PFM
22 analyses completed this year for the issues that
23 Allen's been talking about. The other ones are
24 obviously be longer-term. There is crack growth rate
25 data on 690. I guess we could back up and maybe make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a couple of comments.

2 First off, I guess, there's going to be
3 the idea going in that 690 is less susceptible to the
4 phenomenon. I think, however, this issue goes not
5 just to the base material, it goes to the welding and
6 the residual stresses. So when Allen is making the
7 commentary on, for instance, replacing the heads, the
8 heads -- we can go into a lot of detail on this, but
9 we have limited time here. The heads, as part of the
10 improvement for the new heads, will include 690, but
11 they are also including new types of machining for the
12 penetrations. They are assuming new treatments for
13 the penetrations, new types of welding that will
14 induce less residual stress. These things will, in
15 summary, hopefully cause significant improvements.
16 You've asked for a number. I agree with Allen, I
17 don't think we have a number. And I think only part
18 of that would go to crack growth rates or
19 susceptibility of Incanel 690 versus Incanel 600, but
20 there are obviously data already available on 690.
21 There's nowhere near the amount of data that's
22 available on 600, and we are going to be generating
23 that type of information for the future.

24 MR. FORD: Okay.

25 MS. WETZEL: We have told the industry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that replacing their heads is not the end of this
2 issue, and there will be expectations in the future
3 for some sort of inspection guidance on new heads.

4 MR. FORD: Could you expand very briefly
5 because it always comes down to this question -- maybe
6 someone from MRP can answer this one. What is being
7 done specifically on risk assessment? We've heard the
8 Duke Ocone presentation. I haven't heard any others.
9 Maybe there have been others to you -- maybe Davis-
10 Besse has done one, I don't know. But what
11 specifically is being done in the risk assessment and
12 its qualification?

13 MR. MATHEWS: I'm going to provide a
14 little bit of discussion of the work that we're doing
15 in the risk assessment area.

16 MR. FORD: Okay.

17 MR. HISER: Since I have grossly
18 overstepped my time and hopefully did not set a
19 precedent for today --

20 MR. FORD: We're just asking questions.

21 MR. SHACK: Before you take that slide
22 away, have we looked at enough plants now to know that
23 we can do UT on all the configurations that we have,
24 or are we still doing development work on that?

25 MR. HISER: There have been isolated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problems with maintaining contact of transducer-to-
2 nozzle, some access problems. I think the area of the
3 inspections, in particular UT, has probably been the
4 biggest growth area so far, and hopefully will
5 continue to progress, if nothing else, to provide more
6 timely inspections. That's one of the issues right
7 now, is the amount of time it takes to inspect a whole
8 head, but there has been a lot of improvements in that
9 area. And I would venture at this point -- maybe
10 Larry can address it -- that there probably is no
11 situation where UT exam could not be performed on the
12 nozzle from the ID. For the J-groove welds, that's a
13 different situation at the present time.

14 MR. MATHEWS: There are perhaps a few
15 isolated nozzles on a few heads that have caps on the
16 bottom end of them, that the cap would either have to
17 be cut off or something like that to get inside, but
18 those are rare.

19 MR. SHACK: There's always exceptions.

20 MR. HISER: Yes, always.

21 (Slide.)

22 I guess the main things I'd like to point
23 out in the conclusions is that the inspection findings
24 to date are generally consistent with the
25 susceptibility ranking approach. Implications from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Davis-Besse findings both in 2001-01 clearly are
2 yet to be determined.

3 In addition, as Beth has mentioned, for
4 some plants the second round of inspections after
5 issuance of the bulletin will begin next spring, so we
6 need to be in position to have some guidance or
7 requirements in place for those inspections. If there
8 are any questions, I'll address those.

9 MR. FORD: I think we are about to move
10 now on to the next topic. I'm sorry, is there an MRP
11 on specifically 2001-01?

12 (Slide.)

13 MR. MATHEWS: This is an outline of what
14 we're going to talk about. We're going to save the
15 Davis-Besse part until the end.

16 (Slide.)

17 The first thing is the MRP has put
18 together and gotten approved all the way up through
19 the MRP management structure a strategic plan for
20 managing Alloy 600, 82-182 issue. This is kind of an
21 outline of that strategic plan. We state the problem.
22 We have a goal and a mission. It's laid out an
23 approach of how we're going to solve the stated
24 problem, and then we define the roles of the various
25 organizations in the strategic plan, and then laid out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a specific strategy in each of the five areas here.

2 MR. FORD: Forgive me if we've seen this -
3 - I haven't seen this. I'm assuming that this has got
4 timelines with expected resolutions at various times,
5 and it fits into the regulator's requirements?

6 MR. MATHEWS: The goal is to definitely
7 work within the regulator's time frame so that we have
8 a meaningful interaction and we don't come in --

9 MR. FORD: Five years too late.

10 MR. MATHEWS: -- five years too late. We
11 have a window of opportunity to influence and be a
12 part of what's the long-term --

13 MR. FORD: And the regulators have seen
14 this?

15 MR. MATHEWS: Yes, we've discussed this
16 with the NRC. I don't know that they've seen the
17 specific details of the plan, but we gave them a more
18 detailed presentation on this.

19 In the area of the primary butt welds,
20 Area 1, our approach is to use --

21 MR. FORD: I'm sorry, could you go back to
22 the other one, please?

23 (Slide.)

24 You don't mention repair there.

25 MR. MATHEWS: Repair. It's probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 included as a mitigation -- most of the repairs have
2 been handled by the vendors that are doing those
3 repairs in the relief requests. But we have a Repair
4 Committee that is working with, in each of these
5 areas, like on the butt welds and head penetrations,
6 documenting the repair techniques that are available.

7 MR. FORD: What other committees are there
8 that -- interacting with this?

9 MR. MATHEWS: Basically, I have an
10 Assessment Committee, an Inspection Committee, and a
11 Repair Mitigation Committee within the Alloy 600
12 Issues Task Force.

13 MR. FORD: The reason for my questions is
14 in these multi-organizational deals, information just
15 goes down a plug hole sometimes because of lack of
16 communication. That's why I'm asking the question.
17 Repair is obviously a big thing on everybody's mind,
18 I just didn't see it on your list, but somebody is
19 looking out for it.

20 MR. MATHEWS: It's imbedded within each of
21 these areas.

22 On the primary butt weld, our strategy
23 primarily is to use the ASME Section 11 guidance for
24 inspections and frequency. We think that's
25 appropriate at this point, but in conjunction with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 vendor demonstrations and PDI, we're driving
2 improvements in inspection technology. Basically
3 Appendix 8 has to be implemented by next fall, or the
4 fall of this year, and that will require qualifying
5 inspections for all of dissimilar metal welds that go
6 on in the plant. So that's our basic strategy. We
7 have a meeting set up to discuss the status of PDI
8 this month, with NDE Center and PDI and where they
9 stand on qualification of inspectors for the
10 dissimilar metal welds.

11 In the near-term on the head penetrations,
12 we're working with the NRC. We want to demonstrate
13 that all the plants are safe, and there's an
14 acceptable risk on an industry-wide basis. We're
15 documenting all the inspection plans that people have
16 turned in for 2001, and that's going to be history
17 within a year, and other specific utility commitments
18 and plans that they are doing beyond the requirements.

19 We're working with the inspection vendors
20 to demonstrate the inspection technologies to a
21 standard measure. And by that we mean we have
22 initiated development of mock-ups, and one that will
23 be available this summer is a blind mock-up so that
24 the vendors can come in and demonstrate their NDE
25 technology, their UT or whatever, on a blind mock-up,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and demonstrate their capability to find flaws on
2 those mock-ups.

3 We're also working to define reinspection
4 requirements based on risk as we get to our
5 probabilistic risk assessment, and to identify long-
6 term mitigation techniques for RPV heads. These are
7 the ones that have no leakage or the ones that haven't
8 detected degradation at all.

9 In the longer-term, we want to develop
10 inspection guidelines for the industry, moving toward
11 early detection to minimize the leaks in the plants,
12 and we want to use our risk assessment that we're
13 putting together to work on that. Provide an
14 assessment management plan that supports the
15 appropriate examinations and work with the staff in
16 implementing a long-term strategy, and also if
17 mitigation techniques require qualification, we want
18 to be working in that area to qualify the mitigation
19 technique.

20 For all the other Alloy 600 82-182
21 locations, a lot of work had already been done by the
22 various owners groups and other entities on a lot of
23 the other locations of Alloy 600 or in the metal in
24 the plants. Our approach was to determine what's
25 already been done. We don't want to duplicate it and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 waste everybody's resources. To that end, we sent
2 letters to all the owners groups and we have gotten
3 responses back. Our next step is to work and get
4 specific information on the programs that have already
5 been completed by the vendors, and then to identify
6 and evaluate all the locations not addressed in the
7 existing programs, and then figure out with the owners
8 groups and the vendors where is the right place to do
9 that. Is the MRP the right place where it would be
10 more appropriate than the owners group. And then
11 provide guidelines for management, and ultimately put
12 out an Alloy 600 management guideline which would
13 either provide information to a utility on how to
14 manage all the locations in their plant, or reference
15 them to an appropriate location if it's something
16 that's been performed by owners groups or something
17 like that.

18 MR. FORD: You know, Larry, this is a
19 great bulletized management thing that everybody puts
20 out, especially EPRI, on what they are going to do.
21 When did this start?

22 MR. MATHEWS: When did it start?

23 MR. FORD: Yes.

24 MR. MATHEWS: We've been working on it
25 since over a year, but just pieces of it, and lots of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it has already been completed, it's just a matter of
2 when we --

3 MR. FORD: Are we going to see some data
4 on that? You say some of the things are being
5 completed and conclusions made, presumably. Are we
6 going to see data to support those?

7 MR. MATHEWS: I'm not sure what you mean
8 by data, but, yes, I have more information in here.

9 MR. FORD: Have you got some backup slides
10 on crack growth and things of this nature?

11 MR. MATHEWS: I didn't bring them. This
12 meeting was scheduled after a meeting in France where
13 all the experts on crack growth are right now, and
14 that's been scheduled for a year, and I couldn't bring
15 my experts with me on crack growth rate, but I have
16 some summary information on that.

17 MR. FORD: Okay.

18 MR. MATHEWS: We're also putting together
19 an inspection plan on what plants ought to do to
20 inspect their plants. It's based on gathering --
21 yeah, this is for head penetrations -- for gathering
22 visual and nonvisual NDE data, and basically try to
23 see if we can't verify that the MRP time and
24 temperature model continues to be an effective
25 management tool. And, basically, like Al said, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspections to date tend to support that. The plants
2 that have shown cracking further out were not through-
3 wall yet, so maybe we're picking up some of the
4 initiation of the cracking.

5 It will be coupled with our risk
6 assessment to demonstrate that the increase in the
7 core damage frequency is acceptable and, additionally,
8 there will be other nonvisual NDE, UT, et cetera,
9 gathered. Hopefully we might be able to do what you
10 were talking about about separating segments of the
11 fleet and say, well, this is a different kind of
12 material than that, if it makes a difference.

13 One thing that we always keep in the back
14 of our minds, though, is that, well, they're all
15 welded in with 182 and, you know -- so, if that's a
16 leak path, it's a leak path, and so even though
17 Huntington may be a better material or whatever,
18 somebody may have a better material, it's still welded
19 in with the same weld mark.

20 Generally, what we've done is we were
21 breaking the plants into various bins, sort of like
22 the bulletin, only I think finer bins and we're coming
23 up with inspection recommendations, and those
24 recommendations move toward more and more aggressive
25 inspections as the plant gets closer and closer to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ocone 3 in the effective time and temperature.

2 Like we said at one point, we have to
3 decide here and work with the staff on what is the
4 appropriate point to say it's no longer appropriate to
5 think that a visual is all you need to do, and you
6 need to move on in, and we're working to work what is
7 the right point for that.

8 MR. SIEBER: Could you elaborate a little
9 bit on what you mean by more aggressive inspections as
10 --

11 MR. MATHEWS: Well, like an effective
12 visual is looking at the top of the surface, and then
13 a qualified visual, as defined in the bulletin, was
14 not only do you have to be able to look, but you have
15 to be able to show that you have a gap at operating
16 conditions so that the boric acid could leak out, and
17 then on into under-the-head volumetric or NDE or AD-
18 current or UT examinations.

19 MR. SIEBER: So volumetric could
20 eventually be a part of this?

21 MR. MATHEWS: Yes. Yes.

22 MR. SIEBER: Thank you.

23 MR. MATHEWS: Next topic is crack growth
24 rate for the Alloy 600 nozzle material.

25 (Slide.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We established an expert panel -- and I've
2 made this presentation so many times I'm not sure how
3 much of it the ACRS has heard -- but there was an
4 expert panel set up. They reviewed a lot of data. I
5 guess Mr. Shack was on the initial part of that panel,
6 he's still involved. They are refining their
7 approach. We were very near, we thought, to
8 publishing a curve and saying this is what we believe
9 is the right approach, and then we found one lab
10 voluntarily saying, well, we might need to take a look
11 at our data and adjust it. And then Davis-Besse came
12 up, and so that's kind of created another look at
13 what, well, what's going on in the annulus.

14 So, some of these things are being
15 reassessed by the expert panel, or those that are in
16 France are going to get together in a sidebar meeting
17 and take a look at it, and try and reassess some of
18 this issue right now, as we speak. You want data
19 points, I don't have data points here today.

20 MR. FORD: Well, it's really the same
21 question I asked Allen. There's a load of data out
22 there, and it's generally rather poor data, bad
23 quality data because it hasn't been controlled or in
24 the relevant environment.

25 Last time you gave us a presentation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this topic, you made the statement that the crack
2 growth rate appropriate for circumferential cracks was
3 the environment that is in the primary site, primary
4 water site, and we questioned that.

5 Is that still the approach that's being
6 used for the development of your master curve?

7 MR. MATHEWS: We're developing a curve in
8 primary water, and that curve, I believe, is supposed
9 to be the 75th percentile of all the material that's
10 in there, but --

11 MR. FORD: Yes, I know, but my question --

12

13 MR. MATHEWS: -- in the annulus region for
14 circumferential cracking, we're proposing that we at
15 least multiply -- or that we do multiply that crack
16 growth rate by a factor of 2.

17 MR. FORD: And the rationale for a factor
18 of 2 and not a factor of 10? 20?

19 MR. MATHEWS: Well, the experts kind of
20 looked at that -- and I'm not one so I can't give you
21 that -- but they had looked at all kinds of things
22 about what could the possible pH range be, and do we
23 have testing in that range, and what's the effect of
24 it, and they used that to come up with the feeling
25 that -- and I think this is where they were -- that a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 factor of 2 would bound the kind of environment that
2 could possibly seen in the annulus. Now, they stopped
3 as a result of Davis-Besse, and they want to say,
4 "Well, let me look again", but prior to Davis-Besse
5 that was the feeling that based on the buffering and
6 the things that go on in that region -- and they
7 actually ran "multi-Q" (phonetic) to try and figure
8 out what the pH and all might be in there, and then
9 look at the data to try and determine what effect it
10 could have on the crack growth rate. And they felt
11 that a factor of 2 was an appropriate multiplier
12 there.

13 MR. KRESS: Does Davis-Besse imply that
14 crack growth rate is not the right parameter to use
15 now?

16 MR. MATHEWS: Well, it depends on what
17 you're trying to model and what you're trying to
18 assess. If you're trying to assess wastage on the
19 head, then, yes, crack growth rate is irrelevant. If
20 you're trying to assess whether or not a circ flaw
21 will go around the penetration and result in ejection
22 and a LOCA from the ejection of the penetration, then
23 crack growth rate is very relevant.

24 MR. KRESS: Well, I was thinking in terms
25 of priorities for inspection, which is based on crack

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 growth rates also, implicitly based on that.

2 MR. MATHEWS: Yeah, you know, where we
3 ought to go in future inspections, you know, we
4 believe that a visual would find this kind of
5 information that was existing at Davis-Besse.

6 MR. KRESS: Well, I was thinking of your
7 susceptibility curve.

8 MR. MATHEWS: Oh, the susceptibility
9 ranking. I guess the one thing -- you know, we've
10 always talked about that ranking as so many EFPY to be
11 an equivalent to Oconee 3 and just kind of said, well,
12 okay, that says you are normalizing to a plant that's
13 got a 165 degree circ flaw, but it's really just a
14 ranking.

15 MR. KRESS: I understand.

16 MR. MATHEWS: And so, you know, if a leaky
17 flaw is now the important criteria, that might move
18 you further out onto the curve as your area of
19 concern.

20 MR. KRESS: That's exactly what I'm
21 saying.

22 MR. MATHEWS: But the same curve probably
23 would still apply. Okay.

24 (Slide.)

25 The crack growth curve that we're going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come up with eventually, and we hope sooner rather
2 than later, is intended for disposition if you find a
3 flaw in the Alloy 600 thick-wall component exposed to
4 normal PWR primary water. It's directly applicable,
5 and if you find a shallow axial ID flaw, for instance,
6 on the inside of a penetration to determine what kind
7 of -- and, really, we feel somewhat of a bounding
8 crack growth rate to apply to figure out can I make it
9 to the next outage before I violate 75 percent
10 through-wall or whatever.

11 We feel it is appropriate for the nozzles
12 that are in use in the plants, and if you were going
13 to evaluate a circumferential flaw above the weld,
14 like I said earlier, we're recommending a factor of 2
15 be applied in that situation, but that's typically --
16 or that's going to be a hypothetical evaluation
17 because we're not going to leave -- I don't think
18 anybody is going to leave one of those in service. If
19 you have a circ flaw, it's going to be repaired above
20 the weld.

21 (Slide.)

22 MR. FORD: Could you explain why ID is
23 beside "real" and why "hypothetical" beside OD?

24 MR. MATHEWS: For instance, a plant has
25 found a shallow ID axial flaw. That could be a real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flaw and they could evaluate it. It's been done at
2 Cook, it was done at a couple other plants. They
3 evaluate then the growth of that flaw and determine
4 can we make it to the next cycle, or whatever.

5 For an OD flaw above the weld, you're not
6 going to be doing an evaluation to leave that flaw in
7 service.

8 MR. FORD: Okay. I was just following up
9 on what you just said.

10 MR. MATHEWS: Yes. So it would be a
11 hypothetical flaw you might want to evaluate for some
12 other reason, like how long would it take to grow to
13 ejection or something like that, if there were a flaw.
14 But if you found one in your plant, you're not going
15 to leave it there whereas you might do so for --

16 MR. FORD: Is this a new approach that
17 you've taken, that all circumferential cracks will be
18 repaired or removed?

19 MR. MATHEWS: Well, basically -- well, I'm
20 talking about a circ flaw above the weld, okay, which
21 means you've already got a leak that went on. And if
22 you've got a leak, that nozzle will be repaired.
23 Every one that has been found leaking has been
24 repaired, and I don't think anybody would intend -- we
25 couldn't by tech specs and the staff would not let us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 run with a leaky nozzle.

2 MR. FORD: Okay.

3 MR. MATHEWS: Another thing is that the
4 crack growth rate that we come up with and feeds
5 directly into our probabilistic risk assessment and
6 our probabilistic fracture mechanics analysis, but
7 we're not treating it as a curve, we're feeding the
8 whole database and all the uncertainty in that
9 database into the PFM.

10 Expert panel is working now to screen some
11 more data. Some of the data that was originally in
12 the database has been relooked at and screened out
13 because we didn't feel it was appropriate data. I'm
14 sorry -- this is also saying the expert panel is
15 looking at weld metal, what data is out there -- we
16 haven't come up with a curve for weld metal yet, but
17 they are in the process of gathering the data on the
18 weld metal, they are going to screen it, and they are
19 going to recommend an approach for the weld metal
20 itself. I think we all feel like it's going to be a
21 little bit faster than the base metal, and so we --
22 may not be as relevant, but they are going to come up
23 with some recommendations, as far as head
24 penetrations. For something like a large nozzle where
25 you've got a 2.5 inch thick weld, it could make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difference as to how fast it grows through the weld.

2 Research is being initiated by EPRI in a
3 DOE/NEPO co-funded program on crack growth rates in
4 these metals, and we will continue to keep the NRC up
5 to date on where we stand on that. And we'll try and
6 bring the data and the experts next time.

7 (Slide.)

8 In the risk assessment methodology, what
9 we're proposing is an approach where we predict the
10 probability of developing a leak using the industry
11 leakage experience that we have to date and feeding
12 that into a Weibull model, using that then to compute
13 the probability of nozzle ejection considering
14 initiation in growth rate for a circ flaw above the J-
15 groove weld once you get leakage into the annulus,
16 factor in the probability of leak detection in that
17 interim between the time that a lead developed and
18 ejection might occur, and then the growth to critical
19 flaw size, follow that with a computation of the
20 probability of core damage, considering the
21 probability of the nozzle ejection and the conditional
22 core damage probability for a small break or a medium
23 break LOCA, and then assess the potential effects that
24 might occur from collateral damage, although we think
25 those are minimal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: What do you mean by Weibull
2 model, is that just the distribution of the flaw
3 sizes?

4 MR. MATHEWS: Well, it's the distribution
5 in time of leaks developing --

6 MR. KRESS: It's the time distribution of
7 the leakage rates?

8 MR. MATHEWS: Right. It's the
9 distribution to predict when a particular plant might
10 experience -- be expected to experience a leak. And
11 it's based on our time and temperature model.

12 MR. KRESS: Why do you call it a Weibull
13 model?

14 MR. MATHEWS: I'm not a statistician, but
15 that's --

16 MR. SHACK: They use a Weibull to describe
17 the statistics of the process.

18 MR. KRESS: To describe the flaw sizes?

19 MR. SHACK: No, describe the probability
20 of a leak.

21 MR. ROSEN: On your last point on the
22 slide, assessing the potential effect of collateral
23 damage, as I understand what you said, you said that
24 would be done after the calculation of a conditional
25 core damage probability.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It seems to me that if you have a
2 probability, however small, of collateral damage, it
3 ought to be part of the calculation of core damage.
4 In other words, that's not a quality for consideration
5 after-the-fact, it's part of the analysis.

6 MR. HISER: It would be factored into what
7 is the effect on the conditional core damage
8 probability given an ejection versus a small break
9 LOCA in a pipe.

10 MR. ROSEN: Given an ejection that results
11 in damage to other rod drives, perhaps?

12 MR. MATHEWS: That goes into the
13 assessment, what other rod drives might be damaged,
14 how badly might they be damaged, what would that do
15 then to the core damage probability.

16 MR. ROSEN: Okay. I think that's the
17 right way to do it. It should not be considered as a
18 qualitative consideration after the conditional core
19 damage probability is calculated, it is part of the
20 quantitative assessment, I think -- should be part of
21 the quantitative assessment.

22 MR. MATHEWS: It depends on how we get
23 into it, but I think to do it absolutely rigorously
24 correct, I think you're right. I'm not sure that our
25 proposal right now is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: It's just another set of
2 sequences in the analysis. They may have very low
3 probabilities, but they should be part of the total
4 core damage probability.

5 MR. MATHEWS: I see what you're saying.
6 I'm not sure we were headed in that direction. We'll
7 go back and look at it.

8 (Slide.)

9 The probabilistic fracture mechanics model
10 that has been developed, the key elements of that is,
11 like I said, the probability of leakage, using the
12 Weibull model, simulated in a Monte Carlo model, the
13 fracture mechanics modeling for stress intensity
14 factors, for through-wall cracks, part-through-wall
15 cracks, and multiple flaw initiation, stress corrosion
16 crack growth statistics, the whole database and all
17 the statistics with the crack growth rates being fed
18 in. We can factor in the effects of inspections in
19 the model, and what that -- turn them on and turn them
20 off in different probabilities of detection, and that
21 can be used to determine what is an appropriate
22 inspection interval. And then inspection reliability.
23 That's the POD.

24 MR. FORD: So this is just --

25 MR. MATHEWS: I suspect it is except that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're looking at the whole fleet.

2 MR. FORD: You're looking at the whole
3 fleet?

4 MR. MATHEWS: All the PWRs. The model is
5 intended to be applicable to all the plants.

6 MR. FORD: How can it be applicable to all
7 the fleet. Each plant has got very specific
8 conditions.

9 MS. KING: We're building a B&W model.
10 We're putting together some Westinghouse and generic
11 models because obviously they have many designs, and
12 a CE model, so there will be several versions of the
13 PFM.

14 MR. MATHEWS: They are all structurally
15 very similar, but the dimensions would be different,
16 and tolerances, et cetera, would be different.

17 (Slide.)

18 I guess all this shows is how the
19 inspections would be taken credit for. You assume a
20 sample, initiate a crack, grow it to leakage, and then
21 at that point in time if you're doing an inspection,
22 there's some probability that the leak would be
23 detected and, if so, you take it out of the statistics
24 at that point in time. If it's not detected, it goes
25 on and continues to grow, and maybe you do a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspection or a volumetric inspection at a later point
2 in time, and depending on the inspection scheme that's
3 fed into the probabilistic fracture mechanics, once
4 something is detected it is taken out of the future
5 probabilities.

6 (Slide.)

7 Some preliminary results -- and I must
8 stress very preliminary -- the increase in core damage
9 frequency for a high temperature plant is a product of
10 these factors. The probability of a nozzle ejection
11 after a first inspection is calculated to be less than
12 10^{-3} . Conditional core damage probability for a small
13 and medium break LOCA, the largest number we could
14 find for these high temperature plants was 5×10^{-3} .
15 That product is 5×10^{-6} .

16 MR. FORD: Are those values -- for
17 instance, the condition of core damage frequency for
18 small break and medium break, those are for specific
19 geometries where you might have multiple raw
20 ejections, or collateral damage, if that's the right
21 word?

22 MR. MATHEWS: The condition of core damage
23 frequency was taken from the IPEs or the plant's
24 probabilistic risk assessments for medium break LOCA,
25 and it was not for a top-of-the-head LOCA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: So the presumption here is --

2 MR. MATHEWS: So, top-of-the-head, in many
3 ways, is better than out on a -- but collateral damage
4 has been qualitatively assessed at this point, and the
5 vendors do not expect that to have any significant
6 impact on the core damage probability. There's just
7 not much up there. There's other rods, but there's
8 not going to impact your ECCS systems that you need to
9 mitigate the accident, et cetera. So the effect of
10 the collateral damage is expected to be minimal.
11 We're not through with that yet. But we do expect
12 most plants to come out to be less than 10^{-6} , or $5 \times$
13 10^{-6} .

14 I've only got one more slide.

15 MR. ROSEN: I want to make sure I
16 understand what you have on this slide. The
17 assumption here is that you have -- correct me if I'm
18 wrong -- you have a nozzle ejection as a result of the
19 propagation of the kind of damage we're seeing.

20 MR. MATHEWS: Yes.

21 MR. ROSEN: And that causes small break
22 LOCA, or it is the small break LOCA?

23 MR. MATHEWS: It is the small break LOCA.

24 MR. ROSEN: It is the small break LOCA.

25 Well, of course, I understand that it is a small break

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 LOCA, but why would you -- are you multiplying those
2 terms together? What is the meaning of the
3 multiplication?

4 MR. MATHEWS: Well, the probability that
5 you have the nozzle ejection for a year --

6 MR. ROSEN: 20^{-3} , right.

7 MR. MATHEWS: -- times the conditional
8 core damage probability, the probability that you
9 damage the core if you do have the small break LOCA --

10 MR. ROSEN: I see. What you are saying is
11 you have the ejection, that is the small break LOCA,
12 and the probability that the safety systems in the
13 plant do not act to prevent core damage is --

14 MR. MATHEWS: The biggest one we could
15 find was 5×10^{-3} .

16 MR. ROSEN: Because, otherwise, if they
17 do, you just have a small break LOCA.

18 MR. MATHEWS: Yes. If the systems all
19 work, you don't really have a problem -- well --

20 MR. ROSEN: It's spraying boric acid all
21 over the place, but -- you have a problem. You've got
22 a big --

23 MR. FORD: The biggest uncertainty there
24 is the probability of the nozzle ejection because that
25 relates to the whole question of uncertainties about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 crack initiation and crack propagation, et cetera.
2 Have you discussed this with the staff?

3 MR. MATHEWS: Yes, and we've had some
4 technical meetings with both Research and with the
5 NRR, and went into more detail than we've got here on
6 exactly how we're modeling it.

7 MR. FORD: And there's no disagreement, in
8 general?

9 MS. KING: We've worked to take the
10 comments that we've received from NRC Research,
11 especially on the PFM model, and incorporated those
12 suggestions back into the model as we've had these
13 meetings. We've had one conference call and one
14 meeting, and we're planning meetings and trying to set
15 up some meetings in May to come back to these issues
16 as we start to run base cases.

17 MR. FORD: I can see how when you don't
18 have a crack to start with, I can see you can go
19 through a fleet sort of argument for that. But when
20 you've already got a crack, or rather you predict
21 you're about to get a leak at a specific plant, can
22 you use that fleet data of 1×10^{-3} , that generic
23 probability of nozzle ejection? You can't, can you?

24 MR. MATHEWS: No. Probability of ejection
25 is not 1 just because you've got a leak.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: No, but in light of the
2 Davis-Besse event, where you're also imbedding in that
3 probability of detection, then 1×10^{-3} is, to me, not
4 a good number.

5 (Simultaneous discussion.)

6 MR. MATHEWS: This is after a first
7 inspection. I've done an inspection, didn't see a
8 leak --

9 MR. FORD: And you say that 10^{-3} that
10 within the next inspection you are going to have a
11 leak, initiate a circumferential crack and it will
12 whip through and --

13 MR. MATHEWS: In order for that to happen,
14 you know, within that sort of time period, you're
15 going to have to have very high growth rates, and
16 that's why the number is so low.

17 MR. FORD: Okay. I understand.

18 MR. MATHEWS: I only have one more slide,
19 and that's the impact of Davis-Besse on this.

20 (Slide.)

21 MR. FORD: This is the impact of Davis-
22 Besse on 2001-01?

23 MR. MATHEWS: Yes, on the PFM model that
24 we're using.

25 MR. FORD: Okay. Then I think we'll stop

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 before we get into the Davis-Besse specific
2 degradation.

3 MR. MATHEWS: We're going to update the
4 PFM model as we need to, as a result of that. We
5 still have to figure it out, but a preliminary
6 assessment is that the model and results wouldn't be
7 significantly affected for growing a circumferential flaw and
8 ejecting the rod. It's not talking about the wastage
9 issue, just growing a circumferential flaw and a nozzle and
10 ejecting the nozzle.

11 There are gap elements on the opposite
12 side of the crack in the PFM that provide restraint.
13 One way that you might do is remove that restraint or
14 increase that gap to inches instead of mils, and
15 that's something that could be done, although it's not
16 totally obvious to me this is the way to address the
17 wastage issue, and we have to wade through all of
18 this.

19 There is no back-wall constraint on the
20 part-through-wall crack in our model, so it really
21 wouldn't have an impact on that. It's only once you
22 get a through-wall crack the nozzle has a tendency
23 then to try and lean and the back wall on the other
24 side has elements in the model that could be adjusted
25 to account for lack of a back wall there. But like I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said, it's not totally clear yet to me that's where we
2 need to go.

3 MR. FORD: As an educated member of the
4 public, my gut would tell me that can't be right.

5 MR. MATHEWS: What's that?

6 MR. FORD: That whole reasoning, that the
7 vessel wastage have no impact at all on the likelihood
8 of having an injection.

9 MS. KING: That statement is meant only
10 for our part-through-wall model.

11 MR. MATHEWS: Well, no, it applies to
12 this.

13 MS. KING: Therefore, vessel wastage is
14 not a factor, and this only applies to the part-
15 through-wall model of our PFM.

16 MR. MATHEWS: The way we grow the model in
17 the probabilistic fracture mechanics is as soon as you
18 get a leak, we assume you have a significant part-
19 through-wall model. Our part-through-wall crack -- I
20 think it's 20 degrees around --

21 MS. KING: Thirty degrees.

22 MR. MATHEWS: -- 30 degrees around 50
23 percent through-wall, in that part of the model, as
24 that crack then propagates around the nozzle in the
25 model, until it's 180 degrees -- I think it's 180

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 degrees -- it stays a part-through-wall model, and in
2 that part of the model as that part-through-wall crack
3 propagates, there is no back-wall element that's part
4 of it, so wastage is not a part, not a factor in --

5 MR. SIEBER: Of that.

6 MR. MATHEWS: -- of that part of the
7 growth. Once you reach 180, it goes through-wall in
8 the model and then it does become a factor in the
9 calculation, if we model it, if that's the way we want
10 to do it.

11 MR. SIEBER: Did you consider, though,
12 that once you waste the material in the head, you're
13 down to essentially a cladding member, which in the
14 case of Davis-Besse deflected, and whether the nozzle
15 separates or not, the cladding may burst open and
16 you've still got your small or medium break LOCA. Is
17 that factored into these risk numbers?

18 MR. MATHEWS: No.

19 MS. KING: At this point, no.

20 MR. MATHEWS: No. These risk numbers were
21 put together for the Bulletin 2001-01 assessment.
22 2002-01 and where we go with that, basically, I don't
23 think the industry doesn't ever want to let that
24 happen again.

25 MR. SIEBER: I would hope so. On the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other hand, it's good for us to know what happened the
2 last time.

3 MR. MATHEWS: Yes. And I think Davis-
4 Besse is going to --

5 MR. ROSEN: Jack, in a way, you're
6 following up on what I think is the weak point here.
7 On your slide 13, you talk about collateral damage
8 not being expected to be a significant contributor to
9 core damage frequency, that's an unsupported
10 assertion, almost unsupported, and I think you need to
11 back that up with some analysis that you make
12 available to us.

13 MR. MATHEWS: And that is the intent. We
14 have some preliminary stuff from each of the vendors,
15 and that's their conclusion at that point, but it's
16 not a rigorous analysis at this point, but we intend
17 to follow up and make sure that it's an appropriate
18 conclusion to make, not just --

19 MR. FORD: We'll stop here. If I could
20 make a request, the next time you see us, which
21 hopefully will be within a couple of months, that you
22 bring us some back-up data so that the committee can
23 get an idea of, for instance, the scatter of the crack
24 growth rates happens to be just one thing, your
25 assumptions in the risk assessment, and things of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nature because although these are great conclusions,
2 we have no way of assessing what goes behind them.

3 MR. MATHEWS: Understand. I understand.
4 And I would have brought more on the crack growth rate
5 today --

6 MR. FORD: And I recognize you have a
7 restriction of time. Thank you very much, indeed, I
8 appreciate it.

9 We will go into recess for ten minutes
10 only, and then we'll start talking about Davis-Besse.

11 (Whereupon, a short recess was taken.)

12 MR. FORD: The meeting will be in session.
13 I'd like to start the discussions on the Davis-Besse
14 situation. Jack Grobe is going to give the kickoff.

15 MR. GROBE: Thank you very much. Good
16 afternoon. My name is Jack Grobe. I'm Director of
17 the Division of Reactor Safety for the NRC Office in
18 Region III in Chicago, Illinois.

19 (Slide.)

20 I've compared the materials that we're
21 going to present with what First Energy is going to
22 present. There is a bit of overlap, but there's also
23 some additional information.

24 Thirty-four days ago, Davis-Besse
25 management informed the NRC that during a repair of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 crack on one of the control rod head penetration
2 nozzles they discovered an unexpected several-inch-
3 deep cavity in the reactor vessel head. NRC Region
4 III and Headquarters management chartered an Augmented
5 Inspection Team to identify the facts and
6 circumstances surrounding the formation and discovery
7 of that cavity. Our purpose for the presentation here
8 today is to give you a summary of the results of the
9 Augmented Inspection Team's findings.

10 With me here today are two members of the
11 team. On my immediate right is Mr. Mel Holmberg. Mel
12 is a senior metallurgist on my staff in Region III,
13 and on the other side of the projector is Dr. Jim
14 Davis. Dr. Davis is a member of the research staff
15 here at NRC Headquarters.

16 Put up the next slide, please.

17 (Slide.)

18 We're going to cover three topics today.
19 We'll provide a characterization of the control rod
20 drive penetration and reactor head inspection results.
21 We'll discuss several methods and results of those
22 methods for identifying reactor head corrosion earlier
23 than was identified at Davis-Besse. And then,
24 finally, we'll discuss the preliminary causes for the
25 head corrosion. We look forward to addressing any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions you have. Please don't hesitate to
2 interrupt us at anytime.

3 I'd now like to turn it over to Mel and
4 get started. Thanks, Mel.

5 MR. HOLMBERG: Good afternoon. My name is
6 Mel Holmberg. I'm an inspector with our Region III
7 office in Illinois, and I'm also a team member of the
8 Augmented Inspection Team that conducted inspections
9 of the Davis-Besse site beginning on March 12.

10 Today I will be discussing the reactor
11 vessel head inspection results in this portion of my
12 presentation. As has been discussed earlier, this
13 included identification of cracked nozzles, 5; 3 that
14 had through-wall cracks; and the cavity near nozzle 3.
15 In addition, there was an area of metal loss at nozzle
16 2 that was identified..

17 (Slide.)

18 This slide is depicting a cutaway view of
19 a nozzle -- not necessarily specific to any plant.
20 Just to give some idea of scale, it is typically a 4-
21 inch outside diameter pipe, if you will, approximately
22 3 feet long from the center nozzles, and it has a
23 stainless steel flange welded to the top.

24 Where the nozzle penetrates the head is
25 typically an interference step.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, for Davis-Besse, in response to the
2 Bulletin 2001-01, conducted an inspection of all 69
3 nozzles in the reactor vessel head. This included
4 both an ultrasonic inspection and visual inspection.
5 The ultrasonic inspection performed was conducted
6 initially from below the reactor vessel head, using
7 what they call the circ related probe. This is an
8 ultrasonic probe set up for time-of-flight or tip-to-
9 fraction type of UT method, and it was specifically
10 oriented to give maximum response or sensitivity to
11 circ-oriented cracks.

12 After conducting the inspection, they had
13 five nozzles -- or, actually, 6 initially -- that had
14 potential cracks. They followed that up with a top-
15 down UT on all these 6 nozzle locations. And this
16 top-down is a rotating head probe UT with roughly ten
17 different transducers, and oriented at various angles
18 so that they could, in fact, characterize in detail
19 both axial and circumferential oriented cracks. Based
20 on that exam, 5 of these nozzles were confirmed to
21 have cracks.

22 The 5 nozzles with cracks, I want to
23 briefly discuss the cracks that were found. In nozzle
24 1, there were 9 axial cracks detected. Two of those
25 were through-wall. The length of those flaws was 1.8

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inches and 3.5 inches. In nozzle 2 --

2 MR. SHACK: That was the through-wall
3 extent?

4 MR. HOLMBERG: That was the length of
5 those flaws. There were 2 flaws in nozzle one that
6 were through-wall. The length of those flaws, one of
7 them was 1.8 inches long and the other one was about
8 3.5 inches long. These flaws typically traverse the
9 J-weld.

10 MR. SHACK: How much of that was above the
11 J-weld.

12 MR. HOLMBERG: Okay, I'll get to that.
13 One of the flaws actually did not really extend to any
14 significant extent above the J-weld, it basically just
15 barely crossed it. The second one crossed it by about
16 half an inch above the J-weld.

17 For nozzle 2, this had 8 axial
18 indications. Five of those were through-wall and the
19 length of those through-wall flaws ranged from 2.7
20 inches up to about 3.9 inches in length. And
21 anticipating your next question, the greatest extent
22 above the J-weld was approximately 1 inch for the
23 longest flaw in that nozzle.

24 MR. ROSEN: How thick is the vessel head?

25 MR. HOLMBERG: 6.6 inches.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: That's 6.6 inches of the low
2 alloy steel, and then the stainless steel cladding on
3 the interior surface.

4 MR. HOLMBERG: In addition to the axial
5 flaws on nozzle 2, there was also one circumferential
6 flaw identified above the J-weld, and that was 1.2
7 inches in length, and it was not through-wall.

8 MR. FORD: This is on nozzle #2.

9 MR. HOLMBERG: Nozzle #2, correct. For
10 nozzle #3, there were 4 axial flaws identified, 2 of
11 those went through-wall, and the length of those were
12 4.1 inches long and 3.8 inches long. The extent above
13 the J-weld for the longer flaw was 1.3 inches, and
14 that's basically the characterization of the ones that
15 had through-wall flaws. I can give you the other two
16 if you'd like, but they weren't through-wall and they
17 didn't really traverse the J-weld.

18 Okay. The path obviously for leakage --

19 MR. SHACK: Some of these are Ocone 3
20 heats, right, or are these particular nozzles the
21 Ocone 3 heats?

22 MR. HOLMBERG: All three of these were
23 through-wall flaws, are also heat that was used at
24 Ocone, 4 of the 5 nozzles from that heat.

25 A through-wall flaw in this region

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 obviously --

2 DR. DAVIS: Excuse me, Mel. Four of the
3 five penetrations that had cracks were from that heat.
4 Just wanted to make sure that was clear.

5 MR. HOLMBERG: Okay. Starting to talk
6 about the primary coolant, obviously if it moves
7 through the cracks, it will flow up along outside of
8 the penetration tube and end up deposited typically as
9 a popcorn kernel-type deposit of boric acid.

10 To fix the five cracked nozzles, the
11 Davis-Besse staff machined the lower part of the
12 nozzle such that it machined up through the attachment
13 weld. In fact, it was during this machining process
14 that the nozzle 3 rotated slightly and shifted.
15 Again, this was an unexpected phenomenon because the
16 nozzle at this location, in fact, is supposed to have
17 an interference fit.

18 (Slide.)

19 During a subsequent investigation into
20 this shifted nozzle, the Davis-Besse staff identified
21 a large cavity adjacent to the nozzle. The picture
22 now on the screen is trying to depict a profile view
23 of this cavity. The cavity dimensions such that it's
24 roughly 6 inches long. And by length, I'm talking
25 moving this direction toward an adjacent nozzle,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's penetration 11, and it's 4 to 5 inches wide at
2 its widest point, and for this entire area, the 6.6
3 inch thick steel head has been corroded away, which
4 left the stainless steel liner as the floor of the
5 cavity. The stainless steel liner was, in fact,
6 measured and found to be pushed up into the cavity
7 approximately 1/8th of an inch. This condition was
8 likely caused by the normal operating pressure of the
9 reactor coolant system.

10 MR. SIEBER: I presume that the cladding
11 is not designed to be the pressure boundary.

12 MR. HOLMBERG: The cladding is not
13 considered pressure boundary, it is there for
14 corrosion resistance.

15 MR. SIEBER: Thank you.

16 MR. FORD: Are we going to comment later
17 on, Jim, to describe your analysis of the -- or your
18 opinion about the nature of the corrosion?

19 DR. DAVIS: We'll do that at the end.

20 MR. FORD: Good. Thank you.

21 MR. SHACK: As to the stainless steel
22 yielding that you described, was it something that was
23 going to continue to yield, or had it yielded as far
24 as it was going to go, or do you know?

25 MR. HOLMBERG: We don't know that. They

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are trying to, as part of their safety evaluation,
2 determine in fact the failure point. I think they're
3 using 11 percent strain, to answer your question, in
4 terms of what they consider the failure point. The
5 amount of yielding represented only a few percent
6 strain. Probably they can give you a better number,
7 the utility has been working on that aspect. We did
8 not investigate that end of it in terms of the safety
9 evaluation. That was not part of our charter to try
10 to determine the safety significance at this point.

11 (Slide.)

12 The picture now on the screen is an actual
13 picture of the cavity as viewed from the top of the
14 head. Note that the sides of the cavity generally
15 sloped down toward the bottom such that it's a larger
16 cavity at the head surface. The cavity is generally
17 smooth in texture. The picture that you're viewing is
18 a picture from, if you will, the penetration 11, the
19 downhill side, looking back to where the nozzle 3
20 position would have been. The nozzle has been removed
21 and the kind of shiny machined area is where they've
22 actually machined up through the attachment weld.

23 In addition to the visual inspections and
24 measurements that were done on the cavity, the cavity
25 was inspected with ultrasound from below or underneath

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the head, and based upon that ultrasound result the
2 cavity appears to be or may be larger than what is
3 visually observable from the top of the head.

4 MR. SHACK: Where would the axial crack be
5 on that picture?

6 MR. HOLMBERG: The large axial crack, the
7 largest axial crack, the one with the 1.3 inch extent
8 above the J-weld, is aligned basically in the center
9 of the cavity on the downhill side, the zero-degree
10 side is the reference that they usually talk about.
11 The other flaw in there was located directly adjacent
12 to it on the uphill side, and it extended for about .8
13 inches above the top of the J-weld.

14 MR. ROSEN: Your comment that the cavity
15 may actually be larger than what we see here, I'm
16 having visualizing what you mean.

17 MR. HOLMBERG: I do have some additional
18 data on that.

19 MR. GROBE: This is kind of a busy slide,
20 but we anticipated you might want some more
21 information on this.

22 (Slide.)

23 MR. HOLMBERG: Okay. What I've drawn here
24 is taken from one of their NDE reports, and what it is
25 trying to do is give you a grid map, if you overlay

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it, looking down from above the head so you've got the
2 correct reference frame, what the thickness of the
3 cavity is as measured -- now this is taken from below,
4 but it's from ultrasonic thickness measurements. And
5 you'll notice -- all I did was nothing more than
6 connect the dots at data points where they've got
7 readings that are roughly in the .3 inch category,
8 indicating that you have only a stainless steel
9 cladding layer at that point.

10 Visually from above, you don't see that
11 shape. What you see is a shape that tapers in roughly
12 a "V" shape toward nozzle 11. Here you will notice
13 that the cavity goes outward and, in fact, begins to
14 expand as you approach nozzle 11. That is not what you
15 see when you look at the cavity from above.

16 MR. GROBE: In addition to that, the
17 cavity, when viewed from above, does not extend the
18 whole way to nozzle 11 whereas this data might tell
19 you something different.

20 VOICE: I believe in our presentation
21 we'll provide more detail on that.

22 MR. ROSEN: That implies there's sort of
23 a cavern under some of --

24 MR. HOLMBERG: Could be. I think the term
25 that they're using that I've heard kicked around is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 possibly "debonding". They feel there is likely metal
2 behind there, but the UT is showing us that there is
3 some sort of separation there --

4 MR. ROSEN: Between the cladding and the
5 remaining metal?

6 MR. HOLMBERG: That's what I've heard
7 characterized so far, yes.

8 MR. KRESS: Are all those numbers supposed
9 to be 6.6?

10 MR. HOLMBERG: No. There's another
11 interesting phenomenon. They have -- you'll see some
12 numbers in there that are roughly at the midpoint,
13 3.something inches, and those are believed to be
14 laminations, part of the fabrication process that the
15 UT is picking up.

16 (Slide.)

17 Now, in addition to the cavity at nozzle
18 3 during the machine repair on nozzle 2, a second area
19 of metal loss was detected, again, in a similar way,
20 during the machining. In this case, the penetration
21 didn't move, but they identified a cavity that was
22 behind the penetration of roughly 1.6 inches, as you
23 see, extends below the bottom, so that the cavity that
24 was initially exposed was this area here that's been
25 machined out by the repair process. It extends, at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the point that we left the site, about 4.2 inches. It
2 was believed to go all the way to the surface.
3 Subsequent to our departure, they have removed the
4 nozzle and I believe they can confirm the dimensions
5 on the height of the cavity, if you will. The width
6 is 1 3/4 inches, and then trying to anticipate your
7 questions, yes, there was -- the crack with the
8 largest extent above the J-weld was in the same
9 quadrant as this cavity.

10 MR. SHACK: Now, on the top surface here,
11 they see only the sort of popcorn-style boric acid, or
12 --

13 MR. HOLMBERG: This whole area was covered
14 with several inches of -- and I'll get to this later
15 on -- but lava-like boric acid by the time we roll
16 around to this average.

17 The cavities both here and the larger
18 cavity at this point are believed to be caused by
19 boric acid corrosion, and through the larger cavity at
20 nozzle 3, an estimated 35 pounds of steel have been
21 corroded away. And we'll be providing a little more
22 detail in the root cause section, but that ends
23 basically this section of my presentation.

24 MR. GROBE: That's the extent of what we
25 were going to present on characterizing the inspection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 results as far as the physical characteristics of the
2 head and the penetrations.

3 MR. FORD: Could I ask a question, which
4 I don't think you've got the answer to. How sure are
5 we that a circumferential crack was not through-wall?
6 I understand that the head is being removed --

7 MR. HOLMBERG: Let me explain a little
8 bit. The way that the UT process works is if the
9 crack was to propagate through-wall, they'll lose what
10 is called the "lateral wave", the wave that goes
11 between typically a time of light transducer sets up
12 a surface wave they call a "lateral wave", and they'll
13 see a signal response, and that -- if it actually
14 breaks that surface, that lateral wave will then
15 disappear and they'll know it's a surface-breaking
16 flaw, i.e., that it's coming through the surface we're
17 scanning on, which is the inside surface. So, because
18 of the technique that's used, I think there is a fair
19 amount of confidence that that did not go all the way
20 through the wall.

21 MR. FORD: But there will be a destructive
22 examination, presumably.

23 MR. HOLMBERG: It's already been done. We
24 destroyed all these cracks during the repair process.
25 Let me back up. There may be a cracked tip or end in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 penetration 3 that was removed, but I know of no
2 cracks currently that we're aware of that exist.

3 MR. FORD: That's a pity because that's a
4 crucial part of the root cause examination.

5 MR. HOLMBERG: Yes, it is.

6 MR. ROSEN: In response to the question on
7 the nozzle 2 diagram about whether or not you had a
8 confirmation on the surface of the popcorn kind of
9 leakage that's been expected, your comment was, no,
10 the lava-like deposit obscured it?

11 MR. HOLMBERG: Yes. There was a very --

12 MR. ROSEN: Could you tell me more about
13 that deposit?

14 MR. HOLMBERG: Yeah, we're going to be
15 getting into that in more detail later on, if we can
16 just hold that for a few minutes, but basically the
17 brief answer is there was a thick layer of boric acid
18 and corrosion products that prevented or obscured this
19 region from any inspection, so they really couldn't
20 see the classical popcorn type --

21 MR. ROSEN: And you'll tell me about the
22 extent and nature of that deposit?

23 MR. HOLMBERG: Yes.

24 MR. ROSEN: Okay.

25 MR. FORD: Well, that whole question, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 root cause, what we understand to be why you got so
2 much corrosion in that annulus? Will we be coming to
3 that?

4 MR. HOLMBERG: Yes.

5 DR. DAVIS: But we're not going to give
6 you a very good answer.

7 (Laughter.)

8 MR. GROBE: At the time of the inspection
9 -- the inspection ended about ten days ago -- the
10 licensee had not yet completed their analysis of what
11 they believed was the root cause. We provided them a
12 series of questions, about 30 questions, that when we
13 left the site were of still concern to us, and we
14 expect to get their root cause analysis shortly, and
15 anticipate that it will answer all of our questions.
16 And I believe, from looking at their slides, they have
17 quite a bit of discussion of the root cause in their
18 slides.

19 MR. SHACK: Where did you get the sequence
20 of -- you have a lava-like flow of several inches of
21 boric acid covering the whole head, and then somebody
22 is shocked to find that there's boric acid corrosion?
23 Is that roughly the sequence?

24 MR. HOLMBERG: Yes.

25 MR. SIEBER: Another question. There was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a confirmatory action order issued by Region III, and
2 one of -- I think there were five conditions in it --
3 and one of those was to preserve the site of the
4 incident. And given that, if the repair process then
5 destroyed the actual flaws, is that consistent with
6 the condition in the Confirmatory Action Letter, or if
7 it is, why would we give up that important piece of
8 evidence?

9 MR. GROBE: It wasn't a matter of giving
10 it up. The discovery of the cavity occurred after the
11 machining was completed on penetration 3. It actually
12 was during that process -- during the process of
13 machining out the weld and the penetration in
14 preparation for finalizing the repair, the machining
15 equipment moved and the penetration cocked just a
16 little bit, and that was the discovery. So all of the
17 information was lost simply because of the repair
18 technique. The CAL was issued after that.

19 MR. SIEBER: Oh, okay. Thank you.

20 MR. GROBE: If there's no other questions
21 on the material we've presented so far, I'd like to
22 move on to talk --

23 MR. SHACK: Did you find out what the leak
24 rate was, what their sump leak rate was?

25 MR. GROBE: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HOLMBERG: We won't spend a lot of
2 time on their what they call "unidentified leakage
3 trend", but that is the balloon portion of the graph
4 up there, the problem being that there's a fair amount
5 of scatter down in the .1 to .2 gpm range, which is
6 kind of where we believe that the leak rate for these
7 cracks -- total leak rate for all the cracks -- was in
8 that band. So, trying to track or trend that
9 specifically with the other masking type of things
10 that were happening on leakage rate alone, it was
11 something that did not provide a definitive "ah-ha,
12 here's where you see it", not that you couldn't see
13 something in the data, it's just there was so much
14 other activity that was potentially masking that
15 happening in the same time that that is something we
16 didn't --

17 MR. SHACK: Their total leakage then is on
18 the order of .1-.2 gpm?

19 MR. HOLMBERG: Yeah. You'll see before
20 the big spike there that that's roughly down in the .1
21 range. The big spike actually -- I don't want to
22 digress too far -- is associated with a model
23 variation that they made to a rupture disk downstream
24 of a pressurized relief valve where they had actually
25 punctured the rupture disk purposely to allow it to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leak because they were afraid that the rupture disk,
2 if it was allowed to function as originally design,
3 would then torque itself off the pipe. It was a
4 design error they were trying to correct. But that
5 introduced leakage into the containment atmosphere
6 because there was a minor seed leakage past the relief
7 valve. So that was a source of leakage for much of
8 the unidentified leakage peak that's there.

9 In addition, you also have -- and we'll
10 get into this more -- the flanges themselves above the
11 CRDM penetration nozzles that provided leakage at
12 various times and various outages.

13 MR. GROBE: Just to give you some
14 perspective, the peak there is a little over 3/4 of a
15 gallon per minute, so below the tech spec limit for
16 operation.

17 MR. SIEBER: Do you believe or surmise
18 that the indication that the plant operator had that
19 containment particulate radiation had increased
20 significantly based on filter change requirements and
21 measured levels, that that was reasonably -- could be
22 reasonably assumed to come from rupture disk leakage,
23 or would that have been an indication of some other
24 leak in the pressure boundary?

25 MR. GROBE: All of these questions are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to what we refer to as "missed opportunities",
2 and Mel has a presentation that if he went through it
3 might answer most of your questions.

4 MR. HOLMBERG: We're just about ready to
5 jump on that, that's the next area.

6 MR. SIEBER: Well, let's let him go
7 through it.

8 MR. HOLMBERG: What I intend to discuss
9 now are some opportunities to identify which were
10 available to the Davis-Besse staff to identify
11 corrosion of the head at an earlier point in time.

12 (Slide.)

13 Specifically, I will be discussing the
14 containment air cooler and radiation monitor clogging,
15 and the deposits of boric acid which remained on the
16 vessel head.

17 (Slide.)

18 To do that, I want to make sure we have a
19 common understanding of the reactor vessel head
20 configuration because one of the principal sources of
21 leakage was, in fact, the flanges, and by flanges, I'm
22 referring to where the control rod drive mechanisms
23 bolt up to the top of the nozzle flange.

24 Historically at Davis-Besse -- and, in
25 fact, at other B&W designed plants -- these have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leaked in the past. The leakage which occurs at these
2 flanges travels and deposits itself down on this
3 insulation layer and, in addition, it runs down the
4 side of the nozzles and ends up as deposits on the
5 reactor vessel head.

6 The area here is referred to as a service
7 structure which surrounds the head and supports this
8 insulation layer, and also surrounds the outside of
9 the control rod drive mechanisms. So it forms a very
10 more or less tight enclosure, if you will, surrounding
11 the top of the head preventing a direct readily
12 viewable surface.

13 The leakage from these flanges not only
14 deposits on the head, but it can also result in some
15 airborne amounts of boric acid which become captured
16 by the ventilation system, which takes a section
17 inside the service structure and then moves it out and
18 basically exhausts it high in the containment top of
19 the D-ring.

20 Now, similar to flange leakage, leakage
21 from the cracked nozzles would deposit boric acid on
22 the head, but it would also expel some amount of boric
23 acid into this cavity area which also would then be
24 captured by the ventilation system and then dispersed
25 into containment. And this would include not just the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boric acid, but any corrosion products that may be
2 forming.

3 (Slide.)

4 From the previous discussion, one of the
5 places that boric acid deposits have been historically
6 found, where they've collected in containment is in
7 the containment air coolers. The containment air
8 cooler is designed to cool the containment, as the
9 name would imply. By doing so, though, it condenses
10 moisture in the air and ends up in collecting the
11 boric acid and, in this case, corrosion products that
12 were present in the containment atmosphere.

13 The plant has cleaned the containment air
14 coolers periodically and identified boron deposits,
15 and they are normally white in color. However, in
16 1999, a more frequent cleaning of the containment air
17 coolers was required, which indicated an increase in
18 volume of the boric acid present in containment.
19 Also, the color markedly changed in that it was a
20 brown or rust color.

21 At this point, the Davis-Besse staff had
22 assumed that the increase in boric acid deposit in the
23 containment air coolers was from known sources such as
24 the flange leakage, and that the color change was due
25 to the age of the deposits or rusting of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 containment air coolers. The NRC team believes that
2 the change in color of the deposits represents an
3 indicator that corrosion was occurring in containment
4 and, as such, represented a missed opportunity to
5 identify the vessel head cavity penetration --

6 MR. ROSEN: Hold it right there.

7 MR. HOLMBERG: Yes, sir.

8 MR. ROSEN: When you say the Davis-Besse
9 staff assumed changes, et cetera. Was that an ad hoc
10 kind of thing, or was this a conclusion of a root
11 cause analysis that was the result of operation or
12 there corrective action system?

13 MR. HOLMBERG: I don't believe there was
14 a formal root cause investigation, if you will. There
15 was -- what this was was a conclusion based on
16 interviews with the people involved with
17 identification of the brown deposits at the time, what
18 their conclusions were, what actions they took to
19 follow up on those conclusions, and so forth.

20 MR. ROSEN: So I take from your response
21 that you found no documents in their corrective action
22 system of formally analyzing these findings and
23 dispositioning them in one way or another?

24 MR. HOLMBERG: Correct, on the containment
25 air coolers.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: And on the color change?

2 MR. HOLMBERG: Correct, specifically on
3 the color change I don't believe we had anything
4 formal that discussed exactly their conclusions. It
5 was more based upon the interviews with personnel
6 involved.

7 MR. ROSEN: Anecdotal kind of analyses?

8 MR. HOLMBERG: Right. What were you
9 thinking at the time, what did you think it was, that
10 type of question.

11 MR. ROSEN: But no formalized analysis.

12 MR. HOLMBERG: Right. But when we move on
13 to the next indicator, there is more that was done
14 with the next indicator.

15 MR. GROBE: I was just going to say, if
16 you get a chance after the meeting to examine that
17 chart in more detail. The time that the containment
18 air coolers was cleaned prior to 1998 was in 1992, and
19 there was no cleaning necessary between '92 and '98.

20 That large spike which was caused by
21 leakage unrelated to -- largely unrelated to head
22 leakage, resulted in numerous cleanings during the '98
23 time frame. And then in the middle of '99, there was
24 a mid-cycle outage to repair or put in a modification
25 to fix that problem. And you can see leakage went

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 down dramatically. But cleanings continued to be
2 necessary through the end of '99, 2000, and 2001, and
3 the details of numbers of cleanings and time frames
4 are up on that chart.

5 MR. HOLMBERG: And the more significant
6 thing is probably the color change, in our mind, at
7 this point.

8 MR. ROSEN: And you'll tell me when they
9 finally entered this in the corrective system and did
10 some sort of root cause analysis?

11 MR. HOLMBERG: Well, I'm going to get to
12 the next indicator which was treated more rigorously
13 than this one.

14 MR. GROBE: The answer to your question is
15 this specific issue was not entered into the
16 corrective system, although it has been thoroughly
17 investigated since the cavity identification.

18 (Slide.)

19 MR. HOLMBERG: In addition to the
20 containment air coolers, another area which would
21 collect boric acid and corrosion products is the
22 radiation monitor system filters. The filter is an
23 element that has a normal frequency for changing
24 basically set up on a monthly basis. However,
25 beginning in May of 1999, the filters had to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changed more frequently such that by November of 1999
2 the filter had to be changed every other day, and this
3 was because of recurring clogging and the deposits
4 that were clogging these filters generally had a
5 yellow or yellow-brown color. And this, again, was
6 new, something new to them. And in this instance,
7 Davis-Besse staff did act on this new indicator and
8 did send the deposits out for analysis by an outside
9 laboratory, and this lab concluded the deposits were,
10 in fact, iron oxide corrosion products produced from
11 a steam leak.

12 The Davis-Besse staff did make attempts to
13 try to determine the source of these corrosion
14 products, but they were not successful. The team
15 believes that these deposits were likely corrosion
16 products from the corrosion of the head cavity and, as
17 such, represent a missed opportunity to identify the
18 cavity at nozzle 3.

19 MR. GROBE: Let me just add a little bit
20 more to that, Mel. Again, the details of the data are
21 displayed on that chart. The frequency of filter
22 changeouts increased to every other day, and the
23 licensee proceeded to install a bank of HEPA filters
24 with high-volume fans in containment for a period of
25 time, which resulted in the frequency of filter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changeouts decreasing.

2 The frequency increased again in the 2000-
3 2001 time frame, and we're again back at the every-
4 other-day time frame in the fourth quarter of 2001.

5 (Slide.)

6 MR. HOLMBERG: The next indicator that I
7 want to discuss has to do with the boric acid control
8 program itself. This is a program that was
9 implemented shortly after the NRC Generic Letter 8805
10 was issued. The program essentially requires
11 inspections of areas which are likely to experience
12 leakage by looking for boric acid deposits. Further,
13 the program requires removal of boric acid from
14 components and evaluation of the component affected by
15 boric acid. And, again, the visual inspection for
16 looking for the presence of boric acid can be an
17 effective way for detecting small leaks in the reactor
18 coolant system. The example that's on the slide there
19 is that one drop per second leak can result in
20 accumulation of approximately 15 pounds of boric acid
21 over a one-year period.

22 (Slide.)

23 I want to return your attention to the
24 head configuration because what we're talking about
25 now is how these inspections of the head itself were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conducted. Historically, as we already discussed, the
2 head had deposits of boric acid that accumulated, and
3 the accumulation was on the head itself, underneath
4 the insulation, and the volume of deposits we're
5 talking about here, the number that was estimated
6 before we left the site was roughly 900 pounds is what
7 was on there by this outage.

8 MR. SHACK: That's not the historic
9 experience at the end of the cycle, is it?

10 MR. HOLMBERG: No, it progressively got
11 worse, and we'll step through some of these head
12 inspections. I may not give you the numbers you want,
13 how many pounds were left on there because I didn't
14 have that information, but the 900 pound estimate was
15 the basically as-found condition in this outage.

16 (Slide.)

17 Again, what I want to emphasize here is
18 the challenge to the Davis-Besse staff for performing
19 head inspections. Specifically, this service
20 structure that supports the insulation here has 5 x 7
21 inch openings, about 18 of them around the
22 circumference of the head, and through that opening
23 they tape a video camera, if you will, to a pole, and
24 push it up through that opening. And it probably
25 doesn't do justice here to the challenges this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 represents. The curvature of the head on a B&W design
2 is, I believe, the most curved, if you will, of any of
3 the head designs, and it makes a challenge in terms of
4 trying to get anything attached to a straight pole up
5 on top of the head.

6 MR. GROBE: Mel, just for dimensional
7 purposes, right at the top of the head, what is the
8 distance between the insulation and the top of the
9 head?

10 MR. HOLMBERG: This is a 2-inch gap where
11 it approaches the insulation here at the very top.
12 Again, particularly near the areas of the center of
13 the head, this represented a challenge.

14 MR. ROSEN: Where was the rod that was
15 corroded most severely in relation to this diagram,
16 was it right in the center, or was it off to the edge?

17 MR. HOLMBERG: Dead center is rod #1,
18 penetration #1 essentially, and if you count in a
19 square pattern around the outside, you'd have like 3,
20 4, 5 around it. So it's the next ring around it.

21 MR. ROSEN: So it's very close to #3,
22 which was the one that was corroded most, it's very
23 close to the top dead center, a foot off top dead
24 center.

25 MR. HOLMBERG: Very close.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Is that insulation to protect
2 the control rod drive mechanisms to keep them cool?

3 MR. HOLMBERG: That's correct.

4 (Slide.)

5 As discussed earlier, this accumulation of
6 boric acid on the head and the inspection challenges
7 due to the configuration did not go unrecognized by
8 the Davis-Besse staff. a modification to the service
9 structure surrounding the head was proposed as early
10 as 1990 to allow better access for inspections and
11 cleanings, however, this modification was never
12 implemented.

13 Beginning in 1996, when a head inspection
14 identified that boric acid deposits were not being
15 removed and that was contrary to the boric acid
16 control program requirements. Further, they
17 recognized that the boric acid deposits could be
18 indicative of cracks in the nozzles, but the Davis-
19 Besse staff did not consider that this was a likely
20 source of the deposits for a number of reasons.

21 And the Davis-Besse staff was not
22 successful in removing deposits near the center of the
23 head because of the limited access and the cleaning
24 methods that were employed. Therefore, the decision
25 by the Davis-Besse staff to delay the implementation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the modification to the service structure that was
2 first proposed in 1990 played a key role in preventing
3 an opportunity for effective head cleaning and
4 inspection. Further, the boric acid deposits left on
5 the head following the 1996 inspection may have
6 prevented viewing the corrosion cavity at nozzle 3 at
7 an early stage.

8 MR. SIEBER: What head-cleaning method was
9 the licensee using at this time frame?

10 MR. HOLMBERG: At this time frame it was
11 a manual method. It was basically a --

12 MR. SIEBER: Squirt water?

13 MR. HOLMBERG: -- like a paint scraper
14 taped to the end of a vacuum hose pushed up underneath
15 the -- in through those 5 x 7 openings and up onto the
16 head.

17 MR. SIEBER: So that would have the same
18 difficulties as the camera in that it can't make the
19 bend.

20 MR. HOLMBERG: Right. The hose was
21 flexible, so it may have had a little more reach, but
22 the deposits were at least by 1990 becoming more
23 adherent. They were no longer loose and white in
24 form, and that was the next point I was going to make
25 here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: And they were going
2 underground probably.

3 MR. HOLMBERG: Yes.

4 (Slide.)

5 By 1998, this is the next refueling
6 outage, the deposits had formed a semi-continuous
7 layer over the nozzles in the center of the head. The
8 deposits were more adherent and brown in color. This
9 was a change from a previous inspection which had
10 identified a white, loose or powdery form of boric
11 acid. The change in color or form was not evaluated
12 by the Davis-Besse staff.

13 (Slide.)

14 Now, by 2000, the Davis-Besse staff again
15 inspected the head, and this is a picture of the head
16 as it was found in early 2000. In fact, this picture
17 is from the outside of the service structure, and what
18 you are looking are areas where boric acid and
19 corrosion products have spilled out of what they call
20 the "weep holes" -- these are the inspection ports
21 I've been discussing where they have to put a camera
22 up through there to do the inspection, and they are
23 essentially blocked through the wall of the head. So
24 there is a thick layer of boric acid that covers at
25 this point approximately 24 penetrations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: What is that material down
2 adjacent to the circle?

3 MR. HOLMBERG: This is where the corrosion
4 products and boric acid have flowed down and pooled,
5 if you will, along the --

6 MR. ROSEN: That's the iron oxide and
7 boric acid mixed together --

8 MR. HOLMBERG: Yes. One other thing I
9 want to mention here is the characteristics of this
10 boric acid a little bit. The boric acid and corrosion
11 products, as you can see, are red rust color, but they
12 are also very hard. And the term used in their
13 corrective action system to describe it is "lava-
14 like". In fact, they had to use crowbars to remove
15 the boric acid from the head. In addition, at this
16 point they weren't making headway with the crowbars
17 and they implemented a washing of the head with 175-
18 degree water. Both of these techniques, though,
19 ultimately were not successful in 2000, such that a
20 thick layer of boric acid was left on the head at the
21 center penetrations, so that the cavity at nozzle 3,
22 for instance, would not have been something that would
23 have been uncovered by their attempts to clean the
24 head.

25 MR. SIEBER: Is it fair to assume that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when boric acid is corroding iron, it changes into
2 another chemical compound which has different
3 characteristics, and so that boric acid is probably
4 not as reactive as pure boric acid would have been,
5 but is probably harder and more tenacious in its
6 nature?

7 MR. GROBE: You're getting into several
8 issues involving the chemistry, and they get right to
9 the issue of how much of this corrosion was top-down
10 and how much was bottom-up, so to speak.

11 Jim, why don't you go into a little bit of
12 boric acid/boric oxide chemistry and talk a little bit
13 about this.

14 DR. DAVIS: Basically, what happens is
15 around 300 degrees you start converting the boric acid
16 to boric oxide and releasing steam, and it's not clear
17 how quickly this reaction occurs. And then once you
18 get up about 378 or 380, the boric acid that's left
19 actually starts to melt. We think it's a mixture
20 somehow of this, and plus you are adding additional
21 boric acid as time goes on, to the bottom. So, it
22 becomes very complex exactly what you have there, but
23 from our interviews we know that the nature of the
24 boric acid definitely changed dramatically with time.

25 It looks like when you get boric acid

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deposits from one cycle, you can go in there and -- if
2 you have access -- you can vacuum them up without a
3 whole lot of difficulty, or you can power-wash them
4 out. But there are some concerns there about power-
5 washing because in the peripheral penetrations you
6 have a gap there due to the J-groove welding process.
7 You could actually fill those gaps with a boric acid
8 solution, and that was their fear, that they were
9 going to do that, and that was one of their
10 justifications early on for not removing the boric
11 acid from the head.

12 MR. SIEBER: Thank you.

13 MR. ROSEN: Has there been a look at what
14 the effect of that corrosion product that's dripped
15 down to the bolt circle is on the bolting?

16 MR. HOLMBERG: There's been documents in
17 the past where they've had not necessarily red-colored
18 boric acid, but incidents where the flanges have
19 leaked and, in fact, have come out the weep holes and
20 ended up on the same area back in 1991 time frame,
21 where they removed them and then they document that
22 there's no evidence of corrosion.

23 So, the answer to your question is they've
24 documented they haven't seen corrosion due to --

25 MR. ROSEN: Is that because the material

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of those bolts is different than --

2 DR. DAVIS: No, it's not.

3 MR. ROSEN: It's carbon steel, too?

4 DR. DAVIS: Those are carbon steel. In
5 fact, the reason this area was cleaned up was because
6 they couldn't get the head studs off to remove the
7 head. But I didn't find the Commission report on the
8 condition of the studs, which Brian Sheron asked me if
9 I found anything, and I didn't. I don't know if the
10 Root Cause Team did or not.

11 MR. GROBE: One of the items required in
12 our Confirmatory Action Letter was what we refer to as
13 "extent of condition", a thorough evaluation of the
14 reactor coolant system for any other corrosion, and
15 that will be captured in continuing inspections, and
16 the licensee is in the process of doing that
17 evaluation now.

18 MR. LEITCH: Can you describe how the
19 joint between the service structure and the head -- is
20 that just sitting on there, or is that intended to be
21 --

22 DR. DAVIS: Those are weep holes.

23 MR. GROBE: His question is the attachment
24 of the service tray, is it welded onto the head?

25 MR. HOLMBERG: This part appears to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 welded. This is the bolting connection to the rest of
2 the service structure.

3 MR. LEITCH: I see that, but I was just
4 wondering, the lower part of it there, below that bolt
5 circle, is that welded to that?

6 MR. HOLMBERG: It appears to be.

7 MR. GROBE: I see some other folks that
8 have spent some time looking at this nodding "yes".

9 VOICE: It's welded with bolts
10 periodically.

11 MR. HOLMBERG: In summary, the team
12 concluded that the Davis-Besse staff had several
13 opportunities to review the containment air cooler,
14 primarily the change in the color of the boric acid,
15 the RE filters, again, where you get confirmed iron
16 oxides and, finally, the head inspections themselves
17 where there was a change in the color and nature of
18 the boric acid.

19 So the Davis-Besse staff had several
20 opportunities to identify and prevent the corrosion
21 cavity, and failed to do so. And that concludes this
22 portion of the presentation.

23 MR. GROBE: Any other questions before we
24 go on to root cause?

25 MR. KRESS: Do they have temperature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measurements in the control rod drive area up above
2 there?

3 MR. GROBE: I'm sorry, could you repeat
4 the question?

5 MR. KRESS: Do they have temperature
6 measurements in their control rod drive area above the
7 insulation?

8 MR. HOLMBERG: Yes, there are temperature
9 elements in the service structure area.

10 MR. KRESS: Did those change over time?

11 MR. HOLMBERG: I don't know the answer to
12 that. On the face of it, I'm not sure -- they are far
13 enough removed from, say, the source of this leakage
14 and underneath the insulation is where the head is.
15 I'm not sure that there would have been a definable
16 trend, particularly since the flange leakage would
17 have been closer to those temperature elements.

18 MR. GROBE: The answer is we don't know.

19 Other questions?

20 (No response.)

21 Okay. Jim Davis now is going to talk a
22 little bit about the probable cause that we received
23 prior to the completion of the inspection, and then go
24 into some of the questions that we had with respect to
25 that probable cause. The licensee has an extensive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentation of this material in their slides.

2 (Slide.)

3 DR. DAVIS: The Root Cause Team concluded
4 that this damage was caused by boric acid corrosion,
5 and it probably started four to six years ago, and we
6 think that's reasonable. But the details of the boric
7 acid corrosion and the effect of the cap above this
8 nozzle is not known, or was not known at that time.
9 Perhaps they have some more information now.

10 MR. FORD: But you are looking at an inch-
11 a-year sort of corrosion rates?

12 DR. DAVIS: Or more.

13 MR. FORD: Or more. Are there any
14 confirmatory experiments existing in the literature to
15 explain how you could get an inch a year corrosion
16 rates?

17 DR. DAVIS: There are quite a few.

18 MR. FORD: And will that be presented
19 today?

20 DR. DAVIS: I'm not sure if they're going
21 to present that information because I think they
22 concluded that it was a couple inches a year was the
23 corrosion rate, and you see rates up to seven inches
24 per year.

25 MR. FORD: Quoted in the literature?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. DAVIS: Yes.

2 MR. FORD: That's what I thought. But
3 those are primarily from impingement rather than
4 general corrosion, which -- I'm just trying to tie you
5 down on your definition of corrosion. You're not
6 talking general corrosion?

7 DR. DAVIS: Yes.

8 MR. FORD: You are?

9 DR. DAVIS: Wastage.

10 MR. FORD: As opposed to impingement
11 attack?

12 DR. DAVIS: Yes. What you get is
13 concentration of the boric acid with time by
14 evaporation of this solution, and when it gets very
15 concentrated, that's when you get the very high
16 corrosion rate.

17 MR. FORD: But the pH would be limited to
18 about 4, would it not?

19 DR. DAVIS: Experiments have done with a
20 range of pHs, and you still see the high rates when
21 they get very concentrated, and with a crack an inch
22 long, the leak rate goes up exponentially with length,
23 and you're adding a lot of boric acid under that cap,
24 and it also probably occurs at a lower temperature,
25 but it's not exactly sure what temperature the really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high rates are occurring at.

2 MR. FORD: I guess what I'm trying to
3 drive at -- and maybe it will come out in the next
4 presentation -- in order to explain 1-to-10 inches per
5 year, in these prototypical geometries for annulus, et
6 cetera, you are talking about steam escaping through
7 a crack onto that surface, and there are data
8 available that would explain that, in the open
9 literature as well as closed literature.

10 DR. DAVIS: It's probably more in the
11 closed literature or EPRI guidelines.

12 MR. FORD: Well, there's at least two
13 references in environmental degradation conferences
14 which would explain those sorts of rates under those
15 prototypical conditions, is that correct?

16 DR. DAVIS: Yes.

17 MR. FORD: So, from what we know right now
18 in the literature, open and closed, you could explain
19 these corrosion rates of the pressurized steel.

20 DR. DAVIS: It appears that way.

21 MR. HOLMBERG: Yes, however, the B&W
22 owners group did experiments, and based on their
23 experiments came up with a number for corrosion which
24 was 1.07 cubic inches per year. So that was what was
25 used to state that the reactor would remain within

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 structural requirements for six years, and that figure
2 is certainly not --

3 MR. FORD: Probably wrong.

4 MR. HOLMBERG: Correct.

5 MR. BONACA: I have a question which I
6 guess -- other plants like Oconee, they had leakage
7 through cracks, but they did not experience this kind
8 of wastage. Why was it, location, or what?

9 DR. DAVIS: I think it was more a matter
10 of detectibility, what they call the "popcorn"
11 indication. So they went in and did a UT and I think
12 they caught this before it started occurring --

13 MR. BONACA: What you are really saying to
14 me is that this is a process that could occur for any
15 other plants where you have cracking, and as long as
16 you don't identify it early enough.

17 MR. GROBE: The length of the cracks at
18 Davis-Besse were longer than observed at any other
19 plant that's been repaired.

20 MR. HOLMBERG: I want to stress the key
21 length that the analysts that I talked to, who has
22 done two of the Oconee units and several other plants,
23 was the distance above the J-weld. And the other key
24 thing -- and I don't think I brought it out earlier --
25 is the cracks that were OD-initiated at Davis-Besse,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which was also consistent with Oconee, but that is
2 different than other sites of experience. I want to
3 make sure I'm clear on that.

4 (Simultaneous discussion.)

5 MR. ROSEN: Does the presence of the lava-
6 like deposits distinguish Davis-Besse from the other
7 plants?

8 MR. HOLMBERG: That's our understanding.
9 I've got Region III plants that I'm experienced with -
10 -

11 MR. STROSNIDER: This is Jack Strosnider.
12 With regard to the last two questions, the first
13 comment I'd make is, understanding that the definitive
14 root cause of this gets to the question of why here
15 and not at the other plants -- and there's a lot of
16 thoughts right now, but we really don't have that
17 answer nailed down, and we're waiting for the licensee
18 to provide -- and the industry to provide -- some
19 additional information in that regard, and we're
20 scratching our heads also.

21 With regard to the lava-like flow
22 indications, the subject of the Bulletin 2002-02 (sic)
23 which we'll talk about, we're asking people to go out
24 and look and see if they have some more conditions.
25 So, we have responses. We haven't seen anything --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 based on our review so far, we haven't seen anything
2 similar, but that review is still in progress, and
3 we'll summarize that when we finish this part of the
4 presentation.

5 MR. FORD: Jack -- I think I know what
6 you're going to ask, you go first.

7 MR. BONACA: Just to say we have a number
8 of lessons learned regarding played out on cold
9 surfaces in containment, and to what extent are these
10 observations going to be made part of programs for the
11 other units. I mean, clearly, the timing here of
12 identification of leakage through a crack is critical
13 because you are saying that it is possible that this
14 could be repeated as an event at some other unit, and
15 also that we have learned that -- so is there anything
16 being done to try to develop programs by which you
17 have inspections in containment and -- you know, just
18 HEPA filters and -- you know?

19 MR. BATEMAN: Jack, if I could interject
20 here, we did issue an information notice, I guess,
21 last week when we talked about this phenomena of the
22 containment air filters and the radiation elements and
23 changes in unidentified leak rate, to alert other
24 utilities of those potential signs of problems.

25 MR. GROBE: And what Jack and Bill are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indicating is just the earliest part of getting
2 information out and getting information back so that
3 we can consider what are the appropriate inspections
4 both from the utilities perspective and also from our
5 perspective. This had been going on for a number of
6 years, and we hadn't identified it either.

7 MR. BONACA: Because, I mean, up to now,
8 in my mind, I've been focusing purely on the visual
9 inspections of the head, whether there is something
10 more we have learned from this were precursors of
11 deposits elsewhere and in the atmosphere of the
12 containment that may give some significant element to
13 a problem that --

14 MR. GROBE: That's correct.

15 MR. FORD: I'd like to follow up on the
16 discussion about how close are we to a cliff edge, if
17 you like, that all reactors that found axial cracks
18 could potentially have within some unknown time period
19 this same sort of problem, which comes down to the
20 importance of the root cause analysis. In order to
21 get one inch per year, it's my understanding from the
22 open literature data, that it is an impingement sort
23 of problem, i.e., it's very important on the angle of
24 attack of the impingement. Axial cracks should not,
25 therefore, give the problem that we are seeing here,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but circumferential cracks would. And that's why I
2 asked the initial question, how sure are you that
3 Davis-Besse did not have the circumferential through-
4 wall crack? That was the reasoning behind my question
5 and, of course, we don't have the answer to it.

6 MR. HOLMBERG: Yes. And on top of that,
7 the circumferential crack -- again, if you look at the
8 wastage area, the one that's aligned is basically the
9 longer axial crack.

10 DR. DAVIS: And there are no circ cracks
11 in nozzle 3.

12 MR. FORD: Okay. So you are still going -
13 - if you were a betting man, Jim, you're still going
14 towards corrosion as opposed to impingement attack,
15 which has got a huge impact, therefore, on what the
16 environment is really in the annulus and is, in fact,
17 not only on the wastage, but also on circumferential
18 crack growth rates.

19 DR. DAVIS: I'm not sure that I would say
20 that 2200 psi steam hitting a steel surface is not
21 going to do any damage.

22 MR. FORD: Well, it's just coincidental
23 that it happens to do damage at around about 1 to 10
24 inches per year.

25 DR. DAVIS: It may be a combination of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 both steam-cutting and boric acid corrosion, and we're
2 hoping that the Root Cause Team gets some evidence
3 because they're going to cut that hole out and they're
4 going to examine it and they should be able to tell if
5 there's steam cutting from --

6 MR. FORD: I realize we've got a bulletin
7 out on this to try and define the problem, and in that
8 Bulletin 2002-01 there is, I believe, a statement on
9 coming up with a root cause analysis within a certain
10 period of time, am I correct?

11 MR. BATEMAN: All the bulletin does is ask
12 licensees to go out and inspect to determine what they
13 have on the top of their head.

14 MR. FORD: Did I not see some document --

15 MR. STROSNIDER: Ken Karwoski might want
16 to correct me if I get it wrong -- there's some
17 discussion in the bulletin about, I think, the fact
18 that we don't understand the root cause at this point,
19 but these are the conditions that existed where this
20 occurred, and we're directing plants to go out and
21 look and see if they have similar conditions. Not
22 knowing the precise root cause, we had to cast a net
23 broader than you would if you knew that root cause
24 precisely. So there is some discussion in there, and
25 there is an expectation that -- and I don't remember

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the exact language -- at some point we will get a root
2 cause, but we didn't have it at the time we wrote the
3 bulletin.

4 MR. FORD: But will you be discussing
5 this, Jack?

6 MR. STROSNIDER: Ken Karwoski is going to
7 talk about the bulletin when we finish this part.

8 MR. GROBE: Through the discussion -- John
9 Wood, when is the root cause analysis -- do you
10 anticipate that will be submitted soon? We did a lot
11 of speculating up here.

12 MR. WOOD: Yes.

13 MR. GROBE: Weeks, months, next week?
14 Okay. Excellent.

15 Unless there are any other questions for
16 the team, that completes our presentation.

17 MR. FORD: Thank you very much, indeed,
18 appreciate it.

19 I understand now we'll go into about an
20 hour and a half of discussions from First Energy.

21 I've had a request here that after this
22 presentation, so we all know how to manage our lives,
23 after this presentation we'll have a break for ten
24 minutes.

25 MR. WOOD: Good afternoon. My name is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 John Wood, and I'm Vice President of Engineering
2 Services for the First Energy Nuclear Operating
3 Company. Next slide, please.

4 (Slide.)

5 As far as our presentation this afternoon,
6 I'll be giving some background information, then turn
7 it over to Mark McLaughlin who will be discussing
8 discovery and characteristics of our reactor vessel
9 head degradation, and then over to Steve Loehlein to
10 discuss the evaluation of the degradation. Next
11 slide.

12 (Slide.)

13 Our objective of this presentation is to
14 provide the results of our recent inspections and
15 subsequent investigation of the degradation found at
16 the Davis-Besse Nuclear Power Station.

17 (Slide.)

18 For background, Davis-Besse is located in
19 northwest Ohio, near Oak Harbor. It began operation
20 in August of '77. It is a raised loop, 177 fuel
21 assembly Babcock & Wilcox pressurized water reactor,
22 operating at 2772 megawatts thermal, about 930
23 megawatts electric. It has approximately 15.8
24 effective full power years at the conclusion of its
25 last operating cycle, and what you see next are the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nominal operating conditions, that being 2155 pounds
2 per square inch for pressure, and a T_{ave} of a normal
3 582 degrees F., with a hot leg temperature of 605
4 degrees F. We have 69 nozzles located in the top of
5 our reactor pressure vessel head, 61 of those nozzles
6 are used for control rod drives, that gives us 8
7 additional. Of those 8 additional, 7 are spare and 1
8 is used for reactor vessel head, vent from the top of
9 the reactor vessel head to the steam generator. Next
10 slide, please.

11 (Slide.)

12 We've covered this diagram in some detail
13 already, but I would like to point out that the head
14 insulation is permanently installed, not meant to be
15 removed. The dose rate at the flange level is about
16 1/2 of a manrem per hour, and the dose underneath is
17 about 3 rem per hour.

18 MR. BONACA: Do you mean millirem?

19 MR. WOOD: I mean rem, 1/2 rem per hour --
20 excuse me.

21 MR. BONACA: What kind of insulation is
22 it?

23 MR. WOOD: It is a mirror type insulation,
24 stacked stainless steel. It is located on support
25 steel that is carbon steel, however, and much of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 service structure, as outlined there, is carbon steel
2 in nature.

3 We show there the 18 access openings, or
4 "mouse-holes", the 5 x 7 holes that we referred to
5 earlier, and those provide the access into that area
6 between the insulation and the top of the head.

7 I will mention that the service structure
8 also has ductwork that allows cooling air to be pulled
9 through. There is no forced air underneath the
10 insulation other than what might come up through the
11 mouse-holes and out through the openings that the
12 nozzles penetrate through the insulation.

13 MR. SIEBER: It would appear, if I look at
14 the support steel that's underneath the insulation,
15 that it actually adjoins the head next to the center
16 nozzles, is that true?

17 MR. WOOD: I don't believe it actually
18 rests on the vessel itself. It's due to the
19 orientation, I believe it's off to the side in that
20 profile.

21 MR. SIEBER: Looks like it would be almost
22 impossible to see the center nozzle.

23 MR. WOOD: I believe if you come from a
24 particular access opening, or one of the mouse-holes,
25 you can go directly to the center.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: Let's clear up the radiation
2 levels. This is shut-down radiation levels --

3 MR. WOOD: That's correct.

4 MR. ROSEN: -- at ten days after shutdown,
5 let's say, those are approximately 500 millirem per
6 hour at that support steel plate?

7 MR. McLAUGHLIN: What that is -- you know,
8 we've done a significant amount of work inside the
9 service structure, and what we're giving you is the
10 effective dose rate that our workers are seeing inside
11 the service structure. So that's in -- if you look in
12 the service structure, we've had workers inside this
13 area doing insulation removal and several other
14 activities. The effective dose rate that they have
15 received to date in that area is approximately 450-500
16 millirem per hour.

17 MR. ROSEN: Thank you.

18 MR. SHACK: Where does it go to 3-r?

19 MR. McLAUGHLIN: Underneath the vessel.
20 The contact radiation reading in this area here, after
21 we did the under-head decom is 3-r per hour. If you
22 want an effective dose rate for the workers down in
23 this area here, it's about 700 millirem per hour is
24 the effective dose rate that our workers have been
25 receiving when they go under.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide.)

2 MR. WOOD: If we go to the next slide, we
3 have here a couple of pictures of the reactor vessel
4 head as it sits on the reactor head stand. This is
5 during one of our refuel outage. You can see this
6 portion being the service structure, if you were to
7 open it up, you would see then the control rod drive
8 mechanisms. Some of those mechanisms have been
9 removed in order to do work inside that structure.
10 And, typically, you can see the individuals on top on
11 the left-hand side of the screen there, they would be
12 working with about 22-foot poles in order to service
13 the flanges that are located at this location. Next.

14 (Slide.)

15 We've already talked some about typical
16 control rod drive nozzle. It shows the Alloy 600 --

17 MR. ROSEN: Could you go back to that
18 other picture again?

19 (Slide.)

20 The men on top of that structure are in
21 full anti-Cs. Do they have controlled breathing
22 apparatus, too?

23 MR. WOOD: No, not contained breathing
24 apparatus. Next.

25 (Slide.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I wanted to point out the Alloy 600
2 Incanel. The reactor vessel closure is about 6 5/8
3 inch thick, with the nominal clad thickness of 3/16 to
4 3/8 of an inch.

5 (Slide.)

6 If we go on to the next page, there are
7 some unique features at the Davis-Besse site. Our hot
8 leg temperature runs about 4 degrees F. higher than
9 other Babcock & Wilcox plants. That's slightly higher
10 because of our core delta-T being slightly higher due
11 to being 2772 megawatt thermal. We also have the head
12 vent which goes to the top of our steam generators.
13 There is no counterbore present at the nozzle
14 penetration. We should back up one slide, if we
15 could.

16 (Slide.)

17 This actually depicts a counterbore
18 situation here, and at this location at Davis-Besse,
19 we were one of the last 177 fuel assembly B&W plants
20 produced. They ended up just drilling holes and doing
21 a shrink-fit using liquid nitrogen without a
22 counterbore in the regions that are shown here. That
23 is a unique feature. Don't know that it's a
24 significant feature in what we have found.

25 If we could go on to page 10.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide.)

2 We've heard today about Bulletin 2001-01,
3 which was issued August of 2001. As a result of that
4 issuance, Davis-Besse worked with the NRC staff to
5 extend their outage from the requested December 31,
6 '01 inspection date, and through those discussions
7 they were successful in extending the date to February
8 16th. In that deliberation they committed to doing
9 100 percent visual examinations of the reactor
10 pressure vessel head penetrations, and committed to
11 doing 100 percent ultrasonic examinations of the
12 nozzles. Next page.

13 (Slide.)

14 There were some compensatory actions that
15 were taken in order to be granted that extension. That
16 included a temporary lowering to T_{hot} to reduce
17 susceptibility to primary water stress corrosion
18 cracking during the remainder of the operating cycle.
19 That was reduced about 7 degrees from the 605 that I
20 mentioned earlier, which is normal, to about 598.

21 We also minimized unavailability of
22 safety-related equipment during the remainder of the
23 operating cycle. Dedicated an operator for emergency
24 core cooling system transfer from borated water
25 storage tank to the reactor building sump, and also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conducted additional operator training. Each of the
2 first three represented about 16 percent to 17 percent
3 improvement in the core damage frequency as a result
4 of doing those steps. Next page, please.

5 (Slide.)

6 Davis-Besse, of course, was aware of what
7 was happening in the industry in regard to primary
8 water stress corrosion cracking, had anticipated
9 seeing some cracking in their nozzles. In fact, the
10 planning for RFO 13 was to plan for four nozzles
11 needing to be repaired, and that was based upon the
12 susceptibility rankings that we talked about earlier,
13 which are based primarily on operating time which we
14 were a little behind Oconee, and head temperature
15 which we were a little bit higher than Oconee.

16 (Slide.)

17 I'll now just cover a few of the sequence
18 of events that have brought us here today. We
19 commenced the outage on February 16, and moved the
20 head to its head stand about a week later, started the
21 UT examinations which revealed cracks through-wall on
22 nozzle 3. We made our event notification announcement
23 to the NRC at that time.

24 We then the next day completed the rest of
25 the UT examinations and indicated that of all 69

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nozzles, we had five denoted with cracking. Those are
2 listed there, and Mark will be giving you much more
3 detail on each one of those. And we confirmed those
4 then using the top-down inspection tool that Mark will
5 also be discussing.

6 I would like to point out on the bottom of
7 that page 13 that we did understand from the UT data
8 that we had suspect areas behind nozzles 2 and 3, and
9 also you'll hear more about a nozzle 46 that Mark will
10 talk about, that did not have a crack but had the
11 indication in the back plane that needed to be
12 investigated. Next page, please.

13 (Slide.)

14 On March 5, as Mark was watching the
15 inspection screen, noted that there was unexpected
16 movement of machining tool during the nozzle 3 repair
17 effort, and we proceeded to go down path and removed
18 nozzle 3 on March 6. We found degradation on March 8,
19 which you saw the picture of in staff's presentation,
20 and shortly thereafter there was an Information Notice
21 on the event that was issued to the industry March 12,
22 and Davis-Besse received a Confirmatory Action Letter
23 on March 13, which included six items for
24 consideration, the six being the quarantine for root
25 cause analysis, determine what the root cause was,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluate the extent of condition with respect to the
2 degradation mechanism, NRC review and approval of
3 repairs, NRC restart approval, and assessment of
4 safety significance.

5 At this time I should mention that there
6 was a question earlier about that safety significance,
7 and what we have recently signed out as of yesterday
8 to the NRC was that we believe that the clad, as it
9 existed, would have held to 5600 pounds per square
10 inch, and that assessment, the PSA portion of that, is
11 included in the letter that was sent out yesterday.
12 Next.

13 (Slide.)

14 Just to complete the sequence of events,
15 on March 18 NRC notified the industry of the issue
16 under Bulletin 2002-01. We completed repairs to three
17 nozzles -- 1, 5, and 47 -- on March 27. We just
18 recently removed nozzle 2 that would discuss some of
19 the findings there, and then on April 4, we just
20 talked about in here that NRC issued Information
21 Notice to the industry in regard to the containment
22 air coolers and radiation detector potential
23 indications for the industry to be aware of.

24 And then that brings us to now a
25 discussion that Mark McLaughlin will cover in regard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the discovery and characterization of degradations
2 that we found.

3 MR. McLAUGHLIN: Good afternoon. My name
4 is Mark McLaughlin. I am currently the Field
5 Activities Team Leader. Since August, I have been the
6 Davis-Besse Project Manager for the Bulletin 2001-01
7 inspections.

8 (Slide.)

9 I'd just like to point out a couple of
10 things on this slide. This gasketed joint here at B&W
11 plants is not seal-welded as in Westinghouse plants.
12 A couple of dimensions for the nozzles to orient you,
13 the outside diameter of the nozzles is 4 inches, and
14 the nozzle wall is .63 inches. The head thickness is
15 6 5/8 inch thick, and the cladding is 3/16 nominal
16 thickness.

17 (Slide.)

18 I'll go over our examination plan coming
19 into this outage. The basis for our examination plan
20 was to verify the condition of the head, to assess and
21 fix any cracks that were found, and then there's one
22 other important thing that we were going to do before
23 the head was placed on the reactor vessel, and that is
24 clean the head. To do that, I contracted with Master
25 Lead Decontamination Services because they had the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equipment and expertise to clean the head through the
2 mouse-holes.

3 Our examination plan had three steps. The
4 first step was to perform a visual examination so that
5 we could categorize any of the nozzles that would have
6 been put into one of the three categories, either no
7 leaks, obscured, or suspect.

8 The second step of the process then was to
9 perform ultrasonic examination of all 69 nozzles which
10 at the time was the most extensive examination in the
11 industry. To do that ultrasonic examination, we
12 employed two different tools. One was the under head
13 blade probe UT, and the other one was a top-down
14 rotating UT tool.

15 If any flaws were found, then our plan was
16 to evaluate the flaws using the NRC guidance. That
17 guidance has different criteria for pressure boundary
18 or non-pressure boundary flaws, and our definition of
19 pressure boundary was from the bottom of the weld, up.

20 (Slide.)

21 This slide shows a picture of one of the
22 tools that we used. This is the blade probe. This
23 tool is inserted in the gap between the guide tube and
24 the nozzle, so it inspects from the inside diameter of
25 the nozzle, looking through the nozzle material, out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The advantage of this tool is that it saves some time
2 because the control rod drive mechanisms do not have
3 to be removed to do the inspection.

4 The actual transducer set that we used was
5 optimized for circumferential flaw detection. Before
6 the outage start, during the preparation process for
7 these inspections, we brought in the EPRI test block
8 so that we could test out or demonstrate the actual
9 equipment that was going to be used at Davis-Besse. To
10 help us with that, we had an EPRI individual who was
11 onsite, providing oversight of that demonstration.
12 The particular test block that we used had an actual
13 crack from another plant that they had retrieved, so
14 we felt that that was an excellent demonstration of
15 the equipment prior to using it at Davis-Besse.

16 MR. FORD: So the operators who are using
17 this have never done this before?

18 MR. McLAUGHLIN: The operators, the ones
19 that we are using? Yes, they were experienced. They
20 had done it at another plant.

21 MR. FORD: One other plant? What I'm
22 trying to get at --

23 MR. McLAUGHLIN: One other plant that I
24 know of, yes, using the actual configuration of
25 equipment that we used here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: The reason for my questioning,
2 so we are not dancing around, is how sure are we that
3 that circumferential crack wasn't all the way through,
4 and the only evidence that we've got is based on the
5 output from this. And I'm just trying to get a
6 feeling as to how reliable is that conclusion that the
7 crack was not all the way through?

8 MR. McLAUGHLIN: I'm 100 percent positive
9 that that circumferential was not through-wall. The
10 reason I can say that is because the second part of
11 our inspection was if a flaw was found with the circ
12 blade, then we followed it up with the top-down tool,
13 so we actually removed the control rod drive
14 mechanisms. And the top-down tool with the ten
15 transducers, that's going to characterize any cracks
16 found in these nozzles.

17 MR. FORD: Because the upshot is that I
18 suspect -- if what you are saying is correct -- then
19 we must regard incidences of axial cracks as
20 potentially giving rise to a lot of steel corrosion at
21 these sort of rates.

22 MR. McLAUGHLIN: I would agree that for me
23 the biggest thing that opened my eyes when we did find
24 cavity 3, is the fact that axial flaws, or axial
25 cracks, are significant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: Okay.

2 MR. McLAUGHLIN: Another unique feature of
3 the ultrasonic testing method that we used here is
4 that it can identify a leak path, and I'll show you a
5 UT scan showing leak path in a little bit. The circ
6 blade probe is deployed using the ARAMIS robotic
7 system that was developed in France, and we also had
8 an automated data acquisition system to retrieve the
9 data.

10 (Slide.)

11 As I just said, if any flaws were found
12 using the circ blade, our plan was to pull the control
13 rod drive mechanism and then use the top-down UT tool
14 to characterize any axial and circumferential flaws.

15 The top-down tool, because it does have
16 the ten transducers, it's optimized for
17 characterization of axial and circumferential flaws as
18 well as it has shown good capability of finding a leak
19 path.

20 MR. SIEBER: That's a rotating probe,
21 right?

22 MR. McLAUGHLIN: That's correct.

23 (Slide.)

24 The third step in the evolution then would
25 be to evaluate any flaws that we had found. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guidance that was promulgated in the letter from the
2 NRC to NEI was the basis for our flaw evaluation
3 criteria. This guidance, I will say, is for crack-
4 like flaws in the nozzle. The guidance offers
5 different criteria for pressure boundary and non-
6 pressure boundary flaws, and essentially our plan was
7 to repair any outside diameter initiated flaws in the
8 pressure boundary region. We would evaluate -- our
9 plan was to evaluate any inside diameter initiated
10 flaws. We would have done a crack growth rate and made
11 sure that they wouldn't grow greater than 75 percent
12 through-wall within the next cycle.

13 For non-pressure boundary flaws, the two
14 evaluations that stand out to me are you need to do a
15 loose parts evaluation, and essentially what that is
16 is if you had a circumferential flaw below the weld
17 and an axial flaw that could meet up with that
18 circumferential flaw, there is a chance that a piece
19 of the lower non-pressure boundary nozzle could fall
20 off and become a loose part in the reactor coolant
21 system.

22 The other evaluation that would need to be
23 done if you had an axial flaw, you need to do a crack
24 growth calculation to ensure that that flaw would not
25 grow up into the pressure boundary within the next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cycle.

2 MR. FORD: I'm assuming your crack growth
3 evaluation would be along the lines of the MRP and
4 whatever is approved by the NRC, is that correct?

5 MR. McLAUGHLIN: Yeah. What we had
6 committed to do was use the MRP guidance. Luckily, we
7 didn't have to get into that, as I'll show here in a
8 little bit, because originally when we were looking at
9 that, the MRP was supposed to have guidance out prior
10 to our outage, but that has been delayed.

11 MR. FORD: Are you going to talk now or
12 later about the repair criteria, or the approach, the
13 qualification, et cetera -- your first sub-bullet,
14 repair all OD initiated flaws.

15 MR. McLAUGHLIN: As far as the criteria of
16 what we would repair, this is the criteria. Any
17 outside diameter initiated flaws in the pressure
18 boundary region would be repaired.

19 MR. FORD: But the question is, how would
20 you repair it?

21 MR. McLAUGHLIN: The repair method that we
22 chose, and that was based on industry experience with
23 this repair method was the Framatome repair method,
24 which goes in and machines out the bottom of the
25 nozzle, and then puts a new pressure boundary weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially up inside the head material itself, and
2 that's what we chose based on -- that equipment has
3 worked very well, and it seemed to us that that was a
4 very good repair approach overall.

5 MR. FORD: Now, when you say "seemed to
6 us", this has been approved by the staff?

7 MR. McLAUGHLIN: Yes, it has.

8 MR. FORD: And this is what will be
9 presented tomorrow?

10 MR. McLAUGHLIN: No. The repair for the
11 cavity is considerably different than the repairs for
12 -- because the repairs that you're looking at here
13 leave the nozzle installed.

14 MR. FORD: And the repairs for the cavity
15 will be discussed tomorrow?

16 MR. McLAUGHLIN: That's correct.

17 MR. FORD: And just to put it out of our
18 misery, the repair for the cavity, that has been
19 approved by the staff?

20 MR. McLAUGHLIN: No, it hasn't. As a
21 matter of fact, a repair for the cavity hasn't been
22 presented to the staff as of yet. That's why we're
23 going to have our meeting tomorrow, to present our
24 overall concept for repair.

25 MR. FORD: Outside of the bounds of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conversation, okay.

2 MR. McLAUGHLIN: Next slide, please.

3 (Slide.)

4 Okay. So that was our plan. Now I'm
5 going to give you the results. The results of our
6 inspections are we found 5 nozzles with axial flaws,
7 3 of these nozzles the axial flaws were through the
8 pressure boundary, 1 nozzle had a circumferential
9 crack. The extent of that circumferential crack was
10 29 degrees in circumference, which equates to
11 approximately 1.2 inches long, and it was
12 approximately 50 percent through-wall.

13 All of our cracks that were found were
14 outside diameter initiated, and they were -- at least
15 a portion of them was into the pressure boundary so,
16 therefore, all the nozzles with cracks found were
17 going to be repaired.

18 The other thing I want to mention is that
19 nozzle 46 showed a shadow that was found on the UT.
20 However, it did not have any cracks going up to that
21 shadow, or there were no cracks found in the nozzle
22 itself.

23 MR. SIEBER: Do you have an explanation as
24 to why there was a shadow?

25 MR. McLAUGHLIN: I'm going to get -- we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talk about what we're doing with nozzle 46 right here.

2 MR. SIEBER: All right.

3 MR. McLAUGHLIN: I just want to give you
4 a rundown on the review process that we used for
5 reviewing the ultrasonic testing data.

6 (Slide.)

7 The first review was performed by Level II
8 analysts. The second review then was -- and it was a
9 100 percent review -- was performed by the vendor
10 Level III. We also had our Davis-Besse Level III
11 review the data, and to present -- to have 100 percent
12 oversight, we brought in an EPRI person to oversee the
13 entire data collection process and review process.

14 Now, what I want to say is, after the
15 first four reviews here -- I'm going to call those the
16 initial review. All the cracks were found in all the
17 nozzles. There were 63 nozzles that were found
18 without cracks -- I'm sorry -- actually 64 nozzles
19 that were found without cracks -- got to get my math
20 right -- and then one nozzle was found with an
21 anomaly.

22 Nozzles 2 and 3, though, had anomalies
23 that we couldn't explain at the time. We did note
24 that further investigation was going to be required.

25 And then, like I said, there was a shadow that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 noted on nozzle 46, but there were no cracks leading
2 up to the shadow. So, in accordance with our repair
3 plan at the time, nozzle 46 was not considered a
4 repair candidate. The reviews, those first four
5 reviews, focused on finding cracks.

6 Now, based on the nozzle 2 and 3 corrosion
7 findings, we performed a follow-up review, and that's
8 what the last bullet there is. We wanted to have
9 another review done by Framatome and a new EPRI
10 individual of all the data looking for anomalies we
11 had seen in nozzles 2 and 3. So we went back and did
12 an experience history of the UT data.

13 Nozzle 46 was again identified as
14 requiring additional investigation. This review also
15 confirmed that we had found all the cracks the first
16 time through.

17 What we've done with nozzle 46 so far is
18 we've removed the control rod drive mechanism
19 associated with that nozzle. We inserted the top-down
20 rotating UT tool to confirm the findings. The
21 findings were confirmed. We performed visual
22 inspections of the top and did not find any corroded
23 areas like we had seen with nozzles 2 and 3. So what
24 that led us to was, okay, we don't have anything in
25 the nozzle material itself, or there was no cracks in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the nozzle material. We can't for sure explain why
2 there is a shadow there.

3 So the next thing we wanted to look at
4 was, okay, let's do a dye penetrant test on the welded
5 surface of the J-groove weld, and that's what we did.
6 The dye penetrant test, we found four rounded
7 indications. We ground those indications to an eighth
8 of an inch depth. We cleared one indication, and we
9 found two others still rounded.

10 So what we've done to this point I would
11 say is not destructive, however, we conservatively
12 have placed nozzle 46 in the quarantine associated
13 with our Confirmatory Action Letter, and we're
14 evaluating further actions. So that's where we're at
15 with nozzle 46. Next slide.

16 (Slide.)

17 This slide shows the relative positions on
18 the head of the nozzles that were found. One thing I
19 want to point out is that nozzles 1 through 5 are
20 manufactured from the same heat. And then I also
21 wanted to show you the location of the cavity on
22 nozzle number 3.

23 MR. ROSEN: Have you gone back to other
24 places where other people have done the UT examination
25 and seen whether are any anomalies in their data,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anything that looks similar to what you're seeing?

2 MR. McLAUGHLIN: We have not. I can't
3 speak for with Framatome to say with they have or not.

4 MR. ROSEN: Have you asked yourself what's
5 different about 4?

6 MR. McLAUGHLIN: We have, and we just
7 can't -- we don't have any explanation why 4 is -- I
8 mean, if you look at the other plant that has this
9 heat, they did ultrasonic testing and the majority of
10 theirs are not cracked. Now, why did four out of five
11 of ours crack? I couldn't tell you. Maybe I'll pass
12 that question off to the root cause, but as far as I
13 know, I don't think we have an answer as far as from
14 an industry standpoint now of why -- obviously, this
15 heat, though, there's something with it.

16 MR. FORD: There's something really about
17 this propensity towards cracking, and that's
18 understandable. It's extreme sensitivity to heat-to-
19 heat variations, and we don't know why, unfortunately.

20 MR. McLAUGHLIN: Correct.

21 MR. FORD: But in terms of the quarantine
22 and the root cause analysis, we're not going to get
23 much more, are we? Everything is destroyed.

24 MR. McLAUGHLIN: That's correct. The
25 machining process, unfortunately, removes all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cracks. I mean, that's what it's designed to do, and
2 it did that. So, yeah, there's no cracks that we can
3 pull out of these nozzles and say, you know, send it
4 off to a laboratory and do any testing.

5 MR. FORD: Okay. Well, we'll get into
6 those discussions when we come to the root cause --

7 MR. BIFITCH: This is Steve Bifitch
8 (phonetic) from Framatome. We have nozzles 3 and 2 in
9 quarantine right now, and the plans that are in place
10 are to take those nozzles and do destructive failure
11 analysis of the nozzles. Obviously, the cracks are
12 now gone, but we can do things with the nozzles such
13 as look at the micro-structure, look for areas that
14 are possibly cold-worked that could cause higher
15 propensity for stress corrosion cracking and things
16 like that. So we have plans in place to do that, but
17 we have not continued with that at this point. They
18 are still in quarantine.

19 MR. McLAUGHLIN: So, hopefully the
20 laboratory testing on nozzles 2 and 3 that have been
21 removed -- because it is the heat material, the actual
22 heat material, maybe that will tell us something --
23 and help further the root cause for the industry.

24 MR. FORD: Just for my information, what
25 does "in quarantine" mean, they can't do anything to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it? They can't touch it? They can't --

2 MR. McLAUGHLIN: No, no. What in
3 quarantine means -- and this was something we worked
4 out with the staff. What we do is before we go in and
5 do anything that could affect root cause related data,
6 we submit a written plan to the staff. The staff
7 reviews it and then we discuss it, and so far we've
8 discussed it over the telephone, and if there's any
9 comments, then we incorporate those into the plan.
10 And we've broken it down into small enough sections
11 that it makes it, I think, relatively easy to review,
12 and then it also helps us to follow that plan. And
13 that's the way we've proceeded so far with the
14 quarantined items.

15 MR. SIEBER: Has anybody attempted to
16 identify every nozzle and every point up from that
17 heat?

18 MR. McLAUGHLIN: We know every nozzle in
19 every plant that has that heat in it.

20 MR. SIEBER: And how many plants does that
21 affect, do you know, or can you tell us?

22 MR. WOOD: I believe it affects three
23 plants, ourselves and two others.

24 MR. ROBBIN: This is Mike Robbins, from
25 Duke Energy. At our Oconee 3 plant, of the 69 nozzles

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are in Oconee 3, 68 of them have this heat
2 material, and most of the cracks we found at Oconee 3
3 are of the same heat material.

4 We've also taken samples of the Oconee 3
5 nozzle material and have done fairly extensive
6 metallurgical work looking at those nozzles to see if
7 there's anything unique or different about the
8 material, and there's nothing in the characterization
9 that we've seen so far that would suggest there's
10 anything obvious as to why these nozzles cracked. If
11 you look at the micro-structure, the grain sizes,
12 those type things, you see pretty much what you would
13 expect to see of Alloy 600 material.

14 MR. WOOD: So the answer is two plants,
15 Oconee and Davis-Besse.

16 MR. McLAUGHLIN: I believe that that's
17 true, there are two.

18 DR. DAVIS: ANO has one nozzle in this
19 material.

20 MR. McLAUGHLIN: Okay. I'm sorry. Next
21 slide, please.

22 (Slide.)

23 What I'm showing here is -- essentially,
24 this is ultrasonic test data rollout of the nozzle, so
25 if you could envision that you would roll the nozzle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out flat, a couple of things I want to point out on
2 this. If you look across the top, the degrees, zero
3 degrees, just for orientation purposes is downhill.
4 The left side shows inches, and the way that the
5 measurement is done is from the top of the flange of
6 the nozzle down to the bottom of the nozzle, so that's
7 why the numbers decrease as you go from the top to the
8 bottom -- I'm sorry -- increase as you go from the top
9 to the bottom.

10 The solid black line in this area here,
11 that depicts the J-groove weld, so that the pressure
12 boundary area is defined. The bottom -- along the
13 bottom there where the numbers and the colors are,
14 those are just crack numbers. And I just wanted to
15 show you that on this nozzle, this was the crack that
16 was found with the top-down ultrasonic testing
17 equipment and, as you can see, it does not proceed all
18 the way through the pressure boundary. This nozzle,
19 however, because the crack did go up into the pressure
20 boundary, this nozzle has been repaired.

21 (Slide.)

22 This is nozzle #5. It had a crack similar
23 to the one in #47, small crack that went up into the
24 pressure boundary, did not go through the pressure
25 boundary. This nozzle has been repaired also in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accordance with our plan. Next slide, please.

2 (Slide.)

3 This is a rollout of nozzle #1. A couple
4 of things, as you can see there are a significant
5 number of cracks in nozzle #1. Two of them go through
6 the pressure boundary. The crack that I want to point
7 out is this crack right here, and in a couple of
8 slides I will show you there is a leak path that was
9 associated with that. Remember, I said earlier that
10 the UT data can actually detect a leak path. This will
11 be the crack when we looked at the printout for #1
12 that caused that leak path. Again, this nozzle has
13 been repaired in accordance with our plan.

14 MR. SIEBER: Is there any significance to
15 the angle of the stripe on these?

16 MR. McLAUGHLIN: That shows the relative -
17 -

18 MR. SIEBER: That's not the crack?

19 MR. McLAUGHLIN: -- the crack, no. That's
20 where the crack actually grew up at that angle. So it
21 could be an axial crack, but it didn't grow straight
22 up and down the nozzle, and that's what that's
23 showing.

24 MR. SHACK: Suppose I had a J-groove leak
25 and I got some OD attack, how sensitive is the blade

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 UT to the OD initiated cracks? How deep would it have
2 to be before I'd see it?

3 MR. McLAUGHLIN: From a UT standpoint,
4 what it's looking for is a gap between the outside
5 diameter of the nozzle and the nozzle bore itself.
6 From a UT standpoint, it doesn't really matter if it's
7 a couple of thousandths or several inches. So it does
8 not have to be a very large gap. And if you want a
9 real good explanation of the UT and the process that
10 we use to find a leak path, I have Kevin Hacker here
11 from Framatome and he can explain that.

12 MR. SHACK: All my question is, if I
13 initiate an OD crack, can I see a 10 percent through-
14 wall OD crack with the blade UT?

15 MR. McLAUGHLIN: Yes, you'd be able to.

16 MR. SIEBER: One other question before you
17 leave this. These are all axial cracks?

18 MR. McLAUGHLIN: That's correct, yes.

19 MR. SIEBER: If you had a circumferential
20 crack, what would it look like on that drawing?

21 MR. McLAUGHLIN: The next slide I'll show
22 you.

23 MR. SIEBER: Okay. I'm a good straight
24 man.

25 MR. McLAUGHLIN: Excellent lead-in, thank

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you.

2 (Slide.)

3 Okay. This is the results of nozzle 2
4 inspections. A couple of things I want to point out
5 on this nozzle 2 -- well, actually three things. One
6 is, as you can see, there is the circumferential flaw
7 that was found. I want to point out this crack here.
8 This is the second longest one above the weld that's
9 been found to date. And the other thing I want to
10 point out is we'll see in a few slides, the corroded
11 area for this nozzle came down approximately like
12 this, came up -- so these are the three cracks here
13 that caused that corroded area. Next slide, please.

14 MR. SHACK: Your laser pointer was
15 approximately correct on the height above the J-groove
16 for that.

17 MR. McLAUGHLIN: I'm sorry, what was it?

18 MR. SHACK: Just draw it for me again on
19 this picture where the corroded area is on nozzle 2.

20 (Slide.)

21 MR. McLAUGHLIN: It would be right around
22 -- just over past the 270, come down about like this,
23 in that area was the corroded area that we found.

24 MR. ROSEN: I'm sure everybody else in
25 this room knows except me, the lines that go this way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 across, that's the weld area?

2 MR. McLAUGHLIN: These lines, these black
3 lines here?

4 MR. ROSEN: Yes.

5 MR. McLAUGHLIN: That depicts the weld,
6 yes.

7 MR. FORD: I'm jumping the gun to the root
8 cause. Why didn't you see -- why would you not expect
9 to have seen excessive corrosion on the other side?
10 That third crack along there looks about the same
11 extended -- in your comments, you said that you're
12 correlating excessive corrosion at one inch per year,
13 or thereabouts, to the length of the crack, the axial
14 crack. So why there and not at the other --

15 MR. LOEHLEIN: We will be talking about
16 that, but clearly you'll see here on this slide and on
17 the next one, it's the length above the weld. It
18 really is the crack length above the weld that's
19 different. This crack over here is only about a half-
20 inch above the weld, and the crack through a weld that
21 size is pretty minor.

22 MR. FORD: And that difference is enough
23 to make a difference between microns a year and inches
24 per year? I don't believe it. I find it hard to
25 believe.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOEHLEIN: We'll go into that in more
2 depth.

3 MR. FORD: Okay.

4 MR. McLAUGHLIN: Next slide, please.

5 (Slide.)

6 This is the same rollout of nozzle #3. I
7 want to show you the middle again, just like Steve is
8 talking about, this was less than an inch above the
9 weld. This crack over here is kind of hard to see due
10 to the color, but this is the crack that caused the
11 corrosion or the cavity around nozzle 3. And if you
12 note, it does extend approximately 1.2 inches above
13 the weld. So it's the longest crack above the weld
14 found to date. Next slide.

15 (Slide.)

16 What I wanted to show you here is I wanted
17 to show you the leak path that can be detected with
18 the ultrasonics. What this is is a plot of the
19 reflected sound from the nozzle-to-head interface.
20 The red indicates areas of lack of contact, however,
21 UT cannot determine the depth of that lack of contact.
22 So it could be a couple of thousandths or inches, and
23 the UT can't really discern the difference. The dark
24 areas are areas of good contact.

25 One thing I want to point out, at the top

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the head here, you can see that from the UT trace.
2 That's the top of the head. This black is the J-
3 groove weld. And then, again, I wanted to show you
4 the leak path, and you can see the crack coming up
5 through the weld area, and this red area going all the
6 way out through the top of the head, that's the leak
7 path.

8 MR. SHACK: So that's my zero azimuth of
9 the other plot.

10 MR. McLAUGHLIN: Yes. What this is, this
11 plot is from the top-down tool. The top-down tool --
12 the reason -- anyway, the degrees don't line up
13 because the top-down tool is indexed to an index mark
14 on the top of the flange, and all those index marks
15 point to one axis on the head. So the rollout won't
16 be the same orientation as what you see in there.

17 MR. SIEBER: Do I interpret all the red
18 areas between the weld and the interface as cavities
19 or leakage? How do you interpret that? I can see the
20 leak path.

21 MR. McLAUGHLIN: You mean these areas
22 here?

23 MR. SIEBER: Right.

24 MR. McLAUGHLIN: If you look at it, there
25 are a couple of cracks there, and they probably did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 start having some minor amount of corrosion. So
2 there's a good chance that there was a small --

3 MR. SIEBER: So that's like a labyrinth.

4 MR. McLAUGHLIN: -- of boron in between
5 the outside diameter of the nozzle and the bore.

6 MR. SIEBER: Sort of like a labyrinth in
7 this.

8 MR. McLAUGHLIN: Correct. If you look at
9 it, the leak path doesn't go straight up. The actual
10 contact area is -- I'm sure there is gaps
11 microscopically, and the water is going to follow the
12 easiest path up, and that's what it's doing.

13 MR. SIEBER: If you would slice that up,
14 you would see the micro-structure with these various
15 cavities and cracks in it, if you were to do a
16 destructive examination of that?

17 MR. McLAUGHLIN: If you could remove a
18 nozzle intact by removing the J-groove somehow?

19 MR. SIEBER: Yes.

20 MR. McLAUGHLIN: If you had a slice there,
21 you could see those cracks. And if you sliced it up
22 here --

23 MR. SIEBER: You would see these cavities.

24 MR. McLAUGHLIN: You may be able to.

25 There is a gap always -- you know, it's shrink-fit,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but it's not going to be a perfect fit. And the reason
2 I say that is because when we did the repair of this
3 nozzle here, the cut line was right here. So you're
4 going to see some of this. We performed dye penetrant
5 testing on this area down here of the bore, and there
6 was nothing found.

7 Now, the repair process does remove a
8 small amount of bore inside diameter, so that may have
9 cleaned that up, so it's not very deep.

10 MR. SIEBER: So one could conclude that
11 when that became a through-wall crack and borated
12 water began to go through it, it was not a jet
13 impingement situation, it had to start as a corrosion
14 situation to develop enough space in order to get the
15 steam cutting velocity high enough to do steam erosion
16 damage to the head.

17 MR. WOOD: If you look at that, I think
18 you can see where the popcorn boron gives rise to the
19 places where it comes out at the top of the head.

20 MR. SIEBER: I presume it's coming out at
21 that point at a pretty -- pretty fresh and pretty low
22 flow and not a lot of iron in it.

23 MR. McLAUGHLIN: I would imagine as far as
24 this nozzle, consider what we found with the dye
25 penetrant testing, I would believe that there was no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 iron removal in this area. There was probably a small
2 amount of corrosion, like I said, that could have been
3 removed during the machining process.

4 MR. SIEBER: Thank you very much.

5 MR. McLAUGHLIN: Next slide, please.

6 (Slide.)

7 This is the same type of printout or plot
8 for nozzle #2. There are a couple of things I want to
9 point out on this. Here's the three cracks that we
10 showed you earlier. You can see this red area, and
11 then, of course, it wraps around to here. Another
12 thing that I want to point out is this area right here
13 follows the contour of this weld. This is the top of
14 the head. However, you can't see it right here in
15 this area, and you can't see the head here. And that
16 was bored out -- this is the area that we found that
17 there was corrosion. There's about an eighth of an
18 inch of steel lost at the top of the head.

19 So the UT did show that there was
20 something going on up there.

21 MR. SIEBER: What is the significance of
22 the plot to the right of the --

23 MR. McLAUGHLIN: I'll have to refer that
24 to Mr. Hacker because I'm not sure. What is the plot
25 to the right, Kevin?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HACKER: That's the outside surface of
2 the nozzle. That's representative of the depth, and
3 the left side of that view being near the ID surface.
4 Kevin Hacker, Framatome.

5 MR. McLAUGHLIN: Next slide, please.

6 (Slide.)

7 This is the picture that you saw earlier.
8 We stole it from AIT. We felt this was an excellent
9 representation of this nozzle. Again, at the top,
10 it's about an inch -- or essentially all the way
11 through the nozzle, it's 1 3/4 inch wide. It starts
12 approximately 2 inches above the top of the weld, and
13 it does extend all the way through the top of the
14 head, and it ranges from 1/4 to 3/8 inch deep. It's
15 about 1/8 inch at the top of the head.

16 I guess the one thing that I did want to
17 point out is we removed nozzle 2 to help in
18 characterization of the root cause. When we did that,
19 the metallurgist who reviewed that cavity, we did some
20 extensive video tapes, we also did an impression of
21 the area. They looked at it and determined that this
22 was corrosion, not erosion. So I think that that's
23 kind of significant. It feeds into what we're seeing
24 here.

25 MR. FORD: How did he come to that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conclusion?

2 MR. McLAUGHLIN: I'll refer that to Steve

3 --

4 MR. FORD: Are you going to cover it later
5 on?

6 MR. McLAUGHLIN: Are you going to cover
7 that?

8 MR. LOEHLEIN: We can talk about that.
9 The metallurgist is right here. Steve Bifitch is
10 here. He's one of the members of the team, he and Dr.
11 Mark Burdofski (phonetic) from our Failure Analysis
12 area of Beta Labs reviewed that extensively this past
13 Friday, and did conclude it's corrosion. If you want
14 to talk about it, Steve, go ahead.

15 MR. BIFITCH: Yes, it's a little detailed.
16 When we reviewed the videotape, you could see -- I
17 mean, obviously, the video camera that you're looking
18 at gives you a very good close-up picture. You could
19 see typical remnants of corrosion, generalized
20 corrosion that you would expect to see. You see
21 things basically eaten away, and you're not seeing a
22 flow type pattern that I would expect from steam
23 erosion. Now, obviously, when we get a better look at
24 it, I asked the Framatome folks to go back in there
25 and look at it again and take some measurements with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rollers and stuff, so that we can get a better
2 characterization of what it actually looks like
3 because this is just a schematic based on what we knew
4 about a week ago.

5 MR. LOEHLEIN: But, Steve, isn't it also
6 true that from the impressions and everything, we know
7 that the areas of deepest penetration are somewhat
8 higher up in the annular region than the actual crack
9 location?

10 MR. BIFITCH: Yes, looking at the --

11 MR. LOEHLEIN: Corrosion as opposed to
12 erosion because it's not actually right lined up at
13 the exact leak points, but higher up.

14 MR. FORD: You've got independent data --
15 I mean, you've come out with a hypothesis right now.
16 Do you have independent data, in either the open or
17 closed literature, which will confirm that hypothesis
18 with relevant corrosion rates?

19 MR. BIFITCH: We'll talk about that during
20 the root cause portion of this presentation, but to
21 answer the question, yes, there is an adequate amount
22 of data in the literature and in the closed literature
23 from the EPRI guide book that verifies what we're
24 looking at.

25 MR. FORD: General corrosion rates of 1/4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inch per year for this one, without any flow assistant
2 effects at all?

3 MR. BIFITCH: Yes.

4 MR. SIEBER: This doesn't surprise me
5 because fluoritic material out in the air exposed to
6 high concentrations of boric acid corrode pretty fast.
7 I've seen bolting --

8 MR. ROSEN: We've seen reactor coolant
9 pump bolts made of this kind of material extensively
10 corroded back in the mid-'80s. So general wastage
11 like this is possible with those kinds of rates
12 without any flow phenomenon.

13 MR. SIEBER: And all of that can occur in
14 one cycle.

15 MR. ROSEN: Well, it can occur very
16 quickly. I don't know --

17 MR. SIEBER: Well, if at the end of the
18 refueling, the next refueling, it's there.

19 MR. FORD: And this hypothesis would also
20 explain why you see it specifically on this geometry
21 and not on Ocone? It does not explain it, or it --
22 the question was, you've got a hypothesis which you've
23 backed up by independent data, to explain why you've
24 got corrosion rates of this magnitude on that
25 particular geometry, annulus geometry, et cetera, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 does that same hypothesis explain why you do not see
2 it at Oconee?

3 MR. LOEHLEIN: There's a metallurgical
4 answer and then there's a root cause answer that we'll
5 go to. Do you want to talk about the metallurgy,
6 Steve?

7 MR. BIFITCH: Well, you say of the extent
8 that we're seeing nozzle 2, there's very little
9 corrosion, in reality. I mean, that's not a lot of
10 corrosion.

11 MR. FORD: Okay. But it's the same --
12 that same hypothesis presumably explains why you've
13 got 1-to-10 inches per year on nozzle 3?

14 MR. BIFITCH: Yes, from a root cause
15 standpoint -- and, again, Steve will get into this --
16 but we feel that nozzle 3 had been cracked and leaking
17 much longer than nozzle 2, and the same for nozzle 1.
18 So the age of the leakage is significantly different
19 between 3, 2 and 1.

20 MR. FORD: So it would be about a factor
21 of 10 difference in time?

22 MR. LOEHLEIN: We'll get into that.

23 MR. McLAUGHLIN: Next slide, please.

24 (Slide.)

25 This is the same data that we had earlier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for nozzle 3. A couple of things that I want to point
2 out. No. 1, if you look up here, we should see the
3 head, the top of the head should have been up here.
4 If you see these two lines here and here, those are
5 the outlines of the cavity. Obviously, we didn't know
6 it at the time that we took the UT data, but -- so
7 this entire area here is the cavity and this is the
8 crack that caused that cavity. Next slide, please.

9 (Slide.)

10 I just wanted to use this picture to
11 introduce the cavity to you. A couple of things I
12 want to point out. This distance here is the 4 inches
13 where nozzle 3 was removed. This is the remnant of
14 the J-groove weld that's left. And then this area
15 here is the exposed cladding. There's also an under-
16 hang in this area here that actually extends down to
17 about right in this. It's enough so that you can
18 actually stick your fingers underneath there.

19 MR. FORD: That's what you call a "nose"?

20 MR. McLAUGHLIN: Nose?

21 (Simultaneous discussion.)

22 MR. McLAUGHLIN: Next slide, please.

23 (Slide.)

24 I'll just go over what was going on at the
25 time when we discovered the cavity. We were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performing the machining operation on nozzle #3. The
2 machine that we use is hydraulically locked into the
3 nozzle. There was an unexpected movement of the
4 machining tool, it actually rotated 15 degrees and
5 then stopped. We stopped at that time, stopped the
6 machining operation because we knew then that the
7 nozzle had rotated.

8 When the machine was removed, there was
9 some mechanical agitation with that process. That
10 helped loosen up the nozzle further, and the nozzle
11 then was -- a lot of people have seen pictures of the
12 nozzle leaning against the flange that was next to it.
13 There is approximately 1/2 inch in between from one
14 flange to another, so it's not a real big area, or big
15 distance there.

16 We did remove the nozzle and cleaned the
17 cavity, and that's when we discovered that we had some
18 significant degradation of the reactor vessel head.
19 Next slide, please.

20 (Slide.)

21 Again, this is another picture of the
22 nozzle area itself. What I wanted to do is kind of go
23 over some of the actions that we've taken to gather
24 data and characterize the cavity itself. I want to
25 point out, like I said earlier, all these actions were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reviewed and did have concurrence from the staff prior
2 to being implemented. We had a written plan and then
3 we had a work order so that we could follow our
4 administrative process through to ensure that there
5 wasn't anything missed in the data gathering.

6 The first thing we had to do was remove
7 insulation to gain access into the cavity. We
8 performed several video inspections of the cavity
9 area, as well as nozzles 2 and 1. We've collected
10 boron and corrosion samples from both the cavity and
11 from the corroded area in nozzle 2. We had a
12 collection device underneath nozzle 2 when we pulled
13 that nozzle out.

14 We've taken ultrasonic readings and
15 mechanical measurements so that we can get a good idea
16 of the extent of the cavity, and we've done some
17 liquid penetrant examinations of the cavity as well as
18 taken impressions of the cladding area. Next slide,
19 please.

20 (Slide.)

21 This is a tool that we had built to aid in
22 taking mechanical measurements of the cavity. As you
23 can see, the distance is about 4 inches. This fixture
24 here was installed in the bore of the nozzle where
25 nozzle 3 was removed so that way we could index from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the nozzle in all our measurements that were taken.

2 We also used this little jig here so that
3 we could take measurements off and we would know what
4 the angle that we were taking those measurements.

5 MR. ROSEN: Did you clean the hole up at
6 all, or is that the way --

7 MR. McLAUGHLIN: It was cleaned at this
8 point when we did these measurements.

9 MR. ROSEN: You just scraped it with
10 sandpaper or something like that?

11 MR. McLAUGHLIN: Brushes.

12 MR. ROSEN: Wire brushes?

13 MR. McLAUGHLIN: Not wire brushes, but
14 nylon brushes.

15 We also probed the underhang area with a
16 mirror, and used a wire so that we could determine
17 where the farthest point was. The farthest point is
18 approximately right in here, and the last slide that
19 I have shows the actual dimensions of that.

20 MR. SIEBER: What was the surface like
21 after you used the brushes on it? Was it solid
22 material, or was it spongy?

23 MR. McLAUGHLIN: No, it's very solid
24 material. It's actually pretty smooth. It's kind of
25 got contours to it. I don't know, I guess these guys

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could probably characterize it a little bit better.
2 I mean, I have gone out and felt it and touched it a
3 few times, but --

4 MR. SIEBER: At those radiation levels?

5 MR. McLAUGHLIN: I took some of these
6 measurements myself. I guess my feeling is that if
7 I'm going to be the project manager and the team lead,
8 I need to see what it is that I'm up against, and I
9 needed to experience it first-hand.

10 MR. SIEBER: I just want you to be aware.

11 MR. McLAUGHLIN: I agree. We do practice
12 ALARA.

13 (Slide.)

14 From a dimensional standpoint, I'll point
15 out a couple of things. From here to here is
16 approximately 6 inches. From here to the edge of the
17 cladding here is approximately 5 inches. The farthest
18 point that we saw and measured from the edge of the
19 bore to here is just a little over 7 inches. One
20 thing I want you to notice is the 13-inch cutout line
21 that we have. That dimension is approximate at this
22 point. What that's showing is our plan going forward
23 is to use an abrasive water jet process to remove this
24 entire cavity. We chose the abrasive water jet
25 process for two reasons: One, that we could remove

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the entire cavity with it, and the second is that
2 there won't be any heat input from the removal process
3 that could destroy or alter any information that can
4 be gathered from the cavity.

5 The other thing I wanted to point out is
6 that we took ultrasonic UT ratings of the cladding for
7 thickness. The readings we got had an average of .297
8 inches, and the one single point, the lowest point,
9 was .24 inches.

10 For my part, I've described our plan.
11 I've described our findings. I've talked to you about
12 the cavity discovery and the characterization of that
13 cavity. Are there any further questions?

14 (No response.)

15 Okay. With that, I'll turn it over to the
16 person who I'm sure you all want to talk to, Mr. Steve
17 Loehlein, to discuss the root cause.

18 MR. FORD: Can I just ask a timing
19 question, Steve? How long do you think -- assuming we
20 don't ask too many questions, roughly how long are you
21 going to take?

22 MR. LOEHLEIN: Well, when we've done this
23 presentation just sort of in a dry run fashion, it's
24 been 20 minutes to half an hour, but it really is
25 determined a great deal on how many questions we get.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So if you're asking should we take a break --

2 MR. FORD: I think what we'll do is take
3 a ten-minute break. I'd like to finish at 6:00
4 o'clock, however, so let's make it no longer than ten
5 minutes.

6 (Whereupon, a short recess was taken.)

7 MR. FORD: We are now back.

8 MR. LOEHLEIN: Once again, good afternoon.
9 I am Steve Loehlein. I am the Root Cause Team Leader.
10 Before I get started, I just want to make one comment
11 based on a question that had been asked earlier of Mel
12 Holmberg, and that had to do with our condition report
13 records for things like steam relation of boric acid
14 on the vessel flange and the containment air coolers,
15 and the root cause report that we have prepared does
16 have condition report references historically that
17 were written on those subjects. So there is some
18 information on that for Mel and for whoever, and when
19 they see the report they'll see them in there.

20 (Slide.)

21 I'll start off by saying that soon after
22 this damage was recognized at nozzle 3 and then soon
23 after that in nozzle 2, Davis-Besse's management team
24 realized quickly they needed an investigative team
25 with members who would have a variety of expertise and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a variety of experience. They wanted to have a team
2 that was going to have objectivity. That's why
3 persons like myself who are from Beaver Valley Power
4 Station, and another member of the team that I've
5 brought in from Beaver Valley who is our Latent Issues
6 Program Manager, and we also wanted to have, of
7 course, ownership by Davis-Besse staff for the results
8 of the root cause, so we have members on the team
9 directly from Davis-Besse staff, and we wanted to have
10 the finest technical expertise on the team that we
11 could get, so we augmented our folks with the
12 technical expertise from Dominion Engineering, from
13 EPRI MRP, from Framatome, and we had a failure
14 analysis expert from our Beta Labs also come in and
15 assist.

16 (Slide.)

17 Before I get into the root cause
18 discussion, I want to familiarize people with the
19 terms we're going to use here because we have under
20 the root cause determination process that we have in
21 our company, we have definitions for specific terms,
22 and they are up here on the screen. Probable cause is
23 for us, by definition, a root cause that cannot be
24 validated after-the-fact. We also have root causes
25 that are the more what I could call common definition,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and that is that root cause is something that, if
2 eliminated, would have prevented the incident or
3 event. Similarly, I think our definition of
4 contributing cause is pretty familiar in that it is a
5 cause that either increases the likelihood or the
6 severity of the incident or event.

7 The other thing I'll point out before we
8 get started is that there's going to be a lot of
9 discussion that talks about probable cause for the
10 cracks, and then root causes for the damage that
11 occurred at Davis-Besse, and I think by now we've
12 heard a lot about the differences. We have
13 discussions about PWSCC and then we have discussions
14 about wastage.

15 So by this time, probably to no one's
16 surprise, the damage to the RPV was not identified
17 until we had machined on nozzles 2 and 3. That was
18 just by happenstance because at the time the damage
19 wasn't known, so we're not likely to be able to find
20 the data that will prove that PWSCC caused the
21 cracking in these nozzles, but we believe that this is
22 highly supported by the evidence that's available.
23 Since PWSCC is a known mechanism in the industry, it
24 really doesn't explain the damage that occurred to the
25 RPV head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide.)

2 So, from root cause base, we identified a
3 root cause which was something that permitted the
4 conditions to develop on the head that allowed the
5 corrosion to occur, and what we determined was that
6 Boric Acid Corrosion Control and Inservice Inspection
7 programs were such that they allowed for the
8 accumulation of boric acid to remain on the head.
9 What this did or what this resulted in is the plant
10 did not identify through-wall cracks and leaks during
11 prior outages when they existed, that the plant
12 returned to power with boron remaining on the head
13 after outages, and that we were unable to identify the
14 damage that was occurring on the RPV head by 12RFO,
15 which is the outage prior to this one that we're in
16 right now.

17 (Slide.)

18 A number of contributing causes are
19 identified in our report. The major ones I'll go over
20 here. The first one we've heard some about before are
21 environmental conditions, cramped conditions and so
22 forth caused by the design, the very tight fit between
23 the insulation layer and the top of the head, the
24 small drainage openings that are used for access, the
25 high radiation area, the temperatures, all these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contributed to making this access for cleaning and
2 inspection difficult. So the same three bullets
3 appear under there: It made the identification of
4 cracks that did not occur in prior outages, cracks and
5 leaks, we returned to power with boron on the head in
6 the center head region, and we did not identify the
7 damage when it began.

8 (Slide.)

9 Another important contributing case were
10 equipment conditions that we had due to uncorrected
11 CRDM flange leakage. We talked about -- a little bit
12 earlier, I think John Wood showed the first slide, and
13 it appeared later, that showed where the flanges are
14 and how there's the insulation layer between, and so
15 forth, and the historical problems with flange leakage
16 on the B&W plants -- Davis-Besse was no exception --
17 had a number of flange leakage issues in earlier
18 years, which now appear to be corrected, but some of
19 those were bad enough to allow boric acid to leak down
20 onto the head in regions where it was pretty
21 inaccessible, and so accumulations from boric acid
22 leaking from above were something that was
23 internalized by the organization as common.

24 MR. SIEBER: Steve, how long do you think
25 this corrosive environment was present, how many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years?

2 MR. LOEHLEIN: We have a timeline later in
3 the presentation that I can go -- it's probably best
4 if I go over it then.

5 MR. SIEBER: Okay.

6 MR. FORD: I just want to be sure because
7 it's been intimated in some of the documents that's
8 been going around that a potential source of the boric
9 acid or whatever the environment is, the boric acid
10 rich, in the annulus originated from the flange region
11 and dripped down. That's been intimated. And what
12 you are saying is, no, that may have confused the
13 issue, but it was not the prime source, that the PWSCC
14 was the prime source of the annulus environment, is
15 that correct?

16 MR. LOEHLEIN: PWSCC is what we've
17 concluded is the initiator of the cracking, not the
18 initiator of the wastage. I don't know if I've
19 misinterpreted your question, and whether you're
20 asking how does that relate to the leakage from above?

21 MR. FORD: As I understand --

22 MR. WOOD: I think you are correct in the
23 way you stated that, that because there had been
24 flange leakage over a number of years, that that was
25 then attributed to the boron that was seen on the head

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 versus the leakage coming out of nozzles as being the
2 source.

3 MR. FORD: That's in no way intimating
4 that the leakage occurred in the flange above dripped
5 down and went into the annulus and caused this
6 problem, that's not the issue.

7 MR. LOEHLEIN: No, we did not. In other
8 words, just to be clear, the flange leakage that
9 occurred over the years did not have anything to do
10 with this wastage incident, or anything we've been
11 able to find.

12 (Slide.)

13 As part of the probable cause for the
14 nozzle leakage, we did assemble information on PWSCC
15 and other possible reasons for cracking. I think by
16 now we talked about the main factors associated with
17 primary water stress corrosion cracking, susceptible
18 material, high tensile stress, and aggressive
19 environment. Of course, all of these were present at
20 DB as they are at other PWR plants.

21 MR. BONACA: I have a question. Your root
22 cause, you go -- I mean, somebody could ask a question
23 of how far did you go back into asking why this
24 happened, and you're saying the plant did not identify
25 through-wall cracks during prior outages, plant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 returning to power with boron on the RPV head after
2 outages -- we know these things happened, of course.
3 But there were questions that were raised by the NRC
4 on the missed opportunities, for example. I would
5 like to understand, given that your filters needed to
6 be replaced every other day, what do you attribute
7 that to and did not connect at all. I would like to
8 understand that.

9 MR. LOEHLEIN: Well, the condition report
10 records and the interviews we conducted, the plant
11 staff did not make the connection is all we can say
12 about it. We investigated this from root cause
13 standpoint, and we can say that that connection was
14 not made, that it was -- that the source could be
15 nozzles. It was felt to either be corrosion from some
16 other source.

17 MR. BONACA: I'm not saying that we want
18 to evaluate this here, all I'm only saying that to do
19 it through root cause analysis that would prevent a
20 recurrence of this nature, you would want to go
21 farther back to understand really how come we
22 misinterpreted these issues.

23 MR. WOOD: hat's correct.

24 MR. BONACA: What do we need to do to
25 prevent recurrence of such event.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOEHLEIN: That's correct. We are
2 looking at the management issues that allowed us to
3 have that blind spot in our thinking.

4 MR. BONACA: The reason why I'm bringing
5 it up is because I think it is important generically,
6 as I said before, to other units to try to read from
7 apparently maybe indirect readings, you know -- they
8 are not doing direct -- but, really, they are maybe
9 not specific in indicating the crack or the issue, but
10 boron deposits somewhere --

11 MR. WOOD: And I believe that the AIT
12 agreed with that, and that's why Information Notice
13 2002-13 was issued in order to draw the analogy to the
14 containment air coolers and the radiation elements.

15 (Slide.)

16 MR. LOEHLEIN: It's also been mentioned
17 earlier that in comparing Davis-Besse to others, we
18 have observed that all the through-wall leaks at
19 Davis-Besse are from a material heat. The displayed
20 leakage in another plant, it's the heat identified
21 there. We also noted that all these locations are at
22 the top of the head, which is a region expected to be
23 of lower stress than other regions in the head, but
24 it's also true that nozzle 4 is exactly the same in
25 terms of location and all that, yet it had no cracks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identified at all, and it is the same heat.

2 (Slide.)

3 We also considered other possible causes
4 of the cracks, like thermal fatigue, inner granule
5 distress corrosion cracking, RCS chemistry, and some
6 others, and we were able to dispel all those and we
7 are pretty well convinced that primary water stress
8 corrosion cracking was the initiator as far as cracks
9 go..

10 (Slide.)

11 So that led us to, again, what was
12 different about Davis-Besse's cracks, and it's been
13 mentioned earlier. It's an important difference in
14 that the through-wall cracks above the weld are the
15 largest that have been reported to date.

16 MR. SHACK: Is that true even for the circ
17 crack at Oconee?

18 MR. SIEBER: Probably not.

19 MR. LOEHLEIN: I don't know that about the
20 circ crack at Oconee.

21 MS. KING: Christine King, EPRI MRP. I
22 think what you're referencing is the axial length.
23 This is a discussion -- a comparison of the axial
24 flaws found in the industry today. Oconee still
25 remains our largest circumferential flaw identified.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identified at all, and it is the same heat.

2 (Slide.)

3 We also considered other possible causes
4 of the cracks, like thermal fatigue, inner granule
5 distress corrosion cracking, RCS chemistry, and some
6 others, and we were able to dispel all those and we
7 are pretty well convinced that primary water stress
8 corrosion cracking was the initiator as far as cracks
9 go..

10 (Slide.)

11 So that led us to, again, what was
12 different about Davis-Besse's cracks, and it's been
13 mentioned earlier. It's an important difference in
14 that the through-wall cracks above the weld are the
15 largest that have been reported to date.

16 MR. SHACK: Is that true even for the circ
17 crack at Oconee?

18 MR. SIEBER: Probably not.

19 MR. LOEHLEIN: I don't know that about the
20 circ crack at Oconee.

21 MS. KING: Christine King, EPRI MRP. I
22 think what you're referencing is the axial length.
23 This is a discussion -- a comparison of the axial
24 flaws found in the industry today. Oconee still
25 remains our largest circumferential flaw identified.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: My real question is, do you
2 believe the leaks through these cracks are larger than
3 the leak through the Oconee circ crack? That seems to
4 be where we're headed here. Did anybody check that?

5 MR. LOEHLEIN: As part of this root cause,
6 we would not have studied that. There's going to be
7 plenty of ongoing work that will compare this to other
8 things that are known and other events that are
9 reported in the Boric Acid Corrosion Guidebook and
10 elsewhere.

11 MR. FORD: But, surely, for the probable
12 cause, root cause analysis to be valid, you've not
13 only got to explain quantitatively why you've got
14 cracks and other people don't. You've got to go
15 through that process and, therefore, you'd need much
16 more of a database than just that to prove your case.
17 For instance, the other nozzles which cracked at your
18 plant, which did not show the excessive corrosion,
19 were they .9 of an inch, .8 of an inch, and they
20 should therefore have a plot of amount of corrosion
21 versus crack length, axial crack length, and would be
22 uniform for all plants with that heat.

23 MR. LOEHLEIN: I don't think you'd ever be
24 able to do that because every nozzle is loaded
25 differently, has different residual stresses, responds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 differently during plant heatup and --

2 MR. FORD: Well, that then gives rise to
3 the occurrence of the PWSCC, the stresses aspect.

4 MR. SIEBER: Then there is the time.
5 They've been able to analyze to some extent how long
6 this condition persisted.

7 MR. LOEHLEIN: I guess what I'm saying, if
8 it were that predictable and you could reduce it to
9 those kinds of numbers, we would have had leaks at
10 nozzle 4, and we don't. We don't even have cracks.

11 MR. SHACK: But you are arguing that the
12 difference -- the reason why your behavior with
13 leakage is different from the other plants with
14 leakage is simply that you're older. I mean, your
15 argument leads to the conclusion that this will happen
16 at all plants that leak. Is that --

17 MR. LOEHLEIN: What we would say is that
18 if a leak is not attended to and it is allowed to
19 continue where it can create boric acid pools above
20 it, and then that leak continues to get worse and can
21 allow the boric acid to remain wetted near that
22 annular region, that significant corrosion rates can
23 begin. And we'll get into the timeline and all that
24 a little bit further here, but time is the issue. How
25 long do the leaks exist? How much boric acid do you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 apply to the region? And we'll get into that. But
2 the leakage rates, the important thing to understand
3 about the leakage rates is that they are not at all
4 linear with the axial crack length, they are quite a
5 bit nonlinear. And so the crack lengths, as they
6 enlarge, produce rates and can produce leak rates
7 significantly higher.

8 MR. SIEBER: Is there a reason for this,
9 the physical reason for this, the chemical reason for
10 this?

11 MR. LOEHLEIN: There are a number of them,
12 and there's models that have been run for it, and
13 we'll talk about them on succeeding slides. So why
14 don't we go on and move forward.

15 MR. SIEBER: I think it's interesting to
16 point out that every crack starts as a small crack,
17 and there is crack growth going on in every plant that
18 there's a crack initiator. So, sooner or later you're
19 going to get to a critical crack size that causes
20 leakage that meets these conditions unless its
21 repaired, but all of these are covered under the Code.
22 You have to repair them once you find them, under the
23 Boron Pressure Vessel Code.

24 (Slide.)

25 So looking at nozzle leak rates, what we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe they were at Davis-Besse, we examined the
2 subject area from two perspectives, one was the
3 analytical one and one was from available plant data.
4 Different analytical models were looked at. There's
5 a model out there that looks at this crack in a pipe,
6 there are others that are finite element type analyses
7 and which we're able to model whether the region is
8 supported by a surrounding material like the head, or
9 whether it's relaxed like you would see after enough
10 corrosion takes place that there is no supporting
11 mechanism, and the overall range on these predictions
12 is fairly large -- 0.025 to 0.87 gpm is what we came
13 up with on those approaches.

14 Looking at plant data, though, which is
15 using things like the unidentified leak rate and the
16 amount of boric acid on the head, and so forth -- and
17 our Root Cause Report goes into some detail as to how
18 we arrived at this -- the most probably leak rate
19 range at the end of the cycle for nozzles 2 and 3
20 combined is .1 to .2 gallons per minute.

21 MR. SHACK: That first bullet, is that for
22 a given crack size?

23 MR. LOEHLEIN: I think we did that for a
24 range of -- we did that for a range --

25 (Simultaneous discussion.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOEHLEIN: Right, 1.2 inch crack above
2 the weld. And I think the .87 comes from the finite
3 element model that tries to model this as an
4 unsupported opening gap. And in answer to your
5 question earlier, if you have an unsupported crack
6 like that and you have pressure forces and other
7 things on it, you can open up that crack so that
8 linear measurement alone is not going to be a good
9 predictor of the flow rate you get out of it because
10 it's opening in width as well.

11 MR. SHACK: But the crack size doesn't
12 seem to be a very good predictor either. I mean, the
13 estimate for Oconee 3 is 1 gallon total leakage, and
14 a fracture mechanics analysis of that crack would give
15 you a much larger leak rate, which says it isn't the
16 crack size that's controlling the leak rate.

17 MR. LOEHLEIN: Right. There's a couple of
18 things that go on here. And if you really study the
19 Boric Acid Corrosion Guidebook -- which Mr. Hunt has
20 encouraged me to do a couple of times now, so I have
21 read it a couple of times -- there's a lot of
22 information out there that talks about how in the
23 early stages, as tight as these fits are, and so
24 forth, that you don't get a lot of leakage. So time
25 really is on your side at the front end of this thing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As long as the gap is tight, and you'll see a little
2 bit of boric acid and so forth, but at some point, as
3 demonstrated, I think, in one of the tests that EPRI
4 did where we're injecting the annular region, once
5 there's an opening up of that gap through some -- even
6 if it's galvanic corrosion, if it goes on for several
7 years, even though it's a minor rate, it opens up the
8 gap eventually enough to where now oxygen can mix, and
9 now the crack length that prior to that didn't provide
10 much flow, now provides enough flow now, if that boric
11 acid is allowed to accumulate, stay in that region,
12 which it's going to tend to do much easier at the top
13 of a head than at the steep slope end of a head, now
14 you've got a number of factors working against you as
15 far as creating an environment that's going to allow
16 the boric acid to remain wetted. When it remains
17 wetted, it drops to the temperature of the steel in
18 that region, and now all of a sudden you have an
19 environment that allows, by all the math, quite a
20 higher corrosion rate. And, again, if that's allowed
21 to continue even further and further along in time,
22 this is the -- time is the enemy on this.

23 The overall band for leak rate, we say the
24 absolute minimum from all sources of information would
25 be 0.04 gpm and the max would be 0.2 but once again

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 0.1 to 0.2 is what we expect.

2 (Slide.)

3 Obviously, the damage to Davis-Besse's
4 head occurred over some period of time. We have
5 evidence from videos of the head conditions in past
6 outages. We've had changes in containment conditions,
7 other evidence available to us, we were able to build
8 this probable timeline.

9 Now the way we've built this, it's really
10 built from the baseline of a couple of key facts. One
11 is in 1998 we saw the first signs of red-colored boric
12 acid coming from the drain holes on the vessel. Then
13 in 1999, which is a little bit after that, is when we
14 started to have the problems with iron oxide appearing
15 and clogging the filters to the rad monitors. We
16 believe that those two facts are strong supporting
17 evidence that that's when corrosion rates were of
18 enough of a rate that we would say that significant
19 rates were underway.

20 If you put that stake in the ground then
21 in that time frame, you could look back using what I
22 would just say typical estimates for crack growth
23 lengths which we know are rough estimates only, but
24 that's how we picked the time frame of '94 to '96 for
25 propagating the through-wall and some several years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prior to that for the actual initiation of the crack.

2 MR. SHACK: You would argue your crack is
3 much then is much older than Ocone 3, despite its
4 much longer extent?

5 MR. LOEHLEIN: Well, these are quite long
6 cracks, too, in total length. I think that the one at
7 nozzle 3 is almost 4 inches long, isn't it?

8 MR. McLAUGHLIN: It's over 4 inches long.

9 MR. LOEHLEIN: It's over 4 inches long.
10 Whether they are the oldest or not, you know, I'm not
11 smart enough to tell you whether that's true. I can
12 tell you that our post-evidence type of review of
13 this, the 20-20 hindsight says that signs are out
14 there that this leak has been there for sometime, and
15 that it, because of being obscured, went uncorrected
16 for sometime. So, we believe we had four years of
17 significant corrosion rates.

18 MR. BONACA: Since this could happen to
19 other units and to other nozzles, it seems strange
20 that we've been so lucky in all the other cracked
21 nozzles that we caught them all as soon as they
22 happened. So, I'm trying to understand if, in fact,
23 there isn't some kind of other mechanism that worked
24 here somehow -- and, of course, I don't expect an
25 answer now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOEHLEIN: I have looked at the top of
2 the head myself, and I know what -- the boric acid, if
3 it comes from the top, if it runs off and it creates
4 a path for corrosion, what that will look like. You'll
5 get these edge effects that are deep and so forth.
6 You don't see anything like that on this head in this
7 region. What you see is something that looks very
8 much like a pool that then worked itself down along
9 the side of the nozzle and progressed out from there.

10 Now, we put together in our Root Cause
11 Report what we think is a plausible explanation of how
12 it progressed, but we know there will be more work
13 done on it as time goes on. But, clearly, if you look
14 at all the facts available -- crack length, the
15 evidence of boric acid accumulations and how it
16 increased over the years, and these factors -- it
17 seems pretty undeniable that the leak has -- it's an
18 old leak.

19 MR. BONACA: I'm not denying that, I'm
20 only saying that I'm thinking about the other units
21 and the many indications we found of cracking through-
22 wall, and I'm just saying it's surprising to me that
23 in all those cases we always caught them as soon as
24 they started and so there was no time for it to
25 develop the erosion and corrosion we have seen here in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this particular one. I wonder simply if there was
2 some other phenomenon that took place, I don't know
3 what it would be.

4 MR. LOEHLEIN: I think if we look at what
5 we have here from Davis-Besse, we have a lot -- and
6 you compare it to what's out here in the industry data
7 -- we have a lot to suggest that we have three
8 examples right there on the top of our head. We have
9 nozzle 1 which is like a brand new -- we have a very
10 small -- I think, above the weld we've got a half-inch
11 or something crack length. The damage, if you want to
12 call it, there is so minor we didn't even characterize
13 it as damage, it's just a little bit of -- you know,
14 we could take a feeler gauge at nozzle 1 and just sort
15 of tell that we didn't have a tight fit anymore.
16 That's kind of minor corrosion that existed at nozzle
17 1.

18 Nozzle 2 had a small cavity which
19 structurally is really nothing. That was obviously
20 older, the crack length is longer. And we have nozzle
21 3. Now, by our estimation, nozzle 3 has been leaking
22 a fair amount for, we think, about four years. You
23 know, I think if I was going to give a message to the
24 industry, the advice that's out there is correct, once
25 you find evidence of a leak you need to fix it right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 away because the clock starts to tick then, and four
2 to six years later you have a significant problem
3 perhaps.

4 MR. BONACA: One point that became very
5 clear from the presentation is that the CRDM
6 superstructure there really was a major contributor
7 because it made it very hard to look in. It really
8 helped accumulation of crystals up there, and I know
9 you already had a plan to modify that. Is there
10 something that can be done in this facility to make,
11 in fact, a modification that makes that area much more
12 accessible and visible, as a minimum, particularly to
13 the mover?

14 MR. WOOD: We can speak to the B&W design
15 plants, and you can put additional inspection up there
16 that allow you to open up that area more, and we
17 unfortunately had not done that prior to this. And
18 there are other type units out there where, as you may
19 know, the insulation is basically sitting on top of
20 the head, and they'll have to evaluate what, if
21 anything, they need to do to rectify that. But I
22 think the Westinghouse plants, which we have a couple
23 at the Beaver Valley unit, they are much more
24 accessible. So, fortunately or unfortunately, the B&W
25 plants are small in numbers, and we were one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 only ones not to make that modification.

2 MR. LOEHLEIN: And I do think, following
3 up on what you said, it's important to -- this is
4 something we couldn't evaluate because at Davis-Besse
5 all the nozzles that did have leaks were at the top of
6 the head. But it would be nice to know whether
7 farther down on the head, if a leak had gone
8 unattended there, what type of boric acid accumulation
9 could have developed -- you know, because it's going
10 to tend to fall off. We're not able to evaluate that,
11 but it is true, in this region where we were, the
12 boric acid that would accumulate there would tend to
13 stay there and provide a ready source for continued --
14 I mean, the leak itself provides boric acid once it
15 gets going, but even early on the accumulations of
16 boric acid from whatever source, whether they come
17 down from flanges up above or build up from the
18 popcorn boric acid that isn't removed, regardless, it
19 stays there because it's relatively there and it's
20 available when the moisture supply becomes -- you
21 know, comes from beneath. But all the evidence that
22 we have here points to corrosion supplied by a
23 moisture source from below.

24 MR. FORD: If I could just ask in terms of
25 time management, if you could conclude in the next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 couple of minutes, if that's possible, because I want
2 to give the staff 20 minutes to do their concluding
3 statements, then I'd like to spend quarter of an hour
4 just for us to go around the table and give our
5 concluding remarks.

6 MR. LOEHLEIN: We are very close to the
7 end here. This was the -- we were just going to
8 mention some of the ongoing activities we have for
9 ourselves, which we're still -- a lot of what we're
10 doing is confirmatory in nature, has to do with us
11 sending things like boric acid samples out, confirming
12 that they do indeed contain iron oxide, and the big
13 thing we have coming, of course, is when we do remove
14 the area around cavity 3, which Mark talked about, and
15 we'll study that for evidence, if there is any, of
16 heavy erosion, and other elements besides corrosion as
17 a contributor. And, of course, we'll complete the
18 investigation of nozzle 46, and we plan to stay
19 involved with the EPRI MRP and see whatever assistance
20 we can provide to them.

21 MR. FORD: Thank you very much. John Wood
22 has some concluding remarks.

23 MR. WOOD: We're attempted to describe the
24 discovery, the evaluation, and the root cause of the
25 degradation recently found at DB. We understand there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is more to be done in regard to the technical issues
2 and the management aspects, and we're developing the
3 repairs, as you've probably heard us talk, we're going
4 to have a meeting tomorrow with the staff to discuss
5 repair concepts.

6 We understand programs like boric acid
7 corrosion program and ISI program need to be refocused
8 to accomplish their goals, and we know the basic steps
9 we need to take to internalize the event at the site
10 and to revamp the organization to prevent recurrence.
11 So, we hope we've given you the information that
12 you're looking for in putting us on the schedule.

13 MR. FORD: Thank you very much indeed.
14 Could I ask the staff to --

15 MR. KARWOSKI: My name is Ken Karwoski.
16 A lot of this has already been discussed, but what I'd
17 like to do is basically just provide you with some of
18 the generic regulatory actions we've taken in response
19 to the Davis-Besse findings.

20 (Slide.)

21 As was previously discussed, the cavity
22 was identified on or about March 7. What we knew
23 shortly after that was that there was a history of
24 boric acid-like deposits on the head for several
25 cycles, and that the degraded area around nozzle 3 was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 associated with a nozzle that had a through-wall
2 crack. The root cause was being investigated at the
3 time, and we couldn't rule out whether or not the
4 corrosion was from the top-down, as a result of the
5 boric acid deposits from the flange leaks or from the
6 crack in the nozzle, or some combination of both, and
7 we're still evaluating the root cause.

8 (Slide.)

9 Shortly after identifying the cavity, we
10 began several steps. We issued an Information Notice
11 about a week later. We also contacted the industry,
12 NEI, Nuclear Energy Institute, and also the EPRI
13 Material Reliability Project, and we posed several
14 questions to them. We asked for the plants that had
15 completed their Bulletin 01-01 inspections, tell us
16 were those inspections capable of detecting the type
17 of degradation observed at Davis-Besse; for the plants
18 that had not completed their Bulletin 01-01
19 inspections, what was their justification for
20 continued operation as a result of the findings, and
21 also to provide a risk assessment.

22 The industry conducted a survey and posed
23 four questions to the various licensees, and I've got
24 those listed on the slide, and I'll discuss those real
25 quickly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide.)

2 As the industry was doing that survey, the
3 staff was preparing a bulletin. That bulletin was
4 issued on March 18, and it requested several different
5 items. Within 15 days of the bulletin, we requested
6 licensees to provide the following information: a
7 summary of the reactor vessel head inspection and
8 maintenance programs; evaluation of the ability of
9 those programs to detect degradation similar to what
10 was observed at Davis-Besse; a description of the
11 inspection findings; we also asked them for their
12 plans for their next outage, and also we asked them
13 for a justification for continued operation.

14 We also requested within 30 days the
15 completion of their next outage, for the results of
16 those inspections, and we also asked a broader
17 question with it, that they provide us an evaluation
18 of their boric acid corrosion prevention program, and
19 that response is due 60 days after the date of the
20 bulletin, so that will be coming in in about another
21 month.

22 (Slide.)

23 With respect to the staff activities, the
24 industry categorized the plants based on the results
25 of their survey, and they had five categories, and it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really had to do with the extent of the condition on
2 the top of the head with respect to whether or not
3 they did a visual examination, how thorough that
4 visual examination was, was it 100 percent bare metal,
5 and could they rule out boric acid on top of the head.

6 Like I said, they categorized, and they
7 had five categories. We focused on the highest
8 category which they called "Other". We contacted all
9 the plants in the "Other" category in order to
10 understand why they were categorized in that category,
11 and to get an assessment of whether or not we thought
12 there were some issues. Several of those plants are
13 down for an outage now. One of them is coming down
14 for an outage in a month. Based on our review, we're
15 still pursuing discussions with one licensee to get
16 additional information with respect to their
17 inspection findings last fall.

18 The NRC is currently contacting plants in
19 outages. In the 15-day period while we were waiting
20 for the responses, we wanted to make sure we
21 understood what plants were planning to do in their
22 outages, and then what they were finding as a result,
23 to factor that into any other generic action we may
24 need to take. We are still conducting those post-
25 inspection phone calls. To date there have been no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant findings -- and by significant -- there
2 may have been minor degradation, and there have been
3 nozzles with indications, but nothing to the extent of
4 what was observed at Davis-Besse.

5 We have started our review of the bulletin
6 responses. We're categorizing the results similar to
7 what the industry has done, and we're reviewing those
8 right now. The categorization basically just provides
9 a priority for our review. We're focusing on the ones
10 with the higher ranking and, if we have any additional
11 issues, we'll pursue them with those licensees.

12 That's basically all I wanted to say, is
13 that generically we have been acting and we continue
14 to do the plant-specific evaluations.

15 MR. FORD: Thank you very much indeed,
16 appreciate it. What I'd like to do is I'd like to
17 ask, from the NEI perspective, Larry, do you have
18 anything?

19 MR. MATHEWS: We have a brief
20 presentation, but he covered a lot of it, but there
21 might be a couple of slides we might go ahead and talk
22 about.

23 MR. FORD: Why don't we leave it up to the
24 two of you as to how you want to give the final --

25 (Simultaneous discussion.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: If you could take about no
2 longer than ten minutes, if possible, and then we'll
3 follow it with, Alex, you, and then Jack, ask you just
4 to finish off with the staff's perspective.

5 MS. KING: All the stuff is contained
6 within your packet.

7 MR. FORD: Yes, we've seen that. I'm not
8 too sure I understand it.

9 MR. MATHEWS: This may be slightly updated
10 from Al's presentation.

11 (Slide.)

12 If you look at this, we've tried to do
13 everything through today, as far as the visual
14 inspections and known leakage. We've also -- these
15 are the plants that plan spring outages, and this is
16 plants less than 30 years EFPY from being equivalent.
17 We don't have the plants that are way out there on
18 this graph, but even many of those plants that have
19 spring outages were doing bare metal inspections of
20 their heads, if they could not rule out the
21 possibility, and even the ones that didn't think there
22 was any way they had any boric acid on top of their
23 heads, some of those were even doing inspections.

24 But if you look at the blue open diamonds,
25 those are the plants that have spring outages and have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to do some kind of inspection per 2001-01. So there's
2 quite a number of those plants will have looked at
3 their heads by the end of this spring. I guess they
4 are kind of -- I started to say "rust" -- red circles,
5 those are the plants that are scheduled for the fall
6 outages when they will be doing their inspections, and
7 then the four green squares that are on cycles that
8 get them into the Spring of 2003.

9 MR. FORD: So the take-away message from
10 this is that the prioritization algorithm you've got
11 right now seems to work into a first approximation
12 that should be more definitive after the spring
13 outages, is that the take-away message?

14 MR. MATHEWS: We'll fill in all these blue
15 diamonds at the spring outages, at least from a visual
16 inspection perspective. And if you look, the red
17 triangles are all to the left of the graph. There's
18 a couple of plants with cracking out in the middle,
19 but as far as I know those plants were not through-
20 wall cracks.

21 MR. FORD: And the other obvious take-away
22 message is you'll get a crack eventually, unless you
23 manage it before.

24 MR. MATHEWS: Yeah. I hate to say some
25 plant that has a cold head that on our histogram is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 200 years away from being equivalent to Oconee 3 will
2 crack --

3 MR. FORD: I agree.

4 MR. MATHEWS: -- but as far as these other
5 plants, there's a good chance. There's no guarantee,
6 but at least it's being borne out so far that this may
7 be a good model, or sort of a good model anyway --
8 nothing is perfect.

9 Well, I think he talked about this. Why
10 don't we put the list up, this is the one with the
11 plant names. It's in your handout. I think this has
12 been supplied to the NRC.

13 (Slide.)

14 MR. FORD: It has.

15 MR. MATHEWS: I guess I'm obligated to
16 tell you we've received at least two phone calls this
17 morning to say Watts Bar has found more documentation
18 and want to be classified in Category 4 instead of
19 "Other".

20 MR. FORD: Can you tell me -- I have
21 looked at this slide quite a few times -- I have not
22 the foggiest idea what the take-away message from this
23 is.

24 MR. MATHEWS: The take-away message is
25 that most of the plants out there, almost all of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants out there, feel that they have a very good
2 position that they don't have the kind of boric acid
3 corrosion going on on top of their heads that has been
4 experienced at Davis-Besse. Almost all the plants are
5 in that boat right now.

6 The plants in the greater-than-30-year
7 category feel they don't have the source to wet their
8 head -- all of those.

9 MR. FORD: And there's no correlation at
10 all -- they're just looking to scatter those numbers
11 between boric acid on the head and cracking
12 susceptibility. Is that the way -- I mean, the
13 categorization --

14 MR. MATHEWS: Oh, okay. The
15 categorization was based on how people answered those
16 questions, and the four categories -- maybe we can go
17 back to that one slide --

18 (Slide.)

19 We had four questions and they came over
20 four categories in another. Category 1 plants at
21 their most recent inspection, they did 100 percent
22 bare metal inspection, and there was no boric acid on
23 the head and none coming from above the head.

24 Category 2 plants, they were doing the
25 inspection. There was some boric acid accumulation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 detected. It was removed and the head inspected and
2 the source determined and corrected. Those are the
3 plants that -- you know, they've gone and looked and
4 they don't have a problem.

5 Category 3 plants, bare metal inspection
6 was limited for some reason, or they were not able to
7 be performed, but they've reviewed the plant history
8 over the whole life of the plant, and there's no
9 evidence of leakage coming from above.

10 Category 4 plants, in limited inspections,
11 but when they review their history, there may have
12 been some leakage, but none of it reached the outer
13 surface of the head -- you know, little seal leak that
14 -- you know, there's no evidence that the boric acid
15 got all the way down to the head or anything like
16 that, or the affected area, if it did get to the head,
17 was cleaned off.

18 And then there was the other category
19 which, for a number of reasons, they may not fit any
20 of these, or there may have left some boric acid on
21 the head. Those were the four categories and the
22 Other group. So, if you look at it, everybody
23 basically in Category 1, 2, 3 or 4 felt they had a
24 pretty good story for why they don't have boric acid
25 on top of their head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: There's a whole lot of
2 subsidiary questions to ask on that one, but we're not
3 going to take the time.

4 MR. MATHEWS: Okay. Put up the summary
5 slide.

6 (Slide.)

7 Basically, all the plants of less than ten
8 years will have inspected by the end of the Spring
9 2002 outages, and have reasonable assurance that none
10 of them have been returned to service with significant
11 corrosion of the head or CRDM leakage. And of the
12 plants that are left in 30 EFPY, 34 out of 40 of those
13 plants will have done inspections by the spring. And
14 then five more in the fall, and then six of them do
15 make it over into the 2003 time frame.

16 MR. FORD: I've only got one question.
17 You're assuming that if you don't see boric acid on
18 the head, then you have no problems?

19 MR. MATHEWS: Yes, I guess that's the next
20 --

21 (Simultaneous discussion.)

22 MR. MATHEWS: So far, in the industry, I
23 think 34 penetrations, leaking penetrations were
24 detected by visible evidence of boric acid during
25 visual exams from the top of the head, or could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been if they weren't masked by other boric acid
2 deposits. A total of 203 nozzles have been inspected
3 by NDE, and by that I mean UT or AD-current from
4 underneath the head at nine plants where the leaks
5 have been found, and NDE confirmed the through-wall
6 leaks in all 34 penetrations which showed the visible
7 evidence, and it did not detect through-wall leaks in
8 any of the additional 169 penetrations that were
9 examined.

10 MR. FORD: And yet in the EPRI -- you're
11 going toward the conclusion that you can manage by
12 leakage detection, and yet EPRI, in their Boric Acid
13 Corrosion Manual, say that for these particular head
14 penetrations you cannot rely on visual detection on
15 the head for what is happening down at the bottom --

16 MR. MATHEWS: To quantify that, I would
17 think that may be true, and that's something we're
18 looking at -- you know, can you get a cavity down
19 here. I guess the basic message we're saying right
20 here is, we don't see any way to get to cavity without
21 getting something on top of the head simultaneously.
22 I mean, the stuff --

23 MR. HUNT: Steve Hunt. As the author of
24 that statement -- the statement in the Boric Acid
25 Guidebook is correct, as it stands, that you cannot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see the cavity which is underneath the surface, but
2 you will be able to see the pile of boric acid
3 crystals on top that led to the formation of the
4 cavity, and we're in the process of trying to quantify
5 that right now.

6 MR. SHACK: I guess that's my question,
7 the 34 leaking penetrations, are they all sort of like
8 at Oconee 3, or do you see very small amounts of boric
9 acid, or have we had any significant amount of boric
10 acid buildup?

11 MS. KING: Most of them have been similar
12 to the initial deposits identified at Oconee.

13 MR. MATHEWS: As I recall, even the ones
14 where it was a weld crack that didn't go into the tube
15 at all, it was the same sort of stuff -- you know, a
16 little bit of accumulation on top, not any massive
17 amounts of boric acid buildup anywhere.

18 Anybody in the audience remember any?

19 (No response.)

20 No, I didn't think so.

21 MR. KRESS: The NDE results, would they
22 have found the cavity, if it had been there?

23 MR. MATHEWS: They were not typically
24 designed to look for that kind of thing. They were
25 looking for flaws, and the leakage path stuff that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shown by Davis-Besse showing the lack of hard contact
2 between the penetration in the head bore was something
3 that just kind of popped out after-the-fact as they
4 were reviewing some -- not Davis-Besse -- but as
5 Framatome was reviewing data, and going back and
6 taking a look at it.

7 Cavities, no. The NDE that we have used
8 to date could not detect the cavity. The best it
9 could do is tell you that there is a lack of hard
10 metal contact, if you're using the right techniques
11 and looking at it in the right way. But as far as is
12 it 2 mls or quarter of a mile, I don't think we could
13 tell the difference with these techniques. But that
14 is not to say we are not working on or looking into is
15 there -- are there techniques out there that could be
16 used to detect how far away the carbon steel is or to
17 actually measure any wastage. We don't know where
18 we're going with that right now, but it's certainly
19 something we're looking into.

20 Other than the ones at Davis-Besse, the 31
21 nozzles, there's been no evidence of any significant
22 corrosion, I think we know that.

23 MR. FORD: I'd just underline as a fact,
24 we'd better understand why.

25 MR. MATHEWS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: Okay. Thanks so much, indeed.

2 MR. MARION: Alex Marion, NEI. just a
3 couple points I'd like to make. The industry is
4 extremely concerned about the Davis-Besse experience.
5 We are, quite frankly, anxious to obtain a copy of the
6 final root cause analysis, and we're also interested
7 in getting a copy of the NRC's augmented Inspection
8 Team Report. As that information is made available,
9 we'll integrate it into the program, as Larry touched
10 on during his presentation.

11 This Thursday, we're having a meeting with
12 the industry chief nuclear officers. This topic is on
13 the agenda. Mike Cockman (phonetic) is one of the
14 executive sponsors of the MRP, is planning to give the
15 presentation.

16 We've additionally had conversations with
17 INPO, the Institute of Nuclear Power Operations, to
18 get a sense of what they can do relative to some of
19 the programmatic activities in boric acid corrosion,
20 et cetera. So we're going to be doing some additional
21 enhancements as time goes on.

22 Let me just speak briefly to the policy
23 issue that the NRC staff identified this morning about
24 continuing to rely on detection of leakage versus some
25 other form of nondestructive examinations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We had a meeting of the PWR, Pressurized
2 Water Reactor Materials Management Program Committee -
3 - if I got that right -- the executive steering group
4 that over sees the MRP and the steam generator
5 projects at EPRI, and at a meeting in March they gave
6 a recommendation to the technical staff that visual
7 examination alone is not effective as a long-term
8 strategy.

9 So, as we're getting the results of the
10 spring outages and we're getting the results of the
11 Davis-Besse experience, we're going to try to pull all
12 that together into a cohesive long-term program.

13 Lastly, I want to let you know that we are
14 going to be updating our survey results and sending
15 them to the NRC at the completion of the spring
16 outages, which will likely be in the June time frame,
17 I would think, June-July time frame.

18 And, finally, I'd like to thank you for
19 the opportunity to discuss the industry activities on
20 these two important bulletins, and we'll be more than
21 happy to brief the subcommittee and the full ACRS in
22 the future as we move forward with the NRC in trying
23 to understand the implications of this problem.

24 MR. FORD: Thank you so much.

25 MR. STROSNIDER: Jack Strosnider, of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff. You've heard a lot of information this
2 afternoon. I guess there was a suggestion at the
3 beginning of this that I was going to summarize it,
4 which might be a little ambitious. But I think it's
5 always worth looking at these issues in terms of the
6 NRC's performance goals and just reflecting on that
7 for a minute. The first of those goals, and the most
8 important, is maintaining safety.

9 The Davis-Besse degradation of the reactor
10 vessel head is a very significant issue, everybody
11 recognizes that significant degradation of the reactor
12 coolant pressure boundary.

13 Ken Karwoski went through fairly quickly
14 what we've done with regard to the bulletin we put
15 out, but I'd just like to point out that if you look
16 at both our interaction with the industry and the
17 actions they took and the information they provided
18 and the bulletin we put out, it was in a very short
19 time frame. If you look at how long it typically
20 takes to get these out, you'll see that the
21 significance of this issue was certainly recognized.

22 In addition, we're casting a wide net in
23 that bulletin and also in our responses. Without a
24 well defined root cause, we have to take that
25 conservative approach. So, for example, a plant has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had seal or flange leaks, but is low susceptibility,
2 if they can't show that those leaks haven't reached
3 the head or that they've taken some action, we'll
4 probably be talking to them, and we expect that it's
5 going to take a lot of digging into these responses,
6 but we're talking on the order of weeks before we
7 identify what plants we might need to follow up on.

8 Having said that with regard to the Davis-
9 Besse degradation, we need to make sure we don't lose
10 sight of the control rod drive penetration cracking,
11 which is also a significant issue. There may be some
12 relation, but in and of itself it's significant.

13 And we summarized the results of the
14 inspections done in response to last year's bulletin.
15 Based on what we've seen, we think that the actions
16 being taken are dealing with that issue in the short-
17 term, but as we pointed out, this issue will not go
18 away. It's going to be more broad-spread, and we need
19 to have that long-term program put in place in order
20 to maintain safety in the long-run, which brings me to
21 the next performance objective of increasing
22 efficiency and effectiveness.

23 Until we get that long-term program in
24 place, frankly, we're being pretty inefficient because
25 we're dealing with all these issues on plant-specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basis, and that takes resources for the NRC and the
2 industry. So we certainly have a motivation to do
3 that as quickly as possible. And to be frank, I think
4 we have lost some ground because the industry and NRC
5 -- we had to deal with the Davis-Besse issue when it
6 came up, and that's had some impact.

7 We had hoped to be here at this meeting
8 providing the committee some of the technical basis
9 for that long-term program, and we're not there yet.
10 We need to come back with that. And until we do that,
11 we're going to be paying the price of spending more
12 resources on a plant-specific basis and probably with
13 more conservative decisions than might be necessary
14 until we can get all that technical basis laid out.
15 So we do need to come back to the committee with that,
16 and we need to do that for our own good.

17 With regard to reducing unnecessary
18 burden, there's going to be necessary burden
19 associated with this issue. The industry recognizes
20 that. They are putting the resources into it, and NRC
21 as well, so I think everybody recognizes they are
22 going to have to do what's necessary to deal with
23 this.

24 Finally, with regard to public confidence,
25 there is a lot of interest in this issue. Our public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meetings have been well attended. We've had a lot of
2 questions. I would just point to the Web site where
3 we're getting a lot of positive feedback in terms of
4 the information that's there and trying to keep people
5 onboard with what we're doing. So, I think in the
6 short-term we're dealing with the issues. We've got
7 this longer-term activity that we do need to get
8 underway and we need to make progress on.

9 MR. FORD: Thank you. If I could finish
10 off by just going around to my colleagues and asking
11 them to just give a very brief synopsis of their
12 thoughts at this stage, and also some information that
13 we can give to the presenters for Thursday, when we
14 have a two-hour presentation to the full ACRS -- in
15 other words, what's keeping you awake at night.
16 Mario?

17 MR. BONACA: Well, just two observations.
18 One is, you know, there have been 34 leaking
19 penetrations and, of those, one of them has shown
20 significant wastage on the outside. The others
21 haven't. We concluded somewhat in the conversation
22 that most likely it is because it is a very old one.
23 I don't think we should jump to conclusions. There
24 may be some degradation mechanism. He has suggested
25 possible impingement, I don't know. I'm not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 postulating anything, just simple I think we need to
2 understand what made this different from the others.

3 And the second observation I would like to
4 make is that right now the whole program on CRDM
5 cracking is focused on essentially building a schedule
6 based on the vulnerability of the units, and then do
7 visual or UT measurement for detection, that
8 detection. Yet, we have learned from the Davis-Besse
9 event that they had indirect indications -- you know,
10 the containment had cooler clogging, containment
11 radiation, monitor and filter clogging, and then plate
12 out of boric acid on cold surfaces, and I really
13 wonder if, in fact, the unit shouldn't have simple
14 observation program internally as part of this that
15 says let's monitor this indication, that was
16 significant for Davis-Besse, so that will give us an
17 indication as a minimum that something beyond the
18 cracking is occurring, which is essentially a
19 significant leak as they had at Davis-Besse, I don't
20 think is a burden and probably just part of normal
21 observation in walk-downs and things of that kind.
22 I think it would be appropriate because I think for
23 Davis-Besse they provided significant indication
24 that's a lesson learned. That's all.

25 MR. FORD: Tom.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: I would like to second
2 everything he said, plus add one other. We saw a
3 chart of the thickness of -- the mapping of the cavity
4 was obtained some way, and it seems to me like it's
5 possible to inspect for cavity as well as the cracks.
6 And I think that ought to be part of the process of
7 the inspection. There ought to be something -- and we
8 heard that they are thinking about things, but that
9 ought to be part of it, inspect for a cavity as well
10 as for cracks.

11 MR. FORD: Steve.

12 MR. ROSEN: I'm looking down the road
13 quite a way and thinking about the time when Davis-
14 Besse has repaired its head or bought a new one or
15 somehow gone back into operation, but there are other
16 damage that needs to be repaired besides the physical
17 damage, and it was alluded to, I think, by the Davis-
18 Besse people, in particular, thinking about it in
19 terms of the precursor decision not to improve reactor
20 vessel head access, and then later on the lack of a
21 questioning attitude that Mario referred to with
22 regard to the performance of the containment coolers
23 and the radiation monitor filters, which is a weakness
24 that has important impacts on the corrective action
25 program and attributes for the corrective action

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program, that lack of questioning attitude. So, the
2 corrective action program needs to have a look, and
3 I'm sure that Davis-Besse will be working on that.

4 And if you have a weakness in the
5 corrective action program, you need to be thinking
6 broadly about safety culture in the plant because it's
7 such an important piece of -- the corrective action
8 program is such an important piece of the safety
9 culture. So, those broader questions occur to me as
10 I think about this, and in the long-term future of
11 Davis-Besse and focusing on the macroscopic rather
12 than the microscopic.

13 MR. FORD: John.

14 MR. SIEBER: Well, I agree with Mario, and
15 also Steve, on the issue of inspecting for excavations
16 in the head, so to speak. Since the policy right now
17 is to rely on leakage rather than volumetric
18 examinations, I don't think that you could imply that
19 there is a way to detect cavities by what licensees
20 are now doing. I'm not also familiar with directly a
21 volumetric examination of the head, how you would do
22 it by looking through the nozzle because of that
23 interface there. You just can't get across the
24 boundary.

25 I think the decision of leakage versus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volumetric still needs to be made, but I think that I
2 would prefer the staff to tell us what decision they
3 come to rather than we suggest to them what way they
4 ought to go because I think there is a case that says
5 leakage measurement may be good enough for this kind
6 of mechanism.

7 One thing that I feel -- I thought all the
8 presentations were very good. I believe, however,
9 that there were a number of hypotheses involved in
10 what causes this, the root cause analysis, and so
11 forth, and we end up with perhaps a difference of
12 opinion or, in my own case, maybe a different opinion
13 versus time as we go along, that tells me that there
14 ought to be a greater reconciliation with the
15 hypothetical causes of things and physical
16 observations versus the body of scientific data that's
17 out there. And the reason that is is to try to
18 confirm the validity of the hypotheses that's applied
19 to why didn't I observe this, why did this occur, and
20 so forth down the line. I would like to see a little
21 bit more rigor in this process as we go along, so that
22 we really understand what's going on and we can say
23 truthfully, as scientists and engineers, that this is
24 reasonable based on the body of corrosion data, for
25 example, that's out there. And so I would have liked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to have seen a little bit more meat on the bones in
2 that area. Otherwise, I'm pretty well convinced that
3 NEI and EPRI and the MRP are dedicated to resolving
4 the issue. I see the licensees acting responsibly
5 with regard to at least the first bulletin. The
6 answer to the second one probably isn't due in yet,
7 except for maybe the 15-day response, but I'm
8 heartened by the fact that licensees are doing that,
9 the staff is paying attention and putting this as a
10 high priority and the industry groups are doing the
11 same.

12 So, those are basically my thoughts at
13 this point in time.

14 MR. KRESS: Let me comment for just a
15 moment on my comment on looking for wastage directly.
16 You surely would get leakage if you had that extent of
17 wastage, but you can't take that in the negative sense
18 and say, okay, I've got leakage, I've got wastage.
19 You can do that with a crack. So, you need a way, I
20 say, in the program to decide whether or not you have
21 wastage, and you can't do it with leakage. That could
22 be an indicator that you've got it, but it is not an
23 extent as it is with cracks. If you've got the
24 leakage, you pretty well know you've got cracks. That
25 was the nature of my comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Yeah, and I think there is a
2 way to use leakage as a way of determining whether
3 wastage is occurring or not.

4 MR. KRESS: I don't think so, that's my
5 problem.

6 MR. SIEBER: Well, the rivers of iron
7 coming down the side, to me, tells me there's wastage
8 going on.

9 MR. KRESS: That may be. You may have a
10 way there.

11 MR. SIEBER: When everything turns brown -
12 -

13 MR. KRESS: I think it's too late, maybe.

14 MR. SIEBER: -- in nuclear, that's iron.

15 MR. LEITCH: I guess one comment I'd like
16 to make, although I'm not familiar with Davis-Besse
17 and it's always easy to jump to conclusions, I'd like
18 to echo my concern that there seems to be a lack of a
19 questioning attitude. It looks as though there's a
20 number of opportunities that were missed that could
21 have, if not prevented this, certainly have prevented
22 it from getting as far as it got.

23 It's always difficult, and I certainly
24 sympathize with the plant people, it's always
25 difficult to look at a couple different points and say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a lack of a questioning attitude, but yet from
2 the data that's been presented here, it seems to me
3 that that is something that may be an issue there.
4 Can't say definitively that it is, I'm just not that
5 familiar with it, but certainly there's a couple of
6 data points here that would seem to suggest that.

7 The other thing that I would like to have
8 heard about, and I guess it's still future, is just
9 what is the final vision for how Davis-Besse is going
10 to be returned to service. We alluded to just --
11 there was a very brief allusion to a drilling
12 operation there and fixing it, but what is the nature
13 of the final inspection of the head going to be? In
14 other words, are we going to get a good solid bare
15 metal inspection of this head, are those modifications
16 that were suggested in 1990, or whatever it was, to
17 facilitate future inspection of the head, are those
18 modifications going to be installed at this time? And
19 I know those issues are still under discussion and
20 some of them just cannot be answered at the moment,
21 but what I'm saying is that's an area where I'm
22 curious about just what are the next steps.

23 Included in that perhaps is this issue --
24 and, again, it was just briefly referred to and,
25 again, I think it's a subject of another meeting --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about the thickness of the stainless steel cladding
2 and that it would have been able to withstand 5,000
3 pounds or something like that. And my question there
4 was is that the actual stainless cladding, or was that
5 the design stainless cladding, are the two the same,
6 is there a nominal thickness or an actual thickness
7 that's used?

8 MR. SIEBER: How many cracks are in it.

9 MR. LEITCH: Yeah, right. But it seems to
10 me that this was coming very, very close in spite of
11 those calculations, at least my gut seems to tell me
12 that it was coming very close to being a very
13 significant LOCA.

14 I guess the other questions relate more to
15 the rest of the industry. I see plants in categories
16 -- I'm not sure I remember the categorization numbers
17 -- 3, 4 and Other, I guess -- and, again, this is
18 something that I know is in progress and is a very
19 current subject and is being worked on, but it sounds
20 as though there's a great number of plants that, for
21 one reason or another, cannot make a really good bare
22 metal inspection of the entire head. I guess I'm
23 wondering how, if that is the case, how are they
24 satisfying the general design criteria that says
25 that's what we're supposed to do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I guess, as I say, all these things are
2 future and still under discussion, but my questions
3 were not so much with what was presented today, but
4 where do we go from here.

5 MR. FORD: Bill?

6 MR. SHACK: You've said so much, I'm not
7 sure there's anything left to say except I probably
8 disagree with my friend, Dr. Kress, and probably
9 disagree with you, but we'll discuss that later at
10 dinner.

11 Like Mario, I'm still puzzled by the 33
12 and the 1, and I certainly agree with Steve and
13 Graham, there does seem to be a problem with the
14 questioning attitude here, maybe in particular, for
15 this particular case. It seems to that both the staff
16 and the industry are making progress in addressing the
17 issue, so we'll just have to wait and see what
18 happens.

19 MR. FORD: The thing that keeps me awake,
20 I guess, is the same as we've all alluded to, is the
21 root cause and the way the hypothesis is going -- this
22 is for the degradation issue -- is that any axial
23 crack could give you degradation, according to the
24 hypothesis that we've got right now, and we don't have
25 a clear algorithm to say why we'll get excessive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 degradation at this plant and not at these others, and
2 in terms of the annulus size or the temperature or
3 whatever it might be. We don't have that algorithm and
4 we'd better have that algorithm fairly quickly.

5 So, a good root cause -- quantitative,
6 predictive root cause analysis backed up by, as you
7 say, Jack, information from literature and from
8 mockups.

9 Another thing that keeps me awake is,
10 well, okay, then, what's the risk associated with
11 this? We haven't heard -- I know there have been
12 published some risk analyses, but we didn't see any
13 today. I suspect that's what might, if it can be made
14 available in time, might interest, for instance,
15 George Asposkolocaz (phonetic) and Dana Powers, who
16 will be available on Thursday and who are not here
17 today. Those are the things that would keep me awake
18 and which I would like some clarification on.

19 Apart from the management aspect, I am
20 absolutely convinced on both bulletins we are moving
21 forward as quickly as we can. We'd love to see it
22 moving forward faster. We'd love to see better
23 communications, if that's necessary, between all the
24 parties in this huge matrix organization, if not
25 industry, but those are management questions, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things that we can solve here.

2 On that point, if anybody has any
3 questions on what we should be discussing in the short
4 time we have, two hours on Thursday, come and chat
5 with us.

6 Well, on that basis, thank you very much,
7 everybody. It's been very interesting. This is now
8 adjourned.

9 (Whereupon, at 6:15 p.m., the joint
10 Subcommittee meeting was concluded.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: Advisory committee on
Reactor Safeguards Materials
and Metallurgy and Plant
Operations Joint
Subcommittee Meeting

Docket Number: N/A

Location: Rockville, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.

15/ *Phyllis Young*
Phyllis Young
Official Reporter
Neal R. Gross & Co., Inc.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701