

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

1:53 p.m.

CHAIRMAN APOSTOLAKIS: Next item, "CRDM Penetration Cracking and Reactor Pressure Vessel Head Degradation." Dr. Ford, please lead us through this discussion.

MEMBER FORD: On April 9, presentations were made to the Materials and Metallurgy and the Plant Operations Subcommittees on the 2001-1 and 2002-1 bulletins relating to cracking of CRDM housings and the degradation of CRDM housings. Obviously there's a tremendous amount of work going on on those two issues by both the industry and the staff. And on April 9, we heard preliminary information especially on that from Davis-Besse related to the root cause and generic implications of the degradation.

Today, we're going to hear an update on these issues, and it's primarily for information. The staff have not requested a letter from us. Future meetings with the subcommittees and the full ACRS are scheduled somewhere in the near future for which there will be a letter, presumably, requested. Jack, you didn't have any comments?

MEMBER SIEBER: No.

MEMBER FORD: I'd like to move on then.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're going to take it in order, from the industry
2 perspective, given by Larry Mathews, and then we'll
3 move on to the Davis-Besse, and then finishing off
4 with the presentation by the staff. So Larry is the
5 Chairman of the MRP Program and from Southern Nuclear.

6 MEMBER SIEBER: What's MRP?

7 MEMBER SHACK: The first test.

8 CHAIRMAN APOSTOLAKIS: What's MRP?

9 MEMBER FORD: Materials Reliability
10 Program, sponsored by EPRI.

11 MR. MATHEWS: Like Dr. Ford said, I'm
12 Chairman -- is this on? I'm Chairman of the Alloy 600
13 Issues Task Group of the Materials and Reliability
14 Program. I work for Southern Nuclear, in case you
15 care, or at least they pay me. I don't do much for
16 them.

17 (Laughter.)

18 MEMBER POWERS: An extraordinarily honest
19 man here.

20 MR. MATHEWS: Not to imply I don't work.
21 I just don't --

22 (Laughter.)

23 These are kind of four topics I'd like to
24 run through fairly quickly here today and provide a
25 summary on: The Alloy 600 82/182 strategic plan that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we have developed, an update on where we stand on
2 crack growth rate issues, some brief words on the risk
3 assessment and the probabilistic fracture mechanics
4 that we're doing for the reactor vessel head
5 penetrations and then, basically, how we are
6 responding to the Davis-Besse issue at this point.

7 This is basically an outline of the
8 strategic plan that the MRP has put together to
9 address the Alloy 600 and the 81/182 issues. The plan
10 has a problem staying on the goal and mission of
11 trying to manage the issue, how we're going to go
12 about it, what the roles of our various stakeholders
13 are. And then we have a strategy right now, which are
14 the five areas you see here.

15 Basically, on the -- are you looking for
16 this presentation?

17 PARTICIPANT: Huh?

18 MR. MATHEWS: Are you looking for the
19 presentation?

20 PARTICIPANT: No, no, no.

21 MR. MATHEWS: Oh, okay, okay. On the butt
22 welds, the basically strategy we've laid out is we're
23 going to rely primarily on the ASME Section 11, the
24 guidance for inspections and the frequency, but we're
25 driving and we're trying to drive improvements into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technology for doing those inspections. And,
2 primarily, Appendix 8 has to be implemented by next
3 fall, and at that point, all the inspections will be
4 done by qualified inspectors.

5 One of the things we will have to be
6 looking at potentially in more detail is the
7 frequency, is it appropriate, et cetera? But that's
8 where we are right now is we believe Section 11,
9 coupled with Appendix 8, will be the appropriate way
10 to do it. There is a potential issue with the pass
11 rates and the qualifications of the inspectors, and
12 we're trying to address that right now.

13 There's other areas up here, excuse me.
14 The head penetrations in the near term, we put
15 finalizing a safety assessment, but the real thing
16 we're doing here is putting together mockups to drive
17 the technology for doing volumetric inspections and to
18 demonstrate those inspections. We're having mockups
19 built that will be used in blind tests this summer for
20 vendors that will be qualifying to do volumetric or
21 under-the-head inspections next fall. There's also a
22 mockup that was built that was available for people to
23 use early and then another one for the spring outages.

24 In the area of the longer term, what we're
25 doing to do is get out inspection guidelines on what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 people ought to be doing, as far as inspecting their
2 head penetrations. And then we want to work with the
3 NRC and ASME to make sure this is, you know, all in
4 conjunction with what's the right thing to do as far
5 as inspecting the heads.

6 All the other locations, we're working
7 with the owners' groups to see what's already been
8 done. We don't want to duplicate anything for all the
9 other Alloy 600 locations. And where there are holes
10 in what they've accomplished, we know they've done a
11 lot of work, where there's holes in what they've
12 accomplished, we'll work with those owners' groups and
13 vendors to figure out where's the right place to
14 develop those guidelines and get those programs
15 underway.

16 And, ultimately, the goal is to get out a
17 management guideline for all the locations that would
18 either provide information on how to manage it for
19 your plant or direct you to where it would be
20 available.

21 One of the first things we want to work on
22 is the inspection plant. We have draft inspection
23 plant out now. This is something we need to get with
24 the staff and make sure we're all in agreement on
25 what's the right thing to do in the inspection. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it basically marches toward -- as the plant gets older
2 and it has more time at temperature on the vessel
3 head, the inspection should become more rigorous, if
4 you will, going from a visual to ultimately,
5 potentially all the way down to you must do a
6 volumetric on some frequency. We haven't finalized
7 that. That's in the final stages at this point.

8 In the area of crack growth rate for Alloy
9 600, what we're trying to do is figure out what's the
10 right crack growth rate people ought to be using when
11 they're trying to do evaluations of cracks in the
12 Alloy 600, initially looking at the base metal. We've
13 created an expert panel. That expert panel has met
14 several times, and they've screened databases
15 available in the world. They're trying to refine
16 their approach. It's been consolidated, but
17 apparently, recently, we were very close to publishing
18 the report, but then one of the labs said, "Well, we
19 want to take another look at our own data."

20 And then while that's going on, Davis-
21 Besse occurs, and so especially with respect to what
22 the annulus environment might be and the impact of the
23 annulus environment, the experts said, "Well, we know
24 what we said," and I'll tell you what that was in a
25 second, "but before we publish we want to take another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 look at that and make sure we still believe it." And
2 so they're meeting next week. It's a sid bar meeting
3 to a meeting going on in France to look at that issue.

4 CHAIRMAN APOSTOLAKIS: So when you say
5 "curve," what are the axes? I mean one must be the
6 growth rate.

7 MR. MATHEWS: Growth rate and stress
8 intensity factor.

9 CHAIRMAN APOSTOLAKIS: Stress intensity.
10 Now, isn't there any uncertainty in those curves? I
11 mean are you displaying --

12 MR. MATHEWS: Oh, yes, quite a bit.

13 CHAIRMAN APOSTOLAKIS: And you are
14 displaying it?

15 MR. MATHEWS: Pardon?

16 CHAIRMAN APOSTOLAKIS: You are displaying
17 it or are you just showing one curve?

18 MR. MATHEWS: What we're proposing is a
19 couple of different approaches.

20 MEMBER FORD: Well, before you -- are you
21 going to continue answering that specific question?

22 MR. MATHEWS: Yes. Go ahead. What were
23 you going to say?

24 MEMBER FORD: Well, answer that question,
25 because I want to come back to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHEWS: Okay. What we've done is
2 we've taken the whole database and we've come up with
3 a curve that we feel can be used for the deterministic
4 evaluation of the crack growth rate for real flaws.
5 And, basically, any flaws that you're trying to
6 evaluate to leave in surface, the main ones that have
7 been evaluated are flaws that are either ID axial
8 flaws or if they are on the OD, they're below the
9 weld. Anything above the weld it has to be a leakage
10 path, and we can't leave that in service, so we
11 wouldn't be evaluating real flaws above the weld.

12 We do want to evaluate hypothetical flaws,
13 for instance, all in the circ direction to determine
14 if it flows into the safety, how long have we got and
15 that sort of thing. And so above-the-weld flaws
16 they've recommended a factor of two to account for the
17 chemistry in the environment, but that's one of the
18 things that the guys are going to take a look at next
19 week in France, will make sure that Davis-Besse
20 doesn't really throw a monkey wrench in.

21 CHAIRMAN APOSTOLAKIS: But are on the
22 issue of uncertainty now? You said it can be used for
23 deterministic evaluation.

24 MR. MATHEWS: Right. And the curve that
25 we're proposing is for deterministic evaluation is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like the one that would fit the 75th percentile of all
2 the heats and material in the database.

3 CHAIRMAN APOSTOLAKIS: Oh. So you're --
4 oh.

5 MEMBER FORD: I think this is an ongoing
6 argument within the industry for quite some time, and
7 you've got a big scattered database, experimental.
8 How much of that scatter is due to experimental
9 control? Is much of it due to heat variations, for
10 instance, in the materials in that database? And we
11 have requested that at the next meeting that that
12 database will be shown to the committees and how that
13 has been analyzed. So that will directly answer your
14 question.

15 CHAIRMAN APOSTOLAKIS: Because it would
16 seem to me to be an ideal place for a family of
17 curves, would it not?

18 MEMBER FORD: For a --

19 CHAIRMAN APOSTOLAKIS: A family of curves
20 rather than one curve.

21 MEMBER SHACK: People recognize there is
22 a distribution. Just for deterministic evaluation
23 you'd like to have --

24 MR. MATHEWS: No, but if you knew exactly
25 -- if you knew exactly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: No. CGR data for
2 base material feeds directly into the PRA.

3 MR. MATHEWS: Well, that's not how we feed
4 it into the probablistic approach, though. Instead of
5 feeding it into the probablistic approach as a single
6 curve, we put the whole database and all the scatter
7 of the database to be sampled in the probablistic
8 approach. The whole scatter for the whole database is
9 put into the probablistic analysis.

10 CHAIRMAN APOSTOLAKIS: I'd like to see
11 that.

12 MEMBER FORD: That is one of the things
13 we've been asking that we do all see the database so
14 we can understand the reasoning behind these words.

15 MR. MATHEWS: Yes. And some of the staff
16 is saying but we haven't shown them the ACRS. And
17 part of the reason is it's in a state of flux right
18 now.

19 CHAIRMAN APOSTOLAKIS: So you're going to
20 do this in a subcommittee meeting?

21 MEMBER FORD: We'll do it in the
22 subcommittee and present it at the full committee,
23 yes.

24 MR. MATHEWS: And hopefully we can do that
25 at the next meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Correct.

2 MR. MATHEWS: I think we'll be much closer
3 and we can do that.

4 MEMBER FORD: Could you go back to your
5 previous page?

6 MR. MATHEWS: Sure.

7 MEMBER FORD: The implications of the
8 Davis-Besse, your last bullet, is that in terms of the
9 question as to what the environment is in the
10 circumferential annulus?

11 MR. MATHEWS: Yes. That's what -- I
12 believe that's what the experts would want to take a
13 look at. They had made some assumptions, some MULTEQ
14 calculations and some other discussions amongst the
15 experts about what are the possible environments that
16 could be in there in the annulus region, and then what
17 effect would that have on the crack growth rate? And
18 they came up with what they felt was a conservative
19 multiplier, a factor of two.

20 Given the situation at Davis-Besse,
21 thought, they said, "Well, I don't know that it's
22 going to change, but let's take a look at it and see
23 if there's anything coming out of the Davis-Besse
24 situation that would say that environment that we
25 predicted is inappropriate to use for a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circumferential crack growth.

2 MEMBER FORD: And, again, that information
3 will be discussed, presumably, at the next meeting,
4 this specific information.

5 MR. MATHEWS: We hope to have our report
6 published well in advance of that meeting, and we can
7 come talk about it.

8 CHAIRMAN APOSTOLAKIS: Next meeting.

9 MEMBER FORD: Well, in the near future,
10 maybe one, two months time.

11 CHAIRMAN APOSTOLAKIS: Subcommittee
12 meeting.

13 MEMBER FORD: Correct.

14 MR. MATHEWS: Also, the expert panel they
15 met very recently to look at the weld metal Alloy
16 82/182 and what we know about the crack growth rates
17 in the weld metal. And they will be coming back to
18 the MRP with recommendations on where there's holes in
19 that database, and there are likely to be some because
20 it's a limited database and where testing may be
21 needed.

22 There's also a research effort that's
23 being undertaken right now by EPRI, and it's a DOE
24 part of the NEPO Program to look at some crack growth
25 rates in weld metal. And there may be some additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 base metal crack growth rate in there, I'm not sure.
2 And we will certainly be willing to continue to update
3 you as we get more data, maybe provide you some.

4 In the area of the risk assessment work,
5 the approach is to predict the probability of leakage
6 based on the industry experience and where we've seen
7 links and modeling that in a Weibull model, Weibull
8 statistics model. Then compute, after a leak
9 develops, the probability of a nozzle ejection,
10 looking at or considering the initiation and growth of
11 a circumferential flaw above the J-groove weld. We
12 can factor into that inspection and the probability
13 that a leak might be detected prior to growing to an
14 ejection situation.

15 CHAIRMAN APOSTOLAKIS: How would you do
16 that?

17 MR. MATHEWS: I left that slide out. What
18 you do is as the model progresses through the time,
19 it's a statistical model but it progresses through
20 time, and at given points in there, depending on the
21 inspection frequency that you put in, you can put in
22 a probability of detection. And if you -- and you do
23 a sample on that. And if you find the probability
24 that it is detected on that particular sample, you
25 take it out of the database for an ejection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And if you don't, it goes on down to maybe
2 the next level of inspection or the next whatever.
3 You just the run the statistics, and if you put a
4 probability of detection of 80 or 90 percent in there
5 and you're doing inspection at a certain point in
6 time, then 80 or 90 percent of any flaws that might be
7 in existence there would be taken out of the database
8 or if they're not --

9 CHAIRMAN APOSTOLAKIS: Would that be
10 consistent with the Davis-Besse experience? An 80, 90
11 percent probability of detecting?

12 MR. MATHEWS: Today, I would say, yes,
13 probably. I'm not sure what the POD, probability of
14 detection, that we're going to put in there. That's
15 just the way it's modeled, and we'll have to decide.
16 We haven't settled down on exactly what kinds of
17 inspections or when they would be into the model to
18 figure out the risk. But, you know, before Oconee the
19 world was different than it was after Oconee, so
20 people look at things a whole lot different.

21 CHAIRMAN APOSTOLAKIS: See, what worries
22 me is that I don't know how many times the world is
23 going to change.

24 MR. MATHEWS: Oh, yes. I know what you
25 mean.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: I mean it
2 shouldn't. It should change any more for the current
3 generation reactors. That's my problem.

4 MR. MATHEWS: Knowledge isn't perfect, I
5 must admit.

6 CHAIRMAN APOSTOLAKIS: Boy, you can say
7 that again.

8 MR. MATHEWS: Yes. Anything else?
9 Finally, what we do is we grow the flaw to the
10 critical flaw size on a statistical basis from Monte
11 Carlo sampling, and some of them grow to critical flaw
12 and some of them don't. And then they take the
13 fractions that do and that's the probability there.

14 Couple that with the probability of a
15 conditional -- I'm sorry -- yes, with the conditional
16 core damage probability from a small break or medium
17 break LOCA, and you have the core damage frequency.
18 What we're going to do is assess the potential impact
19 on the conditional core damage probability of the
20 collateral damage. We think it's going to be minimal
21 that might occur from an ejection.

22 CHAIRMAN APOSTOLAKIS: Is it clear to
23 everyone why nozzle ejection is the issue here?

24 MEMBER SHACK: That's what causes your
25 medium-break LOCA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHEWS: Yes.

2 CHAIRMAN APOSTOLAKIS: Oh, that's --

3 MR. MATHEWS: In almost all -- you know,
4 if you look at all the times that plants run most of
5 the time, almost all the time these plants are up at
6 power and all the control rods are essentially all the
7 way out.

8 CHAIRMAN APOSTOLAKIS: So what's the
9 equivalent diameter?

10 MR. MATHEWS: The inside of a nozzle is
11 about two and five-eighths inches, I believe.

12 MEMBER SHACK: But when the whole thing
13 comes out, it's like four inches.

14 MR. MATHEWS: Yes.

15 CHAIRMAN APOSTOLAKIS: Oh, okay. So then
16 it's --

17 MR. MATHEWS: Well, you've still got to
18 get through the part that's left. If you have a circ
19 flaw above the well, then you've got a segment that's
20 left from the well down that's not ejected and the
21 inside diameter of that is two and something inches,
22 and if it's a control rod location, it will still have
23 a shaft in it unless that gets pulled on out too.

24 CHAIRMAN APOSTOLAKIS: How will you go to
25 the condition core damage probability? I mean you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would just consider the new probability of a medium
2 LOCA? The probability of nozzle ejection would be --

3 MR. MATHEWS: Well, the CCDP is the
4 conditional core damage probability.

5 CHAIRMAN APOSTOLAKIS: Right.

6 MR. MATHEWS: Given that you have a
7 medium-break LOCA, the plant risk assessments already
8 have looked at what is the probability that you have
9 core damage, given that you have a medium-break LOCA.
10 And that goes through all the possible failures of
11 your ECCS systems and all of that.

12 CHAIRMAN APOSTOLAKIS: Would you consider
13 dependencies between the initiating event and some of
14 the other events?

15 MR. MATHEWS: Yes.

16 CHAIRMAN APOSTOLAKIS: In particular
17 SCRAM? Would SCRAM be affected?

18 MR. MATHEWS: Yes. And that's what we
19 would look at as would there be collateral damage from
20 the ejection of a control rod nozzle that could make
21 that conditional core damage probability of a medium-
22 break LOCA higher than if it was on a pipe somewhere.
23 We'll look at that, and if it would make that
24 conditional core damage probability, given the LOCA
25 here as opposed to on a pipe higher, then that effect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would be factored into the risk assessment. We think
2 that effect's going to be minimal and we've gotten
3 some preliminary work from the vendor, but we need to
4 finalize that.

5 CHAIRMAN APOSTOLAKIS: So you are also
6 looking at small-break LOCA, I see. All right.

7 MR. MATHEWS: From a risk standpoint, yes.
8 We're not doing a deterministic blowdown of a small-
9 break LOCA type thing, it's more of a risk analysis.

10 CHAIRMAN APOSTOLAKIS: Okay. You're going
11 to have to have experts again telling you what's going
12 to happen if you have a nozzle ejection.

13 MR. MATHEWS: Yes. And the vendors know
14 --

15 CHAIRMAN APOSTOLAKIS: And how it will
16 affect the SCRAM system.

17 MR. MATHEWS: -- what's up there, and
18 we're asking them to provide us input on that, and
19 they've given us some preliminary stuff, and we need
20 to follow-up on that and figure out how to factor that
21 input back into the risk assessment.

22 CHAIRMAN APOSTOLAKIS: So when will this
23 be done?

24 MR. MATHEWS: We were hoping to be through
25 this month, but everything's kind of taken a --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 everybody's busy on Davis-Besse issues right now.

2 CHAIRMAN APOSTOLAKIS: Okay.

3 MR. MATHEWS: Some of the key elements of
4 the probabilistic fracture mechanics analysis, which is
5 the major part of the risk assessment, is the
6 simulation of the leakage as a function of time and a
7 Monte Carlo model. That's based on our time and
8 temperature model using the fracture for the stress
9 intensity factors, for the various types of flaws that
10 would be in there as the flaws grow. The entire
11 database for the structure crack growth rate database
12 and the statistics, all of those statistics would be
13 fed into for the sampling and then the effects of the
14 inspection and the inspection reliability.

15 We have some very preliminary results for
16 a tight temperature plant, and I do stress
17 preliminary. First cut thereafter after you've an
18 inspection, the probability of nozzle ejection within
19 the first or so is less than times ten to the minus
20 three after you've done inspection. And then the
21 conditional core damage probability, the worst one we
22 could find on the high temperature plants was five
23 times ten to the minus three. Multiplying those two
24 together you get a core damage frequency in the range
25 of five times ten to the minus six.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: What is the main
2 reason why the probabilities are so low?

3 MR. MATHEWS: The main reason the
4 probability of an ejection is so low after you've done
5 an inspection is that you've found your leaks and
6 repaired them. But in a few cases, when you do the
7 statistical Monte Carlo approach, you can have some
8 very high crack growth rates on some of this sampling.
9 And those that grow very, very rapidly a few of them
10 may grow all the way to the ejection in the sampling
11 process, but it's a very, very few of them within one
12 cycle or before you come back to do another
13 inspection.

14 CHAIRMAN APOSTOLAKIS: So you're assuming
15 that when the size reaches a certain level, then
16 there's a very high probability that they will be
17 caught by inspection and somebody will act on it.

18 MR. MATHEWS: Yes. Given today's
19 environment and what everybody knows about what they
20 need to be looking for, yes.

21 CHAIRMAN APOSTOLAKIS: Today's environment
22 meaning?

23 MR. MATHEWS: After Ocone. I mean Ocone
24 showed that you could have a leaking penetration that
25 didn't have a lot of boric acid coming out down the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 side of your vessel. And so now people are keyed into
2 you have to look for popcorn instead of big piles.

3 CHAIRMAN APOSTOLAKIS: And CCDP, why is it
4 so low?

5 MR. MATHEWS: Because a small-break LOCA
6 or --

7 CHAIRMAN APOSTOLAKIS: No, a medium LOCA.

8 MR. MATHEWS: Okay. I'm not sure of the
9 exact square inches on the small and medium LOCA, but
10 we have lots of safety systems that are designed to
11 handle the LOCA and to keep the core from being
12 damaged. And the way you get damaged typically on a
13 risk assessment analysis on the LOCAs is something
14 fails, and there's probability and statistics put in
15 on a failure probabilities of your various safety
16 systems, and as you do that sampling on all the
17 systems and their probabilities, it comes out with a
18 fairly low probability for that size break that you're
19 going to have core damage.

20 CHAIRMAN APOSTOLAKIS: But how much credit
21 are you taking for scrap?

22 MR. MATHEWS: I'd have to go look at the
23 PRAs. I'm not sure if we -- I know in the design
24 basis axis on LOCAs I'm not sure we take any credit
25 for SCRAM.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: You're not sure of
2 what?

3 MR. MATHEWS: I'm not sure they take any
4 credit on the design basis analysis, but on the risk
5 assessment I think we do take credit for SCRAM.

6 CHAIRMAN APOSTOLAKIS: The question is how
7 much because I don't know that we really know what's
8 going to happen if you have a medium-break LOCA at
9 that location.

10 MR. MATHEWS: Well, that's what we're
11 counting on the collateral damage assessment to tell
12 us: Does it have an impact on the conditional core
13 damage probability?

14 CHAIRMAN APOSTOLAKIS: Oh, so the
15 collateral damage is not part of these numbers?

16 MR. MATHEWS: Right. But like I say, the
17 conditional assessment we have from the vendors is
18 that it will have very minimal impact, if any, on the
19 conditional core damage probability. A break at the
20 top of the vessel is better than one that's at the
21 bottom, and the CCDP is for all breaks. But --

22 MEMBER ROSEN: A break at the top of the
23 vessel is better than one at the bottom but not for an
24 event when you want the control rods drives to
25 operate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: That's right.

2 MEMBER ROSEN: Because the control rod
3 drives on a PWR are at the top.

4 CHAIRMAN APOSTOLAKIS: They're at the top.

5 MR. MATHEWS: That's right. And that's
6 what we have to see and have to assess in this
7 collateral damage is is there something that could
8 happen that would prevent a SCRAM or a significant
9 portion of the rods from not going in? Severing the
10 cables is great.

11 MEMBER SIEBER: It's designed to have one
12 rod stuck up.

13 MR. MATHEWS: At least one.

14 MEMBER SIEBER: And still get enough
15 reactivity.

16 MEMBER ROSEN: From a reactivity
17 standpoint.

18 MEMBER SIEBER: But if you damage the
19 adjacent rods somehow so that they don't, then the
20 probability of core damage goes up.

21 CHAIRMAN APOSTOLAKIS: That's exactly what
22 we're exploring here.

23 MEMBER SIEBER: Wiping out 60 of them, I
24 think, is pretty improbable.

25 MEMBER ROSEN: What we're worried about is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the steam environment, the jet environment and all of
2 that that will be up there in very aggressive to the
3 operation of the drives and the rest of the equipment
4 up there.

5 MR. MATHEWS: Well, most anything that's
6 going to -- the real concern, if there is one, from a
7 collateral damage, is if you could something that
8 would prevent the rods from moving physically.

9 MEMBER ROSEN: That's right.

10 MR. MATHEWS: Severing the cables, no
11 problem, they're going in. It's the --

12 CHAIRMAN APOSTOLAKIS: Physical, yes.

13 MR. MATHEWS: If you bend the tube or
14 something like that, that's the condition --

15 MEMBER ROSEN: If you have a plate right
16 above this, you know, above the point where you have
17 the break, and you create a high pressure environment
18 between the plate and the top of the head and what if
19 that plate cocks or something like that? I mean you
20 can imagine --

21 MR. MATHEWS: The insulation plate.

22 MEMBER ROSEN: Yes.

23 MR. MATHEWS: Yes. Those are pretty low.

24 MEMBER SIEBER: But what's the point if it
25 does?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHEWS: And that's what -- we have
2 to look at the --

3 MEMBER SHACK: We're not done.

4 MR. MATHEWS: We're not done yet, but, you
5 know, I think I heard yesterday and it's, at least to
6 my way of thinking about it, the first thing that's
7 going to happen is the voids are going to shut the
8 reactor down.

9 CHAIRMAN APOSTOLAKIS: The point is that
10 the five ten to the minus six number does not include
11 considerations of this type.

12 MR. MATHEWS: Right.

13 CHAIRMAN APOSTOLAKIS: Okay.

14 MR. MATHEWS: It includes an initial
15 estimate that it's going to be a very minimal impact
16 on that number, but we still have to go back and tie
17 all that together. We're not through yet.

18 MEMBER FORD: The first time that such an
19 analysis was given, to the staff that is, was during
20 the Duke presentations relating to Oconee, and my
21 question now is have there been any subsequent
22 discussions between you and the staff on this whole
23 approach?

24 MR. MATHEWS: We've had some fairly
25 detailed meetings with the staff on how we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 modeling primarily the probablistic fractured
2 mechanics part. We haven't really gone in in much
3 detail on the rest of the risk assessment. I think
4 we've laid this level of detail out and discussed it
5 with the staff. But on the probablistic fracture
6 mechanics and how we're modeling the crack and the
7 crack growth rate, we've met with Ed Hackett and the
8 research folks and their contractors and had a couple
9 of rounds of questions about how we're doing it versus
10 how they're doing it and trying to reach resolution on
11 some of those issues.

12 MEMBER POWERS: Suppose that after all
13 that they said, "Gee, you're just doing great. The
14 crack growth rates are great, everything's great."
15 How do you know the results are right?

16 MR. MATHEWS: Well, from the probability
17 of leakage is -- well, it's based on the experience in
18 the field, and we continue to get experience in the
19 field, and that is adjustable to match the experience
20 in the field. We're trying to be somewhat
21 conservative in this, and although it is a statistical
22 approach --

23 MEMBER POWERS: How do you know you're
24 being conservative?

25 MR. MATHEWS: There are a number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 details of how we're modeling the probability fracture
2 mechanics work that are -- like immediately upon a
3 crack going to a leak, we assume that it's instantly
4 like -- I think it's 20 or 30 degrees around branch of
5 the flaw, and it's going to take some time to initiate
6 a circumferential flaw, but we assume it happens
7 instantly. That's one thing.

8 CHAIRMAN APOSTOLAKIS: Would assuming the
9 presence of the degradation around this nozzle,
10 similar to that of Davis-Besse, be a conservative
11 thing to do and what numbers would you get?

12 MR. MATHEWS: It might be a conservative
13 thing to do, and we could model it. And I guess the
14 next slide is --

15 CHAIRMAN APOSTOLAKIS: You don't know what
16 number you're going to get, though, do you? Because
17 it's not just the normal rejection.

18 MR. MATHEWS: No, I don't know.

19 CHAIRMAN APOSTOLAKIS: You may have
20 additional failures.

21 MR. MATHEWS: There is the potential there
22 that if you got a nozzle that was in a situation like
23 Davis-Besse where there is a wastage cavity next to
24 it, if the cavity comes all the way around so that you
25 lose a back wall on the opposite side from where the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cert flaw is growing, it might have an impact on how
2 fast the crack grows. And we can model that and do
3 some studies on that, and we probably will do that,
4 where we remove the nozzle, the constraint from the
5 nozzle on the opposite side from the cert flaw.

6 CHAIRMAN APOSTOLAKIS: Well, that would be
7 an interesting case to see, a sensitivity case.

8 MR. MATHEWS: Yes. And it's not that hard
9 to do. There's gap elements on that side of the
10 nozzle that we just set them to a gap instead of an
11 interference and then see what happens to the nozzle
12 leaning over as a function of the crack growing.
13 Really, the way we've modeled it, it would only have
14 impact after the flaw hits 180 degrees in through
15 wall. If it's part through wall, we don't even model
16 that restraint; that's ignored. So, basically, we're
17 modeling it without that restraint already.

18 CHAIRMAN APOSTOLAKIS: So if you were
19 doing this analysis before Oconee, what number would
20 you get? You said earlier, "in today's environment."
21 So in yesterday's environment, what number would you
22 get, five ten to the minus nine or five ten to the
23 minus --

24 MR. MATHEWS: Well, we probably would
25 have, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Huh?

2 MR. MATHEWS: Yes. It probably would have
3 been in that --

4 CHAIRMAN APOSTOLAKIS: So all Ocone did
5 was raise the number from ten to the minus nine to ten
6 to the minus six? No? What? That's what they said.

7 MR. MATHEWS: I didn't do it before
8 Ocone, so I don't know what the number would have
9 been if we hadn't -- where it comes in is the
10 probability of the ejection.

11 CHAIRMAN APOSTOLAKIS: Yes.

12 MR. MATHEWS: Which starts from the
13 probability of a leak. We would have thought that
14 prior to Ocone in those flaws that have been recently
15 discovered, we would have felt that the probability of
16 developing a leaking penetration on a USPW head was
17 lower than it really was.

18 MEMBER FORD: I think the answer to both
19 your questions, to a certain extent, is, again, I
20 don't think you can -- the proof of the pudding, of
21 course, is observation versus theory, and we haven't
22 had any raw dejections, thank goodness. But you can
23 do it what's the probability of a number of through
24 wall -- through circumferential wall cracks that have
25 been observed. And that's essentially the approach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that Oconee did, or Duke did for Oconee, to compare
2 these predictions against the number of
3 circumferential cracks that they saw. Now,
4 admittedly, it's not going the whole way, you're
5 absolutely correct, but it is going -- they're doing
6 a check of observation versus theory.

7 MEMBER POWERS: What I guess -- I mean
8 you've certainly interpreted my question correctly,
9 and what I'm really struggling to find we apply this
10 probablistic fracture mechanics in a lot of regimes
11 now. This seems to be the first one where we don't
12 get answers like ten to the minus 45, which I thought
13 was a constant --

14 (Laughter.)

15 -- in probablistic fracture mechanics.
16 But I never -- I mean I'm sufficiently unfamiliar with
17 the technology that no one ever shows me that it
18 actually gives you good answers for any circumstance
19 that isn't fairly well-contrived laboratory
20 circumstance. And so I'm wondering as the geometry
21 has become more complicated, and here they're about as
22 complicated as comes quickly to mind, do we really
23 have data for any circumstances, I mean it doesn't
24 have to be a reactor vessel, but how about an
25 internally pressurized vessel of some sort where we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can show that indeed the probablistic fracture
2 mechanics has got all the physics in it so that if we
3 do what the speaker has said, we parameterize the
4 model conservatively, we should get a conservative
5 answer?

6 MEMBER FORD: Do you want to answer that?

7 MR. MATHEWS: I'm not a probablistic
8 fracture mechanics guy.

9 MEMBER POWERS: Well, that speaks well of
10 you.

11 (Laughter.)

12 MEMBER FORD: I don't know -- quickly, off
13 the top of my head, I don't know --

14 CHAIRMAN APOSTOLAKIS: Are there any cases
15 where probablistic fracture mechanics gave
16 probabilities on the order of 0.2, 0.3 value? Or is
17 it an inherent thing of the methodology?

18 MEMBER POWERS: Ten to the minus 45 is a
19 really common number, I know that.

20 MEMBER SHACK: Just to come back, George,
21 you know, one of the things one observes is the way
22 things depend on diameters, your famous Thomas
23 correlation that you PRA guys love, you know, that
24 comes out of the fracture mechanics. The low
25 probabilities, of course, are for a large diameter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pipe where, again, for the crack to grow all the way
2 around the pipe, you have to grow a crack that's many,
3 many inches long. So, obviously, that's going to take
4 a lot longer than it does to, say, grow a crack around
5 a four-inch pipe. I mean the physical -- you still
6 have to grow 330 degrees, it's just the 330 degrees on
7 a four-inch pipe is a whole lot less metal than 330
8 degrees on a 24-inch pipe.

9 Now, it's very difficult, of course, to
10 get one-to-one comparisons, because we just don't have
11 a whole lot of data, but when you go back to the
12 database, you get probabilities of failure that aren't
13 all that -- you know, they're in the ballpark of what
14 you're computing for your probablistic fracture
15 mechanics; it's not a one to one.

16 We have experimental confirmation of the
17 ingredients; that is, you know, crack growth rate is
18 measured independently. It's not in a probablistic
19 fracture mechanics test. The biggest thing that you
20 have are the loads on the pipe where we know the
21 pressure loads very well. PR over T really work. The
22 residual stresses you can measure independently. So
23 you can measure those independent ingredients, and
24 then --

25 MEMBER POWERS: But I never see anybody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 put the whole thing together and say, "Okay. Here are
2 a bunch of data on this thing, and this thing works."

3 MEMBER SHACK: When you come out with the
4 probability of large diameter pipe failure of ten to
5 the minus nine, you're not going to find data.

6 MEMBER POWERS: Well, give me a small
7 diameter pipe.

8 MR. HACKETT: If I could add, this is Ed
9 Hackett from the staff, we briefed the Committee, I
10 guess, numerous times now on the pressurized thermal
11 shock reevaluation program. I think that's where the
12 staff and the industry have done the best job of
13 applying this type of methodology. And in fact that
14 has been benchmarked to international reference
15 experiments, and in several cases has done quite well.

16 In think in the case of Professor
17 Apostolakis' comment, I'm not aware of any that have
18 come up that high. We see these failures for vessels,
19 and, again, thankfully, as Dr. Ford was mentioning,
20 are in the range of E minus six or less when we're
21 looking at reactor pressure vessels, different
22 application than what Larry's talking about here
23 specifically.

24 MEMBER SHACK: But even there, Ed, when
25 you benchmark that, you benchmark the fracture

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mechanics, "Yes, I failed a vessel with a crack so
2 big."

3 MR. HACKETT: That's correct.

4 MEMBER SHACK: Just to say that the
5 probability of the vessel failure is ten to the minus
6 eight, you're not going to get a whole lot of
7 statistics to --

8 MR. STROSNIDER: This is Jack Strosnider.
9 I'd like to make a few comments on this too and maybe
10 to defend the credibility of probablistic fracture
11 mechanics somewhat. First of all, I think, you know,
12 when you talk about benchmarking this, as Ed pointed
13 out, thankfully we don't have an empirical database on
14 pressure vessel failures or CD control rod drive
15 mechanism failures, for that matter. So it is rather
16 difficult to get that sort of benchmarking.

17 However, I think when you look at the
18 probablistic fracture mechanics, you can get results
19 that are reasonable depending upon the conditions that
20 are being considered. And I think the ten to the
21 minus 42nd number that was brought up a couple times,
22 I think you're referring back to some of the PWR work
23 on vessel inspection. And in fact that number, it
24 turned out, was the number that was generated when you
25 assumed design basis conditions were satisfied. In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fact, when you go through the full risk assessment
2 that was done and what we ultimately ended up with, we
3 came up with more like ten to the minus six to the ten
4 to the minus seven numbers when we took into account
5 beyond design basis events. The conditional -- or the
6 vessel failure probability, given those events, was
7 somewhat higher. It certainly wasn't those low
8 numbers.

9 But the other comment I'd make is that the
10 analysis, methodology exists. We know how to put
11 models together, we know how to identify random
12 variables, we know how to model those, how to do Monte
13 Carlo simulations. There's some challenges looking at
14 dependence between the variables. But the biggest
15 challenge, and frankly I would say this is true in all
16 our PRA modeling, is coming up with the distributions
17 that represent those random variables.

18 For example, in this case, where one of
19 the first things you had to look at was the initiating
20 frequency, when does a crack initiate one of these?
21 There's very little data available until we started
22 getting results from the inspections that were done
23 and could try to construct a distribution. So the
24 biggest challenge that we have when we go into this
25 sort of analysis is being able to define those random

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 variables, the distributions for them, with some level
2 of confidence. And usually you have to go out and do
3 some work, inspections or whatever to get the
4 information to do that.

5 CHAIRMAN APOSTOLAKIS: But speaking of
6 that, though --

7 MEMBER POWERS: Jack, you make huge
8 amounts of -- when you do these probablistic fracture
9 mechanics analysis, you're making huge simplifications
10 in the way you describe the metal and the way you
11 describe the crack, things like that. And I guess
12 what I'm struggling with is how do you know you got
13 them all. All the physics and all these
14 approximations really are good ones to make. I mean
15 some of your approximations are made because you know
16 how to solve the mathematics.

17 MR. STROSNIDER: Well, again, I would come
18 back to if you look at all these models have an
19 underlying deterministic model associated with them.
20 If you look at the ability to predict crack growth
21 rates as a function of stress intensity values, if you
22 look at the ability to predict failure using either
23 limit load or linear elastic correction mechanics,
24 they work pretty well if you have a really well-
25 controlled situation. And it comes back again to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defining the distributions that are associated with
2 those in real life. And I agree, that's a challenge.

3 MEMBER POWERS: Well, every time I look
4 for things that you predict well, you predict well
5 those things that have been used to derive the
6 physics, you know, nice, simple specimens, simple
7 geometries. Now, you're applying them in really
8 complicated geometries. There doesn't seem to be any
9 database that I'm aware of, and I can't say that I've
10 looked exhaustively, that says, okay, I've done my
11 laboratory specimens, now I'm going to do this
12 complicated thing that I don't understand very well
13 and see if I can get it about right. Is there such a
14 database?

15 MR. HACKETT: I guess the one -- this is
16 Ed Hackett again -- I guess the one I could point out,
17 Dr. Powers, is the one -- it's a complicated acronym.
18 They called it fracture assessment of large-scale
19 international reference experiments; it's the FALSIRE
20 project. And then there have been follow-on series,
21 and this is an international collaborative effort,
22 where they have gone from the small specimen
23 geometries where things are nice and fairly simple to
24 predict, to trying to predict what actually happens in
25 a vessel. The Germans have blown up scale model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 vessels, we have at Oak Ridge.

2 MEMBER POWERS: Yes. Now you're hitting
3 exactly what I want to see.

4 MR. HACKETT: And we have in fact --

5 MEMBER SHACK: Plus an enormous number of
6 pipes at Battelle.

7 MR. HACKETT: Absolutely. The most recent
8 one, thinking of the follow-on activity, the NESC 1
9 spinning cylinder experiment in the United Kingdom.
10 In fact, the folks at Oak Ridge, using their
11 probabilistic model, the FAVOR code, which is what
12 we're using in the PTS Program right now, predicted
13 the propagation of an embedded flaw in that vessel
14 almost dead on in terms of initiation and arrest.

15 CHAIRMAN APOSTOLAKIS: Don't take the
16 viewgraph down.

17 MEMBER POWERS: But if somebody can point
18 that out -- point it out to me or come present it or
19 something like that, it adds a lot more credibility to
20 some of these categories.

21 MR. HACKETT: Probably in the context of
22 the PTS project we'll do that.

23 MEMBER POWERS: That would be great. You
24 know, if we could take a half an hour and just go
25 through that, that would be great.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Could I suggest, Larry, that
2 -- this will be --

3 CHAIRMAN APOSTOLAKIS: What does it mean
4 the probability is less than ten to the minus three?
5 Have you done an uncertainty analysis? How uncertain
6 is that? How high can the ten to the minus three be?

7 MR. MATHEWS: I don't have that right now.

8 CHAIRMAN APOSTOLAKIS: But you will?

9 MR. MATHEWS: I'm not sure we were going
10 to do a full-blown uncertainty analysis.

11 CHAIRMAN APOSTOLAKIS: Well, then what are
12 you doing? I mean there are so many questions about
13 all this. To give one number, what does it mean? If
14 the ten to the minus three can be ten to the minus
15 one, I don't know what conclusion I can draw from
16 this. I mean all kinds of doubts have been raised,
17 and it seems to me doing an uncertainty analysis means
18 exactly, precisely to address these doubts and
19 comments. There's something about the five ten to the
20 minus six that bothers me, okay? That it was five ten
21 to the minus nine and now it's ten to the minus six,
22 that's all we learned. I just don't believe that.

23 And the other thing I want to finish is
24 that there is a certain pleasure in listening to Mr.
25 Strosnider defend the probablistic method. Usually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 he's a skeptic. Today, he was on the other side.

2 MEMBER SHACK: It's probablistic fracture
3 mechanics he's defending.

4 CHAIRMAN APOSTOLAKIS: I don't care what
5 you put after probablistic.

6 (Laughter.)

7 It was nice to hear him talk that way.

8 MEMBER POWERS: But, George, there is a
9 difference.

10 MEMBER SHACK: One's a science.

11 (Laughter.)

12 MEMBER FORD: If I could just --

13 CHAIRMAN APOSTOLAKIS: Go ahead, Dr. Ford.

14 MEMBER FORD: -- move along here. In
15 defense of the MRP, a lot of this is dependent on
16 having a reasonable database for crack growth rates
17 upon which that is dependent. Now I'm told that we're
18 close to it. The next meeting we will see that
19 database, and then we will see the follow-on to your
20 specific question.

21 CHAIRMAN APOSTOLAKIS: Great.

22 MEMBER FORD: -- on that particular
23 kinetics-driven analysis.

24 Could I ask you to finish in five minutes,
25 Larry? I realize that I've now cut you down to your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 knees.

2 MR. MATHEWS: I will. In response to the
3 Davis-Besse issue, we've had lots of interaction with
4 the staff, but even before the bulletin came out we
5 conducted, as an MRP, a survey, and it was based on
6 some -- basically assumptions about what the possible
7 causes at Davis-Besse were before the root cause or
8 even the preliminary root cause was out. And there
9 were three possibilities that we tried to consider in
10 our survey, and that was leakage from above, leakage
11 from a crack in a nozzle or a combination of the two.
12 And then we'll be -- the ongoing Davis-Besse work will
13 be used.

14 We did that survey, we came up with four
15 questions basically aimed at how confident are you
16 that you don't have wastage on your head? And we
17 received responses from all the PWRs in the country.
18 We wound up categorizing the responses into four
19 categories plus another group that didn't quite fit,
20 and they range from -- you know, category one was they
21 got the best knowledge, they're darn certain, they've
22 gone and looked, they don't have any wastage.
23 Category four, it was more like they were able to do
24 from a historical view of leakage, et cetera, to feel
25 confident. And then there was a category, other, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they had leakage and perhaps had not fully cleaned it
2 up or there was some other reason they didn't fit into
3 one of the other categories. And we categorized all
4 these plants, gave the names of the plants to the
5 staff, and I believe they've actually used our tables
6 to help guide a little bit how they're contacting
7 plants as far as what their intentions are.

8 This is our ranking of the units that we
9 put together a while back. If you look at it, the red
10 triangles are the leaks, and most of those leaks are
11 to the left of the graph, which is kind of where -- if
12 the model's worth anything, that's where they'll be.
13 A couple outliers, we do have one plant that had some
14 cracks that was a little bit further out. Those
15 cracks were nowhere near as severe as the cracks at
16 these plants that have had leaks, so maybe we're
17 picking up the precursor here. That's something we
18 have to look at.

19 All the blue diamonds have done
20 inspections and haven't had leaks or the open blue
21 diamonds are doing inspections this spring, yet to do
22 a few plants in the fall and a few more next year.
23 We'll have done inspections per bulletin 2001-01.

24 Here's the table we sent to the staff.
25 Turns out most of the plants, as far as the wastage on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the head, feel a good degree of confidence that they
2 don't have any significance wastage on the head. Some
3 of these plants have even done inspections since then.
4 Cook 1 I know plans an inspection very soon. Wolf
5 Creek, I believe, has done an inspection, and I think
6 Palo Verde just finished their inspection. So most of
7 these plants are moving into greater degrees of
8 confidence that they really don't have an issue with
9 wastage at this point in time.

10 MEMBER FORD: You should point out that,
11 Larry, that that's on the basis of your survey, not on
12 the basis to the replies of 2002-1.

13 MR. MATHEWS: Absolutely. This was all
14 put together -- it was probably right at about the
15 time the bulletin was coming out or maybe shortly
16 thereafter, but it was based on the response to our
17 questions, not the responses to the bulletin.

18 A couple of points about that. All the
19 plants that are less than ten effective full-power
20 years on our histogram will have been inspected by the
21 end of this spring outage season. That includes the
22 highest ranked 20 units in the country. And they
23 should have a reasonable assurance that they don't
24 have any significant corrosion on top of their head
25 because of those inspections. And of the plants that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were less than 30 EFPY, 34 out of 45 will have
2 inspected by this spring. We're showing five in the
3 fall and six in the spring of 2003. There's a little
4 bit of confusion right now. We're not off more than
5 one or two plants, I don't believe, but we've got to
6 settle that out, straighten that out.

7 This is something that we wanted to say,
8 that of the 34 leaking nozzles and penetrations that
9 have been discovered to date, all of them displayed
10 visible evidence of leakage or corrosion on top of the
11 head, leakage primarily. A total of 203 nozzles have
12 been inspected at those -- let's see, is it nine
13 plants where leaks have been discovered? And NDE has
14 confirmed through-wall leaks or cracks -- I mean
15 through-wall defects in all 34 of the nozzles that
16 showed leakage. NDE did not detect through-wall
17 defects in any of the others, and there have been,
18 this says, four plants without evidence of leakage,
19 and I'm sure by now it's much more than four plants
20 have inspected the nozzles without any defects found.

21 MEMBER SHACK: It would interesting on
22 your chart, you know, where you've got the one with
23 cracks that you found by NDE, to also see where the
24 guys that inspected by NDE and found no cracks were on
25 that chart.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHEWS: Yes. Up until when I put
2 that together there weren't a lot. There was Cook 2
3 and maybe a couple of others that had done volumetric,
4 that didn't have a prior indication of a leak that
5 they were going and confirming. But we're getting
6 more and more of the plants now that are doing
7 volumetric inspections. I think Palo Verde just
8 completed a volumetric inspections, and I don't even
9 have them marked as having done that. But we will
10 update the chart and try and figure out how many
11 colors we could put on it. But we'll do that.

12 Recent experience of the -- except for the
13 Davis-Besse issue, in the other 31 leaking
14 penetrations, there's no evidence of any significant
15 corrosion or wastage. There has been a hint at a
16 couple of other nozzles that there was a little bit
17 here and there on top of the head or whatever but no
18 significant evidence. And also on the plants that
19 have repaired their nozzles that were leaking, most of
20 those repairs have been performed using the Framatome
21 repair technology where the nozzle is bored out and
22 then rewelded up inside the head to the low alloy
23 steel. And if there were significant wastage there,
24 it would have been evident. They have to go PT that
25 surface before they weld to it, and if there's a big

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gap, they can't even get it to weld. So out of all
2 those other nozzles, there hasn't been any significant
3 wastage like the one big cavity at Davis-Besse.

4 CHAIRMAN APOSTOLAKIS: So what do I learn
5 from that? What's the conclusion from that?

6 MR. MATHEWS: Well, the conclusion is that
7 something's different about Davis-Besse, the waste,
8 the big cavity like they had compared to the rest of
9 the industry. And they're going to talk about it --

10 CHAIRMAN APOSTOLAKIS: And the rest of the
11 industry also had wastage there for the number of
12 years that Davis-Besse had it?

13 MR. MATHEWS: Well, that may be the key,
14 and in fact it may be the difference between this one
15 nozzle and the rest of them is the amount of time that
16 the nozzle leaked. And Davis-Besse will discuss that
17 when they get up here. That may in fact be the key is
18 how long was the leakage allowed to go on without
19 being detected? But do I know that that's absolutely
20 the reason? I don't know that, not right now. Okay.

21 I've only got two more. Ongoing
22 activities, we're reviewing or have reviewed the
23 Davis-Besse initial root cause, and we will review the
24 final root cause for generic implications of that and
25 use that information to get back into MRPs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommendations as far as inspection to the plants.
2 And we're also taking a look back at the Owners' Group
3 work that was done back in the early '90s. They did
4 some work on head wastage, and we want to take a look
5 at that and see does this really change any of that?

6 CHAIRMAN APOSTOLAKIS: Are you done?

7 MR. MATHEWS: Yes. I'll quit.

8 MEMBER FORD: Questions?

9 CHAIRMAN APOSTOLAKIS: Yes. I mean I'm
10 amazed that you say you are not planning to do an
11 uncertainty analysis. Uncertainty analysis is not an
12 academic exercise. You keep telling me that there are
13 all these experts that are looking at the huge scatter
14 of data and so on, and then at the end we're not going
15 to do an uncertainty analysis.

16 MR. MATHEWS: Well, we're definitely going
17 to do all kinds of --

18 CHAIRMAN APOSTOLAKIS: I'm amazed.

19 MR. MATHEWS: We're going to do all kinds
20 of sensitivity studies and look at the various
21 parameters that go into the model and determine --

22 CHAIRMAN APOSTOLAKIS: Sensitivity
23 studies, are you going to do them two at a time, three
24 at a time, variables, playing all sorts of games to
25 really gain insights? I mean to vary one variable at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a time doesn't really do much for me.

2 MR. MATHEWS: Well, the nature of the
3 Monte Carlo is you do them all at once.

4 CHAIRMAN APOSTOLAKIS: And that's a
5 sensitivity study?

6 MR. MATHEWS: No. You do -- well, yes.
7 You put all of the uncertainty of all of the databases
8 and all of that, it goes in there at one time and you
9 do a Monte Carlo sample --

10 CHAIRMAN APOSTOLAKIS: Well, that's not
11 sensitivity, that's uncertainty analysis.

12 MR. MATHEWS: Right. But doing the
13 sensitivity we'll go in and we'll change some of those
14 parameters and distributions.

15 CHAIRMAN APOSTOLAKIS: But you said you
16 were not planning to do that. That's why I'm amazed.
17 If you were planning to do it, I wouldn't be amazed.

18 MR. MATHEWS: The term, "uncertainty
19 analysis," caught me off -- we are going to do
20 sensitivity studies to look at what the sensitivity of
21 the analysis is to the various --

22 CHAIRMAN APOSTOLAKIS: Well, that's a way
23 of doing it. That's a mechanics review.

24 MR. MATHEWS: Yes.

25 MEMBER FORD: Could I, just in terms of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time management, call this one to a close but
2 recognizing that there are questions along these
3 lines, and when you come back within the next two
4 months be prepared to answer them.

5 MR. MATHEWS: Yes.

6 MEMBER FORD: Mr. Chairman, am I allowed
7 to go five, ten minutes over?

8 CHAIRMAN APOSTOLAKIS: Well, if the Vice
9 Chairman went over 45 minutes, I don't see why the
10 members can't go over five minutes.

11 (Laughter.)

12 MEMBER FORD: Okay.

13 CHAIRMAN APOSTOLAKIS: There's no schedule
14 today anyway, so keep going.

15 MEMBER ROSEN: Let's establish some sort
16 of quantitative mechanism or a curve here, we can
17 begin to --

18 MEMBER POWERS: Could I ask a question?

19 CHAIRMAN APOSTOLAKIS: Yes, sir.

20 MEMBER POWERS: Something perplexes me a
21 little bit here. The speakers indicated the time that
22 the nozzle was allowed to leak, I guess is the word,
23 and Davis-Besse may have been key. And he said leak
24 without being detected. Okay? And then we have
25 inspections of the other things, which presumably have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 some probability of detection so that some of those
2 declared not to have any cracks may in fact have
3 cracks and may in fact be leaking but we just don't
4 detect it. What are we doing about that?

5 MEMBER FORD: A related question to that
6 is we are assuming that when you see a nozzle, the
7 popcorn on the top of the nozzle, that is the
8 sufficient evidence that you've got a crack
9 underneath. That's something that we've questioned.
10 Could you have a crack down below the J-weld and not
11 see the popcorn at the top?

12 MEMBER POWERS: Well, I think the answer
13 to that is yes.

14 MEMBER FORD: Well --

15 MEMBER SIEBER: It's not through-wall or
16 plugged. Either way you won't get --

17 MEMBER FORD: Well, plugged over the
18 surface. We've asked that question, and that's under
19 consideration.

20 The other question is to whether from
21 human error you don't see it.

22 MEMBER SIEBER: Right.

23 MEMBER FORD: That one has not been
24 addressed apart from in the Duke presentation on
25 Ocone the human error was addressed of not seeing it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But recognize this is still a fairly recent
2 phenomenon, if you like.

3 MEMBER POWERS: Well, I mean isn't it the
4 conclusion that you come out of this as, "Gee, our
5 methods of inspection are inadequate."

6 MEMBER FORD: This is something you may
7 have from the staff, because this might be a policy
8 decision.

9 CHAIRMAN APOSTOLAKIS: I'm not sure it's
10 the methods. Ultimately goes to the safety culture.

11 MEMBER FORD: But that question about --

12 CHAIRMAN APOSTOLAKIS: It didn't say -- it
13 doesn't say here that they didn't know because, it's
14 just they didn't pay attention.

15 MEMBER FORD: This question of management
16 of this whole situation by inspectors --

17 CHAIRMAN APOSTOLAKIS: This gentleman
18 wants to say something; he's been trying for a while.

19 MR. MATHEWS: I was just going to say that
20 the human error -- this is Larry Mathews, I was just
21 up there. The human error part could be easily
22 factored into the inspection on a probabilistic
23 fracture mechanics as a probability of detection.

24 CHAIRMAN APOSTOLAKIS: It could be easily
25 placed there. Now what value you use is not going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be easy.

2 MR. MATHEWS: Oh, yes. We have to figure
3 that out.

4 (Laughter.)

5 CHAIRMAN APOSTOLAKIS: That's the whole
6 issue.

7 MEMBER SHACK: Sensitivity studies.

8 CHAIRMAN APOSTOLAKIS: Oh, you do
9 sensitivity, excuse me.

10 MEMBER FORD: The answer to your question
11 may well come up in the staff's presentation. Could
12 I ask the representatives from Davis-Besse to come up.
13 Normally half an hour but make sure you have enough
14 time to present the stuff on the risk assessment
15 aspect. John Wood and Ken Byrd from Davis-Besse.

16 MR. WOOD: Good afternoon. My name is
17 John Wood. I'm the Vice President of Engineering
18 Services for First Energy Nuclear Operating Company.
19 In our agenda today, I'll be discussing the
20 information that we presented to the subcommittees on
21 Tuesday. And then at the end of that, we'll have, at
22 the subcommittees' suggestion, a discussion of the
23 safety significance assessment that was given to the
24 staff early this week.

25 I'd like to just cover a couple points on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 background for Davis-Besse in that if you'll note in
2 the middle there we have 15.8 effective full-power
3 years at that Unit. Toward the bottom, hot leg
4 temperature is a little bit hotter than other Babcock
5 & Wilcox plants at 605 degrees up. That's about three
6 or four degrees higher based on our core delta T. And
7 we have 69 nozzles at our Unit. Sixty-one of those
8 have control rod drive assemblies, seven are spare and
9 one is used for a head vent that goes to our steam
10 generator.

11 This is a depiction on the next page of
12 our reactor pressure vessel head configuration. The
13 insulation is shown across horizontally here. You'll
14 note that the dose above the insulation in the area of
15 the flanges is about one-half a rem per hour. And
16 beneath the head the dose is approximately three rem
17 per hour. And those are the fields that we have to
18 engage as a head sits on the head stand.

19 In our next picture, or actually two
20 pictures, what we have shown on this slide is the
21 reactor vessel head sitting on the head stand in the
22 left-hand picture with a couple gentlemen working up
23 above. The picture on the right has been cut open
24 this outage in order to access at the flange level.
25 That area is 20-some feet below where those gentlemen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the left are standing, so typically people would be
2 working in and around the flanges using 20-foot-long
3 handled tools.

4 The next diagram depicts a typical B&W
5 control rod drive nozzle. It is shown in its
6 position. There's a shrink fit of about one-half to
7 one and a half mils that enters into the low alloy
8 carbon steel. You can see there the shell cladding
9 and the J-groove weld. Now, when I talk in a little
10 bit about cracks, the cracks that we have depicted
11 actually are on the OD of the tube on the wetted side,
12 or ID, of the main reactor vessel head. And then
13 through-cracks would go up past the weld into this
14 annular space here.

15 We went through details Tuesday with the
16 subcommittees in regard to the UT examinations that we
17 performed at Davis-Besse. This picture depicts the
18 below or underhead UT examination tool. It has been
19 demonstrated, using EPRI capability, to detect actual
20 and circumferential flaws. It is delivered with a
21 robotics system and an automated data acquisition
22 system. This was used on all 69 nozzles at Davis-
23 Besse, and then those nozzles produced indications of
24 flaws were also inspected the top-down UT examination
25 tool, and that has ten transducers in order to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characterize the flaws.

2 MEMBER POWERS: Would you give me an idea
3 how long it took to inspect 69 --

4 MR. WOOD: That inspection period for
5 Davis-Besse was approximately 96 hours. And that is
6 around-the-clock time.

7 Our UT examination results, and these,
8 again, were detected with the underhead and then
9 confirmed top-down, are shown on the next page.
10 You'll see that there's six nozzles listed here. The
11 first five had cracks indicated, the first three were
12 the through-wall cracks. You can see Nozzle 1 had
13 nine actual tracks, two went through-wall, and nozzle
14 Number 2 had eight actual cracks, one circumferential
15 flaw. And that circumferential flaw was approximately
16 30 degrees, a little bit more than an inch in length,
17 1.2 inches in length, and was about 50 percent
18 through-wall for the nozzle. I should mention also
19 the nozzle is approximately 0.63 inches thick.

20 Number 3, of course, the one that has the
21 cavity associated with it, had two through-wall leaks
22 and there were cracks on Nozzle 5 and 47. Number 46
23 did not have a crack indicated; however, there's an
24 investigation with a backwall signal on 46.

25 CHAIRMAN APOSTOLAKIS: These examinations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were done when?

2 MR. WOOD: These were done approximately
3 in early March, the first week in March. Actually,
4 the last part of February, early March.

5 CHAIRMAN APOSTOLAKIS: After the problem
6 was found.

7 MR. WOOD: That's -- no. This led to the
8 finding of the problem.

9 CHAIRMAN APOSTOLAKIS: Oh, this led to the
10 problem.

11 MR. WOOD: That's correct. This was the
12 100 percent UT examination of the nozzles at Davis-
13 Besse was done in conjunction with our answering of
14 2001-01 in our extension from the end of the year to
15 February 16.

16 CHAIRMAN APOSTOLAKIS: But were
17 examinations like this done routinely and on a
18 periodic basis?

19 MR. WOOD: No. At the time, we had the
20 most extensive examination of the head using
21 ultrasonic examinations.

22 CHAIRMAN APOSTOLAKIS: So that was the
23 first time you did this?

24 MR. WOOD: That's correct.

25 MEMBER POWERS: These were surprises to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you?

2 MR. WOOD: It was not entirely surprising
3 that we had axial cracking. Based upon the
4 information of 2001 and the information that we were
5 getting from the industry, we expected to find some
6 cracking. We did not expect to find through-wall
7 necessarily and certainly didn't expect to find the
8 cavity that we found on Nozzle 3.

9 MEMBER POWERS: I'm sure that was a -- but
10 I'm just asking about the --

11 MR. WOOD: Right. In fact, our plans
12 included fixing up to four nozzles in our base plan
13 for this refueling outage.

14 This diagram lays out the nozzles that
15 were found with cracks. Those are indicated in both
16 the red and the green. I will note that the five
17 nozzles in the center of the head are all from the
18 same heat, and I'll talk about that later. Those are
19 the only five nozzles from that heat at our Plant.
20 You can see Nozzle 2, which had the circumferential
21 crack, was located in this quadrant, and there was a
22 very small amount of wastage in this area of Nozzle 2
23 that I'll talk about in a little bit as well.

24 I guess that's the next slide. As we were
25 going through the repair process for the nozzles, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did note, as it's shown here, as we machined up, as
2 Larry discussed the repair process used by Framatome,
3 you machine up and then the intent is then to weld
4 onto the carbon steel. We did find a small cavity in
5 that area. Its dimensions are approximated on this
6 sketch. We have since removed that nozzle for further
7 clarification. It is essentially as depicted here.
8 It goes about a quarter to three-eighths maximum
9 depth, as indicated in the reactor vessel head.

10 MEMBER POWERS: You mentioned that the
11 afflicted nozzles came from a particular heat, and the
12 reason you know that is because of your Appendix B
13 requirements?

14 MR. WOOD: That is part of the MRP process
15 that we have been working on and also the response of
16 2001 and the Babcock & Wilcox Owner Group efforts,
17 knowing what the heat numbers are for the various
18 nozzles in all the plants.

19 The primary reason we're here today is the
20 Nozzle 3 cavity. This is depicted in this drawing, or
21 this picture. I will remind you that this circular
22 hole where the nozzle was located is approximately
23 four inches across. You can see there is some wastage
24 on the right-hand side at the surface level, and this
25 is the stainless steel cladding evident at this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 location. This is our number one nozzle, so this
2 would be the dead center of the head, and flow
3 downhill in that direction.

4 The next page is more of a display of some
5 of the numbers that we have determined using various
6 tooling. It does not show the surface wastage that is
7 off to the right. You can see there's a difference in
8 color here. This is to represent a nose or an
9 overhang, and there is additional erosion at -- or
10 corrosion that goes on underneath that zone.

11 You'll also notice that there is a
12 proposed 13-inch circular cut line indicated here. In
13 order to better capture this area, we're going to cut
14 that out in one piece using an abrasive water jet, and
15 that will then be retained for further evaluation as
16 we go forward. That abrasive water jet will also
17 leave us a very smooth finish that we can then prepare
18 a final fit up of the forged disc that we discussed in
19 concept yesterday with the NRC staff. The exact
20 location of that cutout will be determined to optimize
21 all things involved.

22 After we found the cavity area around
23 Nozzle 3, we chartered a root cause initial
24 investigation team using First Energy personnel to
25 lead the effort. Those individuals were not from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Davis-Besse staff. We did include members from the
2 Davis-Besse staff on the team, as well as augmented it
3 with industry experts from Framatome, Dominion
4 Engineering and EPRI, as listed here.

5 The team came up with a probable timeline
6 using best engineering judgment in looking at the
7 evidence that we had from the period of time in
8 question. What you see here is a summary of that
9 probable timeline. It shows that the crack
10 potentially propagated through-wall in the '94 to '96
11 time frame, and thus went basically unaddressed for a
12 period of two to three operating cycles.

13 CHAIRMAN APOSTOLAKIS: Now, that's where
14 I have a question. What does that mean? Were you
15 aware that there were cracks?

16 MR. WOOD: No, we were not aware that
17 Davis-Besse had cracks at that time.

18 CHAIRMAN APOSTOLAKIS: So when you say
19 unaddressed, what do you mean by unaddressed?

20 MR. WOOD: Unaddressed means that the leak
21 was allowed to be active without awareness for that
22 period of time.

23 CHAIRMAN APOSTOLAKIS: Did you have any
24 indications there was a leak?

25 MR. WOOD: In a retrogressive look,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly there were missed opportunities, and I
2 believe the staff will relate those as well. And as
3 I go through some of the contributing causes, there
4 were reasons that the staff used to perhaps not center
5 on those clues that a leak was occurring on the nozzle
6 region.

7 Now, I'll talk --

8 CHAIRMAN APOSTOLAKIS: All the rules and
9 regulations were followed. You were not in violation
10 of anything.

11 MR. WOOD: I don't think I'm in a position
12 at this point to say that there was nothing that was
13 violated. Certainly, there were people with very good
14 intentions that were doing the things they thought
15 were right. As we look back, things did not go
16 according to the desires and the expectations that
17 should have been in place.

18 CHAIRMAN APOSTOLAKIS: And that was, in
19 your opinion, more a matter of judgment, which perhaps
20 was poor in this case?

21 MR. WOOD: Certainly, poor judgment.

22 CHAIRMAN APOSTOLAKIS: Okay.

23 MEMBER LEITCH: What gives rise to the
24 probability that the crack initiated about three years
25 before it went through-wall? Is that based on some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 crack growth rate?

2 MR. WOOD: That's based on the same crack
3 growth rate that you would have heard from the MRP
4 individual -- Larry.

5 MEMBER LEITCH: Then I guess one could
6 assume that since we see no crack in Nozzle, what is
7 it, four?

8 MR. WOOD: Number four.

9 MEMBER LEITCH: That we have a certain
10 degree of confidence that it would not go through-wall
11 within one cycle of operation.

12 MR. WOOD: That's correct. But that's
13 based on probabilities and not certainty.

14 MEMBER LEITCH: Yes. Because Nozzle 4
15 seems like it's crying out to crack, right? I mean
16 it's

17 MR. WOOD: Well, and there have been
18 numerous people, including myself, who have asked over
19 and over and been told again and again that Number 4
20 does not have cracks.

21 MEMBER SIEBER: Yet.

22 MR. WOOD: Yet. And that's an important
23 yet, and that's true with all the nozzles that are in
24 that head.

25 MEMBER LEITCH: Okay. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WOOD: Now, the probable cause here is
2 really of the failure mechanism, that being the
3 cracking. And since we were in the repair process
4 prior to finding the cavity -- as I have mentioned
5 earlier, the repair effort requires us to grind up the
6 nozzle from below to above the J-groove weld, and so
7 the cracks themselves were taken out as a result of
8 doing that. So that's why it's listed as probable
9 cause because we don't have material to identify it as
10 a factual root cause. But every indication --

11 MEMBER SHACK: Nobody tried to map the
12 cracks as they were grinding them either.

13 MR. WOOD: That's correct. We did have UT
14 data that we showed the subcommittees Tuesday that
15 mapped them out in the general sense but not to
16 progress and grind in PT, as an example.

17 With what we know that is happening in the
18 industry on Alloy 600 and the control rod drive nozzle
19 issue, we feel confident that it is primary water
20 stress corrosion cracking that resulted in the crack
21 initiating propagation and then allowed leakage to the
22 reactor vessel low-alloy steel head.

23 MEMBER FORD: If I could ask a question.
24 It's fairly obvious that the initiating event was
25 primary water stress corrosion cracking rising to a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 liquid of some sort in the annulus. But the key
2 question is why did that environment give erosion or
3 corrosion of the low-alloy steel in your condition but
4 did not in many of the others, like Ocone? And
5 that's the root cause question that needs to be
6 answered.

7 MR. WOOD: Correct. And the root cause of
8 the cavity being there is this next page.

9 MEMBER FORD: Okay.

10 MR. WOOD: And that is our Boric Acid
11 Corrosion Control and In-Service Inspection programs
12 did not allow us to see that leakage at an earlier
13 time. Now, this is, again, looking backwards at the
14 data that we had at hand, but we feel that the leak
15 had existed through-wall for two to perhaps three
16 operating cycles and thus did not allow us to identify
17 that --

18 CHAIRMAN APOSTOLAKIS: I'm confused by the
19 words on this slide.

20 MR. WOOD: Okay.

21 CHAIRMAN APOSTOLAKIS: "The Boric Acid
22 Corrosion Control and In-Service Inspection programs
23 and the program implementation resulted in the Plant
24 not identifying the through-wall crack." What does
25 that mean? That the program resulted in you not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identifying it?

2 MEMBER SHACK: The failure to implement
3 the Boric Acid Control Program.

4 MR. WOOD: Right.

5 CHAIRMAN APOSTOLAKIS: Oh.

6 MR. WOOD: The Program neither robust
7 enough nor was it implemented sufficiently in its form
8 to detect the crack. So had it been, let's say, more
9 robust and more rigorous applications, that would have
10 been one approach. Even apart from that, had it just
11 been implemented appropriately or properly, it would
12 have been the other case.

13 CHAIRMAN APOSTOLAKIS: So you are blaming
14 both the Program and the implementation, at this point
15 anyway.

16 MR. WOOD: That's correct.

17 MEMBER SIEBER: Now, I have a question.
18 You, actually, when you asked for your extension from
19 the bulletin schedule for inspections, you relied on
20 videotapes, as I understood it, to say that leakage
21 was not there?

22 MR. WOOD: Yes. And what I think is being
23 asked, as we went through the effort on 2001-01 to
24 extend our outage from the end of the year, as was
25 requested from the staff, until the time of February

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 16, we did an evaluation of the information we had in
2 hand and knowing that there was some boric acid in the
3 vicinity, the thought of the staff was that that boric
4 acid had come down from the flanges from above and the
5 mindset, for whatever reason, was focused on circ
6 cracking and not on the potential wastage issue that
7 we eventually found.

8 MEMBER SIEBER: Did anybody from the NRC
9 staff see those videotapes before the extension was
10 granted?

11 MR. WOOD: I cannot answer that question
12 directly.

13 MR. BATEMAN: Yes, I can answer that
14 question. We spent about three hours looking at
15 videotapes from the 1996 inspection, the 1998
16 inspection and the 2000 inspection. And there were
17 substantial amounts of boric acid on the head at that
18 time.

19 MEMBER SIEBER: Did you, like the
20 Licensee, assume that it came from the joint in the
21 housing up above?

22 MR. BATEMAN: We did not have that
23 discussion at that point in time.

24 MEMBER SIEBER: Okay. Thank you.

25 MR. BATEMAN: By the way, Bill Bateman

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the staff.

2 CHAIRMAN APOSTOLAKIS: So let me
3 understand the second bullet here, "Plant returning to
4 power with boron on the RPD head after outages." So
5 Plant personnel knew that there was boron on the RPD
6 head after outage?

7 MR. WOOD: There were individuals at the
8 Plant that knew there was boron on that head, that's
9 correct.

10 MEMBER SIEBER: And, apparently, the staff
11 did too prior to granting the extension.

12 CHAIRMAN APOSTOLAKIS: They thought it was
13 coming from the flanges.

14 MR. BATEMAN: This is Bill Bateman from
15 the staff again. I want to make it clear that the
16 videos that we looked at were videos inside the shroud
17 area around the mechanisms, not outside where the weep
18 holes -- I think you saw the picture yesterday --
19 where the weep holes actually -- it dripped down from
20 the holes onto the -- near the bolt circle on the
21 head. We did not look at -- we did not see those
22 particular pictures. We were inside that shrouded
23 area of the videos that we looked at.

24 MEMBER SIEBER: This was through those
25 mouse holes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BATEMAN: Right.

2 MEMBER SIEBER: Camera on a stick?

3 MR. BATEMAN: Right. Yes. Those are the
4 videos we looked at.

5 MEMBER SIEBER: Okay.

6 CHAIRMAN APOSTOLAKIS: Okay. You said,
7 Jack, that they knew there was boron there and they
8 assumed it came from the flanges. So what, didn't
9 they still need to clean it up? I mean whether you
10 clean it up depends on where it's coming from?

11 MEMBER SIEBER: I would have thought so at
12 the time, but I'm not sure that everybody makes their
13 -- up until today, makes their reactor vessel head
14 squeaky clean each time they do an inspection.

15 CHAIRMAN APOSTOLAKIS: But there's a
16 difference between each time and not doing three or
17 four times.

18 MEMBER SIEBER: That's true.

19 MEMBER POWERS: By the way, George, I just
20 remind you of a point that was made at the beginning
21 of the presentation. This is -- doing things on the
22 vessel head that aren't absolutely required is a
23 highly costly thing, not only in time but because of
24 the radiation dose that you incur to your workers. So
25 if you don't think you have to do it, you're probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not going to do it.

2 CHAIRMAN APOSTOLAKIS: So the question is
3 when do you decide that you have to do it?

4 MEMBER POWERS: That's right.

5 CHAIRMAN APOSTOLAKIS: Now, maybe you have
6 already explained it, what is 12RFO?

7 MR. WOOD: Twelfth refueling outage.
8 We're currently in our 13th refueling outage.

9 CHAIRMAN APOSTOLAKIS: Okay. Thank you.

10 MR. WOOD: Okay. And as we have just been
11 discussing, the environmental conditions which
12 contribute to this is the cramped conditions of the
13 design. And by that I mean there's about two inches
14 of clearance between the top of the head and the
15 insulation. As was mentioned, we have 18 weep holes
16 near the bottom that provide us some access. And we,
17 therefore, did not take appropriate compensatory
18 measures as a result of these cramped conditions to
19 allow ourselves to find that leakage.

20 Another contributing cause was the fact
21 that in the late '80s, early '90s, there was much
22 leakage of the CRDM and flanges above the insulation,
23 which allowed some boron to pass through to the head
24 and participated in the mindset of the staff at the
25 time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, I did mention the fact that we had a
2 material heat that was unique for five nozzles, four
3 of which had cracking, three of which had through-wall
4 cracking. And all three of those nozzles that had
5 through-wall were from this heat listed. We're aware
6 that that heat is used at two other B&W plants. One
7 plant has all but one of their nozzles from that heat;
8 another B&W plant has one nozzle from that heat. The
9 one that has the majority has been well-inspected and
10 has thus contributed to a database that suggests that
11 20 percent of this particular heat of nozzles has
12 cracked or has had evidence of cracking thus far.

13 We spent some time Tuesday talking about
14 crack length versus leakage. I don't intend to go
15 into a long conversation on that, but I did want to
16 mention that our unidentified leak rate at the Plant
17 during the period of time in question was
18 approximately 0.1 to 0.2 gallons per minute. So that
19 is well below the tech spec limit of one gallon per
20 minute. And you can see the fact that the longer
21 crack lengths have more damaging corrosion resulting
22 from them. Whether that's just evidence that it is
23 interesting at this point or it is matter of fact, we
24 don't know for certain.

25 MEMBER POWERS: Could you give me some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 idea of what the width of the cracks is?

2 MR. WOOD: The width of the crack, I don't
3 have that information. I don't know if anyone from
4 the staff does in the back there.

5 MEMBER POWERS: Real tiny, as big as my
6 finger?

7 MR. WOOD: Very tiny, and we're talking in
8 the orders of a thousandths of a gallon per minute up
9 to the 0.2, 0.8 region. And so --

10 MEMBER POWERS: That's what I was looking
11 for.

12 MR. WOOD: Okay. As a result of our
13 meeting Tuesday and getting together with --

14 CHAIRMAN APOSTOLAKIS: Before we go on, if
15 I were to take with me the top two causes why this
16 situation developed, what are they? Something must
17 have gone wrong someplace, so what are the top two
18 causes, so I remember? I read a lot of stuff and they
19 say a lot of things, the timelines and this and that,
20 but if you ask me what was the number one and number
21 two contributing causes, I have difficulty figuring
22 those out. So can you summarize them for us?

23 MR. WOOD: Well, I think number one was
24 the Boric Acid Control Program and the application of
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Okay.

2 MR. WOOD: I guess almost everything else
3 pales by comparison.

4 CHAIRMAN APOSTOLAKIS: Okay.

5 MEMBER KRESS: I would have listed the
6 potential for having a bad heat. There are cracks
7 already there.

8 MR. WOOD: Granted however in this
9 business we're accustomed to dealing with things that
10 may be first of a kind or second of a kind or
11 whatever. So we wouldn't want to use the fact that we
12 had a bad heat as the indicator of the cavities, the
13 indicator of the crack.

14 MEMBER KRESS: You still have to deal with
15 those.

16 MR. WOOD: Correct.

17 MEMBER SIEBER: There may be an issue of
18 standards involved too on the part of the inspection
19 personnel and decision makers.

20 MR. WOOD: Yes. Those standards of course
21 will go to the very top. That's where standards come
22 from.

23 CHAIRMAN APOSTOLAKIS: I'm sorry. What
24 standards are these? I missed it.

25 MEMBER SIEBER: The kind of standards one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would expect from a professional organization that
2 operates a nuclear power plant.

3 CHAIRMAN APOSTOLAKIS: Isn't that what
4 some other people call safety culture?

5 MEMBER SIEBER: That's a piece of safety
6 culture.

7 CHAIRMAN APOSTOLAKIS: Yes. It can be all
8 of it.

9 MEMBER SIEBER: Questioning added to high
10 standards.

11 CHAIRMAN APOSTOLAKIS: Yes. Okay.

12 MEMBER SIEBER: Vigilance.

13 MEMBER ROSEN: The application of the
14 corrective action systems.

15 CHAIRMAN APOSTOLAKIS: Okay. Thank you.

16 MR. WOOD: Okay. Then as a result of our
17 meeting on Tuesday, Peter Ford asked that we would
18 include safety significant assessment. So we have Ken
19 Byrd who will present that.

20 MR. BYRD: Okay. My presentation will be
21 a very brief summary of the results of a safety
22 significance assessment that was provided to the staff
23 earlier this week. For this assessment, we considered
24 a range of breaks from very small to the size
25 described on the top of this page 23.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So that for the maximum size, we assumed
2 the failure of the exposed cladding area which is
3 approximately 25 square inches. In addition, we
4 assumed that the whole was 50 percent larger than the
5 exposed cladding area for about 38 square inches.

6 We also assumed that CRDM Number 3 would
7 eject. So our total area was approximately 50 square
8 inches or 0.35 square feet. We're looking at a range
9 from very small up to 0.35 square feet. For our
10 analysis, we evaluated three critical functions.

11 MEMBER ROSEN: Now before you get off that
12 in terms of assumptions. You've obviously made the
13 assumption although it's not shown here that nothing
14 else was damaged. There was no additional damage.

15 MR. BYRD: No, sir. I'm going to talk
16 about that next when I look at these next three
17 functions.

18 MEMBER ROSEN: Okay.

19 MR. BYRD: I'll get to that. We looked at
20 three critical functions when we did this analysis. We
21 looked at the ability to have core cooling, to
22 maintain shut down margin, and finally containment
23 integrity.

24 We do not have a Davis-Besse ACE, an
25 analysis for a LOCA at this specific location.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 However our LOCA analysis covers a spectrum of LOCAs
2 from 0.01 square feet up to 14.2 square feet.

3 Setting aside at the moment collateral
4 damage, this particular LOCA is equivalent to a hot
5 leg LOCA with respect to core cooling. In that
6 respect we would get injection flow going through the
7 core for both core cooling and for boron precipitation
8 control. Therefore with respect to core cooling, we
9 were bounded by our existing LOCA analysis.

10 Let's go on to my second bullet here which
11 relates to shut down margin. I think this is where we
12 get into the concern about the issue of collateral
13 damage that might occur to adjacent control rod drive
14 mechanisms. Consequently we had Framatome ANP do an
15 evaluation of the potential for damage to adjacent
16 control rod drive mechanisms.

17 The Framatome Analysis looked at several
18 different mechanisms. They looked at jet loadings.
19 They looked at pressure loadings. They looked at
20 loose debris which might mechanically jam an adjacent
21 control rod drive mechanism.

22 The results of their analysis was that it
23 was unlikely that an adjacent control rod drive
24 mechanism would be affected. Notwithstanding that
25 result, we went ahead and had them do a further

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis to look at the impact of all of the control
2 rod drive mechanisms. We actually looked at five
3 control rod drive mechanisms surrounding the affected
4 area.

5 Failing to insert is a result of
6 collateral damage. In addition to that, we added one
7 additional control rod which would be a random control
8 rod failing to insert with the highest shut down
9 margin for that control rod. With those six control
10 rods failing to insert as a result of this accident,
11 we were able to have both immediate and long term shut
12 down margin.

13 MEMBER ROSEN: Is that for the conditions
14 that the Davis-Besse found themselves in at the end of
15 the day on February 16 or whenever it was that you
16 shut down? Was that a more general conclusion for any
17 time during the cycle?

18 MEMBER FORD: Before you answer, Ken,
19 could you just let the Committee know if the staff
20 have not reviewed this analysis yet?

21 MR. BYRD: No.

22 MEMBER ROSEN: So let me repeat my
23 question. Is that result that you had plenty of shut
24 down margin even with those six rods not reinserting?
25 Was that a general result for if this had happened at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any time during the cycle or a specific result that
2 applies only to that day, the day you shut down?

3 MR. BYRD: It was really intended to apply
4 only to that day. But the analysis was done using the
5 beginning of life for cycle 14 which was actually a
6 more conservative time period.

7 MEMBER ROSEN: Okay.

8 MEMBER SIEBER: But is the break size you
9 had, the larger the break the better able you would be
10 to get reactivity reduction because of the insertion
11 of highly borated water?

12 MR. BYRD: Yes, sir. That would be true.

13 CHAIRMAN APOSTOLAKIS: The rod ejection
14 effect is instantaneous, but you're at full power. So
15 you have some full power conditions.

16 MEMBER SIEBER: Right.

17 MR. BYRD: Right.

18 CHAIRMAN APOSTOLAKIS: So that reduces the
19 concern with the rod ejection.

20 MR. BYRD: Okay. If I could go on to the
21 third condition that we considered. We also
22 considered containment integrity. The issues we were
23 concerned with here were two issues.

24 One was the control rod ejection, actually
25 impacting on our containment. The other issue would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 be the mass and energy release from the particular
2 LOCA.

3 With respect to the first of these issues
4 at Davis-Besse, we have missile shields above the
5 control rod drive mechanisms which would prevent an
6 ejected control rod from impacting a containment.
7 With respect to the second issue, mass and energy
8 release, this particular LOCA is bounded by much
9 larger LOCAs which have been analyzed. So we did not
10 see any significant issues with respect to containment
11 integrity.

12 MEMBER POWERS: Let me ask a question that
13 you may not have the answer to. If you have blow out
14 in that particular location, do you put an unusually
15 large amount of mass into your sumps that could clog
16 some pumps and things like that?

17 MR. WOOD: No. That area would not be
18 directly driven towards the sumps. That would be
19 within the refueling canal. Then you saw the service
20 structure arrangement around it. So there's not a lot
21 of direct accessibility out of that into the sump area
22 which is quite a ways away from that.

23 MEMBER SIEBER: The refueling canal is
24 empty during operation.

25 MR. WOOD: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: You use a diaphragm
2 between the vessel flange and the edge of the canal.

3 MR. WOOD: No. There would be an opening
4 in that area.

5 MEMBER SIEBER: During operation.

6 MR. WOOD: During operation.

7 MEMBER SIEBER: That's the flow path to
8 the sump.

9 MR. WOOD: Right.

10 MEMBER SIEBER: Okay. So there is a
11 connection.

12 MR. WOOD: The sump itself is up on a
13 different level beneath the head. But would initially
14 accumulate.

15 MEMBER SIEBER: Okay.

16 MEMBER POWERS: So it's a fairly contorted
17 path that something would have to follow to get to
18 your sump.

19 MR. WOOD: That's correct.

20 MEMBER SIEBER: It would have to go
21 uphill.

22 MEMBER POWERS: It wouldn't be so uphill.

23 MEMBER ROSEN: The insulation that's above
24 the head in that region is reflective insulation.
25 There's no silicacious insulation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WOOD: That's correct.

2 MEMBER ROSEN: That's all metal in pipe
3 insulation.

4 MR. WOOD: Right.

5 MEMBER POWERS: That didn't help you much.

6 MEMBER KRESS: It's gets really pushed
7 around a lot.

8 MEMBER ROSEN: Well it does actually.

9 MR. WOOD: However all that insulation
10 would have been inside of the service structure.

11 MEMBER ROSEN: The three GSI-199 is the
12 most damaging kind of material. It is the kind of
13 material that can plug the screens. Typically it's
14 the silicacious sand-like material that --

15 MEMBER POWERS: No.

16 MEMBER ROSEN: Plans toxin fibrous
17 material and end up building the building up across
18 the sumps.

19 MEMBER POWERS: Fibrous material is of
20 course very bad. But we've seen experiments showing
21 that you can shred this stuff up. That shredded
22 material is not too good either.

23 MEMBER ROSEN: It may be. But I think if
24 you read GSI-199, the most recent staff stuff that
25 came out of, which lab? I'm trying to remember which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lab. I think that report indicates that the worst
2 material comes out of Los Alamos and the University of
3 New Mexico. So I'm reasonably familiar with it.

4 MEMBER FORD: If I could interrupt, could
5 we just get this one through? Again I'm looking at
6 the time.

7 MR. BYRD: Okay. Going on to the next
8 page. As a further effort to address the safety
9 significance of this condition, we had a stress
10 analysis of the as-found head condition performed.
11 This stress analysis is a three-dimensional finite
12 element, stress analysis of the wasted -- and the
13 reactor pressure vessel head.

14 We had a failure criterion set at the
15 maximum strain of 11 percent through the thickness of
16 the clad. We had the results verified by an
17 independent analysis. We had this both performed by
18 Framatome ANP and Structural Integrity Associates.

19 The results were that the degraded cavity
20 would maintain its integrity in excess of twice the
21 transient loads. The results for the two analyses
22 were fairly consistent.

23 MEMBER SHACK: What's the rational for the
24 11 percent?

25 MR. BYRD: This particular analysis is an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 input to my safety assessment. I think I have an
2 expert here from Framatome who could probably address
3 that better than I can.

4 CHAIRMAN APOSTOLAKIS: Please identify
5 yourself.

6 MR. FYFITCH: I'm Steve Fyfitch from
7 Framatome. The rationale here is that's actually a
8 conservative value that they used for the analysis.
9 The 11 percent comes from an Oak Ridge report that we
10 have access to that looks at 308 in stainless steel
11 weld metal.

12 The 11 percent is where necking starts to
13 occur in the tensile test. We assumed that 11 percent
14 was the failure strain. So it's in fact a very
15 conservative because once the uniform elongation
16 starts to disappear, it actually goes out and total
17 elongation about 30 percent.

18 MR. HACKETT: Bill, this is Ed Hackett
19 from the staff. A follow up to that would be we're
20 doing confirmatory analyses too as you know for the
21 criterion failure strain. That number probably needs
22 to be adjusted, Von Mises or Treca for the multi-axial
23 state of stress that would exist in the head.

24 So probably the real number should be less
25 than 11 percent. I don't know what the number should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be. As Steve pointed out, that number is from uni-
2 axial tension test. So what you have is at least a
3 bi-axial state of stress in the head. That will come
4 down somewhat. We're looking into that right now.

5 MR. HERMANN: Ed, I think in the models
6 the tensile stresses that were taken were compared to
7 Vom Mises output in the models.

8 MR. HACKETT: The 11 percent already
9 reflects a Vom Mises or Treca adjustment.

10 MR. HERMANN: Yes. It's just a comparison
11 of what came out of the tensile stress versus that's
12 not what was in the model. It was just a comparison
13 of that. A unilateral strains.

14 MR. HACKETT: Okay. Thanks.

15 MEMBER FORD: For the Recorder, that was
16 Bob Hermann.

17 MR. HERMANN: Bob Herman from Structural
18 Integrity.

19 MR. BYRD: Now going to my last page. The
20 results of this analysis on the previous page
21 indicated that the expected failure pressure was well
22 in excess of the pressure for any postulated
23 transients. It's also well in excess of the pressure
24 for any transients that have actually been experienced
25 at Davis-Besse.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 However to estimate a risk of the as-found
2 condition, we looked at the probability of a failure
3 occurring at less than this estimated pressure based
4 on our stress analysis. The results of this indicated
5 that there are core damage frequency we estimated to
6 be in the range of 1 times 10 to the minus 5th per
7 year. The larger the release frequency was
8 approximately of 1 times 10 to the minus 8th per year.
9 Our public health risk was approximately 0.56 person
10 rem per year.

11 CHAIRMAN APOSTOLAKIS: Are these Deltas
12 given these conditions?

13 MR. BYRD: Yes, sir. These are Deltas.

14 CHAIRMAN APOSTOLAKIS: So what is your
15 baseline CDF?

16 MR. BYRD: My baseline currently for
17 internal events is 1.2 times 10 to the minus 5th per
18 year.

19 MEMBER ROSEN: Ten to the minus what?

20 MR. BYRD: Fifth per year.

21 CHAIRMAN APOSTOLAKIS: So your doubling.

22 MR. BYRD: Approximately doubling our
23 internal event baseline.

24 MEMBER SHACK: Now as I'm corroding away
25 at two inches a year, how many weeks do I have to wait

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 until this thing goes?

2 MR. BYRD: We have that analysis currently
3 in progress. We're expecting an answer to that
4 relatively soon. We have an analysis that will give
5 us the size at which point we would have a failure at
6 a normal pressure. As far as how long it would take
7 to get to it, I think that's a little bit more
8 speculative.

9 CHAIRMAN APOSTOLAKIS: So this is given
10 that I have the amount of degradation that was
11 observed, the core damage frequency would be 10 to the
12 minus 5.

13 MEMBER KRESS: The maximum it could be is
14 conditional. What's the conditional core damage
15 frequency?

16 CHAIRMAN APOSTOLAKIS: Well it is
17 conditional.

18 MEMBER KRESS: Given that you have the
19 hole there.

20 CHAIRMAN APOSTOLAKIS: Oh, the hole.

21 MR. BYRD: If we had a LOCA?

22 MEMBER KRESS: Yes.

23 MR. BYRD: That would be a conditional
24 core damage probability. In the calculation of this
25 core damage frequency, we evaluated the conditional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core damage probability from a range all the way to
2 very small up to the 0.36. The largest was at about
3 0.1 square feet. That was 2.9 times 10 to the minus
4 3rd.

5 CHAIRMAN APOSTOLAKIS: You said 0.36?

6 MR. BYRD: The hole size with the maximum
7 core damage probability.

8 CHAIRMAN APOSTOLAKIS: So you estimated
9 the probability of this LOCA to be the order of 7 10
10 to the minus 3.

11 MR. BYRD: I'm sorry.

12 CHAIRMAN APOSTOLAKIS: What's the
13 frequency of this LOCA?

14 MR. BYRD: I guess it might be easiest if
15 I could just take a minute here and walk through the
16 process because I think I have a few questions.
17 Essentially what we did was we understood that at the
18 pressure we calculated we weren't supposed to get a
19 failure. So we looked at ways that this would fail at
20 less pressure.

21 There's a couple of things that came to
22 our mind. One was a seismic event. The other being
23 overpressure transients that didn't actually get to
24 this pressure.

25 With respect to the seismic event, we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recently completed a seismic PRA. We looked at that.
2 Based on the results of that a seismic event of
3 sufficient magnitude to cause this damage in Northwest
4 Ohio the frequency is very small. So that was a very
5 small contributor.

6 The other thing that we looked at though
7 was overpressure transients. We recognized that this
8 number that we had from the stress analyses is a
9 calculated number. It's dependent on a number of
10 things such as the analysis, the actual condition of
11 the clad, and the material strength.

12 So we employed a process that is outlined
13 in NUREG 2300, the PRA Procedures Guide and NUREG 5603
14 and 5604. This is a process we've used for doing our
15 interfacing system LOCA type of evaluations in our
16 PRA. It's also similar to what we use in our seismic
17 analysis and in our external event tornado analysis.

18 To do that you actually assume a median
19 failure capacity which we took to be the number we got
20 from the stress analysis. Then we had to develop a
21 logarithmic standard deviation. To do that we went to
22 the new rigs and looked at the various different
23 tabulated standard deviations for materials, for
24 temperatures and different kinds of configurations.

25 We took one that basically bounded the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 results we've seen in there. This is a way of
2 approximating the probability that the failure might
3 occur earlier. Based on that we were able to
4 calculate the probabilities of failures at pressures
5 of about 5600. We were able to come up with
6 probabilities of 3 times 10 to the minus 3rd to 7
7 times 10 to the minus 3rd depending on the pressure.

8 So that gave us a probability of failure
9 at a given pressure. Then we had to determine since
10 we weren't trying to calculate a frequency, we had to
11 calculate a frequency which over pressure transients
12 would occur at the plant. To do that we went back
13 through our plant history all the way back to 1979 and
14 looked at all of our overpressure transients.

15 We actually calculated frequencies for
16 various different categories in terms of the extent to
17 which they overpressurized the plant. Then we were
18 able to calculate a frequency of that we would get a
19 transient that would actually cause a LOCA. That
20 number was in the order of 4 times 10 to the minus 3rd
21 which is about to give you a feeling two orders of
22 magnitude higher than our normal medium LOCA number.

23 CHAIRMAN APOSTOLAKIS: Does the number of
24 10 to the minus 5 include as part of the conditions
25 the possibility of the six rods not going in?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BYRD: Based on our deterministic
2 analysis, we had evaluated that even if the six rods
3 did not go in, we would have sufficient shut down
4 margins. So we did not specifically include that.

5 CHAIRMAN APOSTOLAKIS: All right.

6 MEMBER FORD: Okay. If I could jump in
7 here. I'm watching the time here, George, unless you
8 want to extend into your other time.

9 CHAIRMAN APOSTOLAKIS: No. That's unfair.
10 I shouldn't extend it if I want to ask questions
11 myself.

12 MEMBER FORD: That's right.

13 CHAIRMAN APOSTOLAKIS: Let's move on.

14 MEMBER FORD: Thank you very much indeed.
15 I appreciate your comments. Let's call on Jack Grobe.
16 You're now going to hear two presentations by the
17 staff.

18 CHAIRMAN APOSTOLAKIS: Should we take a
19 break? We've been going forever. Do the members want
20 to take a short break?

21 MEMBER KRESS: Yes.

22 MEMBER SIEBER: That would be good.

23 CHAIRMAN APOSTOLAKIS: Okay. We're
24 recessing until 3:50 p.m. Off the record.

25 (Whereupon, the foregoing matter went off

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the record at 3:40 p.m. and went back on
2 the record at 3:50 p.m.)

3 CHAIRMAN APOSTOLAKIS: On the record.
4 Back in session.

5 MR. GROBE: My name is Jack Grobe. As was
6 mentioned, there's three presentations this afternoon
7 from the staff. I'm going to present the results of
8 a recent inspection that was completed about a week
9 ago. We exited on that inspection last Friday. Allen
10 Hiser will then present the status of Bulletin 2001-
11 01. Ken Karwoski will present the current status of
12 the bulletin responses for Bulletin 2002-01.

13 Being from Region III, I'm the Director of
14 Reactive Safety. I don't get to see you folks very
15 often. I appreciate the opportunity to be here.
16 Quite frankly I'm quite embarrassed to be here. As I
17 go through this you'll see why.

18 This wastage occurred over a period of
19 years. Our staff did not identify it. Certainly the
20 Davis-Besse caused it and had many opportunities to
21 identify it. We'll get into that a little bit.

22 I was going to cover three topics. The
23 first and third I think we've addressed pretty
24 extensively with the staff's presentation from Davis-
25 Besse. There are just a couple of issues that I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 touch on in that area.

2 As was mentioned there were five cracked
3 nozzles, three were through wall. I'm going to get
4 into a little bit of the description of the cavity,
5 just some of the information that I think was
6 important but not presented yet. You've already
7 understood what happened at nozzle 2.

8 This is just a little bit different
9 rendering. This is an artist's rendering of the
10 cavity. They spoke of the nose. There was
11 substantial undercut in the cavity.

12 In addition to that, there were some UT
13 measurements were taken from beneath the cladding.
14 There was an unusual result. They were taken on one
15 inch centers. There were indications that for an
16 extended distance outside of the visible cavity on the
17 order of maybe two and sometimes more inches, there
18 appeared to be a gap on the other side of the
19 cladding.

20 It's not clear what that is. When the
21 licensee cuts out the cavity, they'll be able to
22 investigate that more clearly. It's not clear whether
23 that's a reflection. Whether it's actually a
24 separation, it's just not clear.

25 If you look at the physical character of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the cavity, there's an uneven area quite a bit bigger
2 than the cavity that appears to be as a minimum de-
3 bonded between the stainless steel and the --

4 VICE CHAIR BONACA: Could you show us the
5 location there? Is it possible to see the location?

6 MR. GROBE: I don't have a slide that
7 shows the layout of that. A plan view as it were. I
8 don't have that. I apologize.

9 MR. HISER: Yes. I guess just to try to
10 provide a little bit of an answer this is Allen Hiser
11 from NRR. It's around nozzle 11. It's just not clear
12 at this point how far --

13 VICE CHAIR BONACA: Okay. Down there on
14 the picture.

15 MR. GROBE: Well, it actually goes
16 laterally across the cavity as well as downhill. It
17 appears to go the whole way to nozzle 11 and maybe
18 somewhat around nozzle 11. Like I said it's at least
19 in some cases two or more inches beyond the visible
20 aspect of the cavity.

21 VICE CHAIR BONACA: The reason I'm asking
22 the question is that in the repair, they've already
23 defined the size of the plug.

24 MR. GROBE: Right.

25 VICE CHAIR BONACA: Does that mean the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plug may have to be larger than what they are planning
2 right now?

3 MR. GROBE: Or there may be repairs
4 necessary. One of the first things that they are
5 going to do after they cut out the 13 inch diameter,
6 their current plan, is they're going to do
7 diapenetrated testing of the surface to try to identify
8 whether or not there's additional damage to that
9 surface.

10 VICE CHAIR BONACA: Okay. I understand.

11 MR. GROBE: This is a view of the cavity.
12 I think you can see in the lower section of the cavity
13 there's a shiny area. That's where it was machined
14 prior to the penetration to pitching as it were. The
15 tube has been removed. You can see the walls of the
16 cavity are fairly smooth. They slope in.

17 You saw this drawing in the last
18 presentation. There's nothing more to report on this
19 except a characterization of the wastage area is a
20 little bit incorrect. It comes out a little bit more
21 now that we have impressions in the lower area. Then
22 it tails off to be a little bit thinner.

23 So it appears that there may be more than
24 one mechanism. It may not just be corrosion. There
25 may be some other things as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I want to get into missed opportunities.
2 I'm going to cover three areas. They are the
3 containment air coolers, the containment radiation
4 monitor filters and also the Boric Acid Corrosion
5 Program implementation.

6 Dr. Apostolakis, you asked what are the
7 two main causes. The easy cause is to blame the Boric
8 Acid Corrosion Program implementation. The entire
9 operation of these facilities depends on human beings
10 whether it's people doing designs, operators of the
11 control panels, human beings make mistakes.

12 Implementation of this program was not
13 well implemented. That's by engineers. But the
14 results of the program implementation were known to a
15 number of people as well as a number of other
16 precursors.

17 I believe that the most important cause
18 here is a complete failure of the Corrective Action
19 Program. You'll see that as I go through my
20 presentation.

21 Just a little bit of system knowledge that
22 you may not have that's important to this. There's a
23 ventilation that the system intakes as suction on this
24 volume here. Discharge is near the top of containment
25 above the D-rings.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The area below the insulation is connected
2 to the area above the insulation through small gaps
3 around the nozzles and things of that nature. So
4 there is a communication of the ventilation system
5 between these two areas.

6 There are a series of almost 20 five by
7 seven inch what are called "mouse holes" or "weep
8 holes" that are right down here at the edge of the
9 vessel. (Indicating.) So they are for air coming in
10 through that direction. It's critical to understand
11 that the discharge from these areas at the top of
12 containment just to see what happened in the
13 containment air coolers and radiation monitors.

14 MEMBER SIEBER: The way out of that bottom
15 plate and the mirror insulation is such that since the
16 air flow is up, they don't have conoseals, but in
17 those joints the leakage is probably not going to go
18 down. Some of it does.

19 MR. GROBE: The leakage will likely be
20 horizontal.

21 MEMBER SIEBER: That's right.

22 MR. GROBE: It will be steaming
23 horizontally. It will spray against other surfaced
24 and evaporate. Then the vapor will be taken up
25 through the ventilation system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's been sufficient leakage at times
2 during the past ten years that has actually leaked
3 down along the penetrations, through the floor of this
4 service structure and through the insulation and
5 gotten onto the top of the head.

6 MEMBER SIEBER: My recollection is that
7 it's pretty windy in that area.

8 MR. GROBE: I haven't been there.

9 MEMBER SHACK: That is a plate though
10 there.

11 MR. GROBE: Yes.

12 MEMBER SHACK: There was some picture
13 there yesterday that gave me the impression of a
14 gridwork that you attached the insulation to rather
15 than a plate.

16 MR. GROBE: I think it's a framework. Is
17 it gridwork?

18 MR. MCLAUGHLIN: It's angle iron.

19 CHAIRMAN APOSTOLAKIS: Identify yourself
20 please.

21 MR. MCLAUGHLIN: This is Mark McLaughlin
22 from Davis-Besse. There is actual angle iron that
23 goes across the service structure. That's what the
24 insulation is laid on top of.

25 MEMBER ROSEN: So you would not expect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there be a large Delta P that would arise across that
2 structure if there was a substantial steam leak below
3 at the top of the head. Is that correct?

4 MR. MCLAUGHLIN: That would be correct.
5 The other thing that's not shown on there is there's
6 insulation. See on the outside of the flange, that's
7 where the reactor vessel hold-down bolts are. There's
8 another layer of insulation that's L-shaped that's
9 outside of that which covers up the bolt holes. So
10 that would even further restrict air flow in that area
11 underneath insulation.

12 MEMBER ROSEN: What I was getting as was
13 I was postulating that if you had a big leak right at
14 that point of steam at the top of the head that
15 somehow that insulation in that structure would
16 somehow cock and cause some stresses. I'm trying to
17 get the sense of whether you think that's possible.
18 I think you're saying is this the gridwork that came
19 with the Delta P that could create some kind of
20 cocking of that structure.

21 MR. GROBE: No. I think there's a fairly
22 tight clearance around each penetration hole. This is
23 a sheet material. Clearly the floor of the service
24 structure is sheet material.

25 I would expect if you're discharging 2,200

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pounds into this area that you're going to get a very
2 substantial differential pressure between these two
3 areas. You would see some deflection in these plates
4 which may result in some movement of the penetration
5 tubes.

6 I don't remember who asked the question.
7 But they were very interesting and complex questions.
8 These are also restrained near the top for seismic
9 purposes. I think you'd really have to get into how
10 much would those bowl and what are the clearances
11 inside before you could say how many rods would be
12 affected.

13 MEMBER ROSEN: Now you made me worry
14 again. I was almost to the point where I was done
15 worrying. I was the one who postulated this
16 originally. Now I'm back to work. That's exactly
17 what I was worried about. Because of the yards Delta
18 P across some of this, there would be enough
19 distortion caused by flexing of something that you
20 could have some sort of common cause failure.

21 CHAIRMAN APOSTOLAKIS: More about six
22 rods.

23 MEMBER ROSEN: Yes.

24 MEMBER SIEBER: Well, the mirror
25 insulation is in blocks. Right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MCLAUGHLIN: I'm sorry. I didn't hear
2 the question.

3 MEMBER SIEBER: The mirror insulation is
4 in blocks. Right? It's a puzzle that you put
5 together.

6 MR. MCLAUGHLIN: The way the mirror
7 insulation was manufactured is if you look at it
8 there's a flange right up above the insulation.

9 MEMBER SIEBER: Right.

10 MR. MCLAUGHLIN: The mirror insulation is
11 really in long strips, I'll say. Each strip has a
12 cut-out area for half of a nozzle along an entire row
13 though. So what they did is they slid it in on its
14 side. Then they laid it on top of the angle. So the
15 insulation is installed with long strips.

16 MEMBER SHACK: It's like around recessed
17 lighting in your basement.

18 MR. MCLAUGHLIN: Exactly. If you cut it
19 around if you have recessed lighting in your basement
20 and you cut half of one of your ceiling tiles, that's
21 how it would look. So that's how it's installed. I
22 would think that if you had enough of a force you
23 might move one strip. However there is sufficient
24 room between the insulation and the nozzles that it
25 should move up. I would think it would tend to flip

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out of the way.

2 MEMBER SIEBER: Now is there or is there
3 not a plate involved here someplace?

4 MR. MCLAUGHLIN: There is no plate.

5 MR. GROBE: What's the construction of
6 this, Mark, the floor of the service structure?

7 MR. MCLAUGHLIN: That's just showing the
8 circle. There's no plate inside there. The only
9 thing that you have is the angle iron that supports
10 the insulation.

11 MEMBER SIEBER: The insulation is sitting
12 in there loose.

13 MR. MCLAUGHLIN: That's correct.

14 MEMBER SIEBER: Does that help you?

15 MEMBER ROSEN: A little bit. I'd actually
16 like a more detailed drawing so I could conclude.

17 MR. GROBE: Okay. Thank you. The tubes
18 and fins of the containment air coolers obviously are
19 cooler than atmosphere. Anything that's in the
20 atmosphere they'll condense water out of the air as
21 they're cooling the air. Contaminants in the air and
22 moisture in the air will plate out on the fins and
23 tubes.

24 The containment air coolers need to be
25 cleaned occasionally depending on leakage inside

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 containment. They were cleaned in 1992. Prior to
2 some substantial leakage, there was equipment that
3 needed corrective maintenance in the 1998 time frame,
4 late '98/early '99 which resulted in unidentified
5 leakage in containment going from about one-tenth of
6 a gallon per minute to about 0.8 gallons per minute.
7 During that time frame it was necessary to clean the
8 containment air coolers 17 times.

9 A mid-cycle outage was taken in April 1999
10 to repair that equipment. Unidentified leakage only
11 went down to about 0.3 gallons per minute after that
12 outage. It remained higher than it had been prior to
13 '99.

14 Also during this time frame after the mid-
15 cycle outage, the containment air coolers had to be
16 cleaned twice in late '99 and seven times throughout
17 2000 and 2001. During that time frame, the engineers
18 reported that the character of the material on the
19 containment air coolers had changed.

20 Previously it might appear as a spray
21 painting, a very white dusty material on the fins and
22 the tubes. During this time frame it took on a
23 different color. It was dark brown. The Davis-Besse
24 staff assumed that the change in color was due to
25 corrosion of low alloy steel components in the air

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coolers themselves.

2 MEMBER ROSEN: Did anybody do any
3 measurement of the activity of that deposit?

4 MR. GROBE: No. I don't believe so. When
5 you say "activity" you mean specific activity, radio
6 activity?

7 MEMBER ROSEN: Yes.

8 MR. GROBE: I'm not aware of that. I'm
9 not sure if the Davis-Besse folks here are aware of
10 that either. I did not ask that question.

11 Okay. The radiation monitor filters.
12 There were routine preventive maintenance to change
13 the filters on the airborne radio activity monitors
14 inside containment every 31 days. Prior to the '99
15 time frame, that was sufficient to maintain that
16 equipment.

17 Beginning in May '99, this is after the
18 mid-cycle outage, the frequency of filter changes
19 increased. Between May and August of '99, it went
20 from about once a month as a preventive activity to
21 every other day. In July '99, the engineer
22 responsible for this equipment requested to have the
23 material analyzed on the filter.

24 The filter itself had previously never
25 appeared reddish-brown in color. That was the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 character of the filter in this time frame. It was
2 analyzed in July '99. The analysis came back that the
3 filter was clogged with boric acid and iron oxide that
4 was produced in a steam environment, not surface
5 corrosion.

6 The facility staff looked for a leak that
7 might cause this. They were unable to find one. They
8 assumed that the leak was from flange leakage. You
9 can't observe the flanges during operation.

10 In August '99, they installed banks of
11 HEPA filters with high volume fans to try to reduce
12 the frequency change for the radiation monitor
13 filters. That was successful. It reduced it to about
14 every other week.

15 In July '01, the frequency gradually began
16 to increase again. This is after refuel outage in
17 2000. It continued to increase to every other day.
18 In October '01, the staff reported that the filters
19 were abnormally dark brown.

20 MEMBER KRESS: Are these little filters?

21 MR. GROBE: I haven't seen them. What's
22 the physical size of these filters? I don't think we
23 have anybody here that's seen them. They're in-line
24 filters in the air sampling system so I don't expect
25 them to be very big.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER KRESS: They're small I would
2 guess.

3 MR. GROBE: Yes. I've talked about the
4 containment air coolers and the rad monitor filters.
5 Nothing associated with the air coolers was reported
6 in the Corrective Action System.

7 The rad monitor filters was captured in
8 the Corrective Action System. But the Corrective
9 Action was inadequate to identify the source of the
10 material. In fact some of the actions taken
11 potentially insulation of the HEPA filters masked any
12 ability to detect whether it was increasing on the
13 short term.

14 I want to talk next about the Boric Acid
15 Corrosion Control Program. I think you're aware that
16 this is an NRC required program. Through our Quality
17 Assurance Regulations, it's clearly a procedure
18 affecting the safety of the plant. So it's required
19 to be implemented.

20 In 1998, we issued a bulleting that
21 required licensees to describe their program for
22 monitoring boric acid. It's an extremely sensitive
23 but not on-line of course way of detecting leakage.
24 Just a little analogy here. One drop per second will
25 leave about 15 pounds of boric acid in a year. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's an extremely sensitive indicator of leakage.

2 Ongoing nozzle flange leakage. The
3 engineer responsible for maintaining the quality of
4 the flanges was provided a period of time each outage
5 to repair nozzle leakage, flange leakage. During some
6 outages there was a little flange leakage. All of
7 them were repaired.

8 During some outages there was more
9 extensive nozzle leakage. The engineer would
10 prioritize those nozzles as far as how badly they were
11 leaking and get as many of them repaired as he could
12 before it was time to restart the unit. Nozzles were
13 left in service leaking.

14 In 1990, the Davis-Besse staff identified
15 that it was necessary to have a modification to the
16 skirt beneath the service structure. The mouse holes
17 or the weep holes at the bottom of that skirt were not
18 sufficient to do adequate inspections and cleaning of
19 the vessel head. That modification would involve a
20 number of large diameter openings around the parameter
21 of the skirt, much higher in that skirt structure.

22 That modification was approved for
23 implementation in the early '90s. I think it was '94
24 or '95. It was scheduled in successive outages and
25 deferred out of each of the successive outages. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the fact that the licensee was unable to do thorough
2 inspections and cleanings of the head was of their own
3 doing.

4 Reactor vessel head boric acid deposits
5 were not removed at the end of each outage. It was
6 believed throughout that period of time that boric
7 acid deposits on the head were not significantly
8 hazardous. Moisture would be driven out of the boric
9 acid and the remaining crystals would not be
10 significantly corrosive.

11 In the '96 outage, the boric acid that was
12 left on the head was characterized as "patches of
13 white loose consistency material." What could be
14 gotten was cleaned up with mechanical means vacuuming.

15 In '98, the boric acid was characterized
16 as "fist-size clumps and a thin layer of generally
17 brown boric acid around the center penetrations."
18 Again, most of the boric acid was removed by just
19 vacuuming.

20 In the year 2000, the boric acid was
21 characterized as "accumulating over the head." There
22 was a thick layer of boric acid in the center of the
23 head. I'm going to put a slide up now. This is from
24 the 2000 Bulletin and as Bill Bateman mentioned a few
25 minutes ago, the staff did not have the opportunity to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see the condition of this part of the vessel head.

2 The Boric Acid Control Program clearly
3 indicates that if there are indications of red or
4 brown coloring, that's an indication of corrosion. It
5 should be pursued.

6 In 2000, this material was approximately
7 one to two inches deep. It had flowed out the weep
8 holes. In fact, the material inside the weep holes
9 was high enough to cover the weep holes. The material
10 had to be removed with crowbars. Eventually a water
11 wash was used to dissolve some of the material. But
12 a substantial amount of material was left on the head.

13 This was documented in the Corrective
14 Action Program as was the boric acid on the head
15 throughout this period of time. The close-out of the
16 Corrective Action Program document, the Condition
17 Report, actually they call them "peacocks" at Davis-
18 Besse at this time, was listed as "head was cleaned
19 and inspected."

20 MEMBER ROSEN: I'm sure that you're going
21 to take a close look at the corrosion effects of all
22 this leakage on those bolt circles.

23 MR. GROBE: Yes. We issued a confirmatory
24 action letter that requires a review of the entire
25 primary reactor coolant system. Not only the head and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the bolts on top of the head, but throughout the
2 entire system including the bottom head and other
3 areas.

4 Clearly there were indications of reactor
5 head corrosion. They were not recognized as
6 indications of corrosion and not evaluated.

7 The licensee described the preliminary
8 root cause, outside diameter, primary water stress
9 corrosion, cracking cavity caused by boric acid
10 corrosion. Significant corrosion began at least four
11 years ago. It's pretty difficult to argue with any of
12 that.

13 There's a lot of issues that are clearly
14 not addressed yet at least in documents that we've
15 seen. They haven't submitted their corrective action
16 document to us yet.

17 There's very interesting chemistry I'm
18 learning from this opportunity. Boric acid crystals
19 begin to react with air at a temperature far below the
20 temperature of the head and begin to form boric oxide.
21 In addition to that the melting temperature is only
22 slightly higher than the temperature at which that
23 reaction starts.

24 So you could have had a very interesting
25 combination of boric acid, boric oxide, and liquid

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 boric acid flowing down the head. It's not clear what
2 role that chemistry played in that cap over the top of
3 the head and corrosion that might have initiated from
4 the head down.

5 The role of head temperature throughout
6 the operating cycle, outage times, start up times, it
7 appears that there were times that boric acid was
8 pooled in the bottom of this cavity. That's certainly
9 an opportunity during shut down times when the head is
10 at ambient temperatures. It's not clear what role
11 that may have played in the corrosion process.

12 The rate at which the cracks progressed
13 and the corrosion progressed is not clear. I don't
14 see a reason to believe that the corrosion progressed
15 at a uniform rate through the years. So those issues
16 are not answered. Clearly the correlation between
17 Davis-Besse and the rest of the industry hasn't been
18 explained.

19 So there's a lot of outstanding questions
20 that I'm hoping are answered to a large extent in the
21 licensees root cause assessment. That completes the
22 information. I apologize for being quick.

23 MEMBER FORD: Jack, who has the action to
24 provide that data.

25 MR. GROBE: I'm sorry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Who has the action to
2 provide that data.

3 MR. GROBE: The licensee is required to
4 provide us the root cause. It's not clear to me that
5 those questions can be answered without research. The
6 grinding operation on the nozzle in penetration 3
7 started. The nozzle twisted a little bit and tilted
8 a little bit.

9 At that point the licensee did extensive
10 cleaning operations on the top of the head to discover
11 the cavity. All of that material is gone. Had we
12 been able to take samples of that material, it would
13 help. The licensee at that point had no reason
14 preserve that material because they didn't understand
15 what was going on. Maybe that's reason enough to
16 preserve it.

17 In addition, of course all the cracks were
18 machined out. So we have no information on the
19 cracks. It's not clear to me that we're going to have
20 sufficient data from the licensee's analysis to answer
21 all these questions. Likewise it's not clear to me
22 that we need all those answers necessarily to approve
23 an appropriate repair to the head.

24 Those answers are important for going
25 forward as far as Davis-Besse and the rest of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 industry. So there's a lot of things that play here.
2 I anticipate there may be some research, Hackett's
3 ears are perking up, that will come out of this.

4 MEMBER FORD: That comes down to the
5 question of the timing of which this research goes to
6 get to an identifiable goal. Bearing in mind that
7 it's assumed that there are no other observations of
8 such magnitude in the existing fleet. Until we have
9 that data we don't know. Tomorrow it may start,
10 unless we know the chemistry, physical dimension
11 interactions.

12 MR. GROBE: It may be that the right
13 answer is to do volumetric examinations of these areas
14 every outage. I don't know what the right answer to
15 this is.

16 MEMBER FORD: Okay.

17 MR. GROBE: Then you never get into this
18 situation. At least not from these cracks.

19 MEMBER POWERS: This is the part that I
20 don't quite understand, Peter. In the inspections of
21 heads that we're doing elsewhere, are we looking for
22 boric acid corrosion of the mild steel pressure
23 vessel?

24 MEMBER FORD: Inside the annulus?

25 MEMBER POWERS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Not as far as I know. Not
2 unless they're doing 100 percent UT. They're not.

3 MR. STROSNIDER: This is Jack Strosnider.
4 I just wanted to make two comments on the discussion.
5 First of all with regard to the research, NRR has
6 requested the Office of Research to start doing some
7 work in this area including looking at what
8 information is already available. Also looking at the
9 feasibility of mock-ups. We've also had some
10 additional discussions with the industry I believe
11 with regard to doing that kind of work.

12 With regard to what the inspections are
13 expected to look at, I think that's a subject of the
14 next presentations. In particular Bulletin 2002-01.
15 When you hear the presentation, you'll see that's
16 exactly the issue that we're trying to get to in that
17 bulletin.

18 CHAIRMAN APOSTOLAKIS: If I look at this
19 incident from the New Reactor Oversight Process. Is
20 this white?

21 MR. GROBE: The licensee's analysis puts
22 it at the white, yellow order. We haven't even begun
23 to review that. That's the next inspection that will
24 begin in the next week or so, both to look at the
25 regulatory implications of the findings of the AIT as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well as the risk analysis.

2 CHAIRMAN APOSTOLAKIS: But are you using
3 the action matrix right now? No.

4 MR. GROBE: The AIT, the Augmented
5 Inspection is an event response. Now we'll go into
6 the follow up inspections and apply the Significance
7 Determination Process.

8 CHAIRMAN APOSTOLAKIS: Okay.

9 MR. GROBE: It's an interesting
10 opportunity.

11 CHAIRMAN APOSTOLAKIS: Yes. We've been
12 hearing a lot about the utility personnel there and so
13 on. How about the resident inspectors?

14 MR. GROBE: That's an excellent question.
15 As part of the follow up activities, I'm required to
16 recommend to appropriate offices actions to take.

17 CHAIRMAN APOSTOLAKIS: Were they aware of
18 any of this?

19 MR. GROBE: No. The residents were not
20 aware. Our inspection program does not require
21 inspections in these areas. The in-service inspection
22 program primarily focuses on piping and welds in the
23 BWRs, BWR internals, as well as steam generators.
24 Reactor vessel heads was not included as part of our
25 inspection program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: They were aware of
2 the fact that the 1990 modifications to improve the
3 reactor vessel heads had not been installed.

4 MR. GROBE: No.

5 CHAIRMAN APOSTOLAKIS: They were not aware
6 of that.

7 MR. GROBE: No. I don't know how many
8 modifications every year that Davis-Besse has. But I
9 would expect that it's certainly in the dozens and
10 maybe many more than that. Corrective maintenance
11 activities would be in the thousands. So the chance
12 that a resident inspector may choose to pick one of
13 these activities to look at is fairly small.

14 CHAIRMAN APOSTOLAKIS: Now the Corrective
15 Action Program is one of the cross-cutting issues. Is
16 it not?

17 MR. GROBE: That's absolutely true.

18 CHAIRMAN APOSTOLAKIS: So what? We're not
19 doing anything about it. It's an old issue between us
20 and the staff. The staff claims that even if you have
21 a defective Correction Action Program, then you will
22 see the consequences of that. That's what happened
23 here.

24 MR. GROBE: I think that's what we have
25 here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: I think that's what you
2 said, Jack, is that you're doing a Significance
3 Determination Process.

4 MR. GROBE: Right.

5 MEMBER ROSEN: What comes out of that is
6 what's off the action matrix.

7 MR. GROBE: Exactly. Also to answer your
8 question, we're going to have to look at our
9 inspection program and how we implement it to make
10 sure that we're addressing appropriate inspection
11 activities.

12 CHAIRMAN APOSTOLAKIS: The question is
13 whether you should stick to this point of view that if
14 there are problems with the Corrective Action Program
15 let them be until something happens or you should try
16 to devise some ways of evaluating the quality of the
17 Corrective Action Program before things happen.

18 MEMBER ROSEN: I don't think your premise
19 is correct. I don't think that they do. I'm not
20 talking about Davis-Besse, any place without a serious
21 event. If the inspection, resident inspectors and the
22 NRC find that the Corrective Action System is somehow
23 not working as it should, then that becomes an issue.

24 CHAIRMAN APOSTOLAKIS: They're not
25 looking, Steve. They're not looking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: I think they are.

2 CHAIRMAN APOSTOLAKIS: No. It becomes a
3 major contention.

4 MEMBER SIEBER: There's a module for that.

5 CHAIRMAN APOSTOLAKIS: There's a what?

6 MEMBER LEITCH: It's 4500. Isn't it?

7 MEMBER ROSEN: I think it's a major focus
8 of the inspection program now.

9 MR. GROBE: There's three areas where we
10 look at the Corrective Action System. There's an
11 inspection that's now conducted every other year which
12 is a team inspection. It's a large inspection. It
13 covers several weeks.

14 CHAIRMAN APOSTOLAKIS: Of what?

15 MR. GROBE: It's of the Corrective Action
16 System itself. A wide variety of condition reports
17 are chosen on a risk informed basis to examine the
18 effectiveness of the Corrective Action System.
19 There's also a series of interviews of staff across
20 the facility to get a sense for their safety focus as
21 it were.

22 In addition to that a certain percentage,
23 I believe it's 10 percent of the hours of every
24 inspection whether it's a radiation safety inspection,
25 security and safeguards, maintenance, surveillance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 testing, or whatever it may be, is intended to spend
2 in the Corrective Action area looking at Corrective
3 Actions for deficiencies identified in that specific
4 area. In addition to that now we're implementing
5 sampling of about ten more minor events.

6 Events that wouldn't get to the level of
7 a special inspection where you send a team out to the
8 region. More minor daily events that by following our
9 nose, catch our fancy. We spend a little bit drilling
10 more on that specific event into how it happened. So
11 there are three ways we look at the Corrective Action
12 Program.

13 It's very difficult to apply the
14 Significance Determination Process to Corrective
15 Action violations. The Corrective Action Program if
16 it's a violation of not fixing things correctly, it
17 will most likely found the issue before it became
18 significant from a risk perspective. But didn't fix
19 it properly. So by definition that would be a low-
20 risk violation.

21 There's still quite a bit of dialogue
22 among myself and my peers about whether or not it's
23 appropriate to apply a risk-based, risk-driven
24 Significance Determination Process to a Corrective
25 Action Programmatic deficiency. Or whether there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should be some programmatic Significance Determination
2 Process developed that's more deterministic.

3 MEMBER ROSEN: So given all that, what was
4 the staff's conclusion about the Corrective Action
5 Program at Davis-Besse prior to this event?

6 MR. GROBE: The staff's view is that the
7 Corrective Action Program is well implemented at
8 Davis-Besse. That's what's very troubling. It's
9 something that I'm going to be getting to the bottom
10 of over the next several weeks, maybe months.

11 The extent of the behavior that created
12 this problem is multiple people weren't following the
13 Corrective Action Program. For example, engineers
14 were not speaking laterally. The rad monitor engineer
15 wasn't talking to the containment air cooler engineer,
16 who wasn't talking to the head engineer.

17 There were several decisions that were
18 made which included supervision and management that
19 don't appear to have been good decisions. Some
20 examples are the delay of the modification,
21 installation of HEPA filters in containment, the
22 decision to not continue to pursue the source of iron
23 oxide in the '99 time frame, quite frankly the
24 decision to restart after the 2000 refueling outage.

25 So there's just a plethora of issues that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we need to continue to follow up on. Why those
2 decision making processes, communication processes,
3 supervision deficiencies didn't manifest themselves in
4 other areas, that's another question we have to ask
5 ourselves and try to find the answer to. But they
6 didn't. I'm fairly comfortable with our inspection
7 program.

8 CHAIRMAN APOSTOLAKIS: Okay. They didn't.
9 But we, the NRC, have no way of finding out that they
10 did not because we were not looking for that. Is that
11 correct? We were not looking for the existence of
12 communication channels between this group of engineers
13 and that group of engineers because that's a safety
14 issue. We're not supposed to look at that. Is that
15 correct?

16 MR. GROBE: Whenever you identify, it's
17 what I refer to hardware and software. Most problems
18 have fixes in two sides. They have a hardware fix.
19 For example in this case potentially drilling out a
20 hole in the head, installing a plug, welding it in.
21 They also have a software fix. It's a human
22 performance problem or a communications problem or a
23 procedural deficiency.

24 CHAIRMAN APOSTOLAKIS: Right.

25 MR. GROBE: We look at all of those issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when we look at fixing a deficiency in the facility.
2 If it's our violation, we follow up on it. The 10
3 percent of each inspection procedure is spent doing
4 that. We pick about a half a dozen less significant
5 events per year. We drill down in each one of those
6 to make sure that the root cause is identified and
7 fixed. Every two years we spend a significant period
8 of time.

9 CHAIRMAN APOSTOLAKIS: I think I'm getting
10 a different picture from you of what our inspections
11 do. Then you guys would develop the ROP.

12 MR. GROBE: Well, I can tell you that you
13 get a picture of what we're doing in Region III. I
14 believe it's the same as the other regions.

15 CHAIRMAN APOSTOLAKIS: Yes.

16 MR. GROBE: I apologize.

17 MEMBER POWERS: In fairness, you explained
18 this when we visited you. All of the regions have
19 explained this. They do this baring down on the less
20 significant issues and things like that. It's one of
21 the values of our visit to the regions.

22 CHAIRMAN APOSTOLAKIS: I know. Sure.
23 Another thing that you said that I find very
24 interesting is you said that you are not sure of the
25 Significance Determination Process as it is structured

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 now. That makes sense for things like the Corrective
2 Action Program. Put another way, should we evaluate
3 everything on the basis of CDF and LERF? That's
4 really what you are saying.

5 MR. GROBE: Exactly.

6 CHAIRMAN APOSTOLAKIS: I don't think we
7 should.

8 MR. GROBE: I agree.

9 CHAIRMAN APOSTOLAKIS: You agree with me.
10 Okay.

11 MR. GROBE: When you look at the Design
12 Control Program for example if our inspectors go in
13 and we spend a week and we find 20 calculational areas
14 which are not minor oversights like a transposition of
15 numbers or something like that --

16 MEMBER ROSEN: This is at Davis-Besse.

17 MR. GROBE: No. This isn't Davis-Besse.
18 This is philosophical.

19 MEMBER ROSEN: I apologize. I won't
20 digress.

21 CHAIRMAN APOSTOLAKIS: That's fine.
22 Philosophy is good. Keep going.

23 MR. GROBE: If you find 20 calculational
24 areas where the calculational area had a precursor of
25 not understanding the engineering a mis-application or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a mis-assumption or something of that nature but each
2 one of them came out as to not render the equipment
3 inoperable, currently the Significance Determination
4 Process would classify those as either minor or green.
5 They would be non-cited violations.

6 When in fact that's a clear precursor that
7 there's a problem with the competency of the engineers
8 as well as the competency of the engineering
9 supervisors. So there are areas and these are the
10 things that we're still working out in implementation
11 of the ROP.

12 I think the Corrective Action Program is
13 likewise. It needs something less than less rigorous
14 analytically than a risk analysis to evaluate the
15 significance. I certainly appreciate this podium to
16 express these views. I don't get it very often.

17 CHAIRMAN APOSTOLAKIS: It can be a risk-
18 like analysis but not using core damage frequency is
19 the end stake. Something before that.

20 MEMBER ROSEN: It sounds to me like what
21 you're suggesting is the Reactor Oversight Process
22 ought to be risk-informed not risk-based.

23 MR. GROBE: That's exactly right. In some
24 areas it can be risk-based, but overall it should be
25 risk-informed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Nothing we do is
2 risk-based.

3 MEMBER ROSEN: Well, if you're writing
4 something that's agreeing because it's number that
5 you've calculated is way down there, that's risk-based
6 not risk-informed.

7 CHAIRMAN APOSTOLAKIS: No, but that's a
8 rule.

9 MEMBER ROSEN: What Jack is arguing for is
10 a true risk-informed regiment which is in my view the
11 right answer. It's always I think the wrong answer to
12 use a risk-based regiment.

13 CHAIRMAN APOSTOLAKIS: No, but the point
14 is should you be using core damage frequency to make
15 all these determinations. I think that's a
16 fundamental problem.

17 VICE CHAIR BONACA: For example one
18 concern that you have raised and I brought out at
19 least personally was the fact that the Significant
20 Determination Process doesn't take into consideration
21 repeat events.

22 CHAIRMAN APOSTOLAKIS: That's true.

23 VICE CHAIR BONACA: And yet it is
24 something that traditionally we have looked very hard
25 at the plans as indicators of problems with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Corrective Action Program. You fix something, you say
2 you fixed it and it's not fixed again and again.
3 That's a major indicator. Yet the Significance
4 Determination Program doesn't deal with that.

5 CHAIRMAN APOSTOLAKIS: Also the example
6 with the calculations is a very good point.

7 VICE CHAIR BONACA: Yes.

8 CHAIRMAN APOSTOLAKIS: Because you have 10
9 wrong calculations spread over time. Each one would
10 probably become a "green." But if you find a common
11 cause behind them then I don't know what you are going
12 to get.

13 MR. GROBE: I think we still have growth
14 in the area of how to apply our risk tools. A good
15 example of that in the maintenance area was at Quad
16 City several years ago. They were incorrectly
17 maintaining their motor operated valves. They were
18 repetitively failing. But at each failure they didn't
19 have redundant equipment in a failed state or out of
20 service.

21 Consequently there was essentially no risk
22 significance to each individual failure but there were
23 17 valves that failed over a period of two years. It
24 was because the maintenance activity was inadequate
25 and the Corrective Action Program wasn't identifying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it. So that's a situation I think that goes to right
2 to both these issues.

3 CHAIRMAN APOSTOLAKIS: Exactly.

4 MR. GROBE: We need to continue to mature
5 in how we are using our risk tools.

6 CHAIRMAN APOSTOLAKIS: Very good. It has
7 been really very useful.

8 MR. JOHNSON: George, this is my chance.
9 Over here at the table. George.

10 CHAIRMAN APOSTOLAKIS: Oh, you again. I
11 thought you weren't in the room, Mike.

12 MR. JOHNSON: I was hoping not to say
13 anything here. But I couldn't not say anything. I do
14 want to point out that we have had continuing dialogue
15 with ACRS on cross-cutting issues. I couldn't sit
16 there and remind us that the goal of the ROP was never
17 to make sure that we didn't have issues. There is
18 never a guarantee in the ROP that would say that we
19 would not have issues and then you would find and look
20 back and say hey you know what. There were some
21 cross-cutting issues that if the licensee had taken
22 care of we wouldn't have gotten here.

23 In fact what the philosophy of the ROP is
24 is that if in fact there are problems in cross-cutting
25 areas that those will be reflected in performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues like perhaps this performance issue that we're
2 talking about in time for us to take action before the
3 performance is unacceptable. So that's the premise of
4 the ROA. I wanted to be very clear about that.

5 The other thing is that I wanted to be
6 sure that we remember that the commission has given us
7 some specific direction with respect to treatment of
8 cross-cutting issues. The direction from the
9 commission was before the agency takes action on a
10 cross-cutting issue we need to make sure that it is an
11 issue that has reflected itself in terms of
12 performance that it has crossed some threshold.

13 So the commission has been very clear with
14 us with respect to our previous process of looking at
15 issues that have continued to aggregate if you will.
16 Aggregation was a feature of the previous process and
17 has steered us away from aggregation towards where we
18 are in the ROP.

19 I'm sorry, George. I just couldn't sit
20 there and not say that.

21 CHAIRMAN APOSTOLAKIS: Are you still the
22 head of that?

23 MR. JOHNSON: No, I am not.

24 MEMBER FORD: George, I have one question
25 from the public. Then I'd like to get back on to the

1 agenda.

2 CHAIRMAN APOSTOLAKIS: Sure. We can never
3 go back.

4 MEMBER FORD: That's true.

5 MR. GUNTER: Paul Gunter, Nuclear
6 Information Resource Service. Just a quick question.
7 Jack, could you inform me if the 1990 modification
8 that Davis-Besse didn't undertake was that part of
9 compliance with generic letter 8805? I mean 8805 had
10 a specific piece about increasing accessibility for
11 inspection. I'm wondering in what context did the
12 1990 modification come about. Did Davis-Besse just
13 volunteer it or was this part of 8805?

14 MR. GROBE: That's Paul Gunter by the way
15 for the records. Paul, 8805 didn't require any sort
16 of modifications. It simply required the licensee to
17 have a program in place that addressed certain
18 attributes of boric acid corrosion management and to
19 describe that program to us. The modification that
20 was identified in 1990 was proactive in a sense that
21 the Davis-Besse staff identified for themselves that
22 this would be a benefit to them. There wasn't any
23 requirement to implement a modification of any sort.

24 As a matter of fact of the B&W pressurized
25 water reactors most of them have implemented such a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 modification. Some have not. So it's simply a matter
2 of what a licensee views is necessary for their own
3 organization.

4 The disturbing issue at Davis-Besse is
5 that over the years their staff had identified that
6 one of their inabilities to effectively inspect and
7 clean the head what influenced that inability was the
8 fact that they had limited access through these mouse
9 holes or weep holes. That reemphasized the need for
10 implementation of the modification. I think I've
11 answered your question.

12 MEMBER FORD: I'd like to move on if I
13 may. Ken, do you want to swap your presentations?
14 You deal with 2002-01 and finish off with 2001-01.
15 It's a suggestion.

16 MR. KARWOSKI: That's fine. For
17 continuity purposes, I'll be discussing Bulletin 2002-
18 01 which was issued in response to the findings of
19 Davis-Besse. Just to recap, the NRC is taking a
20 number of generic actions as a result of the findings
21 at Davis-Besse. I'll be discussing some of those.
22 I'll also be discussing some of the results that we
23 have to date as a result of reviewing responses to the
24 bulletin and talking to licensees.

25 Just to go through it quickly because I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know we are behind schedule. The first slide just
2 recaps what we knew about the findings at Davis-Besse
3 at the time. We knew that they had boric acid on the
4 top of their head and we knew that they had leaking
5 nozzles.

6 With that information and the knowledge
7 that there was a cavity, we contacted the industry and
8 asked them three questions. Those three questions are
9 listed on this slide. Basically we asked them for
10 plants that had just recently completed their
11 inspections in response to Bulletin 01-01 which had to
12 do with circumferential cracking of the nozzles. Were
13 the techniques used during that inspection capable of
14 detecting the type of wastage that was observed at
15 Davis-Besse?

16 The other thing we asked them is to
17 provide a justification for continued operation for
18 the plants that had not performed those inspections at
19 that point. We also asked them for a risk assessment.

20 The industry conducted a survey and Larry
21 Matthews of MRP described that survey. They
22 categorized their results. While the industry was
23 performing that survey and about the time we received
24 those results, the NRC issued Bulletin 2002-01 on
25 March 18. We had several reporting requirements in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that bulletin and I've listed those on this slide.

2 Within 15 days of the date of the
3 bulletin, we asked licensees to provide a summary of
4 the reactor vessel head inspection and maintenance
5 programs. We asked them to evaluate those programs
6 for the ability to detect degradation such as what was
7 observed at Davis-Besse. We asked them to identify
8 conditions that may lead to degradation such that was
9 observed at Davis-Besse. We also asked for their
10 plans for their next inspection outage and then the
11 justification for continued operation.

12 We also asked that within 60 days that
13 they provide a more comprehensive evaluation of their
14 Boric Acid Corrosion Prevention Program. We also
15 asked the results of their next inspection to be
16 provided within 30 days of the completion of that
17 outage.

18 With respect with where we stand today,
19 the staff as a result of the MRP survey, we took the
20 plants that were listed in the other category that
21 were on the slides of Larry Matthews that presented
22 including Beaver Valley, Calaverdi, Wolf Creek, Watts
23 Park. We've contacted all those licensees because of
24 possible concerns because the other category is a
25 category where the results of the inspection were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questionable and we felt we needed to understand a
2 little better why they were categorized that. Some of
3 those plants have subsequently performed inspections.
4 We are still pursuing additional information from one
5 of those plants.

6 We are also contacting licensees that are
7 currently in outages to obtain the results of their
8 results of their inspections and also to discuss their
9 plans for the inspection recognizing that the bulletin
10 went on the 18th and the responses weren't due back
11 until the first week of April. We wanted to make sure
12 that we understood the licensees inspection scopes and
13 we wanted to make sure that the results of inspection
14 whether or not we wanted to evaluate those results to
15 determine whether or not we needed to take additional
16 regulatory actions. Those phone calls are still on-
17 going.

18 As a result of those phone calls, we have
19 not identified any other plant with similar
20 conditions. In most cases, I have characterized the
21 results as there is small debris on the top of the
22 vessel head. That debris could be a result of
23 maintenance activities and be metal shavings or pieces
24 of metal or small pieces of boric acid crystals as a
25 result of previous leaks but nothing to the extent as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what was observed at Davis-Besse.

2 We are reviewing the responses to the
3 bulletin. We have completed initial categorization.
4 We are proceeding on those reviews now. That's
5 basically where we stand with respect to the
6 activities of this bulletin.

7 MEMBER FORD: Thank you, Ken. Questions?

8 MR. HISER: I'd like to describe that the
9 status of review of Bulletin 2001-01 looking back that
10 was on circumferential cracking of vessel head
11 penetration nozzles.

12 VICE CHAIR BONACA: Could I ask a
13 question? I'm puzzled. It will be a quick question.
14 When they looked at the Davis-Besse, they looked from
15 the bottom. Then they did the inspection and
16 identified cracking I guess through UT inspection in
17 the sense. So that means they never looked from the
18 top because of the super structure (PH) I guess it
19 was. Right?

20 MR. HISER: As a part of the 2001-01
21 inspections for the prior bulletin, they looked using
22 ultrasonics to determine whether or not they had any
23 circumferential cracks. As a part of their overall
24 activities, they intended to do a visual inspection of
25 the head as well. The sequence of events was such

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that they completed their ultrasonic inspections and
2 then begun repairs before they did their visual
3 inspection.

4 VICE CHAIR BONACA: I just wanted to make
5 sure for the other plants in genera that there is
6 always a plan to inspect visually from the top.

7 MR. HISER: For many plants that's true.
8 For some plants the insulation configuration is such
9 that the insulation is directly on the head. Then
10 there are cases that it really isn't feasible to do a
11 visual exam of the head's surface.

12 VICE CHAIR BONACA: So would you find the
13 same problem if you -- Do you see where I'm going?

14 MR. KARWOSKI: There are a number of
15 plants whose insulation is either glued or cannot be
16 removed for the head easily. One of the recent plants
17 that shut like that is Genet. They had a well
18 documented history of prior leaks. They also did a
19 visible inspection of the surface of the insulation.

20 In areas where it was stained they cut up
21 pieces and looked down to the bare metal. They also
22 did additional examinations in areas where there was
23 a known prior history of leaks. In the case of Genet
24 specifically they did UT thickness measurements from
25 the bottom of the head near the center nozzle. They

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also did some UT in the periphery around the shroud
2 ring as result of a prior leak in that area.

3 So there are other actions that plants who
4 have nonremovable insulation can take. Certainly if
5 they have never had a leak there is a possibility that
6 leakage would come down from the top.

7 VICE CHAIR BONACA: But you would expect
8 provisions however that they would take so if there is
9 a faradic erosion over time taking place in the
10 ferritic steel would be identified.

11 MR. KARWOSKI: Yes. I was just addressing
12 the corrosion from the top of the head.

13 VICE CHAIR BONACA: I understand. I have
14 just been wondering though since in some cases you
15 cannot have a visual from the top, how do you assure
16 that if you have an event of this type it's going to
17 be identified in all cases? That still puzzles me.

18 MR. BATEMAN: Just a point of
19 clarification. Bill Bateman from the staff. When Ken
20 says leaks, he's referring to flakes from above from
21 the phalanges at the conoseals that would run down and
22 land on the header and the insulation.

23 MR. HISER: One of the things that the
24 industry talked about on Tuesday was interpretation of
25 the ultrasonic data above the weld and the inference

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fit zone and the ability of that to characterize
2 whether they have metal behind the nozzle or not.
3 That's one approach that the industry is taking.

4 VICE CHAIR BONACA: But they're addressing
5 this issue.

6 MR. HISER: Right. Here's what I would
7 like to do today is to just provide a brief summary of
8 the inspection results and how that fits within the
9 context of the susceptibility ranking approach and
10 then provide some observations and forward looking on
11 where we are headed with this.

12 The table illustrated here provides the
13 inspection results for all the high susceptibility
14 plants along with two moderate susceptibility plants,
15 Crystal River 3 and Millstone 2 that did identify
16 cracked nozzles. In general, plants have tried to use
17 a qualified visual exam if they are able to do that.
18 Again the qualified visual means that you are able to
19 inspect the inner section of the nozzle with the head
20 so that you can split to that bare metal to see if
21 there are any boric acid deposits. Also you have done
22 a plant specific analysis to demonstrate that any
23 leaks in the annulus between the nozzle and the base
24 metal would provide a deposit on the head that would
25 be available for detection. In some cases in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Millstone 2 and Davis-Besse, they also did a 100
2 percent ultrasonic inspection because they were not
3 capable of doing a visual exam with the as-found
4 condition.

5 Now for the plants that have identified
6 leaking or cracked nozzles, any positive findings from
7 the qualified visual exam were followed up with
8 ultrasonic techniques in order to characterize the type
9 of degradation or is it actual flaws or a
10 circumferential flaw whether it was through wall or
11 not. A number of nozzles have been repaired. I guess
12 two things to point out is from the susceptibility
13 rankings, we do have two plants in the moderate
14 susceptibility bin that have found cracked or leaking
15 nozzles. One of those Crystal River 3 is actually the
16 first plant in the moderate susceptibility range.
17 They did identify a circumferential crack in the one
18 nozzle. Millstone 2 identified three nozzles with
19 crack from the ultrasonic test. None of those were
20 thrown wall and none of them appeared to provide any
21 leakage.

22 Some discussion of Oconee 3. That was the
23 first plant that identified circumferential cracking.
24 That was identified in February of last year during a
25 midcycle maintenance outage. A refueling outage in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 past November did identify additional degradation with
2 the seven nozzles having cracks or leakage. One of
3 those nozzles did have a circumferential crack.

4 So I guess some of the points to be made
5 here is at this point all of the high susceptibility
6 plants with the inspection of Davis-Besse have been
7 inspected. We have continued to find cracked nozzles
8 and also some circumferential cracking. Looking at
9 this within the context of the susceptibility ranking,
10 plants are within zero to five EFPY of Oconee 3 were
11 classified as high susceptibility. As you can see
12 many of these have identified cracked nozzles. In two
13 cases they have not from recent inspections this is
14 the Crystal River --

15 MEMBER SHACK: Those are really leaking
16 nozzles. Right? They did visuals.

17 VICE CHAIR BONACA: That's right.

18 MR. HISER: In some cases. In at least
19 one plant all of the nozzles that were found to be
20 cracked did not have definitive indications of leakage
21 on the head, did not have definitive conclusions of
22 through-wall.

23 MEMBER SHACK: No, the two that we have
24 down there in the high zone that say no cracking.
25 Those had some visuals on them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HISER: That's correct. Yes.

2 MEMBER SHACK: So the no leaks is the true

3 --

4 MR. HISER: No leaks. Yes. That is
5 correct. The highest ranked plant that has leakage is
6 Crystal River at this point. Again Millstone 2
7 identified cracking because they did an ultrasonic
8 exam. Probably if they had done a visual exam they
9 probably would have been a blue square. We would have
10 said they have no cracking. As you can see there
11 clearly are a lot of plants that still will be doing
12 inspections either later this spring, next fall or
13 even next spring because of the cycle of outages.

14 MEMBER FORD: Allen, did I hear that
15 correctly that particular plant a visual inspection is
16 not sufficient to determine that you have no cracking?
17 Is that what you said?

18 MR. HISER: In this case the cracking that
19 was identified as the maximum extent was about 40
20 percent through-wall.

21 MEMBER FORD: Oh. So there it wasn't a
22 through-wall crack.

23 MR. HISER: Right. It was not a through-
24 wall crack.

25 VICE CHAIR BONACA: Some of the confusion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is that you are using the expression "cracking." You
2 should use the expression "leaking" because that
3 really is what you are monitoring with the exception
4 of that plant there, Millstone 2. I would suspect
5 that all of them are somewhat cracked.

6 MR. HISER: They may be. That's correct.
7 We'll improve the indications on this chart.

8 MEMBER SHACK: No. Matthews' chart says
9 it has four plants with volumetric inspection that had
10 no cracking.

11 VICE CHAIR BONACA: I thought there were
12 two. There were two on that table. Only two plants
13 with UT. Millstone 2 and Davis-Besse.

14 MEMBER SIEBER: But there were others who
15 found cracks.

16 MR. HISER: Yes. The plants that are
17 shown in the table are predominantly those that are
18 less than five EFPY. Some of these other plants
19 probably also did ultrasonic inspections. They should
20 be indicated a little bit differently. That's
21 correct.

22 I guess the one point we wanted to make is
23 that although all of the leakage is down in the low
24 EFPY area we have seen cracking here. Ultimately it
25 is going to get to the point that cracking extends

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 throughout the histogram. At this point in time the
2 history does justify I think the susceptibility
3 ranking model that we have.

4 MEMBER POWERS: I guess that's not
5 apparent to me. You have appointed 15 EPFY. It seems
6 to say that this ranking is not correct.

7 MR. HISER: From the standpoint of
8 circumferential cracking in nozzles, the plant had no
9 circumferential cracks. It had three nozzles with
10 about 40 percent through-wall.

11 VICE CHAIR BONACA: And no leakage.

12 MEMBER POWERS: If I wait until 12 EPFY it
13 has two wall cracks.

14 MEMBER FORD: I think an explanation,
15 Dana, is that this model is based purely on time and
16 temperature. It misses out the fact there is
17 differences in stress and especially differences in
18 heat. Therefore you are going to expect a scatter
19 around those values. So it doesn't surprise me at all
20 that you have at least one plant who when you look at
21 the distribution of those plants that have seen
22 cracking --

23 VICE CHAIR BONACA: If that plant had
24 performed a visual --

25 MEMBER POWERS: Well, I think what this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 telling you is that this ranking is just not adequate.

2 MEMBER FORD: You're always going to
3 scatter around those points. You are absolutely
4 correct.

5 VICE CHAIR BONACA: If that plant had
6 performed visuals like the other reds it would not
7 have been red but it would have been green.

8 MEMBER POWERS: That also says that visual
9 inspection is not adequate.

10 MR. STROSNIDER: This is Jack Strosnider.
11 I'd just like to make a comment on this discussion.
12 As was pointed out with these susceptibility models
13 there are parameters that aren't taken into account
14 here such as residual stresses, materials, et cetera.
15 We wouldn't expect this to be exact.

16 I think the one thing I want to caution is
17 when we say it's not exact. When we ask the question
18 is it adequate from a regulatory perspective, I want
19 to point out that even the largest circumferential
20 crack found in these plants had substantial margin to
21 failure.

22 Is it adequate in terms of protecting
23 against the circumferential crack that's going to lead
24 to failure? That's what we're concluding that yes the
25 inspections are happening soon enough to give us that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information.

2 It's not going to predict this plant is
3 going to be at exactly this time or this plant will be
4 exactly before that plant. But when you look at the
5 results of the inspections, we believe it's adequate
6 to provide confidence that the cracks will be caught
7 in time to preclude any failures.

8 I guess the one other thing that I'd point
9 out is then you ask the next question. What about the
10 Davis-Besse experience and the fact that a leak lead
11 to the sort of thing that we saw at Davis-Besse?
12 That's the point of the bulletin that Ken talked
13 about.

14 For people who have already done these
15 inspections, one of the things that they have to
16 respond to is tell us why that inspection was good
17 enough to tell you that you didn't have any
18 degradation occurring in the head. So I think you
19 need to look at both the bulletins and what they're
20 accomplishing there.

21 MEMBER KRESS: Yes. But there's going to
22 be an unfinished part of that. They're going to come
23 back and say we're sorry we couldn't have found the
24 Davis-Besse thing without inspection. Then you'll
25 have to come back with now what.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STROSNIDER: Yes. If we see a
2 responsible Bulletin 02-01 which says that we can't
3 tell you a licensee that can't provide the argument as
4 to why they don't have degradation occurring in the
5 head, we need to have more discussions with them.

6 MEMBER KRESS: They'll have some
7 arguments. But you'll have to use judgement as to
8 whether they're good enough. I think what you'll find
9 out is they really can't tell you. Then you have the
10 decision to make. What are you going to do? I think
11 you ought to be thinking about that.

12 MR. STROSNIDER: We are.

13 MEMBER KRESS: Okay.

14 MR. STROSNIDER: If we get a response to
15 Bulletin 02-01 which doesn't provide confidence that
16 the type of degradation saw at Davis-Besse is not
17 occurring, then we will have to follow up on that.
18 That's the point of our argument.

19 MEMBER POWERS: Jack, let's come back on
20 this regulatory adequacy. You have this, I think it's
21 Crystal River up there at 15. Is that right?

22 MR. HISER: That's Millstone 2.

23 MEMBER POWERS: That's Millstone 2. I'm
24 sorry. You say it's okay because this things going
25 through a wall. Isn't that an accident? If I look at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the next plant down, couldn't it be that it has
2 through-wall cracks?

3 MR. STROSNIDER: Which one?

4 MEMBER POWERS: One of them.

5 MR. BATEMAN: Right now we're managing
6 this issue through leakage. If we look at that plant,
7 do a visual inspection and we see popcorn there then
8 we know there's leakage. The licensee fixes it. They
9 don't restart until they've fixed all their leaks.
10 Right now the way we're managing this issue is through
11 leakage.

12 MEMBER POWERS: Right now this curve is
13 used to tell you the urgency with which they're doing
14 an inspection.

15 MR. HISER: Actually I should have set the
16 stage on this. The bulletin had two main purposes.
17 First of all is to identify any plants that had a
18 safety issue such as the cracks that were identified
19 at Oconee. So far we've found no plants that have a
20 safety issue with large circumferential cracks.

21 The other is to provide us with data in a
22 graded approach that would help us to determine what
23 the long term management, i.e. inspection methods need
24 to be to assure that we don't get any large
25 circumferential cracks. Within that context, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 susceptibility ranking is supported by the data that
2 we have at hand.

3 MEMBER KRESS: I don't think you should
4 overlook the blue squares, Dana. They tell you a lot
5 of information.

6 MEMBER POWERS: You have blue squares down
7 here at three.

8 MEMBER KRESS: I know. You would expect --

9 MEMBER POWERS: They don't tell me
10 anything except that the curve is not adequate.

11 MEMBER KRESS: You expect some overlap at
12 that level down there.

13 MEMBER POWERS: It looks to me like the
14 density is about the same. I would argue that the
15 blue squares are about uniform across that grid.

16 MEMBER FORD: You don't think that the
17 ratio of cracking to no cracking changes as you go
18 from the left hand side to the right hand side.

19 MEMBER POWERS: It doesn't look to me like
20 it does.

21 MEMBER FORD: There's no red squares up in
22 the right side.

23 MEMBER POWERS: But you haven't looked.

24 MEMBER KRESS: I'm presuming that you've
25 looked at the blue squares.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: First of all I have two
2 blue squares in the first block. I have four in the
3 next block. I have three in the next block. I have
4 three in the block. Two in the next block.

5 MEMBER KRESS: That's just an indication
6 of which ones you looked at.

7 VICE CHAIR BONACA: But let's change the
8 name to leaking because really the cracking is just
9 misleading. Those two boxes on the left between zero
10 and five may be --

11 MEMBER POWERS: That's what I disagree
12 with, Mario.

13 VICE CHAIR BONACA: May be 90 percent
14 through right now. They show however no cracking. No
15 that's not true. No leaking. They haven't seen any
16 leakage. But they may be so close to all extent
17 they're in the same bunch.

18 MEMBER POWERS: I think I agree with you.

19 VICE CHAIR BONACA: What will you shift
20 the criteria? Do you call the other one up there no
21 cracking? That means no leaking actually. You have
22 seen no leaking in less than two. But you know that
23 there is cracking.

24 I can make the same statement about any of
25 those. I probably could go at 20 years and find some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at 20 years that have cracking but no leaking.

2 MEMBER KRESS: But I would be awfully
3 surprised to see that many blue squares if indeed
4 you're supposition is right. Some of them are that
5 close to being --

6 VICE CHAIR BONACA: I was talking about
7 the one between zero and five, those two.

8 MEMBER KRESS: Well, those two might very
9 well be.

10 VICE CHAIR BONACA: They may be very
11 close.

12 MEMBER KRESS: But that just validates the
13 curve if that's the case.

14 MEMBER POWERS: It may also be true that
15 the two up around 15 are within 95 percent of through
16 wall.

17 MEMBER KRESS: But I would be very
18 surprised.

19 MEMBER POWERS: You see if I didn't have
20 the red dot, I might be surprised. But now I have the
21 red dot. Why am I going to be surprised? You know
22 already.

23 MEMBER KRESS: The red dot is the one
24 thing that raises a flag.

25 VICE CHAIR BONACA: That's apples and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 oranges.

2 MEMBER KRESS: If I had two red dots, I'd
3 be more concerned.

4 VICE CHAIR BONACA: But you don't have
5 that.

6 CHAIRMAN APOSTOLAKIS: So this is the one
7 minute presentation?

8 MEMBER LEITCH: Another important variable
9 and it becomes a limitation I imagine of how much you
10 can plot, is the inspection method.

11 CHAIRMAN APOSTOLAKIS: Good.

12 MEMBER POWERS: The one uncontested
13 conclusion I get out of this is visual inspection
14 looking for evidence of leakage is --

15 MEMBER FORD: This is going to come up in
16 further discussions because this is relating to the
17 policy of how you manage these.

18 MR. HISER: Okay. I believe initially
19 this whole two hour meeting was going to be on
20 Bulletin 2001-01. That overtook us. So we're trying
21 to squeeze two hours into about five minutes.

22 MEMBER FORD: If I could just interrupt
23 because this is a serious point. Dana, this will come
24 up for discussion in the near future to discuss that
25 policy with regards to how we're going to manage this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: Good.

2 MR. HISER: This says conclusions. But
3 really these should probably be observations and
4 status. I guess what I really want to focus on is the
5 implications of Davis-Besse to the future inspection
6 needs for CRDM nozzles is yet to be determined. Once
7 the Bulletin 2002-01 review activities are completed
8 and the root causes end then we will have a better
9 understanding of that.

10 In addition the bulletin addressed the
11 next refueling outage for plants after August 2001.
12 In some cases plants a year from now will be up to
13 their second inspection. In all honesty, the
14 bulleting really doesn't apply in that case. What we
15 hope to do is have some inspection guidance in hand by
16 that time so that plants will be able to implement
17 that next spring.

18 I believe that the Committee was provided
19 with a copy of our draft action plan that will be used
20 to resolve the VHP nozzle cracking issue. Again that
21 was drafted before the Davis-Besse findings. We have
22 chosen at this point not to modify it because things
23 are in such a state of flux. Clearly that will be
24 revised as the implications of Davis-Besse become
25 understood.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: That's both underlining I
2 think, Allen, that parts of the actual experiments and
3 analyses in that action plan are already being done by
4 the MRP. So you say it's a draft. It is in fact.
5 The actions are already going on.

6 MR. HISER: Yes. That's correct. That's
7 what we had planned to talk about today.

8 MR. STROSNIDER: This is Jack Strosnider.
9 I'd like to just add one comment here if I could to
10 emphasize something that Allen touched on. I don't
11 know if this will go fully to addressing Dana's
12 concern. Hopefully it might help.

13 Again the bulletin was just a one time at
14 their next outage, that's all it addressed. We
15 recognize that we need a longer term program to manage
16 this. I think that's where the work is ongoing.

17 The Sub-Committee heard on Tuesday and the
18 Committee today heard something very important from
19 the MRP that I just wanted to go back and highlight.
20 That was that the MRP has reached a conclusion that
21 just visual inspections to look for leakage is not an
22 appropriate long term method for managing this type of
23 degradation which has very important implications with
24 regard to the type of inspections that would be done.

25 Basically it draws you to doing volumetric

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 examinations and finding cracks before they ever
2 develop into any kind of leak at all. Hearing that
3 from the MRP and that's an issue that we were looking
4 to have some resolution on I think we'll be working
5 with them to look at a longer term program that
6 follows that philosophy. We're waiting to see their
7 proposal on that subject.

8 Recognize that, yes, there is a longer
9 term follow up that has to happen here with regard to
10 managing this problem because it will show up at other
11 plants. This distribution is marching forward in
12 time. It will have to be managed.

13 MEMBER FORD: I'll pass it back to you.

14 CHAIRMAN APOSTOLAKIS: Well, thank you
15 very much. I guess we'll take another break now.
16 Then we'll go with the last item on the agenda. We'll
17 take 15 minutes, until 5:20 p.m. Off the record.

18 (Whereupon, the foregoing matter went off
19 the record at 5:07 p.m. and went back on
20 the record at 5:21 p.m.)

21 CHAIRMAN APOSTOLAKIS: On the record.
22 We're back in session. Risk-informed inservice
23 inspection, break exclusion, region piping, that's
24 what it says here.

25 MEMBER SHACK: Just to remind everybody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we've been through this notion of risk-informed
2 inspection for piping which seemed like a good idea at
3 the time. Again it was a notion. Now we've learned
4 about where pipes fail and about the consequences of
5 failing. In fact we could do better inspections by
6 looking mostly at regions where we expected to find
7 degradation of piping and looked hardest at the piping
8 who's failure had the most severe consequence.

9 When we approved that it was basically for
10 piping that was covered by the ordinary Section 11
11 plants. The augmented inspection regions were not
12 covered under that one. Now the industry is proposing
13 to extend that to regions who are augmented and
14 inspections were required.

15 One of those is the break exclusion region
16 where in fact you're supposed to do 100 percent
17 inspection of the welds. There's a proposal then to
18 risk-inform that. The staff is going to tell us about
19 their assessment of that proposal.

20 MS. KEIM: Okay. I'm Andrea Keim. I'm
21 going to be handing off this presentation later to
22 Steve Dinsmore. We have a few other support staff
23 here to help us answer any questions. Again we're
24 here to talk about the risk-informed inservice
25 inspection of an augmented inspection program covering

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 break exclusion region piping.

2 A little bit of the background of the PRA
3 implementation plan included the following guidance
4 that was developed for devising risk-informed decision
5 making. There were some general guidance developed
6 and four application specific guidance in four areas.
7 They covered technical specifications, inservice
8 testing, graded quality assurance and inservice
9 inspection. So far mostly the inservice inspection
10 has been the most useful for industry.

11 MEMBER ROSEN: A point of order. I think
12 our hand out is every other page. At least mine is.
13 No, there's two on each page. I'm sorry. Human
14 error.

15 MS. KEIM: A little bit more on the
16 regulatory project covering risk-informed inservice
17 inspection. Again we've developed a regulatory guide
18 that was issued in September 1998 and a standard
19 review plan. We've also reviewed topical reports from
20 Westinghouse Owners Group and an EPRI topical report
21 covering inservice inspection. Again that covered
22 ASME code piping from code class 1 and 2.

23 These were issued back in '98 and '99.
24 Now what we're looking to do is extend that to a
25 different augmented inspection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 First I wanted to go also and show the
2 status of risk-informed ISI reviews. We're proposed
3 to receive 99 plants wishing to implement a risk-
4 informed ISI inspection program. We've received 46
5 through December 2001. We anticipate getting another
6 42 in 2002. We anticipate an additional 11 post-2002.

7 The 37 of these submittals that we've
8 already received used the EPRI methodology. The 13
9 have used the WOG methodology.

10 CHAIRMAN APOSTOLAKIS: What's the
11 difference between the second bullet and the third
12 bullet?

13 MS. KEIM: Not much.

14 MEMBER KRESS: A few months.

15 CHAIRMAN APOSTOLAKIS: Major bullet.

16 MS. KEIM: Yes.

17 CHAIRMAN APOSTOLAKIS: Number of plants
18 expected to implement RI-ISI is 99. Number of plants
19 that have submitted, what is that?

20 MS. KEIM: That's what we have received so
21 far to date. So we have 50 applications so far.

22 CHAIRMAN APOSTOLAKIS: So it's the 46
23 through 2001 plus a few --

24 MS. KEIM: A few that we have gotten this
25 year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Okay.

2 MS. KEIM: We've approved 46 of these
3 plants. All the ones through 2001.

4 CHAIRMAN APOSTOLAKIS: I don't understand.
5 Why do you have to approve them since they are
6 following methodologies that you have approved?

7 MS. KEIM: Because these cover ASME code
8 piping class 1 and 2 which require a submittal for a
9 relief request.

10 CHAIRMAN APOSTOLAKIS: Okay. Even though
11 they follow an accepted methodology.

12 MS. KEIM: Yes.

13 MR. BATEMAN: It's never quite so simple
14 that they follow an accepted methodology. Each
15 licensee always has their own little differences they
16 want to take from the accepted methodology.

17 CHAIRMAN APOSTOLAKIS: So you have number
18 of plants that have submitted is 50 or approved.
19 Sorry.

20 MS. KEIM: So we have 50 that are
21 submitted. Our current activities are covering the
22 Westinghouse Owners Group and EPRI submittals that are
23 extending this risk-informed ISI methodology to the
24 augmented inspection of break exclusion region piping.

25 MEMBER KRESS: Could you give me a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 idea of what break exclusion is about?

2 MS. KEIM: We're going to get to that.

3 MEMBER KRESS: Okay.

4 MS. KEIM: That is coming. Where that's
5 defined and where those requirements came about.
6 Primarily our today's presentation will focus on the
7 EPRI methodology and the EPRI submittal because that
8 one is farther along in the review process.

9 A little bit more background on the
10 objective of ISI, inservice inspection. That's to
11 identify degraded conditions that are precursors to
12 pipe failures. I think we're all familiar with that.
13 For normal ISI, it's referenced in 10 CFR 50.55(a)(g).
14 That's the requirement that still requires them to
15 still submit a relief request for the code class
16 piping. That again references ASME code for the
17 requirements.

18 Now to what everybody's interested in.
19 The break exclusion region came around from reviews of
20 general design criteria, number 4 which requires that
21 structures, systems and components important to safety
22 be designed to accommodate the effects of a postulated
23 accidents and include appropriate protection against
24 the dynamic and environmental effects of postulated
25 pipe ruptures. The staff has issued a number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 documents that provide criteria for implementing the
2 above requirements. That covers the Standard Review
3 Plan chapter 3.6.2 which also includes a staff
4 technical position MEB 3-1.

5 The Standard Review Chapter states that
6 breaks and cracks need not be postulated in break
7 exclusion region piping provided they meet certain
8 design and inspection criteria. So from this they
9 designed these pipes with the different criteria.
10 They also are required to inspect 100 percent of the
11 piping welds in these regions.

12 CHAIRMAN APOSTOLAKIS: I must say it's not
13 clear to me what a break exclusion region is. What is
14 it?

15 MS. KEIM: Well actually it's piping that
16 is in the vicinity of the containment which is from
17 the inside isolation valve to the external isolation
18 valve.

19 CHAIRMAN APOSTOLAKIS: Okay.

20 MEMBER KRESS: That's piping that you guys
21 want them to design and inspect so that you can
22 exclude the possibility that it won't break.

23 MS. KEIM: Right.

24 MEMBER ROSEN: That's what exclusion
25 really means. It doesn't have anything to do with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 excluding from the welds or from the inspection.

2 MEMBER KRESS: Yes. Okay.

3 MEMBER ROSEN: It has to do with excluding
4 breaks from the process.

5 MEMBER KRESS: There are important regions
6 of piping that you just don't want to break. You want
7 to be sure.

8 MS. KEIM: Right.

9 MEMBER SIEBER: So you have to do 100
10 percent of every weld.

11 CHAIRMAN APOSTOLAKIS: This is the only
12 place where 100 percent inspection takes place.

13 MEMBER SIEBER: I think that sampling in
14 other places.

15 CHAIRMAN APOSTOLAKIS: Everywhere else
16 it's sampling.

17 MS. KEIM: Yes.

18 MEMBER ROSEN: The code typically requires
19 I think 25 percent.

20 MS. KEIM: Yes. For class 1.

21 CHAIRMAN APOSTOLAKIS: What is MEB?

22 MS. KEIM: MEB is another acronym that we
23 use to identify different branches. MEB is the
24 Mechanical Engineering Branch.

25 CHAIRMAN APOSTOLAKIS: Oh, okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. KEIM: That's included in the Standard
2 Review Plan which is attached into the Chapter 3.6.2.

3 MEMBER SIEBER: I think the nickname for
4 the break exclusion region piping is superpipe
5 because it gets inspected so much.

6 MS. KEIM: Also because it has additional
7 design criteria.

8 MEMBER SIEBER: Right.

9 CHAIRMAN APOSTOLAKIS: Okay. So now I
10 understand what a BER is. What is the first sub-
11 bullet? "Pipe breaks not postulated in BER if
12 criteria is satisfied including augmented IDI of
13 piping welds." What does that mean?

14 MS. KEIM: I think some of that we're
15 going to cover a little bit later.

16 CHAIRMAN APOSTOLAKIS: What do you mean
17 "not postulate"?

18 MR. DINSMORE: This is Steve Dinsmore from
19 the staff.

20 MEMBER SIEBER: You don't have to consider
21 it.

22 CHAIRMAN APOSTOLAKIS: Oh, if the criteria
23 is satisfied --

24 MEMBER SIEBER: You don't have to
25 postulate a pipe break.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: You do the safety
2 analysis.

3 MEMBER SIEBER: Right.

4 MR. ALI: This is Syed Ali from the staff.
5 Maybe I can clarify just a little bit. I think one of
6 the big differences between the BER and the non-BER is
7 in the regions breaks had to be postulated and
8 hardware had to be installed for the effects of those
9 breaks such as pipe replacing, check shields.

10 This region which is generally between the
11 inside and the outside containment isolation valve is
12 so congested that the staff came up with the criteria
13 that you don't have to postulate breaks. Therefore
14 you don't have to install all that hardware provided
15 a number of conditions can be met.

16 One of those conditions was 100 percent
17 inspection. Other conditions were stress below a
18 certain level, you critique below a certain level.

19 CHAIRMAN APOSTOLAKIS: Okay. So I guess
20 if you had written "pipe breaks need not be
21 postulated" then it would be clearer.

22 MR. ALI: Right.

23 CHAIRMAN APOSTOLAKIS: Okay. This is an
24 interesting situation that you just described because
25 it goes against the defense in depth philosophy. Does

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it not? It says you are shifting everything to
2 prevention. They say no longer areas. You also do
3 something to mitigate, to contain the possibility.
4 But here you just convince yourself that the break
5 will not happen.

6 MR. ALI: There are a number of conditions
7 that have to be satisfied.

8 MEMBER POWERS: George, you're promptly
9 committing the cardinal sin of defense in depth. That
10 is applying it to every damn sub-system in the whole
11 reactor.

12 CHAIRMAN APOSTOLAKIS: That's a cardinal
13 sin?

14 MEMBER POWERS: Yes.

15 CHAIRMAN APOSTOLAKIS: So big.

16 MEMBER POWERS: Yes.

17 CHAIRMAN APOSTOLAKIS: Jesus. I'm
18 beginning to become a rationalist again. All right.
19 That's clear now.

20 MS. KEIM: So now what the proposal is --

21 CHAIRMAN APOSTOLAKIS: Well excuse me.
22 But it doesn't tell me anywhere that the defense in
23 depth stops at some point. If I read all the
24 documents, that's a philosophy.

25 MEMBER POWERS: If you read the exemplary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paper by Sorenson, Powers and Apostolakis, it would
2 outline this for you.

3 CHAIRMAN APOSTOLAKIS: That was probably
4 the part that Apostolakis did right. Okay. Sorry,
5 Andrea, it's late.

6 MS. KEIM: That's okay. So what the
7 proposal is --

8 CHAIRMAN APOSTOLAKIS: You're doing fine
9 actually.

10 MS. KEIM: Risk-informed methodology to
11 select piping elements and welds to be inspected in
12 lieu of the 100 percent examination. With that I'm
13 going to hand it over now to Steve Dinsmore.

14 MR. DINSMORE: Hi. I'm Steve Dinsmore
15 from the PRA branch. I've been involved in this risk-
16 informed ISI since pretty much day one or since the
17 beginning of time, whichever is longer.

18 CHAIRMAN APOSTOLAKIS: That's where time
19 started.

20 MR. DINSMORE: Just to give you a brief
21 overview that can avoid some confusion later. What we
22 have is this temporary ISI TR, the original TR. It's
23 about 200 pages. It has a whole description of a
24 methodology. It's been approved to use. Except it
25 was explicitly excluded for use in the break exclusion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 region.

2 Now we have this second topic. This is
3 what we call the EPRI BER TR. Not topical essentially
4 identifies tweaks to the original methodology. If
5 they used them, they can take the original
6 methodology, tweak it and apply it to the break
7 exclusion region.

8 This slide is a quick overview of the
9 different steps in the original methodology and how
10 they're changed to let the BER program be included.
11 The first one is scope definition. It's easy. It
12 used to be excluded. Now we include it.

13 The consequence evaluation. The BER TR
14 includes a fairly well defined criteria which should
15 be used to determine the consequences of ruptures in
16 these regions. So that's probably the major
17 difference.

18 Degradation mechanism evaluation. There's
19 no change. Piping segment definition. There's no
20 change. Risk categorization. There's no change.
21 Selection of welds. There's no change.

22 Risk impact assessment. Essentially what
23 we --

24 CHAIRMAN APOSTOLAKIS: Let me understand
25 that. When you say "no change" to what?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DINSMORE: To the original
2 methodology.

3 CHAIRMAN APOSTOLAKIS: Okay. Not to what
4 you used to do to the break exclusion area.

5 MR. DINSMORE: Right. This is to the
6 original methodology.

7 CHAIRMAN APOSTOLAKIS: This is to the
8 report.

9 MR. DINSMORE: This is to the methodology.

10 CHAIRMAN APOSTOLAKIS: The methodology.

11 MEMBER ROSEN: The existing approved
12 methodology to the 46 plants.

13 CHAIRMAN APOSTOLAKIS: Now it makes sense.
14 But did you explain to us what they propose to do to
15 the exclusion region?

16 MR. DINSMORE: The tweaks are described
17 here. This is a quick overview.

18 CHAIRMAN APOSTOLAKIS: Okay.

19 MR. DINSMORE: The risk impact assessment.
20 We had to figure out how to apply the risk criteria
21 that we'd been using to this region and to the plant
22 in total. There's also a slide on that.

23 Monitoring feedback. There's no change to
24 that. The implementation is another one of the bigger
25 changes. A lot of these BER programs are only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 referenced in the FSAR. You could use 50.59 to make
2 changes that are referenced in the FSAR.

3 CHAIRMAN APOSTOLAKIS: What does that mean
4 implementation if you use 50.59?

5 MR. DINSMORE: If you do a 50.59
6 evaluation, you can determine whether you need to make
7 a submittal for prior review or not. Sometimes they
8 are in other places, but those plants have their own
9 problems.

10 If it's only referenced in the FSAR, you
11 should be able to apply your 50.59 evaluation, use
12 this methodology and then apply the evaluation. Then
13 you won't have to come in with a submittal. You can
14 just make a change.

15 CHAIRMAN APOSTOLAKIS: How would you apply
16 50.59 to piping in the exclusion region? Have you
17 thought of the questions that you're effecting
18 initiating vents?

19 MR. DINSMORE: Actually the seventh
20 question is are you --

21 CHAIRMAN APOSTOLAKIS: I thought the first
22 question of 50.59 was what you are about to do could
23 effect initiating events.

24 MR. DINSMORE: We have our 50.59 person
25 here specifically for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Okay.

2 MS. MCKENNA: This is Eileen McKenna from
3 the NRC Staff. I think you're going to get to it a
4 little later in the presentation. I think part of the
5 point that was trying to be made here is that this
6 part of the program, the BER, is not in 50.55(a). So
7 you don't have to follow a 50.55(a) review and
8 approval process.

9 Then you look at what is the approval
10 process if there is one that might apply to this. To
11 the extent that it's in the FSAR, then it would be
12 50.59 that would apply to it.

13 What we're talking about as you'll see a
14 little bit later is we're really looking at the
15 methodology by which you select your inspection
16 locations as changing from the 100 percent inspection
17 to the risk-informed approach. Then using a
18 methodology that has been approved through the topical
19 process. Then you would go through Criteria A which
20 is the method of evaluation criteria in 50.59.

21 CHAIRMAN APOSTOLAKIS: But I suspect that
22 all of this will fail to pass the Criteria 50.59.
23 Would it not? So you would actually have to come to
24 the staff.

25 MS. MCKENNA: We're approaching it from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at it as being the method for determining the
2 inspection locations.

3 CHAIRMAN APOSTOLAKIS: Right.

4 MS. MCKENNA: We're looking at it as being
5 Criteria A method of evaluation. The criteria that's
6 established is that if you're changing from the method
7 that you had in your FSAR to another method that has
8 been approved by the NRC for the intended application,
9 that is a change that can be done under 50.59.

10 MR. DINSMORE: You don't have to answer
11 the other seven questions.

12 MS. MCKENNA: Right. If it's methodology.

13 CHAIRMAN APOSTOLAKIS: It's only
14 methodology here? You say you are reducing the number
15 of locations.

16 MEMBER SHACK: You're changing the method
17 that you're selecting the inspection.

18 MR. DINSMORE: Right.

19 MS. MCKENNA: It has that effect, yes.

20 MEMBER SIEBER: But that's already been
21 approved by the staff as a generic methodology. So it
22 doesn't result in an unreviewed safety question.

23 CHAIRMAN APOSTOLAKIS: No. But it has
24 been approved for regional solid of the exclusion
25 rate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DINSMORE: We're in the process. If
2 we issue this SE, it will approve it for use
3 specifically in this region. The SE even says that.

4 CHAIRMAN APOSTOLAKIS: Let me understand
5 this. Before this, we were inspecting at how many
6 locations?

7 MR. DINSMORE: At 100 percent.

8 CHAIRMAN APOSTOLAKIS: At 100 percent.
9 Now it's going to be in a smaller number.

10 MR. DINSMORE: Yes.

11 CHAIRMAN APOSTOLAKIS: You consider that
12 a change in method. Is that an unresolved question?

13 MR. DINSMORE: No. We're reviewing it as
14 a change in methodology.

15 CHAIRMAN APOSTOLAKIS: That's what I'm
16 saying. Why is that so? It doesn't sound to me like
17 it's a change in method. It's a change in results.
18 You are inspecting less.

19 MEMBER ROSEN: I think it's a change in
20 method that results in a change in results. It's a
21 change in the methodology.

22 CHAIRMAN APOSTOLAKIS: Which results
23 though in a real change which may effect initiating
24 events.

25 MR. DINSMORE: But all methodology changes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could result in a real change.

2 CHAIRMAN APOSTOLAKIS: All?

3 MR. DINSMORE: I think so.

4 MEMBER SHACK: The assessment will find
5 that it doesn't significantly increase your risk.

6 MEMBER SIEBER: The generic assessment.
7 The SER.

8 MEMBER SHACK: If you follow the
9 methodology.

10 MR. DINSMORE: Yes.

11 MEMBER ROSEN: George, you're having a bad
12 day.

13 MR. ALI: This is Syed Ali from the staff
14 again. The original EPRI methodology is specifically
15 excluded from its scope the application to this
16 region. So what they are doing now is coming with an
17 addendum to that methodology that says their
18 methodology can be applied to this region also.

19 We are reviewing that addendum. If we
20 approve the addendum then we would have approved the
21 original methodology but now being applied to this
22 region also. There are some slight tweaks to the
23 methodology changes. But it's basically the same
24 methodology.

25 MR. DINSMORE: I think the idea is first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 put out this NEI 97.06 that if you use this approved
2 methodology or an approved methodology for the purpose
3 it was approved for, you don't have to address those
4 other questions. The NRC has accepted that as
5 guidance for using 50.59.

6 MEMBER KRESS: These pipes penetrate the
7 containment generally. There's isolation valves on
8 either side of the containment. If the pipe breaks on
9 the other side of containment, you've automatically
10 violated your containment.

11 MEMBER SIEBER: Not if the valves work.

12 MEMBER KRESS: Well, the valves are
13 generally open. You have to close them. Right?

14 MEMBER SIEBER: Well, they close generally
15 automatically.

16 MEMBER KRESS: What I'm trying to
17 reconcile is that 1.174 and by extension to the
18 inservice inspection part of 1.174 there's a
19 stipulation that you don't violate the defense in
20 depth principle. It seems to me like this is a
21 defense in depth consideration. I don't know whether
22 it violates it or not. It appears to violate it to
23 me, but I'm not sure.

24 CHAIRMAN APOSTOLAKIS: No. The 1.174 says
25 the defense in depth philosophy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Well, that's a philosophy.

2 CHAIRMAN APOSTOLAKIS: So that's a way out
3 of that.

4 MR. DINSMORE: Well, we include the
5 spatial effects of the failure of this piping in the
6 evaluation. Exactly what you gentlemen are talking
7 about is why we have a much more well defined spatial
8 effects evaluation process in the TR instead of
9 leaving it somewhat up to the licensees to develop and
10 document how they want to address spatial effects.

11 In this case, we've taken the extra step.
12 We've put in a good bit more description and criteria
13 about how they're supposed to do that analysis. But
14 if the results of the analysis are acceptable
15 according to all the other criteria that we have, then
16 it's okay.

17 MEMBER LEITCH: It seems to me that if you
18 get past this first issue of the questionable
19 definition of methodology and you applied the other
20 seven questions, it would fail. Would it not?
21 Clearly it would fail.

22 CHAIRMAN APOSTOLAKIS: Yes. Clearly fail.

23 MEMBER LEITCH: So if the whole argument
24 is hinged on the definition of methodology then you're
25 not going to get to the others.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Exactly.

2 MR. DINSMORE: It might not fail so bad
3 though because we did look at the questions a bit.

4 MEMBER SIEBER: My way of looking at it,
5 and you can correct me because it's a simple way of
6 looking at it is that if it fails, that means it is an
7 unreviewed safety question. Then you have to go to
8 the staff to get approval.

9 MR. DINSMORE: Right.

10 MEMBER SIEBER: But they've already
11 approved when they write this SER the methodology. So
12 it's no longer an unreviewed safety question. I think
13 that's what that means. So you don't end up having to
14 go down that chain of questions to legitimately apply
15 the methodology because the staff has already approved
16 the methodology. Is that a way to look at it?

17 CHAIRMAN APOSTOLAKIS: How does that
18 compare with the earlier information that Andrea gave
19 us about the number of plants submitting risk-informed
20 ISIs and being reviewed by the staff?

21 MR. DINSMORE: But that's a totally
22 different process.

23 CHAIRMAN APOSTOLAKIS: You are reviewing
24 the process that you have.

25 MR. DINSMORE: If you want to get a relief

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from applying, that's going to be Section 11
2 inspections, you have to come in to the staff and
3 request relief.

4 MEMBER SIEBER: An exemption. Right?

5 MR. DINSMORE: It's a relief request.

6 CHAIRMAN APOSTOLAKIS: So that doesn't
7 apply here.

8 MEMBER SIEBER: From 50.55(a).

9 MR. DINSMORE: Yes.

10 MEMBER SIEBER: Right.

11 MR. ALI: Again, it's Syed Ali. I just
12 want to add something on that also. In the original
13 program, they were specifically going below the
14 inspections that are required by ASME 11. So they had
15 to come in for a relief. Here in this region there's
16 ASME piping and there's non-ASME piping.

17 For ASME piping that is in this region,
18 they would have to maintain at least the ASME 11
19 inspections in order to apply 50.59 and not come for
20 a relief. If they go below the ASME 11 then it will
21 go into the same kind of a treatment as the rest of
22 the plant. They will have to come in with a relief
23 request. So the floor is still the ASME 11 in this
24 region for the 50.59 process to be applicable.

25 MEMBER LEITCH: The actual floor is about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a 10 percent inspection.

2 MR. ALI: Well, it's 25 percent for ASME
3 class 1 and about 7 and a half for ASME class 2.
4 That's the ASME level in the floor.

5 CHAIRMAN APOSTOLAKIS: Well, I guess if
6 it's clear to all the members, we can go ahead.

7 MEMBER LEITCH: Just one more question.
8 Is that 25 percent per 10 year interval?

9 MR. ALI: The 25 percent per each 10 year
10 interval, yes.

11 MEMBER LEITCH: Thank you.

12 MR. DINSMORE: Okay. Now we move to the
13 consequences. We'll explain a little bit again the
14 difference between BER piping and non-BER piping. The
15 non-BER piping had pipe failure postulated during the
16 design and evaluated using these SRP guidelines. The
17 mitigative hardware was added as needed. I guess we
18 already talked about this a lot.

19 In the BER piping, the pipe failures were
20 not postulated and the mitigative devices were not
21 constructed. So essentially when we did the original
22 risk-informed ISI we were looking at the non-BER
23 piping because that's the only place they were
24 changing inspections. We were more or less crediting
25 this SRP analysis out there. They had done this SRP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis one time already. So these guys can do their
2 PRA realistic analysis on top of that.

3 Now inside the BER piping, we don't have
4 that fall back. It's just whatever is there. That's
5 the reason in the EPRI BER TR, we essentially said you
6 can use the SRP guidelines or criteria or somewhat
7 more conservative. They can use somewhat more
8 conservative because it's not as sensitive. What the
9 result is, is that the segment goes into higher
10 medium. The result of that is they do 10 percent or
11 25 percent of inspection.

12 It's not that they have to build in all
13 this equipment. So I think the two pilots were
14 somewhat conservative because it didn't hurt them that
15 much to be conservative.

16 MEMBER LEITCH: Once again I just want to
17 make sure I understand this. Under the BER piping,
18 the reason that pipe failures were not postulated is
19 because this particular piping was very conservatively
20 designed and because we were going to do 100 percent
21 inspection.

22 MR. DINSMORE: Right.

23 MEMBER LEITCH: Not because it's not
24 important. In fact it's to the contrary. It's very
25 important.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Yes. I think that
2 was the reason.

3 MEMBER LEITCH: These are high energy pipe
4 lines.

5 MEMBER SIEBER: Some are, some aren't.

6 MR. DINSMORE: We're working on it.

7 MEMBER LEITCH: It's main stage. It's
8 feedwater. Isn't it?

9 MEMBER SIEBER: Sure.

10 MR. SULLIVAN: This is Ted Sullivan. I'd
11 like to add a little perspective. I think Dr. Kress
12 really hit upon it earlier. You couldn't postulate a
13 break in these areas. If you postulated a break for
14 example in a boiler and coupled with it the single
15 failure of the isolation valve --

16 MEMBER KRESS: Or leaking at that.

17 MR. SULLIVAN: You violate containment.
18 So it's really an outgrowth of that.

19 MEMBER LEITCH: All the more reason for
20 inspection though as I say. I agreed you couldn't
21 postulate a break. But I just don't understand the
22 logic of this. If you couldn't postulate a break,
23 it's not because it's not a problem. It's a big
24 problem. So all the more reason to inspect.

25 MR. SULLIVAN: I don't disagree with you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There are some representatives of industry here if
2 they want to add to what I'm saying, industry's view
3 was that these are fairly high radiation areas. They
4 really have not been finding anything to speak of or
5 much to speak of from doing these inspections.

6 They've done thousands and thousands of
7 weld inspections. The performance of this piping is
8 very good. So what they proposed and we've been
9 reviewing is a concept of focusing inspections
10 basically for cause. Where is the degradation
11 expected to have some potential to occur? Let's
12 inspect in those regions and couple that with regions
13 where the consequences would be high rather than
14 forcing the licensees to continue to do 100 percent in
15 a lot of area where they really can't even identify a
16 potential degradation mechanism.

17 CHAIRMAN APOSTOLAKIS: It's a performance
18 based initiative. Because they haven't found anything
19 in many inspections, they say why should we keep doing
20 this.

21 MR. DINSMORE: Why should we keep doing
22 100 percent?

23 CHAIRMAN APOSTOLAKIS: Yes.

24 MR. DINSMORE: I think that's right.

25 MEMBER KRESS: That's a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 arguement than we've been hearing.

2 CHAIRMAN APOSTOLAKIS: It's a very
3 different arguement.

4 MEMBER KRESS: It's a more persuasive
5 arguement.

6 CHAIRMAN APOSTOLAKIS: In fact, it's much
7 more persuasive, yes. This is not risk-informed
8 stuff. This is performance based.

9 MEMBER POWERS: In fact, it has to be a
10 risk-uninformed thing. I mean, WASH 1400, NUREG 1150
11 all tell us if you want to get yourself in real
12 trouble you have a bypass accident.

13 MEMBER KRESS: That's exactly right.

14 CHAIRMAN APOSTOLAKIS: Yes.

15 MEMBER POWERS: So if you bust these
16 pipes, you have a bypass accident. Anything that
17 degrades your confidence in these, would have to be a
18 risk-uninformed activity, inverse of risk-informed.

19 CHAIRMAN APOSTOLAKIS: You would never
20 pass 50.59. You just don't.

21 MS. KEIM: We have someone from industry
22 that would like to speak.

23 MEMBER KRESS: You might if you postulate
24 that the inspections aren't doing you any good because
25 they never found anything.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: No. The
2 inspections are always doing something good. They
3 never found anything. That's strong evidence that the
4 uncertainty has been reviewed significantly. Right?

5 MR. DINSMORE: Yes, sir.

6 MR. BALKEY: This is Ken Balkey from
7 Westinghouse. I'm working with our team on the
8 Westinghouse Owners Group methodology. They fall as
9 the same procedure in the EPRI method as well.

10 To add to Ted Sullivan's comments, when we
11 did the risk-informed ISI work from the original
12 topicals a few years ago, we learned a lot. That ASME
13 code had 25 percent and 10 percent. There was a
14 history of how they came up with that. It just says
15 there's a history is why there's 100 percent here.

16 To do these exams, it's not simply just go
17 out. They are in congested areas and high radiation
18 areas. There are only so many examiners to go around
19 as well too.

20 When we did the risk-informed ISI process
21 with either method to do the Section 11 exams, we feel
22 that we've done a real service. Even though we're
23 doing a smaller population, we are in the process of
24 moving the exams to the areas of active degradation.
25 Therefore making very good use of the utility's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 resources in doing those examinations.

2 We knew about this area when we did the
3 original program. We even had a lot of discussion
4 with the NRC of could we include this, even in the
5 original topical three or four years ago.

6 The staff felt and industry agreed that we
7 have to take one step at a time here. It was enough
8 of an issue to get through the ASME Section 11 exams
9 and working through a regulatory process with the
10 relief as Andrea said in terms of utilities making
11 submittals and getting approval for a relief request.

12 The industry now said we should be able to
13 take the same knowledge we just gained from that
14 program, and apply it to the high energy line break
15 exclusion region. We're not taking exams down to
16 zero. I think we're trying to support what Dr. Kress
17 said. Do you really 100 percent to give you assurance
18 that the integrity is good within this piping?

19 If it was easy to do, we wouldn't be here.
20 They are difficult exams to do. So we're saying can
21 we do a smaller population and still get the same
22 level of assurance in this region like was done in the
23 same piping for the Section 11 program. All the
24 questions in terms of if it breaks, would it take out
25 other areas or what it's effect is from a PRA, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still have to look at that. There are areas where we
2 will not remove examinations because the PRA indicates
3 them a consequence. You really still need to do a
4 number of exams in that area.

5 In summary, what we are trying to do is
6 really take what we learned on the original
7 application and now extending it to this for the 100
8 percent. It does free up the resources to really get
9 at some other degradation issues we're dealing with in
10 our plants.

11 MEMBER KRESS: Let me ask you a question.

12 MR. BALKEY: Sure.

13 MEMBER KRESS: When you say 25 percent of
14 piping instead of 100 percent, let's just pick a
15 number.

16 MR. BALKEY: Okay.

17 MEMBER KRESS: Does that mean you
18 eventually inspect all the piping? You would only
19 spread it out in time a little more.

20 MR. BALKEY: That's a good question. The
21 original concept for the 25 percent came from 30 years
22 ago. You do 25 percent in the first 10 years, 25
23 percent in the second and so forth. So over the life
24 of the plant, you do 100 percent.

25 But guess what? As plants operated, folks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said we did the first 25 percent and we really should
2 go back and take a look to see if anything changed.
3 If you go another 25, going back to a location you
4 just did 10 years ago and you get a different signal
5 from your ultrasonic, you know degradation is under
6 way. So you're better off getting to a smaller
7 population and really monitoring the degradation
8 closer than trying to do it all one at a time.

9 MEMBER KRESS: You could do a combination
10 of those two.

11 MR. BALKEY: Right. In this application,
12 the intent would be you'd have a smaller population.
13 But they are the areas that you would expect
14 degradation and of course areas of high consequence.
15 You would go back to those areas each ten year
16 interval.

17 CHAIRMAN APOSTOLAKIS: So you are always
18 inspecting the same 25 percent?

19 MR. BALKEY: Yes. Or whatever the percent
20 ends up being in this region. Yes. You would go back
21 to the same. But the program also as part of its
22 update if you find something whether it's in the
23 Section 11 program or if it's in a break exclusion
24 region, you may have to expand your sample. Not may,
25 it is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's a sampling scheme that if you find
2 something in that outage, you have another population
3 that sees it now somewhere else you weren't
4 inspecting. If you find something there, then you're
5 doing 100 percent of your area. So the process allows
6 you to get to 100 percent if you start finding
7 degradation in the sample that you're doing.

8 MEMBER LEITCH: How big an issue is ease
9 of inspection in determining which 25 percent?

10 MR. BALKEY: I would actually ask one of
11 my colleagues here who is an examiner at his plant.
12 Dave, do you want to speak to the difficulty in
13 getting to some of the locations.

14 MEMBER LEITCH: I know some of the
15 locations are very difficult. My question was really
16 how do pick your 25 percent.

17 CHAIRMAN APOSTOLAKIS: Do you pick them
18 randomly?

19 MR. BALKEY: Right now Dave has to do 100
20 percent of the exams at his plant.

21 MEMBER LEITCH: I know some of them are
22 really hard. What I'm saying is when you determine
23 your 25 percent sample view, do you eliminate the real
24 hard ones?

25 MR. BALKEY: No. I can give you an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 example. Turkey Point is one of the plants that's
2 been submitted not for break exclusion but in the
3 original Section 11. We looked at their risk-informed
4 ISI. We indicated in their surge line for their
5 operational experience. They had to do 100 percent of
6 the surge line.

7 That was a very difficult finding because
8 they had to go back and spec underneath the
9 pressurizer. It's a very high radiation. But we said
10 you have to examine it because of the information you
11 had. We would use the same philosophy. The same
12 philosophy would apply here.

13 Just because it's hard to get to is not
14 the reason you would drop it out. If you find it's an
15 area of degradation and your PRAs telling you that
16 it's really important if it fails, unfortunately
17 you're going to have to go in and make the effort to
18 do the examination.

19 MEMBER KRESS: What is the risk criterion?
20 How do you establish whether the one pipe section is
21 more risky than another one? Is it because of
22 equipment that may be around it?

23 MR. BALKEY: Yes.

24 MEMBER KRESS: Is it the size of the pipe
25 or the flow rates or a combination?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BALKEY: It's a combination of the
2 temperatures and pressures. That's part of what
3 Stephen was talking about and the consequence
4 evaluation on this slide here. One has to go in and
5 look a lot more carefully. You look at your pipe whip
6 for jet impingement effects and also flooding effects
7 on the electrical equipment if there's anything that
8 happens to be nearby.

9 MEMBER KRESS: That's how you decide the
10 risk.

11 MR. BALKEY: Yes. That's part of the
12 process.

13 MEMBER ROSEN: The functions of the piping
14 as well.

15 MR. BALKEY: As well as the functions of
16 the piping. We usually break it in to a direct
17 consequence to address the functions. Then the
18 indirect effects are the pipe whip and jet impingement
19 of pipes whipping and taking out other equipment
20 nearby. That has to be done as part of the process.

21 MEMBER KRESS: Thank you.

22 MR. DINSMORE: Okay. I'm not quite sure
23 this is resounded. We do use some risk information in
24 the process. So that they don't have to come in with
25 a submittal, you have to keep that in the back of your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mind, the quality of the PRA needs to be the same
2 acceptable quality as for risk informed ISIs since
3 it's pretty much the same process.

4 MEMBER SHACK: Can he do this without
5 having a risk-informed ISI program for his Section 11
6 piping?

7 MR. DINSMORE: They can apply this to the
8 BER region without doing a risk-informed ISI.

9 MEMBER SIEBER: Right.

10 MR. DINSMORE: Within the BER region then
11 as Syed was saying earlier --

12 MEMBER SHACK: Could you do it with 50.59?

13 MR. DINSMORE: Yes. But you couldn't
14 change the ASME Section 11 inspections if there are
15 any in this BER region. You could only change the BER
16 specific ones.

17 MEMBER ROSEN: Do you expect anybody to
18 actually do that, someone who hasn't done the basic
19 risk-informed ISI?

20 MR. DINSMORE: I have Pat O'Regon back
21 there nodding. He's from industry. So I have a
22 feeling he knows.

23 MR. O'REGON: I'm Pat O'Regon from EPRI.
24 The answer is yes. There are several plants that
25 would like to implement BER only. In particular a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 couple of BWRs will be implementing BWR VHP 75 on the
2 stainless steel piping and risk-informed BER on the
3 carbon steel piping.

4 MEMBER POWERS: How would the quality of
5 your PRA affect the conclusion that seems to be robust
6 through all PRAs that containment bypass accidents are
7 very hazardous accidents?

8 MR. DINSMORE: Well, they would assign a
9 pretty high conditional core damage probability or a
10 conditional large early release probability to those
11 segments which would contribute to those sequences.
12 Then it would be up to whatever degradation mechanisms
13 are in those segments.

14 If there's no degradation mechanism and a
15 very low failure probability then those segments would
16 be lower risk. If there's some degradation mechanism
17 and a high probability, there would be a higher risk.

18 MEMBER LEITCH: Do we have any idea how
19 much man-rem per plant per year is attributed to the
20 execution of this program as it now stands? In other
21 words, what's the man-rem saving per plant per year
22 estimated to be?

23 MR. DINSMORE: Maybe industry would know.
24 I don't. I guess not. No.

25 MEMBER ROSEN: Another way to look at that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same question is what's the percentage reduction in
2 the program that would come out of this. How big an
3 effect is it on the remaining overall program? Can
4 you give us any feel for that?

5 MR. DINSMORE: The EPRI TR says that if
6 you get below 10 percent, you need to provide a good
7 explanation of the design features in your plant which
8 supports finding that you have to inspect less than 10
9 percent of the welds in this region.

10 MEMBER ROSEN: That's not exactly the
11 question. That's not the answer to the question that
12 I thought I asked.

13 The question is let's say before you have
14 a start at this you were inspecting 1,000 welds in the
15 10 year period. Then you go to risk-informed ISI.
16 Now you're only inspecting 350 welds. You knocked out
17 two-thirds of them which I think is the number I
18 remember.

19 So you're down to 350 welds in the 10 year
20 period. Now can go to break exclusion piping and
21 knock that out. Now you're inspecting not 350 but
22 only 175 or 300? I'm trying to get a feel for the
23 additional reduction.

24 MR. DINSMORE: This is one of the pilots
25 that we didn't review by the way we just looked at it.

1 If you had 135 welds, one of them went down to 20 for
2 example. So that's about 11 percent. The other one
3 went down to 3 percent.

4 MEMBER ROSEN: Wait a minute. You said
5 135 and you went to 20.

6 MR. DINSMORE: Yes.

7 MEMBER ROSEN: That's a reduction of
8 almost 90 percent. Right?

9 MR. DINSMORE: That's because we're
10 starting with 100 percent. You see if you start with
11 ASME --

12 MEMBER ROSEN: Out of 135 welds you're
13 total example was the BER scope.

14 MS. KEIM: Yes.

15 MR. DINSMORE: Right. You inspect them
16 all to start with. In the ASME class 1, you were
17 going from 25 percent down. Here you're going from
18 100 percent down.

19 MEMBER ROSEN: So basically it's a very
20 large reduction in the BER scope.

21 MR. DINSMORE: It can be.

22 MEMBER KRESS: When you do the risk
23 assessment to calculate the change in LERF for
24 example, can you check it along with the absolute
25 LERF? If you have more than one unit on the side, are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you going to add the LERFs together?

2 MR. DINSMORE: We don't have process to
3 deal with that. If you had more than one unit on the
4 site I think what happens is if you add the two
5 together, the relative increase would be the same. We
6 don't really apply these criteria.

7 MEMBER KRESS: No. You have an absolute
8 LERF then you have a Delta LERF. The Delta LERF stays
9 the same. If you do it to one unit only, the Delta
10 LERF is for the unit. But the LERF is a LERF for the
11 site. It ought to be the sum of all the plants that
12 are on the site. That's a glitch or a short coming of
13 1.174 that I've been trying to get fixed. That's why
14 I ask the question every time.

15 MR. DINSMORE: We haven't fixed it in this
16 SE.

17 CHAIRMAN APOSTOLAKIS: A straightforward
18 answer. You'll wait until 1.174 is fixed first I
19 imagine.

20 MR. DINSMORE: Right.

21 CHAIRMAN APOSTOLAKIS: Okay. Let's move
22 on. Go to 11.

23 MR. DINSMORE: This is 11.

24 CHAIRMAN APOSTOLAKIS: This is 11?

25 MR. DINSMORE: I have a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numbering system.

2 CHAIRMAN APOSTOLAKIS: So what number do
3 you have for this one?

4 MR. DINSMORE: I have 11 for the other
5 one. We took one out. We put one together.

6 CHAIRMAN APOSTOLAKIS: We discussed this.
7 Didn't we?

8 MR. DINSMORE: Yes. We discussed this in
9 the beginning. We can just maybe even skip it.

10 CHAIRMAN APOSTOLAKIS: Yes.

11 MEMBER KRESS: This is the final
12 conclusion you have.

13 MR. DINSMORE: Right.

14 CHAIRMAN APOSTOLAKIS: Now let me
15 understand the first bullet. As I recall Regulatory
16 Guide 1.174 as we said earlier today has a beautiful
17 discussion of uncertainties incompleteness, models.
18 Are you guys doing any of that?

19 MR. DINSMORE: Those are included mostly
20 in the system level guidelines. We don't allow them
21 to for example take a bad weld in a dangerous system
22 and start inspecting that. They get a big plus risk
23 from that and use that to stop inspection many welds
24 in other systems. We don't believe that the numbers
25 support those type of large shuffling of risk.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: When you say the
2 basic acceptable quality of the PRA is the same as the
3 risk-informed ISI, so you have already approved 46.
4 Right?

5 MR. DINSMORE: Right.

6 CHAIRMAN APOSTOLAKIS: These are 46
7 submittals. You are now reviewing four.

8 MR. DINSMORE: There are five. We got one
9 yesterday.

10 CHAIRMAN APOSTOLAKIS: Five. Okay. So
11 you are really busy then. When you reviewed the 46,
12 did you look at issues like model uncertainty and
13 incompleteness? My impression is that nobody's doing
14 uncertainty analysis anymore.

15 MR. DINSMORE: What we required for the
16 risk-informed ISI is that the licensee go back and
17 look at all the negative comments made by the research
18 review and the peer review process, the BWRG. They
19 evaluate all these comments and make sure that either
20 they don't affect the results of the ISI analysis or
21 that they incorporate somehow the comment into the
22 evaluation.

23 CHAIRMAN APOSTOLAKIS: But what if the PRA
24 has not done an uncertainty analysis at all? We were
25 told last month that asking for uncertainty analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 means killing the program because nobody does it. So
2 I don't know how you conform with Regulatory Guide
3 1.174 if you don't do that.

4 MR. DINSMORE: Well, I think 1.174 says
5 that if you do a reasonably conservative analysis or
6 if you do something that you think is a bounding
7 analysis, you can address uncertainty in that way.

8 CHAIRMAN APOSTOLAKIS: I thought 1.174
9 really looked at all these uncertainties. How do you
10 know something is conservative if you don't understand
11 the uncertainties? Don't you have to understand what
12 is uncertain first before you say now what I'm doing
13 is conservative?

14 MR. DINSMORE: It's also that the
15 uncertainties in the pipe failure probabilities are
16 probably much larger than in the PRA.

17 CHAIRMAN APOSTOLAKIS: That's also true.
18 So how are these uncertainties handled?

19 MR. DINSMORE: We handle them by having
20 different criteria. Again this risk level criteria,
21 we don't allow them to move risk around between
22 systems very much. The risk level criteria is you
23 can't get more than a 10 to the minus 7th increase in
24 LERF.

25 So it's a factor of 10 below the plant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level criteria. It's regardless if you only have
2 three systems. Then the plant level is going to be 3
3 times 10 to the minus 7th and not 1 times 10 to the
4 minus 6th.

5 We've tried to deal with uncertainty by
6 putting in this backstop of what you can move and what
7 you can't move. We've actually done it in the BER
8 program as well. We've taken the BER program by
9 itself. They have to apply the same criteria to the
10 BER program.

11 In other words, every system within the
12 BER program they cannot increase the CDF by more than
13 10 to the minus 7th per year. For the total BER
14 program although it's not really useful, they couldn't
15 increase the CDF by 10 to the minus 6th. Then if they
16 put it together with the risk-informed ISI, they have
17 to apply those criteria to the total change as well.

18 So there's a couple of steps in the
19 criteria. That's the main --

20 CHAIRMAN APOSTOLAKIS: What you're saying
21 is that they don't need to do the uncertainty analysis
22 because the criteria we have established have allowed
23 for the uncertainties that you may have which is a new
24 interpretation of 1.174.

25 MR. DINSMORE: We used it in the basic

1 programs.

2 CHAIRMAN APOSTOLAKIS: I understand that
3 you have used it. Okay. Let's go on.

4 MEMBER ROSEN: I have a question about
5 those few licensees that might come in and just want
6 the BER program. Would they have to come and get
7 approval or could they completely avoid any review,
8 just do 50.59 and off they go?

9 MR. DINSMORE: If they don't change the
10 ASME Section 11 or any other licensing basis, they
11 could. Yes. They would not have to come in. They
12 could just do it. They have to put it in their yearly
13 report that they've done it.

14 MEMBER ROSEN: So the staff would never
15 get a chance to talk to them about their PRA and how
16 good it is or any of those things.

17 MR. DINSMORE: No. But they're required
18 to do the same analysis which we've been requiring
19 them to do for risk-informed ISI which is to take all
20 the comments and everything and document it. The
21 documentation requirements to be maintained onsite are
22 the same if they just do the BER as they are if they
23 do a risk-informed ISI. It's just that they don't
24 send us anything.

25 MEMBER ROSEN: That part troubles me quite

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a bit. At least in the basic risk-informed ISI
2 program licensees came in with the EPRI method. The
3 staff reviewed what they wanted to do, looked at their
4 PRA and their peer review and had some handle on it.
5 With the small number of licensees I'm told who would
6 never have to go through that process, could use 50.59
7 and change the break exclusion region piping sample
8 size without any staff at all of anything except after
9 the fact.

10 MR. DINSMORE: We do very limited reviews
11 of the PRA. Really all we ask for is who said what
12 bad things about your PRA and what did you do about
13 them. We look at what they do. They usually give a
14 reason. If somebody said you had a bad human error,
15 they say we applied these new methodologies and so on.

16 We've occasionally gone back and said
17 that's not enough, please give us more. But that's
18 not often. These guys if they just do the BER,
19 they're still going to have to do the same process.
20 If we go out and eventually audit one of these guys
21 and they didn't do it or they didn't document it, then
22 I'm not sure what we'll do. But we'll do something.

23 MEMBER LEITCH: I'm still a little bit
24 confused with the approval of this proposal. What
25 determines whether it's 25 percent or 10 percent?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DINSMORE: Well, 25 percent of the
2 welds in high safety significant segments have to be
3 inspected. The 10 percent of the welds in medium
4 safety significant segments have to be inspected.
5 That's a hold over from the old methodology.

6 MEMBER LEITCH: So the determination is
7 based on whether it's high or medium safety.

8 MR. DINSMORE: Right.

9 MEMBER LEITCH: There are no low safety
10 significant systems in this set, I guess.

11 MR. DINSMORE: There are. You do not have
12 to inspect those.

13 MEMBER LEITCH: Are they inspected now?

14 MR. DINSMORE: On the BER everything is
15 inspected, yes.

16 MEMBER LEITCH: So there are some where
17 there are low safety significant that you would go
18 from 100 percent inspection to zero inspection. Is
19 that what I understood you to say?

20 MR. DINSMORE: That's correct.

21 CHAIRMAN APOSTOLAKIS: I'm missing
22 something here. Has anybody objected to that? Why
23 are they reluctant to do that when we talk about
24 option 2? The low risk significant SSC still impose
25 some requirements. They are unwilling to lump them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with non-risk significant. Yet for pipes it seems
2 that they're willing to go to zero.

3 MR. DINSMORE: Well we did a bounding
4 calculation.

5 MR. O'REGON: Pat O'Regon from EPRI again.
6 We looked at three plants, two sites out of the BER
7 application. We did find some low safety significant
8 locations. But they were as a result of the utility
9 conservatively applying the BER rules. They extended
10 piping beyond where they would have had to if they
11 held strictly to the SRP requirements.

12 So that's why they fell as low safety
13 significant. They weren't big pipes that created big
14 holes in containments. As Steve mentioned, the high,
15 medium or low are from the EPRI TR ISI, the base case
16 methodology where we rank things as high, medium or
17 low. We just kept that consistent when we extended it
18 to the BER programs.

19 CHAIRMAN APOSTOLAKIS: All right.

20 MR. DINSMORE: The methodology is
21 consistent with the EPRI Topical Report. The
22 inconsistencies are the things we've explained to you.
23 The changes to BER program as described in the FSAR
24 may be made under 10 CFR 50.59. Inspections within
25 the BER program to change that come from other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory requirements need to be changed according
2 to how you change the other regulatory requirements.

3 MEMBER SHACK: Anything else?

4 CHAIRMAN APOSTOLAKIS: No letter. Right?

5 No request for a letter.

6 MEMBER SHACK: There's no request for a
7 letter.

8 CHAIRMAN APOSTOLAKIS: So there will never
9 be a letter.

10 MEMBER SHACK: Not unless we decide one.
11 They're not requesting one. We can discuss whether we
12 want to send one.

13 CHAIRMAN APOSTOLAKIS: Okay. Anymore
14 questions to the lady and the gentleman?

15 MEMBER POWERS: Well, there's another
16 point to be made. That is it is true enough that
17 bypass accidents are risk dominant. But bypass
18 accidents initiated by failure of this particular
19 piping don't show up in the PRA at all. They never
20 occur.

21 MEMBER SHACK: There is one difference
22 though. When we did the original in service risk-
23 informed, you could make the argument that you were in
24 fact approving safety. Obviously you might have been
25 looking at fewer welds. But you were looking at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 more important welds. So you could make an argument
2 that your Delta CDF could have gone down. In this
3 case, it might be a small change but it has to go.

4 MR. DINSMORE: That's part of the reasons
5 that we applied the criteria specifically to the BER
6 as well. That was the best way we could think of to
7 deal with that.

8 MEMBER POWERS: But you still have this
9 performance observation.

10 MEMBER SHACK: Right.

11 CHAIRMAN APOSTOLAKIS: That's really a
12 powerful argument.

13 MEMBER SHACK: That's incorporated in the
14 argument that you're going to apply all that good
15 performance to assign most of this stuff to a low
16 probability of failure. You don't want to give them
17 double credit for that. They're going to take that
18 credit already. Again, it's a very small change in
19 LERF for perhaps ALARA reasons.

20 CHAIRMAN APOSTOLAKIS: Isn't there a table
21 that the regional methodology has when they have the
22 risk significant of a piece of piping? Then they have
23 a susceptibility. That's where the performance comes.

24 MEMBER SHACK: That table still applies.

25 CHAIRMAN APOSTOLAKIS: The performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comes there.

2 MEMBER SHACK: Yes.

3 CHAIRMAN APOSTOLAKIS: Is this for
4 everything or at Westinghouse?

5 MEMBER SHACK: Yes. It's everything.

6 MR. DINSMORE: I wouldn't bring
7 Westinghouse to EPRI SE.

8 CHAIRMAN APOSTOLAKIS: No. I mean, they
9 have something similar I think.

10 MR. DINSMORE: They have something
11 similar, yes. But you can see here if it's a really
12 high consequence in this methodology, it would end up
13 in a medium box even with no degradation mechanisms.

14 CHAIRMAN APOSTOLAKIS: Medium means?

15 MR. DINSMORE: The 10 percent.

16 CHAIRMAN APOSTOLAKIS: My concern is
17 bigger than what you're doing. I think that the
18 implementation of Regulatory Guide 1.174 has drifted
19 away from what the guideline is saying. It has a lot
20 to do with you. Are there anymore questions for Steve
21 and Andrea? Well, thank you very much.

22 MR. DINSMORE: Thank you.

23 CHAIRMAN APOSTOLAKIS: I would ask the
24 members to stay here for a few more minutes. Maybe we
25 can discuss things among ourselves.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Shall we take a five minute break? Eight
2 minutes. We don't need transcription anymore. Thank
3 you. Off the record.

4 (Whereupon, the above-entitled matter
5 concluded at 6:21 p.m.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25