

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal-Hydraulic Phenomena Subcommittee
OPEN SESSIONS

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Docket Number: (not applicable)


Location: Rockville, Maryland

Date: Tuesday, April 23, 2002

ORIGINAL

Work Order No.: NRC-345

Pages 1-64/89-183/225-273

CLOSESED SESSION: Pages 65-88/
184-224

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

**ACRS Office Copy - Retain
for the Life of the Committee**

TROH

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

5 THERMAL-HYDRAULIC PHENOMENA SUBCOMMITTEE

6 + + + + +

7 TUESDAY,

8 APRIL 23, 2002

9 + + + + +

10 ROCKVILLE, MARYLAND

11 + + + + +

12 The subcommittee met at the Nuclear
13 Regulatory Commission, Two White Fling North, 11545
14 Rockville Pike, Rockville, Maryland, at 8:30 a.m.,
15 with Graham B. Wallis, Chairman, presiding.

16 SUBCOMMITTEE MEMBERS:

17 Graham B. Wallis, Chairman

18 Thomas S. Kress, Member

19 Graham M. Leitch, Member

20 John D. Sieber, Member

21
22 ACRS STAFF PRESENT:

23 Paul A. Boehnert

24 Sanjoy Banerjee, Consultant

25 Virgil Schrock, Consultant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT:
2 Zena Abdullahi, NRR
3 Singh Baywa, NRR
4 Herbert Berkow, NRR
5 Ralph Caruso, NRR
6 Richard Eckenrode, NRR
7 Raj Goel, NRR
8 George Georgieu, NRR
9 John Hanon, NRR
10 Donnie Harrison, NRR
11 Tai L. Huang, NRR
12 Thomas Kosity, NRR
13 Richard Lobel, NRR
14 L.B. (Tad) Marsh, NRR
15 Brenda Mozafari, NRR
16 K. Parczewski, NRR
17 Dale Thatcher, NRR
18 N.K. Trehan, NRR
19 Tony Ulises, NRR
20 Mike Waterman, NRR
21 Jim Wigginton, NRR
22 Cheng-Ju Wu, NRR
23 Terry Bowman, CP&L
24 Eric V. Browne, CP&L
25 Tom Dresser, CP&L

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT:

2 Paul Flados, CP&L

3 Cornelius J. Gannon, CP&L

4 Mark Grantham, CP&L

5 Robert Kitchen, CP&L

6 Larry Lee, CP&L

7 Daniel Poteralski, CP&L

8 Mark Turkal, CP&L

9 Michael S. Williams, CP&L

10 Blane Wilton, CP&L

11 Larry Yemma, CP&L

12 Fran Bolger, General Electric

13 Hoa Hoang, General Electric

14 Carl Hinds, General Electric

15 Dan Pappoane, General Electric

16 Jason Post, General Electric

17 George Strambook, General Electric

18 Ben Gitnick, ISG, Inc.

19 Brian Hobbs, VYNPC

20 Lawrence Lee, ERIN

21 Emin Ortalan, PSEG

22 R.H. (Jackie) Wright, TVA-BFN

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

I-N-D-E-X

1	<u>TOPIC</u>	<u>PRESENTER</u>	<u>PAGE</u>
2	Introduction	G. Wallis, Chairman	6
3	Brunswick Steam Electric Plant Core Power Uprate		
4	Request		
5	Carolina Light & Power Presentations		
6	Overview	R. Kitchen	8
7	Plant Modifications for Uprate		
8	ELTR Exceptions		
9	Key BSEP Differences from other BWR		
10	Uprate Submittals		
11	Impact on Plant Margins		
12	Core Considerations	T. Dresser	33
13	Fuel/Core Design		
14	Fuel/Event response for ATWS & Power		
15	Excursions		
16	(CLOSED SESSION UNDER SEPARATE COVER)		
17	Reactor Vessel	B. Wilton	65
18	Irradiation-assisted Stress Corrosion Cracking		
19	Reactor Vessel Embrittlement		
20	Reactor Vessel Internal Component Fatigue		
21	Dryer-Separator Performance		
22	Containment Response	M. Grantham	103
23	Impact on Load Limits		
24	NPSH		

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
 1323 RHODE ISLAND AVE., N.W.
 WASHINGTON, D.C. 20005-3701

1	<u>TOPIC</u>	<u>PRESENTER</u>	<u>PAGE</u>
2	Electrical System	T. Bowman	110
3	Off-Site Power Considerations		
4	Grid Stability		
5	Piping Stress Limits	L. Yemma	119
6	Probabilistic Safety	D. Potealski	126
7	Analysis		
8	Analyses, Performed/Results		
9	(CDF, LERF, and CDFs/LERFs)		
10	Operator Actions and	M. Williams	137
11	Training		
12	Testing Program		
13	Brunswick Steam Electric Plant Core Power Uprate		
14	Request		
15	Carolina Light & Power Presentations (Cont'd)		
16	Concluding Remarks	N. Gannon	162
17	EPU Benefits		
18	NRR Presentations		
19	Introduction	B. Mozafari	178
20	(CLOSED SESSION UNDER SEPARATE COVER)		
21	PRA Analyses/Evaluation of	D. Harrison	183
22	Licensee's PRA Examinations		
23	Plant Systems Review	R. Lobel	242
24	Concluding Remarks	B. Mozafari	259
25	Subcommittee Caucus		262

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:31 a.m.)

1
2
3 CHAIRMAN WALLIS: The meeting will come to
4 order. This is a meeting of the ACRS subcommittee on
5 thermal hydraulic phenomena. I'm Graham Wallis, the
6 Chairman of the subcommittee. Other ACRS members in
7 attendance are Tom Kress, Graham Leitch and Jack
8 Sieber. ACRS consultants in attendance are Sanjoy
9 Banerjee and Virgil Schrock. I'd like to welcome Dr.
10 Banerjee to this committee. Dr. Novak Zuber
11 (phonetic) served us very well for many years and
12 we're looking for a replacement that --

13 MR. KRESS: That's a hard act to follow.

14 CHAIRMAN WALLIS: -- that would be the
15 caliber of Dr. Zuber. There's no way I could compare
16 you to Dr. Zuber, you're completely different people
17 but the caliber is certainly comparable. The
18 subcommittee will begin review of the application of
19 the Carolina Power and Light Company for a core power
20 uprate for the Brunswick Steam Electric Plant's Unit's
21 1 and 2 and the NRC staff's associated safety
22 evaluation.

23 The subcommittee will gather information,
24 analyze relevant issues and facts and formally propose
25 positions and actions as appropriate for deliberation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by the full committee. Mr. Paul Boehnert is the
2 cognizant ACRS staff engineer for this meeting.

3 The rules for participation in today's
4 meeting have been announced as part of the notice of
5 this meeting previously published in the Federal
6 Register on March 20, 2002. Portions of the meeting
7 will be closed to the public to discuss information
8 considered proprietary to General Electric Nuclear
9 Company, Nuclear Energy.

10 A transcript of this meeting is being kept
11 and the open portions of this transcript will be made
12 available as stated in the Federal Register notice.
13 It is requested that speakers first identify
14 themselves and speak with sufficient clarity and
15 volume so that they can be readily heard. We have
16 received no written comments nor requests for time to
17 make oral statements from members of the public.

18 We'll now proceed with the meeting. I
19 would like to finish, if at all possible, the
20 Brunswick presentation before lunch. We'll have a
21 break at some convenient time in the morning and then
22 move to the staff presentation in the afternoon hoping
23 that that will be over before about 4:00 o'clock. So
24 without more ado, is Bob Kitchen ready to present?
25 It's all yours.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KITCHEN: Thank you. Good morning.
2 I'm Bob Kitchen, the project manager for the power
3 uprate at the Brunswick Station. I'd like to start
4 first --

5 MR. BOEHNERT: Use the microphone, Bob.
6 Thank you.

7 MR. KITCHEN: Is that better?

8 MR. BOEHNERT: Yes.

9 MR. KITCHEN: I'd like to start first by
10 giving you an overview of the project for power uprate
11 at Brunswick and also to give you reference points to
12 understand the current operation of Brunswick.
13 Brunswick actually did a five percent uprate several
14 years ago so our current power level relative to the
15 original licensed power level is 105 percent.

16 We also operated on a two-year operating
17 cycle which, I think, we're the first EPU for the
18 committee on a two-year operating cycle. Our request
19 for extended power uprate is actually an additional 15
20 percent increase from where we currently operate today
21 and that will put the station at 120 percent operation
22 relevant to our original license.

23 The difference from our previous uprate
24 are one of the more significant ones for us. On our
25 previous uprate, we did actually raise reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure in association with that uprate. The
2 extended power uprate proposed for Brunswick this
3 times does not include a reactor pressure increase.
4 The uprate, similar to the others that the ACRS has
5 seen, will be performed in two steps with a license
6 receipt. We will implement the first increment of
7 uprate on Unit 1 to about 112 percent power relative
8 to our original license. That's limited by our fuel
9 load for base load operation during the cycle.

10 On Unit 2, we actually loaded fuel to the
11 new fuel type that we need for the two-year cycle and
12 uprate previous outage on Unit 2 so we were able to
13 take a little bit advantage of that and our first step
14 on Unit 2 will be a little bit higher in power up to
15 115 percent relative to original power.

16 Dr. Schrock: On the pressure, does the no
17 pressure increase refer to the current pressure rating
18 or the original pressure rating?

19 MR. KITCHEN: It refers to the current
20 pressure rating.

21 Dr. Schrock: Thank you.

22 MR. KITCHEN: The second step --

23 MR. LEITCH: Bob, are you seeking at this
24 time the license increase all the way up to 120
25 percent?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KITCHEN: Yes, sir.

2 MR. LEITCH: So that in the cycle, the one
3 cycle, between the first physical work and the second
4 physical work being done, you would be operating at
5 approximately 112 to 115 percent but during that
6 interval, the license would be 120 percent?

7 MR. KITCHEN: Yes, sir, that's correct.
8 We're actually limited by balance-of-plant equipment
9 and I'll show you the modifications that we're doing
10 and you'll see why that is.

11 MR. LEITCH: Thanks.

12 MR. KITCHEN: Just to give you some
13 reference point on our core operation, originally we
14 were licensed to 2,436 megawatts thermal. The uprate
15 that we are proposing would take the plant to 2,923
16 megawatts thermal. That's a 20 percent increase again
17 from our original license.

18 MR. KRESS: Are these identical for both
19 units?

20 MR. KITCHEN: Yes, sir.

21 MR. LEITCH: So when you're talking about
22 it, you're talking about both units.

23 MR. KITCHEN: Yes, sir. You can see the
24 core steam flow, B flow, increase would be
25 proportional to the power increase and you can see the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure change from the previous uprate. We went
2 from 1020 to 1045 and that will remain constant for
3 this uprate.

4 Just to give you, this is our current
5 power flow operating map. I know you've seen these
6 before, just to show you where we are operating. The
7 100 percent on this map refers to current power
8 operation, 100 percent, so that includes the stretch
9 uprate to five percent shown in the green band on the
10 power flow map. The extended power uprate region is
11 shown in yellow and is the upper 15 percent that we're
12 talking about on this power increase.

13 Modifications; we'll refer to the safety
14 significant modifications that the plant's going to
15 perform. We need to increase the Boron concentration
16 in our standby liquid control system to provide cold
17 shutdown reactivity requirements for standby liquid
18 control. We'll be doing that prior to the second fuel
19 load on each unit.

20 CHAIRMAN WALLIS: Is someone going to
21 explain that? I read what you intend to do. I didn't
22 see what -- is there an acceptance criterion you are
23 trying to meet by this change in concentration?

24 MR. KITCHEN: Yes, sir, we'll talk about
25 that a little more later.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: You'll give us a logical
2 explanation of why this meets some criterion.

3 MR. KITCHEN: We'll show you the
4 reactivity requirements.

5 CHAIRMAN WALLIS: Okay, thank you.

6 MR. KITCHEN: We've also -- associated
7 with this uprate, we've changed our power range
8 neutron monitoring system. We've gone to digital
9 instrumentation and that also involves a change from
10 out thermal hydraulic stability solution. Currently
11 we operate on one unit, that's stability solution E1A,
12 that's Unit 2. Unit 1, which was the first unit to
13 operate, has been converted to -- with the new system,
14 to thermal hydraulic stability Option III. That
15 system was installed during the refueling outage that
16 we just completed on Unit 1 at the end of March.

17 And finally, we've got unit trip load shed
18 modification which is an electrical modification to
19 insure that under accident conditions that we would
20 maintain the required voltage at our emergency busses.
21 At Brunswick our emergency busses are fed from offsite
22 through balance-of-plant busses. This modification is
23 planned to insure that the required voltage is
24 maintained under all conditions.

25 As you've seen, the extended power uprate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really is much more challenging for balance-of-plant
2 equipment than the previous uprate and more
3 significant modifications to the plant required our
4 balance-of-plant modifications and we have quite a
5 list. The first is the high pressure turbine
6 replacement. This is required to provide the needed
7 steam flow for uprate as well as the power generation
8 requirements.

9 Along with that is a change in our
10 electro-hydraulic control system, EHC, that currently
11 on one unit we operate on Unit 2 with 3-Arc, we're
12 going to 2-Arc partial control.

13 MR. SIEBER: You expect, that means you
14 have nozzle banks that aren't being used.

15 MR. KITCHEN: We operate the valves, yes,
16 steam chest entry is staged with three valves first
17 and then one valve as we go up in power.

18 MR. SIEBER: Do you worry about cracking
19 of the nozzle bore?

20 MR. KITCHEN: Yes, sir, that's actually
21 the reason why we changed from a 3-Arc to 2-Arc. As
22 you mentioned, there is a pulse stimulus on the first
23 stage high pressure turbine buckets because of partial
24 arc and GE's design review of that indicated that we
25 needed to go to 2-Arc which provides more fold around

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the nozzle block steam emission and reduces that
2 stress level.

3 MR. SIEBER: All right, thank you.

4 MR. KITCHEN: Also we need to replace
5 reactor feed pump turbines to provide -- also to meet
6 design requirements for bucket loading as well as
7 horsepower requirements for the turbine, for the
8 pumps. We've got several feedwater heaters. You'll
9 see this listed in both stages. Primarily those are
10 changed because of tube plugging that we'd had over
11 the years and with the uprate we needed to replace the
12 heaters to support that.

13 We've got also some actions that were
14 taken to improve grid stability under operate
15 conditions. A couple of things factor into that and
16 we're going to discuss that more in detail with our
17 presentation later but as we increase the load on the
18 units and also as our area transmission load increases
19 we can effect stability.

20 A couple of modifications that we're doing
21 there, we're going to discuss these with you later in
22 the presentation, is the power system stabilizer which
23 is a feedback modification on our generator as well as
24 out-of-step protection to protect not only the grid
25 but also the generator being installed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: With respect to the feedwater
2 heaters, these are going to be larger in surface than
3 the originals?

4 MR. KITCHEN: Actually, the feedwater
5 design that we have for the -- we have five stages of
6 feedwater heating -- are adequate for uprate. Our
7 design review indicated those that would be limiting
8 because of tube plugging or other degraded conditions
9 in the heaters just from normal service life. And
10 those are the ones that we're replacing. Where we
11 replaced them, we're trying to optimize the design.
12 So, in fact, we do try to use a larger heater and
13 that's really for efficiency more than uprate support.

14 MR. SIEBER: But that gives you a plugging
15 margin, too, right?

16 MR. KITCHEN: Yes, sir.

17 MR. SIEBER: Okay, what materials are the
18 tubes?

19 Dr. Schrock: You're not redesigning the
20 feedwater heating system for higher thermal
21 efficiency. It's basically the same thermal cycle as
22 the original one?

23 MR. KITCHEN: Yes, sir, it's the same
24 thermal cycle. We're just trying to take advantage of
25 a new component with larger surface area for better

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heating on that heater.

2 I need to check. I think the tubes are
3 stainless but I need to check on that.

4 MR. SIEBER: Were the original stainless?

5 MR. KITCHEN: I don't remember.

6 MR. SIEBER: Okay, thank you.

7 MR. KITCHEN: Yes, sir.

8 MR. SIEBER: That's not so important you
9 have to go and check it.

10 MR. KITCHEN: Okay.

11 MR. SIEBER: Okay?

12 MR. KITCHEN: We're also going to -- our
13 first uprate we pulsed more power out of the generator
14 on the bus bars and we need to increase the cooling,
15 our bussed out cooling, so we'll be doing some
16 modifications there.

17 These are the mods that are being done for
18 the first uprate. The modifications that you see
19 listed here have been completed on Unit 1. We just
20 finished a refueling outage at the end of March and
21 we'll be doing these mods, similar mods on Unit 2 next
22 year.

23 For the second uprate on each unit, we
24 have additional modifications to perform. Our main
25 transformers become limiting at about 115 percent of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our original power, licensed power. So we'll be
2 replacing those on each unit as well as putting in new
3 feedpumps to increase capacity and provide better
4 margin on our feedwater system with new feedpumps.
5 We're going to upgrade our condensate pumps and
6 motors. We want to maintain -- currently we run three
7 condensate pumps and three condensate booster pumps in
8 our system with -- we have those three pumps
9 available. We run two pumps with one standby and our
10 desire is to maintain a standby pump under operate
11 conditions. So to support that, we're going to make
12 some changes in the motors and pumps to enable a
13 standby pump to be maintained.

14 And finally, we're going to moisture
15 separator reheaters. Again, like feedwater heaters,
16 there's really two drivers there. One is to insure
17 that we don't have flow vibration problems, although
18 our review indicated we would not, but also to gain
19 significant efficiency improvement through the
20 moisture separator bundles.

21 MR. KRESS: When you say you upgrade a
22 condensate pump and motor, does that mean you just
23 rewind the motor or -- and redo the rotor on the -- or
24 do you replace the whole thing?

25 MR. KITCHEN: We would replace the motors

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where they exceeded their design rating.

2 MR. KRESS: But you'd keep the same pump
3 attached to that?

4 MR. KITCHEN: Yes, sir, now the condensate
5 pumps, we would actually make a modification to one of
6 the stages to insure that we had adequate net positive
7 suction head. So there are some changes in the pumps
8 but the overall pump itself remains.

9 MR. KRESS: Okay.

10 MR. LEITCH: There's an auxiliary
11 circulating water system or condensate cooling system
12 that I read about, are you going to discuss that?

13 MR. KITCHEN: I hadn't planned to but we
14 can. We're actually still reviewing the need for that
15 system. That is a system of heat exchangers which
16 basically just routes the condensate flow through two
17 stages of heat exchangers, regenerative and non-
18 regenerative heat exchangers that reject heat through
19 a cooling tower system as designed. The driver for
20 that is condensate temperature and the impact that it
21 would have on sulfates and chemistry and we're still
22 working through -- we're actually hopeful that we can
23 avoid the need for that system and right now looking
24 hard at whether we'll have to put it in at all.

25 If we do install it, it will be installed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the second uprate.

2 MR. LEITCH: Okay, I guess the -- it
3 seemed like there was a couple of mechanic draft
4 cooling towers. Would the plan be like a closed
5 circulating water system?

6 MR. KITCHEN: Yes, sir. Actually, the
7 make-up water, they're water cooled towers. They
8 would be three towers located on the roof of one of
9 our buildings in the power block, and the heat
10 exchangers would reject heat to those towers. The
11 tower make-up water would come from our county water
12 system and then chemical control for normal cooling
13 tower operation.

14 MR. LEITCH: Okay, but that whole issue is
15 still -- there still is some doubt about whether
16 you're actually going to do that.

17 MR. KITCHEN: Yes, sir. I think probably
18 we will not need that modification.

19 MR. LEITCH: Then failing that, assuming
20 you're not doing that, would the turbine operate at a
21 higher back pressure? In other words, I'm picturing
22 a higher condensate, a higher circulating water
23 temperature.

24 MR. KITCHEN: Actually, the system would
25 not effect our condenser vacuum. It's on the -- the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system is installed on the inlet to our condensate
2 demineralizer, so it's downstream of the condenser and
3 it really would not have any significant impact on our
4 condenser vacuum at all.

5 MR. LEITCH: Isn't there a concern about
6 the temperature that the resin would be exposed to in
7 your filter demineralizers? Where are they in the
8 cycle? They're --

9 MR. KITCHEN: Our flow is through -- we
10 have condensate filter demineralizers first that
11 filter out particulate as well as some -- they are not
12 resin coated and then the flow goes through condensate
13 deep-bed demineralizers.

14 MR. LEITCH: Oh, deep-bed demineralizers?

15 MR. KITCHEN: Yes, sir, and you're exactly
16 right, the concern is how much temperature can you
17 allow and not cause a chemical release to be a
18 problem? Sulfates are the only release of
19 significance there at the temperatures we're looking
20 at operating.

21 And we were hopeful that we're going to be
22 able to not have to cool that condensate temperature
23 to maintain appropriate sulfate levels.

24 MR. BANERJEE: Are you making any
25 modifications to the chemistry control system for --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KITCHEN: No, we're not.

2 MR. BANERJEE: Not at all.

3 MR. KITCHEN: No, sir.

4 MR. BANERJEE: You're adding zinc?

5 MR. KITCHEN: Yes, we did. We're going to
6 talk a little later about our reactor chemistry
7 control, specifically hydrogen water chemistry
8 injection.

9 MR. LEITCH: Back on the safety related
10 modifications, I was wondering if you had to do
11 anything to the -- to avoid potential instability, if
12 you had to make any changes. I guess, basically, my
13 question is, how does Brunswick avoid an instability
14 region on the power flow map and are you changing that
15 at all?

16 MR. KITCHEN: No, sir. We changed our
17 stability solution but it really is a desire to -- for
18 a couple of reasons on the power range system, the
19 driver was not the -- that we had to go to a new
20 thermal hydraulic stability solution. We currently
21 operate with E1A which is acceptable for power uprate
22 but it's -- there are a little bit more operational
23 restrictions with E1A than with Option III.

24 And with Option III we saw benefits in the
25 automatic SCRAM protection and the -- a little bit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more flexibility operationally for our situation. In
2 terms of avoiding thermal hydraulic instabilities, you
3 saw the power to flow map has not changed. Our
4 operating regions remain the same. The only change
5 for us is in the new system and the changes that it
6 requires.

7 MR. LEITCH: So you are going to what is
8 called Option 3?

9 MR. KITCHEN: Yes, sir. In fact, that is
10 operable on Unit 1 right now.

11 MR. LEITCH: I see, and tell me again, I'm
12 a little confused as to exactly what Option III means.

13 MR. KITCHEN: Option III is a stability
14 algorithm. If you compare the two stability
15 solutions, E1A is prevent solution and it has very
16 large restricted areas or larger restricted areas in
17 the power to flow map operating region. Option III
18 also has areas of avoidance of course, but also
19 provides automatic SCRAM protection based on stability
20 algorithms.

21 The one that is safety related is called
22 a period based algorithm and it looks for frequencies
23 that are known to represent instability phenomena and
24 provides an automatic SCRAM if certain threshold
25 requirements are met. So you've got the operator

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 manual actions and now also automatic protection.

2 MR. LEITCH: Okay, and that is active on
3 Unit 1 right now?

4 MR. KITCHEN: Yes, sir. We installed the
5 system on Unit 1 and it is operable.

6 MR. LEITCH: Yeah, thank you.

7 MR. KITCHEN: Just to touch on margins,
8 the overall extended power uprate reduces margins in
9 the plant and we're going to discuss those in detail
10 under our fuel design and vessel reviews, et cetera,
11 but I wanted to also show you the things that we're
12 doing to try to maintain or mitigate margin reductions
13 in the plant. We've touched on them in the review
14 already but the SLC margin, we're going to increase
15 the Boron concentration significantly.

16 In fact, right now to meet our SLC
17 requirements at Brunswick, we require a two-pump
18 operation. And with the changes that we're making
19 we'll only have to have one that are accident
20 situation so that's a bit of a margin gain for the
21 plant operationally. Also the stability Option III
22 which we just talked about --

23 MR. LEITCH: On the Boron, and maybe we're
24 going to get into this a little more later and if so,
25 I can defer this question, but I basically, don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand what is meant by super Boron and I guess it
2 -- I thought I read that you don't need to have
3 heating with it and I'm wondering how the Boron stays
4 in solution. I mean the problem was we used to have -
5 - I'm picturing a curve in the tech specs that had
6 temperature versus Boron concentration and it was very
7 sensitive to temperature to maintain the right Boron
8 concentration. It sounds like that's all gone by the
9 wayside with this super Boron.

10 MR. KITCHEN: Yes, sir, it's an enriched
11 Boron solution, atomic enriched solution, so that
12 effectively it provides more concentration of Boron 10
13 in the solution. Also the solubility requirements are
14 less restrictive so the heat trace that we have
15 currently installed on the system would not be
16 required with that Boron enriched solution.

17 MR. LEITCH: So it stays in solution at
18 ambient temperature?

19 MR. KITCHEN: At lower temperatures, yes,
20 sir. I don't remember exactly the temperature for
21 solubility but it's much lower.

22 CHAIRMAN WALLIS: Super Boron has more
23 Boron tenants (phonetic), is that what makes the
24 difference?

25 MR. KITCHEN: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: Why didn't we do this a long
2 time ago? Is super Boron super expensive?

3 MR. KITCHEN: Actually, I think it's
4 called liquid gold but it is expensive. I don't know
5 how long it's actually been available.

6 MR. SIEBER: It's been around for awhile
7 but it is costly.

8 MR. KRESS: You have to enrich the Boron.
9 It's an extra step.

10 MR. KITCHEN: It's significantly more cost
11 to install.

12 MR. LEITCH: So with this Super Boron and
13 you only need -- you can -- the standby liquid control
14 system can do its mission with just one pump then.

15 MR. KITCHEN: Yes, sir, because of the
16 concentration increase that we're putting in.

17 MR. LEITCH: Yeah.

18 MR. KRESS: The overall concentration of
19 Boron stays the same.

20 MR. KITCHEN: It's an effective increase.

21 MR. KRESS: Yeah, an effective increase of
22 B-10.

23 MR. KITCHEN: Yes, sir. The stability
24 option we talked about a bit and again, we didn't have
25 to change solutions but we saw it as an improvement in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operating margin and also it involved no change in
2 safety margin since there are several stability
3 solutions all of which are acceptable for operation.

4 The power range instrumentation, really
5 the stability solution is a part of that. But the
6 power range instrumentation also offers advantages to
7 us. I should change that to say it's really improved
8 operator interface, the digital displays. Also there
9 is a bit of a liability because of the self-test
10 features of the system. There are fewer surveillances
11 to do, so there's less maintenance activities to do.

12 It eliminates the half SCRAMS from the
13 power range that we used to get while testing so there
14 are several advantages to a system change, and also
15 for us it addresses an obsolescence issue with parts.

16 The condensate system we've already
17 discussed but basically we just want to maintain our
18 standby pump to get better reliability for the plant
19 and finally the power system stabilizer which we'll
20 talk downstream in our briefing here, which improves
21 the situation on a higher plant load as well as higher
22 grid load.

23 So we've tried to do some things that were
24 supporting of uprate but also helped us out with the
25 uprate. Some unique aspects for Brunswick, and again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've got an electrical presentation here because it
2 is a little bit difference for us than some other
3 plants, depending on your geographic location and
4 transmission system. So we want to talk a bit about
5 that with the ACRS. Also I think we're the first
6 plant with uprate that is hydrogen water chemistry.
7 We do not use normal metal chemistry. We wanted to
8 discuss that a bit with the ACRS.

9 And finally, our energy cycle requirements
10 are pretty demanding at Brunswick. We -- as I
11 mentioned, we're a two-year cycle which is of course,
12 a higher energy load and we operate at a very high
13 capacity factor. We manage to a 97 percent capacity
14 factor. So the two combined with an uprate makes for
15 a very large energy load for the plant.

16 MR. SIEBER: When you refuel what
17 percentage of the fuel is new fuel?

18 MR. KITCHEN: Right now, we load about 39
19 percent. With uprate, we'll go to about 47 percent
20 change-out.

21 MR. BANERJEE: Does the two-year cycle
22 effect your cobalt levels radiation fields compared to
23 shorter cycles?

24 MR. KITCHEN: In the fuel itself?

25 MR. BANERJEE: No, no, on the external

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hoops.

2 MR. KITCHEN: The shutdown radiation
3 levels are not significantly impacted. I mean, there
4 is a radiation impact from operation directly to the
5 power level.

6 MR. GANNON: Can I make a comment about
7 the radiation levels? We use -- my name is Neil
8 Gannon, Director of Site Operations at Brunswick.
9 We've enhanced our practices with zinc injection and
10 our experience over the most recent two-year cycles is
11 about a 15 percent decrease in our radiation levels on
12 Unit 1. So we're able to manage -- the two-year cycle
13 has had no impact on dose rates.

14 Our use of zinc has actually allowed us to
15 experience a slight decrease in those.

16 MR. BANERJEE: When did you start using
17 zinc?

18 MR. GANNON: Oh, I think it was about
19 four, five years ago.

20 MR. BANERJEE: And it's gone down.

21 MR. GANNON: Initially it remained flat,
22 controlled very well and our recent practice to
23 increase the amount of zinc is -- over this cycle on
24 Unit 1 showed about a 15 percent decrease in dose
25 rates in the driver, so this has been our first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experience to actually see it decrease.

2 MR. LEITCH: Thank you.

3 MR. KITCHEN: Before we get into detailed
4 presentations, there are some exceptions. We
5 generally followed the extended license topical
6 report. There were a few exceptions that we took in
7 our submittal. Three of these are related to the
8 constant pressure aspect of our uprate involving the
9 thermal-hydraulic stability. The ECCS-LOCA analysis
10 and reactor transients, and we'll discuss these in
11 more detail in the closed session that we have later
12 this morning.

13 The last item is large transient testings.
14 As you know the ELTR requires for 10-percent uprates
15 an MSIV closure test and for 15-percent uprates a
16 generator load reject. We are also asking for
17 exceptions from those tests. I'll explain why here in
18 just a second but the exceptions that you see here are
19 all in line with previous uprate submittals that
20 you've seen for addressing Quad Cities as well, as
21 Dresden.

22 The generator load reject test,
23 unfortunately we had an event at Brunswick in
24 September of 2000 operating at full power which again,
25 for us is 105 percent relative to our original

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license, where we had a transformer failure that, of
2 course, resulted in a generator load reject transient.
3 So that in fact, we've had this transient and that's
4 our basis for not including it as part of the uprate
5 testing.

6 The MSIV closure test, we are asking for
7 an exemption on. And the basis for that are, first of
8 all the fact that we are maintaining a constant
9 reactor pressure simplifies the analyses that are done
10 for uprate as well as minimizes plant changes required
11 to support uprate.

12 MR. KRESS: If you had not had this event,
13 would you still have asked for an exemption on that
14 large transient testing?

15 MR. KITCHEN: Yes, sir.

16 MR. KRESS: But that just gives extra
17 evidence to it.

18 MR. KITCHEN: Yes, sir, the ELTR allows
19 actual events, of course, to be included as a test and
20 that's our basis but had we not had it, yes, we would
21 have asked for the exemption.

22 MR. KRESS: Yeah, I think one of the other
23 plants, I forget which one, had not had one.

24 MR. LEITCH: I don't think any of them
25 did.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KITCHEN: I don't know if Dresden or
2 Dresden either have had one, I'm not sure.

3 MR. SIEBER: Dresden didn't and Quad
4 didn't either.

5 MR. LEITCH: No, I don't think they did.

6 MR. KITCHEN: We would have asked for the
7 generator load reject. We try to avoid these things.
8 We do surveillances that confirm component
9 performance. Then when you look at the transient test
10 and what you're trying to demonstrate with the
11 transient test, we feel that the component test that
12 we do adequately demonstrate the components and when
13 you look at the test itself, what makes the transient
14 very significant is reliance on the SCRAM from flux as
15 opposed to the -- we have an MSIV limit switch that
16 actuates the SCRAM as well and of course, for the test
17 we would not disable that.

18 And without that disabled, it certainly
19 minimizes the severity of the transient very much. So
20 it's nowhere near as challenging a transient under
21 test conditions as what we use for the analysis. And
22 when you look at what you are actually testing, the
23 surveillances that we do on components demonstrates
24 adequate performance.

25 MR. LEITCH: On that point, I guess what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concerns one in this situation is are the MSIVs going
2 to be able to close in their required time, usually
3 three to five seconds with the increased steam flow
4 and how would you demonstrate that? Is that
5 demonstrated by one of the surveillance tests?

6 MR. KITCHEN: Yes, sir, actually it is.
7 Our surveillance requirement on MSIV is this closure
8 in three to five seconds. We have a y-type globe
9 pattern valve with steam flow over the seat so the
10 steam flow increase actually tends to try to shut the
11 valve faster. So the concern for MSIV closure would be
12 fast closure.

13 We installed the modification several
14 years ago that with the flow control valve in the
15 hydraulic actuator is adjusted to set, the closure
16 speed of that valve -- and by being on the hydraulic
17 side of the valve it's independent of the steam flow.
18 In other words, it maintains that constant closure
19 rate because it's supporting the fluid from one side
20 to the other. So our MSIV surveillances are performed
21 routinely and satisfactorily.

22 MR. LEITCH: Okay, thank you.

23 MR. KRESS: You check those without any
24 steam flow though.

25 MR. KITCHEN: Yes, sir, they're checked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 during the refueling outage periods and adjusted, if
2 required, to put them in the center of that --

3 MR. KRESS: Have you ever run a test with
4 steam flow to confirm that steam flow actually doesn't
5 change the closure rate?

6 MR. KITCHEN: No, we do stroke testing the
7 valves at power but not a timing -- not a three to
8 five-second timing.

9 The other basis for our request to exempt
10 this is the codes that are used to analyze it are
11 well-proven. The ODYN is used for the analyses and
12 has been proven to benchmark against plant transients
13 and it supports this transient as well. And finally,
14 as I mentioned earlier, it's not -- it's a severe risk
15 but it's not something that we would do if we had a
16 choice. That's all I have on the overview. We're
17 going to talk next about core considerations.

18 CHAIRMAN WALLIS: Thank you.

19 MR. DRESSER: Good morning. My name is
20 Tom Dresser. I'm with CP&L's DWR Fuel Engineering
21 Group. I'm going to speak this morning about five
22 different types of analyses all related to the reactor
23 core. The first two, the fuel bundle and core design
24 and the anticipated transient without SCRAM or ATWS
25 are performed completely consistent with GE's generic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 topical for extended power uprate ELTR 2 and 2. The
2 last three, thermal-hydraulic stability, the emergency
3 core cooling system, loss of coolant in accident
4 analysis and the transient analyses each takes some
5 kind of exception to the generic methodology.

6 And my presentations will contain material
7 which GE considers proprietary so it's between the
8 second and third topic here that we'll need to take a
9 break to go to closed session. The complete package
10 of fuel bundle and core design is performed in several
11 different stages. The power uprate analysis itself
12 develops the idealize concept of an equilibrium core
13 where the core operates at full power uprate
14 conditions for an entire cycle and then the fuel is
15 shuffled, the same reload is put in again and the
16 cycle cleanses itself reload after reload.

17 That equilibrium cycle is not actually
18 seen often in reality but it's very useful for seeing
19 what extended power uprate will and can perform
20 feasibly in your plant and also necessary for
21 providing to the other work scopes and power uprate
22 the required fuel related input.

23 The reload analysis is what's done to
24 actually develop the blueprints to which the fuel
25 bundles are built and the loading patterns are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 developed and the reload analysis is what develops the
2 core -- the fuel related operating limits that go into
3 the core operating limits report.

4 Also with the reload analysis is performed
5 a succession of reload cycles to carry us all the way
6 from the current cycle out to essentially the
7 equilibrium core. That might be two to four or five
8 cycles, but that demonstrates that there's a good
9 success path to carry us from the cycle we're
10 designing out to the objectives we want to achieve.
11 Looking first at the equilibrium core design, the
12 design target for Brunswick are the same as the ACRS
13 has seen on prior EPU submittals. The one thing as
14 Bob mentioned in the intro, that's a little bit
15 different about Brunswick is this should be the first
16 plant that you've seen with a 24-month operating
17 cycle.

18 Brunswick does operate extremely well with
19 a load factor in the range of 97 or 98 percent, so a
20 24-month cycle with a 15-percent increase in the power
21 generation is a very high energy cycle. To achieve
22 those targets we had to make a number of changes to
23 our prior strategy. First was to change the fuel
24 design from the 9-by-9 GE 13 to the 10-by-10 GE 14.
25 That gives us the benefit of a lower linear heat

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generation rate but even more important than that GE
2 14 is a heavier bundle. It's got about five percent
3 more uranium dioxide.

4 In addition to the more UO₂, we increased
5 the enrichment of the fuel in the vicinity of .4
6 weight percent.

7 MR. SIEBER: From what enrichment to what
8 new enrichment?

9 MR. DRESSER: The fuel is built in several
10 streams. The high enrichment stream went from about
11 4.0 to about 4.4.

12 MR. SIEBER: Okay.

13 MR. DRESSER: The -- I think Bob mentioned
14 also that the amount of new fuel that we load
15 increased substantially from about 39 percent of core
16 to 12 bundles to about 47 percent of the core --

17 MR. SIEBER: So the discharged fuel is
18 twice burned, right?

19 MR. DRESSER: That's right. Now, we had
20 to essentially do everything, do all the options to
21 increase the reactivity of the core sufficient to get
22 the energy out. One thing that had to be done in
23 compensation for loading so much more reactivity to
24 get the energy was to make the change to the standby
25 liquid control system Boron system. In analysis base,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we analyze it as a change in concentration. That's
2 about a 10 percent increase in concentration.

3 In practice, we will use the Super Boron
4 but effectively it's the same thing. A 20-percent
5 natural Boron or a 68-percent enriched just winds up
6 being a difference in concentration.

7 MR. LEITCH: My question concerns this one
8 cycle of operation when presumably we've approved up
9 to 120 percent, yet the physical changes have not been
10 made yet to accommodate that.

11 MR. DRESSER: I understand. As it turns
12 out, the changes required to achieve the cold shutdown
13 and cold shutdown is not driven so much by the power
14 rating as it is by the overall reactivity of the core
15 and by the fuel design. This first cycle for Unit 1
16 will have one reloaded GE14 fuel. The existing cycle
17 on Unit 2, which won't be operated, also has one
18 reloaded GE14 fuel. As it turns out for Unit 2, for
19 our first uprate when we go to 112 to 115 percent and
20 that kind of range, that is going to require a
21 modification for the standby liquid control system for
22 that unit and we have made a licensing commitment that
23 by this August we'll submit a tech spec change to
24 require that mod.

25 MR. LEITCH: I see, okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DRESSER: And for this Unit 1 we'll do
2 the same thing for the following August for the 2004
3 mod.

4 MR. LEITCH: Okay, thank you.

5 MR. DRESSER: The actual cycle for Unit 1
6 Cycle 14 we were able to meet all of the design goals
7 with a slightly smaller reload fraction. It's about
8 46 percent instead of 47 percent of the core. And we
9 did meet all the design targets with our standard
10 expectation of design margins. This is -- the numbers
11 that we actually achieved are shown on the slide.

12 The one thing that's of particular
13 interest to you, like I pointed out, that a large
14 amount of margin for the standby liquid control, 1.96
15 percent, that is with the existing Boron. I think our
16 requirement will normally be about 1.0, so that's a
17 lot of excess margin.

18 MR. SIEBER: Your fuel cost actually goes
19 up with this kind of a design, does it not?

20 MR. DRESSER: Our fuel cost goes way up.

21 MR. SIEBER: Okay.

22 MR. DRESSER: See those big smiles back
23 there.

24 MR. SIEBER: I'm sure you're happy about
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dr. Schrock: My eyes are not good enough
2 to read the slide. What's the color mean?

3 MR. DRESSER: The colors, the green on the
4 periphery is the highest enrichment. That would be
5 the approximately 4.4 nominal enrichment. The gray is
6 the next higher enrichment. The yellow is next higher
7 enrichment. Those colored slots are all the new fuel.

8 And one thing I'd point out is that if you
9 look at the interior, the checkboard in the interior
10 of the fuel is that there's so much new fuel -- well,
11 in this case, bringing in one Cycle 14, the loading
12 pattern will actually continue to support our control
13 cell core but by the time we go to a little bit more,
14 we will have to go to a conventional core and
15 sacrifice that control cell.

16 The largest implication for us of that is
17 we'll have to do a little bit more control rod
18 movement.

19 MR. KRESS: How much of your fuel gets up
20 close to the same megawatt days in metric time, about
21 as much as a third of it?

22 MR. DRESSER: No, I don't think as much as
23 a third of it would drive the pellets up there. I --
24 a number I'm more familiar with is the batch rather
25 than the pellet average. I think the corresponding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 batch average exposure would be about 50 kilowatt days
2 per ton and the actual batch average winds up being in
3 the range of a little bit less than 44.

4 So you'd wind up losing a lot of
5 efficiency in terms of the amount of burn-up you'd be
6 able to achieve with the fuel when you go to these
7 high energy cycles.

8 MR. KRESS: Okay.

9 MR. DRESSER: But one thing you do pick up
10 and I can't read the slide either as far as the
11 numbers go so I did use a take-out box to magnify.
12 The thing I think is most significant about the
13 loading patterns, that is that the large reload
14 impressions give us an extremely flat radial power
15 distribution. I think if we look at the sub-batches
16 here, the largest average power of recycle is about
17 1.22 on Cycle 14 and that's going to go down even more
18 in equilibrium, down to about 1.19. It's very flat.

19 And as a point of comparison, the last
20 power point presentation which was showing a similar
21 kind of effect, the flat core, I think the
22 corresponding number is about 1.27. So Brunswick has,
23 you know, a pancake flat radial power distribution and
24 that's going to effect a lot of things that you'll see
25 throughout the course of the day.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: You end up with about the same
2 axial.

3 MR. DRESSER: It's a slightly more --
4 because of the higher void fraction, it winds up being
5 a slightly more bottom peaked axial.

6 MR. KRESS: Yeah.

7 Dr. Schrock: I've got difficulty
8 visualizing what's happening in terms of
9 redistribution of the total core flow on these higher
10 power bundles in the periphery and the central region.
11 It does seem to me without some change in inlet
12 orificing, which I heard previously is a no, no, that
13 you don't modify the whole distribution of the core
14 flow by putting in there higher powered peripheral
15 bundles which have much higher steam generation.

16 MR. DRESSER: You're absolutely correct.
17 It does modify the core flow. It's got some
18 beneficial effects for us. It --

19 Dr. Schrock: Well, it could have but I
20 haven't heard a clear explanation of it, that's my
21 point.

22 MR. DRESSER: The --

23 Dr. Schrock: I think maybe it was clear
24 to some, but it was not clear enough to me.

25 MR. DRESSER: Okay, well, the -- let me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 give you a 5,000 foot explanation of it and that would
2 simply be that, of course, the higher power generation
3 is going to give us more voiding lower in the core, so
4 you're going to have a lot more two-phase flow over
5 the elevation. Of course, the two-phase flow is going
6 to give us much higher pressure drop and that's -- you
7 know, the overall pressure drop from a core
8 perspective stays about the same.

9 So that's going to drive flow from the
10 higher powered bundles to the lower powered bundles.
11 Now, with the power uprate like this, we're not
12 changing our design limits. So the peak generation --
13 peak power generation for any bundle remains the same.
14 Heat generation rate doesn't change with power uprate.

15 MR. SIEBER: That has an impact on your
16 stability, right?

17 MR. DRESSER: Absolutely. That is --
18 that, in and of itself, that is a stabilizing
19 influence.

20 MR. SIEBER: Uh-huh.

21 MR. DRESSER: And so what we see overall
22 is because the highest power bundles remain -- you
23 know, can't get no higher. They remain at the design
24 limit. And the core average must go higher to
25 generate more power, you have the core as a whole,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which is lower than the high power bundle is taking
2 less of the total flow and the highest power bundles
3 are getting more of the flow.

4 So as a core designer, it's a nice
5 situation.

6 Dr. Schrock: Now, I guess in my mind it
7 would be more satisfying if I heard some numbers put
8 to the statements but that may not be possible here.

9 MR. BANERJEE: Do we have the flow rates
10 anywhere through the bundles documented what you
11 expect them to be?

12 MR. DRESSER: I do not have those numbers.
13 Perhaps General Electric can give us something.

14 MR. BOLGER: This is Fran Bolger, General
15 Electric. When the plant is operating at
16 approximately 100 percent core flow, which is about 77
17 megapounds per hour, the bundles are seeing about
18 10,000 pounds per hour flow through each individual
19 channel. The total leakage flow is about on the order
20 of 15 percent of the total core flow. When you go to
21 power uprate, it does increase slightly, maybe less
22 than one percent.

23 You know the plant has some allowable
24 variation in core flow which can increase it maybe up
25 to 11,000 or so and slightly less. It doesn't have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very large range of allowable core flow at the full
2 power uprate. But if you were to compare the channel
3 flows at the current rate of power and at the EPU
4 power, you may only see maybe a two percent variation
5 in the channel flows.

6 MR. BANERJEE: Were the bundles -- were
7 the channels orificed originally to give higher flow
8 in the central and lower from the peripheral?

9 MR. BOLGER: Yes, that's correct.

10 MR. BANERJEE: Is that the same orificing
11 that would be there now?

12 MR. BOLGER: Yes, that's the same.

13 MR. BANERJEE: So how do you keep the void
14 fractions and flow rates relatively constant, because
15 you're going to get higher pressure drop now in the
16 peripheral bundles?

17 MR. BOLGER: You know, the overall core
18 pressure drop will go up about one psi and there will
19 be an increase in the pumping power requirement to
20 achieve the same rate of core flow.

21 MR. SIEBER: This kind of a fuel design
22 seems to result in high affluence to the reactor
23 vessel; is that correct?

24 MR. DRESSER: That is correct and I
25 believe we're planning to discuss that later in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 day.

2 MR. SIEBER: All right.

3 Dr. Schrock: In the documents that I've
4 looked at, there's mention that the inlet orificing is
5 not the same for these two plants. Could you comment
6 a little bit about that? I'm not clear about why it
7 was different, what significance it may have for the
8 uprate.

9 MR. DRESSER: The -- yes, the inlet
10 orifices on the -- on Unit 1 are a little bit smaller.
11 On Unit 1 they're a little bit larger. On Unit 2
12 they're a little bit smaller. The biggest difference
13 that that makes to the power right now and also the
14 power uprate is that that makes the thermal hydraulic
15 instability for Unit 1 a little bit worse than for
16 Unit 2 with the tighter orificing.

17 In terms of operation, it doesn't have a
18 significant effect because the option both -- well,
19 the E1A option is calculated specifically for the
20 unit. The regent (phonetic) sizes correspond to the
21 stability of the unit and for Option 3 the methodology
22 will work in exactly the same fashion.

23 Dr. Schrock: What did that difference
24 accomplish in the original designs?

25 MR. DRESSER: I am not -- I would have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look into that. I would expect. I'm kind of
2 speculating here but I would expect that when one unit
3 was built, it had some difficulty achieving as much
4 core flow as we would like and so the orifices were
5 relaxed slightly for the other unit to reduce the
6 pressure drop.

7 MR. FLADOS: Paul Flados here, I'm with
8 the plant. The original arrangement of our units was
9 that Unit 2 went on line first. There was some
10 transition between 7 by 7 and 8 by 8 fuel. At one
11 time we had changed out the orifices on one of our two
12 units. It was a fairly expensive mod but we
13 physically had to, to meet licensing requirements. By
14 the time we got to the other unit, we had changed fuel
15 designs and done other implementations that allowed us
16 to not change our the orifices. So that's how the
17 designs ended up different.

18 CHAIRMAN WALLIS: You have actual
19 variations. You have actual variations in enrichment
20 and as burn-up proceeds the flux distribution changes
21 and so on.

22 MR. DRESSER: That's correct.

23 CHAIRMAN WALLIS: When you do something
24 like an ECC analysis, does everything get smeared out
25 there or do you look at the details of these things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which are different at different times in the cycle
2 and so on? How do you decide which is the place where
3 you're most likely to have DNB and all of that. It
4 must be changing.

5 MR. DRESSER: Right, it changes through --
6 it does change throughout the cycle and I believe that
7 the analysis is done to select the most limiting point
8 in the cycle and that's been -- the LOCA is done just
9 at that one point.

10 CHAIRMAN WALLIS: But knowing which is the
11 most limiting point must itself involve some rather
12 detailed calculation.

13 MR. DRESSER: Right, there is a -- the --
14 well, I guess I would not like to describe LOCA
15 calculations. I'm going to ask Dan Pappoane from
16 General Electric to describe that.

17 MR. PAPPOANE: Yes, this is Dan Pappoane
18 of GE. I'm the LOCA process lead and with respect to
19 the axial power shape, the location of -- when we're
20 looking at the early boiling transition part of it,
21 that -- we're looking at whether or not the high
22 powered node in the axial peak goes into a early
23 boiling transition. That's really more sensitive to
24 core flow than it is to axial location.

25 So when we look at increased core flow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 versus the lower core flow MELLLA, when we get to the
2 MELLLA low core flow point, that's where we're more
3 expecting to see that early boiling transition in the
4 high node and the axial location doesn't make that
5 much of a difference. But we have looked at the axial
6 power shapes and we're -- over the cycle and the shape
7 that we're using in the analysis gives us the highest
8 PCT.

9 When you get to the end of the cycle and
10 you have a top peak, the -- you may have bundle power
11 on critical power limits but you don't have the linear
12 heat generation rate on the -- on its thermal limit
13 and it's really the -- the linear heat generation rate
14 is the primary driver for the PCT. So we end up with
15 a power shape that gives us a bounding calculation in
16 the end.

17 CHAIRMAN WALLIS: So this MELLLA line is
18 actually moving around.

19 MR. PAPPOANE: The MELLLA line is fixed.
20 It's the core flow -- the core flow that we're
21 analyzing is --

22 CHAIRMAN WALLIS: It's an envelope of a
23 whole lot of calculations, the MELLLA line, is it?

24 MR. PAPPOANE: The MELLLA line itself is
25 a generic licensing boundary. It approximates that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 power flow relationship that you get if you ran back
2 the recirculation flow but it's not a bounding line in
3 the fact that we don't go and analyze all the
4 variations throughout the cycle but we draw the line
5 and then the plant has to operate to the line.

6 CHAIRMAN WALLIS: I guess what I'm getting
7 at is how detailed is this analysis? You don't have -
8 - you don't analyze very bundle. You don't have a
9 model for the core that breaks it up into all these
10 separate bundles and then does a complete thermal-
11 hydraulic calculation for everything. That would be
12 an extraordinary number of nodes, wouldn't it?

13 MR. PAPPOANE: Not yet. We're working on
14 that one but the safer model that we're using now
15 models a hot bundle and an average bundle. The
16 average bundle feeds the overall core conditions and
17 provides boundary conditions to the hot bundle and
18 then we assume that the hot bundles on both the
19 critical power limit and the LHGR limit and we've got
20 that bounding power shape in it. So we're doing a
21 single bounding bundle for the calculation.

22 CHAIRMAN WALLIS: So knowing which is the
23 hot bundle requires what sort of knowledge?

24 MR. PAPPOANE: Well, we start with --
25 well, since we were defining the limits for that hot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bundle, the operational limits for that hot bundle,
2 the part that we do need is coming out of the steady
3 state thermal hydraulic calculation and there we model
4 a bundle the same way. We've got the full core
5 designed, the 100 and whatever bundles usually grouped
6 into three regions and from that we get the flow
7 distribution.

8 We'll have a peripheral region and an
9 average core region and the hot bundle, and from that
10 we get the flow distribution of what the flow is to
11 the hot bundle versus the average bundle and that's
12 what's used to initialize the steady state.

13 CHAIRMAN WALLIS: I guess what I'm trying
14 to look at is, you've got this much fire power
15 distribution and you've got this very sophisticated
16 fuel and then you say there's a hot bundle. It would
17 seem that there could be quite a few bundles competing
18 for this hot bundle status --

19 MR. PAPPOANE: Right, and that's --

20 CHAIRMAN WALLIS: -- in different parts of
21 the core and how do you deal with that?

22 MR. PAPPOANE: That's where the steady
23 state flow distribution comes in and if we have more
24 of those bundles essentially at that hot power,
25 effectively what's happening is the average -- you end

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up with the hot bundle looking more like an average
2 bundle and when you look at the flow distribution, its
3 parallel resistance problem you've got essentially the
4 same pressure drop across the core and as the
5 resistance -- the flow resistance in the hot bundle
6 and the average bundle come closer together, the flow
7 distribution comes closer together.

8 So you'll end up with more of those hot
9 bundles. The bundle that we're analyzing as the hot
10 bundle will look like a larger percentage of the
11 population. When we go through the LOCA the PCLAD
12 (phonetic) temperature that we calculate will be
13 representative of more bundles in the core.

14 But again, because we're setting that one
15 hot bundle on limits and those -- we can't -- we're
16 not going to allow any of the other high powered
17 bundles to exceed those limits. We're still analyzing
18 that one hot bundle.

19 MR. DRESSER: One place where that effect
20 does show up more is in the safety limiting CPR
21 because we do have more bundles that are operating
22 closer to its limit, the safety limit must go up in
23 order to keep the same number of bundles from going
24 into the departure for nuclear boiling machine to 99.9
25 percent and so the effect Dr. Wallis, that you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 referring to will result in the safety limit going up
2 for this cycle from about 1.10 to 1.12.

3 That's included in the thermal margin of
4 7 percent here. If it hadn't been for that, we'd have
5 had 9 percent margin.

6 CHAIRMAN WALLIS: So some day you're going
7 to give us a calculation which treats all the bundles
8 separately.

9 MR. PAPPOANE: Not all of them. When we
10 get to the track model, when we get to that
11 methodology, we'll be modeling more bundles. We'll
12 have more bundles in the separate regions.

13 Dr. Schrock: On the neutronics
14 calculation, how large a node is used?

15 MR. BOLGER: There is 25 axial six-inch
16 nodes for each -- each channel is modeled separately.

17 Dr. Schrock: Every channel is a node,
18 basically?

19 MR. BOLGER: Fran Bolger from GE. Each
20 challenge is broken up into 25 nodes axially.

21 Dr. Schrock: Axially, but in the cross
22 section, every bundle is a separate node.

23 MR. BOLGER: That's correct.

24 MR. DRESSER: Well, this has been a
25 fruitful slide. If we don't have any more on this --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: How are we doing with
2 time? Are you on time?

3 MR. DRESSER: We'll be eating a late lunch
4 at this rate. No, I'm not planning to spend long on
5 this.

6 CHAIRMAN WALLIS: Well, maybe you can move
7 things along.

8 MR. DRESSER: We'll conclude the fuel
9 bundling core design. We're using the same current
10 design tools and processes. We've got the same margin
11 expectations and with that, it doesn't require any
12 change to the fuel design limits to satisfy the
13 extended power uprate design.

14 The thermal limits monitoring threshold,
15 the tech spec changed from 25 percent to 23 percent,
16 that is just to maintain the same absolute bundle
17 power as is used throughout the GE link at 3.35
18 megawatts. So as far as the neutronic design goes,
19 there is adequate margin demonstrated for the first
20 operated cycle, all the transitions and the
21 equilibrium.

22 The second topic is ATWS. The methodology
23 that's used for Brunswick is the same as described in
24 the generic ELTR. The four limiting ATWS transients
25 were analyzed for the plant and the results -- I'll go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over the results in just a moment.

2 The procedures and training at Brunswick
3 for the actions taken by the operator are based on the
4 BWR owners group emergency planning guidelines, the
5 optimum mitigation strategy approach, where water
6 level is maintained between the minimum steam cooling
7 water level and two feet below the feedwater spargers.
8 The actions that the operator takes are based on
9 observing the condition of the core and reacting with
10 the mitigation strategy.

11 Since neither the symptoms nor the actions
12 the operator takes are changed from a big picture
13 perspective, there is no impact on the operator
14 actions.

15 MR. SIEBER: What about the timing of
16 operator actions, does that change?

17 MR. DRESSER: Yes, the actual time at
18 which the operator takes actions will change and I
19 believe we're planning to address that later in the
20 day in some detail, but yes, things will happen at a
21 different rate but the operator will see symptoms and
22 react the same way.

23 MR. SIEBER: Okay, so that changes the
24 probability of the operator making an error, or does
25 it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DRESSER: Well, I'm going to say no
2 because the operator -- the assumptions at the time
3 the operator needs to respond in are still the same.
4 He does not need to respond quicker to be successful
5 even though events might be happening quicker.

6 MR. SIEBER: All right.

7 MR. DRESSER: The standby liquid control
8 system Boron modification is not required for the hot
9 shutdown for the ATWS transients. The current levels
10 are quite conservative for hot shutdown and finally,
11 a calculation was performed for Brunswick for the
12 relief valve for the standby liquid control. It was
13 done for the worst ATWS transient and with very
14 conservative assumptions including extremely rapid
15 response from operator's action time and it verified
16 that the pressure remained low enough the relief valve
17 does not have to lift.

18 This is the results of the ATWS analysis
19 together with a sensitivity study for the original
20 license thermal power. The peak vessel bottom
21 pressure goes up to 1487 pounds, that's 13 pounds
22 below the ASME service level during the 1500 pounds.
23 From a licensing perspective, that's okay, as long as
24 it's below the limit. I guess as an engineer, that
25 seems like it's fairly close and so I wanted to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observe that this calculation has a number of -- it's
2 a transient but it doesn't use nominal best estimate
3 values for how the plant operates.

4 It's got a number of conservative inputs.
5 Maybe the most dramatic one is that the SRV is very
6 important to this event. They're assumed to pass only
7 90 percent of their actual capacity and also one of
8 the SRVs is a soon to be out of service.

9 CHAIRMAN WALLIS: Were they tested at full
10 scale, full pressure? How do you know the flow rate
11 through these SRVs?

12 MR. DRESSER: Paul Flados will answer
13 that.

14 MR. FLADOS: Paul Flados again. These are
15 standard industry target safety relief valves. The
16 original sizing and the design of them actually
17 performed field testing of this type of valve,
18 certified what the flow was, the ASME methodology then
19 had them rate the valve at 90 percent of what it
20 actually did.

21 CHAIRMAN WALLIS: So it's based on real
22 experience with real valves, with real pressures and
23 all right --

24 MR. FLADOS: Absolutely.

25 MR. BOEHNERT: Can you tell me what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PRFO acronym is?

2 MR. KITCHEN: Yes, excuse me, that's the
3 pressure regulator failure open position.

4 MR. BOEHNERT: Okay.

5 MR. KITCHEN: MISVC is the main --

6 MR. BOEHNERT: Yeah, thank you.

7 MR. KITCHEN: -- closed.

8 CHAIRMAN WALLIS: Now, this MSIVC whatever
9 it is, that's what a one-shot thing or something? Why
10 is -- why are these different pressures? The tech
11 specs is 1325 and this is -- some of them goes up to
12 1500.

13 MR. DRESSER: Right, the tech specs is
14 based on 110 percent of the design. I think they have
15 different acceptance criteria for the different
16 severity of accidents or frequencies.

17 CHAIRMAN WALLIS: Oh, frequency.

18 MR. DRESSER: Yeah, the 110 percent design
19 is what the tech spec is based on. That was -- is a
20 much less expected type of an occurrence. The one
21 other thing that provides a lot of conservatism in
22 this particular calculation is that the open model was
23 used. That's a lot more -- a lot less real, a lot
24 more conservative than a TRAC G calculation would have
25 been which would have given us more than 100 pounds of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 margin.

2 CHAIRMAN WALLIS: What's the difference?

3 MR. DRESSER: Well, I'll let GE respond.
4 TRAC G is a much more realistic and much more
5 sophisticated model.

6 CHAIRMAN WALLIS: So there's some, what,
7 conservatism.

8 MR. BOLGER: This is Fran Bolger of GE.
9 As the problem changes to an ATWS type of event where
10 you have a transient that does not have a SCRAM and
11 void feedback is very critical to the response, the
12 TRAC G model has a 3-D kinetics capability and with 3-
13 D kinetics, you get essentially a credit with high
14 power channels. As they begin to void, as you
15 pressurize, you get void feedback. That type of
16 feedback is not seen as significantly with a 1-D
17 transient model such as ODEN (phonetic.)

18 As you get down more into nominal
19 conditions with faster SCRAMs, more of the type of
20 scenario where the Peach Bottom Turbine Trip
21 benchmarks occur, then you start seeing that the
22 models respond very similarly.

23 MR. BANERJEE: And the thermal-hydraulic
24 model is similar to drip flux or what type of models?

25 MR. BOLGER: The ODEN is a drip flux type

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 model and the TRAC G model is a two-fluid model.

2 MR. BANERJEE: Are there any significant
3 differences in the voiding rates that you see on the
4 average?

5 MR. BOLGER: No, the codes will predict,
6 given the same channel, seeing the same type of
7 pressure trajectory, they're predict similar type void
8 responses.

9 MR. DRESSER: The other criterion for the
10 ATWS have substantially more margin. The peak
11 suppression pool temperature, you'll note that design
12 limit that CP&L placed was not 220 but 207.7. That's
13 to keep the design base accident LOCA as the limiting
14 event for that temperature. The containment pressure
15 there is allowable margin to the design limit.

16 The peak cladding temperature that is seen
17 goes down to 1309 pounds, way below the 2200 degree
18 design limit and that -- I believe that it was
19 mentioned earlier about the axial power shape and some
20 of the impacts we might see from that, the power shape
21 being much more bottom peaked and the hot peak clad
22 temperature occurring much lower in the core in this
23 event, you get much better heat transfer to the water
24 with less void and that's why this temperature goes
25 down so much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Are you taking any
2 credit for this alternate rod insertion system?

3 MR. DRESSER: We take credit for recirc
4 pump trip but we do not take credit for the ARI.

5 CHAIRMAN WALLIS: I was intrigued by that
6 because it gets mentioned but you don't tell us much
7 about what it does or maybe we should just ignore it,
8 but I mean, is that an important design change to have
9 an ARI system?

10 MR. POST: This is Jason Post with GE.
11 That was the original design requirement of the ATWS
12 modifications. If we took credit with it in our
13 analysis, it wouldn't effect the peak bottom -- the
14 peak vessel pressure very much. It would have a
15 dramatic impact on suppression pool temperature. It
16 would be a very mild event and so, therefore, we don't
17 analyze it.

18 MR. DRESSER: In conclusion, on the ATWS
19 all the criterion are met, including the 10 CFR 50.62
20 of course, which are less stringent than some of
21 CP&L's design criteria. And the mitigation strategy
22 for ATWS to comply with the emergency planning
23 guidelines is unaffected by power uprate.

24 That's all I wanted to say about ATWS and
25 so I'm about ready to go into my final three topics

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and some of these do contain GE proprietary
2 information.

3 MR. BOEHNERT: Okay, we'll go -- I'm
4 sorry.

5 MR. LEITCH: Just before you get there,
6 can I just ask a question? I'm not sure if this is
7 the right part of the presentation, but I'm still a
8 little confused as to the status of Unit 1 at the
9 moment. Have all the modifications and the current
10 reload been designed such that we're now in a
11 situation where the only thing that prevents you from
12 going from a -- up from 112 to 115 percent power is
13 the licensing situation?

14 In other words, as soon as you get NRC
15 permission to do that, what do you do? Are you ready
16 to go?

17 MR. DRESSER: That is -- well, yes, the
18 core is designed and it's ready to go. What we would
19 need to do is simply to install the operating limits
20 for the fuel into the process computer and change the
21 core operating limits report from the current power to
22 the rated power and the core would be ready to go.

23 MR. BOLGER: This is Fran Bolger from GE.
24 The reload licensing analysis were done assuming full
25 EPU capability.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: Okay.

2 MR. DRESSER: So licensings basically go
3 to 120. It's balance-of-plants that will hold us back
4 to 112, 115.

5 MR. LEITCH: So then in a practical sense,
6 once you've made these modifications to the computer,
7 which can all be done on line, then what you do then
8 is go over to the recirc pumps and increase the speed
9 of the recirc pumps and see -- make sure you have
10 enough feedwater pumping capability and that's what
11 the limit is? I mean, you just go --

12 MR. DRESSER: Well, there's some testing.
13 There's quite a bit -- I mean, from my perspective as
14 a core designer, that's all there is but actually from
15 plant operation there's a lot more.

16 MR. KITCHEN: This is Bob Kitchen. The
17 modifications have been incorporated in the plant.
18 They were performed during the refueling outage we
19 just completed. Once we receive the license, as you
20 mentioned, we can -- the license would allow operation
21 to 120 percent. The plant modifications are in place
22 to allow the plant to operate to 112 percent.

23 And we would implement that --

24 MR. LEITCH: When you say it's been a
25 physical limitation, your ability to pump feedwater?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KITCHEN: Actually, the limitation
2 would be for base load operation, fuel load itself.
3 And ultimately the main transformers would limit us to
4 115 percent of our original license power or less.
5 But we could -- we'd have to make some set point
6 changes. We're going to talk about the testing that
7 we have to implement the license later but we would
8 have to go through that process and very -- increase
9 power very slowly monitoring plant components and
10 various points we stop and run testing to verify plant
11 response.

12 MR. LEITCH: Okay. I may have some more
13 questions in that area later but basically what I'm
14 getting the picture here is we're on the critical path
15 here. In other words, you get this approval, you can
16 basically come up to 115 percent --

17 MR. KITCHEN: Yes.

18 MR. LEITCH: -- on Unit 1.

19 MR. KITCHEN: Yes, sir, that's correct.

20 MR. LEITCH: Okay, thank you.

21 MR. BOEHNERT: All right, then we'll go
22 into closed session. I would ask anyone who doesn't
23 have an agreement with GE to hear proprietary
24 information to leave the room. The transcriber can go
25 to a closed session transcript.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(Whereupon, the subcommittee went into
closed session at 9:45 a.m.)

1 (On the record at 10:31 a.m.)

2 CHAIRMAN WALLIS: We're back in session.
3 And this is a non-proprietary session; is that
4 correct?

5 MR. WILTON: That's correct.

6 CHAIRMAN WALLIS: Go ahead.

7 MR. WILTON: Good morning. My name is
8 Blane Wilton and I'm the Supervisor of Reactor Systems
9 at Brunswick Nuclear Plant. Today, I'd like to
10 discuss the reactor vessel and internals with you.
11 The areas I'll be covering are the scope, the EPU
12 effects and impact, our preservation/mitigation
13 strategy that we use, monitoring aspects. I'd like to
14 go into a little bit on steam dryer and then the
15 conclusions.

16 The scope of the internals in reactor
17 vessels include all the components that were
18 identified in the license topical report. All of
19 those were considered within the scope for Brunswick.
20 Implementation of the EPU includes the evaluation of
21 the components, inspection, as well as mitigation.
22 One thing I do want to point out is that no
23 modifications were required as a part of power uprate
24 to support for the reactor vessel or internals, to
25 support the implementation of EPU.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Degradation modes that were addressed
2 include stress corrosion cracking of both IASCC and
3 IGSCC, fatigue and embrittlement. Effects and
4 Impacts, our PT curves, our pressure temperature
5 curves, were impacted by extended power uprate. Our
6 current curves that we're operating on today have been
7 approved for use with extended power uprate through
8 March of 2003. We're developing new curves right now
9 and we plan on submitting those curves in June of
10 2002, this year with updated fluence methodology in
11 accordance with Reg Guide 1.190, as well, as including
12 instrumentation uncertainty in the curves.

13 And like I said, that will be issued in
14 June of this year. Fluence was effected by power
15 uprate. The fluence impacts were not directly
16 proportional to the power increase which is what we
17 kind of expected initially going into this. The
18 reason for that as Tom eluded to earlier in his
19 presentation on the core, we flattened the power shape
20 out and move a lot more power out to the periphery of
21 the core, so therefore the fluence increase was
22 greater than the power increase.

23 Embrittlement --

24 CHAIRMAN WALLIS: In your case, the
25 fluence actually went up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WILTON: Yes.

2 CHAIRMAN WALLIS: In one of these other
3 operators, we had, yes, you'd expect it to go up but
4 because of an improved method of calculation it
5 actually went down.

6 MR. KRESS: Well, that's his other one
7 that he just covered on the previous slide.

8 CHAIRMAN WALLIS: Yeah, so you're going to
9 recapture that with the RG1.190, okay.

10 MR. WILTON: Yes.

11 CHAIRMAN WALLIS: Okay.

12 MR. WILTON: Embrittlement, 10 CRF 50
13 Appendix G requires that your upper shelf energy be
14 75-foot pounds initially and you must maintain 50-foot
15 pounds through end of life. Our plant does not have
16 full Sharpy curves; therefore, 10 CFR Appendix G
17 allows for an equivalent margins analysis to be
18 performed.

19 That analysis was also effected by power
20 uprate. That analysis has been recalculated and we're
21 within our margins on that. So there really was not
22 an impact on embrittlement, but we did have to redo
23 that calculations on that.

24 MR. KRESS: When you say your plant
25 doesn't have full Sharpy curves --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WILTON: Yes.

2 MR. KRESS: -- that means you don't have
3 the specs on the materials?

4 MR. WILTON: The materials weren't tested
5 over a full range of temperatures.

6 MR. KRESS: The full range of
7 temperatures.

8 MR. WILTON: Yeah, that you need to be
9 able to show compliance with the 50-foot pounds.
10 Therefore, we use the equivalent margins analysis.

11 MR. KRESS: I understand that.

12 MR. WILTON: Okay. Let's see, fatigue;
13 another factor that was impacted as far as power
14 uprate. All the components were addressed for fatigue
15 and what we found is that all components remained
16 qualified through end of life.

17 I'd like to go into our preservation and
18 mitigation strategy. We protect our reactor vessel
19 and internals against IGSCC. Brunswick implemented
20 moderate hydrogen water chemistry as our strategy for
21 protection back in 1989 on Unit 2 and in 1990 on Unit
22 1. Current injection rate will be maintained as part
23 of power uprate. Right now we inject at 39-1/2 SCFM.
24 That same rate will be maintained.

25 Our post-EPU protection will be as good or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 better under power uprate conditions with the same
2 flow rate. We've done extensive modeling of our core
3 using the BWRVIA software which is an industry
4 developed code for modeling the radiolysis effects as
5 well as the ECPs in our core. And the model shows
6 this.

7 MR. BANERJEE: Where is the hydrogen
8 injected?

9 MR. WILTON: It's injected in the
10 feedwater.

11 MR. BANERJEE: And it goes through the
12 sparger and mixes.

13 MR. WILTON: Yes, it goes down through the
14 bottom and up through the center of the core.

15 MR. LEITCH: And depending upon the amount
16 of hydrogen that's injected, varies the -- I say the
17 depth of protection. Have you been able to protect
18 all the vessel internals with your present hydrogen
19 flow rate?

20 MR. WILTON: No. We probably should go to
21 a backup slide on that, starting with this one.

22 MR. KRESS: Let Darrin help.

23 MR. WILTON: When we laid out our
24 mitigation strategy, what we -- the area highlighted
25 here in yellow is the area that we determined that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wanted to try to protect with hydrogen, okay? And
2 what we've got is we are able to protect most of that
3 area at minus 230. Some areas are above that, but
4 those areas are typically areas that you couldn't
5 protect regardless of how much hydrogen you put in,
6 just because of their locations.

7 MR. LEITCH: I see. But the core -- okay,
8 go ahead.

9 MR. WILTON: This is the outer by-pass
10 region of the core. This is the inside of the shroud
11 but external of the fuel channel. Okay, so that was
12 one of the areas that we say we were trying to
13 protect. And we are a 1.0 to 1.5 PPM plant. So you
14 can see the levels. That's the bottom curve on this
15 and we're down in the minus 270 range, in that region.

16 The -- if you look at another area that
17 we're trying to protect, this is the downcomer region.
18 This is the area external of the jet pumps and the
19 annulus area of the core shroud. And you can see that
20 at the very top part of the core, which is the first
21 part, up in this are, regardless of how much hydrogen
22 you put in, you're just not to get it negative enough
23 to protect that area.

24 MR. LEITCH: Uh-huh.

25 MR. WILTON: But it all drops off and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're operating along this curve here which is down to
2 the minus 320 range, that area.

3 MR. LEITCH: Okay.

4 MR. BANERJEE: Is that -- the effect due
5 to incomplete mixing on the downcomer? What do you
6 think it's due to, that you're not getting --

7 MR. WILTON: You're talking about the
8 region up in here? It's the height. This is what I
9 believe it is. It's you're outside of the influence
10 of the flux up in that area. You're above part of the
11 core.

12 MR. BANERJEE: Right, yeah.

13 MR. WILTON: And flux actually makes the
14 recombination reaction a lot more efficient. So
15 because you're outside of the region of the high flux
16 areas, then it becomes inefficient in that area and
17 that's why you see the levels go up.

18 MR. BANERJEE: And the previous slide that
19 you showed --

20 MR. WILTON: Yes.

21 MR. BANERJEE: -- are there areas which
22 are inefficient there as well?

23 MR. WILTON: Well, this is inside the core
24 shroud and it runs from below the core plate down to
25 above -- I'm sorry, above the core plate to the bottom

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 side of the top guide and just because of its
2 proximity to fuel, you see in this region here at the
3 very beginning up at the highest portions, you're
4 seeing that it is going up and it's pretty stable
5 along the entire region of the fuel.

6 Another area we're trying to protect is
7 the inside of the jet pump area to mitigate that and
8 you can see here that along this curve we're down
9 around the minus 350 region. So again, we have
10 protection. The last area that we're trying to
11 protect here is the lower plenum, the bottom head
12 region. And again, you can see where we're down low
13 and it tails up. This area here is as it goes through
14 the core plate and you can see the levels are starting
15 to rise again.

16 MR. KRESS: You calculate these with TRAC?

17 MR. WILTON: No, we calculate these using
18 what's a computer code called the BWRVIA model.

19 MR. KRESS: It's the VIA.

20 MR. WILTON: Yes, the VIA model that was
21 developed and benchmarked on initially, I believe 23
22 plants.

23 MR. KRESS: It has to have flow
24 distributions.

25 MR. WILTON: Yes. And what we have here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is this is not a generic model. We took the model and
2 we took the Brunswick specific inputs for both
3 geometry flow, we included the equilibrium -- this is
4 for an equilibrium core, so we took the equilibrium
5 core from the power uprate and used the actual fuel
6 information and this is a Brunswick specific model
7 that was developed for our plant.

8 MR. KRESS: This is the VIA model the flux
9 also?

10 MR. WILTON: Yes, yes, that's a separate
11 input to the model.

12 MR. KRESS: It's an input.

13 MR. WILTON: Yes.

14 MR. KRESS: Okay.

15 MR. LEITCH: And these curves are
16 relatively unaffected by the power uprate.

17 MR. WILTON: Well, actually, I don't have
18 the curves here for where we are today, but what we
19 saw is, is uniformly, we saw a shift more negative
20 with power uprate because the flux out in the
21 periphery of the core is actually going up, so
22 therefore, the effect is becoming more efficient. So
23 power uprate is actually giving us better protection
24 with the same amount of hydrogen.

25 Let's see. Okay, our mitigation strategy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is one that is also supported by BWRVIP-62, which is
2 the technical approach for relief of inspections using
3 hydrogen. So the point I wanted to make here is we're
4 not doing something different than what has been
5 looked at. It is in accordance with the industry
6 developed guidelines for a moderate hydrogen water
7 chemistry plant. And what we're showing is that with
8 moderate hydrogen water chemistry, we are protected in
9 the areas that we're trying to protect.

10 MR. KRESS: Why did you decide that those
11 were the areas that you wanted to protect?

12 MR. WILTON: Well, the only other areas
13 that you can get into area areas like above top guide
14 which no amount of hydrogen -- and if you look at the
15 protection that you get from chem in that area, it's
16 limited if -- the fuel itself which is something that
17 is changed out on a cycle by cycle basis.

18 MR. KRESS: You don't even need --

19 MR. WILTON: The areas, you really don't
20 need the protection in those areas. So we're trying
21 to maximize the protection.

22 MR. KRESS: In fact, you may be even worse
23 off with the hydrogen on the fuel.

24 MR. WILTON: Yes.

25 MR. BANERJEE: Do you have coupons

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (phonetic) or anything that would actually show you're
2 getting this or you're doing some monitoring?

3 MR. WILTON: Yes, yes. We do monitoring
4 but our monitoring is actually our inspection program.
5 Okay, we also have -- another part of our mitigation
6 strategy is our water chemistry. We maintain water
7 chemistry in accordance with the EPRI guidelines on
8 water chemistry and our conductivity is kept low.
9 It's on the average of .09 on an average for the
10 cycle.

11 To make sure that our mitigation strategy
12 works, we have a monitoring program. Our monitoring
13 program confirms that our mitigation strategy is
14 adequate and also provides feedback to us in case that
15 we see something that we don't expect. It gives us
16 time to adjust our program. Our inspection program is
17 in accordance with the guidelines of the BWRVIP.

18 Our re-inspection results have shown no
19 new crack initiation with moderate hydrogen and the
20 crack growth rates for existing flaws is well below
21 what's expected. You know, GE -- the NRC accepted
22 number is minus five inches per hour which has been
23 reduced for certain locations down to 2.5. We're
24 actually seeing growth below the error band in the
25 inspection equipment of what we can see.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We also are monitoring on fatigue. We've
2 done our fatigue updates for post-EPU for limiting
3 components for both units. We just completed detailed
4 fatigue updates. We do those on a 10-year cycle. We
5 also do interim updates following every outage to
6 project where we think we'll be. The fatigue updates
7 have been extrapolated through end of life plus 20
8 years and using EPU conditions and all components have
9 been found acceptable through end of life plus 20
10 years.

11 Monitoring for embrittlement, we are a
12 member of the VIP and therefore, we are also a member
13 of the integrated surveillance program. Each utility
14 in the program -- to be part of that program, each
15 utility must comply with the specific requirements of
16 the two documents which control it. VIP-78 is an
17 overall, just a program, describes the program and
18 BWRVIP-86 is actually the implementation plan. We are
19 members of VIP and, therefore, we are part of this
20 program.

21 Select utilities will pull test coupons.
22 We are not one of those. We will be using data from
23 a sister plant. VIP guidelines require licensee to
24 calculate neutron fluence using compatible
25 methodologies to be able to use a sister plant and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've already done an update per reg guide 1.190 to be
2 able to do that.

3 Let me talk a little bit about steam
4 dryer. We inspected the steam dryer on Unit 1 during
5 our last refueling outage. We did observe minor
6 cracking. This cracking had been previously
7 identified back in 1988. We have cracking -- what we
8 saw as cracking in our dryer bank vertical welds. We
9 do not have drain channel cracking at this time. Our
10 plan, we -- the cracking had grown from eight inches,
11 which is what we initially found in '88 to about 11 to
12 12 inches in 2001.

13 We performed a conservative analysis that
14 showed that the cracking is fine for continued
15 operation for multiple cycles. Our plan is to go back
16 in following uprate at our next outage and reinspect
17 to see, just to verify that the power uprate is having
18 no detrimental effects to our steam dryer.

19 MR. KRESS: Do you have any problems with
20 the vessel supports. I mean, this is internal things
21 here.

22 MR. WILTON: Right.

23 MR. KRESS: Because of embrittlement?
24 These are Mark 1's.

25 MR. WILTON: Do you want to take that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Larry?

2 MR. YEMMA: This is Larry Yemma from CP&L.
3 I'm not sure I understand the question.

4 MR. KRESS: There was some question one
5 time about radiating the structures below the vessel
6 on the supported --

7 MR. YEMMA: Oh, the vessel support?

8 MR. KRESS: Yeah, not be deteriorating.

9 MR. YEMMA: Unfortunately, that's out of
10 our jurisdiction.

11 MR. WILTON: We, essentially, from the
12 safe ends into the vessel and just the internals
13 itself.

14 CHAIRMAN WALLIS: Those cracks are due to
15 vibration or something? What is the cause of the
16 cracking?

17 MR. WILTON: The cracking was believed to
18 be IGS60 initiated. In conclusion the RPV and
19 internal components have been assessed for impacts of
20 EPU. Our site program documents have been revised to
21 include the impacts of the power uprate and all
22 components remain qualified through end of life.

23 MR. KRESS: You don't have any pressurized
24 thermal shock problems.

25 MR. WILTON: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: Blane, this auxiliary
2 condensate cooling system which I now understand is
3 likely not to be installed but one of the things that
4 was concerning me when I read about that initially was
5 particularly the tube material and I guess it would be
6 the non-regenerative heat exchangers. I'm picturing
7 this non-regenerative heat exchanger as having
8 basically river water on one side of it and then used
9 on an intermittent basis a couple months a year at
10 most.

11 And I guess when you were talking about
12 condensate conductivity, obviously, it speaks well of
13 your main condenser. If we introduced this non-
14 regenerative heat exchanger into the cycle, a tube
15 leakage there would -- could be a significant problem
16 and I think there is a propensity for those tubes to
17 leak in that kind of service. But obviously, if you're
18 not going to do it, you're not going to have that kind
19 of problem. But I think if you do move forward with
20 that, you have to be very careful about the selection
21 of material for tubing in that non-regenerative heat
22 exchanger.

23 MR. WILTON: Agreed.

24 CHAIRMAN WALLIS: Thank you very much.

25 MR. GRANTHAM: Good morning, I'm Mark

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Grantham. I'm the Design Superintendent on our EPU
2 team. I'll be talking about our containment responses
3 to include a review of the methodology used for our
4 containment analysis, the containment analysis
5 results, impact on Mark 1 hydro-dynamic loads and as
6 well as impact on MPSH for our emergency core cooling
7 water.

8 The containment analysis was completed
9 using the methodology that's currently approved in the
10 ELTR. The analysis is actually broken down into a
11 short term and a long term analysis. As short term,
12 that's really the first 10 seconds of an event. The
13 short term analysis, the focus of that analysis is on
14 drywell temperature and pressure; whereas on the long
15 term analysis the focus is on wetwell pressure as well
16 as suppression pool temperature.

17 The short term analysis is completed using
18 the LAMB code which is using Moodies (phonetic) slip
19 critical flow model to develop blow-down flows and
20 that's used as an input into an M3CPT code.

21 The long term analysis is using the Super
22 HEX code. All of those codes are approved and the
23 Brunswick power level for EPU is within the range of
24 applicable -- that's applicable for those codes. This
25 provides the actual containment analysis results for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DBA LOCA. The first data column there actually
2 provides the current UFSAR values containment analysis
3 parameters. For power uprate, a new analysis was
4 performed using the same methods for uprated
5 conditions as well as current rate of thermal power
6 conditions. All of these are done at the 102 percent
7 of thermal power.

8 So a comparison between the current
9 methods, the current license thermal power and the EPU
10 numbers will give a true indication of what the actual
11 change is due to the power level increase. If you
12 look at this for containment pressure, the peak value
13 for EPU is 46.4 PSIG versus an acceptance limit of 62.
14 The drywell air space temperature for DBA LOCA, 293
15 degrees, versus an acceptance limit of 340.

16 Wet well pressure is 31.1 PSIG versus an
17 acceptance limit of 62. And suppression pool
18 temperature, the peak value of 207.7 versus an
19 acceptance limit of 220 degrees. So all these values
20 are well within the acceptance limits. For the Mark
21 I hydro-dynamic loads, we reviewed the pool swell,
22 vent thrust, condensation oscillation, chugging and
23 SRV discharge loads and for SRV discharge that
24 included the initial actuation as well as subsequent
25 reactuations. And all of those loads for EPU were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 within the original definition, load definitions that
2 were established as part of the Mark I long term
3 program.

4 MR. LEITCH: You have a HPSI and a RCIC
5 that discharge into the tarus.

6 MR. GRANTHAM: Takes suction for the
7 tarus, that's correct.

8 MR. LEITCH: It takes suction from the
9 tarus.

10 MR. GRANTHAM: And a discharge into
11 feedwater pipes.

12 MR. LEITCH: I mean the steam for the
13 turbines.

14 MR. GRANTHAM: Yes, discharges into the
15 turbine, or tarus, correct.

16 MR. LEITCH: To the tarus, yeah. So I
17 guess the operation of HPSI and RCIC is unaffected by
18 this uprate.

19 MR. GRANTHAM: That's correct, for DBA-
20 LOCAs HPSI and RCIC are essentially assumed not to
21 operate. The pressure goes down quickly enough to
22 where you're essentially below their range of
23 effective operation almost immediately.

24 MR. LEITCH: Okay.

25 MR. GRANTHAM: Due to the changes in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suppression pool temperature, we had to look very
2 closely at our NPSH, net positive suction head.
3 Brunswick is currently committed to safety Guide 1
4 which does not allow credit for containment over
5 pressure. As a result of EPU we will now require
6 containment over pressure for adequate NPSH and that
7 is an allotment that is made in the ELTR 1.

8 For the NPSH evaluation, we looked at that
9 short term and long term -- or short term, and that's
10 the first 10 minutes of an event. We looked at the
11 conditions where the core spray and RHR pumps are
12 essentially in run-out conditions, where no operator
13 actions for throttling them back is credited. Under
14 those conditions, there's adequate NPSH available
15 without any credit for containment over-pressure.

16 The long term NPSH evaluation after 10
17 minutes, the peak value required -- peak over pressure
18 required is 3.1 psig. The available over pressure at
19 that point is 11.3 psig and as apart of this license
20 submittal, we're actually requesting credit for 5
21 psig.

22 MR. KRESS: Those numbers are at the same
23 time in the transient.

24 MR. GRANTHAM: Yes, yes.

25 MR. KRESS: So --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRANTHAM: What we did for the ECCS
2 evaluation, we made, I guess, a conservative analysis
3 in that we took a combination of containment sprays as
4 well as direct pool cooling. For suppression pool
5 pressure, we assumed the containment spray case which
6 gave us the lowest pressure.

7 MR. KRESS: Which gave you the lower
8 pressure.

9 MR. GRANTHAM: For suppression pool
10 temperature, we assumed the direct pooling, pooling
11 case which gave us the highest temperature. So really
12 you --

13 MR. KRESS: So really you combined those.

14 MR. GRANTHAM: Right, to get a worst case
15 combination and --

16 MR. KRESS: So I don't have to ask what
17 the uncertainty is in this number because --

18 MR. GRANTHAM: Right, and we --

19 MR. KRESS: -- you know which side of the
20 thing it's on.

21 MR. GRANTHAM: Correct, and we plodded it
22 out versus time and pick the worst case.

23 MR. BANERJEE: Do you have a plot of the
24 changes with time, pressure and available -- what you
25 need?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRANTHAM: I have a graphical
2 reference. Yes, we do have that.

3 MR. KRESS: Could we see that some time
4 because I've often wondered if there was some area in
5 the timing associated with these things?

6 MR. GRANTHAM: Yes, I can show you that
7 maybe at a break or something. We have -- I don't
8 think we have a backup slide on it but we do have
9 that.

10 CHAIRMAN WALLIS: Maybe right after lunch.

11 MR. GRANTHAM: Yeah.

12 MR. LEITCH: I guess it had been my
13 understanding that the NRC was reluctant to approve
14 credit for containment over pressure; is that -- I
15 guess that's more a question for the NRC, but do you
16 know if any other BWRs have --

17 MR. GRANTHAM: I know most BWRs credit
18 containment over pressure. Ralph --

19 MR. CARUSO: This is Ralph Caruso from the
20 staff. And this is just -- I'm in the Reactor Systems
21 Branch. We don't review this but I have some
22 knowledge of it. And generally what the staff does is
23 controls this very carefully. They do a very detailed
24 thorough review of requests to use that over-pressure
25 in order to make sure that it isn't used creatively.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: Okay, thanks.

2 CHAIRMAN WALLIS: But it has been granted
3 for other plants.

4 MR. CARUSO: Yes.

5 MR. BOEHNERT: Oh, yeah, Duane Arnold
6 (phonetic) got it for their uprate.

7 MR. CARUSO: And not just for power
8 uprates.

9 MR. GRANTHAM: And conclusions for the
10 containment analysis, the containment temperatures and
11 pressures remain within existing design limits. The
12 Mark I containment hydro-dynamic loads are within the
13 current load definition and adequate NPSH margin
14 exists with the available over-pressure.

15 MR. BOWMAN: My name is Terry Bowan. I'm
16 the electrical project engineer for power uprate. I
17 want to spend a few minutes talking about the impact
18 power uprate had on our power systems and how we are
19 addressing that impact.

20 In Bob Kitchen's introduction he mentioned
21 that we were replacing our main power transformers and
22 we were upgrading our isophase coolers and that's
23 pretty typical of plants that are uprating and you'll
24 see that, that it's pretty common. But in our
25 situation we also determined that there were two other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 areas that we need to evaluate and that's generator
2 and grid stability and the voltage adequacy of offsite
3 power, so I want to spend a few minutes talking about
4 those two areas. They are somewhat unique to
5 Brunswick.

6 The first area that I want to talk about
7 will address the stability and with our increase in
8 power output, our stability studies indicate to us
9 that our stability margin would be reduced somewhat.
10 So there are two modifications that we will be
11 implementing to compensate for this reduction in
12 stability and they are the out of step protective
13 relaying modification and also implementation or
14 installation of power systems stabilizers on our main
15 generators.

16 MR. SIEBER: Does that mean if a generator
17 on one unit slips poles that that unit trips?

18 MR. BOWMAN: With the out of step
19 protective relaying which I'm going to address in the
20 next slide, yes, to answer your question.

21 MR. SIEBER: Which will cause the other
22 unit to probably slip, too, right?

23 MR. BOWMAN: No.

24 MR. SIEBER: You're sure?

25 MR. BOWMAN: I'll first talk about out of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 step protective relaying which I hope will address
2 your question there. This is a two-piece scheme, if
3 you will. One portion of the scheme will trip the
4 generator on a major out of step event, a very severe
5 event on the grid. And what that does is it does two
6 things for us. One, it protects our generator from
7 slip pole, the damage, but it also prevents cascading
8 grid outages.

9 Whenever you have a machine that's on your
10 grid that falls out of synchronism, it's very
11 important to get it off very quickly. It's not going
12 to regain synchronism, so you have to trip the
13 generator. So that will help prevent any cascading
14 grid outages. It will help prevent that machine from
15 dragging down the rest of the grid.

16 The second piece of this is to help
17 preserve off site power during an out-of-step event
18 and the way we're going to accomplish this is the use
19 of out-of-step blocking relays. There will be out-of-
20 step relays located on the end of each transmission
21 line, the remote end and the plant end and they will
22 be monitoring for an out-of-step event out on the line
23 in the sense that they will block tripping of those
24 lines. That's very important because if we do trip
25 our main generator, (tape fades) and so that increases

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the reliability.

2 MR. SIEBER: Now, what do you say --
3 whether you prevent the adjacent unit from tripping or
4 not, depends on how many cycles you go through and how
5 tightly -- how low the impedance is between the two of
6 them.

7 MR. BOWMAN: That's correct and the --
8 this scheme has a very fast tripping ability. It's
9 not -- it is conventional and out-of-step tripping but
10 it also has another aspect, it's called anticipatory
11 out-of-step tripping. It looks for closing faults
12 that could cause that event and trips it very quickly,
13 so the other generator does not go out of sync.

14 MR. SIEBER: Okay.

15 MR. BOWMAN: So that's the first mod that
16 we're implementing. The second modification is the
17 installation of the power system stabilizers on each
18 of the main generators. These power system
19 stabilizers sense changes in generator speed and power
20 and using these inputs, they provide feedback to the
21 generator's excitation system. And with that
22 feedback, the regulator will actually produce a torque
23 which is in opposition to the torques that are caused
24 by the grid disturbance. So it has an ability to
25 dampen out the oscillations that would occur after

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your disturbance of the grid.

2 MR. LEITCH: Is there under and over
3 frequency protection on these machines?

4 MR. BOWMAN: There are volts for hertz
5 protection on our main generators, but this is
6 different.

7 MR. LEITCH: I guess I'm always concerned
8 about these large machines operating at other than
9 very close to 60 cycles, particularly vibration
10 patterns that can be set up on the turbine blades. In
11 other words the turbine blades carefully designed
12 assuming that at power, the machine is going to be
13 operating very close to 60 cycles. Does any of this
14 allow -- permit operation further from 60 cycles?

15 MR. BOWMAN: I believe the power system
16 stabilizer, what it will do is it will bring the
17 machine back quicker. If you did have an instability
18 event, it would actually bring it back quicker.

19 MR. LEITCH: Bring it back quicker.

20 MR. BOWMAN: Yeah. What typically happens
21 is the machine is trying to catch up with the system
22 so to speak, so, you know, as it's falling of
23 synchronism, then it tries to overshoot and this will
24 help dampen out those overshoots so that you can get
25 back on line with the system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: The transients that you're
2 talking about here, they're all system generated
3 transients as opposed to station generated transients.

4 MR. BOWMAN: That's correct. It may be an
5 external fault somewhere on the system. It may be a
6 lightening strike or some kind of heavy switching
7 that's taking place and the power system stabilizer
8 would help prevent the ringing or oscillation that
9 might occur under that situation.

10 MR. SIEBER: How many transmission lines
11 do you have coming into the station?

12 MR. BOWMAN: We have four transmission
13 lines coming into each unit. The units are not tied,
14 the switch arcs are not tied but we have four coming
15 into each one.

16 MR. BOWMAN: I'll turn my attention now to
17 voltage adequacy of the offsite power system. As we
18 are adding load to our electrical distribution system,
19 as a result of power upright there will be a number of
20 loads added. That reduces our available voltage down
21 to our sector laid loads. We have more voltage drop
22 down for our distribution system and especially, you
23 know, if it's feeding from offsite power, if it's
24 feeding from the start-up transformer unit, ops
25 transformer, it's all in the unit trip, we will see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant change in voltage there.

2 So to accommodate that, to compensate for
3 it, we are implementing a modification called the unit
4 trip load shed modification and that will help restore
5 the margin. This modification provides selected load
6 shed of balance-of-plant motors and in order -- they
7 would receive the signal on a LOCA and/or unit trip.
8 So we're in effect, dumping some of our load on our
9 distribution system to improve the voltages down to
10 the emergency busses and safety loads.

11 And that will help insure adequate post-
12 unit trip voltages available at emergency busses.

13 MR. LEITCH: Terry, as I understood this,
14 there was a selection that could be made and at
15 various points along the way here, depending upon
16 whether you're in Phase 1 or Phase 2 of this uprate
17 program, the operator would administrate -- the
18 selection of loads that would be shed would be
19 administratively controlled.

20 MR. BOWMAN: They will be procedurally
21 controlled.

22 MR. LEITCH: Procedurally controlled.

23 MR. BOWMAN: That's correct.

24 MR. LEITCH: After the second phase
25 modifications are done, in other words, you're humming

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 along at 120 percent, would they still be under
2 administrative controls or would they be permanently
3 locked in one particular position?

4 MR. BOWMAN: It would continue to be
5 procedurally controlled.

6 MR. LEITCH: Would here be --

7 MR. BOWMAN: And that's to give you
8 flexibility. For instance, initially we have two
9 heater drain pumps that will be shed on the unit trip
10 signal. We have three pump motors and one is
11 basically a backup. So you need some flexibility to
12 be able to swap which one is being shed. Two out of
13 three operation, we will be able to have two that are
14 shed. The third one doesn't need to be shed. It
15 provides --

16 MR. LEITCH: But wouldn't you get to a
17 situation where the loads to be shed could be
18 permanently selected rather than procedurally
19 controlled?

20 MR. BOWMAN: In essence that's what's
21 happened. Our initial load shed of the heater drain
22 pumps, that will be from here on out. We have -- we
23 also have built in the ability to shed other loads in
24 the future if necessary, if the grid conditions
25 warrant that kind of thing. As load continues to grow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the grid, the ability to maintain offsite power
2 voltage and adequate voltage is more difficult to
3 achieve and so to compensate for that we may elect at
4 some point in the future, to give up another load.

5 MR. LEITCH: I'm just a little concerned
6 with procedural controls rather than something that
7 could be permanently built into the system.

8 MR. BOWMAN: They are key locked so that,
9 you know, somebody can't get in and inadvertently
10 manipulate one of these things.

11 MR. LEITCH: They are key locked.

12 MR. BOWMAN: They are key locked and also
13 there is a second verification that's performed when
14 they put these in a load shed position.

15 MR. LEITCH: Okay, thanks.

16 MR. BOWMAN: That pretty much concludes
17 what I wanted to talk about. Implementation of these
18 three mods, load shed modification, out-of-step
19 protective relaying and the power system stabilizer
20 will help us insure the adequacy and reliability of
21 offsite power.

22 MR. BOEHNERT: Will these be tested or
23 have they been tested somewhere before so you know
24 what to expect from them?

25 MR. BOWMAN: You're referring to the unit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trip load shed?

2 MR. BOEHNERT: Yeah, the first two in
3 particular, the out-of-step and the trip load shed.

4 MR. BOWMAN: They were tested, out-of-step
5 protective relaying was tested on Unit 1 this past
6 outage. It was implemented and then there was very
7 extensive testing on it and unit trip load shed was
8 also tested. And we will periodically -- actually, on
9 unit trip load shed, we will periodically test that as
10 well and out-of-step protective relaying, they will
11 test that when they test the other protective relaying
12 for offsite power.

13 MR. BOEHNERT: Thank you.

14 MR. SIEBER: Those are pretty common relay
15 schemes anyway. It doesn't involve anything new as
16 far as the relay.

17 MR. BOWMAN: And the Switzer (phonetic)
18 relays are very commonly used for that system.

19 CHAIRMAN WALLIS: Okay, thank you very
20 much. We'll move right along.

21 MR. YEMMA: Good morning. My name is
22 Larry Yemma. I'll be talking this morning about flow
23 accelerated corrosion and piping in general. I don't
24 believe I'll bring anything new to the table this
25 morning on these two topics. Brunswick is fairly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 typical when it comes to flow accelerated corrosion
2 and their piping analysis. I'll talk about the
3 program overview and then we'll discuss EPU impacts
4 and conclusions.

5 Brunswick meets the generic guidance of
6 Generic Letter 89-08 and NSAC/202L. We use the
7 Checkworks software program as a tool to predict and
8 track areas of significant wear. Additionally, we
9 regularly check the industry OE data base for events
10 in the industry that apply to Brunswick just from a
11 fact point of view. These tools with program manager
12 engineering judgment allows us to run an efficient and
13 effective FAC program.

14 Brunswick typically inspects between 75
15 and 100 components each outage and since we have a
16 dual unit, it comes out to be about 100 components a
17 year, 100 components a year, correct. We do have a
18 large data base of information. And the overwhelming
19 majority of the wear rates that we see are
20 conservatively predicted by Checkworks.

21 MR. LEITCH: Have you found any wear in
22 the feedwater flow ventureries. I guess picturing --
23 well, the BWR powers but usually inferred from the
24 feedwater flow --

25 MR. YEMMA: We do see --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: What I'm saying is if you've
2 got higher flow assisted corrosion in the feedwater
3 venturies and wear some of that away, could you get a
4 false indication of feedwater flow being somewhat
5 lower than it really is?

6 MR. YEMMA: To my knowledge, we don't see
7 anything unusual in the feedwater venturies.

8 MR. GRANTHAM: This is Mark Grantham. I
9 think the feedwater flow venturies are actually
10 stainless steel which are not susceptible to FAC.

11 MR. LEITCH: I think that's right, yeah.
12 Yeah. That's good, thank you.

13 MR. BANERJEE: But you can get some
14 deposition on them, so that depends on the coolant
15 chemistry. That's a slightly different problem but
16 have you ever had a direct check on the flow
17 measurements. This is power or this is some other
18 means of tracking the flow. There's a way of doing it
19 with radio nuclides to see how accurate the flow
20 measurement is. Are any such tests being made?

21 MR. GRANTHAM: This is Mark Grantham
22 again. I think, it was about three or four years ago
23 on both units we had an ultrasonic test that was
24 performed using, I think it was the ABB system.

25 MR. BANERJEE: It was quite accurate?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRANTHAM: Correct, it compared very
2 accurately back to our original weigh tank testing
3 that was done at Alton (phonetic) Labs.

4 MR. BANERJEE: Okay, thanks.

5 MR. YEMMA: Okay, as you know, Brunswick
6 went through a five percent uprate about six years ago
7 and the results of that associated with flow
8 accelerated corrosion showed no measurable increase in
9 wear at any point. And as you can see, the flow
10 increase of approximately 15.3 percent and we have a
11 maximum temperature increase of six degrees
12 fahrenheit. The impact on feedwater piping which we
13 consider one of our more interested -- we're more
14 interested in feedwater than in a lot of other
15 systems.

16 Essentially because we have changed out
17 extraction steam lines to the three and four heaters
18 with chrome moli so we don't have any problems there
19 any more. And the extraction steam to the five heater
20 is of sufficient quality steam that our actual flow
21 rates are predicted to decrease -- wear rates, rather.

22 And then that concludes my presentation on
23 the --

24 CHAIRMAN WALLIS: About how thick is this
25 pipe that's losing 20 mils a year?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. YEMMA: The feedwater pipe is
2 approximately an inch and a half in thickness.

3 CHAIRMAN WALLIS: So it's going to lose a
4 significant amount in a few years.

5 MR. YEMMA: It's predicted to but we've
6 seen -- our actual wear rates are a lot lower than
7 predicted.

8 CHAIRMAN WALLIS: How big are the actual
9 wear rates?

10 MR. YEMMA: They're within single digit
11 mils.

12 MR. KRESS: Checkworks is set up so you've
13 got -- basically, in a sense you feed back in the
14 actual wear rates?

15 MR. YEMMA: Yes, there are ways to modify
16 the inputs and to tweak it to come closer to what
17 you're actually seeing, yes.

18 MR. KRESS: You guys do it that way.

19 MR. YEMMA: We haven't --

20 MR. KRESS: I was trying to understand
21 your statement about the estimated wear rates being
22 bigger than the actual.

23 MR. YEMMA: Well, it's due to the
24 inspection. We go out and inspect a lot of components
25 and we're not seeing what they're predicting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Then you'd revise
2 Checkworks I would think.

3 MR. YEMMA: Well, that's the way -- yes,
4 that's what we plan on doing.

5 MR. BOEHNERT: Have you had to replace any
6 feedwater piping?

7 MR. YEMMA: Not due to -- not to my
8 knowledge, in fact.

9 CHAIRMAN WALLIS: Checkworks is operated
10 fundamental. It relies on a lot of experience.

11 MR. YEMMA: That's correct, and we use the
12 standard EPRI inputs so -- and they're very
13 conservative.

14 Okay, onto piping. Piping analysis is
15 pretty typical for Brunswick as well. We have gone
16 through the same steps as we went through in the five
17 percent uprate. The piping was included in the five
18 percent uprate actually bounds the scope of this
19 uprate since this is a constant pressure uprate. So
20 we don't look at anything other than what we looked at
21 in the five percent uprate, which I just said here.

22 After we select the piping of interest, we
23 gather the peak stresses for each line and we take the
24 increases caused by the uprate, the temperatures
25 mostly since there's no pressure increase, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scale the stresses up, the combined stresses up in
2 accordance with the increase in the impact of EPU and
3 we just compare the increases with the code allowables
4 and the results of that was everything was fine.
5 Everything is below allowables.

6 We also evaluated nozzles, penetrations
7 and pipe supporting systems as well with the same
8 conclusion. In addition, we looked at high energy
9 line break and no new break locations were identified.

10 MR. LEITCH: When I think about Brunswick,
11 it brings to mind some pretty major problems that you
12 had with pipe supports, maybe 10 years or more ago,
13 where pipe supports were tied into block walls.

14 MR. YEMMA: Well, you sound like you have
15 experience in that area. We did have challenges.

16 MR. LEITCH: I guess I'm wondering, it
17 that problem all well behind us now?

18 MR. YEMMA: Yes, as a matter of fact, I
19 was involved in reconstitution of the piping stress
20 analysis about 12 years ago, and we went through every
21 safety related system in the plant and upgraded it to
22 the latest requirements; three dimensional
23 earthquakes. And we replaced a lot of supports and we
24 went through the whole system.

25 MR. LEITCH: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. YEMMA: So that's all behind us.
2 Okay, the results that I show here is for a line
3 that's inside containment. The lines outside
4 containment show a similar -- there are some similar
5 lines on the outside of containment that I didn't put
6 down here but the stress ratio is very similar. We
7 were up in the .8, .9 range for some of the lines.

8 And for feedwater, that came up to about
9 a 2.2 increase, percent increase. In conclusion,
10 piping and safety related components are -- related
11 components are acceptable for EPU.

12 MR. BOEHNERT: Are you -- maybe you'll
13 discuss this in your testing. Are you planning to do
14 any vibration monitoring on the lines and so forth?

15 MR. YEMMA: Yes, yes, we -- the lines in
16 Unit 1 are now instrumented and we will be -- it's
17 feedwater and then main steam.

18 MR. BOEHNERT: Thank you.

19 MR. YEMMA: Uh-huh. Okay.

20 CHAIRMAN WALLIS: Thank you.

21 MR. YEMMA: Thank you.

22 MR. POTERALSKI: Good morning. I'm Dan
23 Poteralski, Manger of the Nuclear Fuel Manager and
24 Safety Analysis and I'm going to describe the results
25 of the probablistic safety analysis for extended

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operate uprate for the Brunswick plant. Sitting next
2 to me, I'd like to introduce Larry Lee from Aaron
3 (phonetic) Engineering. Larry was one of the
4 principals in the performance of the analysis for the
5 extended power uprate.

6 The purpose of the analysis is to provide
7 confirmatory insights and insure that no new
8 vulnerabilities are created by extended power uprate.
9 Extended power uprate is not a risk conformed
10 submittal. However, the ACRS has requested a reg
11 guide 1174 risk analysis for power uprates in excess
12 of five percent.

13 MR. KRESS: Did the ACRS request that or
14 did the staff?

15 MR. LEE: This is Larry Lee. The staff to
16 support the risk application.

17 MR. KRESS: Yeah, I didn't think the ACRS
18 made a request like that.

19 MR. POTERALSKI: I apologize. The
20 analysis was performed to determine the risk impact of
21 extended power uprate implementation. Based upon a
22 comment that was made before the break, I would
23 propose that -- I was originally going to talk about
24 the scope of the analysis, the methodology, results
25 and conclusion. I can skip over the methodology which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will eliminate about five slides from the presentation
2 or I can go through them. It's your pleasure.

3 MR. KRESS: Which five are you talking
4 about?

5 MR. POTERALSKI: The ones that are titled
6 -- I would skip the five that are titled methodology
7 at the top, go right from scope to --

8 CHAIRMAN WALLIS: We're doing fairly well
9 on time, so maybe you're skipping, you could just go
10 very quickly through those slides.

11 MR. KRESS: I wouldn't want you to skip
12 the one on success criteria.

13 MR. POTERALSKI: Okay, I'll go through
14 them then.

15 MR. KRESS: And operator responses.

16 MR. POTERALSKI: Okay, the scope of the
17 analysis was to analyze internal events using the
18 Brunswick PSA model. We did both a Level 1 and Level
19 2 analysis. Level 1 --

20 CHAIRMAN WALLIS: You need to advance the
21 slides.

22 MR. POTERALSKI: Thank you.

23 MR. KRESS: Is your PSA, has it been given
24 the industry peer review?

25 MR. POTERALSKI: Yes, it was peer reviewed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in September of 2001 after the submittal was made to
2 the Commission.

3 MR. KRESS: And it was qualified for what
4 level of usage?

5 MR. POTERALSKI: The qualification
6 statement basically says that the PSA can be
7 effectively used to support application involving
8 absolute risk determination when combined with
9 deterministic insights. This corresponds to an
10 overall grade of 3 on a scale of 1 to 4, 4 being the
11 highest.

12 MR. KRESS: Okay, that's good for power
13 uprates, I understand.

14 MR. POTERALSKI: Right. And we submitted
15 the results of the certification review in an RAI to
16 the staff on November 30th, 2001. Level 1 addresses
17 core damage frequency or CDF. Level 2 calculates
18 large early release frequency or LERF. The external
19 events portion was done based upon the original IPEEE
20 study which was more qualitative in nature than the
21 events analysis.

22 The results of the valuation were for fire
23 was viewed to be non -- was determined to be non-
24 significant. The seismic margins assessment had no
25 effect. The other included external hazards such as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tornadoes and hurricanes and they had negligible
2 impact. We also did a qualitative assessment of
3 shutdown risk and it was also assessed to be non-
4 significant with a change according to the image
5 frequency of less than one percent.

6 In order to evaluate the impact of
7 extended power uprate on PSA we considered a number of
8 things. We verified that the hardware changes that
9 were mentioned by Bob Kitchen earlier did not
10 introduce a new accident type or increase the
11 frequency of challenges to the plant. The hardware
12 had negligible impact because it was either a
13 replacement or upgrade of existing equipment, except
14 for the standby liquid control system where a system
15 modification described by Mr. Kitchen to meet cold
16 shutdown requirements for future core designs as
17 described by Tom Dresser.

18 There are no changes to the PSA were
19 identified as a result of potential emergency
20 operating procedures severe accident management
21 guidelines. Set points showed negligible impact. The
22 power level had an impact on the timing of short term
23 important operator actions and these were addressed in
24 the human reliability analysis.

25 MR. KRESS: In the IPEEE where you were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking about external events, did that include an
2 analysis of a Class 5 hurricane hitting the site or
3 were the analysis bounded by an earthquake bounding,
4 Class 5.

5 MR. LEE: This is Larry Lee from Aaron
6 Engineering. Yeah, the IPEEE evaluated all types of
7 high winds and hurricanes and found the plant to be
8 acceptable.

9 MR. LEITCH: It seems to me you're in a
10 zone there where you could have --

11 MR. LEE: It probably would be evaluated
12 as a very low frequency event.

13 MR. LEITCH: Very low frequency.

14 MR. LEE: Yes.

15 MR. LEITCH: Well, yeah, but you're -- it
16 seems to me you're in an area there that is
17 susceptible to hurricanes. Is that not true?

18 MR. LEE: That it true. We can -- if
19 needed, we can relook at exactly what the submittal
20 says to see what the frequency of a Class 5 tornado
21 would be compared to the IPEEE core damage frequency
22 guidelines. Usually if it's below $1 E^{-6}$ frequency of
23 event, then it's considered below the margins
24 requirement, below the screening criteria.

25 MR. LEITCH: Yeah, okay, thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Are these plants located near
2 the shore?

3 MR. POTERALSKI: Yes.

4 MR. KRESS: So they're susceptible to
5 hurricanes?

6 MR. POTERALSKI: Yes.

7 MR. LEITCH: That includes storm surge, I
8 take it?

9 MR. LEE: Well, I don't know if it
10 includes exactly storm surge, but it does include,
11 yeah, all high winds, hurricanes, tornadoes.

12 MR. LEITCH: Okay, I guess I'm really a
13 little off the point anyway. All of this has nothing
14 to do with power uprate anyway.

15 MR. LEE: Right.

16 CHAIRMAN WALLIS: Power uprated hurricane.

17 MR. POTERALSKI: I'd now like to describe
18 the Brunswick PSA model. It was a -- again, we looked
19 at both Level 1 and Level 2. We analyzed internal
20 events, including flooding. The model has been --

21 MR. KRESS: When you say Level 2, does
22 that include fission products? Level 2 usually
23 includes fission products but when you're just doing
24 a LERF it doesn't usually.

25 MR. LEE: Well, the Level 2 does include,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yeah, the release from containment but it doesn't
2 evaluate in terms of consequences with a Level 3
3 analysis. It was just Level 2 LERF in terms of large
4 release frequency.

5 MR. KRESS: Yeah, but you don't -- maybe
6 I'll ask it another way. Did you use MAP for that?

7 MR. POTERALSKI: Yes, we used MAP.

8 MR. LEITCH: Okay, that will answer my
9 question.

10 MR. POTERALSKI: The model has been
11 maintained up to date. It reflects the current plant
12 configuration. It was based upon the original IPE
13 model that was developed in response to generic letter
14 88-20. The model has been updated in 1993, 1996 and
15 2000 and underwent an NEI peer review in September of
16 2001 as I mentioned previously.

17 The process used to evaluate the impact of
18 extended power uprate included an independent peer
19 review of the PRA technical elements that were derived
20 from the NEI RPA peer review guidelines, specifically
21 in --

22 MR. KRESS: When you say independent, does
23 that mean that you've brought in outside experts?

24 MR. POTERALSKI: That's correct. Before
25 we started the analysis, we brought in a team to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 review the model before we did the analysis, before
2 the submittal and then a few months later, we actually
3 had the full peer review completed.

4 We looked at initiating events, success
5 criteria, systems, data, operator responses, accident
6 sequences. We evaluated the impact on thermal
7 hydraulic parameters using the MAP code and then
8 compared the results against the reg guide 1.174
9 criteria for core damage frequency and change in large
10 early release frequency.

11 The impact on the human reliability
12 analysis was developed utilizing the criteria of risk
13 importance and short time to complete. The evaluation
14 identified 42 significant operator actions; however,
15 only four operator actions impacted by extended power
16 uprate due to reduced time to perform certain actions.
17 All of them involved level control during anticipated
18 transient without SCRAM ATWS.

19 MR. KRESS: You did Fussel Vessley
20 importance of operator action?

21 MR. POTERALSKI: Yes.

22 MR. KRESS: Did it come out to be --
23 that's not surprising I guess, it's that important.
24 That's CDF Fussel Vessley, right?

25 MR. POTERALSKI: Yes, we did a Fussel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Vessley on the base Level 1 PRA model to see what
2 operator actions were above Fussel Vessley of $5E^{-3}$ and
3 in addition we looked at all short term operator
4 actions below 30 minutes.

5 MR. KRESS: Okay.

6 MR. POTERLSKI: Operator actions
7 necessary do not change due to extended power uprate.
8 The time to perform the operator actions probably does
9 not change significantly and the operator responds to
10 the observed symptoms. The time available window does
11 reduce from 30 to 24 minutes based upon the MAP
12 thermal hydraulic calculations and the PSA postulates
13 and increase in human air probability due to the
14 reduced time available.

15 CHAIRMAN WALLIS: Could you tell us what
16 these operators are doing while they're controlling
17 level?

18 MR. LEE: While they're controlling level,
19 they're going through the procedures to make sure that
20 they lower water level in response to the fail to
21 SCRAM event.

22 CHAIRMAN WALLIS: Well, are they
23 continuously lowering or do they lower it once or do
24 they --

25 MR. LEE: Well, they're going lower it and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then try to control it at a lower level.

2 CHAIRMAN WALLIS: So their attention is
3 focused very much on this level during that period of
4 time?

5 MR. LEE: Yes, it is.

6 CHAIRMAN WALLIS: And they're actively
7 controlling some valve during that period of time.
8 They're not just doing it once. They're doing it
9 continuously.

10 MR. LEE: Yes, they're controlling
11 injection flow for either HPSI or RCIC, depending on
12 which system they're using.

13 CHAIRMAN WALLIS: And is there any idea of
14 how easy it is to maintain the level within required
15 limits?

16 MR. LEE: Well, the operators are
17 extremely trained on this type of event. We believe
18 it is more difficult to control HPSI just in terms of
19 the higher flow rate compared to RCIC, but for HPSI
20 based on information from the operators, the time to
21 get to this step and be able to control level near TAF
22 would be approximately five minutes. And for RCIC
23 it's an easier time so -- or an easier procedure, so
24 it's estimated at approximately two minutes.

25 CHAIRMAN WALLIS: So how many corrections

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do they make during that period of time?

2 MR. WILLIAMS: This is Mike Williams. I'm
3 operations manager at Brunswick. The response to the
4 ATWS, it's not going to change as part of power
5 uprate. Now, the response would be what we do is we
6 lower level down till we meet certain conditions and
7 we establish a level control band so there's really no
8 set number of times at which you'd have to change or
9 take different directions but you would lower level
10 down until a specific set of criteria is met and
11 establish a level control band and maintain level
12 within that band.

13 CHAIRMAN WALLIS: This is a pretty benign
14 transient. It's not as if this level is bouncing
15 around and then trying to control it. It's actually
16 trending in a fairly slow way in some direction or
17 another, is it?

18 MR. WILLIAMS: Depending on the severity
19 of the ATWS, if you do 100 percent rod pattern very
20 high power ATWS, it moves -- the level will move
21 around pretty quickly but it's consistent. It's not -
22 - it's not moving all over the place. So you'll be
23 able to set a band and control level. The way we do
24 these in the simulator is pretty consistent in that we
25 have high power ATWS is MSIVs closed and the operators

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are well trained to get level --

2 CHAIRMAN WALLIS: And you get simulation
3 with the extended power uprate?

4 MR. WILLIAMS: I'm sorry?

5 CHAIRMAN WALLIS: Have you run the
6 simulator under EPU condition?

7 MR. WILLIAMS: We have ran the simulator
8 with extended power uprating, compared the old model
9 with the new model and there's very little difference.
10 There's some but it's not significant difference.

11 CHAIRMAN WALLIS: Thank you.

12 MR. POTERALSKI: There is very little
13 impact on the risk profile. Specifically there was a
14 slight change in risk importance of the four operator
15 reactions. We adjusted the human error probability of
16 the four impacted actions and then resolved the model
17 to get new values for core damage frequency and larger
18 early release frequency.

19 There was the same relative significance
20 to the risk profile. There were no new significant
21 actions due to extended power uprate and no actions
22 became non-risk significant because of extended power
23 uprate.

24 MR. KRESS: Do you use the EPRI models of
25 the human error function of time?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEE: Yes, for the operator actions we
2 used the EPRI HCR/ORE methodology and also the EPRI
3 time cause based approach for the diagnosis error.
4 Then we used the THIRT methodology from NUREG 1278 for
5 the execution error.

6 MR. KRESS: Okay.

7 MR. POTERALSKI: The results of the
8 analysis are shown on the next slide. There's no
9 change in system success criteria, no new action
10 sequences identified, no significant impact due to
11 procedural changes, no significant impact due to
12 hardware changes. And there was a slight decrease in
13 time available for four operator actions.

14 MR. KRESS: Is one of your success
15 criteria have to do with opening release valves?

16 MR. LEE: In terms for ADS for
17 depressurization?

18 MR. KRESS: Yeah.

19 MR. LEE: Yes, the success criteria for
20 Brunswick is to open three SRV valves for
21 depressurization.

22 MR. KRESS: And that didn't change with
23 this --

24 MR. LEE: It didn't change. In fact when
25 we ran the MAP code, it looked like even two SRVs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would be successful, so we maintained the three SRV
2 success criteria.

3 MR. KRESS: When these open, do they open
4 and close, do they chatter or do they open and stay
5 open?

6 MR. LEE: I would believe for the
7 depressurization function they would just remain open.

8 MR. POTERALSKI: The results of the
9 analysis when compared to the Reg Guide 1.174
10 criteria, for extended power uprate, there was a
11 change in the core damage frequency of $4.0E^{-7}$ or about
12 1.6 percent. This represents a very small change and
13 puts us in Region 3 of the delta CDF versus CDF
14 criteria. For large early release frequency, the
15 change due to extended power uprate is $1.9 E^{-7}$ and
16 that correspondence to a small change or puts us in
17 Region 2.

18 MR. KRESS: Let me ask you that then.
19 That 4.46 absolute value of 10^{-6} on your LERF, is that
20 the sum of the LERF for both plants?

21 MR. LEE: That's for a single unit.

22 MR. KRESS: Why wouldn't you sum the two
23 plants because you're changing the LERF for the site
24 equally for both and why wouldn't you double both the
25 delta and the actual LERF for comparison? I guess

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this is a question to the staff more than to you
2 because I don't think it's clear in 1.174 what you do
3 with multiple sites, but clearly to me it's -- LERF is
4 a cite characteristic and your actual LERF for the
5 site ought to be doubled and your delay LERF ought to
6 be doubled. And I don't know where that puts you in
7 which region.

8 If you're already in Region 2 it's getting
9 you up closer to Region 1. I don't know if it does or
10 not. That's a question to the staff, I guess.

11 MR. LEE: The border between Region 3 and
12 2 for LERF is 10^{-7} so we're still at the lower border
13 of the region for Region 2.

14 MR. HARRISON: This is the slide --

15 MR. KRESS: What I was concerned with if
16 you take your 4. -- 4.6, 10^{-6} LERF and double that,
17 that gets you up to almost 10^{-5} and you're just above
18 the 10^{-7} which puts you close to the really dark area
19 there in Region 1. See, my problem is, I don't think
20 we're using 1.174 correctly but still this is a
21 question to the staff.

22 MR. HARRISON: Yeah, this is Donnie
23 Harrison from the PRA branch and I remember this
24 question has come up in the past and there's been
25 questions on the scale that if you should adjust the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scale on the bottom line as well, and but again, I
2 don't recall the full answer to your question. But I
3 do recall this question from three or four months ago.

4 MR. KRESS: Yeah, I've asked it before and
5 I will ask it again until I get the right answer.

6 CHAIRMAN WALLIS: Well, do we know the
7 right answer?

8 MR. KRESS: The right answer is, yes, you
9 should double and --

10 MR. HARRISON: And there is a revision of
11 the reg going on but I don't think they're going to
12 address that.

13 MR. KRESS: If we get to review it.

14 CHAIRMAN WALLIS: Do we agree that you
15 should double? I mean, you've also doubled the
16 benefit and there must be some kind of cost benefit
17 here. It's not purely risk.

18 MR. KRESS: Oh, now you're getting too
19 deep.

20 CHAIRMAN WALLIS: I'm thinking too deeply
21 here?

22 MR. KRESS: Yeah.

23 CHAIRMAN WALLIS: Oh, okay, then I'll
24 stop.

25 MR. KRESS: You're really correct. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should adjust the -- you're saying you should adjust
2 the pump safety go depending on the benefits you're
3 getting and that's probably true but nobody's going to
4 do that.

5 MR. HARRISON: And Dr. Kress, partly the
6 answer in the past has been is this is, if you will,
7 a generic plot. It didn't take into account
8 populations densities and that's part of the problem
9 we have.

10 MR. KRESS: Oh, absolutely and I think
11 that's part of the answer. The other part of the
12 answer is, of course, that they've changed the SLC and
13 they actually get a decrease in both of these which
14 makes it fine with me on this thing. I just wanted to
15 raise the question because it's going to come up again
16 some time and --

17 CHAIRMAN WALLIS: Well, the SLC has a big
18 effect.

19 MR. KRESS: Oh, yeah, it has a better --
20 bigger effect than the uprate, I think. But, you
21 know, if I double both your delta and your actual
22 absolute value, that puts you right on the line of
23 that Region 1 and, you know, that bothers me but it
24 doesn't bother me because I agree that changing the
25 SLC offset this and gets you down in the right region

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anyway.

2 CHAIRMAN WALLIS: So if you had four
3 units, you'd say they were in real trouble.

4 MR. KRESS: Absolutely.

5 Dr. Schrock: Does the reg guide a require
6 it anyway?

7 MR. KRESS: No the reg guide is silent on
8 that.

9 CHAIRMAN WALLIS: Let's move on. We know
10 that this is an issue we've raised before and we'll
11 raise it again.

12 MR. POTERALSKI: With that lead into the
13 next point I'm going to make, with the standby liquid
14 control system modification, the success criteria
15 improves due to single train operation where we only
16 need to credit one out of the two trains.

17 MR. LEITCH: Let me make sure I understand
18 correctly that last slide. The bottom line there is
19 EPU with the SLC modification.

20 MR. POTERALSKI: That's correct.

21 MR. LEITCH: So the net effect is an
22 improvement.

23 MR. POTERALSKI: Improvement for core
24 damage frequency and it's an improvement of nine
25 percent for LERF it's an improvement of 28 percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: And you are committing, I
2 think one of the other speakers said, to the SLC
3 modification.

4 MR. POTERALSKI: Right, with the second
5 load of the --

6 MR. LEITCH: In my reading, it was still
7 questionable, I guess, whether you were going to do
8 that or not, so there is every intention of doing that
9 or a commitment to do that now.

10 MR. POTERALSKI: That's correct.

11 MR. LEITCH: Yeah.

12 MR. POTERALSKI: In conclusion, based upon
13 the current reg guide 1.174 criteria there's a very
14 small risk increase in core damage frequency of about
15 1.6 percent, a small risk increase with large early
16 release frequency of 4.5 percent. The qualitative
17 assessment shows no significant risk impact on fire,
18 seismic or during shutdown. When the changes in the
19 shutdown -- excuse me. When the changes in the
20 standby liquid control system success criteria are
21 included, the impact is a reduction in both core
22 damage frequency and large early release fraction --
23 frequency. That concludes my presentation.

24 CHAIRMAN WALLIS: Thank you very much.

25 MR. BANERJEE: What about early fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 storage, the fuel has more radioactive material, so is
2 there any sort of risk associated with that?

3 MR. LEE: Risk related to shutdown. So
4 there's what the -- the potential that credit
5 secondary systems such as fuel pool cooling or reactor
6 water cooling as decay heat removal systems by
7 themselves. Most of risk during shutdown is during
8 the early times of the outage when you can only use
9 RHR and fuel pool cooling wouldn't be effective.

10 MR. BANERJEE: And nothing is effected in
11 this RHR phase? There's no additional risk that
12 arises due to that?

13 MR. LEE: Not in terms of the additional
14 decay heat load, no.

15 MR. LEITCH: I guess if I understand that
16 last slide, it's incorrect. In other words, it's
17 somewhat dated. If I was making this presentation,
18 I'd get rid of that.

19 CHAIRMAN WALLIS: So it's a risk decrease.

20 MR. LEITCH: I'd say decrease instead of
21 increase; is that correct?

22 MR. POTERLSKI: The reason the slide is
23 shown the way it is, is the formal commitment to the
24 staff has not been made for the tech spec change and
25 this captures what was in the original submittal of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 year ago.

2 MR. LEITCH: Okay, thank you.

3 CHAIRMAN WALLIS: Are we ready to move on.
4 Thank you very much for your presentation.

5 MR. WILLIAMS: Good morning, I'm Mike
6 Williams, the manager of operations at the Brunswick
7 plant. I want to talk about the operational impacts,
8 the training and the testing that we plan to do as
9 part of the extended power uprate. Some of the
10 operational impacts we have we've talked quite a bit
11 about stability III versus stability Option E1A that
12 we had previously. It's fully operational on Unit 1
13 right now. It is a good change for us.

14 It actually has an automatic detect and
15 suppress. The E1A option has a detect function and it
16 has an automatic trip function based on a flow versus
17 power relationship but you could have instability and
18 with only an alarm function and under E1A would allow
19 the operator then to have to insert the manual SCRAM
20 to suppress it.

21 Either one -- either option works well,
22 but Option III I think is a very, very good change for
23 us. The other part of -- thing that power uprate has
24 done is we are implementing that power range neutron
25 monitoring system. It's basically an upgrade for our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 power range system and it's going to have a much
2 better operator interface than what we had previously.
3 That's on the good side.

4 On the other side there's -- we will be
5 doing more rod pattern adjustments. Currently we have
6 to change our rod pattern approximately once ever four
7 months. With extended power uprate. Once we get into
8 it, we'll be doing that much more often, on the order
9 of about every month. It's not a significant impact.
10 Moving control rods is what we do and it's very well
11 able to be controlled.

12 We also will have a slight reduction in
13 operator action times and they're very slight. We
14 have with the modeling we've done and with the
15 simulator exercises we developed, the change in the
16 operator response and the change in the plant response
17 is there but it's small enough to where it's not a
18 major impact at all and for the most part, from a
19 transient response situation the operators won't be
20 able to see the difference on the simulator.

21 MR. LEITCH: Has the preconditioning
22 operating requirements all been taken away now with
23 the fuel that exists? In other words, this control
24 rod pattern change need not be accomplished with a
25 power reduction and then gradually working your way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back up the way it used to be?

2 MR. WILLIAMS: My understanding is it will
3 still require preconditioning limits on GE14 as it has
4 in the past.

5 MR. LEITCH: Oh, really?

6 MR. WILLIAMS: Now, I'm not 100 percent
7 confident about that; is that correct?

8 MR. BOLGER: This is Fran Bolger from GE.
9 There is some best practices for fuel maneuvering
10 guidelines that are being followed. They're not
11 exactly -- they're not pre-conditioning, per se, but
12 there are other guidelines that are recommended.

13 MR. WILLIAMS: We're still following the
14 recommended guidelines and we will continue to do
15 that.

16 MR. LEITCH: So on a monthly rod pattern,
17 one might expect power to be reduced and then work up
18 again over a period of a day or so, something like
19 that?

20 MR. WILLIAMS: About a shift, yes, sir,
21 somewhere in that range.

22 MR. LEITCH: A shift. Okay, thank you.

23 MR. WILLIAMS: Operator training, we
24 started early last summer to do a conceptual, I guess,
25 overview of what was coming with power uprate talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in very large terms as to what we were going to do.
2 We've gotten very much more detailed with that. So we
3 actually did training four times last year on what was
4 coming on power uprate. We started out very
5 conceptual and it moved into a lot more detail as we
6 got closer to the outage. Principally the large
7 changes that we have with the power range neutron
8 monitoring system, our management of thermal-hydraulic
9 instability and the balance of plant modifications.

10 So we trained on those four times last
11 year beginning with very conceptual based type stuff,
12 up to a lot of detail by December of last year.

13 MR. LEITCH: Do you have a plant specific
14 simulator at Brunswick?

15 MR. WILLIAMS: Yes, sir, uh-huh.

16 MR. LEITCH: And what is the status of
17 simulator with respect to these physical changes in
18 the plant? When is the simulator going to be changed?

19 MR. WILLIAMS: The simulator has been
20 upgraded to be physically compatible with Unit 1 as in
21 the new power range neutron monitoring system. All
22 those things have been installed on the simulator.
23 The new core model that is duplicating the 112 percent
24 power is what we have right now. And we have -- we
25 will be training on that starting in about a week.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The operators have not been trained with
2 the new core model. They have been trained with all
3 the new hardware power range neutron monitoring
4 system.

5 Dr. Schrock: What kind of frequency do
6 you expect on this automatic trip feature? Is it
7 something that will be seen rarely or is it something
8 operators are going to have to get used to dealing
9 with or what?

10 MR. WILLIAMS: The automatic trip feature
11 would only -- it's the detect and suppress part of the
12 oscillating power range monitor. I would expect to
13 not see that in the plant at all.

14 Dr. Schrock: Never see it.

15 MR. WILLIAMS: I don't think so. We will
16 train on a simulator. Pretty much every time we go
17 over there, you will see something along that line but
18 I don't ever expect to see that in the plant.

19 Dr. Schrock: So how to you gain
20 confidence that it's going to work if it's really the
21 last resort?

22 MR. WILLIAMS: Well, we test the system
23 when we put it in to verify that it's functionally,
24 you know, doing what it's designed to do, so I have
25 confidence that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dr. Schrock: Well, there are tests.

2 MR. WILLIAMS: We do test it in the plant,
3 yes, sir. I mean, you know, not make instabilities
4 and make it trip us but --

5 Dr. Schrock: Uh-huh.

6 MR. WILLIAMS: Now, in addition to that,
7 I mean, the way we train the operators is that system
8 doesn't even need to be there because if we detect
9 instability, we'll shut the reactor down. Whether
10 that system is there or not, it's pretty much
11 independent.

12 MR. POST: This is Jason Post from GE.
13 And also, the design of the instruction is such that
14 it has a low level of response even for normal noise
15 and so you have confidence that the instrument is
16 working during normal stable operation as well.

17 MR. WILLIAMS: Okay, just a list there of
18 the training things that we put into the cycle right
19 before this last outage so that we made sure that we
20 covered everything, the set point changes, tech specs,
21 all our procedure changes. The procedure changes here
22 were very minor. The set points, there were no
23 fundamental changes in how we operate with the
24 exception of the stability solution.

25 We -- before we go to uprate, we will go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in and do training on the simulator, demonstrate
2 transients, do transient response training, and talk
3 about the test plan, the start-up test plan with the
4 operators prior to going anywhere above our current
5 license power level. There will be classroom and
6 simulator training.

7 MR. LEITCH: Where do you stand in the
8 INPO accreditation cycle. Has the operator training
9 program been recently --

10 MR. WILLIAMS: We were accredited last
11 year, I think it was and so we are now, I think on an
12 18-month cycle. I mean, INPO changed that from two
13 years. We were put on 18 months so they could get the
14 plant evaluations lined up with the accreditation
15 evaluations. We're on an 18-month cycle.

16 CHAIRMAN WALLIS: This business about no
17 operating procedure changes, there really aren't many,
18 are there?

19 MR. WILLIAMS: Very few, and the ones that
20 were there dealt with set point changes more than
21 anything but also the instability change caused us to
22 change our AOP going from E1A to Option III.

23 CHAIRMAN WALLIS: But it's not a major
24 item, is it? I mean, you've got a bullet there. I
25 just wondered if there was something significant under

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that bullet.

2 MR. WILLIAMS: There's nothing significant
3 about what we changed in the AOP.

4 CHAIRMAN WALLIS: And there's nothing
5 significant under EOP, the emergency operating --

6 MR. WILLIAMS: Fundamentally what we do
7 did not change with the exception of --

8 CHAIRMAN WALLIS: The plant transient
9 response is essentially the same.

10 MR. WILLIAMS: Right, yes.

11 CHAIRMAN WALLIS: So eliminate the slide,
12 yes.

13 MR. WILLIAMS: I can do that, watch this.

14 (Laughter)

15 MR. WILLIAMS: I'm going to talk a few
16 minutes about implementation testing. We're going
17 through pretty much the LTR testing, chemistry
18 radiation monitoring. We'll monitor those parameters
19 on the way up to make sure we're staying within our
20 limits. We have to recalibrate our main steamline
21 flow transmitters because we'll be going to a higher
22 steam flow and we have an MSIV isolation of high steam
23 flow. We'll also be doing the APRM set point adjust
24 up to the 120 percent of original license power.

25 We'll be doing performance monitoring as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we always do on power increases. Our EHC, electro-
2 hydraulic control system, pressure control system and
3 our feedwater level control systems will be stopping
4 every five percent power and doing step changes,
5 regulator fail-over testing on those just as we did
6 coming out of the outage to make sure that they're
7 responding correctly at the above our current power
8 level.

9 During that last outage we also installed
10 our main steam and feedwater piping vibration
11 instrumentation with monitoring data on the way up and
12 we'll be doing all our balance-of-plant monitoring on
13 the way up to look for anything in the plant that is
14 going to be a limitation for us on the way up. But
15 we'll be coming up very slowly in power, a little bit
16 at a time, doing a lot of monitoring and deciding it's
17 okay to keep going.

18 MR. LEITCH: I'm not so much concerned
19 after you have all the modifications done, but when
20 you bring the units up initially after only the Phase
21 1 modifications have been completed, what are the kind
22 of things you'll be looking for. Someone mentioned
23 earlier that the main transformer is one of the
24 limiting factors. Are there other factors that could
25 potentially be limiting?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WILLIAMS: We have a large list of
2 parameters that we'll be monitoring on the way up. We
3 know our limiting point could be main transformers, it
4 could be our bus duct temperatures, it could be the
5 actual amperage on our condensate booster pumps as we
6 currently are. So we have a list, procedure already
7 made up that incrementally come up in power under
8 those parameters and that they're okay to continue up
9 to the next level.

10 MR. LEITCH: On that list would be things
11 like condensate booster pumps, suction pressure and
12 reactor feed pump suction pressure?

13 MR. WILLIAMS: Yes, all those things, lost
14 amperage, temperatures, flows.

15 MR. LEITCH: Okay.

16 MR. KITCHEN: This is Bob Kitchen. We
17 have a special procedure that's going to be issued
18 with the license -- part of the license testing that
19 coordinates the plateaus and the data to take during
20 the power ascension in very small increments up to the
21 test plateaus, which includes, as you mentioned the
22 balance-of-plant, core performance, pressures,
23 temperatures at various points in the plants. Steam
24 line tunnel temperature for example, is an area of
25 concern that we'll monitor, temperature on the main

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generator, isophase cooling, as well as the routine
2 core performance parameters. We'll be doing that
3 throughout the start-up.

4 We also have three management hold points
5 built in, one prior to starting, power ascension above
6 current license power level, one at the intermediate
7 plateau and one prior to resuming normal operation.

8 MR. LEITCH: Now, what concerns me is that
9 a license is granted for 120 percent power, yet,
10 admittedly, you don't know of all the physical changes
11 made to go to 120 percent power, so we're okay here
12 and eventually we'll be okay there, but I guess what
13 I'm concerned about is moving through this zone where
14 you've got permission so to speak to go to 120
15 percent, yet not the physical hardware to move to 120
16 percent yet, so all those things have to be very
17 carefully monitored and it sounds like you have a
18 program to do that.

19 CHAIRMAN WALLIS: Can you run at this 120
20 percent power all year round or do you have
21 environmental limiting conditions some of the time?

22 MR. KITCHEN: We'll be able to operate at
23 the 120 percent power level year round. In terms of
24 environmental, condenser or temperature limitations,
25 we do have an environmental MPDS change in progress

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which was -- coincidentally it was due for renewal
2 anyway and there is a slight change in our circ. water
3 discharge temperature so that the mixing zone is
4 increased. And we'll have to have that -- we'll want
5 that in concert with the full uprate. We do not
6 anticipate any limitations for environmental.

7 MR. WILLIAMS: To summarize the greater
8 impacts of EPU augmentation, we have done extensive
9 training and we still have training to do before we go
10 above our current license power level and we have a
11 very comprehensive test plan laid out to monitor the
12 plant carefully as we're coming up above our original
13 license power level.

14 The operational changes that we see have
15 to do with extended power upgrade. As we have a new
16 approach to instability, we will be doing more rod
17 manipulations to maintain power and there is some
18 small reduction on operator response time with respect
19 to transients but it's very small and in most cases
20 the operators won't notice the difference.

21 MR. LEITCH: Mike, one concern I have with
22 this -- with these power uprates is, I have the
23 perception and maybe it's incorrect, but I have the
24 perception that it's going to be a great deal more
25 challenging for the operators to maneuver rods without

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 making a mistake. It seems to me we're encroaching on
2 margins and I guess I'm concerned about thermal limits
3 being exceeded as we operate these what I call
4 designer fuels. And I guess, have you done anything
5 to increase the operator training in that area or
6 perhaps, even more importantly, the guy that really
7 has the control in that situation and the way most
8 plants operate is the reactor engineer.

9 MR. WILLIAMS: That's correct.

10 MR. LEITCH: And I'm concerned about the
11 training of reactor engineers. Have you done anything
12 different in that area?

13 MR. WILLIAMS: I don't know that -- I
14 really can't speak for the reactor engineers. Blane
15 may want to do that. I can tell you from the
16 operator's side, we have a very strong reactivity
17 management program that we use and we also have a very
18 good relationship at Brunswick with the reactor
19 engineers and the operators and you'll almost never
20 see, unless it's something that we have to do, an ALP
21 type situation, a power change in the control room
22 that doesn't involve the reactor engineer being in the
23 control room to help us monitor the thermal limits
24 while the operators are performing that action.

25 As far as any additional training for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactor engineers based on having to do more control
2 rod manipulations, I don't know of any plan.

3 MR. KITCHEN: Well, right now the training
4 to say it's changed, I'm not sure I could say that but
5 the training that is given for operators as well as
6 the engineers includes the reload plan and fuel cycle
7 plan and impacts and it's also reviewed with the
8 operators mid-cycle. So they get the core performance
9 expectations twice during cycle on each unit as part
10 of the routine training.

11 I don't think there's really a change in -
12 - you know, in that. It's just the content of it
13 would be different, certainly because of new fuel and
14 different parameters are limiting.

15 MR. LEITCH: Some plants have a
16 qualification program, if you will, for reactor
17 engineers where a reactor engineer, in order to be a
18 reactor engineer, one must pass through certain
19 hurdles, including witnessing some draw rod pattern
20 exchanges in the control room and so forth. I was
21 just wondering if you have such a program.

22 MR. WILLIAMS: Yes, sir, we do.

23 MR. KITCHEN: And Blane, can you add
24 anything?

25 MR. WILTON: Yeah. The way we control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is really going to be the same way we've always
2 controlled it, which is we have a predictor code that
3 we have in the control room and before -- when we
4 start getting tight on limits, before we do any
5 manipulation which changes reactivity, we run the
6 predictor codes, see where it's going to put us and
7 then we march through those steps.

8 Our design margins really aren't going
9 down with respect to the core. And at least for this
10 cycle, we're still going to be in a control cell core
11 configuration. So we really haven't planned any
12 special training other than we do initial training.
13 Our fuels group, after they've designed to core for
14 the upcoming cycle, they do an extensive training
15 session with the reactor engineering staff to let us
16 know what the cycle is going to look like, what our
17 limits are going to be, those type things and then do
18 also emit cycle training session also.

19 So I don't see our conduct of operation
20 really changing in the control room, which we're still
21 going to be running our predictor codes as we planned.
22 Our margins to our thermal limits from a design
23 perspective really haven't changed. So I don't see
24 really a change in operating strategy for us up there.

25 MR. LEITCH: Okay, I'm just concerned that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if VWRs are becoming more complex to operate as we
2 move to these higher power levels from a fuel
3 management standpoint and I just want to be sure folks
4 are putting the right emphasis on the operators and
5 the reactor engineers and it sounds like you've got a
6 program to do that.

7 MR. WILTON: Well, like Mike eluded to
8 earlier, any plan change in reactivity is controlled
9 with a reactor engineer in the control room, so those
10 are covered. Any time there is an unplanned change,
11 they have immediate reduction, power reduction sheets
12 available to tell them --

13 MR. LEITCH: To stay calm.

14 MR. WILTON: Yeah, on what to do in those
15 cases and then the reactor engineer is there to help
16 with the recovery and those are going to remain.

17 MR. LEITCH: Thank you, that's good.

18 MR. GANNON: I'm Neil Gannon. I'm the
19 director of site operations at the Brunswick plant.
20 You look at our discussion on the various topics
21 today, you can follow through this program of our
22 analysis on the fuels. ECCS performance, PSA, we'll
23 call your attention to the operational impacts.

24 In light of the change to the station and
25 the potential challenges to the BOP system and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fact that we're changing the station, one thing that
2 was incorporated into our evaluation of the extended
3 power uprate program was a standing PNSC, plant
4 nuclear safety committee, standing committee on power
5 uprate itself to identify power uprate related issues
6 as they impact operations.

7 Some of the things that came out of that
8 was the concern on the impact to our chemistry
9 performance index and things of that nature so that
10 while not necessarily an obstacle to power uprate,
11 operational impacts that we wanted to carry forward
12 and resolve them as we implemented the program, an
13 example being the condensate cooling modification
14 which our subsequent activities indicate to us it may
15 not be necessary but we'll follow those through to
16 resolution.

17 Obviously, there's a business case to be
18 made for extended power uprate. It increases the
19 plant capacity, so that's one of the business plan
20 aspects of this. We are also using the extended power
21 uprate program at Brunswick to look at some of the
22 operation strategies and our plans for the future of
23 the plant.

24 Some of the features of that are we are
25 using our plant staff as the extended power uprate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program. This is not something that's out-sourced.
2 Bob and a lot of the crew are people that came out of
3 the line organizations so that we have that sense of
4 plant ownership and we have that knowledge that's
5 going to be institutionalized and come back to the
6 plant when we're done.

7 We'll use this opportunity to increase our
8 knowledge base at the station, the BOP systems and
9 we're going to address some long term issues that,
10 while not necessarily strictly power uprate related
11 are challenges to us, equipment obsolescence, the
12 power range neutron monitoring is something that we'll
13 address. An equipment obsolescence issue and provide
14 a benefit as well as just facilitating extended power
15 uprate.

16 We have some components that we've
17 identified here such as feedwater heaters that while
18 not necessarily obstacles, are components identified
19 as not going to serve to the existing license life of
20 the plant and we're using this opportunity to go ahead
21 and upgrade those and give ourselves a better plant
22 when we're done.

23 We also feel that our plant staff
24 capabilities will be increased, as I said before. The
25 individuals that we're using to manage power uprate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are people that came out of our line organizations;
2 engineering, operations and other areas, and will
3 return to the station when we're done. So this is
4 something that's internalized and we'll have that
5 available to us as we go forward and operate the
6 station.

7 So we're proud of the work that's gone
8 into this and pleased to present this material to you.
9 If there are no other questions for me or anyone else
10 here --

11 MR. KRESS: The upgrades and the
12 improvements you've listed are all very good. Is the
13 power uprate approval contingent on those being made
14 or are they -- is that a separate issue? I don't know
15 if that's -- that may be another question to the
16 staff.

17 MR. HARRISON: Could you rephrase that
18 question?

19 MR. KRESS: The question is, they're
20 talking in order to make this power uprate or as part
21 of the power uprate are improving the power range
22 instrument, particularly increasing the SLC and
23 upgrading the grid stability. My question is, if
24 you're going to say we will approve this power uprate,
25 is there something in that approval that says these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things have to be done and it has to be demonstrated
2 that these improvements and upgrades have been made
3 before the power uprate takes place or not?

4 MR. HARRISON: Well, some of them, the one
5 in particular, the safety -- the standby liquid
6 control system modification won't be done until later
7 on. They're going to make a license amendment later
8 on this summer to revise the operation of the standby
9 liquid control system and we're going to put a license
10 condition in the license that says that they have to
11 do that.

12 MR. LEITCH: Okay.

13 MR. HARRISON: But the rest of the
14 modifications are being described in the documentation
15 that has been submitted to the staff.

16 MR. KRESS: So that's part of the
17 application.

18 MR. HARRISON: Part of the application and
19 that will be done in order to --

20 MR. KRESS: But the SLC is the only one
21 that's not part of that.

22 MR. HARRISON: I believe that's the only
23 one that -- well, there are some secondary site
24 changes, I believe, that -- what was it, the
25 transformers and some other changes that won't be done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 until later.

2 MR. KRESS: Okay.

3 MR. HARRISON: But they can't physically
4 get to that power level without making those changes.

5 MR. KRESS: Yeah, those don't bother me
6 because they'll have to make those if they're needed,
7 yeah.

8 MR. LEITCH: But did I understand -- well,
9 maybe this is this afternoon's discussion. Let me
10 just quickly ask a question. Did I understand you to
11 say that power uprate will be conditional on SLC
12 modification being installed?

13 MR. HARRISON: There's a condition that's
14 going to go on the license that says that by -- what's
15 the date?

16 MS. ABDULLAHI: I'm Zena Abdullahi, the
17 reviewer. The license condition that is attached to
18 the power uprate on the SLC is for the shutdown
19 requirement that the change from 660 to 620 -- I'm
20 sorry, 660 to 720 or whatever ppm, that is what that
21 is based on and in any case, we're giving them an
22 uprate of 20 percent and we don't know when they put
23 in the second batch of G14 fuel what the reactivity
24 requirement would be then. And this will insure that
25 the staff will review it six months before the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement.

2 The SLC margin, though, is the licensee
3 plans to make the change but the condition is not
4 really there and we will be discussing it in our
5 presentation.

6 MR. KRESS: So the change from one to two
7 pumps --

8 MR. HARRISON: Two to one.

9 MR. KRESS: -- two to one, I'm sorry, will
10 not be a condition on the uprate.

11 MR. HARRISON: No, the way the condition
12 is currently worded, it says that the licensee shall
13 submit a license amendment request to insure that the
14 system remains capable of shutting down the reactor,
15 demonstrating appropriate shutdown margin and
16 continues to meet the requirements of 10 CFR 50.62
17 which is the ATWS requirement, by August -- I believe
18 August 29th or August 30th. So there's a requirement
19 in the license condition that they must submit a
20 license amendment request to show that they meet the
21 shutdown margin requirements and the ATWS requirements
22 by August this year.

23 MR. KRESS: Yeah, but they could do that
24 without making that particular change probably.

25 MR. HARRISON: Well, we don't believe that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they can meet the shutdown requirements.

2 MR. KRESS: Okay.

3 MR. HARRISON: So that will allow us to
4 review the other aspects of the system at that point.

5 MR. BOLGER: This is Fran Bolger from GE.
6 As far as Unit 1 cycle 14, which is the first plant
7 that's uprating, the shutdown requirements were met
8 with the 6-60 as Tom Dresser has shown earlier.

9 MR. HARRISON: That's for the first cycle,
10 but that's not to go to -- for the next cycle of
11 operation, they need this in order to meet that next
12 cycle of operation, to load a full batch of GE14 fuel.
13 Is that correct, Fran?

14 MR. BOLGER: Yes, I believe it will be
15 required for the next cycle.

16 MR. HARRISON: And that's why we allowed
17 them to operate right now with this cycle with the
18 current standby liquid control system as designed.
19 That's why we insisted that we get a license amendment
20 in August to support the next cycle.

21 CHAIRMAN WALLIS: Can I ask you how much
22 of the cost of this uprate is what I call regulatory
23 costs, preparing for presentations to ACRS, filling
24 out paperwork?

25 MR. KRESS: A very small amount.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: And how much of it is
2 cost in the Super Boron, balance-of-plant and new
3 fuel?

4 MR. GANNON: Well, the project overall is
5 run at about \$150 million over four outages for two
6 years, two outages per unit. The breakdown in cost,
7 I think for analysis and things like that it's about
8 \$10 million.

9 CHAIRMAN WALLIS: It's \$10 million of this
10 regulatory overhead or whatever you call it?

11 MR. KITCHEN: Are you talking about just
12 the licensing effort itself?

13 CHAIRMAN WALLIS: Yes, how much of that --

14 MR. KITCHEN: That would be in the
15 neighborhood of about 10 to \$12 million.

16 CHAIRMAN WALLIS: So it doesn't sound
17 unreasonable, does it?

18 MR. KITCHEN: No.

19 CHAIRMAN WALLIS: Well, what's the return
20 on investment?

21 MR. KITCHEN: It's been awhile since I've
22 looked at that number to be honest with you. The
23 payback period, which I can remember, is about 2009
24 with the implementation on the time line we've
25 requested.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: It's 2000 --

2 MR. KITCHEN: 2009, the year 2009.

3 CHAIRMAN WALLIS: 2009, okay.

4 MR. GANNON: A relative merit when we had
5 our treasury group price this out or do the cost
6 justification, this -- and the cost benefit came out,
7 number 1 for progress energy capital investment.

8 CHAIRMAN WALLIS: Are there any other
9 questions for the --

10 MS. MOZAFARI: I just wanted to make a
11 comment. I'm Brenda Mozafari, the project manager for
12 Brunswick. I was not Duane Arnold, you may recognize
13 me. I want to make sure that it's very clear that
14 these are not all going to be license conditions. In
15 fact, the power range instrumentation I believe, has
16 already been approved. So some of these are done as
17 separate actions and they've already been approved or
18 will be approved.

19 Anything that is not approved or upgraded
20 will be in the license condition and as I understand
21 there's only one license condition at this point and
22 that was the one --

23 CHAIRMAN WALLIS: You'll tell us more this
24 afternoon?

25 MS. MOZAFARI: Hopefully, all you need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know. Thank you.

2 MR. LEITCH: Just one quick question, Neil
3 and it's really not part of this discussion but could
4 you give us any insight as to what your thinking is
5 with respect to license renewal for Brunswick?

6 MR. GANNON: We have an active license
7 renewal program at this point started and the
8 individuals are on site doing the evaluation right
9 now. In progress energy, you know, we have a program
10 that's going to go through all sites to first plant,
11 to go through the license life extension was the
12 Robinson Plant. The Brunswick units will be following
13 that.

14 MR. LEITCH: Okay, thank you.

15 CHAIRMAN WALLIS: Do you another question?
16 You owe us a couple of things after the break, I
17 think, that you're going to come back to us.

18 MR. KRESS: Timing of the net positive
19 suction head pressure.

20 CHAIRMAN WALLIS: Show us some curves of
21 pressure versus time and things like that.

22 MR. KITCHEN: So I understand, you wanted
23 the feedwater line forces and the net positive suction
24 head break time line.

25 CHAIRMAN WALLIS: Right. Is there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anything else that we need? I'm just about to break
2 for lunch. We have mysteriously gained some time
3 having lost some earlier. Maybe we should have spent
4 some more time when we were asking questions earlier.

5 I propose that we meet again at 1:30
6 instead of 2:00. The staff has indicated they prefer
7 to do that and it's going quickly in the afternoon and
8 get us out of here, perhaps, a bit earlier, otherwise
9 I'm going to break for lunch and thank you very much
10 for all your hard work and presentations this morning.

11 (Whereupon, at 12:23 p.m., a luncheon
12 recess was taken.)

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 (1:31 p.m.)

3 CHAIRMAN WALLIS: We'll come back into
4 session, please. Does Brunswick have a couple of
5 answers from this morning before we get started with
6 the staff?

7 MR. GRANTHAM: Yeah, this is Mark
8 Grantham. I've got a couple of slides for the MPSH.

9 CHAIRMAN WALLIS: Oh, that's --

10 MR. GRANTHAM: Can you see this?

11 CHAIRMAN WALLIS: You wanted a picture,
12 Tom?

13 MR. KRESS: It says the pressure gets up
14 pretty fast and stays there a long time. You know I
15 didn't want to see a repeat. It comes up there and
16 just hangs there a long time.

17 MR. GRANTHAM: Right, what this shows is
18 right around 1.8 hours is where we actually lose our
19 margin and our acquired credit for containment over-
20 pressure. The actual peak occurs at about 7.3 hours.
21 This is --

22 MR. KRESS: Yeah, but it's not much of a
23 peak. It's pretty flat all the way up through there.

24 MR. GRANTHAM: Right, 3.1 psi is what was
25 needed and we require a containment of under pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out to about the roughly 18, 19 hour mark when it goes
2 back positive and credit for containment over-pressure
3 is not required.

4 MR. KRESS: Now, in this analysis for the
5 containment pressure, you said you did have sprays
6 operating?

7 MR. GRANTHAM: What we did was for
8 containment pressure, we assumed that the spray is
9 operated, okay. That gave you the lowest wet well
10 pressure. Okay. For suppression pool temperature, we
11 assumed direct cooling which gave you the highest pool
12 temperature. So you got a worst case combination for
13 MPSH of lowest wet well pressure and highest
14 temperatures.

15 MR. KRESS: I'm just surprised that with
16 the sprays operating that you kept that pressure up
17 there for 24 hours almost at a high level. That
18 surprises me for some reason. Where are the -- are
19 these -- this is Mark I containment. The sprays are
20 in the dry well?

21 MR. GRANTHAM: Dry well and suppression
22 pool.

23 MR. KRESS: And suppression pool.

24 MR. FLADOS: The reason that the
25 containment pressure stays so high is the fact that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the sprays are taking the suppression pool water and
2 spraying it down. The quenching effect isn't there
3 because you don't have cold water.

4 MR. KRESS: It's already hot water.

5 MR. FLADOS: The pressure is really the
6 overall contribution of water vapor pressure plus the
7 pre-existing nitrogen at that temperature almost
8 equilibrium conditions. So that's why it goes up and
9 stays up until you start bringing suppression pool
10 water temperature down. That drives pressure down.

11 MR. KRESS: Yeah, just by condensation.
12 Okay. So that answers my question. I was worried
13 that there would be a peak pressure and the timing
14 might be such that if you didn't have that just right,
15 you would miss it, but -- okay, thank you.

16 MR. GANNON: The other question, as far as
17 the feedwater loading, GE is actually researching some
18 information on that. We'll have a response back by
19 the end of the day.

20 CHAIRMAN WALLIS: Okay. Before the end of
21 the day.

22 MR. GANNON: Hopefully.

23 CHAIRMAN WALLIS: Brenda, are you ready to
24 make your presentation?

25 MR. BERKOW: Good afternoon, my name is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Herb Berkow and I am the project director for Region
2 2 plants in the Division of Licensing Project
3 Management, and, of course Brunswick is a Region 2
4 plant. The staff is here today to present the results
5 of our review of the extended power uprate application
6 for the Brunswick plant. Several members of the NRR
7 management team are here to support the staff and the
8 staff's safety evaluation and others will be joining
9 us as we proceed through the agenda.

10 The Brunswick power uprate is similar to
11 Duane Arnold, Dresden, Quad Cities and Clinton
12 extended power uprates which were recently reviewed by
13 the ACRS. The Brunswick application deviates from the
14 approved ELTR 1 and 2 methodologies for BWR extended
15 power uprates in five areas as discussed in the
16 staff's safety evaluation.

17 This is consistent with the four areas of
18 deviation identified by the licensee this morning. We
19 just broke them out a little differently. In this
20 respect the Brunswick power uprate most closely
21 resembles the Clinton power uprate, even more so than
22 the others. This review was consistent with existing
23 staff practice and includes the Maine Yankee lessons
24 learned. The results were transmitted to you in our
25 draft safety evaluation last month.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Our project manager for the Brunswick
2 plant is Brenda Mozafari and Brenda will guide us
3 through the individual staff presentations this
4 afternoon. As we proceed, the staff is available to
5 answer any questions that might arise and at this
6 point, I'll turn it over to Brenda.

7 MS. MOZAFARI: Good afternoon. I'm Brenda
8 Mozafari. I've recently been assigned the project
9 management responsibilities for the licensing portion
10 for NRR of the Brunswick power uprate.

11 MR. LEITCH: Brenda, right on the first
12 slide, I have a question that I was sort of wondering
13 about this morning.

14 MS. MOZAFARI: Okay.

15 MR. LEITCH: And that's we refer to this
16 as an extended power uprate.

17 MS. MOZAFARI: Right.

18 MR. LEITCH: And last week General
19 Electric was here talking to us about constant
20 pressure power uprate and this is a constant pressure
21 power uprate but I guess my confusion is, is this just
22 semantics or is there really something different about
23 EPU versus constant pressure power uprate?

24 MR. SIEBER: One's approved and one isn't.

25 MS. MOZAFARI: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. ABDULLAHI: This is reactor systems.
2 MR. HOANG: This is Hoa Hoang with General
3 Electric. I'd like to address that question. The
4 Brunswick submittal is actually based on the extended
5 licensing topical report. So it's the ELTR
6 methodology and guideline. ELTR methodology does
7 provide a provision for dome pressure increase. And
8 CPPU or constant pressure power uprate, that you were
9 -- discussed with GE recently is the next evolution of
10 ELTR.

11 As part of CPPU, we have taken the scope
12 and the methodology and the generic evaluation from
13 ELTR and further simplified them to be commensurate
14 with a pressure uprate -- I mean, with a power uprate
15 with no pressure increase, and, therefore, this
16 submittal technically is still under ELTR with those
17 specific exceptions that were discussed, presented to
18 you.

19 MR. LEITCH: So it does not have those
20 simplifications, if you will, that would be associated
21 with CPPR.

22 MR. HOANG: That's absolutely correct.

23 MR. LEITCH: Okay, thank you.

24 MR. HOANG: With exceptions for those four
25 areas that were mentioned in the presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: Right, okay, thanks.

2 MS. MOZAFARI: Okay, just by way of
3 reviewing a little setting the stage over what's been
4 presented this morning, Brunswick is a BWR 4 Mark 1.
5 They have requested a 20 percent power uprate from the
6 original reactor thermal power, licensed power. They
7 do include a constant reactor dome operating pressure.
8 The five percent stretch uprate was approved in
9 November 1996, so they've gotten the five percent.
10 This would be 15 percent on top of that, bringing them
11 to 20 percent.

12 There is two parts in their
13 implementation. It would be done in two phases, a
14 seven percent and an eight percent. It does include
15 balance-of-plant modifications and it does incorporate
16 the GE14 fuel further in their plant. The application
17 for the most part follows ILTR 1 and 2. There are
18 some exceptions as Mr. Berkow mentioned, to the ELTR
19 1 and 2 in predominantly four areas that the reviewer
20 will be going over.

21 It is a non-risk informed submittal.
22 However, Brunswick did submit some risk information to
23 assist us in doing our evaluation of their submittal
24 and the application incorporated experience from
25 Hatch, Montecello, Duane Arnold, Dresden/Quad Cities

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and Clinton. They did go through, they looked at
2 RAI's from the various plants, questions that may have
3 been raised previously by ACRS, and tried to address
4 them in making their application.

5 MR. KRESS: Your third bullet there, every
6 plant so far has submitted this risk information.

7 MS. MOZAFARI: Right, right, but there is
8 no requirement.

9 MR. KRESS: There's no requirement for it?

10 MS. MOZAFARI: There is no requirement.

11 MR. KRESS: Do you expect some plant will
12 come in without it some time and what would you do if
13 they did?

14 MS. MOZAFARI: I wouldn't know. I'm not
15 in that position right now to make a decision but my
16 management would tell me what to do.

17 MR. HARRISON: This is Donnie Harrison
18 from the PRA Branch. Right now, it's in the GE
19 methodologies that the topical reports ask for the
20 risk information to be provided.

21 MR. KRESS: Oh, one of the topical reports
22 has it.

23 MR. HARRISON: The ELTR actually asks for
24 it and even on the constant power pressure uprate, it
25 has a section in it --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: So they could take exception
2 to that.

3 MR. HARRISON: Sure, sure and then we'd
4 evaluate the exception.

5 MS. MOZAFARI: They could.

6 CHAIRMAN WALLIS: Well, looking at how
7 little really you have to worry about it in the PRA
8 results, I would think they might -- it might be
9 advantageous to have a risk informed submittal. It
10 might reduce the work.

11 MS. MOZAFARI: According to Donnie, that
12 does seem to be the case at times.

13 MR. HARRISON: I would argue for like
14 Brunswick if they actually did the SLC modification
15 where they could actually change from a two-pump to a
16 one-pump success criteria, it would be worthwhile to
17 submit it. That would be a open and closed book as
18 far as I'm concerned on the power uprate.

19 MS. MOZAFARI: Okay, Zena Abdullahi, the
20 lead reviewer in the reactor systems branch area for
21 the Brunswick power uprate and she's going to do the
22 next portion of the presentation.

23 MR. BOEHNERT: Excuse me, Zena, you or
24 Brenda told me that you'll need to have a closed
25 session for part of this?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. ABDULLAHI: I would think my notes
2 would have something that would require me to have a
3 closed session, otherwise I would have to edit myself
4 throughout and that would be difficult.

5 MR. BOEHNERT: So you're suggesting we
6 close this session?

7 MS. ABDULLAHI: I think so, then I could
8 speak freely without worrying about it.

9 MR. BOEHNERT: All right. GE, would you
10 make sure that on one's here that shouldn't be here?
11 Transcriber, let's go into closed session.

12 (Whereupon, the subcommittee went into
13 closed session at 1:44 p.m.)
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (On the record at 2:37 p.m.)

2 MS. MOZAFARI: We were going to present
3 the PRA, the PSA portion with Donnie Harrison but he's
4 not here right now. He'd asked to have it done before
5 3:00 o'clock, so the next person would be Richard
6 Lobel, who is going to give the plant systems portion
7 of the staff's evaluation.

8 MR. LOBEL: He's here now.

9 CHAIRMAN WALLIS: So we're going back to
10 PRA?

11 MS. MOZAFARI: We had a staff meeting in
12 order to accommodate someone's schedule, so --

13 MR. HARRISON: I'll do better next time
14 with my bathroom break.

15 MR. KRESS: You're here right on time.
16 You can't beat that.

17 MR. HARRISON: Now, if this was a PRA --

18 MR. KRESS: You have negative margins,
19 though.

20 MR. HARRISON: That's right. Hopefully,
21 we'll go through this fairly quickly, at least the
22 first few slides because you all -- some of this is
23 almost motherhood now. What we look at is the same
24 thing we look at, at all the other power uprates that
25 have come through and how we do that. So we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably move to like the third slide.

2 MR. KRESS: No, no, don't do that.

3 MR. HARRISON: Okay. I put these together
4 last night so if they're off center, that's probably
5 why. But what we do is we look at the internal
6 events, external events, shutdown operations and we
7 take a look at PRA quality, asking questions on those
8 things and we also took a look at the SEs on both the
9 OPE and the IPEEE and to get back to, I think, Graham
10 Leitch's comment earlier about hurricanes and winds,
11 that is in the IPEEE and it's four times 2⁻⁶. You'll
12 see it on the next slide.

13 MR. KRESS: Let me ask you a question.

14 MR. HARRISON: Okay.

15 MR. KRESS: Similar to the one asked
16 before but a little different.

17 MR. HARRISON: Okay.

18 MR. KRESS: I know these are not risk
19 informed submissions but suppose one of the plants
20 came in and you found that your LERF or delta LERF or
21 CDF or delta CDF puts you in the Region 1 on 1.174.

22 MR. HARRISON: Puts me into the black
23 region.

24 MR. KRESS: Yeah what would you do?

25 MR. HARRISON: At that point, what we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 put into is there's a RIS (phonetic) on the street, I
2 think it's 2001.02 which says are we -- and in the
3 area where we're questioning adequate protection and
4 at that point, then I'm instructed to inform my
5 management and inform the licensee that we've got some
6 serious questions that need to be answered.

7 MR. KRESS: You're questioning adequate
8 protection at that point?

9 MR. HARRISON: And at that point, you're
10 questioning adequate protection because it's not risk
11 informed.

12 MR. KRESS: Uh-huh.

13 MR. HARRISON: If it were a risk informed
14 application, you would be in a -- you know, you could
15 pursue it directly.

16 MR. KRESS: But they meet all the
17 regulations.

18 MR. HARRISON: Right. The --

19 MR. KRESS: So how can you question
20 adequate protection?

21 MR. HARRISON: Well, what -- the
22 conditions of adequate protection -- actually, I've
23 got a slide on this.

24 MR. KRESS: Oh, okay.

25 MR. HARRISON: Slide 5 in the risk as we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bounce through my conclusions here, oh, never mind.
2 The backup, yeah. Sometimes technology is not the
3 best friend.

4 MR. KRESS: At this point, my computer
5 would hang up and quit.

6 MR. HARRISON: Slide number 5. There is
7 it, that's it. This is the top part of that RIS. In
8 the back of the RIS is a nice page-long logic diagram.
9 This is the top block. It's a decision block that
10 says, you know, you get a non-risk informed submittal.
11 You ask a question, does it raise issues that could
12 rebut the presumption of adequate protection, just in
13 case you wonder where I get those words in my SE. And
14 if you do, then it's because you believe there's a
15 special circumstance that exists and it gives a
16 definition for special circumstance and that's on my
17 next slide, slide 6.

18 And these are the two conditions for
19 special circumstance. The first one says, you've found
20 a problem that the regulations never thought of and I
21 think the classical example here is the electrode
22 sleeves for steam generators. And it was a condition
23 they found. The regulations didn't cover the area and
24 so it was missed and so now you can get in the process
25 through that. The other condition says, I, as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reviewer knows something about this plant that would
2 say if this was risk informed, we would deny it.

3 Essentially that's what it comes down to.

4 MR. KRESS: That's what I was looking for.

5 MR. HARRISON: The reason to believe that
6 the risk increase would warrant denial. So at that
7 point, if we get to that high a level -- and again, if
8 I'm up in Region 1 in the dark region of the reg guide
9 117.4 chart, I'm going to invoke that and I'm going to
10 start asking more questions.

11 MR. KRESS: Now it may not -- it just
12 leads you to a further investigation.

13 MR. HARRISON: It leads me to a -- and it
14 may result -- I think in Arkansas, we actually were up
15 and just barely got up there but we saw that the fire
16 analysis was so conservative that we convinced
17 ourselves that it wasn't that bad and that if they'd
18 done a realistic analysis, they wouldn't have been up
19 there. If we're up in that region and we think we're
20 up in that region, then we're going to --

21 MR. KRESS: Now, in the case of Brunswick,
22 they didn't have any numbers for the shutdown
23 contribution and seismic or --

24 MR. HARRISON: Right. You could -- well,
25 actually there is a fire number and a wind number.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: But they're -- it's internal
2 events.

3 MR. HARRISON: Right, again, this is a --

4 MR. KRESS: If you added those in --

5 MR. HARRISON: Right.

6 MR. KRESS: Do you? Do you add them in?

7 MR. HARRISON: I take a look at them and
8 as a matter of fact, one of the concerns I had on
9 Arkansas was you were approaching the limit if you
10 added everything together and then the fires just kind
11 of blew the world apart. On this one, if you add them
12 all together, you're still not there. If you --

13 MR. KRESS: Unless you double the LERF.

14 MR. HARRISON: Unless you double the LERF
15 but -- and I've been thinking about your question on
16 doubling the LERF. The reg guide's not --

17 MR. KRESS: The reg guide --

18 MR. HARRISON: It doesn't speak to it and
19 I --

20 MR. KRESS: It's silent.

21 MR. HARRISON: Right, and I think partly
22 because the concept was, it was done -- most of these
23 analyses are done on a per plant and so that just
24 carries through.

25 MR. KRESS: But the LERF is a site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characteristic. It's a surrogate for the proper
2 safety --

3 MR. HARRISON: Right, the problem you have
4 is your LERF may double at a site, but your dose
5 release from an accident is going to be from one
6 plant.

7 MR. KRESS: Yeah, but that release is
8 frequency times the dose.

9 MR. HARRISON: Right, and that's the
10 problem we've got. We've doubled -- the LERF doesn't
11 directly tie at a dual unit site to a dose.

12 MR. KRESS: But it's a surrogate.

13 MR. HARRISON: It's being used as a
14 surrogate but that's the problem we're in.

15 MR. KRESS: Yeah. You really should think
16 of that because there ought to be a site
17 characteristic. And this comes up, for example, with
18 the modular reactors, you've got 10 modules. You're
19 going to add up every one of those.

20 MR. HARRISON: Right.

21 MR. KRESS: Well, it's the same thing.
22 It's just --

23 MR. HARRISON: On the LERF criteria, you
24 could go there. The question becomes if I postulate
25 an accident, I do my dose consequence part of it, I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 only going to postulate a single unit release.

2 MR. KRESS: Well, sure, but you're going
3 to multiply the frequency to it.

4 MR. HARRISON: Right, right.

5 MR. KRESS: I mean, you're going to
6 multiply the frequency.

7 MR. HARRISON: Right, it's just I didn't
8 want to give the concept that we were actually
9 doubling the dose somehow.

10 MR. KRESS: No, no, I realize that.

11 MR. HARRISON: Okay, right, in that case
12 you've --

13 CHAIRMAN WALLIS: You're doubling the
14 probable dose.

15 MR. KRESS: That's right, you're doubling
16 the probable dose, that's right.

17 MR. HARRISON: I just wanted to make sure
18 we were on the same page there. And I agree with you,
19 it's the -- that would be an issue there. For doing
20 it again, the reg guide -- I wasn't here when it was
21 written but it was written with the idea it seems
22 like, that it's on a per plant or a per unit basis.
23 All the wording seems to go that way.

24 MR. KRESS: Now, suppose a plant came in
25 with a power uprate request, clearly that would put

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them in the wrong range, but at the same time, they
2 said, "Okay, we're going to do this and this and this,
3 make these other changes to the plant", and that
4 actually pulled them back out.

5 MR. HARRISON: Right. That would be
6 acceptable.

7 MR. KRESS: Is that all right with you?

8 MR. HARRISON: Yeah, yeah. Like I said
9 earlier, if Brunswick would make a solid commitment to
10 make the mod to the SLC system that changes its
11 success criteria to, you know, one pump success, that
12 -- the uprate effects the K heat, it's primarily
13 effecting the upper air actions in a ATWS. If you fix
14 the SLC system, ATWS falls of the table.

15 MR. KRESS: Sure.

16 MR. HARRISON: At that point, you're
17 making the plant safer by doing that. I'm not going
18 to -- I'll cut back on my RAIs, I promise.

19 MR. KRESS: But then should you make it a
20 condition for the uprate?

21 MR. HARRISON: If you were in a situation
22 where you're trading off and you need the trade-off,
23 yes, if you need it. What I did in this review
24 because I wasn't sure where CP&L was going to be at
25 the end of the process, my review for the most part

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 does not reflect any mods to the SLC system. It still
2 assumes that it's a two out of two pump success.

3 MR. KRESS: Where do uncertainties enter
4 into this analysis on your -- say there are
5 uncertainties on the LERF?

6 MR. HARRISON: Well, again, I would say
7 that when you get close to the boundaries --

8 MR. KRESS: You didn't think about
9 uncertainties?

10 MR. HARRISON: For this one, I don't go
11 down that route unless I feel like I'm getting close
12 to a boundary. Again, the example I would use would
13 be Arkansas, where we were not only at the boundary
14 but we kind of went a little bit on the other side of
15 it and at that point, it's like how much confidence do
16 we really have in what they're doing and how much
17 confidence do we have in their conservatisms to back -
18 - to have confidence that we really aren't going to be
19 over that line.

20 MR. KRESS: Do you have a simple way or
21 rule of thumb to go back to the actual site now and
22 look at the wind rows and the population and density
23 and distribution and say, "Oh, well, I could guess the
24 LERF is going to change so much"?

25 MR. HARRISON: No, no, I --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: You'd have to do the Level 3.

2 MR. HARRISON: You'd have to the Level 3.

3 MR. KRESS: You don't have any rules of
4 thumbs.

5 MR. HARRISON: Right, at least I'm not --
6 it's been a long time since I've done a dose
7 calculation and for me, you're in the Level 3 space
8 and we've only got a few plants out there doing Level
9 3 analysis.

10 MR. KRESS: I think the combination of the
11 wind direction and where the population is distributed
12 within that region where you calculate the LERF could
13 make a difference.

14 MR. HARRISON: Right.

15 MR. KRESS: And it's probably an easy
16 calculation to --

17 MR. HARRISON: And you could use some --

18 MR. KRESS: You could ratio the --

19 MR. HARRISON: And you could use some
20 common sense. I would say, you know, a plant down
21 around Brunswick is probably a better plant than one
22 near a large population.

23 MR. KRESS: That would be nice if the
24 wind's blowing out to the ocean.

25 MR. HARRISON: Unless it's hurricane

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 season.

2 MR. KRESS: Well, we don't get those.

3 CHAIRMAN WALLIS: Then disbursal is pretty
4 rapid.

5 MR. KRESS: Yeah, hurricanes are good for
6 that.

7 CHAIRMAN WALLIS: Are you going to finish
8 by 3:00 o'clock?

9 MR. LEITCH: I'm sorry, I'll quit. You
10 were asking me the questions. I just wanted to get my
11 point across.

12 MR. HARRISON: Yeah.

13 MR. KRESS: There are some things that
14 need to be thought about.

15 MR. HARRISON: Right. And I've heard you.
16 I hope -- Michael, you've heard him, right? Okay.
17 I've just thrown up on this slide, this is just the
18 bottom line result. Internal events, I've put
19 everything up here for their worst case sensitivity
20 results. They did some sensitivity studies. That's
21 another way of addressing some of the uncertainty, by
22 the way.

23 And really the driver for the worst case
24 is they increased their turbine trip frequency by
25 about 10 percent and ran that through and that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 resulted in about a seven percent increase in CDF and
2 I forget what the percent increase was for LERF, but
3 this gives the numbers. For external events, there's
4 a fire number. There's a high wind number 4 times
5 10^{-6} , and that's not changed by the EPU. It's just
6 what it was.

7 MR. KRESS: I know we're pressed for time
8 but let me ask you one more question before you leave
9 this slide. The conditional containment failure
10 probability for late failures for these Mark Is
11 generally run around .8?

12 MR. HARRISON: Uh-huh, it wouldn't
13 surprise me, yeah, okay.

14 MR. KRESS: It makes me worry about land
15 contamination and latent effects and --

16 MR. HARRISON: That's something I didn't
17 even look at.

18 MR. KRESS: I just wondered if you'd even
19 thing about it in terms of, you know, we look at LERF
20 and CDF, that's it, but here I'd have a problem. I'd
21 be worried about late containment failures and does
22 the uprate effect the late containment, the
23 probability and the conditional late containment
24 probability.

25 MR. HARRISON: Yeah, I -- most of the Mark

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I values even at early containment failure is like a
2 .5 or you know, you get those high numbers, .1, .5, is
3 done very conservatively. I don't know if that's
4 really the real value of the --

5 MR. KRESS: Anyway, .8 something is
6 already close to 1.

7 MR. HARRISON: You might as well -- right.

8 MR. KRESS: It's the CD that saves you
9 anyway.

10 MR. HARRISON: Right, right.

11 MR. KRESS: But anyway, it seems to me
12 like that ought to be something, well, anyway, when we
13 redo 1.174, we might ought to think more about late
14 containment failure as well --

15 MR. SIEBER: That's sort of a safety goal
16 policy issue, is it not, because it's certainly not a
17 LERF or addresses itself to protecting the public.

18 MR. KRESS: Well, in my mind it could be
19 a long term latent condition. It could also be land
20 contamination.

21 MR. SIEBER: But I think you need another
22 term to describe that --

23 MR. KRESS: Oh, yeah.

24 MR. SIEBER: -- and another safety goal to
25 say what's acceptable and what isn't.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Yeah, yeah, I don't think we
2 have a safety goal that deals with it.

3 MR. SIEBER: I don't think you have the
4 tools, nor do you have the goal.

5 MR. HARRISON: Again, yeah, the only way
6 to get there is to do the Level 2 -- Level 3 analysis.

7 MR. KRESS: Yeah, it comes right out of
8 MAX but you could use a surrogate for it just as well
9 as you do a LERF. You'd have a LERF of even a late
10 containment surrogate, but if you have the tools, you
11 can do it with MAX.

12 MR. SIEBER: You don't have the policy.

13 MR. KRESS: You don't have the policy,
14 that's right.

15 MR. HARRISON: Okay, and just my bottom
16 line, nothing -- we didn't identify anything that
17 would make us question adequate protection and again,
18 so we don't have anything that throws us into that
19 risk process.

20 If we go to the next slide, I just want to
21 make these observations. At the Arkansas full
22 committee, we were questioning about HRA methodologies
23 and one of the suggestions that I think in a
24 conversation between Dr. Kress and the full committee
25 chairman, Dr. Apostolakis, one of the ideas was why

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't you just bound the HRA analysis and spit out an
2 answer? Well, that's pretty close to what Brunswick
3 has done.

4 And the problem you get is you can't
5 calculate a delta then or one that you truly know is
6 the right margin. So Brunswick recalculated the --
7 basically it's really one operator action. It just
8 has four conditions on it, it's power level control
9 and there are a whole bunch of operator actions that
10 we expected to see impacted that weren't and it's
11 because they were all covered by the way they did a
12 conservative timing for the operator action.

13 Therefore, when they did the MAAP runs to
14 find out what the time was for those operator actions,
15 they were already bounded. And the net result is you
16 get a very small delta of one and a half percent delta
17 risk increase when you know it's not. You know it's
18 more than that.

19 MR. KRESS: You know it's something more
20 that that.

21 MR. HARRISON: Right. Now, the reason
22 that's not an adequate protecture question is because
23 it's changing the delta but you know the base is
24 bounded. So what this would really do, to do it
25 correctly, you'd have to do the current plant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condition, that would lower that number. The power
2 uprate plant may actually come down just a little bit
3 but that would give you the real delta, but I just
4 wanted to put that up there just to make a point of
5 what can happen.

6 The other thing I wanted to make a point
7 of is, the NESC, we're included a statement to make it
8 clearer. There was a question of we could be
9 misleading the public and thinking that we're
10 approving methodologies, HRS methodologies and we've
11 added a statement to the SE to make it clear that
12 these methodologies have not been formally reviewed
13 and approved. That they're common used, widely used
14 by the petitions and it's the current state of the
15 art, but it's not something that we've actually
16 officially recognize as the method to use?

17 But it can be used. It can give you a
18 relative feel for the importance of actions and
19 importance of changes and those actions.

20 MR. KRESS: Do you know if they had a risk
21 informed submittal. Or the major changes were due to
22 human errors, would you feel like you'd have to go and
23 review these?

24 MR. HARRISON: Sadly, that's what Arkansas
25 did and it's -- if it was risk informed, I would have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sent them to look at what Arkansas had which is go
2 back and recalculate your human error probabilities
3 based on your current condition using your MAAP code.
4 Make those runs, figure out what those should have
5 been, then calculate what they will be and give me the
6 delta.

7 But this is really not a slide necessarily
8 for Brunswick as much as it is just to address the
9 questions from before. And really, that's all I have.

10 MR. KRESS: Appreciate it, thank you.

11 MS. MOZAFARI: And now Richard Lobel from
12 the plant systems branch to discuss the containment
13 review.

14 MR. LOBEL: Good afternoon. My name is
15 Richard Lobel. I'm with the plant systems branch and
16 I would like to talk about the review we did of the
17 Brunswick containment and other balance plant systems
18 for power uprate. The -- we didn't find anything
19 extraordinary in this review. There were no special
20 issues raised and no tech spec changes for the plant
21 and the trends were as we expected.

22 These are -- the next two slides are the
23 systems that we looked at. You've seen these slides
24 before, for plant systems. Main steam isolation
25 valves are evaluated by a generic evaluation in the GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methods. The RHR suppression pool cooling and
2 containment spray cooling I'll talk about a little
3 later as well as the fuel pool cooling.

4 Containment system performance and NPSH
5 I'll talk about a little later. Combustible gas
6 control, the existing nitrogen suppose was found to
7 still be adequate and the CAD system for uprated
8 power. There was no significant change in the
9 conditions for the main control room atmospheric
10 control system. The standby gas treatment system, the
11 draw-down time hasn't changed and the loading actually
12 goes down with the alternate source term.

13 Spent fuel pool cooling, as we've
14 discussed before, there wasn't a big effect from the
15 power uprate. Service water, component cooling water
16 and --

17 MR. LEITCH: Richard, could we just touch
18 a minute on the standby gas treatment system.

19 MR. LOBEL: Sure.

20 MR. LEITCH: You said the loading goes
21 down. I mean, I would picture that the loading on the
22 standby gas treatment system would be -- the iodine
23 level would be proportional to power and that the
24 higher power level you would have more iodine
25 production and would therefore, increase the loading

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the standby gas treatment system.

2 MR. LOBEL: Maybe somebody else can
3 address it in terms of the loading. We don't look at
4 it in terms of how -- of the amount that's there. We
5 look at it in terms of heating of the filters and the
6 draw-down, the more mechanical parts of the system.
7 I don't know if there's anybody -- is there anybody
8 else here to address that?

9 MR. GRANTHAM: This is Mark Grantham,
10 CP&L. I think the loading went down as a result of
11 implementation of alternate source term which was a
12 separate submittal from this. So we went from the --
13 to the new methodology and that's what drove the
14 loading down. So it's actually a result of
15 methodology change and not due to an increase in
16 power.

17 MR. LEITCH: Okay, that would make sense,
18 yeah, okay, thanks.

19 MR. LOBEL: And there were no significant
20 changes to the power dependent HVAC systems, liquid
21 and gaseous waste or the high energy line breaks since
22 the pressure didn't change. Next slide, please.

23 Okay, the containment system performance
24 was analyzed for the power uprate using General
25 Electric Codes M3CPT for the short term response.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 LAMB code was used for the blow-down analysis rather
2 than the M3CPT code and Super Hex was used for the
3 long term response. M2CPT and Super Hex were already
4 in the Brunswick licensing basis. LAMB was added in
5 order to give the licensee more flexibility in
6 analyzing a wider range of conditions.

7 We did not perform an audit calculation
8 for Brunswick since we had previously performed one
9 for Mark I and had gotten good agreement with the GE
10 methods. This table is just to provide some
11 information about some of the changes that were made
12 in conditions for the power uprate analysis. The
13 service water temperature used was raised to the
14 technical specification limit at 92 degrees.

15 The licensee assumed spent -- assumed RHR
16 pool cooling rather than containment spray cooling for
17 the suppression pool and that's conservative. It adds
18 a little bit to the temperature. The decay heat value
19 was upgraded from the nominal value to the nominal
20 plus the two sigma for the same correlation and also
21 some changes were made in terms of the longer burn-up
22 was used in the calculation of the decay heat and some
23 additional isotopes were considered.

24 DR. SCHROCK; Can I ask about this LAMB
25 code. It was mentioned earlier that it was based on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Moody's --

2 MR. BOEHNERT: Virgil, do you want to get
3 the microphone there. They can't hear you.

4 DR. SCHROCK: Are you familiar with --

5 MR. LOBEL: The LAMB code is in Appendix
6 K, ACCS code but it's also used by GE for performing
7 the blow-down in some cases for the mass and energy
8 release in the containment. It provides them with a
9 little more flexibility in the conditions that they
10 can analyze since the M3CPT model for blow-down is
11 fairly simple. And it does -- yeah, they said they
12 used the Moody correlation because that's the Appendix
13 K.

14 DR. SCHROCK: Which is generally
15 considered to be conservative from the standpoint of
16 analysis of the primary system which means what, it
17 blows down more slowly. From the standpoint of
18 containment, that's puts him to be non-conservative.

19 MR. LOBEL: No, I think it's the other
20 way.

21 DR. SCHROCK: The other way?

22 MR. LOBEL: Yeah, the Moody correlation,
23 in terms of ACCS, it gives you a faster depletion of
24 the inventory vessel because it is a rapid discharge
25 and that's conservative also for containment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SCHROCK: Okay, thank you.

2 MR. LOBEL: Okay. The next table I
3 thought would just be interesting. Some of this was
4 shown this morning by the licensee and the only point
5 that I wanted to make by showing the table was the
6 licensee did calculations using the same methods for
7 the current rate of thermal power and for the extended
8 power uprate. So it gives you a chance to look at a
9 change due purely to the increase in power for the
10 drywell peak pressure, drywell peak temperature, the
11 bulk pool temperature and the wetwell pressure.

12 And also you can see the limits but
13 there's still considerable margin to the design
14 limits. The next slide. For the NPSH of the ECCS
15 pumps, the licensee hadn't previously taken credit for
16 containment over-pressure but with the power uprate,
17 it became necessary to take some credit. This was
18 discussed by the licensee this morning, too and maybe
19 the only point to make now is I tried to show in this
20 table a little bit of sensitivity studies that went
21 into the calculation.

22 When the -- the two important parameters
23 in terms of the containment are the wetwell
24 temperature and the wetwell pressure for determining
25 NPSH of the ECCS pumps and when the calculation was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 done with containment spray providing the cooling, the
2 pressure was fairly high and the temperature was --
3 I'm sorry, let me start over.

4 Without containment spray, with just bulk
5 cooling of the suppression pool water the pressure was
6 fairly high and the bulk temperature was high.
7 Assuming containment spray, which was done for the
8 actual calculations for Brunswick, the pressure,
9 calculated pressure is much lower, 11.3 psig, but
10 there wasn't much of a change in the calculated
11 temperature and, in fact, like the licensee said this
12 morning, they actually increased the temperature up to
13 the same value that they calculated without the spray.

14 So the point is just that the licensee
15 selected a conservative set of conditions and for the
16 case of NPSH conservatively low pressure and high
17 temperature. For the spent fuel pool cooling, the
18 spent fuel system consists of two independent spent
19 fuel pooling trains, one pump and one heat exchanger
20 each. The heat is transferred to the reactor building
21 closed cooling water system. The RHS system can serve
22 as a backup which may be needed for situations like --
23 abnormal situations like the full core off-load and
24 Brunswick also has a supplement spent fuel pool
25 cooling system as a backup to the RHR spent fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cooling system.

2 The analysis was done with a surface water
3 temperature of 95 degrees and in all cases the
4 temperature was less than the limit of 150 degrees
5 although it was fairly close. And in conclusion, the
6 licensee in the area of the balance of plant and
7 containment systems complied with the NRC regulations
8 and the guidance on EPU conditions.

9 MR. BANERJEE: I'd just ask you a
10 question. Are you going to talk at all about the fire
11 protection --

12 MR. BOEHNERT: Sanjay, get close to the
13 microphone.

14 MR. BANERJEE: -- because whoever is the
15 right person, I want to ask the question.

16 MR. LOBEL: It definitely isn't me. I
17 don't know if we have anybody here.

18 MR. BANERJEE: Because there is an aspect
19 which I'd like to find something out about. It's part
20 of your --

21 MR. SIEBER: It's SER and if you look on
22 page 73, Section 6.

23 MR. LOBEL: We can try to get somebody
24 over here to answer your questions but I had nothing
25 to do with the fire protection side.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BANERJEE: Well, it's part of the
2 systems and facilities or whatever.

3 MR. LOBEL: Yeah.

4 A VOICE: A big increase in PCT then.

5 MR. BANERJEE: Yeah, what happens there is
6 the PCT goes very close to the limit.

7 MR. CARUSO: Mr. Chairman, why don't we
8 try to get the right fire protection engineer over for
9 you. John Hanon is the branch chief and he's just
10 going to give him a call and see if we can do this
11 either in this session or whatever you'd like to do.

12 MR. BANERJEE: Well, the issue really is
13 related to what happens to peak clad temperature.

14 MR. CARUSO: Okay, fire protection, peak
15 clad temperature.

16 MR. SIEBER: The Appendix R, peak clad
17 temperature maximum is 1500 compared to the LOCA
18 maximum which is 2200. That's the issue. I think the
19 numbers come out for safe shutdown the same as the
20 LOCA response. As far as containment performance,
21 peak clad temperature --

22 MR. LOBEL: I can speak to that a little.

23 MR. SIEBER: Okay.

24 MR. LOBEL: The 1500 degrees is usually a
25 temperature that's used for the cladding when you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't want any damage or excessive oxidation to the
2 cladding. It's typically thought of as the
3 temperature at which the cladding reaction starts to
4 increase significantly exponentially. The 2200 degree
5 temperature in the ECCS, the basis of that is
6 maintaining a coolable geometry, so you can have
7 failure of the cladding and in fact, the dose
8 calculations that are done for a LOCA assume that the
9 fuel has all failed.

10 But I think that's the basic difference
11 between the numbers.

12 MR. BANERJEE: Yes, but I mean, the
13 current RTP has a peak clad temperature of less than
14 1200 and with the EPU it was close to 1500. So
15 there's a big difference there. And --

16 MR. LOBEL: Yeah, I can't explain why the
17 increase.

18 MR. BANERJEE: Yeah, first why and then
19 the SCR or whatever it is --

20 MR. CARUSO: Okay.

21 MR. BANERJEE: It's below the design limit
22 but it's very close and you know, I'd like to --

23 MR. CARUSO: Okay, the gentleman's name
24 who is the fire protection reviewer is Ed Connell and
25 he is not here today but we will get the question to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 him and get an answer to you. It will be whatever
2 you'd like it, in writing or phone call, whatever
3 you'd like.

4 MR. BANERJEE: Okay, it's on page 73 of
5 your SER and it's on page 617 of the NEDC 33039P.

6 MR. CARUSO: Well, all right, that's fine.
7 Is there any GE persons who can address the question
8 directly? We can also have the staff confirm the
9 answer. Okay.

10 CHAIRMAN WALLIS: I'd like to know the
11 result of this --

12 MR. BOEHNERT: Will do, the staff, will
13 do.

14 CHAIRMAN WALLIS: -- response as well.

15 MR. PAPPOANE: This is Dan Pappoane. With
16 regards to the change in PCT for the Appendix R, the
17 Appendix R is similar to a small break LOCA. So we do
18 see -- we do see an increase in the PCT because we are
19 dealing with more decay heat and more steam that we
20 have to vent to depressurize the vessel.

21 The thing that I don't know right off the
22 top of my head, when we do an Appendix R analysis,
23 there is a certain number of relief valves that we can
24 take credit for in that analysis. Usually we're not
25 using the full -- okay, we use three relief valves

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instead of the full ADS complement or six or seven.
2 And with the smaller number of relief valves, that
3 accentuates the effect of the power because we're
4 using a smaller area to depressurize the vessel.

5 So we'll see a bigger change in the PCT
6 bit of the power change.

7 MR. SIEBER: Why do you use a smaller
8 number of valves? Is that --

9 MR. PAPPOANE: That's the number of valves
10 that they'll protect for the remote shutdown.

11 MR. SIEBER: So an Appendix R issue.

12 MR. PAPPOANE: Right.

13 MR. SIEBER: Okay.

14 MR. PAPPOANE: Right, it's an Appendix R
15 issue but we are seeing that power and the effect of
16 that power increase.

17 MR. BANERJEE: Right, it's just that the
18 number changes very lot, almost 300 degrees.

19 MR. PAPPOANE: Yeah, and that's in line
20 with what we've seen in some of the previous uprates.
21 When we have less relief valve capacity, one way or
22 another, either smaller valves or smaller number of
23 valves, the effect of the uprate goes up. The PCT
24 delta goes up.

25 MR. FLADOS: Paul Flados again. Another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 big impact on the Appendix R is this event that had
2 the peak clad temperature is the one where we delay
3 any operator actions until they can get staged out
4 into the power block. There's a big impact on this
5 calculation in that with the extra decay heat in the
6 same amount of time, by the time he gets there ready
7 to do it, vessel level is a lot lower than it used to
8 be. As a matter of fact, top of core is already
9 uncovered by the time he starts depressurization.

10 The EPU effect on Appendix R is very
11 significant and it's one of the things that could
12 cross over a threshold if a utility does have a delay
13 that corresponds to boiling too far down on the vessel
14 level before he can get out there his remote shut down
15 pad.

16 MR. SIEBER: But the solution to that
17 would be to protect another valve as far as Appendix
18 R is concerned.

19 MR. FLADOS: If you uncover too much fuel
20 before he gets out there, the number of valves isn't
21 going to help you as much as doing something to
22 otherwise get out there faster or protect the vessel
23 level before he gets there.

24 MR. SIEBER: So it would be better to buy
25 him roller skates.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: Yeah, these valves are
2 normally divisionalized too, and you may have a train
3 that's protected, a whole train that may be protected
4 and to decide to protect another train is a major
5 issue. You may have to put barriers and other
6 sprinkler systems, et cetera, just to gain one or two
7 more valves. So -- and the whole alternate shutdown
8 technique is because of how many trains you can
9 protect.

10 But let me get the staff's answer to the
11 question, too, just to make sure we're on the same
12 wave length as GE. Okay.

13 MR. SIEBER: I'd like to have a copy of
14 whatever --

15 MR. BOEHNERT: Yeah, why don't you have
16 him send it to --

17 CHAIRMAN WALLIS: Okay, I'll send it to
18 Paul.

19 MR. BOEHNERT: Send it to me, yeah.

20 CHAIRMAN WALLIS: And it better be quick
21 because we're going to receive -- I think this is
22 going to the full committee next week.

23 MR. BOEHNERT: That's correct.

24 MR. CARUSO: Okay, John, can you support
25 that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ULSES: Yeah. Yes, the reviewer is
2 actually working at home today, so we should be able
3 to get it by close of business today.

4 MR. CARUSO: Great, thank you. Super,
5 John.

6 CHAIRMAN WALLIS: I had a question earlier
7 about this SRV discharge being ingested into the ECCS
8 suction and I was told I'd get my answer this
9 afternoon. Are you the one who's going to give me the
10 answer?

11 MR. LOBEL: Well, I can -- we did ask the
12 question and we have an answer. It was a response to
13 a question 1-4 on an October 17th, 2001 letter.

14 CHAIRMAN WALLIS: Yeah, I remember that.

15 MR. SIEBER: It basically --

16 CHAIRMAN WALLIS: I read that in the SEC.

17 MR. LOBEL: Okay, it was pretty much
18 repeated in the SEC and we did not do any further
19 review of that.

20 CHAIRMAN WALLIS: You asked a question and
21 the licensee indicated that they had performed an
22 evaluation.

23 MR. LOBEL: Yes.

24 CHAIRMAN WALLIS: And they said something
25 about bubbles and so on and so on and so on. And then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you concluded it was all right. Well, how do we know
2 that that evaluation was any good?

3 MR. LOBEL: We did not review the --

4 CHAIRMAN WALLIS: So we're just taking the
5 word for the licensee that they did a proper technical
6 evaluation and --

7 MR. LOBEL: In this case, yes. I don't
8 have any more to add.

9 MR. CARUSO: Okay, Brenda, do you want to
10 summarize for us, please?

11 MS. MOZAFARI: So just our last slide
12 summarizes that the analyses are based on NRC approved
13 analytical methods and codes. Onsite audits confirmed
14 the compliance to staff approved methodology. The EPU
15 SAR is consistent with NRC accepted guidelines and
16 generic evaluations. Thermal limits and applicable
17 safety analyses would be re-analyzed or re-confirmed
18 using NRC approved core reload analyses methodology.

19 Now, you did have on your agenda that you
20 had some issues in some other areas. Are there any
21 other areas that you want the staff to elaborate on?
22 We have the staff members available if there are any
23 other particular issues.

24 MR. LEITCH: I just harken back to the
25 Maine Yankee situation where there was evidently a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 controversy about the peak cladding temperature and
2 the code that was used to determine that and the first
3 bullet on your slide there, I guess, what you're
4 saying is you're confirming that for the whole
5 spectrum of LOCAs, the peak cladding temperature has
6 been calculated using NRS approved codes and found to
7 be less than 2200 degrees.

8 MS. MOZAFARI: That's correct.

9 MR. LEITCH: Okay.

10 MS. MOZAFARI: Were there any other
11 issues?

12 CHAIRMAN WALLIS: Any other issues?

13 MR. CARUSO: We do have the take-away on
14 fire protection. We're going to get an answer on
15 that.

16 MS. MOZAFARI: Right, we're going to get
17 back.

18 MR. CARUSO: And we heard some
19 discussions, too, about the number of RAIs in general,
20 and what I'd like to do for the subcommittee, the full
21 committee, whatever you'd like is fill you in, in
22 terms of the plan for the standard review plan and the
23 plan for improving the efficiency, including looking
24 at the RAIs, whether there's duplicate RAIs, how we
25 can improve our efficiency in terms of that. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's a take-away that I'll bring back to you.

2 We're due to go back to the Commission for
3 the Commission paper the end of June, June 26th, okay,
4 so we'll probably be talking back with you before that
5 time.

6 CHAIRMAN WALLIS: So it looks as though we
7 are through with the staff presentation.

8 MS. MOZAFARI: Right, and Herb Berkow
9 would like to give some closing remarks for our staff.

10 MR. BERKOW: I want to thank you for your
11 time and for the opportunity for us to present the
12 results of our Brunswick extended power uprate review.
13 The results of the staff's review, as Brenda pointed
14 out, show that the proposed power increase meets the
15 regulatory requirements and therefore, it's acceptable
16 and we recommend approval of this power uprate.

17 This concludes our presentation and I
18 guess there are no other questions and if there are,
19 we'd be happy to answer them.

20 CHAIRMAN WALLIS: Well, the question we
21 have to address is whether or not this is a mature
22 enough situation for it to go to the full committee
23 next week. I think that's what's on the schedule.

24 MR. SIEBER: That's right.

25 CHAIRMAN WALLIS: Is that your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understanding.

2 MR. BOEHNERT: The morning of May 2nd.

3 CHAIRMAN WALLIS: Yes, May 2nd. And does
4 the committee disagree with me that this is ready for
5 next week's presentation?

6 MR. KRESS: I think it's ready.

7 MR. SIEBER: I think it is.

8 MR. LEITCH: I agree.

9 CHAIRMAN WALLIS: So it is okay to go
10 ahead next week. Then maybe we should talk a bit
11 about what's to be said next week. The licensee has
12 less time next week?

13 MR. BOEHNERT: We have a total time of two
14 hours for everything.

15 CHAIRMAN WALLIS: A lot less time next
16 week to put across your case.

17 MR. KITCHEN: Certainly, we can arrange
18 that.

19 CHAIRMAN WALLIS: Again, just speaking for
20 myself, I think we need your overview. That's
21 important. The core considerations are important.
22 There are some important issues covered there and my
23 impression is the reactor vessel cracking and
24 embrittlement could be covered fairly rapidly and also
25 the containment response. We probably don't need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spend a lot of time on electrical system and piping
2 stress limits.

3 There isn't much about operation --
4 operator actions and training. It just sounded as if
5 there's nothing much new there, not much of a testing
6 program. So you should be able to do it in the time
7 available, I think if you hit the main points. It's
8 very much like what we've heard from other plants, so
9 the full committee should be familiar with that, this
10 sort of a power uprate.

11 MR. KITCHEN: Yes, sir, the areas that you
12 don't want as much discussion do we eliminate those or
13 do we need to cover all the areas that we covered
14 today?

15 CHAIRMAN WALLIS: Well, you might put them
16 on -- have a least a bullet saying, this has been
17 covered. I don't think you need to go into the
18 details unless asked. You never know what the full
19 committee is going to ask you.

20 MR. BOEHNERT: Do you want them to talk
21 about PRA at all?

22 MR. KRESS: I think you'd better talk
23 about the PRA but it went pretty fast. You can make
24 it pretty fast, you know, just almost bottom line
25 type.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: I think the bottom line
2 is important and the fact that the only thing that
3 really seemed to matter were changes in time operators
4 had to make decisions.

5 MR. KRESS: I think it's very important
6 that you cover the SLC changes.

7 CHAIRMAN WALLIS: Yes.

8 MR. LEITCH: I think it might also be
9 appropriate to discuss the justification for not doing
10 the large scale tests.

11 MR. KRESS: The large transient testing
12 because that will come up.

13 CHAIRMAN WALLIS: It will be the same
14 argument that we had before.

15 MR. KRESS: It will be the same, but it
16 will come up, so you ought to be prepared.

17 CHAIRMAN WALLIS: Anything else from the
18 committee members?

19 MR. BOEHNERT: What about the staff?

20 CHAIRMAN WALLIS: We're going to get to
21 the staff.

22 MR. LEITCH: I'm still a little -- not a
23 little confused but I think it bears some discussion
24 about the operation what I guess we're calling Phase
25 1, that is what is going to be the status during the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first cycle when only certain physical changes have
2 been made, yet the license is approved up to 120
3 percent but the plant is not physically capable of
4 doing that.

5 MR. KITCHEN: So you would want an
6 expanded description of the plant controls and
7 mechanisms in place to operate the plant with a
8 reactor limit above our balance plant capability.

9 MR. LEITCH: Yeah, I don't think we need
10 anything expanded from what we heard today but I think
11 that is an area that initially was somewhat confusing
12 and I think we could just sharpen that area up a
13 little bit.

14 MR. KITCHEN: Okay.

15 MR. SIEBER: Well, the thing that's
16 limiting there I think is the turbine. If you're wide
17 open, that's all you're going to get, right?

18 MR. LEITCH: Well, I don't think so.
19 You've put in the new turbine, right. The new turbine
20 is part of Phase 1.

21 MR. KITCHEN: Yes, that's correct. That's
22 been installed but we could --

23 MR. SIEBER: You need pumping, feedwater.

24 MR. LEITCH: I think you're more limited
25 by the transformer capability and by the ability of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the condensate feedwater system to pump enough water.

2 MR. KITCHEN: We can make that portion of
3 the presentation clearer as far as how we're
4 controlling the plant and what actions were put in
5 place to do that.

6 MR. LEITCH: I think that would be
7 helpful, yes, thank you.

8 MR. KRESS: One of your slides had
9 referred to a 70 megawatt base per metric ton burn-up.
10 That's going to raise the eyebrows of at least one of
11 the members and I'd be prepared to discuss it in
12 further detail in case a question comes up and the
13 detail would be how much of the core is actually at
14 what level.

15 MR. BANERJEE: There was very little
16 discussion, I don't know if this is the forum for it,
17 of fuel performance and fuel behavior because of this
18 high burnout and also you know --

19 MR. KRESS: Yeah, that would be the nature
20 of it.

21 MR. BANERJEE: So that would be something
22 that is missing here and I don't know if there's
23 enough of a experience base here to talk about it.

24 MR. SIEBER: Well, the average discharge
25 burn-up is 50 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BANERJEE: This is like 40 or 50 or
2 something.

3 MR. SIEBER: 40 to 50.

4 MR. KRESS: So, you know, if they could --
5 that didn't come out until we asked the question.

6 MR. SIEBER: Yeah, well, that's where they
7 should start, starting at 70 and saying --

8 MR. KRESS: Yeah, they should clarify what
9 does 70 -- they should clarify what does 70 mean.

10 MR. SIEBER: Yeah.

11 CHAIRMAN WALLIS: Are we ready to move
12 onto the staff presentation? My impression was that
13 the written report gives the impression that a great
14 deal was done and that the bases were all covered,
15 although in some cases we have to take something on
16 trust that, yes, indeed, the licensee did do good
17 work.

18 I think in your oral presentation, it has
19 to come across better than it did today that you folks
20 really are on top of things and you don't have to turn
21 to the licensee to get answers to questions and
22 there's more certainty somehow in your presentation.
23 Any colleagues want to wade in on this matter?

24 MR. BOEHNERT: Do you want to give them
25 direction on what topics?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Well, we had asked in
2 the past and you responded a bit this time to which
3 parts of the review gave you some trouble or did you
4 really have to think about and that didn't really go
5 very far it seemed to me. Maybe there weren't any.
6 I got the impression there really weren't any. Maybe
7 that's the way it is. Maybe that's all you need to
8 say, unless there was something really interesting
9 that you had to pursue and resolve. That would be a
10 good story to tell there. The SLC you need to be a
11 bit more clear about.

12 MR. SIEBER: Well, I was wondering about
13 that. Is the licensee committed to the changes and if
14 they aren't, you know, even though it's been discussed
15 in the SER, they aren't committed to, you know, super
16 Boron and all of that, then I'm not sure we ought to
17 give credit for it because they may not do it.

18 MR. POST: This is Jason Post with GE. I
19 talked to Dr. Kress in the restroom a little while ago
20 about this. When we did that ATWS analysis -- that
21 doesn't have to be on the record, I guess. When we
22 did the ATWS analysis, we used 86 gpm equivalent,
23 okay. And so when the reload requires them to make a
24 change to increase the boron so they have more
25 shutdown margin. It will be made such that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maintain a minimum of the 86 gpm equivalent.

2 So the ATWS analysis remains applicable as
3 long as whatever change meets the ATWS rule
4 requirements, which, of course, it will.

5 MR. CARUSO: We'll talk about SLC and ATWS
6 and challenges that we had in those reviews. Are
7 there any other areas that were challenging that you
8 want to bring up? Okay, we'll present those two.
9 We'll highlight the challenges that we had and how we
10 resolved them.

11 CHAIRMAN WALLIS: And maybe we'll be able
12 to write a short letter.

13 MR. CARUSO: Great, short and sweet.

14 CHAIRMAN WALLIS: So is there anything
15 else we need to do today? Am I ready to adjourn is
16 the right word?

17 MR. KITCHEN: This is Bob Kitchen. I have
18 two things. The targeted time for the presentations
19 next week should be about an hour?

20 MR. BOEHNERT: Yeah, I'll get with you,
21 Bob, but yeah, basically there's a total of two hours.
22 I think with introductions and that, you guys will
23 have close to -- well, yeah, close to an hour and give
24 the staff the remaining time, maybe 45 minutes or
25 something like that. That's just off the top of my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 head, but I'll sit down and think about it. I'll get
2 back to both of you guys and let you know, but on that
3 order.

4 And you should plan on -- we try to keep
5 it 50 percent presentation time and 50 percent time
6 for questions but that's going to be tough, given what
7 we're handing you. But anyway, I'll get back with you
8 on this, give you the details.

9 MR. KITCHEN: Okay.

10 MR. BANERJEE: There's one thing. They
11 will provide some information about the feedwater
12 line.

13 CHAIRMAN WALLIS: That's right, you'd
14 asked for that. Yeah.

15 MR. KITCHEN: We can discuss that a little
16 bit right now if you'd like.

17 CHAIRMAN WALLIS: You're ready for that
18 now?

19 MR. KITCHEN: Yeah.

20 CHAIRMAN WALLIS: Okay.

21 MR. PAPPOANE: This is Dan Pappoane again.
22 I just went through a crash course in annulus
23 pressurization and the like that I guess what you're
24 after, the bad news is we don't have a direct one-to-
25 one comparison for feedwater line break. The original

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis or the current power analysis was done with
2 a fairly high feedwater pressure that was assumed of
3 1475 and what we did for the extended uprate was that
4 creativity that Ralph was talking about, we're using
5 the actual feedwater system pressure at the uprate
6 conditions, as the extended uprate conditions.

7 And that's 1210, so for the piping outside
8 of the containment, that's primarily driven by that
9 pumping pressure and that's what gives us the relief
10 to get fit under the current design loads for the
11 forces.

12 MR. BANERJEE: And what was done
13 originally? Did you look at the --

14 MR. BOEHNERT: Talk into the mike.

15 CHAIRMAN WALLIS: Speak into the mike.

16 MR. BOEHNERT: They can't hear you.

17 MR. BANERJEE: What did you do originally
18 when you did the calculations at higher pressure?

19 MR. PAPPOANE: Well, when they're doing
20 those calculations outside the containment, they're
21 looking at the room pressurization and flooding and
22 they're also looking at pipe width and jet impingement
23 and make sure the forces don't take out any safety
24 systems. So those were all based on the -- on that
25 higher pressure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We've got an enveloping analysis and did
2 pencil sharpening with this extended uprate to fit in
3 that envelope by using the actual system pressure
4 instead of very high bounding pressure and then --

5 MR. BANERJEE: Did you look at the force
6 imbalances on the reactor internals?

7 MR. PAPPOANE: Yeah, that's the next part.
8 We can go inside the containment. Inside the
9 containment we look at what happens to the reactor
10 vessel, what happens to the internals, also look at
11 what happens to the reactor shield wall, because when
12 we're looking at the pipe break inside the
13 containment, we're assuming the break is at the safe
14 end which is usually just inside the wall or actually
15 within the wall itself, in the shield wall itself.

16 So we're looking at pressurized in that
17 space and again, we're looking at the pipe width and
18 the jet impingement loads. The reactor side of that
19 is driven by the vessel pressure and for this uprate
20 this hasn't changed. So that side of the forcing
21 function is staying the same.

22 Now, for the pumping side, the feedwater
23 pumping side, again, we're looking at the high
24 pressure for the current -- or for the original
25 analysis and using the actual pressure for the lower -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 - for the extended uprate analysis and also did a
2 little bit of fine tuning on calculating what the two
3 phase flow out of the pump side of the pipe would be
4 because we're doing to be seeing some depressurization
5 in there and some flashing of pipe, so that's going to
6 restrict the flow. And so that contribution -- the
7 vessel site, what's coming into that annulus, the
8 vessel side is staying the same. What's coming in
9 with the fine tune calculation, is just fitting under
10 the original design value.

11 So the overall design envelope for the
12 loads has stayed the same. And then look at the
13 energy content in there, we are getting a little bit
14 higher flow initially. We have lower feedwater
15 temperature but a higher flow rate so the initial
16 energy that's being deposited in that annulus goes up
17 but about three percent. And we looked at that as far
18 as the -- as far as the forces on the shield wall and
19 there's a lot of margin on the shield wall. I didn't
20 fine it off-hand here but ones that I've looked at in
21 the past, the forces have been -- the pressure forces
22 have been down in the 25 to 50 percent range of what
23 the shield wall design forces were.

24 So there was a lot of margin to the
25 allowables.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BANERJEE: Did you take the pressure
2 wave going into account bouncing off the breaks? Is
3 it a sudden guillotine break you're looking at?

4 MR. PAPPOANE: Yes, it's a sudden
5 guillotine break. I don't have the analysis for the
6 annulus pressure calculation but there they are
7 looking at that pressure wave going out around the
8 vessel.

9 MR. BANERJEE: Do you have this available,
10 could be available?

11 MR. PAPPOANE: We have to see what they
12 have, what they can bring next week for that when we
13 get into that kind of detail.

14 MR. BANERJEE: Well, I'd just be
15 interested to know more about this problem so that I
16 understand what implication it may have. Were it be
17 ready for the ACRS meeting, I don't know because I
18 have encountered this problem with another BWR in some
19 other country, that problem.

20 MR. PAPPOANE: Yeah, we do look at that
21 acoustic loading for the circulation line break, which
22 is a bigger break.

23 CHAIRMAN WALLIS: Okay. I'll ask the
24 consultants to get --

25 DR. SCHROCK: Send a report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: -- a report to me right
2 away because I have to write a letter.

3 DR. SCHROCK: Very promptly as usual.

4 CHAIRMAN WALLIS: And I'm ready to adjourn
5 the meeting and will do so.

6 (Whereupon, at 3:38 p.m. the meeting of
7 the subcommittee was concluded.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

CERTIFICATE


This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: ACRS Thermal-Hydraulic Phenomena Subcommittee (Open Sessions)

Docket Number: N/A

Location: Rockville, MD

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.


Debra Wilensky
Official Reporter
Neal R. Gross & Co., Inc.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

BRUNSWICK STEAM ELECTRIC PLANT Units 1 & 2

Extended Power Uprate

Brenda Mozafari

NRR Senior Project Manager
Division of Licensing Project Management

April 23, 2002

Overview

- BWR4/Mark I
- 20 percent power uprate from OLRTP
- Constant reactor dome operating pressure
- 5 percent stretch uprate approved Nov 1996
- 2 part additional implementation (7% and 8%)
- BOP modifications
- GE14 fuel

Application

- Mostly follows ELTR1 and 2
- Some exceptions to ELTR1 and 2
- Non-risk-informed submittal
- Experience from Hatch, Monticello, Duane Arnold, Dresden/Quad Cities, and Clinton

BRUNSWICK UNITS 1 & 2 EXTENDED POWER UPRATE

**ACRS Thermal- Hydraulic Phenomena
Subcommittee Meeting
April 23, 2002**

**Reactor Systems Branch
BWRs and Fuel Performance Section**

Zena Abdullahi: Lead Reviewer

AGENDA

- Review Scope
- Review Approach
- Background on the Brunswick Units
- Challenging Areas of Review
- Conclusion

REVIEW SCOPE

- Reactor Core and Fuel Performance
- Reactor Coolant System and Connected Systems
- Engineered Safety Features
- Standby Liquid Control System
- Reactor Safety Performance Evaluation

Review Approach

- Reviewed the BSEP Units 1 and 2 EPU safety analysis report (NEDC-33039P)
- Used applicable SRP sections
- On-site technical review /audit
- RAI process

BSEP Units 1 and 2 Background

- **BWR/4 -Mark I**

- **Implement EPU in 2 phases**
 - 2nd batch of GE 14 fuel
 - MELLLA rod line.
 - implement EPU 2003 and 2004.

- **BSEP Units**
 - similarity
 - differences

- **Bounding analysis**
 - ▶ Consider differences
 - Analyze limiting unit

Challenging Review Areas

- **Deviations**
 - ▶ SLMCPR evaluation
 - ▶ the limiting transient analyses and the OLMCPR evaluation
 - ▶ the stability Option III setpoints calculations
 - ▶ the ECCS-LOCA performance evaluation approach

- **Audited Deviations**

- **Reviewed Unit 1 Cycle 14 reload analyses**

- **Concluded deviations acceptable**

Challenging Review Areas

ATWS

- PUSAR peak vessel pressure of 1492 psig (1500 psig allowable).
- Due to low margin, staff performed more in-depth review
- Staff questioned
 - ▶ limiting unit, with full bypass capacity analyzed for PRFO event
 - Unit 2 with larger bypass capacity (80.6 % v.s. 20.26% EPU steam flow)
- CP&L confirmed
 - ▶ ATWS analysis based on Unit 1 (limiting for LOOP and MSIVC)

Challenging Review Areas

ATWS

■ CP&L reanalyzed

- ▶ PRFO ATWS event based on Unit 2.
- ▶ Reanalyzed PRFO event based on plant-specific data
- ▶ Yielded lower peak vessel pressure of 1487 psig

Staff finds BSEP Unit 1 and 2 meet the requirements in 10 CFR 50.62 and the ATWS acceptance criteria

Challenging Review Areas

Standby Liquid Control

- No SLC relief valve margin evaluation in PUSAR
- Staff requested evaluation
- ATWS analysis assumed
 - ▶ SLC start to inject, later of
 - BIIT
 - ATWS-RPT occurs + 120 seconds
- Initial BSEP SLC relief valve evaluation resulted with negative margin.
 - ▶ Evaluation based on GE data.

Challenging Review Areas

Standby Liquid Control

- **CP&L re-evaluated the SLC relief valve margin based on**
 - ▶ Predicted dome pressure
 - ▶ Two pump system losses based on plant-specific tests
 - Original system losses based on 1984 GE evaluation
 - ▶ Plant-specific elevation head calculation
- **Resulted in a low SLC relief valve margin**
- **Staff concluded**
 - ▶ margin positive but low.
- **CP&L**
 - ▶ acknowledges low margin
 - ▶ plans to make some margin improvement modifications in the future

SLC License Condition

■ SE approves 20 percent uprate

- ▶ SLC shutdown capability
 - Increase boron (660 ppm to 720 ppm)
 - Loading of 2nd batch of GE 14 fuel
- ▶ BSEP achieve EPU with 2nd batch of GE14 fuel.
- ▶ Amendment not submitted.

■ License Condition

- ▶ Requires amendment request
 - Changes to TS 3.1.7, "Standby Liquid Control (SLC) System."
- ▶ 6 months before implementation

SRXB CONCLUSIONS

- **Licensing analyses are based on NRC-approved methods, codes and acceptance criteria**
- **BSEP EPU SAR is consistent with NRC-accepted guidelines and generic analysis for evaluating the impact of the extended power uprate on safe operation of the plant, except for the discussed deviations**
- **Deviations were presented to the Committee during the Clinton and the CPPU topical report meetings. (NEDC-32989P and NEDC-33004P)**
- **The staff finds that CP&L provided sufficient bases to support operation of BSEP Units 1 and 2 at the proposed power level of 2923 MWt.**

BRUNSWICK STEAM ELECTRIC PLANT UNITS 1 AND 2 EXTENDED POWER UPRATE

STAFF RISK ASSESSMENT REVIEW

Donald Harrison, NRR

APRIL 23, 2002

STAFF RISK ASSESSMENT REVIEW

- Licensee Submitted Risk Information for Insights and to Ensure No New Vulnerabilities Created
 - ▶ Internal Events
 - ▶ External Events
 - ▶ Shutdown Operations
 - ▶ PRA Quality
- Staff SEs on IPEs and IPEEEs

OVERALL EPU RISK CONCLUSIONS

■ **OVERALL RESULTS (Based on Sensitivity #5 - Worst Case)**

- ▶ Internal Events CDF $\sim 2.7E-5/\text{yr}$ LERF $\sim 4.8E-6/\text{yr}$
- ▶ External Events Fire CDF $\sim 3.6E-5/\text{yr}$ Winds CDF $\sim 4.0E-6/\text{yr}$
- ▶ Shutdown Operations Negligibly Small Impact

■ **LICENSE APPLICATION ACCEPTABLE**

- ▶ Meets Deterministic Requirements
- ▶ No Changes Identified in Management of Risks
- ▶ No New Vulnerabilities Identified
- ▶ No Issues Identified That Would Question Adequate Protection and Base Risk Values Do Not Warrant Denial of the License Application

EPU HRA Evaluation

- The Only HEPs Re-Calculated for EPU Involve RPV Power/Level Control During an ATWS
 - ▶ The Operator Response Times used in the Current PSA are Shorter than the Time Available Under EPU for Most of the Typically Affected HEPs
 - Manual Scram, Initiating SLC, Inhibiting ADS, Initiating RPV Injection Sources, Initiating Emergency Depressurization, Initiating SPC
- SER Includes Statement that these HRA Methodologies Have Not Been Formally Reviewed/Approved by NRC
 - ▶ Commonly Used and Accepted Methods
 - ▶ Can Help Focus Reviews and Provide Comparative Insights into Relative Importance and Change in Importance of HEPs

BRUNSWICK UNITS 1 AND 2
POWER UPRATE

ACRS

APRIL 23, 2002

PLANT AND CONTAINMENT
SYSTEMS, NRR

Richard Lobel

SPECIFIC AREAS OF REVIEW

- MAIN STEAM ISOLATION VALVES
- RHR SUPPRESSION POOL COOLING, CONTAINMENT SPRAY COOLING AND FUEL POOL COOLING
- CONTAINMENT SYSTEM PERFORMANCE NET POSITIVE SUCTION HEAD
- POST-LOCA COMBUSTIBLE GAS CONTROL SYSTEM
- MAIN CONTROL ROOM ATMOSPHERIC CONTROL SYSTEM
- STANDBY GAS TREATMENT SYSTEM

SPECIFIC AREAS OF REVIEW (CONT.)

- SPENT FUEL POOL COOLING SYSTEM
- SERVICE WATER, COMPONENT COOLING WATER AND TBCC WATER SYSTEMS
- ULTIMATE HEAT SINK
- POWER DEPENDENT HVAC SYSTEMS
- LIQUID WASTE, GASEOUS WASTE, AND OFF-GAS SYSTEMS
- HIGH AND MODERATE ENERGY LINE BREAKS

CONTAINMENT SYSTEM PERFORMANCE

- ANALYSIS METHODS CONFORM WITH ELTR1, APPENDIX G
 - M3CPT CODE FOR SHORT TERM RESPONSE
 - LAMB CODE FOR BLOWDOWN
 - SHEX CODE FOR LONG TERM RESPONSE
- NRC CALCULATIONS FOR ANOTHER MARK I CONTAINMENT PROVIDE AN INDEPENDENT ASSURANCE OF THE ADEQUACY OF THE METHODS USED FOR BRUNSWICK UNITS 1 AND 2
- NEW ASSUMPTIONS FOR CONTAINMENT ANALYSES:

<u>PARAMETER</u>	<u>CURRENT</u>	<u>EPU</u>
SWS TEMPERATURE POOL COOLING DECAY HEAT (ANSI/ANS 5.1 1979)	90°F CONTAINMENT SPRAY NOMINAL	92°F RHR POOL COOLING NOMINAL + 2σ

DBA LOCA CONTAINMENT ANALYSIS RESULTS

CHANGE WITH INCREASE IN POWER FROM CURRENT RTP TO EPU SAME ANALYSIS METHODS

■ <u>PARAMETER</u>	<u>AT CURRENT RTP</u>	<u>AT EPU</u>	<u>Δ</u>	<u>LIMIT</u>
Peak Drywell Pressure (psig)	44.2	46.4	2.2	62
Peak Drywell Temperature (°F)	290.4	293.0	2.6	340 (ATM) 300 (WALL)
Peak Bulk Pool Temperature (°F)	197.9	207.7	9.8	220
Peak Wetwell Pressure (psig)	30.5	31.1	0.6	62

NPSH OF ECCS PUMPS

- **3.1 PSI CONTAINMENT PRESSURE IS REQUIRED TO MEET REQUIRED NPSH FOR RHR PUMP**
- **2.6 PSI IS REQUIRED FOR CONTAINMENT SPRAY PUMP**
- **5.0 PSI CONTAINMENT OVERPRESSURE USED**
- **11.3 PSIG IS CALCULATED MINIMUM WETWELL PRESSURE**

PARAMETER	W/O CONTAINMENT SPRAY	W/CONTAINMENT SPRAY
Wetwell Pressure (Psig)	25.5	11.3
Wetwell Temperature (°F)	207.7	206.9 (207.7 used in analysis)

SPENT FUEL POOL COOLING

- CONSISTS OF TWO INDEPENDENT SFP COOLING TRAINS: ONE PUMP AND ONE HEAT EXCHANGER EACH.
- MAINTAINS SFP TEMPERATURE < 150 F
- HEAT TRANSFERRED TO RBCCW SYSTEM
- RHR SYSTEM BACKUP (E.G., FULL CORE OFFLOAD)
- ALSO, SUPPLEMENTAL SFP COOLING SYSTEM.

BACKUP TO RHR SFP COOLING

- WITH SWS TEMPERATURE = 95 F, SFP WATER TEMPERATURE REMAINS BELOW 150 F FOR NORMAL AND FULL CORE OFFLOAD

SPLB CONCLUSION

- **ALL BALANCE OF PLANT AND CONTAINMENT SYSTEMS COMPLY WITH NRC REGULATIONS AND GUIDANCE AT EPU CONDITIONS**

OVERALL CONCLUSIONS

- Analyses are based on NRC-approved analytical methods and codes
- On-site audit confirmed compliance to staff approved methodology
- EPU SAR is consistent with NRC-accepted guidelines and generic evaluations
- Thermal limits and the applicable safety analyses would be reanalyzed or reconfirmed using NRC approved core reload analyses methodology