

1 Mr. Chairman, that we can decipher this question
2 from.

3 DR. CATLIN: Shall we go up to the front
4 here and describe it?

5 MR. SILBERG: No, this is fine. This
6 can be off.

7 JUDGE FARRAR: If you want to be off,
8 we'll be off.

9 (A discussion was held off the record.)

10 JUDGE FARRAR: Let's go back on the
11 record and put your answer on the record.

12 DR. CATLIN: So the wilderness study
13 area boundary for the Cedar Mountains is
14 approximately four and a third miles to the south
15 of the rail line and far west, of course.

16 JUDGE FARRAR: South of the end of the
17 rail line where it swings into the reservation?

18 DR. CATLIN: Yes, at the end of the rail
19 line.

20 JUDGE FARRAR: So the rail line runs a
21 goodly percentage of the entire Cedar Mountain
22 area? In other words, it runs 30 miles out of 35?

23 MR. SILBERG: Can we go off the record a
24 minute?

25 JUDGE FARRAR: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (A discussion was held off the record.)

2 JUDGE FARRAR: Why don't we put on the
3 record now, the consensus answer to what we thought
4 was a simple question.

5 Mr. Witness, the southern boundary of
6 the wilderness study area, Cedar Mountain
7 Wilderness Study Area is where in relation to
8 the --

9 DR. CATLIN: The end of the rail line.
10 It's now -- the southern boundary of the Cedar
11 Mountain Wilderness Study Area by consensus is
12 about one mile north of where the rail line goes to
13 the reservation.

14 JUDGE FARRAR: All right, then, so in
15 simplistic terms, the rail line would run the
16 entire extent?

17 DR. CATLIN: It runs parallel to the
18 entire extent of that area.

19 MR. SILBERG: Parallel to and east of.

20 JUDGE FARRAR: Parallel to and east of.
21 Fine, thank you.

22 My last simple question of the day is,
23 the more I've thought about your answer about Burr
24 Trail, the more I'm intrigued about how wilderness
25 works. Why have the areas to the two sides of Burr

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Trail not previously been designated as wilderness?

2 DR. CATLIN: Well, they have been
3 proposed, of course, and they're not designated
4 because a bill has to leave committee and go to a
5 vote. And it has not left committee because the
6 chairman has decided that this bill should not be
7 put to a vote before the House.

8 JUDGE FARRAR: But never mind this bill.
9 Why wasn't it done 10, 20, 30, 40, 50 years ago? I
10 mean if anyplace looks to the casual observer like
11 wilderness, that does.

12 DR. CATLIN: The Bureau of Land
13 Management in about 1972 was beginning to think
14 about wilderness, but they had not put together a
15 legislative proposal. In 1976, they were given a
16 mandate to evaluate wilderness and report back to
17 Congress. So nobody wanted to put forward a bill
18 until that mandated congressional process met --
19 went through the full process, went through the
20 full term. And so bills were not thought about or
21 introduced until BLM inventory wilderness process
22 reached its timetable.

23 JUDGE FARRAR: Okay.

24 MR. SILBERG: I do have some recross.
25

REXCROSS EXAMINATION

1
2 BY MR. SILBERG:

3 Q. Dr. Catlin, in response to a question
4 from Judge Lam, you said that you have to analyze
5 all the other actions which may happen in this
6 area. How do you do that for future actions which
7 no one has proposed? How far out in the future
8 should we go to speculate on what else might happen
9 in this area?

10 A. Well, you should only look at what is
11 reasonably foreseeable in the distant future.

12 Q. How distant future?

13 A. I would say the next two or three
14 decades at this point, because we really can't
15 adequately predict what's going beyond that. Is
16 that fair to say?

17 Q. Yeah, but you think you can predict
18 what's going to happen in Skull Valley in the North
19 Cedar Mountains in the next 20 years?

20 A. Well, there's several -- you can bracket
21 what one might predict but a range of alternatives.
22 One would be that little is going to change from
23 what it is today. The other would be that all of
24 the proposals and opportunities that the area now
25 allows, either by management or by promotion,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 occur. So you can look at what people have put out
2 to propose to do and has not yet taken place.

3 Q. And what has been proposed to do in
4 Skull Valley?

5 A. Well, what has been proposed to do in
6 Skull Valley --

7 Q. Besides this project.

8 A. -- besides this project is to continue
9 to promote unregulated motor vehicle use. So
10 unregulated, by meaning unregulated, I mean a
11 practical sense for the average user who's out
12 there.

13 Q. Who is promoting unregulated use?

14 A. Bureau of Land Management by absence of
15 active action on the ground in that area is
16 promoting motor vehicle use.

17 Q. So promotion is by absence of action?

18 A. Yes.

19 Q. And you can predict that that's going to
20 happen for the next 20 years?

21 A. I can predict increased motor vehicle
22 problems for the next 20 years, yes.

23 Q. In that particular location?

24 A. Yes.

25 Q. Okay. You have a wonderful crystal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ball.

2 A. I'll share it with you.

3 Q. I wish you would. And I'm sure your
4 investments in Wall Street are far better than
5 mine.

6 You said that until the mud flats in
7 Skull Valley, that those were a lower scale of less
8 biologically productive. As a non biologist,
9 you're confident that you can make that judgment?

10 A. Yes, I can.

11 Q. Okay. Why can you make a judgment on
12 biological questions when you're not a biologist?

13 A. Because I have talked to the people who
14 have been doing the inventory work, the wetland
15 areas in the Great Basin, and they have told me the
16 kinds of areas they're looking at and the kinds of
17 areas they're not looking at. And the alkali mud
18 flats that are on the northern part of the unit
19 near the off-road vehicle area are less
20 biologically productive because of the alkaline
21 nature and the soil type nature of that area.

22 Q. Have you tested the soil type?

23 A. No, I haven't. But that's knowledge
24 that's been given to me by other people who have.

25 Q. Have they tested the soil type in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 location?

2 A. No, but they've relied on soil maps and
3 soil identification done by the Natural Resources
4 Conservation Services.

5 Q. Which soil maps?

6 A. They've classified -- this used to be
7 the soil conservation service. They've done a
8 mapping job to classify into units soil types, and
9 these maps are on the Internet, they're in public
10 land offices, they're available from the agencies
11 themselves.

12 Q. But you haven't looked at those maps?

13 A. Yes, I did.

14 Q. For the Skull Valley, for the mud flats?

15 A. In this area, yes, in the past I have,
16 yes.

17 Q. And what do they show?

18 A. What they show is the thing I just
19 described, that the northern part of the mud flats
20 area is more alkaline in nature and doesn't have
21 the kinds of fresh water springs and wetland areas
22 that are found in soil types to the south of that
23 area.

24 Q. I thought you told us that you hadn't
25 looked at that and you talked to other people about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that?

2 A. Well, I have talked to other people and
3 I have seen these maps, yes.

4 Q. You said in response to a question by
5 Judge Farrar, that if State lands were available,
6 there might be a route that might be able to handle
7 the slope avoiding deleterious impacts like the
8 greasewood community. You haven't done any
9 analysis of that, have you?

10 A. No.

11 Q. Okay. The West Valley route would go
12 through the greasewood community; isn't that
13 correct?

14 A. Through some of it, yes.

15 Q. Yes. And I think you said the
16 greasewood was a native rather than invasive
17 community?

18 A. Yes, it is.

19 Q. So you would be destroying a native
20 community with that route to the extent you were
21 getting rid of greasewood?

22 A. You would be injuring some of that, yes.

23 Q. Okay. And you also talked about a route
24 that might -- that other vehicles might use track
25 side access?

1 A. Yes.

2 Q. Are you aware of people who drive their
3 trucks over railroad tracks?

4 A. Yes.

5 Q. A lot?

6 A. Yes. If you go to the San Rafael Swell
7 and look at the Transcontinental Railroad there,
8 you'll see a lot of that activity going on.

9 Q. You said that there were different
10 plants in these runoffs -- in the runoff, the
11 natural occurring runoff ditches?

12 A. Yes.

13 Q. Okay. What kind of plants?

14 A. I am not a botanist and I don't
15 specifically know the plants. I went over to look
16 at them, actually to see if I could identify them,
17 and I can't say that I know this many.

18 Q. So you don't know whether they are
19 native species or invasive species?

20 A. I know most of the invasive species and
21 they weren't in the ones I recognized.

22 Q. But you didn't know what they were?

23 A. I didn't know what they were, no.

24 Q. You were talking about diverting into a
25 few culverts. Do you know how many culverts there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will be?

2 A. No, I don't.

3 Q. Do you know how many culverts there
4 would be in the West Valley alternative?

5 A. No, I don't.

6 Q. I think you said on redirect, and I may
7 not have heard, you were talking about riparian
8 areas in the Low corridor. Are there any?

9 A. No, to my knowledge, there are none.

10 Q. Okay. And you then identified some
11 facilities which you said were part of the rapid
12 industrialization of this part of the state. And
13 you identified an incinerator. Do you know how
14 long that incinerator has been there?

15 A. I don't, but it's been there a fair
16 number of years.

17 Q. Okay. And you mentioned the magnesium
18 plant. Do you know how long the magnesium Corp.,
19 magnesium plant has been there?

20 A. It's been there for several decades.

21 Q. And you talk about chemical weapons
22 facility. Do you know how long that facility has
23 been there?

24 A. That's been there a few years, as well.

25 Q. Okay. A few years meaning several

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decades?

2 A. I'm sorry, I don't -- well, the military
3 storage of it has been there, of course predates
4 World War II. But the chemical incineration of
5 that is more recent.

6 Q. Okay. And you talked about the proving
7 grounds, the Dugway Proving Grounds, and that's
8 been there for a while, hasn't it?

9 A. It's been there since the second World
10 War.

11 Q. So that's the rapid incineration that
12 we're talking about, the stuff that's been there
13 for decades?

14 A. Well, many of these things have changed
15 in character, and we're seeing changes within them.
16 So they're not the same as what they were in World
17 War II.

18 Q. Okay. And you talked about -- about
19 changing use of public lands and you'd like to
20 divert activities elsewhere. So you want people to
21 stay away from here and go somewhere else; right?

22 A. We want to insure that some of the
23 public lands remain in a natural state.

24 Q. How much of the natural lands?

25 A. Well, from a biological point of view,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's a very interesting question. But they
2 estimate at least a third to maybe a half of the
3 lands have to be fully functional in order to
4 insure the continued viability.

5 Q. So it would really be your preference
6 that there be no development in these lands
7 anywhere?

8 A. No.

9 MS. WALKER: I'm sorry, just for
10 clarification, these lands, what do you mean?

11 MR. SILBERG: The lands that are in the
12 five million acres that SUWA and Utah Wilderness
13 Coalition want to include as wilderness.

14 DR. CATLIN: I believe there should be
15 development on public lands but not on all public
16 lands. And the wilderness proposal did not include
17 all public lands. It's a part of it.

18 Q. (By Mr. Silberg) Okay. You were
19 having -- you said you were having some difficulty
20 in interpreting some of our charts and maps,
21 including the ones with the pink and green. That's
22 a good way to describe them. I assume you heard
23 the testimony yesterday that those types of charts
24 are common amongst railroad construction experts?

25 A. Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. And you're not a railroad construction
2 expert?

3 A. That's correct.

4 Q. Okay.

5 A. But they're also common on road
6 construction.

7 Q. You also said that shoulders -- and I
8 think by that, you mean the area in your designated
9 area through which the Low rail spur would go, is
10 most in need of restoration?

11 A. Yes.

12 Q. Okay. And you thought that that was
13 caused by the encroachment of invasive species,
14 particularly cheatgrass; is that correct?

15 A. Biologically speaking, that's the most
16 of it, yes.

17 Q. And that was probably caused by cow
18 grazing?

19 A. Yes.

20 Q. So the first thing we ought to do is get
21 rid of the cow grazing; right?

22 A. We should change how we graze, yes. But
23 that's not getting rid of it. That's changing.

24 Q. So we should change how we do cattle
25 grazing?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A. Yes.

2 Q. In that area?

3 A. Yes.

4 Q. And this proceeding has a lot to do with
5 cattle grazing?

6 A. It may affect it. Because one of the
7 things that happens is when a development goes in
8 an area, it changes how the cattle use the area,
9 because it changes how the rancher distributes feed
10 supplements and water systems. So there may be
11 indirect impacts that come of this, not because of
12 the project itself, but because of how other people
13 use the land that relates to the project.

14 Q. Well, how is this rail spur going to
15 affect how the cattle ranchers bring feed and water
16 to their herds?

17 A. Well, there may be a large section --
18 this is again -- I haven't done this analysis, but
19 there may be a large section in the center of the
20 valley near the rail lines that the rancher didn't
21 drive to today because there's no road there, but
22 now can because they can drive beside the rail line
23 to get there. So they may go out and then use that
24 ease of access that the rail line provides to
25 increase the intensity of grazing use in that area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. First of all, they're going to drive
2 along the road next to the rail spur that doesn't
3 exist; right?

4 A. They may drive along the cleared section
5 of land beside the rail line that now allows
6 vehicles to pass.

7 Q. They could also drive along the middle
8 of the valley through the cleared land that exists
9 there today, couldn't they?

10 A. Not in the case of brushy areas, no. So
11 where the rail line goes through brushy areas, it
12 creates an avenue of vehicle access that wasn't
13 there before.

14 Q. Okay. And this is in the middle of the
15 valley you're talking about?

16 A. It could be in the middle of the valley,
17 on the side of the valley, as well.

18 Q. Okay. But we have the cheatgrass on the
19 side of the valley, so that's not relevant to that
20 concern of yours, is it?

21 A. Well -- I'm sorry, could you please
22 rephrase that.

23 Q. You're talking about driving through
24 cleared areas and cattle somehow being impacted by
25 a railroad that has no road next to it, and we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking about an area that's above a fairly large
2 amount of -- not cheatgrass, I'm sorry, greasewood.
3 My eastern botanist is catching up with me. The
4 idea that cattle grazing in the shoulder area is
5 going to be affected by something that may happen
6 down on the floor of the valley, and that's somehow
7 based on the rail spur, I just don't understand
8 where you come up with the connection.

9 A. Here's the connection. If you put water
10 out in an area, particularly during the summer or
11 late dry season, you can increase the use of the
12 grazing use of that area. Cattle, particularly
13 when it gets hot, can only go so many miles from
14 water. So the rancher, to encourage cattle to use
15 other areas, will do -- will move them in a sense
16 and manage them by establishing additional water
17 sources. And they can bring in a trough that they
18 carry on a truck and they can fill it with water
19 from a tank. They can establish water facilities
20 that they now can drive to because there's now a
21 new vehicle access to this area. We've often seen
22 where minimal exploration or other developments,
23 including the kind that we're talking about, go in,
24 it produces increased access for development of
25 these facilities and they're used to doing this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 kind of thing.

2 Q. Dr. Catlin, you're no rancher, are you?

3 A. I'm not.

4 Q. Okay. And you've never raised cattle,
5 have you?

6 A. I haven't.

7 Q. And so you don't know how the ranchers
8 in Skull Valley may or may not decide to change
9 their way of doing business because there's a
10 railroad line that comes down that valley that
11 doesn't have an access next to it, do you?

12 A. I believe I may.

13 Q. You may what?

14 A. I may have information on how the area
15 is managed and how their activities may affect the
16 land.

17 Q. Even though you're not a rancher and
18 you're not a botanist, you're not a railroad person
19 and you think you know how ranchers are going to
20 behave?

21 A. I may be able to predict, yes --

22 Q. Okay.

23 A. -- how they're going to change, and
24 this comes from our experience in analyzing grazing
25 management and property functional condition and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 range land. We have a project going on now that's
2 looking at using GIS and biological analysis to
3 establish range capacity and range analysis. So I
4 believe this research we're doing with our
5 scientists does relate to the question you just
6 asked, and our ability to look at how the change in
7 stock facilities, what I call range furniture,
8 water facilities, affects ecosystem health, yes, I
9 believe I do have some knowledge in that area.

10 Q. Okay. Well, I think we'll let your
11 crystal ball speak for itself. I have no further
12 questions.

13 JUDGE FARRAR: Mr. Weisman.

14

15 RECROSS EXAMINATION

16 BY MR. WEISMAN:

17 Q. I would just like to follow up on one
18 answer you gave to Mr. Silberg. You indicated that
19 you had seen people driving on railroad tracks, the
20 Transcontinental Railroad in the San Rafael Swell?

21 A. Uh-huh.

22 Q. Are you referring to the
23 Transcontinental Railroad that linked the two
24 coasts in the late 19th century?

25 A. No, it's currently active.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. Okay.

2 A. It's the railroad that goes between Salt
3 Lake City and Denver.

4 Q. Okay. So right, the old
5 Transcontinental Railroad, that's to the north of
6 the San Rafael Swell?

7 A. Right, the one that was built in the
8 1860s, yeah, that's further to the north.

9 MR. WEISMAN: Okay, thank you.

10 JUDGE FARRAR: Ms. Walker, has any of
11 what's transpired recently lead you to any
12 redirect?

13 MS. WALKER: Yeah, just a couple of
14 questions.

15
16 REDIRECT EXAMINATION

17 BY MS. WALKER:

18 Q. Do you think they drive on the tracks
19 themselves or next to them?

20 A. They'll drive next to them, they'll
21 drive across them. They'll rarely drive on them
22 themselves on the tracks, but they will drive on
23 the embankment and the cleared area that the tracks
24 provide. So you see ATV routes along these, you
25 see jeep trails occasionally.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 JUDGE FARRAR: But you don't see
2 vehicles traveling along the tracks themselves?

3 DR. CATLIN: No, but they will
4 actually -- actually, these vehicles are capable of
5 going up to the tracks and crossing them and going
6 down the other side.

7 JUDGE FARRAR: I think we -- many of us
8 may have misunderstood a previous answer where it
9 sounded like you said these people drive along the
10 tracks.

11 DR. CATLIN: They don't drive on the
12 tracks, but they drive beside them or across them.

13 JUDGE FARRAR: Okay.

14 Q. (By Ms. Walker) How many acres of BLM
15 land approximately are there in the state?

16 A. 22 million.

17 Q. And what percentage are in America's Red
18 Rock Wilderness Bill -- or not percentage, just --
19 well, do you know the percentage?

20 A. It's about 9.3 million acres, so if you
21 divide 9.3 by 22, you can come up with a
22 percentage.

23 Q. Okay.

24 MS. WALKER: That's it.

25 MR. SILBERG: Can I ask one follow-up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mathematical question. And what percent of the
2 that 800 acres that's covered by the portion SUWA B
3 that would be affected in our current proceeding?

4 DR. CATLIN: It's a small percent.

5 MR. SILBERG: Very small percent?

6 DR. CATLIN: Very small percent.

7 MS. WALKER: But then I have a
8 follow-up. And what percentage of those BLM lands
9 are under threats of developments similar to the
10 proposed project?

11 MR. SILBERG: That goes well beyond my
12 question.

13 JUDGE FARRAR: We'll allow it. Go
14 ahead.

15 DR. CATLIN: There are a large number of
16 them. And it's absolutely astounding the number of
17 threats that we deal with all the time. I can't
18 tell you in absolute numbers, but they're a lot of
19 threats.

20 MS. WALKER: Thanks.

21 JUDGE FARRAR: Does that wrap it up?
22 All right. It's now five after one.

23 MR. SILBERG: We have two questions that
24 we want to ask on rebuttal.

25 JUDGE FARRAR: Oh, rebuttal by your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 witnesses?

2 MR. SILBERG: Yes.

3 JUDGE FARRAR: Go ahead.

4 MR. SILBERG: Can we do that now?

5 MS. WALKER: Wait, what's rebuttal? I
6 thought you said was all we had was redirect.

7 MR. SILBERG: That's all you have.

8 JUDGE FARRAR: That's all you have on
9 your -- with your witness. In other words, we've
10 had the proponent's witnesses, we've had the
11 opponent's witness and now the proponents have a
12 chance for rebuttal.

13 MR. WEISMAN: The Staff's witnesses.

14 JUDGE FARRAR: In other words, we're
15 now -- you've had your last chance with your
16 witness unless on rebuttal or something that leads
17 you to do surrebuttal.

18 MS. WALKER: Okay.

19 JUDGE FARRAR: Maybe the hungrier
20 everyone is, the more important it is to press
21 forward and we'll do it faster.

22 MR. SILBERG: It should take us about
23 two minutes.

24 JUDGE FARRAR: And these would be who?

25 MR. SILBERG: Well, I'd ask that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mr. Hayes and Ms. Davis take the stand. They
2 remain under oath.

3 JUDGE FARRAR: That's correct.

4 Dr. Catlin, thank you for your testimony with us.

5 DR. CATLIN: You're welcome.

6 JUDGE FARRAR: We think you're finished
7 but --

8 DR. CATLIN: I'll stick around.

9 MR. SILBERG: It depends on how hungry
10 you are.

11 JUDGE FARRAR: All right. You are still
12 under oath. Go ahead, Mr. Silberg.

13

14

REBUTTAL EXAMINATION

15 BY MR. BARNETT:

16 Q. Ms. Davis, you recall a discussion
17 earlier about critical habitats and the impacts
18 that the Low rail corridor might or might not have
19 upon them. In evaluating the environmental impacts
20 of the Low rail corridor, did PFS consider critical
21 habitats?

22 MS. DAVIS: Yes, we did.

23 Q. And how did you do that?

24 MS. DAVIS: I consulted with the BLM,
25 the Division of Wildlife Services and the U.S. Fish

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and Game and -- Fish and Wildlife Service, I'm
2 sorry, and none of them identified any critical
3 habitat among the Low corridor?

4 Q. Is that for plant and animal species?

5 MS. DAVIS: Yes, it is.

6 MS. WALKER: May I ask a question for
7 clarification. So when you're talking about
8 critical habitat here, you're talking about ESA
9 critical habitat?

10 MS. DAVIS: I believe that is the BLM's
11 definition of critical habitat.

12 MS. WALKER: So the one that's in the
13 exhibit that the Staff passed out?

14 MR. WEISMAN: Yes, that's the Staff
15 Exhibit Y, I believe.

16 MS. WALKER: Yeah, okay.

17 Q. (By Mr. Barnett) What definition of
18 critical habitat did you use when you did your
19 analysis?

20 MS. DAVIS: I believe each of those
21 agencies would have their own definition of
22 critical habitat, and would answer appropriately.
23 BLM and U.S. Fish and Wildlife Service would use
24 the same definition, I believe. Utah Division of
25 Wildlife Resources extends their definition of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 critical habitat. They do it for a large number of
2 species, not just those that are listed in the
3 Endangered Species Act.

4 Q. Do you recall a discussion earlier, I
5 believe a statement by Mr. Catlin, regarding the
6 impact of the runoff or drainage around the Low
7 corridor railroad on the vegetation that would be
8 around the corridor, and the same question with
9 respect to the runoff around the West Valley
10 alternative and the impact on the greasewood
11 vegetation? Could you, Mr. Hayes, could you say
12 how PFS is handling the question of drainage around
13 the Low rail corridor as it's currently planned?

14 MR. HAYES: On the Low rail corridor,
15 any drain that was larger than about six inches
16 deep that had a continuing path, in other words,
17 did not come back to or join with a larger drain
18 through the right-of-way, 200 foot right-of-way,
19 now has a culvert. The culverts are -- minimum
20 size, they are 24 inch and go as large as 48 inch.

21 Q. And, Ms. Davis, given the culverts that
22 are used on the -- plan to be used on the Low rail
23 corridor, what impact would the runoff with the
24 culverts have given the railroad embankment that
25 would be present at the various locations, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 affect will that have on the vegetation on either
2 side of the rail?

3 MS. DAVIS: I would not expect there
4 would be any.

5 Q. And could you explain that.

6 MS. DAVIS: The engineering that's been
7 done has been done to appropriately handle the flow
8 so that it would maintain generally the natural
9 flow conditions on both sides of the railroad.
10 Therefore, would not affect the vegetation.

11 Q. Now, hypothetically, if you were to
12 build a railroad in the greasewood vegetation
13 that's at somewhat of a lower elevation that was
14 observed on the field trip on Monday, what impact
15 would -- do you see that the Low rail corridor as
16 it's currently planned would have a greater impact
17 on vegetation in its area or would railroad built
18 in the greasewood have greater impact on vegetation
19 there?

20 MS. DAVIS: With what type of
21 engineering on the west --

22 Q. Assuming both railroads took into
23 account the existing flow, the runoff of the
24 channels that Mr. Hayes discussed?

25 MS. DAVIS: If the West Valley

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alternative was engineered in such a way as to
2 account for the flow that exists in that location,
3 I wouldn't expect there to be any effect on the
4 vegetation in that location, either.

5 Q. So relatively speaking, you would say
6 both railroads would have very little impact on
7 vegetation because of runoff?

8 MS. DAVIS: That's correct.

9 MR. BARNETT: That's all I have, Your
10 Honor.

11 JUDGE FARRAR: Does the Staff have
12 anything of these witnesses?

13 MR. WEISMAN: I don't have anything for
14 these witnesses. Thank you.

15 JUDGE FARRAR: Mr. Hayes, could you do a
16 better alternative if you had access to state
17 lands?

18 MR. HAYES: I'm sorry.

19 JUDGE FARRAR: Could you do a better
20 rail line environmentally if you had access to the
21 State lands?

22 MR. HAYES: I'm not sure what benefit
23 you would get by pushing the rail line any further
24 east in crossing the state line.

25 JUDGE FARRAR: State lands.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAYES: That's correct.

2 JUDGE FARRAR: The boundary of the State
3 lands?

4 MR. HAYES: Right.

5 JUDGE FARRAR: Because I thought
6 somewhere in your report or the Staff FEIS, you had
7 felt constrained by the State lands which led me to
8 think you at one point would have liked to have
9 used those if you had access to them.

10 MR. HAYES: No, we probably never would
11 have used the land. We might have encroached some
12 on it, but we would never have gone across it.

13 JUDGE FARRAR: Never gone across it
14 because it wasn't yours?

15 MR. HAYES: We would have never gone
16 across the State land and into further east of the
17 West Valley --

18 JUDGE FARRAR: Forget -- maybe I didn't
19 make my question clear. Forget that the State
20 owned them. Just visualize in these lands, could
21 you have done a better line -- rail line using
22 those lands?

23 MR. HAYES: I don't think so.

24 JUDGE FARRAR: Thank you. Any cross of
25 these witnesses?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

SURREBUTTAL EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MS. WALKER:

Q. Ms. Davis, when the FEIS says critical habitat on that little map -- do you remember the little map?

MS. DAVIS: Yes, I do.

Q. So whose definition of critical?

MS. DAVIS: That would be the Utah Division of Wildlife Resources.

Q. Okay, great, thank you. That's it.

JUDGE FARRAR: All right. Then --

MR. SILBERG: Ask the witnesses be excused with a thanks of the Board and the parties.

JUDGE FARRAR: They have the thanks of the Board and they are probably thankful themselves.

MR. SILBERG: I'll extend that offer to the witnesses for SUWA and the Staff, if you want.

JUDGE FARRAR: Does the Staff have any rebuttal?

MR. WEISMAN: The Staff has no rebuttal, no.

JUDGE FARRAR: Ms. Walker, does this presentation by the Applicant trigger a need in you to put your witness back on the stand to respond to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anything they've said?

2 MS. WALKER: I hate to do it, but only
3 one question.

4 JUDGE FARRAR: That's fair. Dr. Catlin.

5 MS. WALKER: I'm just worried about all
6 this critical habitat stuff.

7

8 FURTHER REDIRECT EXAMINATION

9 BY MS. WALKER:

10 Q. Dr. Catlin, I believe you talked about
11 GAP analysis and discussion of various species, and
12 I think you might have used the term -- did you use
13 the term critical habitat?

14 A. Yes.

15 Q. Okay. Whose definition were you using?

16 A. This critical habitat was defined by the
17 Utah State University and the Fish and Wildlife
18 Service in analyzing habitat for different kinds of
19 animals and plants.

20 Q. But are they listed pursuant to the ESA,
21 those kind of animals and plants?

22 A. No. Nor is deer listed for the ESA.
23 Critical is necessary to support the population to
24 insure that it continues in that area. It's
25 critical for that area, for that herd, for that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 species or that population.

2 Q. So you didn't mean critical habitat as
3 in designated by the Utah Fish and Wildlife
4 Service?

5 A. No.

6 Q. Yeah, okay. Great, thank you. That's
7 all.

8 JUDGE FARRAR: Mr. Silberg, may we have
9 lunch now?

10 MR. SILBERG: Yes, you may. As may I.

11 JUDGE FARRAR: Thank you. Thank you
12 again, Dr. Catlin. Ms. Walker, we will not be
13 seeing you again, so we thank you for your
14 participation.

15 MS. WALKER: It was fun.

16 JUDGE FARRAR: Not many people say that.
17 Mr. Weisman, we'll be seeing you again?

18 MR. WEISMAN: Only for our oral argument
19 on Thursday.

20 JUDGE FARRAR: Mr. Silberg, you'll be
21 doing hydrology?

22 MR. SILBERG: Yes, sir.

23 JUDGE FARRAR: Okay. Then, again, thank
24 you, Ms. Walker, and your witness and Mr. Weisman.

25 MR. WEISMAN: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE FARRAR: Let's take a full hour.
2 Given that we've been going on for a long time, we
3 could use it. So we'll be back here at 2:15.

4 (Noon Recess.)

5 JUDGE FARRAR: Good afternoon. We are
6 here on a new issue, the State's Contention O
7 involving hydrology. We've got a partial new set
8 of lawyers. Same old Board. If you will introduce
9 yourselves.

10 MR. NELSON: My name is Fred Nelson
11 representing the state of Utah on Contention O.
12 With me is Mr. Don Ostler, who will be the State's
13 witness. Also with us is Jean Braxton, paralegal.

14 JUDGE FARRAR: Mr. Silberg?

15 MR. SILBERG: Good afternoon, again, Mr.
16 Chairman. I'm Jay Silberg, as you know, from Shaw
17 Pittman, representing Applicants, PFS. With me
18 today on this issue is Mr. Douglas Rosinski of Shaw
19 Pittman. We have handed out a copy of his Notice
20 of Appearance and ask that he be welcomed to this
21 august group.

22 JUDGE FARRAR: We are glad to have you
23 with us and hope the feeling is mutual. Ms. Marco?

24 MS. MARCO: Good afternoon. My name is
25 Catherine Marco and I represent the Staff of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Nuclear Regulatory Commission, and with me are two
2 members of the Staff. I have Chester Poslusny, who
3 is our environmental project manager for this
4 project, and also Mr. Mark Delligatto is here. He
5 is the general project manager who has been with
6 this project since the beginning.

7 JUDGE FARRAR: Thank you. And welcome
8 all of you. Are there any preliminaries?

9 MS. MARCO: Yes, your Honor. The Staff
10 has a preliminary matter they would like to address
11 at this time, if we may.

12 JUDGE FARRAR: Okay.

13 MS. MARCO: It has come to the attention
14 of the Staff that there is an error or perhaps
15 there are two types of errors in our FEIS, our
16 Final Environmental Impact Statement, and we would
17 like to discharge our obligation to give the Board
18 notification of these matters and felt that the
19 appropriate way to do it would be to put our
20 environmental project manager, swear him in so he
21 can address those changes. And at this point I
22 realize that the witness box is occupied, so if he
23 can do it from --

24 JUDGE FARRAR: He can stay right where
25 he is. Would you stand, sir, raise your right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hand.

2 Chester Poslusny,

3 called as a witness, for and on behalf of the
4 NRC Staff, being first duly sworn, was examined and
5 testified as follows:

6

7

EXAMINATION

8 BY MS. MARCO:

9 Q. Your Honor and parties, I have
10 distributed before you Mr. Poslusny's statement of
11 professional qualifications. And what I'd like to
12 do is introduce this as an exhibit.

13 Mr. Poslusny, I have put before you a
14 document. Do you recognize it?

15 A. Yes, I do.

16 Q. And please describe what it is.

17 A. It's a description of basically my
18 experience with the NRC.

19 Q. And is it true and accurate to the best
20 of your knowledge and information?

21 A. Yes, it is.

22 Q. It is marked as Exhibit BB and I believe
23 I have given the court reporter three copies and
24 the Board, as well, and I would move that it be
25 introduced into evidence.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE FARRAR: Okay. That's already
2 been marked.

3 (EXHIBIT-BB WAS MARKED.)

4 JUDGE FARRAR: Any objection?

5 MR. SILBERG: No.

6 JUDGE FARRAR: It will be admitted.

7 (EXHIBIT-FBB WAS ADMITTED.)

8 Q. (By Ms. Marco) Mr. Poslusny, are you
9 aware of any inaccuracies in the Staff's Final
10 Environmental Impact Statement?

11 A. Yes, I am.

12 Q. Could you please describe what the first
13 one is?

14 A. Yes. Let me point you to page XLVII of
15 the executive summary of the FEIS. In
16 particular --

17 JUDGE FARRAR: Wait. It's 47 in Roman?

18 THE WITNESS: I have forgotten my
19 translation today.

20 JUDGE FARRAR: XLVII?

21 THE WITNESS: That will work. On that
22 page is Environmental Condition No. 5, entitled
23 Water Resources. Particularly 5 (c). I would like
24 to --

25 JUDGE FARRAR: Wait. I don't find that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 THE WITNESS: It's in the middle of the
2 page.

3 JUDGE FARRAR: Okay.

4 A. I would like to focus, I will read it
5 very quickly. "PFS shall be responsible for
6 cleanup of any spills or accidents at the proposed
7 PFSF as well as at the rail siding and along the
8 rights of way for the rail line. In the event of
9 any such spills or accidents, all cleanup
10 activities shall conform with the cleanup standards
11 set forth in 10 CFR Part 20, 40 CFR 112.7, and
12 applicable state of Utah or EPA requirements."

13 We reviewed this item and realized that
14 the reference to 112.7 in the EPA regulations do
15 not apply to cleanup standards, but they apply to
16 preventative measures to prevent spills. So it was
17 an inaccurate reference. We would propose to
18 remove that reference and believe that's a valid
19 change because the last part of the sentence still
20 states, "Applicable EPA requirements."

21 Q. And so the Staff's proposed
22 environmental condition in this regard would not
23 contain that reference? Is that correct?

24 A. Correct. We would remove 40 CFR 112.7
25 from the sentence.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. Do you have another matter you'd --

2 MR. NELSON: Excuse me. For
3 clarification, you are leaving in, then, 10 CFR
4 Part 20?

5 THE WITNESS: Yes, we are.

6 JUDGE FARRAR: Okay. Any objection, any
7 problem with that? No? Okay.

8 Q. (By Ms. Marco) Would you please inform
9 the Board if you have another change?

10 A. Let me direct the Board to Page 1-27 in
11 Section 1.6.2.1 under Federal Permits and
12 Approvals. About halfway down under the U.S.
13 Environmental Protection Agency. There is a -- the
14 second part of the paragraph I'd like to focus on
15 briefly. Relative to the requirement for a
16 National Pollutant Discharge Elimination System, or
17 NPDES, and also referred to as a UPDES in the text
18 later on, I want to point out the fact that PFS has
19 been interacting with the Environmental Protection
20 Agency to try to come up with a position on whether
21 or not they would require such a permit. That is
22 still under consideration by the EPA, as far as I
23 understand. And what we determined in later
24 portions of the text, we had assumed that they
25 would be applicable. There are a couple of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inconsistencies there but really the important fact
2 is 1.6.2.1 prevails in our observation of what is
3 going on between PFS and the EPA.

4 Q. And in particular can you state what
5 that sentence is that says that?

6 A. Okay. Let me state it. "However, PFS
7 has provided information to EPA Region 8 indicating
8 that no jurisdictional wetlands or other types of
9 waters of the United States are located at the
10 proposed site for the PFSF or along the proposed
11 railroad alignment, nor do ephemeral drainages in
12 these areas reach any jurisdictional waters. Based
13 on this information PFS has stated that it does not
14 intend to apply for an NPDES permit."

15 JUDGE FARRAR: And that would remain
16 unchanged --

17 THE WITNESS: That remains unchanged.
18 However, additional discussions were not consistent
19 with this. I can give you one example, if you'd
20 like.

21 JUDGE FARRAR: No, I'm -- in other
22 words, here it says that they have stated they
23 don't intend to apply for a permit, and now you are
24 saying that they are talking to EPA about maybe
25 applying.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 THE WITNESS: No. PFS is talking with
2 EPA to get a concurrence from them that their
3 permit is not required.

4 JUDGE FARRAR: Okay.

5 Q. (By Ms. Marco) And does that conclude
6 what you would like to tell the Board?

7 A. Yes.

8 JUDGE FARRAR: All right. Thank you.
9 Any other preliminary matters?

10 MR. SILBERG: Yes, Mr. Chairman. As I
11 indicated earlier, and I so informed the parties,
12 at this time I would like to ask the Board to
13 reconsider its ruling dated April 18 denying our
14 motion to strike certain portions of the testimony
15 of the State's witness concerning radiological
16 matters.

17 In the Board's order of April 18, it is
18 stated that the mention of matters dealing with
19 radiological pollution is intended only to provide
20 context or background for the nonradiological
21 matters. And I would ask for reconsideration
22 because I think a fair reading of the statements in
23 the testimony to be offered by Mr. Ostler would
24 indicate that these are not statements that are
25 merely offered for context or background. For

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 instance, if I call the Board's attention, if you
2 have Mr. Ostler's testimony in front of you, on the
3 top of Page 5, first full paragraph, it says, "NRC
4 is relying on 10 CFR Part 20 standards for cleanup
5 standards." I don't see that as a context or
6 background.

7 JUDGE FARRAR: Where on Page 5?

8 MR. SILBERG: The first full paragraph,
9 second sentence.

10 MR. NELSON: If I may --

11 JUDGE FARRAR: Wait. We may have
12 brought with us the version, the electronic version
13 rather than the hard copy. So give me a question
14 and answer.

15 MR. SILBERG: I see.

16 MR. NELSON: I can maybe short-circuit
17 this and simplify it by saying we will agree and
18 stipulate that what the Board has represented in
19 its order is correct, and that was not our intent
20 to --

21 JUDGE FARRAR: Okay. I hear what you
22 are saying. Let me find the place first.

23 MR. SILBERG: It's in Answer 4, the
24 third paragraph of text, and the second sentence.

25 JUDGE FARRAR: Okay. And while I have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your attention on this, if today as we are
2 questioning the witnesses, if you could give us not
3 only page references but question and answer
4 references to take care of the --

5 MR. SILBERG: And I don't know if I'm
6 reading from an electronic or nonelectronic
7 version.

8 JUDGE FARRAR: All right. As long as
9 you are informed. So we have that sentence. All
10 right. And we --

11 MR. SILBERG: Similarly in Answer 14, in
12 the first paragraph, which on my version at the top
13 of Page 13, the testimony says, "If this is not
14 done," meaning the sampling or observation to
15 insure nonradiological contaminants are not
16 present, "or if radiological sampling is ignored or
17 done improperly, contaminants will be released on
18 site." It seems to me the statement about
19 radiological sampling if ignored or done
20 improperly, is not background or context for
21 nonradiological matters.

22 Similarly, in Footnote 4, which is in
23 Answer 4, the testimony deals with the lack of
24 background radiological levels, lack of monitoring
25 for background radiological levels in ground water.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Again, I think this is testimony which is not mere
2 context or background. And I can go through the
3 other references, as well.

4 It really seems to me, since this
5 contention has been properly limited to the
6 discussion of nonradiological contamination, that
7 the testimony would be cleaner if we limited it to
8 the scope of the contention.

9 JUDGE FARRAR: Thank you, Mr. Silberg.
10 As I remember when we wrote this, we took the
11 State's written brief as, in effect, representing
12 that this was only to context. And I think I just
13 heard Mr. Nelson say that.

14 I take it, Mr. Nelson, that regardless
15 of how you might read this independently of that
16 representation, you are saying this is only for
17 context of the issue, the nonradiological issue as
18 it's been defined?

19 MR. NELSON: It is, Judge Farrar. And
20 we are going to have this problem I think regularly
21 in the testimony today because many times in the
22 text that we are going to be looking at in the EIS,
23 in the prefiled testimony not only of Mr. Ostler
24 but also the prefiled testimony of the witnesses,
25 we are going to have that issue. And we agree that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ruling has been made. We are not dealing with
2 radiologics. We are dealing with nonradiologics.

3 JUDGE FARRAR: We, not being a jury, we
4 don't have any concern about us getting confused on
5 that point. The issue has been limited to
6 nonradiological. Ms. Marco, does the Staff have
7 anything?

8 MS. MARCO: The Staff is interested
9 primarily in clarity to make sure that there is
10 no -- that you are not going to be able to go back
11 and find something in the record at a later date
12 and be confused as to what the intent of having it
13 in there was. It is clearly, if it is crossed out,
14 X'd out of testimony, I don't see why, if there are
15 so few passages, it couldn't be done.

16 JUDGE FARRAR: I understand what you are
17 saying. But if it is offered and understood as
18 context, then that adds something that I would not
19 want to lose.

20 MS. MARCO: It does.

21 JUDGE FARRAR: You have no danger. We
22 have written an opinion, whether the State liked it
23 or not, that said radiological is not an issue. We
24 all understand that. We are not a jury so I think
25 on that basis, Mr. Silberg, we will deny your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 motion for reconsideration and proceed on this
2 understanding.

3 MR. SILBERG: Thank you, Mr. Chairman.
4 At this time I would ask that Applicant's witnesses
5 on Contention Utah O, Dr. George Liang and Mr.
6 Donald Wayne Lewis rise and be sworn in.

7 JUDGE FARRAR: Stand and raise your
8 right hand, if you would.

9
10 DR. GEORGE H. C. LIANG AND

11 DONALD WAYNE LEWIS,

12 called as witnesses for and on behalf of the
13 Applicant, being first duly sworn, were examined
14 and testified as follows:

15
16 MR. SILBERG: The prefiled testimony of
17 Dr. Liang and Mr. Lewis has been previously
18 distributed to everyone. And the parties have
19 agreed that we can merely stipulate this into
20 evidence at this point as if read. I'm handing the
21 reporter a copy of a document entitled Testimony of
22 George H. C. Liang and Donald Wayne Lewis on
23 Contention Utah O, hydrology, which includes both
24 the testimony and their statement of professional
25 qualifications. I'd ask that it be incorporated in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the transcript at this point as if read as the
2 testimony of these witnesses.

3 JUDGE FARRAR: And this is the same as
4 the testimony we have previously been given?

5 MR. SILBERG: It is.

6 JUDGE FARRAR: Any objection?

7 MS. MARCO: No objection.

8 MR. NELSON: No objection. Our
9 understanding is that that is going to carry for
10 all the prefiled testimony. We stipulated to that.

11 JUDGE FARRAR: Rather than having them
12 testify, it is just bound in the record. Saves
13 time and we move forward from there. And it will
14 be admitted and bound in the record at this point,
15 as if read.

16 (PREFILED TESTIMONY OF GEORGE H. C.

17 LIANG AND DONALD WAYNE LEWIS FOLLOWS.)

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SILBERG: Thank you. That testimony
2 also included one exhibit, PFS Exhibit AA. I'm
3 handing the reporter three copies of that exhibit.
4 It is a site and access road location plan which
5 may look quite similar to the picture on the easel
6 over there. And I'm giving the reporter three
7 copies of the documents and ask that it be --

8 JUDGE FARRAR: Put it on her place there
9 because she can't type and receive it at the same
10 time.

11 MR. SILBERG: I ask that it be
12 identified as Applicant's Exhibit AA and admit it
13 into evidence at this point.

14 (EXHIBIT-AA WAS MARKED.)

15 JUDGE FARRAR: Any objections?

16 MS. MARCO: No objection.

17 MR. NELSON: No objection.

18 JUDGE FARRAR: All right. It will be
19 admitted.

20 (EXHIBIT-AA WAS ADMITTED.)

21 MR. SILBERG: And with that, the
22 witnesses are available for cross-examination.

23 JUDGE FARRAR: All right. Ms. Marco?
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

CROSS EXAMINATION

1
2 BY MS. MARCO:

3 Q. I'm Catherine Marco with the NRC Staff
4 and I have a few questions concerning your
5 testimony. Could you please clarify whether the
6 Applicant intends to design the fuel tanks to have
7 a double containment?

8 MR. LEWIS: Yes, they will.

9 Q. Would you describe what the double
10 containment will be?

11 MR. LEWIS: This is in regards to the
12 diesel storage tanks. We will have two diesel
13 storage tanks. And they have an inner tank that's
14 made out of steel and then they have an outer tank
15 made out of concrete. The outer tank is designed
16 to meet the code criteria for being able to
17 withhold all of the contents of the inner tank,
18 should the inner tank fail.

19 There will also be double containment on
20 the diesel storage tanks that would be for the fire
21 protection pump engine and also for the diesel
22 generator engine. Those tanks are designed
23 underneath the engines within the frame and those
24 are also double walled, both of them being steel in
25 this particular case.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SILBERG: Just for clarification,
2 those tanks are all above-ground tanks?

3 MR. LEWIS: Yes, they are.

4 Q. (By Ms. Marco) Does PFS intend that the
5 water in the detention pond would percolate into
6 the soil and evaporate?

7 MR. LEWIS: Yes. It could do both.

8 Q. So PFS is not using or not designing the
9 detention pond to be a confining layer? Is that
10 correct?

11 MR. LEWIS: That is correct.

12 Q. What percolation tests are going to be
13 performed in the future at the PFS facility?

14 MR. LEWIS: The only percolation tests
15 that would be performed would be for the purposes
16 of designing the leach fields. There will be two
17 leach fields and there would be two percolation
18 tests performed in those two locations to verify
19 that they meet the required percolation rates.

20 Q. That is all the questions I have.

21 JUDGE FARRAR: Mr. Nelson, your
22 witnesses.

23 MR. NELSON: If I may, I'd like to do
24 two things. I would represent that this chart over
25 here is from Figure 2.2 of the Environmental Impact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Statement, and for purposes of just making sure
2 that we are talking about the same areas of the
3 facility, I would like to bring that and place it
4 maybe right here so that the witnesses and the
5 panel could see it. Is that acceptable?

6 MR. SILBERG: Sure.

7 JUDGE FARRAR: Or if you want to, during
8 the course of your examination you can move it
9 right over. If you want to stand there with the
10 witnesses, you can do that, also. Either way.

11 MR. NELSON: I believe this should work
12 here.

13 JUDGE FARRAR: And this was Figure 2.2
14 on what page?

15 MR. LEWIS: 2-4.

16 MR. NELSON: In the interest of trying
17 to move this along, what I would like to do is we
18 have ten exhibits that we will be using for cross-
19 examination. And if I could just get all of those
20 marked and distribute the ten, some of them are
21 excerpts from the EIS, excerpts from the SAR, to
22 facilitate looking at them.

23 JUDGE FARRAR: Fine. And those, I see,
24 have tabs on them with their --

25 MR. NELSON: With their numbers.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE FARRAR: With their numbers.

2 MR. NELSON: This would be Exhibits 158
3 through 167.

4 JUDGE FARRAR: Let's go off the record a
5 moment to deal with the procedural matters.

6 (Discussion off the record and
7 EXHIBITS-158 THROUGH 167 WERE MARKED.)

8 JUDGE FARRAR: All right. Then we will
9 consider those documents marked for identification.

10 MR. SILBERG: Do you have copies for our
11 witness? I hope so. And if you have another copy
12 for us? The blue tags represent places where
13 the --

14 MR. NELSON: Let me describe what I just
15 handed out. It begins with Exhibit 158, which is a
16 page from a NUREG, 1567.

17 Exhibit 159 is the deposition of
18 Dr. Liang.

19 Exhibit 160 is the deposition of
20 Dr. Lewis.

21 Exhibit 61 is excerpts from the FEIS
22 that we will be referring to. And the blue tabs
23 are simply to facilitate the finding of those
24 sections as we look at the testimony.

25 JUDGE FARRAR: I think you said 61. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

March 18, 2002

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

Before the Atomic Safety and Licensing Board

In the Matter of)

PRIVATE FUEL STORAGE, L.L.C.)

(Private Fuel Storage Facility))

Docket No. 72-22

ASLBP No. 97-732-02-ISFSI

**TESTIMONY OF GEORGE H. C. LIANG AND DONALD WAYNE LEWIS
ON CONTENTION UTAH O -- HYDROLOGY**

March 18, 2002

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

Before the Atomic Safety and Licensing Board

In the Matter of)
)
PRIVATE FUEL STORAGE, L.L.C.) Docket No. 72-22
)
(Private Fuel Storage Facility)) ASLBP No. 97-732-02-ISFSI

TESTIMONY OF GEORGE H. C. LIANG AND DONALD WAYNE LEWIS
ON CONTENTION UTAH O -- HYDROLOGY

I. BACKGROUND -- WITNESSES

A. George H. C. Liang

Q1. Please state your full name.

A1. George H. C. Liang.

Q2. By whom are you employed and what is your position?

A2. I am a Senior Principal Environmental Engineer for Stone & Webster, Inc. ("S&W"), a Shaw Group Company.

Q3. Please summarize your educational and professional qualifications.

A3. My professional and educational experience is summarized in the curriculum vitae attached to this testimony. I was awarded a Ph.D. in Civil Engineering from the University of Connecticut in 1972 and am a registered Professional Engineer in the State of Connecticut. I have extensive experience in the analysis of hydrologic processes, including over 15 years experience in the calculation and evaluation of groundwater dispersion. I have attended university-level continuing education courses on hydrology and groundwater hydrology. Through my involvement in various groundwater dispersion evaluations of nuclear facilities performed by S&W during this period, I am intimately familiar with applicable Nu-

clear Regulatory Commission (“NRC”) requirements and standard industry practice for evaluating groundwater dispersion. I have visited and observed the proposed Private Fuel Storage, L.L.C. (“PFS”) project site and surrounding area. I am knowledgeable of the location of the proposed PFS Facility (“PFSF”), the hydrologic and meteorological conditions of that area, and the area’s topography, surface water and groundwater.

Q4. What has been your role in the PFSF project relevant to Contention Utah O?

A4. I have been working on the proposed PFSF project since January 1999 in hydrology and groundwater related areas. Analyses that I either participated in or reviewed are the basis of the hydrology sections in the PFSF Safety Analysis Report¹ (SAR) and Environmental Report² (ER). In addition, I prepared responses to NRC’s Request for Additional Information (“RAI”) regarding the ER and SAR related to hydrology issues.

Q5. What is the purpose of your testimony?

A5. The purpose of my testimony is to respond to the remaining allegations in Contention Utah O that PFS has failed to adequately assess the PFSF site hydrology and the environmental effects from the construction, operation, and decommissioning of the PFSF regarding non-radiological contaminant sources, pathways, and impacts.

Q6. To what will you testify?

A6. I am providing this testimony to show: 1) that the PFSF Environmental Report (“ER”) and Final Environmental Impact Statement (“FEIS”)³ accurately describe the non-radiological environmental impacts on surface water and groundwater that will result from the construction, operation, and decommissioning of the

¹ PFS, “Private Fuel Storage Facility Safety Analysis Report,” Rev. 22 (2001).

² PFS, “Environmental Report for the Private Fuel Storage Facility” (1997).

³ NUREG-1714, “Final Environmental Impact Statement for the Construction and Operation of an Independent Spent Fuel Storage Installation on the Reservation of the Skull Valley Band of Goshute Indians and the Related Transportation Facility on Tooele County, Utah” (Dec. 2001).

PFSF and 2) that the construction, operation, and decommissioning of the PFSF will have no significant non-radiological impacts on surface water and groundwater. My specific role in this testimony is to provide the scientific basis for PFSF's position regarding potential non-radiological impacts to local hydrological resources from the construction, operation and decommissioning of the PFSF.

B. Donald Wayne Lewis

Q7. Please state your full name.

A7. Donald Wayne Lewis

Q8. By whom are you employed and what is your position?

A8. I am currently employed by Stone & Webster, Inc., a Shaw Group Company, as the Lead Mechanical Engineer for the PFSF project. I have held this position since 1996.

Q9. Please summarize your educational and professional qualifications.

A9. My professional and educational experience is summarized in the curriculum vitae attached to this testimony. I received my undergraduate engineering degree from Montana State University, where I majored in Civil/Structural Engineering. I have 19 years of experience in the nuclear power industry, including 10 years of experience with the design, licensing, construction, and operation of independent spent fuel storage installations ("ISFSIs"). I am currently a registered professional engineer in the states of New York, Colorado, Utah, Iowa, and Maine. My technical contribution focuses on the mechanical aspects of ISFSI work, including cask handling and transportation equipment and operations, building services (HVAC, plumbing, etc.), and fire protection. For the PFSF project, I am also responsible for the preparation of the principal design criteria, design installation, and operating systems portions of the PFSF Safety Analysis Report. I have previously testified in this license application proceeding on the subject of fire protection.

Q10. What has been your role in the PFSF project relevant to Contention Utah O?

A10. As Lead Mechanical Engineer, it is my responsibility to establish the design basis and review all design activities of the mechanical systems at the PFSF, including the sanitary waste system. Specifically, I prepared the sanitary waste system flow diagrams, determined the approximate location of the two drain fields, and determined which buildings would drain to each drain field. The flow diagrams, system physical arrangement drawings, and construction specifications were prepared under my direction, which I reviewed for completeness and accuracy. In addition, during licensing of the PFSF, I established many of the detention basin design criteria. Specifically, I helped determine some of the detention basin design features and calculated the duration of evaporation and percolation of the standing water following a 100-year storm.

Q11. What is the purpose of your testimony?

A11. The purpose of my testimony is to respond to the remaining allegations in Contention Utah O that PFS has failed to adequately assess the PFSF site hydrology and the environmental effects from the construction, operation, and decommissioning of the PFSF regarding non-radiological contaminant sources, pathways, and impacts.

Q12. To what will you testify?

A12. I am providing this testimony to show: 1) that the ER and FEIS for the PFSF adequately and accurately describe the potential impacts on the surface water and groundwater in the vicinity of the PFSF site from non-radiological contaminant sources and pathways resulting from the construction, operation, and decommissioning of the PFSF, and 2) that the construction, operation, and decommissioning of the PFSF do not have the potential for significant non-radiological surface water and groundwater impacts or downgradient hydrological resource impacts. My role in this testimony is to describe the specific PFSF design features to minimize the potential for non-radiological contamination of surface waters and groundwater. I will also describe the potential non-radiological contaminants that will likely be present at the PFSF and discuss the likelihood of non-radiological con-

tamination of surface and ground water occurring during facility construction, operation and decommissioning. I will also generally describe the procedures that will be in place to preclude such contamination.

II. OVERVIEW

A. PFSF General Description

Q13. Please describe the proposed PFSF.

A13. (Lewis) The proposed PFSF is an independent spent fuel storage facility to be located in Skull Valley, Utah. When completed, the Owner-Controlled Area will cover 820 acres. Spent nuclear fuel will be stored inside welded, stainless steel canisters contained in concrete and steel cylindrical storage casks on concrete storage pads within a secure Restricted Area. The general layout of this area is illustrated in ER Figure 2.1-2 (sheet 1 of 2) (PFS Exhibit AA). The area around the storage pads will be surfaced with compacted crushed rock with a gentle slope toward the north to facilitate runoff of surface water from the storage pads to a detention basin.

1. Site Facilities

Q14. Please describe the buildings that will be present at the site.

A14. (Lewis) In addition to the spent fuel cask storage pads, four buildings will be constructed as part of the PFSF. These include the Administration Building, the Operations and Maintenance Building, the Security and Health Physics Building, and the Canister Transfer Building. PFS Exhibit AA shows the relationship of these buildings to other site features.

The Administration Building is located outside of the Restricted Area at the entrance to the 820-acre Owner-Controlled Area. It is a single-story steel-frame building, approximately 80 feet wide, 150 feet long, and 22 feet tall, that will house the full-time administrative, engineering, licensing, and Quality Assurance personnel. It will be located approximately 1,850 feet from the storage pads. A

break room, men's and women's restrooms, and janitor's closet will have sinks and/or toilets that drain into the sanitary waste system.

The Operations and Maintenance Building is located close to the Administration Building, approximately 1100 feet from the Restricted Area. This building is a single-story steel-frame building, approximately 80 feet wide, 200 feet long, and 36 feet tall, that will house maintenance shops and spare parts and equipment storage areas to service the vehicles and equipment used at the facility. A break room, men's and women's restrooms and locker rooms, and a janitor's closet will have sinks, toilets, and/or showers that drain into the same sanitary waste system that services the Administration Building. Because of their distance from the other two buildings on site, the Administration Building and the Operations and Maintenance Building will have a common sanitary waste system independent from a second system servicing the Security and Health Physics Building and the Canister Transfer Building.

The Security and Health Physics Building is located at the entrance to the Restricted Area and is a single-story concrete-masonry building, approximately 80 feet wide, 120 feet long and 23 feet tall. The building will control access to the Restricted Area and will house the health physics and security personnel. A staff day room, men's and women's restrooms and locker rooms, first-aid treatment room, and a janitor's closet will have sinks, toilets, and/or showers that drain into a second sanitary waste system that will service the Security and Health Physics Building and the Canister Transfer Building.

The Canister Transfer Building is located within the Restricted Area and is a reinforced-concrete high-bay structure approximately 205 feet wide, 270 feet long, and 92 feet tall. The building will house personnel temporarily during canister receipt and transfer to storage cask activities. Men's and women's restrooms and a janitor's closet will have sinks and/or toilets that will drain to a sanitary waste system, the same system that services the Security and Health Physics Building.

2. Sewer/Wastewater Systems

Q15. Please describe the PFSF sanitary waste systems.

A15. (Lewis) During PFSF construction and decommissioning, all sewage and wastewater will be handled using portable sanitary systems and subsequently trucked offsite. Sewer and wastewater requirements during PFSF operation will be handled by two separate sanitary waste systems. One of these systems will service the Administration Building and the Operations and Maintenance Building and a second system will service the Canister Transfer Building and the Security and Health Physics Building. The distance between these two buildings made the use of a single system and leach field impractical.

Both sanitary wastewater systems will be designed and installed according to the Uniform Plumbing Code ("UPC"). Major system components will include fixtures (sinks, toilets, and showers), piping, septic tanks, and the leach fields. The Canister Transfer Building sanitary waste system may include a lift station to pump waste to the septic tank, if necessary. Current plans call for use of standard materials, such as cast iron and PVC, as piping.

Q16. What is the Uniform Plumbing Code?

A16. (Lewis) The Uniform Plumbing Code, or UPC, prepared by the International Association of Plumbing and Mechanical Officials, is a widely used and accepted standard for material selection, design, construction, and installation of plumbing systems including sanitary drainage systems. Compliance with this code will ensure that the PFSF sanitary waste systems are adequate to accommodate anticipated usage. The 1997 edition of the UPC was the adopted plumbing code for Tooele County when detailed design began on the PFSF in 2000. Typically, the appropriate code edition to apply to a project is the one in effect when detailed design begins.

The UPC was used to design the domestic water and sanitary waste systems of the Canister Transfer Building and the Security and Health Physics Building and to

determine the preliminary size of the leach field areas. The code will also be required by PFS to be used by the construction contractor that will design and install the domestic water and sanitary waste systems in the Administration Building and Operations & Maintenance Building.

Q17. How did you determine the size of the PFSF sanitary waste systems?

A17. (Lewis) The UPC specifically mandates the sanitary waste system design requirements. The sanitary waste pipes were sized based on the number and type of fixtures in each building. The minimum number of fixtures was determined in accordance with Uniform Building Code requirements and based on the number of occupants (addressed in ER Section 4.2). The septic tanks were sized for a capacity of 3,500-gallons each. The piping for each sanitary waste system will be installed underground and sloped to facilitate drainage. Based on the number of fixtures and typical soil types encountered onsite, each sanitary waste leach field has been preliminarily sized at 1,400 square feet. The construction contractor will determine the final leach field sizing after percolation tests have been performed.

Q18. Describe the location and design of the sanitary waste system leach fields?

A18. (Lewis) The PFSF leach field serving the Canister Transfer Building and Security and Health Physics Building will be located approximately 125 feet north-northwest of the Security and Health Physics Building. The leach field serving the Administration Building and the Operations & Maintenance Building will be located approximately 275 feet northwest of the Administration Building and approximately 250 feet east of the Operations & Maintenance Building. These locations were chosen because they are downhill from the buildings, which is required for good drainage, and are away from the site water supply well. Each leach field was conservatively designed to process the anticipated wastewater loading discussed in the previous question. Each leach field is anticipated to contain a distribution box and perforated piping to disperse the wastewater evenly over the entire leach field area. These locations and designs meet the clearance distances and capacities in accordance with the UPC. The construction contractor

may, however, change the final location of the leach fields based on soil percolation test results.

Q19. What bearing did the soil types have on the size of the PFS sanitary waste system components and leach field?

A19. (Lewis) The PFSF site soil characteristics determine the size leach field needed for absorption of the generated wastewater into the soil. The UPC provides the design criteria for the leach field size based on soil types.

Q20. How did you determine the soil characteristics at the PFS site for the purpose of sizing the sanitary waste systems?

A20. (Lewis) The soil characteristics used in sizing the PFSF sanitary waste leach fields were determined from the site borings that were taken in late 1996 nearest the proposed leach field areas.⁴ The boring near the leach field servicing the Canister Transfer Building and Security and Health Physics Building sanitary waste system (boring E-3) determined that the soil consisted mainly of silt extending to a depth of 5 feet below grade and interlayered clay and silty clay 5 to 10 feet below grade. The boring near the leach field servicing the Administration Building and the Operations & Maintenance Building sanitary waste system (boring AR-1) determined that the soil consisted mainly of clayey silt extending to a depth of 5 feet below grade and sand 5 to 10 feet below grade.

Q21. Is there any technical reason a sanitary waste leach field would not work as intended (i.e., properly process waste without pooling or contaminating groundwater) in the soils expected at the PFSF site?

A21. (Lewis) No. As stated before, leach fields have been designed for many, many years and are well understood. Established codes and standards mandate certain requirements for leach field placement. We have no reason to believe that the soils in the vicinity of the PFSF will not comply with these requirements and every reason to believe that the planned wastewater system will perform as designed, as have thousands, if not millions, of similar systems.

3. Detention Basin

Q22. Please describe the PFSF detention basin.

A22. (Lewis) A storm-water detention basin will be constructed at the northern end of the Restricted Area, as shown in PFS Exhibit AA. The purpose of the basin is to detain precipitation runoff from severe storms and prevent possible soil erosion from runoff channeled by the storage pads. The detention basin will be approximately 800 feet long by 200 feet wide by 7 feet deep, which S&W calculated will hold the waters from a single 100-year storm event. The basin serves as a collection point for runoff, allowing the water to collect and then slowly dissipate through evaporation and percolation into the subsoils. The detention basin is designed with a concrete inlet from the cask storage area that precludes erosion of the area surrounding the cask storage area. The basin will be constructed with mechanically compacted soil sideslopes and floor and will cover approximately 8 acres with 10:1 embankments.

Q23. What will prevent damage to the detention basin structure in the unlikely event of runoff volume in excess of design?

A23. (Lewis) A spillway is located on the northern side of the detention basin. Its purpose is to allow overflow that may occur in the very unlikely event of precipitation in excess of the 100-year storm event or a precipitation event that occurs before the water from a previous precipitation event has dissipated. Though it is unlikely that this would occur, the emergency spillway provides relief protection for the detention basin walls by preventing water in the basin from exceeding a maximum depth of 6 feet. The spillway is designed so that if such overflow occurs there will be no damage to the detention basin structure or the spillway and no erosion of the soil around the PFSF.

Footnote continued from previous page

⁴ See. SAR Chapter 2, Appendix 2A, Borings E-3 and AR-1.

Q24. What evaporation rate have you assumed for your detention basin analysis and what was the source of this information?

A24. (Lewis) Originally, I assumed an evaporation rate of 0.32 inches per day. I have revised that assumption and now assume an evaporation rate of 0.13 inches per day based on information from Figure 16.1 in Houghton, Handbook of Applied Meteorology, 1985.

Q25. What is the impact of assuming this evaporation rate?

A25. (Lewis) Using an evaporation rate of 0.13 inches per day results in a longer period of standing water in the detention basin following a precipitation event (assuming no pumping as described in Answer 70). Even for this evaporation rate, however, no significant percolation of retained water would occur because of the extremely low percolation (0.09 inches per day) of the detention basin floor. Therefore, assuming a 0.13 inches per day evaporation rate, the water from the 100-year precipitation event (4.77feet) would take approximately 260 days (to dissipate through evaporation and percolation), rather than 140 days with an evaporation rate of 0.32 inches per day.⁵ The additional 120 days equates to approximately two feet of additional percolation depth from the earlier calculation. This is clearly insignificant in relation to a groundwater depth of 125 feet.

B. Surface Water and Groundwater Near the PFSF Site

Q26. Please describe the surface waters in the vicinity of the PFSF site.

A26. (Liang) The location proposed for the PFSF is an area of western Utah with a semi-arid climate, receiving average annual precipitation of 7 to 12 inches.⁶ There are no perennial watercourses, such as lakes, ponds, drinking water storage areas or streams, within 5 miles of the PFSF. No intermittent or perennial streams cross any portion of the PFSF site boundary. No identifiable stream channels exist at any point on the PFSF site. The nearest channel identifiable as an intermit-

⁵ Accounting for water loss through the basin floor of 0.09 inches per day.

⁶ Hood, J. W. and Waddell, K. M., "Hydrologic Reconnaissance of Skull Valley, Tooele County, UT: Technical Publication No. 18" (1968); See also, ER Table 2.4-3 (recent data confirming historical information).

tent stream is located approximately 1,500 feet northeast of the site. According to information provided by the State of Utah, the nearest perennial stream is the Lower South Lost Creek Spring, located approximately 5 miles northeast of the proposed PFSF site.⁷ The nearest perennial surface water body, the Great Salt Lake, is located about 28 miles north of the proposed PFSF site boundary.

Q27. Please describe the groundwater in the vicinity of the PFSF site.

A27. (Liang) The groundwater table beneath the PFSF site in the proposed vicinity of the Canister Transfer Building (elevation 4,350 feet) was encountered in the monitoring well CTB-5 (OW) at a depth of 124.5 feet during an investigation at the PFSF site administered by S&W. Based on this information, the depth to groundwater at the PFS site is approximately 125 feet. Differences in surface elevations across the proposed PFSF site could cause the depth to groundwater to vary somewhat over the site, but only by a few feet.

Q28. Are any wells located in the vicinity of the PFS site?

A28. Yes. There are 9 water wells in use within 5 miles of the site. Based on well data obtained from the State of Utah, Division of Water Rights, and Hood and Waddell, 1968, the depth from the ground surface to groundwater in these wells ranges from 78 feet to 520 feet. The depth of 125 feet observed at the CTB-5 well is entirely consistent with this data.

Q29. What is the quality of the groundwater in the vicinity of the PFSF site?

A29. (Liang) In general, groundwater in Skull Valley in the vicinity of the PFSF site is suitable for irrigation or stock watering without treatment. The main dissolved ions are sodium and chloride (Hood and Waddell, 1968). Total dissolved solids in the central and northern parts of Skull Valley, the location of the PFSF, range from 1,600 to 7,900 mg per liter. In comparison, total dissolved solids in potable water are normally less than 500 mg per liter. Most sources of water in the valley

⁷ "State of Utah Contentions on the Construction and Operating License Application by Private Fuel Storage, LLC for an Independent Spent Fuel Storage Facility" (Nov. 27, 1997).

are high in calcium (i.e., would be classified as very “hard”) and would need treatment to be suitable for human consumption.

Q30. Please explain how the precipitation in the Stansbury and Cedar Mountains provides groundwater for the PFSF site in Skull Valley.

A30. (Liang) Soils at higher elevations around the Stansbury and Cedar Mountains tend to be highly permeable. Skull Valley typically receives 7 to 12 inches of precipitation per year, while the surrounding mountains generally receive more precipitation, up to 40 inches in Stansbury Mountains and 16 to 20 inches in the lower Cedar Mountains. Because of the semi-arid climate and geologic conditions in and around the mountains, most of the runoff from the mountains either evaporates or infiltrates into alluvial materials near the margins of Skull Valley. Infiltration of runoff from the mountains recharges aquifers in the alluvial fans that extend beneath Skull Valley and is the source of groundwater beneath the PFSF site. Precipitation that falls in the valley does not reach the groundwater because of the depth of the water table, the low permeability of the soil and low amount of precipitation. Each of these characteristics is discussed in further detail below.

Q31. Please explain what happens to the precipitation that falls directly in Skull Valley in the vicinity of the PFSF site.

A31. (Liang) Precipitation events in Skull Valley are normally small and the water remains on or very near the surface where it is evaporated or transpired by vegetation. Larger amounts of precipitation may permeate slightly into the soil. Ultimately, all precipitation returns to the atmosphere either by evaporation or plant uptake and subsequent transpiration. Precipitation falling in Skull Valley does not reach groundwater because of the relatively small amount, low soil permeability, and depth to the water table.

C. Soils Near the PFSF Site

Q32. Please describe the soils in Skull Valley.

A32. (Liang) Soils in the Skull Valley floor are mainly comprised of interlayered silt, silty clay, and clayey silt down to between 25 to 35 feet below existing grade.

Q33. Please describe the borings and laboratory test data you used to determine that the soil at the PFSF site, down to between 25 and 35 feet below existing grade, is mainly comprised of interlayered silt, silty clay, and clayey silt.

A33. (Liang) Geotechnical tests were performed on samples obtained from the borings at the PFSF site. The tests were conducted at the S&W Geotechnical Laboratory in Boston, Massachusetts on 20 boxed split spoon jar samples and 9 undisturbed tube samples from the Skull Valley site. The testing program performed analyses to determine water content, Atterberg limits, percent fines, specific gravity, consolidation, and unconsolidated - undrained triaxial compression. They were conducted in accordance with applicable American Society for Testing and Materials ("ASTM") standards, including the C-136 Test Method for Sieve Analysis of Fine and Coarse Aggregates and D-1140 Test Method for Amount of Material in Soils Finer Than the No. 200 Sieve, and others.

All laboratory equipment and materials used to conduct the testing were calibrated and maintained in accordance with the S&W Standard Nuclear Quality Assurance Program. The results of testing are presented in SAR Appendix 2A, Attachment 2.

Q34. What is the permeability of the soils in the general vicinity of the PFSF site?

A34. (Liang) The silty soils in the vicinity of the PFSF site have relatively a low permeability of 0.071 inches per hour. This value is based on a field pumping test at monitoring well CTB-5, which is located in the planned location of the Canister Transfer Building. The calculated value of 0.071 inches per hour is consistent with the 0.2 inches to 0.6 inches per hour reported in the FEIS.

Q35. Please describe how you determined the permeability of the soil beneath the PFSF site.

A35. (Liang) We performed a field pumping test at monitoring well CTB-5 in 1998. During the field pumping test, the water level within the well was maintained at a fixed height above the equilibrium groundwater level (i.e., top of casing) by in-

jecting water under pressure through a flexible hose. The amount of water injected into the well was monitored over time by means of an in-line flowmeter. The test data acquired were subsequently incorporated into a standard analytic equation for estimating aquifer permeability.⁸ Using the field pumping test data, we calculated the permeability to be 0.142 feet per day, or 0.071 inches per hour. The calculated permeability based on the field pumping test data is consistent with the general values of 0.2 to 0.6 inches per hour noted in the FEIS as reported in the literature.⁹

Q36. Why was site specific permeability data, in addition to that from well CTB-5, not collected?

A36. (Liang) Additional site specific permeability data was not necessary. Previous work provided ample information with which to evaluate the site and potential environmental impacts of the proposed facility. The CTB-5 data (0.071 inches per hour) provided great confidence that the generally applicable permeability values reported in the FEIS (0.2 to 0.6 inches per hour) conservatively characterized the site. Of course, activities such as leach field preparation will require verification of actual soil permeability to ensure compliance with the UPC and adequate system function.

Q37. Are you aware of any technical basis supporting a conclusion that the permeability of the silty clays and sands vary by many orders of magnitude over the PFSF site?

A37. (Liang) No. PFSF site borings and laboratory test data identified a sub-surface profile consisting of three layers: silt, silty clay, and clayey silt. No sand was identified to a depth of between 25 and 35 feet below existing grade. As discussed above, a permeability value of 0.071 inches per hour was established at monitoring well CTB-5. Undermining the State's assertion, this value is within a

⁸ See Canada Centre for Mineral and Energy Technology (CANMET), Pit Slope Manual: Chapter 4 - Groundwater; Mining Research Laboratories (1977); *Energy, Mines and Resources Canada*, CANMET Report 77-13 (1977).

⁹ See, e.g., U.S.G.S. Professional Paper 1370-G, "Studies of Geology and Hydrology in the Basin and Range Province, Southwestern United States, for Isolation of High-Level Radioactive Waste: Characterization of the Bonnevile Region, Utah and Nevada."

single order of magnitude of the general area permeability value of 0.2 to 0.6 inches per hour. We know of no information supporting a conclusion that the permeability of the PFSF site soils vary by many orders of magnitude.

Q38. Would the presence of interfingering lenses and zones in the vicinity of the PFSF site increase the speed of contaminant downward migration toward the groundwater beyond that indicated by permeability information?

A38. (Liang) No. I am aware that the State's expert has concluded that interfingering lenses and zones must result in higher downward migration than that indicated by the permeability of uniform soils. The presence of interfingering lenses and zones, however, does not mandate this result. Such a conclusion is simply a generalization of one potential result of interfingering lenses and zones. A sequence of soils with varying permeabilities (i.e., interfingering lenses and zones) are as likely to retard downward migration as increase it. A generalization of increased migration at the PFSF site is not supported by existing information.

Q39. What is the difference between "permeability" and "percolation rate"?

A39. (Liang) The coefficient of percolation refers to the average actual velocity of water flowing through the actual pore area of the soil whereas the coefficient of permeability refers to the velocity of flow through the total area of solids plus pore spaces. Since, as a rule, the total area is more conveniently determined in gravitational flow problems, the permeability coefficient is used more often than the percolation coefficient. The area of the pore spaces in a typical cross-section of soil is equal to the total area multiplied the porosity. It follows that the coefficient of permeability of the soil is equal to the coefficient of percolation multiplied by the porosity.¹⁰

Q40. What does the permeability of the soils near the PFSF site indicate regarding percolation into the groundwater from the valley surface?

¹⁰ See M.G. Spangler, Soil Engineering, 2nd Ed. (1960).

A40. (Liang) Percolation from the surface to the groundwater is very unlikely. As described above, borings and laboratory test data show that the upper layers of soil at the PFSF site, extending to depths of between 25 and 35 feet below existing grade, is mainly comprised of interlayered silt, silty clay, and clayey silt. As reported in the FEIS, the permeability of a silty soil in Skull Valley ranges from 0.2 to 0.6 inches per hour. The result of the field pumping test at monitoring well CTB-5 of 0.071 inches per hour indicates an even lower permeability in the soil at the PFSF site than the 0.2 to 0.6 inches per hour range.

The small amount of precipitation that does fall in Skull Valley near the PFSF site is held near the surface by the low permeability of the soils in the valley floor. Because this water cannot quickly permeate much below the surface, it is discharged to the atmosphere either by evaporation or plant uptake and subsequent transpiration.¹¹ Consequently, percolation into the groundwater from the surface near the PFSF site is effectively nonexistent.

D. Lack of Hydrological Connection

Q41. Is there a hydrological connection or link between the ground surface in the vicinity of the PFSF site and the aquifer beneath Skull Valley.

A41. (Liang) There is no hydrological connection between the valley surface in the vicinity of the PFSF site and the aquifer beneath Skull Valley. Hydrological connection between the surface and groundwater depends on permeability of the soils at the surface, the depth to groundwater, and the amount of precipitation or other source of water. Because Skull Valley floor soils and the soils in the PFSF site area have a low permeability, a measured depth to groundwater of 125 feet, and very low precipitation in Skull Valley, surface water evaporates or is transpired before it can reach the groundwater. There is simply no credible mechanism for overcoming these natural physical characteristics and creating a pathway between the surface and groundwater in the vicinity of the PFSF site.

¹¹ Dames & Moore, "Superconducting Super Collider, Cedar Mountain Siting Proposal," Proposal Appendix A, Geotechnical Report, Vol. 2, "Geohydrology" (Sep. 1987) at 8 ("Dames & Moore").

Q42. Does PFS intend to construct or rely on a “confining layer” as defined in EPA Guidance?

A42. (Liang) No. The State’s expert has cited two EPA documents relevant to hazardous waste landfill and waste containment facilities in support of his analysis of the proposed PFSF design.¹² These documents discuss constructing clay confining layers to minimize infiltration from such facilities and are inapplicable to the PFSF. A “confining layer” is not needed to assure that potential non-radiological contamination from the PFSF detention basin will not reach groundwater. PFS will rely on the lack of any link between the surface and groundwater in the vicinity of the PFSF site as one of several barriers to contamination reaching the groundwater. The low permeability of the soils in the vicinity of the PFSF provide this natural barrier. Other barriers to groundwater contamination include strict procedural controls on storage and use of potential contaminants, maintaining limited quantities of contaminants on site, and spill response processes to cleanup and remove contaminated materials in the unlikely event of a spill, as discussed below.

Q43. Why is PFS not planning to conduct groundwater monitoring at the PFSF site?

A43. (Liang) Groundwater monitoring at the PFSF site is not necessary and would not provide any indication of contamination from the PFSF in any event. Obviously, groundwater monitoring is only useful when the monitored groundwater could possibly be contaminated by materials released from the proposed facility. Here, as described earlier, the groundwater below the PFSF is not hydrologically connected to the surface. Without such a connection, even in the highly unlikely event that a sufficient amount of a contaminant is spilled, is not cleaned up, and reaches the surface soils, contamination cannot permeate to the groundwater 125 feet below because of soil characteristics. Monitoring the groundwater, therefore, would not provide any useful information.

¹² Requirements for Hazardous Waste Landfill Design, Construction and Closure, EPA/625/4-89/022; Quality Assurance and Quality Control for Waste Container Facilities. EPA/600/R-93/183.

III. RESPONSE TO CONTENTION UTAH O

Q44. What are the State's general claims in Contention Utah O?

A44. (Liang/Lewis) In the remaining portions of Contention Utah O, the State asserts that PFS has failed to adequately assess the environmental effects from the construction, operation, and decommissioning of the PFSF regarding non-radiological contaminant sources, pathways, and impacts, specifically:

1. Potential non-radiological contaminant pathways from the PFSF sewer/wastewater system;
2. Potential non-radiological contaminant pathways from the PFSF detention basin including:
 - a) the potential for overflow, and
 - b) whether the PFSF FEIS and ER contains appropriate information regarding effluent characteristics and environmental impacts associated with seepage from the detention basin; and
3. Potential for non-radiological groundwater and surface contamination; and
4. Potential impacts on downgradient hydrological resources from non-radiological groundwater contamination.

Q45. Please describe the construction activities that will take place at the PFSF site and how PFS has addressed the potential for non-radiological contamination of ground and surface water during construction.

A45. (Lewis) Construction activities at the PFSF will consist be typical of most industrial construction sites and will consist of site preparation, earth-moving associated with construction of facility features such as the detention basin and flood berm, construction of an access road, four buildings and the concrete pads on which the storage casks will be placed. PFS has committed to the preparation and implementation of best management practices to minimize any potential for precipitation-related erosion during construction. Measures will include erosion and sediment controls, soil stabilization practices, structural controls, and other controls as needed to effectively manage construction-related storm water runoff. PFS will also develop maintenance, inspection, and other practices for the effective management of storm water. A spill response procedure, in accordance with

implemented best management practices, will be followed to appropriately respond to an inadvertent spill of oil or fuel from construction machinery. The same measures will be used during subsequent construction of additional PSFS phases. These procedures, in combination with the lack of surface water at the PFSF site, depth (approximately 125 feet) to groundwater beneath the site, low permeability of the soils above the groundwater aquifer, and typically low precipitation, will ensure that construction activities will not lead to contamination of the groundwater beneath the site.

Q46. Please describe the routine facility operations that will take place at the PFS site and how PFS has addressed the potential for contamination during operation.

A46. (Lewis) Routine facility operations will include receipt, inspection and placement of storage casks and maintenance of related vehicles and equipment. All non-radiological substances that could be hazardous to the environment used during these operations, including laboratory chemicals and cleaning supplies, will be marked and stored in designated locations in sealed containers and controlled in accordance with facility procedures as required by regulations to prevent non-radiological contamination. The only substances clearly identified to date that will be used or stored at the PFSF that are listed as hazardous materials under 40 C.F.R. § 355, Appendix A (EPA), 49 C.F.R. § 172, Subpart B (DOT), or 29 C.F.R. § 1910, Subpart H (OSHA) are lubricating oil and diesel fuel. In addition, PFS will maintain and update the plans and procedures implemented during facility construction (see discussion above) during PFSF operations. Additional best management practices will be implemented to meet or exceed applicable requirements as necessary to prevent non-radiological contaminants from entering the environment throughout the PFSF operational life.

Q47. Please describe the decommissioning activities that will take place at the PFS site and how PFS has addressed the potential for non-radiological contamination during decommissioning.

A47. (Lewis) Decommissioning activities will include removal or disposition of the storage pads and the buildings and other improvements. The exact nature of de-

commissioning has not been established at this time. The types of impacts to surface water and groundwater from decommissioning activities are, however, expected to be similar to those from PFSF construction. PFS will rely on similar best management practices and procedural controls to prevent non-radiological contaminants from entering the environment.

Q48. Could you please describe the tanks that will be used at the PFSF and how PFS has addresses the possibility that liquid stored in a tank could cause contamination at the site?

A48. (Lewis) There will be no below grade or buried tanks at the PFSF. All liquids stored on site (e.g., fuel and water) will be stored in aboveground tanks. The PFSF will have two tanks that will store low-grade sulfur No. 2-D diesel fuel. One tank will be located approximately 200 feet northeast of the Canister Transfer Building and the other tank will be located approximately 225 feet northeast of the Operations & Maintenance Building. Each tank will have a capacity of 1000 gallons. The tanks consist of a primary tank enclosed within a secondary tank to provide double containment. The primary tank will be constructed of steel in accordance with UL-142, "Above Ground Tanks for Flammable and Combustible Liquids." The secondary tank will be a concrete encasement that is designed to provide secondary spill containment in accordance with NFPA 30, "Flammable and Combustible Liquids Code," and meets the requirements of UL-2085, "Insulated Secondary Containment of Aboveground Storage Tanks." This code requires that the tank meet two-hour liquid-pool furnace fire tests, vehicle impact, and projectile resistance criteria.

The PFSF will also have a diesel fuel storage tank for the diesel operated fire pump and a diesel fuel storage tank for the diesel generator. The precise capacity of these tanks has not been determined, but will be approximately 200 gallons each. The tanks are mounted in a sub-base under the engines and have secondary containment in accordance with NFPA 30, "Flammable and Combustible Liquids Code." The tanks will be constructed of steel and meet the requirements of UL-80, "Safety Steel Tanks for Oil-Burner Fuel."

All of the tanks that will store diesel fuel at the PFSF are designed with a monitoring device to detect any leakage into the secondary tank. Should a leak in the primary tank occur, it will be drained. The secondary tank will contain any leaking diesel fuel and protect the surrounding soil until the primary tank is drained. Leaking tanks will be repaired or replaced in accordance with applicable codes and standards.

The PFSF will have four tanks that will store liquid propane for the Canister Transfer Building heating system. The tanks will be located approximately 1,800 feet south of the Canister Transfer Building and approximately 1,000 feet west-southwest of the Operations & Maintenance Building. Each tank will have a capacity of 5,000 gallons. The tanks and attached components will meet the requirements of NFPA 58, "Liquefied Petroleum Gas Code." The tanks will be constructed of steel for a pressure rating of 250 psig and designed, constructed, tested, and stamped in accordance with the stringent requirements of ASME Section VIII, Division 1, "Rules for Construction of Pressure Vessels." The outlet piping of each of the tanks will have excess flow valves to shutoff flow in the event of a pipe rupture. In the highly unlikely event that the propane tanks leak, the propane will vaporize when it is depressurized and not create any ground contamination.

Q49. Could you describe how the lubricating oils would be used and stored at the PFSF?

A49. (Lewis) Lubricating oils will be used at PFSF in, and to maintain, facility equipment such as cask transporters and construction vehicles. Other equipment, such as air compressors, may also require specialized oils for operation. Such lubricants will either be in use in facility equipment or limited quantities sufficient for routine equipment servicing (estimated at approximately 500 gallons) kept sealed in metal drums in designated storage areas within the Operating and Maintenance Building. There will be no floor drains in any of these storage locations.

Q50. Please describe how potential contamination from vehicles used on the PFSF site will be precluded.

- A50.** (Lewis) During diesel fueling operations, absorbent materials will be placed under the refueling nozzles and hoses to minimize contamination of the soil from a spill of diesel fuel. Diesel fuel will either be contained in facility vehicle tanks or in double-containment, aboveground storage tanks at the fuel dispensing stations. Spills from vehicle fuel tank leaks during operation will be isolated and cleaned up as directed by PFSF operating procedures.
- Q51.** What would happen if any soil at the PFSF were to become contaminated with spilled diesel fuel or other hazardous materials?
- A51.** (Lewis) PFSF personnel will follow the actions specified in the Best Management Practices Plan and applicable implementing procedures. As a minimum, soil contaminated with diesel fuel or other hazardous substances will be quickly removed and hauled to an appropriate commercial facility for treatment or disposal preventing contamination from reaching the groundwater.
- Q52.** Are any other hazardous substances likely to be located at the PFSF?
- A52.** (Lewis) Other possible hazardous substances include substances such as laboratory chemicals, cleaning solvents, painting products, pesticides and herbicides, and other chemicals common to any industrial facility of this size. These materials will be present only in limited quantities (e.g., small bottles, aerosol cans, and half-, one- and five-gallon containers) and only if needed. Each will be confined to designated areas and stored in labeled containers. Procedures will be in place to ensure that all applicable rules and regulations concerning use and storage of hazardous substances are properly implemented and adhered to. PFSF will also use common janitorial cleaners, which are not classified as hazardous materials. These cleaners will be stored in marked, sealed containers in designated janitor closets in quantities typical of a facility of this size (i.e., aerosol cans, and half-, one- and five-gallon containers).
- Q53.** If a spill of non-radiological hazardous material were to occur at the PFSF site, would the characteristics of the soil affect the time that PFSF personnel would have to respond to the spill and prevent contamination of the groundwater?

A53. (Liang) Yes. The low permeability of the soil at the PFSF facility will provide adequate time for PFSF personnel to respond and prevent groundwater contamination. Even at the highest permeability assumed (0.6 inches per hour), it would take more than 4 days without any mitigating action for a liquid contaminant to reach a depth of 5 feet, which is easily within reach of remediation equipment (but still over 100 feet above the groundwater). Using the actual measured permeability of 0.07 inches per hour, it would take over 7 days for a liquid contaminant to reach a depth of 1 foot. In either case, PFSF personnel would have ample time to respond and remove the material before it traveled within 100 feet of the groundwater under the site.

Q54. Could you please describe in greater detail how the Erosion Control Plan will direct precipitation runoff to the detention basin and prevent offsite precipitation from running into the basin?

A54. (Lewis) The PFSF Erosion Control Plan (ER at 9.1-5) will identify actions to minimize the potential for precipitation-related erosion. These actions include directing precipitation in the Restricted Area to the stormwater detention basin located north of the storage area. Drainage ditches and diversion channels will be used to divert water to the basin. Earthen berms, designed for the probable maximum flood (PMF), will prevent stormwater from running onto the PFSF site and entering the detention basin.

Q55. Could you describe the types of procedures that the PFSF will use to ensure that all rules and regulations concerning use and storage of hazardous substances are followed?

A55. (Lewis) PFS will implement pollution prevention and waste minimization procedures that incorporate Resource Conservation and Recovery Act (RCRA) pollution prevention goals as identified in 40 CFR 261, and Occupational Safety and Health Act (OSHA) requirements associated with hazardous materials, in accordance with 29 CFR Parts 1910 and 1926. Equipment maintenance and repair will be procedurally controlled to prevent the discharge of oils, grease, hydraulic fluids, etc. As required by OSHA regulations, Material Safety Data Sheets (MSDS) will be filed onsite for all hazardous materials used at the PFSF, along with in-

formation on safe handling, storage, and disposal practices. PFSF procedures will assure hazardous materials are placed only in appropriately constructed, properly labeled, containers and stored only in authorized storage locations. Procedures for conducting inventories, inspections for unauthorized materials, and surveillances of procedural compliance will also be developed and implemented. PFSF workers using hazardous materials will be trained in the proper use of the spill response kits in accordance with OSHA requirements.

Q56. What kind of training or instruction will PFSF employees and the construction and decommissioning contractors receive to ensure that they comply with all applicable procedures?

A56. (Lewis) Every PFSF employee will receive initial training, which will consist of general employee training (GET) and job-specific training to provide individuals with the skill and knowledge required to perform their particular duties and responsibilities. GET will include training on procedural compliance, emergency procedures, and environmental protection policies and procedures. Training on environmental protection will include proper handling of hazardous materials on site. PFSF employees assigned tasks involving hazardous materials will receive job- and material-specific training in pre-job briefings prior to performing the tasks. Training of personnel working for construction and decommissioning contractors will comply with applicable laws and regulations governing the hazardous materials required to perform the contracted work.

A. Potential Non-radiological Contaminant Pathways from the PFSF Sanitary Waste Systems

Q57. Please describe the State's claims with respect to the potential for contamination from the sanitary waste systems.

A57. (Liang/Lewis) Basis 1 of the contention asserts that environmental effects associated with non-radiological contaminant sources and pathways from the sanitary waste systems have not been adequately assessed. As we discuss below, however, PFS has appropriately addressed the potential environmental effects from non-radiological contamination.

Q58. Please describe the possible entry points for contaminants into the PFSF sanitary waste systems.

A58. (Lewis) As discussed above, the sewage systems at the PFSF will consist of two independent sanitary waste systems for the sinks, toilets, and showers onsite. Each sanitary waste system will drain sewage to a separate septic tank and leach field. One system will service the Canister Transfer Building and the Security and Health Physics Building and the second will service the Administration Building and the Operating and Maintenance Building. There will be no access to these systems except through the sinks (approximately 25), toilets and urinals (approximately 20), showers (approximately 4), and water fountains (approximately 7). In addition, there will be several "cleanouts" throughout the systems to provide access for maintenance, all of which will be closed during routine system operation. Floor drains will not be used in the buildings.

Q59. How has PFS addressed the potential for contamination from the sanitary waste systems?

A59. (Lewis) Normal janitorial cleaners, common to any industrial facility of this size, will be used at the PFSF. Such cleaning compounds are typically biodegradable and are not classified as materials hazardous to the environment. They will be introduced into the sanitary waste systems, as a part of normal cleaning of sinks and toilets, where they will be decomposed by natural mechanisms. As I described earlier, the septic tanks and leach fields will be designed in accordance with the Uniform Plumbing Code to utilize natural filtering processes to purify disposed sewage, including janitorial cleaning compounds.

Q60. Could you describe how the filtering process in the soil would work to purify the disposed sewage and cleaning compounds?

A60. (Lewis) Use of a septic tank with a leach field is one of the oldest and most widespread methods of sewage treatment in the United States, and the process by which they function is documented in several sources. Wastewater passes through the septic tank where most of the solids settle to the bottom of the tank and undergo decay by anaerobic digestion. Sewage contents typically include nitrogen compounds, suspended solids, organic and inorganic materials, and bacte-

ria. These are removed from the wastewater in the soil by microorganisms, which provide natural wastewater treatment. Clarified effluent flows out the septic tank and is distributed into the soil through perforated pipe. Because of the semi-arid location of the PFSF and the great depth to the groundwater, a significant amount (perhaps all) of the PFSF effluent will be used by plants or evaporate from the soil surface. The remaining effluent, if any, would percolate outward or downward to a depth determined by the soil characteristics.¹³ The 125 feet to groundwater at the PFSF site will ensure that any effluent that may reach the groundwater will be thoroughly filtered of any contaminants.

Q61. How has PFS addressed the potential for contamination from the sanitary waste system by materials other than sewage and janitorial cleaners and the potential for hazardous materials to enter the environment through the sanitary waste system?

A61. (Lewis) As discussed above, the only substances that will be used at the PFSF that are identified by applicable federal regulation as hazardous to the environment will be lubricating oils and diesel fuel. Small amounts of other substances, such as cleaning solvents, painting products, pesticides and herbicides, may also be on site from time to time. All such substances will be stored or contained within sealed and properly labeled containers and will be located in designated areas away from building areas with openings to the sanitary waste system. Lubricating oils will only be stored in the Oil Storage Room in the Operations & Maintenance Building or two Canister Transfer Building store rooms, and only if in a NFPA 30 approved flammable and combustible liquid storage cabinet. Painting supplies, pesticides, and herbicides (if onsite) will be stored only in the Operations & Maintenance Building warehouse. Cleaning supply storage will be limited to the janitor's closets in each building.

Laboratory areas will be provided with appropriate receptacles for disposal of laboratory chemicals and similar materials. Proper procedures will be developed and implemented to ensure that workers comply with all applicable rules and

¹³ See EPA 932-F-99-075, "Decentralized Systems Technology Fact Sheet, Septic Tank – Soil Absorption Systems" Sep. 1999).

regulations regarding the handling and storage of hazardous substance. The combination of the small quantities of substances on site and procedures in place for the proper storage and handling of these substances will make non-radiological contamination highly unlikely. PFS will also implement procedures to ensure that, if inadvertent contamination should occur, rapid and effective actions to prevent or minimize release to the environment are performed in accordance with applicable PFSF operating procedures.

Q62. Could hazardous materials inadvertently get into the sinks or drains in the Operations and Maintenance Building?

A62. (Lewis) It is highly unlikely. The Operations and Maintenance Building will be used to perform routine maintenance on equipment, such as cask transporters, used at the facility. There are no floor drains in the Operations and Maintenance Building that would route hazardous liquids, such as spilled diesel fuel or lubricating oil, to the sanitary waste system. The sanitary waste system in this building will only be used to dispose of sewage generated in the sinks, toilets, or showers located in the lunch room, men's and women's restrooms and locker rooms, and janitor's closets. Any material spilled inside the building will be cleaned and disposed of in accordance with PFSF procedures.

Q63. Are there any connections between the sanitary waste system and the detention basin?

A63. (Lewis) No.

Q64. Do the sanitary waste systems handle precipitation runoff from any source on the PFSF site?

A64. (Lewis) No.

Q65. Are there any drains connected to the sanitary waste systems in the storage pad area or in the diesel or lubricating oil storage areas?

A65. (Lewis) No.

Q66. In your opinion, is there any credible pathway for non-radiological contaminants to have a significant environmental impact during construction, operation, or decommissioning of the PFSF?

A66. (Lewis) No. During construction and decommissioning, the sanitary waste systems will not yet be in service or will be removed from service. The lack of physical connection to areas where hazardous materials could be spilled, the non-hazardous nature and limited amounts of other materials, and strict procedural controls assure that hazardous materials will not be introduced into the sanitary waste systems during routine operations. In the highly unlikely event that small amounts of contaminants did enter a sanitary waste system, the natural filtering action of the soils would prevent them from entering the groundwater.

B. The PFSF Detention Basin

Q67. What are the State's claims with respect to the PFSF detention basin?

A67. (Liang/Lewis) Basis 2 of the Contention asserts that the non-radiological environmental impacts of the detention basin have not been adequately considered in two specific respects. First, the State claims that the potential for overflow from the detention basin has not been addressed. Second, the State asserts that potential non-radiological contamination is not addressed because there is no information on either the characteristics of any overflow or seepage from the detention basin.

Q68. How does PFS address the State's claims?

A68. (Lewis) The detention basin is not expected to have freestanding water, except possibly following a severe precipitation event. Most of the relatively small volume of water impacting the cask storage area during a typical rainstorm will be absorbed into the 8-inch thick compacted gravel surface surrounding the storage pads and will not drain to the detention basin. Only during a substantial rain event is water expected to drain from the cask storage area to the detention basin. As discussed below, the detention basin is sized to hold the amount of water that would be generated within the cask storage area following a 100-year storm event.

As discussed previously, the absence of large quantities of chemicals precludes chemical contamination at the PFSF, including the detention basin. In the un-

likely event of an accidental spill of petroleum product or other potential contaminant, which I also discussed above, engineered containment features and PFSF operating procedures will preclude their introduction into the detention basin as well. Therefore, since there are no credible scenarios for any type of contamination being introduced into the detention basin, there is no need for an effluent monitoring system. Diesel fuel spilled from leaking or ruptured locomotive fuel tanks would drain into the swale located on the north side of the railroad tracks. The swale is designed to contain a total loss of diesel fuel from a locomotive coincident with a 100 year design rainfall. Cleanup of the contamination in the swale will be performed in accordance with PFSF operating procedures and will prevent contamination from such spills from reaching the groundwater.

Q69. Specifically, how does PFS address the potential for the overflow of the detention basin?

A69. (Lewis) As noted earlier, the detention basin is sized to contain the runoff of the storage site from a 100-year storm event. The depth of water in the detention basin following a 100-year storm event is calculated to be a maximum of 4.8 feet. Water that collects in the detention basin will dissipate by evaporation and percolation into the subsoils. In the unlikely event of a 100-year storm event, the time for the water that has collected in the basin to be removed via evaporation and ground percolation is conservatively estimated to be approximately 260 days, based on assumptions of an evaporation rate of 0.13 inches per day¹⁴ and a percolation rate of 0.09 inches per day.¹⁵ The percolation rate for the detention basin was based on soils found in the borings nearest the detention basin (boring B-1 and C-1). This percolation rate is not based on the permeability determined from the field pumping test at monitoring well CTB-5 because at depth of 125 feet the permeability data was obtained in silty sand, which has a higher permeability. The site borings show that the upper layers of soil consist of clayey silt extending all the way down to a depth of 25 feet below current grade. Clayey silt has a

¹⁴ David D. Houghton, Handbook of Applied Meteorology (1985).

¹⁵ William T. Lamb & Robert V. Whitman. Soil Mechanics (1969).

much lower permeability than silty sand and will tend to slow the percolation of the water into the soil. If significant standing water occurs in the detention basin, temporary pumps will be used to drain the detention basin via the spillway to eliminate long-term freestanding water. This action will minimize the already unlikely possibility of overflowing the detention basin, as well as precluding the growth of significant vegetation and attracting wildlife.

Q70. What would happen if there were a storm more severe than the 100-year storm or the basin was already nearly full at the time of a 100-year storm?

A70. (Lewis) Though it is highly unlikely that either of these events would occur, the emergency spillway would provide relief protection for the detention basin walls by releasing water from the basin. The water released through the spillway would mix with the other waters flowing through the valley as a result of the 100 year rain. To the extent that any amount of contaminant was in the detention basin water, this mixing would further dilute the contaminant making any potential environmental harm even more unlikely.

Q71. How does PFS address the potential for contamination from basin overflow and seepage?

A71. (Lewis) As discussed above, introduction of contaminants into the detention basin is highly unlikely. The absence of large quantities of chemicals and PFSF operating procedures for using the small quantities of chemicals stored at the PFSF will prevent any substantive quantities of contaminants from entering the basin in the first place. Further, because of the lack of significant precipitation and low permeability of the basin floor and the underlying soils, the potential for significant contaminant seepage out of the detention basin is not credible. Only during a substantial rain event would water be expected to accumulate in the detention basin. Two significant rain events within a short time (e.g., less than the 140-days needed to completely empty the basin after a 100-year rain event, assuming no pumping) is extremely unlikely, if not incredible. Finally, even if there were contaminants in the detention basin and even if contaminated water overflowed from the detention basin, the low permeability of the surface soils would provide

ample time for PFSF to perform cleanup and removal of the contamination before it reached any significant depth.

Q72. How do you address the possibility that contaminants from locations other than the spent fuel cask storage area might be washed onto the site and into the detention basin during a rainstorm?

A72. (Lewis) The PFSF will have engineered containment features (e.g., the drainage ditches that run along the north and south sides of the railroad tracks at the PFSF) that will contain potential non-radiological contaminants, such as diesel fuel that could be spilled from a transportation vehicle. The south drainage ditch is connected to the north drainage ditch via a culvert located at the west end of the drainage ditches. While these drainage ditches eventually drain into the detention basin, the drainage system design includes weirs that can be shut in the event of a contamination event (i.e., a spill of diesel fuel). A weir is located just north of the culvert discharge into the north drainage ditch. The weir consists of gates that can be closed to prevent any potentially non-radiological contaminants from draining to the detention basin during cleanup of a spill. Contaminated material will be removed and properly disposed of in accordance with applicable requirements.

Q73. How would the soil in the vicinity of the PFSF affect the potential for groundwater contamination resulting from detention basin overflow or seepage?

A73. (Liang) As discussed earlier, based on borings and laboratory test data, the upper layers of soil, extending to depths of between 25 and 35 feet below existing grade, mainly are comprised of interlayered silt, silty clay, and clayey silt. With this type of soil acting as a natural barrier below the bottom of the basin, water seepage will be very slow, allowing for appropriate actions to be taken before any water reached the groundwater.

As also discussed earlier, the source of groundwater flow at the PFSF is mainly derived from precipitation that falls at the higher elevations of the Stansbury and Cedar Mountains. The lack of direct hydrological link between the surface and groundwater at the site results in surface water from precipitation at the site migrating horizontally northward and eventually dissipating from evaporation, tran-

spiration and capillary action. Therefore, even if hazardous chemical contaminants were deposited on the surface at the PFSF, the lack of a direct hydrological link would effectively prevent them from ever reaching the groundwater below. The contaminants will either remain suspended in the soil, be adsorbed, or (if volatile) ultimately evaporate into the atmosphere.

Q74. When you say that the soil will act as a “natural barrier” to the movement of contaminants downward in the direction of the groundwater, what do you mean?

A74. (Liang) The low permeability of the soil will retard contaminants from moving downward into the soil. Indeed, the low amount of precipitation and complete lack of surface water will provide little, if any, driving force for any contaminants to reach depths below that at which they are released. Ultimately, particulate contaminants will remain deposited in the soil, while volatile contaminants may slowly rise to the surface and evaporate. While the permeability of the soil at the surface of the PFSF site may or may not be as low as the permeability of a man-made barrier (e.g., liners that might be used at a hazardous waste disposal facility), because of the depth to the groundwater at the PFSF site, lack of surface water, and the low rate of precipitation, it will nevertheless prevent any spilled contaminants from reaching the groundwater.

Q75. Could holes that PFS has drilled during the evaluation of the site or that PFS will drill during construction provide a pathway for contaminants to seep from the detention basin into the groundwater?

A75. (Liang) No. Borings and cone penetration tests (locations shown in SAR Figure 2.6-2 and 2.6-19) were not performed within the location proposed for the detention basin; therefore, there are no potential pathways for water in the basin to drain through to underlying soils.

Q76. Would holes drilled elsewhere on the PFSF site provide a path for contamination to reach the groundwater?

A76. (Liang) No. All boreholes in the proposed Canister Transfer Building area at the PFSF site were grouted with cement. Some other boreholes were backfilled with soil, but they were generally less than 50 feet in depth and did not intercept the

ground water. Further, no boreholes were drilled in the area of the detention basin, which is the most likely location for the standing water necessary for improperly sealed boreholes to act as conduits.

C. The Potential for Non-Radiological Surface Water and Groundwater Contamination

Q77. What are the State's claims with respect to the potential for non-radiological surface water and groundwater contamination?

A77. (Liang/Lewis) Basis 3 of the contention asserts that the environmental impact discussion is incomplete because the discussion of the potential for non-radiological surface water and groundwater contamination is inadequate.

Q78. How do you respond to the State's claims?

A78. (Liang/Lewis) As discussed above, we have clearly demonstrated that there is no credible pathway for either surface water or groundwater contamination of any kind to occur from construction, routine operations, or decommissioning of the PFSF. Non-radiological contamination is precluded by the absence of any significant contaminant sources, strict adherence to procedures, and the use of best management practices that minimize the potential for contaminant releases to occur and quickly contain and clean up any contaminant releases that might occur. The lack of contaminant sources and pathways and absence of nearby surface water preclude the possibility of surface water contamination from the PFSF. The low permeability of the near-surface soils and the general lack of precipitation in this semi-arid environment also ensure that there is no opportunity for any inadvertent contamination to spread to the groundwater.

Q79. How do you respond specifically to the State's claim with respect to runoff from the PFSF site or the PFSF detention basin?

A79. (Liang) Operation of the detention basin will have only a very local, sporadic effect on the subsurface hydrology. The design of the PFSF and the PFSF Erosion Control Plan will significantly minimize or prevent surface changes due to sporadic runoff. As discussed above, the water from the detention basin will not af-

fect the groundwater because there is no direct hydrological link between surface water and the groundwater at the proposed PFSF site.

Q80. How do you respond to the State's claim of non-radiological surface water and groundwater contamination from the PFSF wastewater system?

A80. (Lewis/Liang) The design and operation of septic systems is a mature technology and the PFSF system contains nothing novel or untried. Applicable design and construction codes and standards will ensure that discharged wastewater does not pool at the surface or reach the groundwater during the life of the PFSF. As described earlier, the leach fields will be conservatively designed for the expected amount of wastewater to allow natural filtration to remove biological and other materials from the wastewater. The water portion of the sewage will be transpired by vegetation or evaporate similar to runoff from the detention basin. The remaining material, including whatever small amounts of contaminants present will either decompose, be adsorbed, or (if volatile) evaporate at the surface. There will be no impact on either surface or ground water from the PFSF sanitary waste system.

D. Impact on Downgradient Hydrological Resources

Q81. What are the State's claims with respect to the PFSF impact on downgradient hydrological resources?

A81. (Liang/Lewis) The State asserts that the environmental effects of the potential impact of non-radiological groundwater contamination on downgradient hydrological resources has not been addressed.

Q82. How do you respond to the State?

A82. (Liang/Lewis) As discussed above, PFSF construction, operation, and decommissioning will not have a significant impact on the water resources on or near the site. Diesel fuel and lubricants will be stored in approved containers and designated locations, used only in strict compliance with procedure, with leaks and spills quickly contained and cleaned up. The PFSF will maintain only small amounts of other potentially hazardous materials, which will be closely controlled

and carefully stored. The concentration and quantities of chemicals onsite will be so low as to eliminate the possibility of an uncontrolled release of a substantive amount of contaminants. No hazardous material will be introduced into the sewage system. Contamination from vehicles used onsite will be precluded using normal industrial practices, and any unexpected contamination will be immediately removed from the site. Further, soil characteristics, lack of surface water, and depth to groundwater will prevent contaminants from spreading downgradient, even in the highly unlikely event contamination somehow spread offsite. As there is no credible pathway for non-radiological contamination to reach the groundwater, the PFSF will have no significant impact on downgradient hydrological resources.

IV. CONCLUSION

Q83. What are your conclusions regarding the remaining assertions in Contention Utah O?

A83. (Lewis/Liang) We conclude that PFS has adequately assessed the physical characteristics of water and soil in Skull Valley, engineering barriers, and procedural controls regarding potential environmental affects on surface water and groundwater from non-radiological contamination as a result of the construction, operation, and decommissioning of the PFSF. In our opinion, based on all of the available information, non-radiological contamination from construction, operation and decommissioning of the PFSF will have no significant impact on the surface water and groundwater of Skull Valley or downgradient hydrological resources. We further conclude, therefore, that there is no technical basis for any of the remaining assertions in Contention Utah O.

DONALD WAYNE LEWIS

**LEAD ENGINEER
MECHANICAL DIVISION**

EDUCATION

Montana State University - Bachelor of Science, Civil Engineering - 1980
Daniel International Corp. - Course in ASME Section III - 1982
Daniel International Corp. - Course in Welding - 1983

REGISTRATIONS

Professional Engineer - New York (1988)
Colorado (1997)
Maine (1999)
Utah (2001)
Iowa (2002)

EXPERIENCE SUMMARY

Mr. Lewis has 20 years of engineering experience in the power generation industry, and has participated in all phases of power plant engineering from design through construction, pre-operational testing to on-line modifications.

Mr. Lewis has experience on several nuclear facilities. Assignments include the design of spent nuclear fuel storage facilities, plant systems design modifications, and on-site engineering of mechanical systems installation. Spent fuel storage facility design involved preparation of the design of mechanical aspects and related licensing of the facilities, including an on-site assignment as project engineer for the client for construction of one of the facilities. Plant systems modification assignments involved resolving system design problems, preparing design changes and supporting analyses, revising drawings and preparing specifications. On-site engineering of mechanical systems installation involved resolving pipe and equipment installation conflicts, reviewing and revising design drawings, ensuring code compliance, procuring system components, and developing start-up procedures.

Mr. Lewis has experience on four coal-fired boiler plants. Assignments included the design of mechanical systems on a flue gas scrubber project, development of system descriptions and operating instructions; and the evaluation of a coal to natural gas conversion design. Work involved design of piping systems, component selection and sizing, preparing calculations and specifications, reviewing proposal submittals, initiating process flow and layout drawings; writing plant operation instructions; and preparing cost analyses.

Mr. Lewis is currently assigned to two spent fuel storage projects: the Duane Arnold Energy Center and Private Fuel Storage Facility where he is Lead Mechanical Engineer, responsible for mechanical design and licensing of the facilities.

DETAILED EXPERIENCE RECORD
LEWIS, DONALD WAYNE

STONE & WEBSTER ENGINEERING CORPORATION, DENVER, COLORADO

(Apr 1988 - Present)

Appointments:

Lead Engineer, Mechanical Division - Jan 1998

Senior Mechanical Engineer, Mechanical Division - Nov 1990

Mechanical Engineer, Mechanical Division - Jan 1989

Duane Arnold Energy Center, Cedar Rapids, Iowa – Nuclear Management Company

(July 2000 - Present)

LEAD MECHANICAL ENGINEER

Indian Point 1, Buchanan, New York – Entergy Nuclear Northeast

(April 2001 – January 2002)

PROJECT ENGINEER

Indian Point 2 Nuclear Plant, Buchanan, NY – Consolidated Edison

(January 1999 - January 2000)

PROJECT ENGINEER

Maine Yankee Atomic Plant, Wiscasset, ME – Maine Yankee Power Company

(November 1998 – October 2001)

LEAD MECHANICAL ENGINEER

Yucca Mountain Project, Las Vegas, NV - U.S. Department of Energy

(June 1998 - August 1998)

SYSTEMS ENGINEER

Rocky Flats Environ. Tech. Site, Golden, CO - Rocky Flats Engineers & Contractors, L.L.C.

(May 1998 - Sept 1998)

RADIOLOGICAL CONSULTANT

Prairie Island Generating Plant, Red Wing, MN - Northern States Power Company

(Oct 1997 - Present)

PROJECT ENGINEER

National Wind Technology Center, Golden, CO - National Renewable Energy Laboratory

(Oct 1997 - Apr 1998)

SENIOR MECHANICAL ENGINEER

Rocky Flats Environmental Technology Site, Golden, CO - BNFL

(July 1997 - Oct 1997)

SENIOR MECHANICAL ENGINEER

Private Fuel Storage Facility, Goshute Indian Res., UT - Private Fuel Storage
(Oct 1996 - Present)

LEAD MECHANICAL ENGINEER

Goodhue County ISFSI, Frontenac, MN - Northern States Power Company
(Aug 1995 - Sept 1996)

PROJECT ENGINEER

Navajo Generating Station, Page AZ - Salt River Project
(Sept 1993 - Nov 1995)

SENIOR MECHANICAL ENGINEER

Prairie Island Generating Plant, Red Wing, MN - Northern States Power Company
(Jan 1992 - Aug 1993)

SENIOR MECHANICAL ENGINEER

Neil Simpson Station, Gillette, WY - Black Hills Power Company
(Sept 1991 - Dec 1991)

SENIOR MECHANICAL ENGINEER

North Omaha Station, Omaha, NE - Omaha Public Power District
(July 1991 - Aug 1991)

SENIOR MECHANICAL ENGINEER

Fort Calhoun Power Station, Ft Calhoun, NE - Omaha Public Power District
(Apr 1988 - June 1990) (Nov 1990 - Aug 1991)

SENIOR MECHANICAL ENGINEER

Prairie Island Generating Plant-Unit 2, Red Wing, MN - Northern States Power Company
(July 1990 - Oct 1990)

LEAD MECHANICAL ENGINEER

EG&G Rocky Flats Inc., Golden, CO - U. S. Department of Energy
(July 1990)

MECHANICAL ENGINEER

U. S. Department of Energy, Hanford, WA
(June 1990)

MECHANICAL ENGINEER

STONE & WEBSTER ENGINEERING CORP., CHERRY HILL, NEW JERSEY
(Sept 1983 - Mar 1988)

Appointments:

Engineer, Mechanical Division - Aug 1987
Construction Engineer - Oct 1985
Senior Field Engineer - Oct 1984
Field Engineer - Sept 1983

Nine Mile Point Nuclear Station, Unit 2, Lycoming, NY - Niagara Mohawk Power Corporation
(Sept 1983 - Mar 1988)
ENGINEER, Mechanical Division (Aug 1987 - Mar 1988)
ENGINEER, Construction Division (Sept 1983 - July 1987)

Oswego Steam Station Units 5 & 6, Oswego, NY - Niagara Mohawk Power Corporation
(Dec 1986)
CONSTRUCTION ENGINEER

DANIEL INTERNATIONAL CORPORATION, GREENVILLE, SOUTH CAROLINA
(June 1982 - Aug 1983)

Wolf Creek Nuclear Plant, New Strawn, KS - Kansas Gas & Electric
CONSTRUCTION ENGINEER II

J.A. JONES CONSTRUCTION COMPANY, CHARLOTTE, NORTH CAROLINA
(Oct 1981 - Apr 1982)

Washington Nuclear Plant No. 1, Handford, WA - Washington Public Power Supply System
FIELD ENGINEER

WRIGHT SCHUCHART HARBOR-BOECON-GERI, RICHLAND, WASHINGTON
(Mar 1981 - Oct 1981)

Washington Nuclear Plant No. 2, Handford, WA - Washington Public Power Supply System
ASSOCIATE STRUCTURAL ENGINEER

MONTANA STATE HIGHWAY DEPARTMENT, HELENA, MONTANA
(July 1979 - Sept 1979, July 1980 - Mar 1981)
CIVIL ENGINEER I (Traffic Division, Jan 1981 - Mar 1981)
ENGINEER AIDE (July 1979 - Sept 1979)

Experience Summary

Dr. Liang is a Senior Principal Environmental Engineer in the Environmental Sciences & Engineering Department. He has over 26 years of experience in siting, environmental assessment, developing and managing environmental protection programs, and licensing of power plants and industrial facilities. He also has extensive experience in mathematical modeling, numerical analysis, and computer applications in environmental engineering/design related problems. He is currently a Program Manager and has previously been a Lead Environmental Engineer on major projects in nuclear/fossil power plants and industrial projects, which involved environmental impact studies, federal/state/local permitting applications, managing engineering/design, procurement and installation of water and wastewater treatment systems, conceptual design of the heat dissipation/chemical discharge system, studies of alternative cooling systems, groundwater dispersion, hydrological analysis of power plant sites and thermal/water quality impact analysis of power plant discharge.

As Supervisor of Water Quality and Hydrology, Dr. Liang has supervised many water quality and hydrology related tasks for power plant projects. He established the technical guideline for flood analysis at power plant sites. He managed the environmental impact assessment of a fluidized bed power plant site and prepared its permit application. He established the exclusion criteria for siting a Low-Level Radioactive Waste disposal facility in Maine, to assure compliance with federal and state requirements. He evaluated existing permit requirements to determine the potential environmental impacts of rerating a nuclear power plant. Dr. Liang completed the conceptual design of a surface run-off detention pond for a proposed NPR site in Idaho, a cooling pond for a proposed power plant site in Florida, a multipoint diffuser for a cogen plant in New York and a combined cycle power plant in England, U.K. He has developed the water quality monitoring program and conducted the hydrothermal/water quality modeling for numerous power plant projects.

Dr. Liang has been a lead environmental engineer on major projects in nuclear, fossil, and industrial plants.

Dr. Liang has been an expert in mathematical modeling of surface water, groundwater, water quality, hydrological and hydrothermal analysis.

Dr. Liang has been intimately familiar with EPA's National Pollution Discharge Elimination System (NPDES) permit application regulations and the requirements of section 401 of the Water Quality Act (WQA), which amended Clean Water Act (CWA) section 402(1)(2). He has assisted many major utility clients as well as independent power producers in obtaining the NPDES permit.

Dr. Liang has participated in numerous siting studies for various type of power generation projects and Low Level Radioactive Waste disposal facilities. He has designed and supervised many environmental monitoring programs for siting studies, and prepared permit applications and supporting documentations.

As a member of ICE team, Dr. Liang has participated in evaluating DOE's Environmental Restoration and Waste Management Five-Year plan. He has assisted DOE in environmental cleanup activities at Hanford site, and managed environmental studies for the U.S. AMTL research reactor decommissioning project.

Dr. Liang developed a comprehensive environmental protection program at a nuclear power plant construction site. He monitored project construction activities for regulatory compliance in air and water quality, noise, wetlands and wildlife refuge protection, and solid waste disposal. Dr. Liang integrated the environmental protection program with the quality assurance and safety/health programs to measure program performance. He provided the impetus to implement similar programs at other nuclear power plant sites.

Dr. Liang has performed a technical review of the existing environmental operating limit permits and supporting documentation (316a and 316b demonstrations) and assessed the impact of the power uprate on the plant's ultimate heat sink.

In 1994, Dr. Liang managed a consulting services project for improving the technical ability of 22 senior engineers from East China Electric Power Design Institute, dealing with the requirements for a Conventional Island design associated with a nuclear power plant.

Since 1995, Dr. Liang has been working as Lenders' engineer for several fossil power plant projects in China. Working as an Independent Technical Consultant (ITC), he has been responsible for the due diligence effort which includes technical review of engineering/design of the major plant systems, review and evaluation of fuel sources and cost, project performance parameters and guarantees, environmental parameters for compliance with PRC's regulations and World Bank guidelines; construction progress monitoring for funding drawdown certification, start-up/test procedure review, and witnessing the 72-hour and 24-hour test runs, and certification of completion of several fossil power plant projects in China.

Recently Dr. Liang has been in charge of developing EPC cost data base for fossil power plant in China.

Education

Ph.D., Civil Engineering - University of Connecticut, Storrs, Connecticut - 1972
M.S., Civil Engineering - University of Connecticut, Storrs, Connecticut - 1967
National Taiwan University, Taipei, Taiwan, Republic of China

Training

China Forum - since 1995, a lunch-time seminar series, meeting once every other month, covered the topics of information, challenges, strategies, recent development, and successful projects in marketing in China, sponsored by the Office of International Trade & Investment, the Commonwealth of Massachusetts, Foley, Hoag & Eliot LLP, and others.
The Princeton Course/Groundwater Pollution and Hydrology - 1993
Hazardous Materials Management, American Management Association - 1991
Site Selection and Design of Sediment and Detention Basins, Southern New England Environmental Regulation Course, Executive Enterprise, Inc. - 1987
MIT Video Course on Finite Element Methods, Massachusetts Institute of Technology - 1984
Water Resources Lecture Series - Rainfall/Run-off Modeling using HEC-1, Stone & Webster Engineering Corporation - 1982
Sediment Transport in Rivers and Estuaries, University of Southern California - 1974

Licenses, Registrations, and Certifications

Professional Engineer - Connecticut, 09789 - 1975 Active

Professional Affiliations

American Geophysical Union, Member
The Society of the Sigma Xi, Member

Publications

Liang, G.H.C.. "New Technologies in Sulfur Removal in the Refining Process in a Refinery." National Conference for Environmental Managers of Petrochemical Plants, May 1995

Liang, G.H.C., "Use of Groundwater Analytical/Numerical Models for Evaluating Pollution Control Measures at Hazardous Waste Disposal Facilities." New England/Republic of China Technical Exchange Symposium, May 1990.

Liang, G.H.C.. "Summary of Hydrographic and Hydrothermal Studies at Millstone Nuclear Power Station, 1969-1985." Millstone Ecological Advisory Committee Meeting, Waterford, Connecticut. 1986.

Liang, G.H.C.; Lee, V.M.; and Torbin, R.; "A Data Acquisition and Analysis Technique for a Sediment Transport Field Study Program." COASTAL ZONE 78, San Francisco, California, 1978.

Liang, G.H.C. and Lin, J.D., "Effect of Pressure Gradient on Wind-waves in a Laboratory Channel." 2nd U.S.National Conference in Wind Engineering Research, Colorado State University, Fort Collins, Colorado, 1975.

Liang, G.H.C., "Wind-generated Waves With and Without Pressure Gradients." University of Connecticut, Storrs, Connecticut, 1972.

Liang, G.H.C. and Lin, J.D., "Laboratory Win-waves Generated With and Without Pressure Gradients." American Geophysical Union Fall Annual Meeting, San Francisco, California, 1972.

Liang, G.H.C., "Numerical Calculation of the Source Term for a Vertical Line Source Under Linearized Free Surface." University of Connecticut, Storrs, Connecticut, 1967.

1 meant 161?

2 MR. NELSON: I'm sorry. 161.

3 162 is a copy of the state Utah drinking
4 water standards, a copy of a state rule.

5 Exhibit 163 is a Uniform Plumbing Code
6 Illustrated Training Manual, 1997 edition.

7 Exhibit 164 is an excerpt from the
8 Safety Analysis Report, two of the boring logs from
9 that report in Appendix 2A.

10 Exhibit 165 is also from the Safety
11 Evaluation Report. Excuse me. Safety Analysis
12 Report. And it is a page excerpt from Attachment 2
13 on some moisture content Atterberg limits.

14 Exhibit 165 -- excuse me 166 is again
15 from the Safety Analysis Report, Volume 1, two
16 pages dealing with locations of bore holes and
17 other test investigations.

18 And then Exhibit 167 is a table that I
19 will be asking the witnesses about concerning rates
20 of percolation.

21 MR. SILBERG: And that is a table
22 prepared by the State?

23 MR. NELSON: That is a table prepared by
24 the State.

25 JUDGE FARRAR: I don't see -- I have no

1 last page but I will borrow from my neighbors here.

2 MR. NELSON: Let's get --

3 JUDGE FARRAR: Don't worry about it.

4 When we get to that, I'll look at --

5 MR. NELSON: We have several extras.

6 JUDGE FARRAR: Thank you.

7 MR. SILBERG: Off the record.

8 (Discussion off the record.)

9

10 CROSS EXAMINATION

11 MR. NELSON:

12 Q. If I may begin with a couple of
13 questions for the panel concerning the locations of
14 the waste water and storm water facilities. This
15 represents the detention basin, does it not? And
16 I'll address this question to Mr. Lewis. This
17 represents the detention basin that is spoken of
18 and that potentially could receive water from the
19 fuel storage pad area. Is that correct?

20 MR. LEWIS: Before we start, could I get
21 you to move it just a little bit towards the board
22 so it is under the light? There you go. Perfect.
23 That's better. Much better.

24 Okay. Ask your question again, please?

25 Q. There are two main areas of discussion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the prefiled testimony dealing with the
2 detention basin and water that flows into that, and
3 then the second major area is the septic tank drain
4 fields. In looking at this map here, this site
5 plan, this is the detention basin here just above
6 the fuel storage pad area. Is that correct?

7 MR. LEWIS: That is correct.

8 Q. And it is the fuel storage pad area that
9 potentially could drain to that detention basin?

10 MR. LEWIS: That is correct.

11 Q. The two septic tank drain fields, the
12 first is located in an area near the operation and
13 maintenance building and the administration
14 building in this position here just north of the
15 administration building. Is that correct?

16 MR. LEWIS: It is actually a little bit
17 further west than you have depicted on the drawing,
18 but it is somewhat between the two buildings.

19 MR. NELSON: I didn't depict it on the
20 drawing. It's from the EIS. So is the EIS
21 incorrect, then, as to the location of that drain
22 field?

23 MR. LEWIS: It will be somewhere in that
24 location, yes.

25 Q. That drain field services the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 administration building and the operation and
2 maintenance building; is that right?

3 MR. LEWIS: That is correct.

4 Q. The second drain field is located near
5 the security and health buildings, just to the
6 north, and it services the canister transfer
7 building and the security and health physics
8 building.

9 MR. LEWIS: That is correct.

10 MR. SILBERG: Excuse me. Just for
11 clarification, I can't see that far, which way is
12 north on that map?

13 MR. NELSON: North on this map is
14 depicted up.

15 MR. SILBERG: Okay.

16 Q. (By Mr. Nelson) Mr. Liang, and I guess
17 really I address this question first to you and
18 then to Mr. Lewis, you have had considerable
19 expertise in nuclear facilities, have you not?

20 DR. LIANG: In the area of hydraulic
21 surveys, hydrology, and ground water hydrology,
22 yes.

23 Q. With respect to nuclear facilities
24 that's been your primary interest and focus in your
25 profession?

1 DR. LIANG: Yes.

2 Q. And that's true of you, too, isn't it,
3 Mr. Lewis?

4 MR. LEWIS: In different areas, but yes,
5 on nuclear facilities.

6 Q. Would you agree that with respect to
7 these two major systems that I have just described,
8 that they are not unique to nuclear facilities?
9 They are typical of industrial facilities in the
10 design of a detention basin or the design of a
11 septic tank drain field is not unique to a nuclear
12 facility?

13 MR. LEWIS: Septic systems are typically
14 not used at nuclear facilities unless there is, you
15 know -- typically there is sewage systems that they
16 would utilize, if they could.

17 Q. Expertise with respect to nuclear
18 facilities doesn't help you with respect to the
19 design of the drain field. You need independent
20 expertise to deal with that, similar to any other
21 facility which was designing a septic tank and
22 drain field.

23 MR. LEWIS: Yes. They could be used at
24 any type of industrial facility, yes.

25 Q. Mr. Lewis, you are licensed in Utah as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 professional engineer.

2 MR. LEWIS: Yes, I am.

3 Q. Have you ever worked with a client who
4 applied for a state permit in Utah to install a
5 septic tank drain field?

6 A. No, I have not.

7 Q. Have you worked with a client in any of
8 the western states to get a permit for a septic
9 tank drain field?

10 MR. LEWIS: In Colorado.

11 Q. Would you indicate what the circumstance
12 was there?

13 MR. LEWIS: Just had to prepare an
14 application for a septic system to the tri-county
15 board of Colorado, which would be in the Denver
16 area.

17 Q. For what facility?

18 MR. LEWIS: I cannot remember that, off
19 the top of my head.

20 Q. You don't remember the client?

21 MR. LEWIS: No. It's been a few years
22 ago.

23 Q. Have you aided any other clients in the
24 preparation of a design for a septic tank drain
25 field?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEWIS: Yes, I have.

2 Q. Can you tell me who and where?

3 MR. LEWIS: That one, which we did about
4 three years ago, was in the state of Maine. And
5 that was at the Maine -- let's see. Maine Atomic
6 Power Plant, and that would be for the same
7 company.

8 Q. And that was a septic tank drain field
9 for disposal of waste at the power plant?

10 A. That was for a septic system that was
11 going to be used for the spent fuel storage
12 facility at the power plant, yes.

13 Q. Mr. Liang, have you ever designed or
14 helped a client work on a septic tank drain field?

15 DR. LIANG: No, I have not.

16 Q. Have either one of you had occasion to
17 review the ground water protection rules for the
18 state of Utah?

19 MR. LEWIS: I have only briefly.

20 DR. LIANG: I have not.

21 Q. Which rules did you look at, Mr. Lewis?

22 MR. LEWIS: The rules on septic system
23 design.

24 Q. That would be Part 4 of the Utah rules?

25 MR. LEWIS: At the time that we were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 preparing the design for the spent fuel storage
2 system, that would have been I believe it was 501
3 or part five. Now it is part four.

4 Q. Did you ever look at Section 6 of the
5 rules dealing with ground water protection?

6 MR. LEWIS: I do not remember if I did
7 or not.

8 Q. Are you familiar, Mr. Liang, with the
9 Uniform Plumbing Code?

10 DR. LIANG: No, I'm not familiar with
11 that.

12 Q. Mr. Lewis, are you familiar with the
13 Uniform Plumbing Code?

14 DR. LIANG: Yes, I am.

15 Q. Have you looked at the specific
16 requirements for a septic tank drain field with
17 that code?

18 MR. LEWIS: Yes, I have.

19 Q. Mr. Lewis, have you ever designed a
20 lagoon or storm water retention pond for a client
21 in the state of Utah?

22 MR. LEWIS: No, I have not.

23 Q. Have you done that for any clients in
24 the western United States?

25 MR. LEWIS: No, I have not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. Have you ever designed a retention pond
2 or storm water retention pond other than this one?

3 MR. LEWIS: No, I have not.

4 Q. Mr. Lewis, have you seen a septic tank
5 drain field being constructed?

6 MR. LEWIS: Yes, I have.

7 Q. Was that the occasion of the facility in
8 Maine?

9 MR. LEWIS: That was -- no. That was
10 the facility in Colorado.

11 Q. Did you observe the one in Maine?

12 MR. LEWIS: No, I did not.

13 Q. Have you observed any other septic tank
14 drain fields being constructed other than the one
15 in Colorado?

16 MR. LEWIS: Only in private
17 applications. But yes.

18 Q. How many times?

19 MR. LEWIS: Three or four times.

20 Q. Mr. Liang, I assume that your expertise
21 is not in the septic tank drain field area. But do
22 you have any firsthand information on viewing
23 septic tank drain fields being constructed?

24 DR. LIANG: No, I have not.

25 Q. Mr. Lewis, have you physically conducted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a percolation test?

2 MR. LEWIS: No, I have not.

3 Q. Have you seen one conducted?

4 MR. LEWIS: Yes, I have.

5 Q. How do you do that for a septic tank
6 drain field?

7 MR. LEWIS: Typically they bring in a
8 backhoe and they dig down four or five feet to the
9 layer where the drain field is going to occur.
10 They drill a hole in the ground, typically about 12
11 inches in diameter. They fill that hole up with
12 water and then you watch it and see how long it
13 takes for the water to percolate down one inch, and
14 record that time.

15 Q. It's not a difficult or costly process,
16 is it?

17 MR. LEWIS: It's not a costly process.
18 It does involve a little bit of work since the
19 backhoe has to be brought in on site and it tears
20 up a little bit of soil in the process of doing it.

21 Q. Home owners do it all the time, don't
22 they?

23 MR. LEWIS: They have it done, yes.

24 Q. Have either one of you -- my assumption
25 is that since you have not designed or had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constructed a detention pond previously, that
2 neither one of you have designed or constructed
3 either a lined or unlined pond.

4 DR. LIANG: No, I have not.

5 MR. LEWIS: No, I have not, either.

6 Q. Mr. Liang, if I could ask you to refer
7 to Exhibit 159. 159 is the deposition that you
8 gave and I would like to have you take a look at
9 Page 6. At the bottom of Page 6 there is a
10 question. Do you see what I'm referring to there
11 where it says, "So you are involved in site
12 monitoring wells and production wells, things like
13 that?" Do you see that question there at the
14 bottom of Page 6?

15 DR. LIANG: Yes.

16 Q. And you answer, "Not really, but at one
17 point we -- Stone & Webster is a very diverse
18 company. Not only in the power plant, we also have
19 environmental cleanup. Sometimes because of so
20 many projects going on, they want some personal
21 resource. I was asked a number of times to look
22 into this so-called monitoring well. Ground
23 well -- at the groundwater well there was
24 monitoring, and then give some technical input to
25 the specification and so on."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LIANG: Yes.

2 Q. Do you consider yourself to be a
3 monitoring expert?

4 DR. LIANG: No, I'm not.

5 Q. You have indicated in your resume that
6 you have been involved in conducting water quality
7 monitoring. What were you referring to?

8 DR. LIANG: That is we, the group I was
9 associated with, the company's environmental
10 science and engineering division, we had some small
11 project in Massachusetts. When they had the
12 install monitoring wells and they needed some
13 technical input about prepare a specification, then
14 I would provide some input to that, to the way how
15 to install technical input to the monitoring well.
16 So-called spec, specification preparation.

17 Q. But you haven't been involved in
18 designing or implementing monitoring systems for
19 ground water?

20 DR. LIANG: No, I have not.

21 Q. Are you a soils expert?

22 DR. LIANG: I'm not a soil expert.

23 Q. Are you an expert in geologic
24 formations?

25 DR. LIANG: No, I'm not an expert in

1 that area.

2 Q. Are you a hydrologist?

3 DR. LIANG: Yes, I am.

4 Q. Do you consider yourself an expert in
5 hydrology?

6 DR. LIANG: Yes.

7 Q. If I could refer you in that same
8 exhibit, Number 159, your deposition, to Page 23.
9 Page 23, there's a question at the top of the page.
10 It says, "So this is a heterogeneity in the
11 aquifers? The permeability in the three dimensions
12 differs?" Do you see that question?

13 DR. LIANG: "So this is a heterogeneity
14 in the aquifers? The permeability in the three
15 dimensions differs?"

16 Q. Do you see that question?

17 DR. LIANG: Yes.

18 Q. The answer is, "No. The permeability is
19 vertical, the transmitability horizontal,
20 coefficient. An aquifer is -- how much water you
21 can do is not only permeability. You have other
22 coefficient also affect the production of the well
23 is the transmitability coefficient.

24 Question: Are you saying the
25 permeability of the surface soils --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Answer: Uh-huh.

2 Question: -- does not determine the
3 ability of it to transmit water?

4 Answer: I didn't say that.

5 Question: Well, let me ask this
6 question, then. What is the difference between
7 permeability and hydraulic conductivity.

8 Answer: I don't know that.

9 Question: Are you familiar with the
10 term "hydraulic conductivity?"

11 Answer: I would say no."

12 Isn't a hydrologist familiar with the
13 term "hydraulic conductivity".

14 DR. LIANG: At the time I was confusing
15 these so-called conductivity and transmissibility
16 or permeability.

17 Q. Do you know what the term "hydraulic
18 conductivity" means?

19 DR. LIANG: Yes.

20 Q. If I could refer you to -- no. I
21 believe on Page 42 and 43, I was going to ask you
22 about that but you have confirmed that you are not
23 an expert in waste water disposal systems.

24 DR. LIANG: No, I'm not.

25 Q. Are you a ground water modeling expert?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LIANG: Yes, I am.

2 Q. If I could refer to Page 9 and 10 of the
3 deposition. Excuse me. Bottom of Page 10.

4 DR. LIANG: Deposition, is that --
5 Excuse me. Is that in your --

6 Q. I'm sorry. The deposition is Exhibit
7 159.

8 DR. LIANG: Oh, I'm sorry.

9 Q. And I'm asking you questions within
10 that. So if you stay on that for the moment,
11 that's where they will be.

12 DR. LIANG: All right.

13 Q. On Page 10. Right in the middle of Page
14 10.

15 "Question: You are an expert in ground
16 water modeling?

17 Answer: Yes."

18 Do you see where I'm reading there?

19 DR. LIANG: Yes. "You are an expert in
20 ground water modeling?"

21 Q. "Answer: Yes. As a matter of fact, I
22 wrote an article on that and presented it in a
23 symposium. That is in my resume on the
24 publication. On the groundwater model to use
25 remediation of hazardous waste site, compare

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different model.

2 Question: What about areas of
3 environmental impact as far as degradation of
4 surface or groundwater quality?

5 Answer: What do you mean by that,
6 degradation?

7 Question: Adversely affecting the water
8 quality of groundwater or surface water."

9 And this is the answer I need to ask you
10 about.

11 "Answer: Yeah. As a matter of fact,
12 this is one of the -- when we prepare a project
13 report, no matter if it is nuclear or fossil,
14 within Stone & Webster's scope of work, usually
15 after modeling the ultimate goal is to evaluate
16 what the impact is in the environment, because this
17 is always required by federal regulation or NRC
18 guidelines to rep ER. so modeling is the first
19 step to prepare, but the evaluation impact is the
20 ultimate objective."

21 Has there been any modeling done in this
22 particular project?

23 DR. LIANG: No.

24 Q. Isn't the first step not modeling, but
25 it is characterizing the site?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LIANG: Would you repeat the
2 question?

3 Q. You have indicated in your answer that
4 modeling is the first step to prepare. I'm trying
5 to understand what you mean by that. And my
6 question is if you were going to evaluate the
7 impact on the environment, isn't the first step to
8 characterize the site and then do the modeling?

9 DR. LIANG: I don't understand what you
10 mean by characterizing of the site.

11 Q. What do you need to have? What
12 information do you need to have to model?

13 DR. LIANG: It is true, yes, the first
14 step is you have to do that.

15 Q. You have to get information about the
16 site before you can run a model.

17 DR. LIANG: Yes.

18 Q. . . . And there was no modeling done with
19 respect to this particular facility.

20 DR. LIANG: Yes.

21 JUDGE FARRAR: Excuse me. Was that yes,
22 there was no modeling; or yes, we did modeling?

23 DR. LIANG: Yes, we did not do the
24 modeling on this project.

25 MR. NELSON: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. (By Mr. Nelson) Was there any testing
2 to determine the direction of groundwater flow
3 underneath the site?

4 MR. SILBERG: I'm sorry. You said was
5 there any testing to determine?

6 Q. Testing. Was there any testing done to
7 determine the groundwater flow direction under the
8 site?

9 DR. LIANG: No.

10 Q. Mr. Lewis, are you a soils expert?

11 MR. LEWIS: I have worked with soils. I
12 have a degree in civil engineering so I am aware of
13 a lot of soil conditions, but I would not
14 necessarily characterize myself as an expert.

15 Q. If I can refer you to Exhibit 160, Mr.
16 Lewis, it's your deposition. And referring you to
17 Page 14, beginning approximately -- well, Line 8.
18 Beginning Line 8 with the question that starts,
19 "Evaporation, transpiration." Do you see where I
20 am there?

21 A. Yes.

22 Q. "Evaporation, transpiration. Somehow
23 it's leaving the system back to the surface. Are
24 there any other options besides those three?

25 Answer: Water -- it typically is going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to follow the slope of the ground, and it's going
2 to flow in layers along a path that goes down. And
3 that might reach, you know, I don't know. You
4 know, it's going to follow the same path as all the
5 rainwater that travels through there and gets
6 absorbed into the ground.

7 Question: Will it end up in the ground-
8 water?

9 Answer: I don't know. You know, the
10 groundwater is very deep, so I don't know if it is
11 going to end up in the groundwater eventually or
12 not. I don't know what types of -- I don't even
13 know if the soil allows rainwater to eventually
14 percolate into the groundwater. I guess I can't
15 quite answer. You know, I do not know. My
16 expertise does not cover soil conditions enough to
17 where I can answer your specific question."

18 Is that answer reflective of what you
19 have just indicated to me with respect to your
20 expertise in soils?

21 MR. LEWIS: Yes, it is.

22 Q. If I could refer you to Page 6 of the
23 deposition. Beginning on Line 10.

24 "Question: Do you know if the pond is
25 going to be using native soils? Is there any

1 synthetic liner that is going to be placed in the
2 pond?

3 Answer: There will not be any synthetic
4 liners in the pond. I believe it is using native
5 soils, but if they are supplementing those with
6 structural fill, I wouldn't know.

7 Question: Do you know if they're going
8 to be doing anything to the native soils that would
9 change their percolation characteristics?

10 Answer: I'm not aware of any, no.

11 Question: That's possible that they
12 will be doing something like that?

13 Answer: That's actually out of my
14 expertise."

15 So with respect to native soils and
16 percolation, that specifically is not within your
17 expertise?

18 MR. LEWIS: No. That's not what I was
19 referring to in this answer.

20 Q. Would you explain, please?

21 MR. LEWIS: What I was referring to in
22 the answer is the design of the detention pond. It
23 would actually be civil engineers that are out of
24 my group that would be designing the detention
25 pond. And so the types of materials that they were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to be using at the detention pond at the
2 Private Fuel Storage facility, I was not aware of
3 at the time.

4 Q. Thank you. If I may go back and use
5 this facility map and ask some specific questions.
6 The area that is controlled by PFS is approximately
7 820 acres. Isn't that right?

8 MR. LEWIS: Is that out of the SAR or
9 the ER?

10 Q. It is out of your prefiled testimony on
11 Page 5.

12 MR. LEWIS: Okay. I believe that is
13 correct.

14 Q. The trains and locomotives that would be
15 coming into the area would be coming in from the
16 west to the canister building south of the fuel
17 storage pads. Is that correct?

18 MR. LEWIS: That is correct.

19 Q. What kinds of vehicles are operating in
20 the fuel storage pad area?

21 MR. LEWIS: Predominantly they would be
22 the locomotives. And then there would be the
23 canister transfer vehicle. And thirdly there would
24 be security vehicles.

25 Q. Pickup trucks, trucks?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEWIS: It could be a pickup truck.

2 Q. Do you know specifically where the two
3 1000 gallon fuel tanks are located?

4 MR. LEWIS: Yes, I do.

5 Q. Where are they located?

6 MR. LEWIS: The first one is located
7 about 200 feet northeast of the canister transfer
8 building, within the protected area. The second
9 one is located just north of the operation and
10 maintenance building.

11 Q. So in looking at the map, it is just
12 north of the canister building here and then just
13 north of the operation and maintenance buildings?

14 MR. LEWIS: Northeast of the canister
15 transfer building, towards the security and health
16 physics building.

17 Q. Northeast?

18 MR. LEWIS: Northeast.

19 Q. In this area?

20 MR. LEWIS: Correct.

21 Q. How large is the detention basin?

22 MR. LEWIS: I think it is 800 feet long
23 and 200 feet wide.

24 Q. And that is eight acres, isn't it?

25 MR. LEWIS: Yes, I believe so.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. Do you know if that eight acres is
2 computed from the outside?

3 MR. LEWIS: I do not know that.

4 Q. How large is this storage area? Do you
5 remember? Is it your recollection it is 99 acres?

6 MR. LEWIS: Yes, it is 99 acres. I
7 believe it is a little over a 1000 feet in both
8 directions. I could not tell you the exact
9 measurements.

10 Q. Here is the scale on the map. Could it
11 be 2000 feet in both directions, if this is a 1000
12 feet?

13 MR. LEWIS: Yes, it could be.

14 Q. So you have -- it is about a third of a
15 mile square?.

16 MR. LEWIS: Half of a mile, third of a
17 mile.

18 Q. Inside this fuel storage pad area, is
19 there any growth of wheat grass or anything like
20 that?

21 MR. LEWIS: Not inside of it, no.

22 Q. That's outside is where the wheat grass
23 is planted?

24 A. That is correct.

25 Q. What is inside the 99 acres?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEWIS: The storage pads and
2 compacted gravel, predominantly.

3 Q. The compacted gravel is eight inches
4 deep; is that right?

5 MR. LEWIS: That is correct.

6 Q. Would you describe what the compacted
7 gravel is like? Is it a clean, crushed rock?

8 MR. LEWIS: Yes. It would be what we
9 call structural fill, which is crushed gravel that
10 is graded so that it compacts very tightly.

11 Q. What is the size of the pieces of
12 gravel?

13 MR. LEWIS: That all depends on what
14 they specify. But it could be from three-quarters
15 of an inch down to fines.

16 Q. There's not a lot of dirt in there?

17 MR. SILBERG: What do you mean "in
18 there"? You mean underneath the gravel?

19 Q. There's not a lot of dirt in the
20 compacted gravel?

21 MR. LEWIS: It depends what you define
22 as dirt. There are what we call fines, which are
23 small particles that make up -- the objective of
24 structural fill is to insure that there are very
25 few voids. So you have to have what we call

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gradation, a number of different types of or
2 different sizes of gravel in order to make sure
3 that you've compacted it and filled all those
4 voids. So there would be some voids or some
5 gravels that would be very small.

6 Q. The purpose is to make it structurally
7 so that you can drive a larger vehicle across it,
8 isn't that right, without sinking into the mud?

9 MR. LEWIS: That would be correct.

10 Q. The detention pond is going to be
11 planted with wheat grass inside; is that correct?

12 MR. LEWIS: I don't remember if it is or
13 not.

14 Q. Let me ask you to look at Page 11 of
15 your prefiled testimony. On the top of the page
16 there on Page 11 of the prefiled testimony it talks
17 about the basin being constructed with mechanically
18 compacted soil sideslopes and floor and will cover
19 approximately eight acres with a 10 to 1
20 embankment.

21 MR. SILBERG: Could you give us a
22 question and answer? We may be dealing with this
23 electronic versus hard copy issue again.

24 BY MR. NELSON: Question 3. It is under
25 Detention Basin. Question 3 is the best I can do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on that.

2 MR. SILBERG: Our testimony doesn't have
3 a Question 3 under Detention Basin.

4 MR. NELSON: Q3, A3?

5 JUDGE FARRAR: That's the bad version
6 that got filed initially where it gave question and
7 then the answer was a different number. We got
8 several of those in as people were racing to meet
9 deadlines. And then everybody substituted.

10 MR. SILBERG: I don't remember that
11 episode.

12 JUDGE FARRAR: You weren't on our end of
13 the computer.

14 MR. SILBERG: Or it may have been in
15 your computer. Can I take a look?

16 JUDGE FARRAR: Why don't you go ahead
17 and straighten it out.

18 (Discussion off the record.)

19 Q. (By Mr. Nelson) Let's look at Page 10,
20 then. Page 10 of the prefiled testimony, Question
21 22, Answer 22. Last sentence, embankment of 10 to
22 1. You don't know whether the eight acres
23 described there is inside on the bottom or whether
24 it is an outside dimension taking into account the
25 embankment?

1 MR. LEWIS: I believe it does take in
2 the embankment, but I am not sure about that.

3 Q. If I can refer you to Exhibit 161, it's
4 the selections out of the Environmental Impact
5 Statement, on Page 4-12. There's a sentence in the
6 middle of the page on Page 4-12 that says, "If
7 processes such as frost heave or vegetation root
8 penetration causes disruption of the compacted soil
9 layer," do you see that sentence? The vegetation
10 root reference there, is that a reference to wheat
11 grass growing in the bottom of the detention basin?

12 MR. LEWIS: I believe that it is.

13 Q. The septic tank drain field for the
14 administration building and the operation and
15 maintenance building is designed at 650 gallons per
16 day. Is that correct?

17 MR. LEWIS: Can you repeat the question?

18 Q. The septic tank drain field for the
19 administration building and operation and
20 maintenance building is 650 gallons per day. Is
21 that correct? It's designed for that size.

22 MR. LEWIS: I think that's the minimum
23 requirements. We actually designed them both to be
24 875 gallons per day, I think.

25 Q. 875 gallons per day combined with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two?

2 MR. LEWIS: No. It was 1750 gallons
3 combined for the two.

4 Q. If you will look at Exhibit 161, again.
5 Page 4-13. The fourth paragraph from the top. It
6 says, "One of the proposed septic systems," do you
7 see where I'm reading?

8 MR. LEWIS: Yes.

9 Q. "Would serve the administration
10 operation and maintenance building (estimated 650
11 gallons per day) and the other would serve the
12 canister transfer and health physics building
13 (estimated at 400 gallons per day)." So you are
14 testifying that that has now changed; that the size
15 between the two is now 1750 gallons per day?

16 MR. LEWIS: No. In our license
17 application we do not have these numbers. Our
18 numbers are based on an industrial facility with
19 showers, which is 35 gallons per person per day.
20 And these numbers are based on an industrial
21 facility without showers, which is 25 gallons per
22 person per day.

23 Q. So these facts in the EIS are about half
24 of the estimated amount that will be going into the
25 septic tank drain field?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEWIS: Not half. They are about
2 three-quarters.

3 Q. It's the difference between 1000 and
4 1750.

5 MR. LEWIS: Right. Understand that the
6 canister transfer building and the administration
7 building would not have showers. So these numbers
8 are not that far off. But for conservatism, when
9 we were designing the septic systems I assumed
10 worst case, which is to assume that we have showers
11 everywhere, to design a conservative field.

12 MR. SILBERG: For clarification at this
13 point, can I just understand the statements in the
14 FEIS, do those relate to the design of the system
15 or the usage that was assumed from those two sets
16 of buildings, or do we know that?

17 MR. NELSON: I guess at this point I
18 need to ask a question. Mr. Silberg has a chance
19 to ask questions on cross-examination. Is he going
20 to cross-examine while I'm doing the testimony?

21 MR. SILBERG: My purpose is not to
22 cross-examine, but to get a clarification because
23 frankly I don't know what this means and I think it
24 would be good for the record at this point to
25 indicate what this statement means. I'm certainly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not cross- examining.

2 MR. NELSON: Well, let me ask the
3 witness --

4 JUDGE FARRAR: Mr. Nelson, let me touch
5 on how we tend to do things here. When there's
6 confusion, either we jump in, or somebody jumps in,
7 trying not to interrupt the rhythm of cross-
8 examination, but sometimes if there's confusion we
9 find it is easier on technical matters to ask a
10 question, get a clarification, and save 15 minutes
11 of nobody understanding what is going on. So I
12 think that is what Mr. Silberg is doing. But if
13 you think they --

14 MR. NELSON: Thank you, Judge. That is
15 acceptable.

16 JUDGE FARRAR: But if you think he is
17 doing it for a different purpose, then you are free
18 to ask that he or anybody else not do it.

19 MR. NELSON: Thanks, Mr. Chairman.

20 MR. SILBERG: Mr. Nelson, I was just
21 trying to clarify the record at this point.

22 JUDGE FARRAR: That has been the
23 practice.

24 MR. NELSON: Understanding that, I will
25 try to fit the same mold.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE FARRAR: But your point is a valid
2 one, and so let's move on.

3 Q. (By Mr. Nelson) Let me ask the
4 question, then. Those estimates --

5 JUDGE FARRAR: As long as we have
6 interrupted you, could I ask a question? I have
7 had a clarifying question in my mind for some time,
8 but how do we get eight acres out of 800 by 200?
9 Because I'd like to bring you back to Montgomery
10 County and we will sell those excess four acres for
11 what we get for them, and we can all not
12 participate in the hearing anymore.

13 MR. LEWIS: Well, the 800 by 200 could
14 be the -- it could be 800 by 200 divided by --

15 JUDGE FARRAR: 40,000.

16 MR. LEWIS: 43,516 feet per square acre.
17 But if it includes the embankments, then it could
18 be --

19 JUDGE FARRAR: Okay. Now the --

20 MR. LEWIS: I'm not sure that the 800 by
21 200 includes the embankments. That might just be
22 the base of the detention basin.

23 JUDGE FARRAR: When you say the
24 embankments, do you mean the embankments that are
25 holding the water or do you mean the embankments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 outside the pond that are slanting downwards and
2 out- wards?

3 MR. LEWIS: I do not know how the eight
4 acres was computed.

5 MR. SILBERG: I can provide that
6 information, if you'd like.

7 JUDGE FARRAR: As long as we have
8 interrupted Mr. Nelson, why don't you testify, Mr.
9 Silberg.

10 MR. SILBERG: Or I can put on Mr.
11 Trudeau and he can answer it.

12 JUDGE FARRAR: We can have him later
13 confirm it.

14 MR. SILBERG: The 200 by 800 is the
15 bottom. The eight acres represents the entire area
16 from the top of the outward sloping slopes.

17 JUDGE FARRAR: So the area at the top of
18 the detention basin is considerably larger than the
19 bottom?

20 MR. SILBERG: Because of the 10 to 1
21 embankment ratio.

22 JUDGE FARRAR: If Mr. Trudeau will be
23 good enough later to mention that, we will confirm
24 it. I'm sorry, Mr. Nelson.

25 MR. NELSON: I don't believe that Mr.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Trudeau is going to testify, but if we want to have
2 a representation on the record, I will agree to
3 that dimension.

4 MR. SILBERG: We can put him on the
5 record for that purpose, and he may be on later.

6 MR. NELSON: We will stipulate to that
7 explanation.

8 JUDGE FARRAR: Thank you, Mr. Nelson.
9 Go ahead.

10 Q. (By Mr. Nelson) The leach fields that
11 are associated with these two septic tanks are 1400
12 square feet apiece. Is that correct?

13 MR. LEWIS: That is the preliminary
14 calculation for those two leach fields, yes.

15 Q. That is the number that was represented
16 on Page 9 of your prefiled testimony and also in
17 the EIS. Is that correct?

18 MR. LEWIS: That is correct.

19 Q. What permeability was used to compute
20 the size of that leach field?

21 MR. LEWIS: There was no permeability
22 that was used for it. We used the Uniform Plumbing
23 Code, which provides five different soil types.
24 And we tried to match it up with the closest soil
25 type. And then it has a prescribed number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 square feet that you would design the leach fields
2 for.

3 Q. If you had done a percolation test, you
4 could have used the percolation test to design the
5 size of the leach field; couldn't you?

6 MR. LEWIS: Yes, you could. And
7 eventually we would do that percolation test.

8 Q. In fact, that is critical you do that,
9 isn't it? To make sure that the drain fields will
10 work right?

11 MR. LEWIS: Typically it's required,
12 yes.

13 Q. If I could refer you to Page 12. Well,
14 no. Just a minute. I'll have to get into that
15 mode. I'm sorry.

16 JUDGE FARRAR: That's all right.

17 Q. Page 12 of the prefiled testimony, top
18 of the page. Mr. Liang. That's your testimony.
19 Do you see the sentence on the last paragraph, it
20 says, "The nearest perennial surface water body,
21 the Great Salt Lake, is located about 28 miles
22 north of the proposed PFSF site boundary." Is that
23 a correct statement?

24 DR. LIANG: The last sentence of the
25 first paragraph?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. The first partial paragraph. Right at
2 the top of the page. It says, "The nearest
3 perennial surface water body, the Great Salt Lake,
4 is located about 28 miles north of the proposed
5 PFSF site boundary."

6 DR. LIANG: Yes. That's a correct
7 statement.

8 Q. If I could refer you to Exhibit 161,
9 Page 3-11. At the top of the page, last sentence
10 in that first partial paragraph, it says, "The
11 nearest perennial surface water flow downstream of
12 the proposed PFSF site is Horseshoe Springs located
13 10 miles to the north." Doesn't that conflict with
14 your testimony?

15 DR. LIANG: No, not necessarily. When I
16 say the water body, I assume some kind of reservoir
17 type. No flow in and out. So here it seems to me
18 they have some kind of flowing stream, something
19 like that.

20 Q. Have you seen Horseshoe Springs?

21 DR. LIANG: No, I have not.

22 Q. It is a series of small ponds and lakes,
23 isn't it?

24 MR. SILBERG: I think he just said he
25 hadn't seen it.

1 DR. LIANG: I don't know.

2 JUDGE FARRAR: He can answer if he knows
3 from some other source of information.

4 DR. LIANG: At the time, I do not have
5 that source of information.

6 Q. Your definition of the nearest perennial
7 surface water body is a body of water that doesn't
8 have an in-flow, or has an in-flow and no out-flow?
9 Is that what I understood you to say?

10 DR. LIANG: No. Exactly what I'm
11 saying, water body is a water retained in a
12 boundary. The spring, as a matter of fact, this
13 water body was presented by the state after saying
14 we do not find or did not find any permanent water
15 body or stream within five miles of the PFS site.
16 So this piece of identification of water body was
17 presented by the state of Utah later on, after we
18 presented this so-called permanent water body 28
19 miles in our environmental report.

20 Q. I don't want to belabor this point, but
21 the prefiled testimony was filed after the
22 Environmental Impact Statement was issued; wasn't
23 it?

24 DR. LIANG: True. It is true.

25 Q. And the prefiled statement is the one

1 that has the representation with respect to the
2 Great Salt Lake. And the EIS has the statement
3 with respect to Horseshoe Springs. So you didn't
4 have the EIS -- I will leave that question.

5 Mr. Lewis, how is the detention basin
6 constructed? Would you describe how it is
7 constructed?

8 MR. LEWIS: The detention basin
9 basically is constructed by digging down a few feet
10 and then the spoils from that would be used to
11 create the embankment around the basin itself.

12 Q. So you excavate out the material, using
13 the excavation to build the sides?

14 MR. LEWIS: For the most part. We might
15 have to bring in some soil to complete the
16 embankments.

17 Q. The detention basin is seven feet deep;
18 isn't that right?

19 MR. LEWIS: That is correct.

20 Q. And that is measured from the top of the
21 embankment to the floor.

22 MR. LEWIS: That is correct.

23 Q. How far below grade -- let me state the
24 question again. How far below the edge of the fuel
25 storage pad would you estimate is the bottom of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 detention basin?

2 MR. LEWIS: I don't remember that.

3 Q. It would be lower than it, wouldn't it?

4 MR. LEWIS: Yes, it would be.

5 Q. Because you have excavated out the
6 detention basin and you've got, then, a place for
7 the water to flow into. There's no pumping into
8 the detention basin.

9 MR. LEWIS: No, there's not.

10 Q. Underneath this site, PFS identified
11 groundwater; isn't that correct?

12 DR. LIANG: Yes.

13 Q. Excuse me. Mr. Liang. You're the one
14 to answer this. Okay. What was the depth of the
15 groundwater that was discovered?

16 DR. LIANG: Based on our boring tests at
17 the site, the groundwater depth is to about 125
18 feet from the surface.

19 Q. If I could refer you to Exhibit 161
20 again. Page 3-12. That identifies your boring
21 identified groundwater at 124.5 feet. In the next
22 paragraph down there's a description in the EIS of
23 seismic reflection surveys. Seismic reflection
24 surveys are where you go in and look at -- let me
25 describe it as kind of an X-ray, an attempt to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 identify where the different soils are and where
2 the groundwater is. Isn't that right? Is that a
3 very poor technical description of what it is?

4 DR. LIANG: To my understanding, your
5 description is right.

6 Q. Are you familiar with seismic reflection
7 surveys? Have you done those?

8 DR. LIANG: No, I have not.

9 Q. Have you done them, Mr. Lewis?

10 MR. LEWIS: No, I have not.

11 Q. Are you familiar, either one of you,
12 with having read that paragraph on the seismic
13 reflection surveys?

14 MR. LEWIS: I have not.

15 DR. LIANG: No, I have not.

16 Q. Mr. Liang, the depth of the groundwater
17 is about 125 feet. If you were to estimate the
18 width of the room from that end to that end, that's
19 probably less than 125 feet; isn't it?

20 DR. LIANG: I would say so.

21 Q. Would your guess be that it is maybe 50
22 to 75 feet, if you were to pace it off?

23 DR. LIANG: In that range.

24 Q. So I'm trying to get kind of an
25 understanding of how far the groundwater is from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the surface. So if we doubled the length, that
2 would clearly be within the range of where the
3 groundwater is to the surface.

4 DR. LIANG: I would say so. I believe
5 so.

6 Q. Do either one of you know what the
7 quality of water is under the site?

8 MR. LEWIS: I do not.

9 DR. LIANG: Based on my reading the ER,
10 yes, I do.

11 Q. What is the quality of the groundwater
12 under the site?

13 DR. LIANG: Our ER described the water
14 quality of the groundwater based on a reference we
15 use in Hood and Waddell, published in 1968, which
16 is entitled Hydrological Reconnaissance of Skull
17 Valley, Tooele County. Based on that reference,
18 the groundwater in the Skull Valley have some iron,
19 like sodium and chloride.

20 MR. SILBERG: Did you say iron or ion?

21 DR. LIANG: Iron. In the central part
22 and northern part of the Skull Valley, the
23 groundwater quality is somehow -- the total
24 dissolved solid is in the range of maybe 760 to
25 1500 ppm. In comparison to drinking water, total

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dissolved solid was in the range of 500 ppm. In
2 addition, the groundwater in the aquifer under the
3 Skull Valley had very high calcium. We are using a
4 layman term as "hard", hardness of the groundwater
5 quality. So most of the water used in the Skull
6 Valley, according to their reference, is for
7 irrigation or for the stock, the range use.

8 Q. So it's your opinion that the water
9 under the site is not drinking water quality?

10 DR. LIANG: For under the site specific,
11 I cannot say one way or the other because we don't
12 have any specific data in that location.

13 Q. You haven't checked the quality of the
14 water under the site?

15 DR. LIANG: Based on my understanding,
16 we have not.

17 Q. You did drill down to figure out the
18 depth, but you didn't sample the water for quality?

19 DR. LIANG: That's correct.

20 Q. If I could refer you to page 3-13 of the
21 Environmental Impact Statement, again at Exhibit
22 161. Right at the bottom of Page 3-13. It says,
23 "Ground- water in the alluvial apron along the base
24 of the Stansbury Mountains contains the lowest
25 total dissolved solid in the valley, with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concentrations from 100 to 800 milligrams per
2 liter." Not parts per million. Were you referring
3 to parts per million?

4 DR. LIANG: Yes. Same unit.

5 Q. Same unit?

6 A. As ppm.

7 Q. So ppm is the same as milligrams per --

8 A. Yes.

9 Q. Groundwater can be obtained from the
10 Salt Lake Formation in some areas near the center
11 of Skull Valley although the TDS content increases
12 towards the center and northern end of the basin.
13 TDS levels between 1000 and 10,000 mg/L have been
14 reported." Is it your testimony that 1000 is above
15 drinking water standards?

16 DR. LIANG: No. What I just said is on
17 average, drinking water total dissolved solids is
18 in the range of 500 ppm.

19 Q. Are you familiar with the drinking water
20 standards that are set by the United States and
21 also in the state of Utah?

22 DR. LIANG: No, I am not familiar with
23 that.

24 Q. Let me ask you to look at Exhibit 162.
25 And I would refer you to Number 19 under (c),

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2.1(c). Do you see the words "total dissolved
2 solids"?

3 DR. LIANG: Yes.

4 Q. Do you see the number 2000?

5 DR. LIANG: Yes.

6 Q. Have you ever seen this document that
7 includes that 2000 as a primary drinking water
8 standard?

9 DR. LIANG: I have not seen this number
10 before today.

11 Q. You don't know, then, the difference
12 between a primary standard and a secondary
13 standard?

14 DR. LIANG: No.

15 Q. If you were to come to believe that 2000
16 was a drinking water standard for drinking water
17 quality, would you conclude that water under the
18 site is potentially a drinking water source?

19 DR. LIANG: Yes.

20 Q. So you are not an expert on drinking
21 water quality or drinking water standards?

22 DR. LIANG: No, I'm not.

23 Q. Mr. Lewis, do you have any background on
24 drinking water standards?

25 MR. LEWIS: No, I do not.

1 Q. If you can refer again to Page 3-13 of
2 the Environmental Impact Statement, the page that
3 we are on. And Mr. Liang, I think based on what
4 you have explained on expertise, I will start with
5 you with this question. In the middle of the third
6 section down there is a statement. "Based on the
7 estimates for hydraulic parameters at the PFS site
8 the apparent groundwater seepage velocity beneath
9 the site would be approximately 1.04 meters per
10 day." I skipped the centimeters per second. Let's
11 use the 1.04 meters per day. It then goes on to
12 say, "If a saturated zone porosity of 0.3 is
13 assumed, the actual seepage velocity would be
14 approximately 3.9×10^{-6} centimeters per second or
15 3.5 meters per day." That describes the velocity
16 of groundwater flow, doesn't it?

17 DR. LIANG: Yes.

18 Q. Why does it say 1.04 meters per day and
19 a range to 3.5 meters per day? Why is there a
20 differentiation there between those two numbers?
21 Do you know?

22 DR. LIANG: I don't know.

23 Q. Have you heard the term "flux rate"?
24 You have indicated you are a hydrologist. Do you
25 know what the term flux rate means?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LIANG: That is flux, F-L-U-X?

2 Q. Yes.

3 DR. LIANG: No.

4 Q. If I convert 3.5 meters per day to feet
5 per day, because I'm more used to dealing in feet
6 than I am meters, that ends up being about 11 feet
7 per day. Doesn't it?

8 DR. LIANG: Yes.

9 Q. So that would be an estimate of the
10 groundwater velocity underneath the PFS site.
11 Eleven feet per day.

12 DR. LIANG: Would you repeat the
13 question?

14 Q. Eleven feet per day is indicated as
15 being the actual seepage velocity. Doesn't that
16 mean the actual seepage of velocity means the rate
17 of flow of the groundwater, the estimate underneath
18 the PFS site?

19 MR. SILBERG: I'd object to the question
20 as phrased. It says, "If a saturated zone porosity
21 of 0.3 is assumed, the actual seepage velocity
22 would be approximately 3.9×10^{-6} meters per day."

23 Q. Let me state the question again. If you
24 assume that 0.3 is the saturated zone porosity,
25 would the actual seepage velocity be about 11 feet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 per day? And is that the travel velocity of
2 groundwater under the site?

3 DR. LIANG: If I recall, seepage is not
4 necessarily vertical. I give you an example. We
5 build a dam. The water can seep out from the
6 footing of the dam. So sometimes seepage could be
7 referred to horizontal, and then seepage, of
8 course, also referring to vertical.

9 Q. You think that this number is referring
10 to how fast the groundwater is sinking into the
11 earth as opposed to going horizontal?

12 DR. LIANG: Seepage can go either
13 direction.

14 Q. We are talking about groundwater here,
15 aren't we, in the saturated zone?

16 DR. LIANG: In this particular area, I
17 say yes, it is groundwater seeping into vertically,
18 yes.

19 Q. So we are talking about a saturated zone
20 and we are talking about a seepage velocity and you
21 are saying that that saturated zone is sinking
22 down?

23 DR. LIANG: No, I didn't say that.

24 Q. It is a --

25 MR. SILBERG: Excuse me. I think the

1 witness was answering.

2 Q. Go ahead and finish your answer. You
3 are not talking about it sinking down?

4 DR. LIANG: Would you please repeat the
5 question?

6 Q. The saturated zone porosity and the
7 actual seepage velocity. You are in a saturated
8 zone and the actual seepage velocity, is that
9 referring to vertical velocity or horizontal
10 velocity?

11 DR. LIANG: Vertical.

12 Q. So the saturated zone is sinking 11 feet
13 into the ground?

14 MR. SILBERG: You say the saturated zone
15 is sinking 11 feet?

16 Q. That's what we are in here, aren't we?
17 We are in a saturated zone.

18 DR. LIANG: I don't think we can
19 interpret a zone in here. It --

20 Q. Let me back up one sentence. Maybe this
21 will clarify it. "The hydraulic conductivity of
22 the water-bearing zone." What is the water-bearing
23 zone?

24 DR. LIANG: A saturated zone.

25 Q. That's the groundwater.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LIANG: Yes.

2 Q. And the next sentence describes the
3 velocity of seepage. Isn't that describing
4 horizontal velocity?

5 DR. LIANG: Not horizontal.

6 Q. How does groundwater behave? When you
7 have a level of groundwater, from the top of that
8 saturated zone, does it sink?

9 DR. LIANG: No.

10 Q. It remains pretty much the same and
11 changes a little over time. But it's quite a long
12 time, isn't it?

13 DR. LIANG: Yes.

14 Q. That level stays the same. So what
15 sinks? What is going vertically in that zone?

16 DR. LIANG: I don't know.

17 Q. So you don't know what that means, the
18 actual seepage velocity?

19 DR. LIANG: Seepage, like I said
20 earlier, can be moved horizontally or vertically.
21 And in this case, when you are talking about here,
22 we just said the seepage was going downward,
23 vertically.

24 Q. I'll move on. The rainfall on the site
25 ranges between seven to twelve inches per year. Is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that correct?

2 DR. LIANG: Yes.

3 Q. In your pre-filed testimony, Page 13.

4 DR. LIANG: Page 13?

5 Q. Yes. You indicate in the last sentence
6 of the answer to Question 31, "Precipitation
7 falling in Skull Valley does not reach groundwater
8 because of the relatively small amount, Low soil
9 permeability, and depth of the water table." Is it
10 your testimony, then, that precipitation never
11 reaches groundwater in Skull Valley?

12 DR. LIANG: Yes.

13 Q. There's no circumstances that you can
14 think of that precipitation falling in the valley
15 could potentially reach groundwater?

16 DR. LIANG: Yes.

17 JUDGE FARRAR: Is that yes, there's no
18 circumstance or --

19 DR. LIANG: Yes, no circumstance the
20 rainfall will reach the groundwater at the site.

21 Q. (By Mr. Nelson) PFS is relying on water
22 rights of the Tribe, is it not, perhaps for
23 drilling a well that is going to be located that is
24 shown here on this figure; a well located in this
25 area by the security and health physics building?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEWIS: Yes. That is correct.

2 Q. Mr. Lewis, thank you. The well that is
3 proposed there, the expectation is it will be
4 drilled to past 125 feet. Is that right?

5 MR. LEWIS: Correct.

6 Q. The water that is underneath the site
7 that is going to be used for that well, who owns
8 that water?

9 MR. SILBERG: Objection. Calls for a
10 legal conclusion. Not related to the Contention.

11 JUDGE FARRAR: We will permit the answer
12 if you know it.

13 MR. LEWIS: I could not tell you.

14 Q. Can I refer you to 3-14 in the
15 Environmental Impact Statement, Exhibit 161. The
16 paragraph there under the heading 3.2.3 Water Use.
17 It says, "Water rights in Utah have been described
18 as follows: All waters in Utah are public
19 property. A water right is the right to use the
20 water." Do you have any reason to disagree with
21 that statement?

22 MR. SILBERG: Objection. Same grounds.
23 Calls for --

24 MR. NELSON: I'm just asking if he has
25 any reason to disagree with the statement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SILBERG: And I'm objecting because
2 it calls for a legal conclusion, also on a document
3 that is not theirs.

4 JUDGE FARRAR: We will overrule the
5 objection. You can answer if you know the answer.
6 Or you may answer.

7 MR. LEWIS: If it is within the state of
8 Utah, I'm not sure that that would be the same as
9 the waters underneath the reservation.

10 Q. If you were designing a detention basin
11 and septic tank drain fields, isn't it true that
12 you should take into consideration potential
13 impacts that may have on groundwater immediately
14 under the site?

15 MR. LEWIS: If the water from the drain
16 field would reach the groundwater, that would be
17 the case. But that is not necessarily the case.

18 Q. What you are saying is you took it into
19 consideration, evaluated that, and you, in your
20 opinion, designed a system that that would not
21 happen?

22 MR. LEWIS: The design of the system is
23 not necessarily dependent on whether it would
24 happen. It is more the soil conditions and the
25 conditions of the area in which the disposal field

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is located.

2 Q. The quality of the water and protecting
3 the water under the site would be a factor, though,
4 in you designing and implementing ways of dealing
5 with stormwater and wastewater.

6 MR. LEWIS: Can you repeat that again?

7 (Testimony was read back as follows:

8 "The quality of the water and protecting the water
9 under the site would be a factor, though, in you
10 designing and implementing ways of dealing with
11 stormwater and wastewater.")

12 MR. LEWIS: Typically it is not a factor
13 when you are designing a disposal field. Typically
14 when we are designing a disposal field, the
15 protection of those waters is maintained by
16 establishing a certain amount of soil layer between
17 the disposal field and the groundwater. The codes
18 or standards or, in your case, Utah codes, have a
19 prescribed soil layer so that it will be
20 automatically protected, if you want to put it that
21 way.

22 Q. This site and facility has been
23 characterized as an industrial facility, hasn't it?

24 MR. SILBERG: Characterized by whom?

25 Q. It has been characterized in the EIS and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by your testimony as an industrial facility.

2 MR. LEWIS: In the Uniform Plumbing Code
3 we characterized it as an industrial facility for
4 the purposes of determining how much waste water we
5 could have per day of the categories listed in the
6 Uniform Plumbing Code. Industrial facility was the
7 closest one that we could choose from.

8 Q. It is also characterized by EPA, is it
9 not, for purposes of stormwater requirements as an
10 industrial facility?

11 MR. LEWIS: It could be.

12 Q. You don't know for sure?

13 MR. LEWIS: Yes, I believe it would be.

14 Q. Let's talk for a minute about the
15 sources, potential sources of contamination which
16 were reviewed in your analysis. You will have rail
17 locomotives coming into the site. There is a
18 potential, is there not, for fluids, fuels from
19 those locomotives to be released to the site?

20 MR. LEWIS: In a rupture of, like, the
21 tanks?

22 Q. A small drip off of a transmission, an
23 oil pan that leaks a little bit. There is a
24 potential for fluids to be released to the site.

25 MR. LEWIS: That would be correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. You indicate in the prefiled testimony
2 on Page 32 --

3 MR. SILBERG: Is that question or page?

4 Q. Page 32. Excuse me. Page 32 of your
5 prefiled testimony, Mr. Lewis. It discusses, in
6 the answer to Question 72, a spill of diesel fuel
7 potentially from the tracks and the locomotive
8 area. And it indicates that there are some weirs
9 that are located just north of the culvert
10 discharging into the north drainage ditch. Can you
11 describe, by location, where those weirs are?

12 MR. LEWIS: Yes, I can. It would be
13 the -- the ditches run both to the north side and
14 the south side of the railroad tracks. In this
15 particular case we are concerned about the north
16 side ditch to the west side of the site just before
17 you get to the protected area fence, if you could
18 put your pen up there.

19 Q. So in this area here on both sides of
20 the track?

21 MR. LEWIS: The ditch. There are
22 ditches located on the north side and south side of
23 the tracks running parallel to the tracks.

24 Q. And the weir is located, again?

25 MR. LEWIS: The weir would be on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 west side of the site. West. There you go. Just
2 before you get to the protected area fence. But it
3 would be on the north side of the tracks.

4 Q. Up here?

5 MR. LEWIS: It would be on the east side
6 of the fence.

7 Q. Right in here.

8 MR. LEWIS: Right there. And the ditch
9 actually turns 90 degrees and traverses up to the
10 north and to the detention basin.

11 Q. So there's a ditch that runs along this
12 edge up to the detention basin?

13 MR. LEWIS: It runs up north a ways.
14 I'm not sure if it runs all the way to the north,
15 but I know it runs from the railroad tracks north a
16 certain distance.

17 Q. Is there another comparable ditch on the
18 east side?

19 MR. LEWIS: No. And the weir is located
20 just as the ditch turns to the north.

21 Q. Are any of these ditches lined?

22 MR. LEWIS: Yes, they are. These
23 ditches are all concrete lined.

24 Q. Concrete lined ditches?

25 MR. LEWIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. The ditch on both sides of the railroad
2 tracks?

3 MR. LEWIS: Yes.

4 Q. And once it finishes in this area, you
5 say you are not sure it goes all the way to the
6 detention basin, but it would then go out in the
7 gravel area? Is that correct?

8 MR. LEWIS: Yes. I do not remember if
9 it goes clear to the detention basin or if it just
10 daylighted out into the ground there.

11 Q. In any event, it would go into the
12 gravel area if it ended.

13 MR. LEWIS: Correct. The weirs are
14 actually located a number of feet south of where,
15 if it daylighted, I don't remember if it does or
16 not.

17 Q. So by building that system you
18 anticipate that there may be or there is a
19 potential for spills.

20 MR. LEWIS: We built the system or we
21 built the ditch so that if there were possibility
22 of a rupture of diesel fuel tank on the
23 locomotives, there would be some means in order to
24 capture that, which is what is required by the EPA
25 for any type of diesel spill. And this just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provides ease in insuring that we have a diked area
2 for that diesel fuel spill.

3 Q. Other sources that you looked at for
4 potential sources of contamination would obviously
5 include the fuel tanks, the 2000 gallon fuel tanks.

6 MR. LEWIS: Correct.

7 Q. You would also have equipment operating
8 within the 99 acre area, transporter vehicles.
9 Those would involve fluids, hydraulic fluid, brake
10 fluid, oils, fuels?

11 MR. LEWIS: Typically they would have --
12 the transporters have about 30 gallons diesel fuel
13 on board. It would have lube oil, hydraulic fluid,
14 yes.

15 Q. There are air compressors, generators on
16 site?

17 MR. LEWIS: There are air compressors in
18 the canister transfer building and the O&M
19 building.

20 Q. And you would need some oils to run
21 those?

22 MR. LEWIS: There would be oils in
23 those.

24 Q. And those are stored in 500 gallons
25 quantity, total?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEWIS: No. You mean the lube oils?

2 Q. The lube oils.

3 MR. LEWIS: Yes. For all the equipment
4 on site would be stored in -- we estimated a
5 maximum of 500 gallons and that would be stored in
6 the O&M building in the oil storage room.

7 Q. Do you ever wash any vehicles?

8 MR. LEWIS: Yes.

9 Q. Where will the vehicles be washed?

10 MR. LEWIS: On this -- I thought you
11 meant in general do I ever wash.

12 Q. Excuse me. I was not referring to your
13 personal car.

14 MR. LEWIS: I don't know. We have not
15 put in, in the design, any provisions for washing
16 the vehicles at this point in time.

17 Q. So the transport vehicles, any trucks,
18 any of those kinds of equipment, you are not going
19 to wash them ever in twenty years?

20 MR. LEWIS: I didn't say that. I just
21 said on the site, we have not put in provisions on
22 the site to wash those vehicles at this time.

23 Q. So in your evaluation of the potential
24 for release of waters, you haven't factored in or
25 considered any vehicle washing?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEWIS: We could actually drive some
2 of the vehicles off site and wash them in a regular
3 washing facility, like you would your personal car.

4 Q. Do you know if the Skull Valley Band has
5 a washer for a transport vehicle?

6 MR. LEWIS: I do not.

7 JUDGE FARRAR: Mr. Nelson, would you be
8 good enough to let us know the next time you are at
9 a convenient break point?

10 MR. NELSON: Are we ready to stop for a
11 minute?

12 JUDGE FARRAR: Yes. And we will switch
13 reporters at the same time. So why don't we take
14 15 minutes unless you had something you wanted --

15 MR. NELSON: No. I'm fine.

16 JUDGE FARRAR: It's almost quarter
17 after. Let's be back at 4:30.

18 (A break was held.)

19 JUDGE FARRAR: Mr. Nelson, if you'd
20 resume your cross-examination.

21 MR. SILBERG: Excuse me. I suggested to
22 Mr. Nelson during the break, I think we had a
23 failure of understanding on the set of questions on
24 horizontal/vertical, and I offered that if he
25 wanted to reopen that now, or we can do it later,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's his choice.

2 Q (By Mr. Nelson) Let me just quickly
3 ask a question of Mr. Liang. On page 3-13 of the
4 Environmental Impact Statement, there are
5 references -- that is Exhibit 161. 3-13 references
6 to 1.04 meters per day and 3.5 meters per day for
7 seepage velocity. Mr. Liang, I ask you that
8 question. Is that horizontal velocity or is that
9 vertical velocity?

10 DR. LIANG: As I say earlier, seepage
11 can be horizontal, vertical. After I look at this
12 more closely, it was confusing before, but I see
13 this means horizontally.

14 Q. So the 3.5 meters that we converted to
15 11 feet per day, the horizontal seepage velocity on
16 that is the equivalent of 11 feet per day?

17 DR. LIANG: In the unit conversions,
18 that's correct, yes.

19 Q. Thank you.

20 DR. LIANG: However, I want to clarify
21 one thing is the 1.04 meter per day, which
22 represent the average velocity of the movement.
23 When we consider the so-called porosity in here,
24 which means the water will pass through the
25 different voids, the path is actually linked which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will pass through the -- so that, in other words,
2 the first velocity present here, 1.04 meter per
3 day, is the average velocity move from 1 point to
4 another. The other 3.5 meter or 11.5 feet per
5 second is actual path that water particles through
6 different voids to that point.

7 MR. SILBERG: I'm sorry. You said feet
8 per second. Did you mean feet per day?

9 DR. LIANG: I'm sorry. Feet per day,
10 yes, is what I understand is two number difference.

11 Q. (By Mr. Nelson) So the difference -- I
12 thought this was going to be easier. So the
13 difference of 11 -- between 3 feet per day and 11
14 feet per day --

15 DR. LIANG: Yes.

16 Q. -- is because you're doing a curved race
17 through the soils and therefore the distance is
18 longer, but the horizontal distance is three feet,
19 but when you do the curve through the soils it adds
20 up to 11 feet?

21 DR. LIANG: Yes.

22 Q. And you don't know what the term "flux
23 rate" means?

24 DR. LIANG: No, I don't.

25 Q. Mr. Liang, I omitted asking you one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question about your prefiled testimony under the
2 quality of the water in the area. If I could have
3 you look at the bottom of page 12 and the top of
4 page 13 of your prefiled testimony. We've
5 discussed the drinking water TDS, and I showed you
6 an exhibit that had the number 2,000 in it, and I
7 want to start with the sentence at the bottom of
8 the page that says, "Most sources of water in the
9 valley," going to the next page, "are high in
10 calcium and would need treatment to be suitable for
11 human consumption." Mr. Liang, is there a drinking
12 water standard for calcium?

13 DR. LIANG: I don't know. I have to
14 look into it if I like to know the drinking water
15 quality standard. Specific for calcium I don't
16 know. If there is a number in that water quality
17 standard or drinking water standard, I don't know.

18 MR. NELSON: There isn't a drinking
19 water quality standard for calcium, is there?
20 Because I can go down to the local supermarket and
21 buy calcium tablets and take them to supplement my
22 calcium.

23 DR. LIANG: Yeah, you can do that. But
24 my understanding, personal understanding, when you
25 have it hard will make the water taste bad, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're washing something or not so clean on your
2 clothes.

3 Q. But having calcium in water doesn't make
4 it violate a drinking water standard, does it?
5 Otherwise milk would violate drinking water
6 standards.

7 MR. SILBERG: I object. I don't think
8 there's any basis for saying that this witness has
9 said that calcium levels in the water violate
10 drinking water standards.

11 Q. (By Mr. Nelson) Mr. Liang, let me ask
12 you the question again, then. "Most sources of
13 water in the valley are high in calcium and would
14 need to be treated to be suitable for human
15 consumption." Are you referring to the calcium
16 that would need to be treated?

17 DR. LIANG: Yes.

18 Q. With respect to the fuel tanks,
19 Mr. Lewis, getting back to sources of
20 contamination, isn't it true that external piping
21 and spills from pumping fuel from fuel tanks is
22 really more of a likelihood potential problem than
23 the tank itself?

24 MR. SILBERG: I'm sorry. Could I have
25 that question read back, please? Or can you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 restate it?

2 (The record was read as follows: "With
3 respect to the fuel tanks, Mr. Lewis, getting back
4 to sources of contamination, isn't it true that
5 external piping and spills from pumping fuel from
6 fuel tanks is really more of a likelihood potential
7 problem than the tank itself?")

8 MR. LEWIS: It may or may not be
9 depending on the quality of the piping and the
10 tank. However, in our particular case there is no
11 external piping on our two diesel fuel storage
12 tanks.

13 Q. (By Mr. Nelson) So a likelihood of a
14 spill would probably be with respect to spills and
15 transfers of fuels?

16 MR. LEWIS: There could possibly be
17 small drips, if you will, whenever you are filling
18 a vehicle, to which we have committed to using
19 absorbent type pads underneath when we are doing
20 filling operations to ensure that we don't pollute
21 the environment.

22 Q. I remember reading that. Isn't it true
23 that you in your experience in working with
24 industrial facilities have from time to time heard
25 of circumstances where somebody turns on the spigot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to fill and then they leave and don't realize it's
2 spilling? It happens at gas stations all the time,
3 doesn't it?

4 MR. LEWIS: Well, only in those
5 particular -- well, no, it doesn't. You know, gas
6 station nozzles are designed so that whenever your
7 tank is full it shuts off, and if you deliberately
8 turned it on, I suppose you could deliberately
9 create a spill.

10 Q. Have you ever been to a gas station that
11 when you looked on the ground you didn't see little
12 spots of oil and fuel spills and stains, maybe not
13 big ones, but just a number of little stains around
14 the area of the fuel tank? Fuel dispensers, excuse
15 me.

16 MR. LEWIS: Where people continually
17 tried to top off their tanks?

18 Q. Yes.

19 MR. LEWIS: Until it actually did spill.

20 Q. You've seen that, haven't you?

21 MR. LEWIS: I have seen that. But
22 again, you know, the use of these absorbent pads
23 will help ensure that any spillage that we could
24 get out of the tank is captured rather than
25 released to the environment.