

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
492nd Meeting: OPEN SESSION

Docket Number: (not applicable)

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Location: Rockville, Maryland

Date: Thursday, May 2, 2002

ORIGINAL

Work Order No.: NRC-356

Pages 1-48/60-226

*Closed Session
Pages 49-59*

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

TROY

**ACRS Office Copy - Retain
for the Life of the Committee**

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

5 492ND MEETING

6 + + + + +

7 THURSDAY, MAY 2, 2002

8 + + + + +

9 ROCKVILLE, MARYLAND

10 The ACRS met at the Nuclear Regulatory
11 Commission, Two White Flint North, Room T2B3, 11545
12 Rockville Pike, at 8:30 a.m., George E. Apostolakis,
13 Chairman, presiding.

14 COMMITTEE MEMBERS:

15	GEORGE E. APOSTOLAKIS	Chairman
16	MARIO V. BONACA	Vice Chairman
17	F. PETER FORD	Member
18	THOMAS S. KRESS	Member-at-Large
19	GRAHAM M. LEITCH	Member
20	DANA A. POWERS	Member
21	VICTOR H. RANSOM	Member
22	STEPHEN L. ROSEN	Member
23	WILLIAM J. SHACK	Member
24	JOHN D. SIEBER	Member
25	GRAHAM B. WALLIS	Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACRS STAFF PRESENT:

2	JOHN T. LARKINS	Executive Director, ACRS/ACNW
3		Designated Government Official
4	SHER BAHADUR	Associate Director, ACRS/ACNW
5	HOWARD J. LARSON	Special Assistant, ACRS/ACNW
6	SAM DURAIWAMY	Technical Assistant, ACRS/ACNW
7	PAUL A. BOEHNERT	

8
9 ALSO PRESENT:

10	ZENA ABDULLAHI	NRR
11	TONY ATTARD	NRR
12	GOUTAM BAGELI	NRR
13	S. SINGH BAYWA	NRR
14	HERB BERKOW	NRR
15	TAMMY BLOOMER	NRR
16	RALPH CARUSO	NRR
17	ED CONNECE	NRR
18	RICHARD ECKENRODE	NRR
19	RAJ GORJ	NRR
20	JOHN GOSHEN	NRR
21	DONNIE HARRISON	NRR
22	GARY HOLAHAN	NRR
23	T.W. C. HUG	NRR
24	EDWARD D. KENDRICK	NRR
25	RALPH LANDRY	NRR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ALSO PRESENT: (Cont'd)

2	RICHARD LOBEL	NRR
3	KAMAL MANOLY	NRR
4	L.B. (TAD) MARSH	NRR
5	RALPH MEYER	NRR
6	BRENDA MOZAFARI	NRR
7	YURI ORECHWA	NRR
8	K. PARCZEWSKI	NRR
9	ANNE PASSARELLI	NRR
10	ROBERT PETTUS	NRR
11	J.H. RAVAL	NRR
12	THOMAS SCARBROUGH	NRR
13	HERALD SCOTT	NRR
14	MOHAMMED SHUMBI	NRR
15	DAVID TERAD	NRR
16	D. THATCHER	NRR
17	N.K. TREHAN	NRR
18	S.D. WEERAKKODY	NRR
19	ERIC WEISS	NRR
20	JARED WERMIEL	NRR
21	JIM WIGGINTON	NRR
22	ALAN LEVIN	OCM/RAM
23	FAROUK ELTAWILA	RES
24	JOCELYN MITCHELL	RES
25	JASON SCHAPEROW	RES

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ALSO PRESENT: (Cont'd)

2 CHARLES TINKLER RES

3 LEONARD R. BELLER Progress Energy, CP&L

4 TOM DRESSER Progress Energy, CP&L

5 PAUL FLADOS Progress Energy, CP&L

6 C.J. GANNON Progress Energy, CP&L

7 MARK GRANTHAM Progress Energy, CP&L

8 ROBERT KITCHEN Progress Energy, CP&L

9 MARK A. TURKAL Progress Energy, CP&L

10 MICHAEL S. WILLIAMS Progress Energy, CP&L

11 BLANE WILTON Progress Energy, CP&L

12 FRAN BULGER GE Nuclear Energy

13 CARL HINDS GE Nuclear Energy

14 DAN PAPPONE GE Nuclear Energy

15 JASON POST GE Nuclear Energy

16 GEORGE STRAMBACK GE Nuclear Energy

17 CHARLES BRINKMAN Westinghouse Electric Company

18 WILLIAM SLAGLE Westinghouse Electric Company

19 PETER HASTINGS DCS

20 LAWRENCE LEE ERIN Engineering

21 JAMES F. MALLAY Framatome ANP

22 JOE MIHALCIK Constellation Energy Group/EPRI

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

I-N-D-E-X

	<u>AGENDA</u>	<u>PAGE</u>
1		
2		
3	Opening Remarks by the ACRS Chairman	6
4	Brunswick Steam Electric Plant, Units 1 & 2	
5	Core Power Uprate	
6	By Carolina Power & Light Company	
7	Graham B. Wallis	8
8	Robert Kitchen	8, 77
9	Tom Dresser	36
10	Blane Wilton	60
11	Mark Grantham	64
12	Dan Pappone	68
13	By NRC Staff	
14	Tad Marsh	84
15	Brenda Mozafari	90
16	Ralph Caruso	91
17	Zena Abdullahi	103
18	Expert Panel Recommendations on Source Term	
19	for High Burnup and Mixed Oxide Fuel	
20	By RES	
21	Jason Schaperow	123
22	Confirmatory Research on High Burnup Fuel	
23	By NRR	
24	Ralph Caruso	155
25	Ralph Meyer	212

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

8:32 a.m.

CHAIRMAN APOSTOLAKIS: The meeting will now come to order. This is the first day of the 492nd meeting of the Advisory Committee on Reactor Safeguards. In today's meeting, the Committee will consider the following: Brunswick Steam Electric Plant, Units 1 and 2 Core Power Uprate, Expert Panel Recommendations on Source Term for High Burnup and Mixed Oxide Fuel, Confirmatory Research Program on High Burnup Fuel, Subcommittee Report regarding MOX Fuel Fabrication Facility, Safeguards and Security Activities, Proposed ACRS Reports.

A portion of the meeting will be closed to discuss General Electric proprietary information applicable to the Brunswick Plant core power uprate. the entire session on safeguards and security activities will be closed to protect national security information and safeguards information. This session will be held in T8E8.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Dr. John Larkins is a designated federal official for the initial portion of the meeting. We have received no written comments or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 requests for time to make oral statements from members
2 of the public regarding today's sessions.

3 A transcript of portions of the meeting is
4 being kept, and it is requested that the speakers use
5 one of the microphones, identify themselves and speak
6 with sufficient clarity and volume so that they can be
7 readily heard.

8 I have a short announcement before we
9 start. Mr. Jit Singh, stand up, please. He's leaving
10 us. He'll be joining the Office of Nuclear Regulatory
11 Research as a Senior Reliability and Risk Analysis
12 Engineer in the Division of Risk Analysis and
13 Applications, and this will be effective May 6, which
14 is next Monday.

15 As we all know, Jit has provided very
16 valuable service to this Committee for seven years,
17 about seven years, especially in the area of fire
18 protection. And there will be a farewell luncheon in
19 the Subcommittee Room tomorrow at lunchtime. That's
20 when usually luncheons are held. And we are all
21 invited. That's my understanding. Is that correct,
22 Jit? Okay. We wish you well.

23 (Applause.)

24 Okay. The first item on the agenda is the
25 Brunswick core power uprate, and Professor Wallis is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the cognizant member. Please.

2 MR. WALLIS: Good morning.

3 CHAIRMAN APOSTOLAKIS: Good morning.

4 MR. WALLIS: This is a power uprate of a
5 BWR to roughly 20 percent above its original power
6 level. It's very much like what we've seen before
7 with Duane Arnold, Dresden and Clinton, and I think it
8 needs no more introduction from me.

9 MR. KITCHEN: Good morning.

10 MR. FORD: Excuse me. I'd like to declare
11 a conflict of interest being a GE retiree.

12 MR. RANSOM: And I have to declare a
13 conflict of interest because I still haven't sold my
14 GE stock, but I'll get rid of it shortly.

15 MR. WALLIS: I'll give you ten bucks a
16 share.

17 (Laughter.)

18 MR. KITCHEN: Good morning. My name is
19 Bob Kitchen. I'm the Project Manager for the power
20 uprate at the Brunswick Station. I'd like to take a
21 few minutes and just talk to you about the project in
22 total and a few items for the overview, also to give
23 you a reference of where Brunswick is today relative
24 to where we're trying to go.

25 Currently, we -- we previously had done a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stretch uprate, which is a five percent increase in
2 power above the original licensed power level. So we
3 currently operate at 105 percent relative to original
4 power. We're also a two-year operating cycle, 24
5 months, which I think we are the first licensee for
6 the ACRS review that is a two-year fuel cycle. Our
7 increase is actually to raise power to 120 percent
8 above licensed power level, which represents a 15
9 percent power rise above our current power level.

10 The implementation of uprate at Brunswick
11 will be very similar to those you've seen before, with
12 a two-step uprate. The first being about 112 to 115
13 percent, and then the second being up to 120 percent.

14 These are some parameters that you can
15 look at to see the change in power. Currently, we're
16 2558 and going to 2923. You can see the steam flow,
17 and feed flow, of course, would increase
18 proportionately to that. Also, the reactor pressure
19 change we had previously done for the five percent
20 uprate, increasing it up to 1045, there is no pressure
21 increase associated with this uprate, which you've
22 seen simplifies the analysis somewhat.

23 We have several modifications very similar
24 to previous uprates in terms of the type of
25 modifications that we're doing. We only have two that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 are safety related modifications. The first which was
2 of interest is our Standby Liquid Control, our SLC
3 System. We are increasing the boron concentration to
4 support cold shutdown. We are making a modification
5 to implement that. That's going to be done actually
6 with the second fuel load of GE14. We have to change
7 our fuel type to support the two-year fuel cycle from
8 GE13 to GE14. Along with the higher energy, the
9 significant power increase, we're going to be changing
10 our boron concentration in SLC.

11 MR. SIEBER: Is it necessary that you make
12 that modification, that change, to accommodate this
13 core? Or are you doing it just to gain greater
14 control and ease of operation?

15 MR. KITCHEN: The change is necessary.
16 The degree of the change is somewhat -- there is some
17 flexibility there. We need to achieve a 720 ppm boron
18 concentration in-vessel. Currently, the requirement
19 is 660. And we could do that in several ways. We are
20 going to do that in such a way to support, as we'll
21 show later, right now we require a two-pump SLC
22 operation to achieve shutdown. The way we're doing
23 this modification will enable us to reach success
24 criteria with one pump. So we have to do a
25 modification, but the type of modification or the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 degree that we're doing it there's some flexibility.

2 MR. SIEBER: On the other hand, you could
3 just increase the concentration and continue to use
4 two pumps, and you would still be safe, right?

5 MR. KITCHEN: Yes, sir.

6 MR. LEITCH: This modification occurs --
7 is necessary to support what we'll call Phase 2, that
8 is, the ultimate uprate power, or is it necessary to
9 support Phase 1?

10 MR. KITCHEN: Actually, it's required for
11 the second load of GE14 fuel. And the reason I
12 distinguish with that is that we actually loaded GE14
13 on Unit 2 at our previous refueling. So our first
14 uprate outage on Unit 2 will be our second load of
15 GE14. So really the requirement is tied to the fuel
16 loading as opposed to the uprate stages that we're
17 planning to do directly. We have a commitment, which
18 I'm sure the Committee has seen, we've made a
19 commitment to the Commission to make that change and
20 also to make the change in such a manner that one pump
21 will support success criteria for SLC.

22 MR. LEITCH: You have committed to do
23 that?

24 MR. KITCHEN: Yes, sir. Since the ACRS
25 Subcommittee, we have provided a commitment to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Commission.

2 MR. LEITCH: Thank you.

3 MR. KITCHEN: The other safety related
4 modification relates to our electrical buses. Our
5 emergency buses are powered from off-site through our
6 balance-of-plant.

7 MR. LEITCH: Just before we leave this,
8 I'd like it if we could --

9 MR. KITCHEN: Yes, sir.

10 MR. LEITCH: Is there another modification
11 associated with the relief valves on the SLC pumps?
12 Is that part of what you're speaking -- in other
13 words, does what you say just refer to the boron
14 concentration or is the same timing and all involved
15 with the relief valve modification?

16 MR. KITCHEN: The relief valve
17 modification is not tied to -- not really an uprate
18 requirement. It is tied to an issue with under ATWS
19 conditions where depending on how quickly you inject
20 you can result in relief valve lifting. Mark, I can't
21 remember if that's --

22 MR. GRANTHAM: This is Mark Grantham,
23 Carolina Power & Light. We are planning to replace
24 the relief valves with a higher lift pressure that
25 will gain us 50 psig in relief valve margin. That is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 currently planned for the next Unit 2 outage and the
2 following Unit 1 outage. There is no formal
3 commitment for that, but right now that is planned
4 activity.

5 MR. LEITCH: Very good. I understand.
6 Thank you.

7 MR. KITCHEN: The second safety related
8 modification that we show here is tied to our
9 electrical load supply. As I mentioned, the emergency
10 buses are powered from off-site through our balance-
11 of-plant buses, and with the higher loads that we are
12 putting on our balance-of-plant buses to support
13 uprate, larger pumps and motors, et cetera, that are
14 required, there's a bit more of a challenge on our
15 voltage support for degraded grid voltage reset; in
16 other words, to be able to maintain the off-site power
17 support to the emergency bus, which is obviously
18 desirable.

19 To support that, we're putting in what we
20 call a Unit Trip Load Shed. This is a tiered support.
21 We can select certain standby balance and plant loads,
22 for example, a standby condensate pump, standby
23 condensate booster pump, to trip or not to start --
24 excuse me, their standby to not autostart in the event
25 we have a unit trip. So that prevents large loads on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 balance-of-plant from starting and further lowering
2 the voltage. This modification involves a select
3 switch which is key-locked on the individual loads
4 that are selected to not start in the event of a unit
5 trip. And it will ensure that we maintain required
6 voltage to the E buses under unit trip conditions from
7 off-site power.

8 MR. LEITCH: That autostart defeat does
9 not interfere with the normal autostart on, say, loss
10 of low suction pressure or something like that. In
11 other words, if you lost a condensate pump but didn't
12 trip the unit, you'd still be able to start the other
13 condensate.

14 MR. KITCHEN: That's correct. It does not
15 affect autostart under normal conditions.

16 MR. LEITCH: It's only after the unit has
17 tripped --

18 MR. KITCHEN: Yes, sir.

19 MR. LEITCH: -- that this comes into play.

20 MR. KITCHEN: That's correct.

21 MR. LEITCH: Thanks.

22 MR. ROSEN: In reading the staff's safety
23 evaluation on this uprate, it was not clear to me
24 whether or not this Unit Trip Load Shed would be
25 required if you were not making an uprate. Can you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 help me with that?

2 MR. KITCHEN: That's correct. The uprate
3 raises horsepower requirements on the load supply by
4 balance-of-plant buses. And that's the reason for the
5 modification.

6 MR. ROSEN: The only reason. There were
7 no grid reasons to not -- if Brunswick was not making
8 this uprate that you wouldn't go ahead with these
9 changes anyway, changes to the switchyard and other
10 changes to help with grid stability in the region?

11 MR. KITCHEN: Not for the Unit Trip Load
12 Shed. Now the grid stability, yes, and that's the
13 second -- that's a balance-of-plant modification.

14 MR. ROSEN: Well, maybe you could help me
15 when you get to that to --

16 MR. KITCHEN: Sure.

17 MR. ROSEN: -- clarify that.

18 MR. KITCHEN: This would not be tied to
19 the grid situation; this is tied to uprate.

20 MR. ROSEN: Okay.

21 MR. KITCHEN: balance-of-plant, as I
22 mentioned, we're going to be doing the uprate in two
23 phases. There are a number of balance-of-plant
24 modifications. I think the Committee will see these
25 are very similar in type to the others that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looked at -- turbine replacements. One that we've
2 asked about was the power system stabilizer and out-
3 of-step protection, and that is related to grid. It
4 is related to uprate, it is also tied to grid loads in
5 the area.

6 And there are a couple of -- I'm sure
7 there are many -- factors that lead to instability
8 situations. One is tied to the unit load itself. The
9 larger the R load, the more susceptible we are to grid
10 instability. Also the larger load in our area, the
11 more susceptible the grid instability. So even with
12 that uprate, we could have conditions which might make
13 us want to make these modifications to ensure
14 stability. But the driver for these is really the
15 uprate itself.

16 The power system stabilizer is basically
17 a feedback loop on our excitation to stabilize any
18 oscillations on the generator. The out-of-step
19 protection is just that. If we end up with an out-of-
20 phase situation or leading to an out-of-phase, we'll
21 trip the generator rather than end up tripping off-
22 site breakers to ensure not only generator protection,
23 which in this case is really secondary, but really to
24 ensure that we don't have a cascading grid failure.

25 MR. POWERS: Why wouldn't it be prudent to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go ahead and make these changes to the grid stability,
2 allow that to sort itself out for a while and then go
3 the power uprate?

4 MR. KITCHEN: Well, in effect, we are
5 doing that. We've already made these changes on Unit
6 1. The power system stabilizer and out-of-step is
7 already installed on Unit 1, and testing was conducted
8 in association with the startup. Of course, we have
9 not uprated. We plan to do that shortly after this
10 meeting. But we have done testing at current power
11 levels with these modifications.

12 MR. POWERS: Then why not allow things to
13 operate for a cycle, two cycles?

14 MR. KITCHEN: It's already -- I mean these
15 types of modifications are not unique to the uprate.
16 They're fairly common in the industry. The testing
17 that we perform demonstrates the -- clearly
18 demonstrates the performance of the system. And if we
19 had a problem with the system, we could maintain
20 current power levels or simply remove them from
21 service if required. So there really wouldn't be any
22 benefit in delaying the uprate implementation one
23 cycle and test it.

24 The Phase 2 modifications at the plant are
25 really not quite as extensive, although they are major

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 modifications to the main transformers, other
2 additional feedwater heaters and moisture separator
3 reheaters. And both of those are tied to uprate
4 because of not only performance but also to support
5 efficiency.

6 As you well know, the uprate leads to
7 degraded margins. We'll talk about those quite a bit
8 in our presentation today. But I wanted to point out
9 also there are some things that we're doing that will
10 either regain or maintain margins in the operational
11 area. Just to give you for examples, we've talked
12 about the standby liquid control modification, and
13 we're doing a little more than you would say you have
14 to to maintain our margin on SLC. We're going to go
15 from the current two-pump to a one-pump requirement
16 for operability there. That's definitely an
17 enhancement.

18 We also are changing our Power Range
19 Instrumentation System, and that does a couple of
20 things for us. Currently, we operate on thermal-
21 hydraulic instability solution E1A, which is a prevent
22 solution. With the new powering system, we're going
23 to option three, which provides detect and suppress,
24 a SCRAM, based on instability and detection, which we
25 see as an enhancement, particularly for the operator

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 interface. It's a little better digital controls
2 interface, as well as reducing maintenance
3 requirements, less surveillance is required, the
4 system eliminates half SCRAM. So there are some
5 benefits there with this modification.

6 Also, I think you may have seen some
7 uprates where condensate, condensate booster pumps all
8 were required to operate to support uprate. We
9 elected to improve the system to maintain our standby
10 pump capability. We didn't want to give that up with
11 the uprate.

12 And, finally, we've talked about the power
13 system stabilizer, but that will, as was pointed out,
14 not only because of uprate but also because of grid
15 growth would be a mod that would be desirable to
16 maintain margins.

17 The Subcommittee asked about the interim
18 operation, because with the two-step implementation we
19 would get the license for reactor power operation up
20 to 120 percent and then be plant-limited by balance-
21 of-plant equipment. And the question was how do you
22 control this in the interim? There are a couple of
23 aspects of that.

24 One, during the startup and the power
25 ascension for implementation of the uprate, we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to do testing, as you've seen before, response
2 testing on our controls for the turbine and response
3 of the digital feed controls, as well as performance
4 monitoring on balance-of-plant equipment. And we'll
5 be looking at where we have predictions based on our
6 analyses on the system, where we expect parameters to
7 go. But we'll be looking closely at the actual plant
8 performance to assess that we're not limited in some
9 criteria before we expect it.

10 We'll translate that procedurally to an
11 operational guidance as far as plant control, because
12 you want the operators to be able to operate the plant
13 on something they're looking at in the control room as
14 opposed to a BOP limit in the plant, although that's
15 what will really limit it. And the way I look at
16 this, it's really not different today than if I were
17 to have a component out-of-service in the plant, like
18 a condenser water box, for example, which would limit
19 us in reactor power. It's really the same type of
20 operational control that we would have.

21 So these are the plans we have for our
22 transition, just to basically test, monitor and then
23 establish guidelines.

24 MR. LEITCH: You referred to turbine
25 testing. Could you say a word more about exactly what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kind of turbine testing you plan to do?

2 MR. KITCHEN: Well, during the startup, of
3 course, we did the routine vibration and over-speed
4 checks, but the testing I'm specifically talking about
5 are controls tests. We do pressure regulator fail-
6 over. We have backup and primary controls that
7 pressure regulators will fail the primary over. We'll
8 do step changes in pressure to verify the valve
9 response is correct. And we'll also monitor the
10 system response, it's called incremental regulation,
11 to make sure that the valve position response is as
12 you would expect based on the power increase.

13 MR. LEITCH: Now, will the EH -- I'm just
14 a little confused -- is the EHC system going to be
15 modified prior to Phase 1 or prior to Phase 2?

16 MR. KITCHEN: It's part of the mod
17 requirements for Phase 1 and --

18 MR. LEITCH: Phase 1.

19 MR. KITCHEN: -- it's part of the --
20 really, it's tied in with the high pressure turbine
21 modification. Specifically, we operate in partial
22 ARC, 3-ARC control today, and we'll be going to 2-ARC
23 control, partial ARC with uprate.

24 MR. POWERS: Do I understand correctly
25 you're going to train the operators from what they do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 now to what you do at an interim, and you're going to
2 untrain them on that and train them for what you'll do
3 at the final power up?

4 MR. KITCHEN: We started training
5 operators actually last year on the modifications that
6 are being installed. In fact, the modifications that
7 are installed in the Unit have been installed in the
8 simulator, and the operators have trained on the
9 equipment itself. We're training this phase, which
10 started this week, on the actual uprate -- the license
11 change, the technical specification changes and the
12 allowed operation. So, really, operationally, the
13 only change is the modifications and then the licensed
14 power. They will train on transients associated with
15 it.

16 MR. POWERS: So right now we have a
17 situation where the operators have a plant that they
18 run with one set of limits and are training on a
19 different set of limits?

20 MR. KITCHEN: They are -- well, we always
21 train on the current plant operation. The operators
22 are training on what the limits will be in terms of
23 power operation with uprate approval. Now, the
24 parameters that control like our average power range
25 monitor trips, main steam line flow set points, those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will only change one time. They will change with the
2 uprate, and they will be that way for both stages. So
3 really it's a lower power level training up to full
4 power operation.

5 MR. ROSEN: Before you get too far away
6 from it, let me ask, have you something in your
7 presentation this morning, some more insight that you
8 can offer us on the power range instrumentation
9 changes? Of is what you said about it all that you
10 plan to say?

11 MR. KITCHEN: That's all I planned to say.
12 We could talk through that more if you like. The
13 system that we're installing is the General Electric
14 NUMAC System. It's a digital system that installs not
15 only with the change in the instrumentation itself,
16 but it also provides a change in our instability
17 solution protection. We call it Operate E1A which has
18 areas that the operators avoid and areas where there
19 would be an automatic SCRAM, just based on where you
20 are located in the power operation region.

21 With Option 3, the stability solution is
22 tied to what's called period-based algorithm which
23 looks for certain frequencies which are representative
24 of thermal-hydraulic instability and has a threshold
25 based on the number of cycles counted and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 amplitude of those cycles. If it meets those
2 criteria, there's an automatic SCRAM. So regardless
3 of where you are operating, if the system sees an
4 instability, there would be an automatic SCRAM.

5 MR. SHACK: I thought there was a problem
6 with actually implementing Option 3 at the moment
7 because of a Part 21 --

8 MR. KITCHEN: There is an industry issue
9 with the Option 3 stability solution. There is a Part
10 21. Under certain circumstances, the generic curve
11 that is used to determine the set points for the
12 operating cycle can be non-conservative. And along
13 with that Part 21, the GE resolution or the GE interim
14 guidance provided where there are certain calculations
15 the fuel folks can do to determine if, for our
16 specific operating cycle, if that curve bounds our set
17 points; in other words, if they are conservative.

18 For Unit 1, which we've installed Option
19 3 on, those calculations have been performed and prove
20 that the curve bounds Brunswick Unit 1, that the
21 systems installed are operable on Unit 1 today and
22 will be operable through the cycle. So Part 21 still
23 applies, but for our specific application it's not
24 impacted.

25 MR. POWERS: How many cycles do you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to go through before the system actuates?

2 MR. KITCHEN: Don't know the answer to
3 that. Jason, the question is how many cycles of
4 instability before a trip?

5 MR. POST: Yes. This is Jason Post of GE.
6 It has to establish a base period within a criteria
7 which takes a half a cycle and then every half cycle
8 after that it adds one count. So you have to -- it
9 will take you about five and a half or six cycles to
10 reach a count of ten or 11 counts. And then it also
11 has to reach an amplitude set point. So, typically,
12 1.1 peak over average, and then the SCRAM will occur.
13 So it could be, with a two-second period, we're
14 talking around -- I think around ten seconds or so.

15 MR. ROSEN: How do you test that in the
16 plant?

17 MR. KITCHEN: Actually, the system has
18 some self-test features in the digital system. We
19 actually tested similar to what we would do other
20 systems. We can remove a channel from service and
21 perform the set point verifications for the trips,
22 also check the sensitivity of the system for a
23 response to instability and the thresholds.
24 Basically, it's not unlike any other system that we
25 would test. It does have an advantage in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 currently if we remove a channel for testing, we have
2 to put in a half SCRAM. And with the new system, the
3 logic is set up such that we can take one channel, one
4 APRM channel out of service and not have a half SCRAM.
5 So it's a pretty significant advantage. It reduces
6 significantly the number of half SCRAMS that we have
7 for routine testing.

8 MR. ROSEN: Well, you've described
9 checking the set points and those sort of things, but
10 do you actually check the oscillatory counting
11 procedure algorithm in the software?

12 MR. KITCHEN: There's one. Jason, go
13 ahead, address that.

14 MR. POST: Yes. This is Jason Post with
15 GE. There's various parameters in there that cause
16 the -- even with normal noise and the REM variation in
17 the neutron flux signal, you will get periodic counts
18 from your system. So there are some tuning
19 parameters, and we make sure that the system is tuned
20 adequately to give an adequate level of response for
21 normal noise. It's a procedure we use to confirm
22 system operation for an actual instability that
23 occurred at Liebstadt. So we ensure that the system
24 is adequately responsive during normal operations so
25 we've ensured that when an actual instability does

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occur, we will get the counts.

2 MR. POWERS: I think what you said is that
3 there is no test for this system, this Plant.

4 MR. POST: It's continuously being tested.
5 You notice the -- as I said, during normal operation,
6 there is some level of counts. In fact, one of the
7 original surprises when we put the system in was we
8 got more counts than expected. It was being very
9 responsive during normal noise, and you could get
10 single channels that would give you five, six, seven
11 counts just from normal noise and the random nature of
12 that. So it is -- you know continuously that it is
13 operating.

14 MR. POWERS: Do you understand that,
15 Steve?

16 MR. ROSEN: Only marginally, Dr. Powers.

17 MR. POWERS: It seems to me that when you
18 find you've got a noisy channel and you suppress the
19 noise, you also suppress its ability to respond under
20 actual event.

21 MR. ROSEN: Well, that comes down to the
22 operating procedure. If they are suppressing noise
23 that way, you're right. If you get five or six or
24 seven counts during normal operations just because of
25 random variations of the signal and you need ten or 11

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to trip the plant, I would suspect the operators are
2 starting to get a little nervous.

3 MR. KITCHEN: But the tuning procedure
4 that Jason is talking about is really set to verify
5 that we have appropriate response so that the operator
6 has enough time to take action if there's an
7 instability. But the system will still provide
8 protection, and also not so low that we have -- you
9 don't want a lot of nuisance alarms associated with
10 the system. So that's the band that you tune it
11 within, but there's not a situation where you tune it
12 to a point where you eliminate protection from the
13 instability of that.

14 MR. LEITCH: It actually takes two
15 parameters for the system to actuate. You know, it
16 can be counting forever, but if the signal's not --
17 the variations are not big enough, it won't make a
18 protective action.

19 MR. KITCHEN: That's correct.

20 MR. LEITCH: So when you look at noise all
21 you're doing is seeing whether it counts or not.

22 MR. POST: Just to reinforce that point,
23 that's exactly one of the concerns with the Part 21
24 issue is that if we lower the amplitude set point too
25 far, you'll come too close to where a normal noise

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 event could cause an unnecessary SCRAM.

2 MR. KITCHEN: The power uprate for
3 Brunswick is -- we do have a few exceptions to the
4 ELTR. Generally, the guidance in the ELTR was
5 complied with totally. There a few exceptions. Three
6 of these are related to the constant pressure nature
7 of this uprate and some of the simplifications which
8 are warranted. We feel that these can be discussed
9 later in proprietary section. These as well as the
10 fourth one I've identified up there, which is large
11 transient exception, are similar to what have been
12 presented before with other uprates. Basically, the
13 large transient testing is associated with the MSIV
14 closure and generator load reject, and we would like
15 to waive both of those tests.

16 MR. ROSEN: Some of the other plants that
17 have come before us have included a re-circ runback
18 feature. I don't see that in your proposal.

19 MR. KITCHEN: The ones that I'm familiar
20 with, sir, are associated with the condensate system
21 itself in that they need to run all the condensate
22 pumps to support operation. In that situation, if you
23 have a pump trip, you need to reduce power to
24 basically the original power level, and they do that
25 with a re-circ runback. In our case, with a standby

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pump, the standby pump would start, and there's no
2 need for runback.

3 MR. ROSEN: Right. And I was waiting for
4 you to make a further comment on large transient
5 testing.

6 MR. KITCHEN: Certainly can.

7 MR. ROSEN: There have been a number of
8 questions raised about the need for that testing by
9 members of the staff and also by this Committee. And
10 there are currently considerations in the staff of
11 setting up some criteria for when large transient
12 testing might be required. Are you aware of those
13 discussions?

14 MR. KITCHEN: I'm aware there's been quite
15 a bit of discussion about the large transient testing.
16 I'm not familiar with the specific Committee
17 discussions.

18 MR. ROSEN: Well, the staff established a
19 panel to look into the need for integrated testing for
20 extended power uprates. And that Panel has concluded
21 its report, which sets up --

22 MR. MARSH: Mr. Rosen, we may into an area
23 which is not publicly released yet, okay? This is the
24 area of the Panel and how the Panel looked at it. So
25 can I ask you to forebear till we get into a --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: Oh, I see. Is the staff going
2 to address some of this?

3 MR. MARSH: To some extent.

4 MR. ROSEN: And the implications of that
5 to the Brunswick --

6 MR. MARSH: We're going to discuss with
7 you what our plans are regarding that Panel and what
8 its recommendations are and how we're going to
9 proceed.

10 MR. ROSEN: Well, it seems to me that
11 there's a question here as to whether or not the
12 outcome of all of that will be applied to Brunswick.

13 MR. MARSH: Let's see, what can I say? We
14 are going to consider the extent to which the decision
15 in the guidance that will be made should be back-fit
16 to this Plant or to any plant that's already gone
17 through this process.

18 MR. KRESS: Will that require back-fit --

19 MR. MARSH: It involve looking backwards
20 into the back-fit type of procedure, that's right.

21 MR. ROSEN: So that would be clearly true
22 for plants whose license uprate has been approved.

23 MR. MARSH: Yes, sir.

24 MR. ROSEN: For Brunswick, which is not
25 quite there yet, would it apply to them?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARSH: Yes, it would.

2 MR. ROSEN: In other words, as a back-fit
3 to them or --

4 MR. MARSH: Yes, it would.

5 MR. ROSEN: -- or in their case, as part
6 of their approval, should they be -- should this
7 request be approved? Do you see the difference I'm
8 saying?

9 MR. MARSH: We recommend we continue on
10 the same track that we've been on, because the
11 guidance isn't yet developed nor has the back-fit
12 analysis been done. So we recommend continuing along
13 the track that we've been on, which is to approve --
14 grant a request to waive those tests. Staff will
15 develop guidance, will apply back-fit analysis to that
16 guidance to find out whether this Plant and others
17 should do the large transient testing. Have I
18 answered your question?

19 MR. ROSEN: Not exactly, because it would
20 seem to me that plants to which you have to apply the
21 back-fit rule, 5109, I assume --

22 MR. MARSH: Right.

23 MR. ROSEN: -- would have a higher
24 threshold in terms of whatever the criteria turn out
25 to be than a plant which was licensed for uprate with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the understanding that when the tests criteria were
2 determined that they would be applied to Brunswick.
3 And depending on whether they fell within the criteria
4 or not, they would either be applied to them or not.

5 MR. MARSH: Right. Well, we haven't yet
6 decided whether large transient testing should be
7 done, okay? That is still part of the charge that
8 we're being given by the Office Director. And once
9 the decision is made, then a guidance is developed as
10 to whether it should or should not be done. Then
11 we'll apply the back-fit to it. So we would be
12 premature to condition this license or in any way use
13 that criteria beyond what the staff's acceptance
14 criteria is now.

15 MR. KRESS: In order to apply the back-fit
16 regulatory analysis, you have to determine the risk
17 REMS that you offset by this.

18 MR. MARSH: Sure.

19 MR. KRESS: How in the world can you ever
20 do that for something like large transient testing?

21 MR. MARSH: That's just one of the tests
22 that's embodied in the 109. There are other tests
23 that are there.

24 MR. KRESS: I know, but if it fails -- I
25 mean you have to pass that test too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARSH: Sure. Sure.

2 MR. KRESS: And I just don't see how you
3 can actually do that.

4 MR. MARSH: We'll have to develop -- we'll
5 have to study it in detail, which is what the charge
6 is all about, and develop regulatory guidance and
7 decide whether or not it should be done, and then
8 that's a forward-looking issue. And then in terms of
9 backward-looking, we'll have to apply the 109 test to
10 find out whether it should be done, whether the gain
11 is worth the cost in terms of REM, in terms of safety
12 margins and if it comes to be an adequate protection
13 issue, if that's where it is. But that is the charge.

14 MR. ROSEN: It seems like we're working on
15 a very short fuse here, from my reading of the
16 information, which I now understand is not released
17 yet. But that all of this is very near-term stuff.

18 MR. MARSH: Our charge from -- I was going
19 to do this at the beginning, but I'll be glad to do it
20 now. The Office Director has asked us to develop a
21 plan to give back to him by the end of this month with
22 how we will formulate the staff guidance and the
23 extent to which we'll apply the back-fit. We'll be
24 glad to, of course, brief the Committee on that and
25 how we do that. We haven't yet set the time frame

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 when we will do that, but it's thought to be this
2 year. This is a this year type of an effort. So it's
3 a short-term effort.

4 MR. KRESS: Have you already decided this
5 is not a compliance issue and therefore is a back-fit?

6 MR. MARSH: It's premature to say that.
7 I think we have to hold out on that. We have to think
8 about that. My impression is that it would not be
9 since we are, at this point, saying this licensee is
10 in conformance with the regulations, go forth without
11 testing. So unless some other regulatory requirement
12 emerges when you look at the back-fit analysis, if you
13 judge that they're not in compliance with the
14 regulation, then you'd be in the compliance exception,
15 but we'd have to study that in more detail. I don't
16 believe so.

17 MR. KITCHEN: Can we move on?

18 MR. SIEBER: Yes.

19 MR. KITCHEN: There are a few unique
20 aspects of Brunswick uprate I just wanted to point out
21 to the ACRS. First, we do have, as we talked about,
22 some actions that we're implementing to enhance grid
23 stability. Secondly, we are, I think, the first plant
24 you've reviewed that's hydrogen water chemistry versus
25 normal metal chem.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Finally, we have significant energy
2 requirements to support our operating cycle. We are
3 asking for 120 percent power operation relative to our
4 original license, and we are a two-year fuel cycle.
5 We also operate at 97 percent capacity factor. That's
6 our design criteria, and we've done quite well at
7 Brunswick. So those things combined give a pretty
8 significant energy load for the cycle. And those
9 impact, of course, our fuel design.

10 With that, we talked about fuel. So, Tom?

11 MR. DRESSER: Good morning. My name is
12 Tom Dresser. I work for CP&L's BWR Fuel Engineering
13 Group, and I'm going to discuss very quickly five
14 different topics related to the reactor core. The
15 first two, the fuel bundle and the core design and the
16 ATWS, are performed completely consistent with the
17 previous mils and with the generic methodology of ELTR
18 1 and 2. The last three, the transient analysis,
19 thermal-hydraulic stability and LOCA analysis, each
20 take some kind of exception to the generic
21 methodology, which I'll discuss when we get there.
22 And those last three topics do contain material in my
23 presentation, which is proprietary to GE, so we'll
24 pause from the second and third topic and go to closed
25 session.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The fuel bundle and core design that is
2 performed in support of the power uprate itself to
3 provide the input to all the fuel-related tasks is
4 done for a full equilibrium cycle. And the design
5 targets to be achieved by that equilibrium cycle are
6 similar to what's been seen by the ACRS for other
7 plants. As Bob mentioned, Brunswick is a higher
8 energy cycle because of the 24-month refueling outage
9 and the excellent operations.

10 That forces us to do a number of physical
11 changes to achieve the energy requirements. The first
12 is that we need to change our fuel design from GE13 to
13 the ten by ten GE14 fuel design. Now, amongst many
14 other attributes, the GE14 is a heavier bundle with
15 about five percent more uranium in each bundle loaded.
16 Additionally, we have to increase the enrichment on
17 the order of four-tenths weight percent in that new
18 fuel, and we have to increase the number of new fuel
19 bundles substantially. The reload pressure goes from
20 about 39 percent to about 47 percent to achieve this
21 extra 15 percent power.

22 Now, by making all three of those changes,
23 we do get the required energy for the two-year
24 refueling cycle, but it does make for a more reactive
25 core. So by the time we get to the full equilibrium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cycle, we do need to make the Standby Liquid Control
2 System boron equivalent change.

3 MR. ROSEN: What did you say about
4 enrichment, would you repeat that?

5 MR. DRESSER: Yes. The enrichment must be
6 increased. Of course, it's -- I can't give you one
7 single number to cover everything, but the range of
8 the enrichment increase is on the order of 0.4 weight
9 percent.

10 MR. ROSEN: The increase is 0.4.

11 MR. DRESSER: The increase is 0.4. It
12 goes from the highest sub-batch. The fuel goes from
13 about 4.0 to about 4.4 weight percent.

14 MR. ROSEN: Okay. Now I understand.
15 Thank you.

16 MR. DRESSER: And as Bob mentioned, we
17 will need to make a change to the effective boron
18 concentration of about ten percent, to go from about
19 660 ppm to about 720 ppm by equilibrium.

20 The last change that we need to make is
21 pretty trivial. The tech specs power at which we
22 start monitoring thermal limits decreases from 25
23 percent to 23 percent, but that is just to maintain
24 the same absolute bundle power calculational basis as
25 used generically for GE BWRs in the fleet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: It seems to me that the per
2 rod duty is going up substantially in this fuel. And
3 if you look at GE13, that's like spaghetti, and GE14
4 is like vermicelli.

5 (Laughter.)

6 MR. SIEBER: From the standpoint of
7 bending and --

8 MR. DRESSER: That's true. The bending
9 moment in that kind of thing is going to be smaller
10 for the GE14. The linear heat generations is a lot
11 less for the GE14, and the limit goes down and the
12 actual amount of linear heat generations goes down
13 even more. One thing that going with these very large
14 reload fractions it's not possible to design the fuel
15 cores with the same fuel efficiency that we've been
16 used to in the past. And so the average exposure on
17 the fuel goes down a lot. So whereas our batch
18 average exposure limits are 50,000 megawatt days per
19 ton and we had been able to design our lead sub-
20 batches and bundles to go up to the 48 or even
21 sometimes over 49 megawatt days per ton, with this new
22 core design, our lead bundle burnups are in the range
23 of 45, 45.5. So it's a whole lot less exposure on the
24 fuel, and that should improve the --

25 MR. SIEBER: On the other hand, you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to have maybe six percent of the bundles that
2 will be in core for three cycles?

3 MR. DRESSER: That's correct. And that --

4 MR. SIEBER: What is the peak bundle
5 burnup?

6 MR. DRESSER: Those are the bundles that
7 contribute to that 45.5. There are also bundles which
8 are substantially less exposure. So the high bundles
9 are in the range of 45.5. And that's because a lot of
10 these bundles spend time near the outside of the core
11 where the flux is less.

12 MR. SIEBER: Thank you.

13 MR. POWERS: Tom, you just recently
14 experienced the fuel leak, I believe. Was that in
15 GE14 fuel?

16 MR. DRESSER: Yes. We did have two GE14
17 fuels that have leaked. We've removed those from --
18 this is the Unit 2 Plant. Those have been -- the
19 Plant was shut down and those bundles were removed.
20 They'll be tested. We'll go examine those bundles in
21 about two months to --

22 MR. POWERS: Okay. So you don't yet know
23 the nature of that --

24 MR. DRESSER: That's correct.

25 VICE CHAIRMAN BONACA: Did you shadow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those failed pins?

2 MR. DRESSER: Yes, we did. They failed
3 nearly a year ago, and we did power suppression
4 testing and then suppressed those bundles. It was
5 fairly effective in controlling the degradation of the
6 fuel. And the bundles were located in a vicinity that
7 had been identified.

8 VICE CHAIRMAN BONACA: So you must have
9 lost quite a bit of cycle length.

10 MR. DRESSER: Well, because this -- we
11 shut down the Plant in the middle of a cycle, and so
12 we will lose, I think, on the order of a week, not too
13 much.

14 VICE CHAIRMAN BONACA: You shut it down?
15 All right.

16 MR. DRESSER: We did shut it down and we
17 threw those out and we've started the Unit.

18 The first actual power uprate cycle is in
19 Unit 1, Cycle 14. I'm going to go through this
20 relatively quickly. The design goals are similar.
21 They were all met. It required a slightly smaller
22 relay fraction to achieve the energy, about 46 instead
23 of 47 percent of the core. Otherwise it's not that
24 different from the equilibrium cycle.

25 One big difference is that there is, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Bob mentioned, no need to modify the Standby Liquid
2 Control System boron concentration for the cycle
3 because of the single reloaded GE14 fuel. One thing
4 that's interesting about both this and equilibrium
5 design with those large batch fractions is that the
6 power -- the radio power distribution is very, very
7 flat for Brunswick, and that will affect many things
8 that we look at today. One of the things it affects
9 right here in this cycle is the safety limit MCPR must
10 be increased from 1.10 to 1.12.

11 MR. ROSEN: Do you have some way of
12 characterizing this very flat versus what it was
13 before?

14 MR. DRESSER: Yes. I have a couple -- I
15 have a visual which I'm going to share with you.

16 (Pause.)

17 I'm going to respond to this in two ways.
18 I'm going to show you a visual first and then give you
19 some numbers. This is an open session. I think is
20 probably not proprietary. This is last cycle. This
21 is a radio power distribution for the bundle peak
22 powers. The blue is the highest power density, 1.2 to
23 1.4, and peach is 1.0 to 1.2. And then as we go
24 progressively further out along the radius of the
25 core, the power densities get less and less. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basically what the non-power uprate cycle looks like.

2 Now, if we go to the current cycle, the
3 first power uprate, we see some migration of power
4 towards the outside and a little bit lower power
5 density towards the interior of the core. And then if
6 we look at the full equilibrium cycle, it's more
7 pronounced.

8 Now, to put some numbers on that, the
9 highest sub-batch power fraction for Cycle 14 is about
10 1.22. By equilibrium, it goes down to about 1.19.
11 And in comparison, I think that the last plant that
12 came before the ACRS and showed a flat power
13 distribution that corresponding number was about 1.26.
14 So this is the flattest power distribution that has
15 been seen.

16 MR. ROSEN: You know, visually, if you put
17 -- somehow maybe you could show the first and the last
18 one on the same -- the blue is the high power regions,
19 am I correct?

20 MR. DRESSER: That's correct. That's the
21 highest power.

22 MR. ROSEN: Okay. So if you just look at
23 -- do some sort of mental integration of that --

24 MR. DRESSER: To me, the numbers might be
25 a little bit easier to understand, the 1.26, 1.22,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1.19. I can look at this and see visually that the
2 equilibrium is lighter, it's not as dark as the
3 current cycles.

4 MR. ROSEN: I believe you.

5 MR. WALLIS: Did you average in the --

6 MR. SIEBER: That's a first.

7 (Laughter.)

8 MR. WALLIS: You're pushing the power up
9 towards the edge, you can see that. The edge is the
10 narrower.

11 MR. DRESSER: That's correct.

12 MR. WALLIS: That's the clearest thing you
13 see from that visual integration.

14 MR. ROSEN: The edges, is that what you
15 were looking at?

16 MR. WALLIS: Yes. Power towards the side
17 is raised.

18 MR. DRESSER: Would you like to see those
19 again?

20 MR. ROSEN: Yes. Would you go back to
21 that?

22 MR. WALLIS: I'm just trying to help you
23 with your integration.

24 MR. ROSEN: I was looking at the blue.

25 MR. WALLIS: Yes, but the blue is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 misleading. Look at the edges. You find those
2 skinny, it's a yellow region. So that the low power
3 regions are lower.

4 MR. ROSEN: Yes. Now I see that.

5 MR. WALLIS: Of lower extent.

6 MR. ROSEN: Okay. Thank you.

7 MR. DRESSER: To conclude for the fuel
8 design itself, it's necessary to make some physical
9 changes to the plant and load much more fuel and make
10 a change to the Standby Liquid Control System. But in
11 order to maintain the types of design margins that we
12 typically expect, it does not require any change to
13 our methodology or expectations.

14 The second topic would be ATWS. This
15 analysis was done consistent with the ELTR as well so
16 that the four limiting ATWS events were analyzed. The
17 one that's of greatest interest is going to be the
18 pressure regulatory failure open event, which shows a
19 peak vessel bottom pressure increasing to about 13
20 pounds less than the ASME service level C limit.
21 Licensing-wise, I guess that's 12 pounds and change
22 more than it has to be in terms of margin. But it
23 appears pretty close. What offers comfort in that
24 amount of margin here is that this analysis is done
25 not with normal transient, best estimate kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inputs, but the estimates are conservative. The set
2 points and things are biased to be towards the worst
3 allowable value limits. Also, the SRV capacities,
4 which would be very important to this, are only 90
5 percent of the actual capacities. And this analysis
6 does assume one SRV is out of service as well.

7 Then the final thing is that these
8 calculated results are using GE's ODYN code. If we
9 had recalculated these using GE's more sophisticated
10 and accurate TRAC-G code, that, by itself, would
11 produce well over 100 pounds additional margin. So
12 though the numbers appear fairly close to the design
13 limit, there really is no concern with respect to
14 actual safety here.

15 MR. WALLIS: So you know what track it
16 would predict without actually running it?

17 MR. DRESSER: Well, G's got a lot of
18 experience with TRAC, so that's just a rule of thumb
19 kind of number. It produces much lower results.

20 In the interest of time, I'll just comment
21 that the other three analyses show a great deal of
22 margin to be respective limits, and unless we have
23 particular questions about that, I'll --

24 MR. ROSEN: Well, only that the peak clad
25 temperature goes down. Would you want to comment on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that?

2 MR. DRESSER: Yes. The peak clad
3 temperature goes down. There are a couple other
4 facts, but probably the most important thing for the
5 ATWS is that with power uprate we have a higher void
6 fraction and a much more bottom-peaked flux
7 distribution so the peak node is lower in the core
8 where there is more water and less void in the power
9 uprate case, and you get a better heat transfer out.

10 These results, in general, for the ATWS
11 show that the ATWS analysis for Brunswick is done
12 consistent with the standard generic methodology, and
13 there is no requirement to support the ATWS now. It's
14 just to make changes to the Standby Liquid Control
15 System boron concentration. There's no need to make
16 changes to the actions that the operators take, and
17 the standard designs are satisfied.

18 Next, we're going to want to go to the
19 final three topics, and we'll need to go to closed
20 session.

21 MR. BOEHNERT: All right. If we can have
22 anyone from the public please leave the room. It will
23 be, I don't know, a short time. There's not too many
24 slides. I will come out if there's anyone here.
25 Nobody here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. Well, let's proceed to closed
2 session then. And, Transcriber, if you'll go to a
3 closed session transcript, please. Thank you.

4 (Whereupon, the proceedings went into
5 Closed Session.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. WILTON: Good morning. My name is
2 Blane Wilton, and I'm the Supervisor of Reactor
3 Systems at Brunswick Nuclear Station. I'd like to
4 discuss the reactor vessel and internals,
5 specifically, the effects and impacts of power uprate
6 as it relates to the internals.

7 What we found is the reactor vessel and
8 all the internals were addressed in accordance with
9 ELTR. The impacts that we found were our PT curves,
10 our pressure temperature curves, were impacted. Our
11 current curves that we're operating on are good
12 through March of 2003, have been approved with the
13 effects of power uprate included. We have a
14 commitment to resubmit PT curves to the staff for
15 review by June of 2002 with the new fluency
16 methodology, in accordance with Reg. Guide 1.190
17 incorporated.

18 Fluency was also affected by power uprate.
19 What we saw is that fluency did not increase
20 proportionally with the power increase. There was a
21 greater than a 20 percent increase. The reason for
22 that is just the core configuration going to an
23 equilibrium core, pushing the power farther out to the
24 periphery of the core, increased the fluency that we
25 saw.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Embrittlement. Embrittlement was
2 affected. We're an older Plant, so we don't have full
3 SHARPIE test data on our vessel materials. Ten CFR 50
4 Appendix G requires that you meet certain criteria for
5 both initial plate materials as well as end-of-life
6 materials. If you don't have full materials, you can
7 do what's called an equivalent margins analysis. We
8 redid that for our Plant, found that we met all
9 requirements. We also did a plant-specific one on our
10 N16 nozzles because those are in close proximity to
11 the beltline region, and they met all limits also.
12 So, therefore, embrittlement was okay.

13 Fatigue. Fatigue is also affected. We
14 did a fatigue evaluation on our limiting components,
15 and what we found is that all fatigue values are met
16 through end-of-life plus 20 years. We looked at the
17 20 years just to make sure, because we are looking
18 down the road at life extension. But we met it for
19 end-of-life, plus we met it for end-of-life plus 20
20 years on all of our components.

21 MR. SHACK: Just in your --

22 MR. WILTON: Sure.

23 MR. SHACK: You're in a normal hydrogen
24 water chemistry, so are you continuously monitoring
25 ECP somewhere in the vessel?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WILTON: We do not have ECP monitoring
2 installed. We don't have ECP probes. What we do is
3 we have run models of plant-specific models of our
4 Plant; we've done that. We also monitor parameters
5 like main steam line rad monitors, radiation --

6 MR. SHACK: So you monitor N16.

7 MR. WILTON: Yes.

8 MR. SHACK: Do you monitor oxygen coming
9 off?

10 MR. WILTON: We don't monitor oxygen, but
11 we monitor hydrogen concentration in our feedwater.

12 MR. SHACK: Have you run the radiolysis
13 model with the higher fluency?

14 MR. WILTON: Yes, we have. And what we've
15 found is that our protection -- host power uprate is
16 actually better, at least as good or better with the
17 high fluency, because the radiolysis model is affected
18 by fluency. The higher the fluency, the more
19 efficient the recombination reaction is. And,
20 therefore, what you see is that your protection
21 actually goes slightly more negative. And when we saw
22 that, we questioned that, and we went back through
23 EPRI and had them validate our model for us. And what
24 we saw is that we actually had at least as good or
25 better protection under power uprate conditions than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we currently have.

2 MR. SHACK: Now, in your feedwater lines,
3 because you have hydrogen water chemistry, do you have
4 any more difficulty in maintaining a reasonable oxygen
5 level in the feedwater?

6 MR. WILTON: We haven't seen that, no.

7 MR. SHACK: What do you maintain, 20 ppb?

8 MR. WILTON: Yes, 20 ppb oxygen in our
9 feedwater lines. And we inject at 39 and a half SCFM,
10 which equates to about 1.0 to 1.05 ppm in our -- so we
11 are a moderate hydrogen water chemistry plant. And
12 our plan is to continue maintaining hydrogen at our
13 current levels. Now, how we validate that is we have
14 an extensive inspection program. So we're following
15 the guidelines of the VIP, we maintain our water
16 chemistry in accordance with the VIP guidelines, and
17 our model shows what our ECP levels are, our
18 inspections, then validate that. What we've seen,
19 we're not -- where we do have cracking we're not
20 seeing crack growth, which is what our models show --
21 say that we should have. So our inspection program is
22 really a validation of what our models and all show
23 us. And we've committed -- you know, we will continue
24 to do our inspection program through end-of-life.

25 MR. FORD: Just a curiosity question. Do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you inject oxygen into the condensate?

2 MR. WILTON: Yes, we do.

3 MR. WALLIS: May I ask a question for
4 clarification?

5 MR. WILTON: Certainly.

6 MR. WALLIS: Are you a noble chem?

7 MR. WILTON: No, we are not a noble chem
8 plant.

9 MR. WALLIS: Do you plan to be?

10 MR. WILTON: No. At this point we do not.

11 MR. ROSEN: You say you inject oxygen. Do
12 you really do that or do you -- are you injecting air
13 with oxygen in it?

14 MR. WILTON: It's air.

15 MR. ROSEN: It's air.

16 MR. WILTON: Yes, I'm sorry. Any
17 questions?

18 MR. GRANTHAM: Good morning. I'm Mark
19 Grantham. I'm the Design Superintendent on our Power
20 Uprate Team. I'll be talking about our containment
21 analysis that was performed and the impact of that
22 analysis on MPSH for ECCS pumps.

23 The containment analysis was performed in
24 accordance with the ELTR. For data comparison
25 purposes, what we have is actually the first data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 column, and all these columns are 102 percent of
2 reactor thermal power. The first column provides
3 actually our current UFSAR values. We re-ran the
4 analysis at 102 percent of our current licensed
5 thermal power using the same assumptions that were
6 used in our power uprate analysis. And what this does
7 it provides a direct comparison for the uprate to
8 provide basically the overall impact to the
9 containment analysis strictly from the power increase.

10 Reviewing the data, drywell pressure under
11 EPU conditions goes up to 46.4 psig. The acceptance
12 limit is 62. Drywell space temperature 293 degrees F
13 versus an acceptance limit of 340. Wetwell pressure,
14 31.1 psig versus an acceptance limit of 62.
15 Suppression pool temperature, 207.7 degrees F versus
16 an acceptance limit of 220. So we still maintain a
17 substantial margin under uprate compared to the
18 acceptance limits.

19 VICE CHAIRMAN BONACA: What's the
20 difference in methods between the FSAR and the
21 current?

22 MR. GRANTHAM: There's four main
23 differences. The FSAR analysis was performed using
24 the homogeneous equilibrium model for determining
25 blowdown flows.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN BONACA: Okay.

2 MR. GRANTHAM: The power uprate model used
3 Moody slip critical flow model.

4 VICE CHAIRMAN BONACA: Okay.

5 MR. GRANTHAM: The original FSAR analysis
6 used nominal decay heat values, whereas the power
7 uprate analysis applied a two sigma uncertainty adder
8 to those values.

9 VICE CHAIRMAN BONACA: Okay. Thank you.

10 MR. SIEBER: This is, Mark, one
11 containment?

12 MR. GRANTHAM: That's correct. The impact
13 of that on net positive suction head -- currently,
14 Brunswick is a Safety Guide 1 plant which currently
15 does not allow credit for containment overpressure.
16 As a result of the power uprate and in accordance with
17 the allowances of the ELTR, we will, after the uprate,
18 require credit for containment overpressure.

19 We actually looked at a short-term and
20 long-term MPSH requirements. Short term is for the
21 first ten minutes when operator action is not
22 credited, and the pumps are assumed to be at run-out
23 conditions. Under the first ten minutes, there is no
24 credit for overpressure required. After ten minutes,
25 the flows on RHR and course-rate pumps are assumed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 be throttled back in accordance with the approved
2 operating procedures. For the long-term analysis, the
3 peak required overpressure is 3.1 psig. The actual
4 available overpressure is 11.3 psig. In the license
5 submittal, we've actually requested five psig to
6 account for future changes and provide some margin
7 between the limit.

8 The analysis that determined this was a
9 conservative analysis in that for determining wetwell
10 pressure, we assumed containment sprays were used,
11 which actually resulted in a lower wetwell pressure.
12 For suppression pool temperature, we assumed direct
13 pool cooling was used, which actually results in a
14 higher pool temperature. So for the MPSH evaluation,
15 we actually have a combination of two different
16 analyses, resulting in a worse-case condition -- lower
17 pressure in the wetwell air space and higher pool
18 temperature.

19 MR. WALLIS: Are we ready to move on? We
20 are somewhat behind the original schedule, but it's
21 because my colleagues are asking questions. I think
22 it's appropriate that you continue to ask questions.
23 But let's see if we can move along.

24 MR. PAPPONE: Well, I'll try to get
25 through this as quickly as Ken. I'm --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: You're an old hand at this,
2 Dan.

3 MR. PAPPONE: I'm Dan Pappone of General
4 Electric. I'm the LOCA Process Lead, and I'll be
5 going through a couple of things here. One is the
6 feedwater and recirculation line break loading on the
7 reactor internals, and then later on I'll go through
8 the Appendix R.

9 What I've got here are the -- what I'm
10 showing here are the external loads that come into the
11 -- from the pipe break that come into the defective
12 reactor internals that a set of loads that are due to
13 the break itself. The jet impingement is from the
14 pipe end of the break, the flow from the pipe end of
15 the break hitting the vessel. The jet reaction is the
16 break flow coming out of the vessel pushing. The
17 annulus pressurization load, that break flow is --
18 some of that break flow is going into the space
19 between the reactor vessel and the shield wall and
20 pressurizing that region. And there's an asymmetrical
21 loading trying to push the vessel over. And then
22 there's also a pipe whip restraint on the pipe to keep
23 the pipe from flailing around out in the drywell
24 space. And those restraints are on the shield wall.
25 The loads from the shield wall then get transmitted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through the stabilizer to the vessel.

2 MR. SIEBER: That would be what we would
3 consider the nozzle load? Or is the nozzle load
4 something different there?

5 MR. PAPPONE: When you're saying the
6 nozzle, you're talking about the reactor vessel
7 nozzle?

8 MR. SIEBER: Right.

9 MR. PAPPONE: At this point, we've severed
10 the pipe completely, so --

11 MR. SIEBER: So you're assuming there is
12 no nozzle load.

13 MR. PAPPONE: There isn't a nozzle load at
14 that point. We're not looking at --

15 MR. SIEBER: Something less than severing
16 it completely would create a big nozzle load and maybe
17 a complete severing of the pipe would not be the most
18 restrictive case?

19 MR. PAPPONE: On the nozzle, right.
20 Right. That's what I'd say --

21 MR. SIEBER: Sooner or later you would end
22 up with a total break after the nozzle fails, right?

23 MR. PAPPONE: Right. Or, actually, most
24 likely it would be a junction between the pipe and the
25 safe end on the nozzle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Right. Right.

2 MR. PAPPONE: And then the other part that
3 wasn't shown on there was internal loads that are
4 going to affect the vessel. We've got blowdown
5 pressure difference loads between the regions, which
6 we have flashing through the different regions. And
7 also flow-induced and acoustic loads. In the
8 Subcommittee discussion, the flow-induced and the
9 acoustic loads were really the topic of interest. And
10 for those loads, we're looking at the recirculation
11 line break as the limiting location. That break is
12 down low in the subcooled region of the vessel. The
13 other pipe breaks -- the other large pipe breaks are
14 up in the saturated region. And the acoustic wave
15 propagation isn't very good in saturated water
16 compared to the subcooled water. Down in the recirc
17 nozzle location, we've got a fairly restrictive area
18 in that down-comer region, so that's where we get the
19 flow-induced loads.

20 MR. WALLIS: Why should this change with
21 EPU?

22 MR. PAPPONE: What changes with EPU is
23 that because we've got a little more steam flow going
24 out of the vessel, we've got a little more feedwater
25 flow coming in, and even though the feedwater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature is a little bit higher because we've got
2 more flow coming in, when we mix that, we end up with
3 a little bit lower down-comer temperature. And with
4 lower temperature things like the flow loadings and
5 the acoustic loadings get a little bit worse.

6 When we look at -- the components that
7 we're looking at when we're looking at the flow-
8 induced and acoustic loads are the jet pump and the
9 core shroud and the shroud support. In the shroud
10 support, we're only looking at the acoustic loads
11 there. It doesn't see -- it's not in the flow field,
12 so we don't see any flow loads on that.

13 And the approach that we take when we're
14 evaluating these loads on the internals is we first
15 try to fit within the original load definitions with
16 the break flow driving source term. If we can do
17 that, we stop there, because if the load definitions
18 don't change, the structural stresses don't change.
19 And if we can't fit within those envelopes with
20 pencil sharpening, we go to the next stage. We look
21 to see how much margin we have in the stresses to the
22 allowables, and we eat into some of that margin. And
23 the third step is to look at the actual stresses
24 themselves from the original stress calculation and
25 look for some conservatisms in that calculation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So the original calculation may have used
2 whatever the most conservative ASME structural
3 approach is, and there may be another allowed approach
4 that doesn't take out some conservatisms or may have
5 done simple summing of both the first time you do the
6 square root. Some of the squares may separate the
7 loads into whatever their timing is. Like the
8 acoustic load is in the first few milliseconds, and
9 that's before the flow-induced loads come along. So
10 we can separate those loads. They don't have to be
11 combined.

12 MR. SIEBER: For all these steps that you
13 went through to -- that I would call pencil sharpening
14 steps, how far did you have to go with Brunswick under
15 EPU conditions to come up with a reasonable answer?

16 MR. PAPPONE: That's the next slide. The
17 components that do see an increase of load are the
18 ones that are in that core flow and steam flow path.
19 They're the ones that see an increase in the loads.
20 And for most of the components, like shroud heads and
21 dryers and the like, we have margined the allowables,
22 so we were able to just accommodate those without
23 having to do any pencil sharpening.

24 The acoustic loads we've refined our
25 analysis technique down to a very fine mesh, basically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water hammer calculation and reduced that driving
2 forcing function. And on those components, the shroud
3 head -- or the core shroud, the shroud support and the
4 jet pumps are the ones that benefit from that. And we
5 did do some pencil sharpening on the feedwater line
6 break loads to get that down below. That wasn't
7 fitting in the --

8 MR. SHACK: So for those you just refined
9 the thermal-hydraulic analysis, and you didn't have --

10 MR. PAPPONE: That's right.

11 MR. SHACK: -- to mess with the stress
12 analysis.

13 MR. PAPPONE: That's right.

14 MR. SIEBER: I presume that the more
15 severe of these is the recirc line break, right?

16 MR. PAPPONE: Right.

17 MR. SIEBER: Okay.

18 MR. PAPPONE: Well, for the pressure
19 difference loading, it's the steam line break that
20 gives us highest load there because of the rapid
21 depressurization and the very rapid --

22 MR. SIEBER: It's a bigger line.

23 MR. PAPPONE: Right. Well, it's about the
24 same size pipe, but because it's up in the steam dome
25 it pressurizes the vessel very quickly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. Next I'll be going through the
2 Appendix R, and the case that was presented in the
3 Subcommittee is really more of a what if beyond
4 licensing basis case. So it's the only case where
5 there's a heat up. In all of the Appendix R scenarios
6 that in Brunswick's licensing basis, they have the
7 RCIC system available. So there would be no core and
8 covering heat up. But this is a postulated scenario
9 that's a what if the RCIC didn't work or something
10 like that, even though it's a protected system.

11 So conservatisms in this particular -- or
12 the scenario for this analysis is we've got the loss
13 of off-site power, ramp the feedwater down, no credit
14 for the RCIC and standard with the Appendix R
15 calculations we've got the nominal core power level
16 and a nominal decay heat, realistic decay heat.

17 There are three relief valves that are
18 used for the blowdown, and we're assuming that the
19 operators initiate that blowdown at 40 minutes when
20 they get a diesel started back up so that they have a
21 low pressure coolant injection pump available for
22 cooling once the vessels depressurize.

23 The conservatism in the analysis -- the
24 biggest conservatism is that 90 percent of the actual
25 relief valve capacity being used in the analysis,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're using the tech spec value as opposed to the
2 actual valve capacity. With the Appendix R analysis,
3 since this really is truly -- it is a nominal
4 analysis, we could have taken credit for the full
5 valve capacity. The ECCS performance values, the pump
6 flow rates in the valve stroke times and what not,
7 took those from the LOCA licensing analysis. And
8 those again are minimums where we could have used
9 nominal values and not taking credit for the RCIC.

10 And the results of this analysis, we've
11 got a temperature of 1458 degrees. We've got an
12 acceptance criteria for the Appendix R analysis of
13 1500 degrees, and that's based on no fuel damage.

14 MR. ROSEN: You said 1450, but your slide
15 says 1468.

16 MR. PAPPONE: Fourteen sixty-eight. I
17 misread it there. This was about 250, 300 degree
18 increase over the current power case, and that's
19 primarily due to the limited relief valve capacity,
20 only using three relief valves. And, say, the
21 standard Appendix K small break LOCA analysis were
22 taking credit for five or six valves.

23 MR. SIEBER: Yes. But you assume three
24 valves because you're operating from the standby panel
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAPPONE: That's correct.

2 MR. SIEBER: -- and it probably only has
3 three valves on it.

4 MR. PAPPONE: It only has three valves on
5 it, but the thing is with the three valves, we're more
6 sensitive to a change in core power, because we're
7 generating more steam.

8 MR. SIEBER: That's why you can't
9 blowdown.

10 MR. PAPPONE: Right. And these results
11 are consistent with what we've seen for the other
12 power uprates in the Appendix R.

13 MR. SIEBER: It would have been better off
14 to add another valve to the standby panel except for
15 the fact that you would have to protect that division,
16 right?

17 MR. PAPPONE: We'd have to --

18 MR. SIEBER: Which would be probably
19 tough.

20 MR. PAPPONE: Right. We'd have to protect
21 the cabling and add the logic to it. And the other
22 part is that this really is a what-if calculation,
23 because all of their Appendix R scenarios they've
24 already protected the RCIC, so --

25 MR. SIEBER: Every calculation is what if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 until it happens, right?

2 MR. PAPPONE: That's true.

3 MR. SIEBER: Okay.

4 MR. PAPPONE: Back to Bob.

5 MR. KITCHEN: This is Bob Kitchen. I just
6 want to close, discuss briefly the operator impacts
7 and PSA results. The operator impacts -- of course,
8 the testing that we have planned, as we've discussed,
9 is per the ELTR with the exception of large transient
10 testing. The operational changes that we see we've
11 talked about the change in instability solution for
12 the operators. The nature of the power uprate where
13 we're operating on the power flow map is more
14 restrictive than our core flow window, so that results
15 in more power reductions to make rod pattern change.
16 This is an impact the operators will see. So this is
17 more of what we've been doing.

18 Then, finally, there is some small
19 response in -- small reduction in operator response
20 time. What we're talking about here is the just the
21 higher power operation, you know, higher feed flow,
22 higher steam flows. The transient simulations that
23 we've run in the simulator is really almost
24 imperceptible to the operator, and we don't see a
25 significant impact there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ROSEN: What did you say about more
2 power reductions? I lost track of that.

3 MR. KITCHEN: We were operating on a
4 powered flow map in an area that's more restrictive.
5 There's less core flow variation allowed just because
6 of where we are. And that necessitates rod pattern
7 changes more often to maintain full power. And to
8 make the rod pattern change, we'll be doing more power
9 reductions.

10 MR. ROSEN: Come down, make the rod power
11 change and go back up, and you'll have to do that more
12 frequently.

13 MR. KITCHEN: Yes, sir. So really, all in
14 all, the operator impacts are relatively small.

15 The PSA results, just to show you,
16 basically, the PSA review showed no change in success
17 criteria or accident sequences. There were no
18 significant changes in procedures so no significant
19 impacts. And the hardware changes are like in-kind.
20 Really, in terms of impact, there's a very small PSA.
21 There were some slight decreases in operator response
22 time in the PSA analysis associated with HPSI and RCIC
23 level control in ATWS, but they were small: 30
24 minutes currently, 24 minutes under uprate; a six-
25 minute reduction.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 When we look at the PSA results, just the
2 bottom line, across the top here is a current values
3 for core damage frequency and large early release.
4 With EPU, our psi review showed basically about 1.6
5 increase in CDF and about a four and a half percent
6 increase in large early release. But as we --

7 VICE CHAIRMAN BONACA: Did you do an
8 uncertainty analysis on these or are these point
9 calculations?

10 MR. KITCHEN: I'll let Larry Lee address
11 the analysis. Larry's with ERIN Engineering.

12 MR. LEE: Hi. This is Larry Lee from ERIN
13 Engineering. Yes. These are point estimate
14 evaluations. We didn't do a detailed classic
15 uncertainty analysis. We did do sensitivity studies.

16 VICE CHAIRMAN BONACA: So how -- I mean
17 look at the difference -- 255, 259. You're talking
18 about four tenths to the minus seven difference, and
19 this comes from a point calculation which can be off
20 by a factor of two.

21 MR. LEE: True. We didn't do -- because
22 this wasn't a risk-informed submittal, we didn't do a
23 classical uncertainty analysis. We believe the
24 uncertainty analysis would be similar to the
25 uncertainty shown in NUREG 1150, and we don't believe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the Brunswick PSA has any unique plant features
2 that would change the results from that uncertainty
3 analysis.

4 MR. KITCHEN: The other point is that when
5 we factor in the SLC boron concentration increase,
6 which we have committed to since the ACRS Subcommittee
7 meeting, with that change, we go from -- and ATWS is
8 a highly weighted accident PSA. When we make that
9 change alone, going from two-pump required success
10 criteria to the one-pump required success criteria, as
11 you can see it reduces the impact.

12 MR. ROSEN: To what do you attribute the
13 slight increase in the EPU case, in the point
14 estimate?

15 MR. LEE: The increase in the point
16 estimate is due to some decreased time for available
17 operator actions related to level control. So the
18 decreased time available showed resulted in a slight
19 increase in some human error probabilities.

20 MR. POWERS: Are we looking at a balancing
21 of negative and positive things? I mean it seems to
22 me you've done some -- you're doing some things
23 stabilizing your grid, which clearly should reduce
24 your risk. At the same time, you're decreasing the
25 opportunities for the period of time available for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operator actions, which apparently increases your
2 risk. Is the magnitude of that increase masked by
3 some of the grid stability things that you've done?

4 MR. KITCHEN: We didn't -- Larry, we
5 didn't credit the --

6 MR. LEE: No. We did not credit any
7 potential positive impacts by increasing grid
8 stability. Like, for example, decreasing the loss of
9 off-site power initiating event. The only one we --
10 in sensitivity studies, we took credit for the SLIC
11 modification. We also did a sensitivity where we
12 increased the turbine trip frequency by ten percent to
13 account for any uncertainties in any potential
14 increases in SCRAMs due to Plant modifications or
15 potential decreases in SCRAM margins.

16 MR. KRESS: What is your conditional late
17 containment failure probability?

18 MR. KITCHEN: I'm sorry?

19 MR. KRESS: The conditional late
20 containment failure probability? It's a Mark 1
21 containment. Usually those things are done around
22 0.8.

23 MR. LEE: We didn't recalculate the late
24 containment failure probability for the Level 2
25 analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Well, it probably doesn't
2 impact it except it gives you a late containment
3 failure frequency which is basically equivalent to
4 your CDF, which would make it like two times ten to
5 the minus five. I just wondered if that gives anybody
6 any pause for reflection other than me. Late
7 containment failures we know of impact on either. I
8 recognize that Reg Guide 1.174 doesn't talk about late
9 containment failures, which is one of the things I
10 think's wrong with it. But I just wondered if the
11 staff looked at that and gave them any pause for
12 reflection at all?

13 MR. WALLIS: Are you going to ask the
14 staff that?

15 MR. KRESS: Pardon?

16 MR. WALLIS: Are you going to ask the
17 staff that when they --

18 MR. KRESS: Well, I think that's a staff
19 question. Did they think about that and did it give
20 them any serious heartburn at all?

21 MR. HARRISON: If I can -- I think the
22 answer is fairly quick. This is Donnie Harrison from
23 the PRA branch, and I'll give you two parts to the
24 answer. The first one is we didn't look at it. The
25 second part is that it is something that's being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thought about, but it's not in the guidance now. And
2 it's something that the staff does need to think
3 about. Under what conditions would you really want to
4 look at the late containment failure probability? And
5 I think unlike South Texas, on their exemption, there
6 was a case where we didn't want them having some
7 systems that only come into play on the late
8 containment getting dropped. So there will be cases
9 where that is looked at, but it's something I think
10 the staff needs to think through completely to come up
11 with some guidance on when you would apply it and when
12 you wouldn't.

13 MR. KRESS: That might be some sort of
14 update to the Reg Guide 1.174 at some time maybe?

15 MR. HARRISON: I'm not involved in that,
16 but I would hope in that revision they think about
17 that type of thing. And I'll take that back to them.

18 MR. KRESS: Okay.

19 MR. WALLIS: So let's just clarify.
20 That's since we met you a week ago, you have agreed
21 with the staff that you will install the SLIC
22 modification. That's part of your application now?

23 MR. KITCHEN: Yes, sir; that's correct.

24 MR. WALLIS: Okay.

25 MR. KITCHEN: And installed in such a way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that it results in single-pump --

2 MR. WALLIS: Single pump, right.

3 MR. KITCHEN: -- success criteria.

4 MR. WALLIS: Thank you.

5 MR. KITCHEN: This concludes the
6 presentation that we have prepared.

7 MR. WALLIS: Any more questions for the
8 presenters? I'd like to move on to the staff
9 presentation. Thank you very much.

10 MR. MARSH: I'm going to go ahead and get
11 started while people are shuffling around. Good
12 morning. My name is Tad Marsh, and I'm the Acting
13 Deputy Director of the Division of Licensing Project
14 Management in NRR. We are here today to summarize our
15 review for the extended power uprate application for
16 the Brunswick units.

17 The staff has conducted a thorough review
18 of the Brunswick Plant and those areas potentially
19 affected by the power uprate, with the focus of our
20 review --

21 CHAIRMAN APOSTOLAKIS: Excuse me. Who is
22 speaking?

23 MR. MARSH: Oh, I'm sorry.

24 CHAIRMAN APOSTOLAKIS: Dr. Wallis, are you
25 going to need extra time?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: I'm not taking any time. The
2 staff is taking the time. I think the staff may need
3 some extra time, because --

4 CHAIRMAN APOSTOLAKIS: We're supposed to
5 finish at 10:30.

6 MR. WALLIS: That's right.

7 CHAIRMAN APOSTOLAKIS: Twenty minutes is
8 enough time?

9 MR. WALLIS: Tad Marsh has no -- how much
10 time do you need?

11 MR. CARUSO: We had assumed that we would
12 have an hour.

13 MR. WALLIS: No, you weren't even allowed
14 an hour originally.

15 MR. CARUSO: Forty-five minutes.

16 MR. WALLIS: Can you do it in a half an
17 hour?

18 MR. CARUSO: We can give our presentation
19 in a half an hour.

20 MR. WALLIS: The problem is our colleagues
21 asking questions.

22 CHAIRMAN APOSTOLAKIS: Well, the whole
23 idea is --

24 MR. MARSH: We probably need a half an
25 hour to go through our slides. If there's no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions, we can go through it --

2 PARTICIPANT: If we're not going to ask
3 questions, there's no point having a meeting.

4 CHAIRMAN APOSTOLAKIS: No, no, no. We
5 should ask questions.

6 MR. CARUSO: We'll try to be efficient and
7 effective.

8 CHAIRMAN APOSTOLAKIS: Huh?

9 MR. CARUSO: We'll try to be efficient and
10 effective.

11 CHAIRMAN APOSTOLAKIS: Well, the best way
12 is to actually skip some slides. Can you do that
13 sitting there?

14 MR. CARUSO: We'll try. We'll try to go
15 through --

16 CHAIRMAN APOSTOLAKIS: Or does he have to
17 go through five letters of review?

18 MR. MARSH: Why don't we --

19 MR. WALLIS: Maybe, Tad, we could cut down
20 your introduction.

21 MR. MARSH: That would be fine, but I do
22 want to make some comments.

23 MR. WALLIS: Sure, certainly.

24 MR. MARSH: Okay.

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 MR. WALLIS: So let's try to --

2 MR. MARSH: I do have some things I need
3 to say. Okay. I'll skip some of the boilerplate, but
4 I do want to concentrate on the large transient
5 testing statement. And I want to reemphasize what I
6 said earlier regarding the large transient testing.
7 And as you know, the licensees have proposed not to
8 conduct such tests for EPU's. And as I said earlier,
9 the Director of the Office of Nuclear Reactor
10 Regulation has tasked the staff to develop generic
11 guidelines for testing programs, including power
12 uprates. And this effort will formulate guidance to
13 determine whether or not such tests are to be
14 conducted, including the large transient tests.

15 During previous meetings with power
16 uprates, the Committee has commented that such
17 guidance should be developed to provide the staff,
18 licensees and the public with clear criteria for
19 evaluating these requests related to testing. We
20 intend to provide the plan to the Office Director by
21 May 31, 2002, and we will of course keep the Committee
22 involved in those discussions.

23 I want to emphasize, though, that the
24 charge from the Office Director was not to require
25 tests, it was to develop criteria such that the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can evaluate in some more routine manner whether they
2 should be conducted or not. The charge was also not
3 citing that there was any immediate safety concerns
4 absent those tests. So I wanted to emphasize that.

5 Now, as I said, we'll be glad to discuss
6 this with you further, but because of the nature of
7 the issue and how it arose and how it's being pursued,
8 we should probably conduct it in a manner different
9 than having a public meeting. And we'd be glad to do
10 that with you and for you at your choosing.

11 With that, Mr. Chairman, I'll turn it over
12 to Brenda who's going to go through our presentation.

13 MR. ROSEN: The difficulty I have with
14 that is that the Panel's recommendations may or may
15 not be applied retrospectively, and then that -- I
16 think the Committee needs to understand that point.

17 MR. MARSH: Yes. What could I say? The
18 Office Director, in transmitting this thing to Brian
19 Sheron and asking him to develop criteria said to use
20 the normal process for deciding whether this should be
21 back-fit or not. It said to use your budgeting
22 process in terms of laying out the time frame period
23 to be done and the endorsement of the Panel's
24 recommendation. The Panel's recommendation itself was
25 to develop the criteria, as opposed to require

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 testing. So there was not an endorsement to require
2 testing, rather to develop the criteria. And there
3 was no criticism specifically of the final judgment
4 that has been made in these past cases; rather it was
5 the process by which the decision was made.

6 MR. ROSEN: Try to make this clear. If
7 the Panel's recommendations are accepted and
8 ultimately criteria are developed that would apply to
9 Brunswick and require large transient testing, how
10 would that end up being applied to Brunswick?

11 MR. MARSH: We would have to go through a
12 50.109 process. We would have to go through a back-
13 fit evaluation to decide whether to change the
14 licensing basis for this Plant, unless there's an
15 adequate protection issue or there's a compliance
16 issue. But we have to go through --

17 MR. WALLIS: Is this assuming that they've
18 already been given the license?

19 MR. MARSH: Yes. Yes.

20 MR. WALLIS: But suppose the license has
21 not been modified by then, what do you do?

22 MR. MARSH: As I said earlier, if the
23 license were not, then it would have to be -- the
24 outcome would depend upon what the evaluation said.
25 If you haven't issued the license yet, then you could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 theoretically apply that judgment in a forward manner
2 as opposed to a backward manner.

3 MR. WALLIS: Does that answer your
4 question?

5 MR. ROSEN: Yes, that answers it.

6 MR. MARSH: Let me just -- we're on
7 difficult grounds here because of the nature of the
8 issue and the nature of how it arose. I want to just
9 call your attention to the memo that you have before
10 you and the safety perspective that was embodied in
11 that Panel recommendation. I think that's an
12 important element, and it was an important
13 characterization from the Office Director to the
14 Associate Director in terms of the timing of how this
15 thing should be developed. There was no urgency
16 conveyed.

17 And those are my statements, Mr. Chairman.
18 I'd like to turn it over to Brenda Mozafari to
19 continue.

20 MS. MOZAFARI: Okay. My name is Brenda
21 Mozafari. I am the Project Manager for the Brunswick
22 review. I'm going to skip over the overview, just
23 make a few comments to the effect that they provided
24 the application last August and for the most part it
25 follows ELTR 1 and 2. Exceptions were noted in their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. It is not a risk-informed submittal, and
2 it did base a lot of issues in their submittal on
3 previously accepted aspects of previous EPU's.

4 Now, I just show -- just so that you can
5 see, there were reviewers and reviews done in all
6 these areas, and those you saw reflected in the safety
7 evaluation. But we tried in this presentation, albeit
8 a little shortened, and it was presented during the
9 Subcommittee meeting, but we tried to focus on some
10 aspects of the staff review and certain areas that the
11 ACRS seemed to have some potential added interest. So
12 with that, I'd like to turn it over to the Chief of
13 the Reactor Systems and Fuels Group of NRR, Ralph
14 Caruso.

15 MR. CARUSO: Since my boss is sitting
16 here, I should explain that I'm not the Chief of the
17 Reactor Systems, Brenda.

18 MS. MOZAFARI: Oh, excuse me.

19 MR. CARUSO: I'm only the --

20 MS. MOZAFARI: Section Chief.

21 MR. CARUSO: I'm only the Section Chief of
22 the BWR Nuclear Performance Section.

23 MS. MOZAFARI: I promoted you.

24 (Laughter.)

25 MR. CARUSO: This is not the moment for a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coup.

2 (Laughter.)

3 What I wanted to talk to you about, and I
4 wouldn't be here -- the reason I'm here is that
5 there's an issue that keeps coming up during these
6 discussions with the Committee and involves the
7 applicability of the analytical methods that are used
8 in doing these power uprates. And I would like to
9 discuss -- start the discussion this morning with a
10 review of this issue and a restatement of discussions
11 that we've had in the past on code applicability.

12 This is the fourth significant BWR power
13 uprate that we've done: Duane Arnold, Dresden, Quad
14 Cities, Clinton and Brunswick. And I wanted to
15 describe to you today code applicability. I want to
16 discuss code applicability and how we assure that the
17 codes are used appropriately.

18 I'd like to open first with a discussion
19 of our review scope. How do we decide to review and
20 to look at what we review? This point in the process
21 we are gaining most of our -- making most of our
22 review decisions based on experience from prior
23 reviews, the three that we've done so far. Now we've
24 got a fourth. They give us a lot of experience. They
25 give us a lot of ideas about what to look for in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 future.

2 We have some guidance documents, we have
3 a Standard Review Plan, we have Reg Guides, and we
4 have the topical reports that are used to -- that
5 describe the approved methodologies. We use those
6 guidance documents as well as -- as far as they go.

7 MR. WALLIS: Now this SRP is a general
8 SRP, it's not for uprates.

9 MR. CARUSO: This is not for uprates, but
10 realize that the SRP -- it's a general SRP. It was
11 designed originally to license these plants, so it
12 includes all the areas that would normally be
13 considered if you were going to relicense this Plant,
14 start from zero. And therefore, theoretically, it
15 should be applicable to reviews for power uprates. So
16 we use that guidance in the SRP and in the regulatory
17 guides.

18 We are also doing, simultaneously with
19 these power uprates, other licensing actions. We're
20 doing tech spec amendments, we're doing topical report
21 reviews, we're doing lots of other licensing actions,
22 and we learn from them. We have information from them
23 that we consider.

24 Fourth, we look at operating experience
25 and feedback from the field. We get licensee event

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reports, we get deficiency reports from licensees.
2 All that information is considered. And, finally, all
3 this information is put together by knowledgeable
4 people, people that are paid to do this job and
5 exercise their judgment to decide what's important and
6 what's not important.

7 So this is where we get the idea about
8 what to review and what not to review. And you should
9 realize that what we don't review is a lot. The vast
10 overwhelming majority of the information that's
11 developed for these power uprates is not reviewed by
12 the staff. GE has 40 people working on each power
13 uprate. Licensees have probably another 100. I have
14 three people. I can't review everything they do. I
15 can't even review a significant fraction of what they
16 do. So I have to make a choice.

17 Now, one of the issues that's come up is
18 how do I know the codes are the right codes to use?
19 Once again, this is judgment, but there's actually a
20 bit of a basis to this. This is a BWR and the BWR
21 methods have been applied across the entire BWR range,
22 from probably Big Rock Point all the way up to Grand
23 Gulf. And the power uprates that we've seen so far
24 have all been within the range of applicability for
25 which there are already plants operating at those sort

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of power levels and power densities. So these codes
2 are not being applied outside a range of applicability
3 for which they're already in use right now.

4 MR. WALLIS: I guess a question that
5 several of us raised was, yes, it's an approved code,
6 but you know that how you use the code can make a
7 difference to the answer. So you have to worry about
8 how the code is used.

9 MR. CARUSO: That's in my second slide.
10 I'll get to that in a second.

11 The second part of this was we're not
12 using any new codes. There was a big flap about power
13 uprates about eight years ago at Maine Yankee because
14 someone decided to use -- among other things, a
15 licensee decided to use a new code for a power uprate,
16 and it hadn't been well-validated. We're not using
17 new codes for these power uprates. They've been in
18 existence for a while, and they're mature. So there's
19 not a Maine Yankee scenario here.

20 In addition, even though the codes have
21 been around for a while, GE has been making
22 modifications to them continuously. We recently
23 completed a review of a change to the SAFER/GESTER,
24 we've looked at the ODYSY code, and we have ongoing
25 experience with TRAC-G. We completed a review for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 AOOs about a year that we discussed with the
2 Committee. So the staff has kept in touch with these
3 codes and these methodologies.

4 Now, I'd like to go on to the question of
5 how do we know that they're being used appropriately?
6 And I'll start by asserting that the vendors use the
7 codes rigorously. The limits for using the methods
8 are described in topical reports. For GE, there's a
9 topical report known as GESTAR. It's a massive
10 document. It describes in intricate detail how to do
11 the calculations. GE takes these limits from the
12 topical reports and it develops procedures so that it
13 can do production calculations. And that's an
14 important phrase -- production calculations.

15 These production calculations are done by
16 knowledgeable engineers, they're done in accordance
17 with written procedures. They have to be done that
18 way in order for them to be done efficiently. And
19 those procedures are checked by internal quality
20 assurance people in GE, reviewed by several levels of
21 management, they're attached to a large Appendix B
22 quality assurance program, they're reviewed by
23 licensees who have a vested interest in making sure
24 they're done properly, and the inputs are controlled.
25 GE has a central database. The inputs are also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 checked by licensees. So there are a lot of controls
2 on the use of these codes to prevent them from being
3 used too creatively.

4 MR. SIEBER: It's my impression that GE
5 does all the calculations necessary for these kinds of
6 analyses with the same group.

7 MR. CARUSO: Yes.

8 MR. SIEBER: And that -- for all BWRs?
9 And that licensees don't do any of these calculations
10 independent of General Electric. Is that true?

11 MR. CARUSO: I don't know. You're talking
12 -- that's probably going to a plant-specific issue.
13 There may be some licensees that do some containment
14 calculations of their own, for example.

15 MR. SIEBER: I accept that.

16 MR. CARUSO: The fuel calculations,
17 though, I believe are done by the fuel vendors, and I
18 don't know of the other -- how much technology
19 transfer goes on between the other vendors, but I
20 believe GE does not do much, if any.

21 MR. SIEBER: Okay.

22 MR. CARUSO: I'd have to ask them, but I
23 believe they don't do it.

24 MR. WALLIS: It does mean that they're
25 very dependent on the results prepared by GE. They

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are the source of the numbers, which are quoted and
2 approved and all that. Nobody else is.

3 MR. CARUSO: Well, GE is responsible for
4 the results, but they depend on inputs that are
5 received from the licensees about the plant
6 configuration.

7 MR. WALLIS: Right.

8 MR. CARUSO: About the operating
9 procedures, about the assumptions for operator action
10 times. So there is -- it's not all done by GE in a
11 black box; the licensees interact with them.

12 MR. ROSEN: Accepting that point, could we
13 have the GE guy tell us how much is done by the
14 utilities --

15 MR. CARUSO: Fran?

16 MR. ROSEN: -- in Brunswick, in
17 particular, but more generally if you can.

18 MR. BULGER: This is Fran Bulger from GE.
19 We have made these codes that are used in these
20 licensing analyses available to the licensees, and
21 most all of them have, at least to some extent, some
22 of the codes. At least -- most all have the core
23 design codes, and many have the transient analysis
24 codes. A number of them actually have done in-house
25 training with some of these licensing codes, so they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 try to see if they can reproduce some of the GE
2 values.

3 We've held training up in Raleigh with
4 some of the CP&L staff to get into some more of the
5 details of the transient codes. The CP&L has a number
6 of the GE codes. A number of the utilities send their
7 staffs to GE and do actually perform some of the
8 licensing analysis at our site.

9 MR. CARUSO: So you see that the licensees
10 and GE work together on this. This is not something
11 that's done by GE in a vacuum.

12 MR. WALLIS: But there is no independent
13 calculation made by somebody else.

14 MR. CARUSO: That is correct.

15 MR. SIEBER: It was my impression --

16 MR. CARUSO: At least not by the staff.

17 MR. SIEBER: -- that if the licensee, on
18 its own volition, wanted to perform the calculations
19 and make those calculations the record calculations
20 for the plant, they would have to have all this
21 infrastructure that GESTAR discusses, including an
22 approved topical that describes how they will do the
23 calculations.

24 MR. CARUSO: That's correct.

25 MR. SIEBER: And that's a big hurdle to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 jump through.

2 MR. CARUSO: I believe at this point that
3 we have not approved the use of any of the GE methods
4 by any licensees. Is that correct, Fran?

5 MR. BULGER: That's not correct. Southern
6 Nuclear is approved to use GE methods.

7 MR. CARUSO: Okay.

8 MR. SIEBER: That's pretty helpful.

9 MR. CARUSO: That's something I did not
10 know.

11 MR. BULGER: That's the only utility that
12 is.

13 MR. CARUSO: Is that the only utility?

14 MR. BULGER: For the GE methods. Excellon
15 had been using some of the GE methods to do slow
16 transient analysis and some of the core design work.
17 Recently they've decided to contract that out to GE.

18 MR. ROSEN: This is, of course, not true
19 in the PWR side.

20 MR. CARUSO: That's correct. That's why
21 I'm careful about saying this.

22 MR. ROSEN: Numerous PWR utilities do
23 their own calculations and have approved topicals, as
24 far as I know.

25 MR. CARUSO: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Some do, some don't.

2 MR. ROSEN: Some do, some don't, but there
3 are quite a few that do have approved topical and do
4 their own calculations.

5 MR. DRESSER: This is Tom Dresser with
6 CP&L. Though CP&L does not do licensing calculations
7 independently from GE, we do, as part of our own
8 review and oversight program, we do quite a bit of
9 independent calculations. We have to access to some
10 of the codes from GENNE, and we also have independent
11 neutronic methodology. So it's -- we do, in addition
12 to oversight of the vendor, we do alternate
13 calculations for our own review purposes.

14 MR. CARUSO: So the licensees -- in this
15 case, this licensee does do some independent checks,
16 independent calculations, but the staff does not for
17 these normal -- for these sort of applications where
18 a licensee or GE is using an approved methodology in
19 an appropriate way, in a way that is not, as I put it,
20 creative.

21 MR. RANSOM: Ralph, I think you said that
22 they have made some changes to these codes?

23 MR. CARUSO: They make changes on a
24 periodic basis, yes.

25 MR. RANSOM: Have you looked at their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 review procedure or quality control or quality
2 assurance procedures, I guess, to assure that these
3 changes do not change past results?

4 MR. CARUSO: The changes that I was
5 talking about have been reviewed by the staff. They
6 submit a revision to the topical report, and we review
7 that, and we assure that the change does not -- well,
8 it usually affects the results in some way, but we
9 assure that it's an appropriate change, that it's
10 justified and documented and it has a basis.

11 And then my last two items here we've been
12 doing audits of these calculations as part of these
13 power uprates, where we will go to GE Wilmington or GE
14 San Jose and we have a team of five people who
15 actually look at the detailed design record files for
16 selected calculations. Based on their judgment, they
17 decide, "I want to go look at LOCA this week. I want
18 to look at ATWS next week. Next time I want to look
19 at Standby Liquid Control System."

20 MR. RANSOM: I guess my concern was that
21 they have a procedure in place such that someone
22 cannot simply put in an ad hoc change that a
23 particular individual wants.

24 MR. CARUSO: It's my understanding that
25 the proceduralization of the analysis process is done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to prevent that from occurring. That's a major sort
2 of change, and they don't like to do that.

3 MR. SIEBER: It's my understanding that
4 the vast majority of the changes are basically
5 corrections that have somehow or other been discovered
6 through the use of the codes, and they're required to
7 be submitted annually.

8 MR. WALLIS: I'm going to be in great
9 trouble with my Chairman if we don't proceed.

10 MR. CARUSO: I'm sorry I'm taking so long.
11 I'm just about done here. This has been philosophy.
12 Zena is going to talk about two areas where during our
13 review we actually did identify some problems and
14 pointing out the value of doing these audits and doing
15 them in a targeted fashion. And she's going to
16 explain to you what she found.

17 MS. ABDULLAHI: Good morning. My name is
18 Zena Abdullahi, and I'm the Reactor Systems -- one of
19 the Reactor Systems Reviewer for the Brunswick EPU
20 application. I'm going to try to skim through my
21 notes and try to speak fast since we are pressed for
22 time.

23 In the previous EPU presentation, you
24 asked us to discuss specific areas of review that
25 would give you a sense of our review process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Therefore, we did decide -- we decided that we will
2 pick up two areas of examples and try to present it to
3 you to show you to the detailed level that sometimes
4 we look into things. We've decided to address today
5 ATWS and Standby Liquid Control.

6 In the ATWS case, one of the reasons we
7 selected ATWS because it was -- the peak pressure was
8 high. The PUSAR reported a peak pressure of 1492 psig
9 compared to 1500. And we decided, therefore, to look
10 further and to check since it's a two-unit application
11 and the units have many similarities but they do have
12 also some differences, including bypass capacities and
13 the orifice sizes of the units.

14 We then decided for the ATWS to make sure
15 that, at least in terms of peak pressure, that the two
16 units the most limiting is used in terms of plant
17 condition. And we found out that in fact, yes, the
18 analyses were based on Unit 1, which had a bypass
19 capacity of about, I think, 20.6 percent. This is the
20 turbine bypass capacity. And that for Unit 2, in
21 fact, which has a larger bypass capacity of 69.6
22 percent for the EPU rated thermal power, that for a
23 specific event, called the pressure regulator failure
24 open, that Unit is in fact more bounding.

25 The reason the Unit would be more bounding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would be that you would have a failure of the pressure
2 regulator to maximum demand. It would open faster, it
3 would steam out through the bypasses, and the unit
4 that actually depressurizes through the lowest --
5 pressurizes earlier would be the one that would have
6 MSIV close earlier. And, as such, then you would have
7 the pressure go up, the boards collapse, the power go
8 up, and that would be the unit that in terms of peak
9 pressure would be more bounding.

10 We have asked the Licensee, and they have
11 confirmed that, yes, this unit -- the analyses were
12 based on Unit 1 in which the loop and the MSIV closure
13 were the bounding case, and they reanalyzed the Unit
14 2 using the Unit 2 bypass capacity. However, they do
15 actually use plant-specific parameters in order to try
16 to reduce the conservatism. And one of the things
17 that they have done is they changed the pressure --
18 the SRV set point, and instead of using the GE value
19 of 44 psig, they used three percent tolerance, which
20 is the plant-specific value, in which case that comes
21 to 34 psig. Then you would end up having ten valves
22 popping open earlier, which will help you reduce the
23 peak pressure.

24 And as a result, the peak pressure that --
25 it basically compensates for the impact that you would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have got from the larger bypass capacity. And from
2 that they did in fact come up with a lower peak
3 pressure of 1487 as opposed to 1492. However, the
4 staff did go through the details officially that we're
5 comfortable with the value that they came up with and
6 can say that, yes, they do meet ATWS, and the peak
7 pressure is acceptable as long as it's below the 1500.

8 I'll go faster. With the --

9 MR. POWERS: Let me ask a question about
10 your calculation.

11 MS. ABDULLAHI: Yes.

12 MR. POWERS: You indicate that they
13 changed the set point away from that recommended by
14 General Electric. Is there any possibility of error
15 in making those set points?

16 MS. ABDULLAHI: You mean the tolerance
17 value or error in -- for the set points, yes. I mean
18 if set point drift goes up, their ATWS analysis would
19 not work. But the GE value of 44 psig was based on
20 certain type of valve that they knew had a propensity
21 for high drift.

22 MR. POWERS: What I'm asking you, or I'll
23 get around to asking, I guess, is that do you do a
24 calculation and say, "Oh, what if by mistake the put
25 their set points in incorrectly?"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. ABDULLAHI: Oh, you mean the numbers.

2 MR. POWERS: Yes.

3 MS. ABDULLAHI: Well, we are relying on
4 their analysis. What we actually check is key
5 parameters, limiting conditions, limiting components
6 out of service. We look more on the sequence, and we
7 look if the result makes sense and if there's
8 sufficient margin. But we have not inputted the
9 numbers.

10 Having said that, from the audit point of
11 view, I don't see that it's such a far-fetched thing
12 that -- the way we do it we look at the plant-specific
13 and then we also look at GE methodology. And I don't
14 see that it's not possible that at one point we would
15 actually go to that degree of some other audit, but we
16 haven't done it this way.

17 MR. POWERS: So the impression I'm getting
18 is that you look at what they have done, and you say
19 is that acceptable, but you don't do what my colleague
20 here is suggesting is you might say, "Why don't you go
21 back and make some other assumption?"

22 MR. CARUSO: We don't do our own
23 sensitivity studies to look at the potential errors
24 that might be made in input values by licensees or by
25 GE, no.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARSH: Just a reminder these values
2 are technical specifications, and they're, of course,
3 bound by those, and they have LERs and other reporting
4 criteria should they find these out of specification.

5 MS. ABDULLAHI: I think I have time to say
6 a few things about the SLC.

7 MR. WALLIS: I think we're all interested
8 in that one.

9 MS. ABDULLAHI: Oh, I see.

10 MR. POWERS: It's not for lack of
11 interest.

12 MS. ABDULLAHI: Maybe I should skip it.
13 All right. The SLC issue, the PUSAR did not contain
14 an SLC relief valve margin evaluation. And the
15 objective for us presenting this to you is to tell you
16 that we do not only look most cases at only what is
17 discussed in the ELTR 1 and 2. If there is an
18 information notice or other information that would
19 tell us some issue, we would actually carry it
20 through, because we would think what would be the
21 impact for the EPU, and then we would look into it.
22 And this is the case that we have done that.

23 In this particular case, the concern is
24 that the SLC System would -- okay, what we would like
25 to know is whether the SLC System could inject into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the reactor at the assumed time, in the analytically
2 assumed time, based on the predicted pressure and
3 without lifting of the SLC relief valve. Because
4 there's a set point in which the SLC relief valve will
5 lift, and if the pressure in the ATWS analysis is at
6 some point, then you might end up getting the relief
7 valve lifting.

8 And in the initial we asked the Licensee
9 to do that evaluations, and in the initial evaluation,
10 the Licensee did come back and say that, "Well, the
11 value -- we have actually no margin." And as a result
12 of it, they went again and recalculated their two-pump
13 system losses. The original system losses was based
14 on 1984 GE evaluation. So they substituted that with
15 their own system loss test. They also calculated the
16 plant-specific using plant-specific elevation head
17 calculations, and then they came up with a better
18 margin. And it's a positive value, but it was still
19 small.

20 The staff could not, at that point -- the
21 staff accepted it for several reasons. One reason is
22 the value is positive, and the margin belongs to the
23 licensee. However, the staff felt that it was small
24 and had several discussions, and the Licensee did
25 recognize it. The Licensee did recognize it, and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 actually are going through with their own system
2 upgrades. And as a result of that, they will --
3 informed us, "Yes, we will increase the margin by
4 changing out the valves." However, it's their own
5 call to make. We can only encourage and support. And
6 we have been told that, yes, they are making it. We
7 have a letter that they sent us in which they told
8 that, "We have already ordered the valve change-out
9 and we will change."

10 MR. SIEBER: Actually, restructuring SLC
11 operations to one pump is a benefit from the
12 standpoint of margin.

13 MS. ABDULLAHI: Yes, it is, because if,
14 for instance -- let me first make another point of
15 view addition to that. Even if they go to one-pump,
16 single-valve success criteria and they will be able to
17 shut down the reactor, the Licensee intends to stop
18 both pumps, because they do not want to change their
19 EOPs or retrain their operators.

20 MR. SIEBER: On the other hand, that means
21 there's greater chance that you'll lift a relief valve
22 with two pumps.

23 MS. ABDULLAHI: Exactly. What would
24 happen is if one pump can do the job and you stop both
25 pumps, even if the relief valve pops open and recycles

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back to the tag, you still would put in enough boron
2 concentration to shut down the reactor, probably more
3 than usual. So we have accepted it.

4 However, there are two license conditions
5 that are in the easy application. And the two license
6 conditions basically deal with the fact that when they
7 load the second batch of GE14 fuel, they would need to
8 increase the boron concentration, and as such we would
9 like to have an amendment request submitted in advance
10 before they do the load -- load in the GE14. So
11 there's that amendment request license condition.

12 Secondly, the Licensee had decided to
13 commit to the single-pumps with valve success criteria
14 in a sense of having a sufficient boron concentration
15 to be able to achieve shutdown using one system. And
16 that is also a license condition for the application.
17 Thank you very much.

18 MR. WALLIS: Now, I'm trying to see what
19 would the ACRS might say about this, the letter. You
20 have agreed with the Licensee, it seems, since our
21 last meeting, they will install these modifications.
22 So this -- first we need to say less to encourage
23 this. Has it already happened?

24 MS. MOZAFARI: It's happened.

25 MR. WALLIS: Okay. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Go ahead with your
2 conclusions. I have something to say after you're
3 done.

4 MS. MOZAFARI: Okay.

5 MS. ABDULLAHI: We have reviewed the
6 Licensee's application for EPU, and we have concluded
7 that -- from all the reviews, we have concluded that
8 BSEP units can be operated safely to 2923 megawatt
9 thermal, and the Licensee's analysis has been
10 demonstrated it can support this uprate.

11 MR. LEITCH: I take it by that statement,
12 then, you have no problem with allowing credit for the
13 five pounds containment pressure?

14 MS. ABDULLAHI: I am not --

15 MS. MOZAFARI: She's the reactor --

16 MR. MARSH: That's next. That's not this
17 one -- that's not reactor systems, that's containment
18 systems.

19 MR. WALLIS: It's very similar to what was
20 granted at another plant.

21 MS. MOZAFARI: Richard? Richard can speak
22 to that, Richard Lobel.

23 MR. LOBEL: This is Richard Lobel from
24 Plant Systems Branch. No, we don't have a problem
25 with it. It was considered in the review. It's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 small fraction of the total containment pressure which
2 was calculated to be conservatively low. And what
3 we've done on this review is consistent with what
4 we've done in other reviews and what we've discussed
5 with ACRS in the past.

6 MR. ROSEN: My comment is that this is an
7 excellent piece of work, and the reviews that have
8 been done have found important things, and I want to
9 commend you on that. One of the concerns of the
10 Committee has been one central aspect of core design
11 for these uprates and the limited amount of review we
12 actually do. You described you do fairly little, but
13 we do only a piece of what we could do is small also.
14 So it seems to me that I derive considerable comfort
15 from the fact that you are out looking at these
16 analyses, but this a bad news/good news story. The
17 good news is you're out looking, the bad news is you
18 found some substantive things that were wrong. So my
19 encouragement is to keep looking and to make sure that
20 you do -- I think this Committee has made this point
21 in the past, that these audits that you do have great
22 value and should be continued.

23 MR. CARUSO: For the BWRs, because of the
24 interest, because of the large amount of the power
25 uprate, we do intend to do that. And we do intend to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 do it on a focused basis. We don't intend to look at
2 the things that are listed in the guidance documents,
3 because everyone knows that's what we're going to look
4 at. So those are the ones that are always right.
5 We're looking at the things that aren't -- we're
6 trying to look at the things that aren't listed in the
7 guidance documents, and we get hints about where to
8 look by --

9 MR. MARSH: Operational experience plus
10 any types of other evaluations that come up in the
11 safety evaluations.

12 MR. CARUSO: By thinking about these
13 things.

14 MR. MARSH: Right. I did want to point
15 out that in terms of the SLIC review they've just gone
16 through, this was a topic that came up as part of an
17 operational experience. So operational experience
18 vectored us into, and that's why we focus on this
19 topic, which is building on Ralph's thought of that
20 being a source of staff scope concerns.

21 MR. CARUSO: We look at as much as we need
22 to look at to make a decision. And we're comfortable
23 with the level of review at this point.

24 MR. MARSH: Ralph mentioned three staff.
25 I want to say something about three staff. If the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Agency felt like there was an operational experience
2 that warranted more staff to be devoted to this type
3 of audit or confirmatory calculations, the Agency
4 would devote the staff that it needed to do these
5 things. So I want you to understand which comes
6 first, the chicken or the egg. Ralph has three staff
7 because that's what we think is needed at this point.
8 If more staff were needed, we would go through a
9 budget process and decide whether it were needed and
10 devote more staff to it. So we are driven in
11 resources by the safety concerns that these staff are
12 looking at.

13 MR. WALLIS: So somebody made the decision
14 that for all these uprates having to do with GE
15 reactors, that the ELTR 1 and 2 and all that were so
16 good that you didn't really need any kind of work to
17 check those.

18 MR. MARSH: Well, you've heard some
19 independent calculations beyond ELTR 1. You've heard
20 Rich talk about some containment calculations which he
21 has done beyond what the ELTR 1 leads you to do. The
22 SLIC work that's here is not -- the SLIC doesn't tell
23 Zena to do the type of reviews that she does. This is
24 beyond -- this is -- the ELTR doesn't tell Ralph what
25 to do in audits.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. CARUSO: Interestingly enough, in the
2 SLIC case, it's not a question of the methodology
3 changing, it's a matter of what point they pick on the
4 curve to assume as the peak pressure. And there were
5 some assumptions made about when the operators would
6 start the SLIC system and the pressure at that point.
7 And that's not a calculational issue, that's a much
8 bigger, what we would call, methodology issue.

9 So doing an independent calculation would
10 not have told us anything in the SLIC area. We had to
11 look at what they did with the numbers and what
12 judgments they made with the numbers. And we looked
13 at the operating experience and what the operating
14 experience told us about the assumptions. So you have
15 to fit them all together. That's why you need
16 somebody, a person who's knowledgeable and can make a
17 judgment about what's necessary.

18 MR. MARSH: The importance of Ralph's
19 audits going beyond, looking over the fence, can't be
20 understated too.

21 MS. MOZAFARI: Right.

22 MR. MARSH: He goes beyond what you would
23 expect to be looking at to see whether those other
24 areas that are of concern, and if concerns were found
25 in that area, that would widen the staff's scope

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 depending upon the safety significance. And, also, we
2 rely on Part 21, we rely on licensee event reports, we
3 rely on a lot of elements to determine our scope.

4 MR. CARUSO: In the area of core design,
5 we have been spending I believe Ed Kendrick, who's
6 here, did look at some core design issues during
7 Brunswick review or during one of the earlier ones.
8 So we have been looking a little bit at the core
9 design, but in a lot of cases we just don't think it's
10 worthwhile to look at calculations that have been done
11 on a routine basis for a long period of time using
12 well-established methodologies. It's just not
13 worthwhile.

14 MR. WALLIS: Ralph, can we move quickly
15 through the rest of the slides?

16 MR. CARUSO: I'm sorry, excuse me.

17 MS. MOZAFARI: Ralph's going to cover the
18 appendix, our evaluation from the fuel --

19 MR. CARUSO: I don't have the slide in
20 front of me, so I'm going to have to read from the --

21 MR. WALLIS: I think we've all read it by
22 now.

23 MR. CARUSO: We've seen this?

24 CHAIRMAN APOSTOLAKIS: Yes. We've read
25 it, and the last bullet is your conclusion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: I'll make one more point
2 about this. There was a concern about the increase in
3 the temperature from less than 1200 to close to 1500.
4 It's our understanding that the less than 1200 number
5 was not actually a calculation but was an estimate.
6 So we would say it's not really fair to make a
7 comparison between an estimate and a calculation and
8 say the value went up by 300 degrees.

9 And I agree with the points that Dan
10 Pappone made. Those are reasonable assumptions made,
11 using a reasonable code, and they came up with an
12 answer that is reasonable, and we accept that. We
13 don't see any reason to redo the calculation.

14 MR. WALLIS: Okay. Thank you.

15 MR. CARUSO: Thank you.

16 MR. MARSH: Okay. Mr. Chairman, would you
17 like us to go through the mechanical engineering
18 presentation? Would you like us to focus on
19 something?

20 MR. WALLIS: I think the bottom line is
21 that you think is everything fine.

22 MR. CARUSO: Yes.

23 MS. MOZAFARI: That's the bottom line. So
24 you're not interested in hearing it? That's fine.

25 MR. CARUSO: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: So you believe Dan Pappone's
2 analysis about acoustic loads? You're happy about the
3 acoustic loads issue?

4 MR. MANOLY: Yes. I just want to correct
5 -- this is Kamal Manoly from the Mechanical Branch.
6 Apparently, there was some misunderstanding about the
7 magnitude of the loads from the pipe break, and
8 they're dependence on the pressure and the temperature
9 in the line and not the flow rate.

10 MR. WALLIS: Right. It depends on the
11 pressure in the line mostly, isn't it, and not the
12 flow rate. Yes.

13 MR. MANOLY: And the temperature.

14 MR. WALLIS: Right.

15 MR. MANOLY: And I looked at the tables --
16 my lead reviewer is not here this week, but I looked
17 at the tables of the results of the difference in
18 pressure. Slight, very slight increases in pressure.

19 VICE CHAIRMAN BONACA: Please speak into
20 the microphone.

21 MR. MANOLY: Yes. There's very slight
22 increases in the pressure, the differences in the
23 internals. So the stresses increased are fairly
24 insignificant.

25 MR. WALLIS: So you have checked this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point raised by the Subcommittee, and you've come to
2 the conclusion it's not an issue.

3 MR. MANOLY: Right.

4 MR. WALLIS: I think that's all we need to
5 know really.

6 MR. LEITCH: I just have a question about
7 the overall efficiency of the process, and we
8 discussed it a little bit at the Subcommittee meeting.
9 But I suspect that there are going to be a large
10 number, perhaps almost all, of the BWRs in this cube
11 to get power uprate. And it seems to me that this has
12 taken an inordinate amount of time, a very large
13 number of RAIs involved in the process, and I just
14 wonder if we can't learn something from the license
15 renewal process, which seems to be running much more
16 smoothly with a fairly low number of RAIs. Is there
17 a more systematic way in which this type of a review
18 could be conducted?

19 MR. CARUSO: I believe that for the BWRs
20 --

21 MR. MARSH: Let me give it a try from
22 here, because I want to answer it globally. I talked
23 a little bit about it at the Subcommittee --

24 MR. LEITCH: Yes. That was my question
25 was really a global one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARSH: Yes, sure. Let me try, Ralph.
2 We are committed -- as you say, we are committed to
3 get to the Commission by March 26 with some effort to
4 try to improve the efficiency and effectiveness of the
5 reviews. And we are going to talk with the Commission
6 on July 10 at a Commission meeting with license
7 renewal. Because they've charged us to look at the
8 license renewal process as they improve their
9 efficiency to see whether we can draw from some of the
10 benefits that they have found in terms of the process.
11 So we are charged to do that. And we hope to meet
12 with you and talk with you about that process before
13 we meet with the Commission; that's our intent.

14 A couple things. CPPU, the reliance on
15 CPPU as a process will help us in some respects. It
16 will help us in terms of efficiency. The number of
17 RAIs we're looking at that carefully. We're making
18 sure that the scope that we're looking at, how we look
19 at them is the appropriate number, the appropriate
20 number of questions. And I think licensees are
21 learning also as we go through this process for what
22 we are interested in. And they're focusing their
23 submittals on the issues that we have sought through
24 RAIs.

25 We need to be more efficient. We've spent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a great deal of FTE on power uprates last year -- over
2 11, 11.5 FTE in the licensing area. That's a large
3 number. So we need to be better, and we're committed
4 to doing that, and we're going to be discussing it
5 with you.

6 MR. LEITCH: Good. Thank you.

7 MR. WALLIS: Anything else? We've lost
8 our Chairman. I'd like to hand the meeting over to
9 the Vice Chairman.

10 VICE CHAIRMAN BONACA: Okay.

11 MR. WALLIS: Thank you very much.

12 VICE CHAIRMAN BONACA: Any other questions
13 from members? If not, we'll take a recess for 15
14 minutes. We'll actually get back again, we're kind of
15 late, so maybe at ten after 11.

16 (Whereupon, the foregoing matter went off
17 the record at 10:57 a.m. and went back on
18 the record at 11:12 a.m.)

19 VICE CHAIRMAN BONACA: Okay. The meeting
20 is called to order again. We have now the -- the
21 purpose of this meeting is to review the findings and
22 observations of the Expert Panel convened by RES to
23 assess the applicability of the NUREG-1465, accident
24 source term for light water reactors to high burnup
25 and MOX fuels.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Two ACRS members, Dr. Powers and Dr.
2 Kress, were members of this Panel. Therefore, they
3 will not participate in discussions on the potential
4 finding of the Committee, although they are not
5 prohibited from providing the Committee with factual
6 information on the subject.

7 The staff has not requested a letter on
8 this issue, in part, because the information is quite
9 preliminary. We are running late, so I would like to
10 understand how much time you think you need. I think
11 you have half an hour allotted for the presentation?

12 MR. SCHAPEROW: Yes. I've got about 16
13 slides, but it shouldn't take too long.

14 VICE CHAIRMAN BONACA: So I think we
15 should be able to stay within the hour that we have --

16 MR. SCHAPEROW: Certainly.

17 VICE CHAIRMAN BONACA: -- scheduled for
18 the presentation and questions. So with that, I'll
19 introduce Mr. Schaperow?

20 MR. SCHAPEROW: That's correct.

21 VICE CHAIRMAN BONACA: Okay.

22 MR. SCHAPEROW: Thank you for pronouncing
23 it like that. My name is Jason Schaperow. I'm
24 Project Manager for some of the agencies who do
25 accident research. My presentation today will cover

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a research effort in the area of fission product
2 releases.

3 The objective of this research was to
4 assess the applicability of the revised fission
5 product source term to high burnup and MOX fuels. The
6 approach we took involved holding a series of Expert
7 Panel meetings. Panel membership included experts who
8 had developed the basis for the original revised
9 source term a number of years ago. At these meetings,
10 the experts suggested source term values for high
11 burnup and MOX fuel, identified source term issues and
12 recommended needed source term research.

13 The next couple of slides provides the
14 background for this research. First, I would like to
15 briefly review the revised source term. Now, the
16 source term is defined as the fission product release
17 into the containment atmosphere which is available for
18 release to the environment. Now, RES published the
19 revised source term, also known as the alternative
20 source term, and adopted it and called NUREG-1465 back
21 in 1995.

22 This revised source term is more realistic
23 than an earlier source term called the TID-14844
24 source term. The revised source term is aerosol
25 except for about five percent of the iodine which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 vapor. Now, the TID source term was mainly vapor.
2 Also, the revised source term has a four-phase
3 release, which is broken down as follows: Gap, early
4 in-vessel and ex-vessel release, which is during core
5 concrete interactions, and finally the late in-vessel
6 release from the reactor coolant system. This takes
7 place over several hours. The TID source term,
8 however, is instantaneous at the start of the
9 accident.

10 Also, the revised source term is actually
11 two source terms: One for a PWR and one for BWR.
12 There's not a lot of difference, but there are a few.
13 The main difference, I believe, is the release timing
14 for the iodine. In the BWR, the iodine release occurs
15 a little later as a result of the BWR's lower power
16 density.

17 The revised source term is used in a
18 number of regulatory applications. In particular, the
19 first two release phases, basically up to the point of
20 lower head failure, is used for LOCA design basis
21 accident analysis. And I've listed here five ways in
22 which we've used this. It's used to assess doses for
23 the Exclusion Area Boundary, the Low Population Zone
24 and in the control room. It's used for the
25 containment isolation valve closure time requirements,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and in this particular use is just used as a start
2 time on the gap release. It's been used in a fashion
3 as an integrated dose of the source term. It's been
4 used to qualify equipment in the containment. It's
5 been used for post-accident shielding, sampling and
6 access. And, finally, it's been used to evaluate the
7 hydrogen generated by radiolytic decomposition of
8 water during an accident. And all four phases of the
9 source term may be used for severe accident risk
10 assessment.

11 The effect of the revised source term on
12 licensing, as well as the risk impacts, were evaluated
13 in our rebaseline project a few years back. After the
14 rebaselining project, the staff, NRR in particular,
15 developed a rule to allow licensees to implement the
16 revised source term. Now, their baselining analyses
17 identified that there would be a number of safety and
18 cost benefits that would result from implementing the
19 revised source term. And as you can see here, a lot
20 of licensees have opted to voluntarily implement the
21 revised source term. So far NRR has issued license
22 amendments for ten plants and seven more plants in
23 process right now for getting their license amendment.

24 VICE CHAIRMAN BONACA: Most of -- I mean
25 all of these applications have to do with the first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two phases, right?

2 MR. SCHAPEROW: That's correct. They have
3 to do with the first two phases.

4 VICE CHAIRMAN BONACA: The first two
5 phases. Okay. So just gap release and in-vessel.

6 MR. SCHAPEROW: And early in-vessel.

7 VICE CHAIRMAN BONACA: Early in-vessel.
8 Okay.

9 MR. SCHAPEROW: That's correct. The
10 approach we took to assess the applicability of the
11 revised source term for high burnup and MOX fuels
12 involved holding a series of Expert Panel meetings.
13 These meetings were held over the last six months, and
14 in these meetings, the Panel members were requested to
15 judge the applicability of each aspect of the revised
16 source term. If the Panel members judged a particular
17 aspect to not be applicable, then we would request of
18 them to propose an alternative. As part of this
19 effort, Panel members considered recent data from
20 international tests. They discussed physical
21 phenomena extensively that affect the source term and
22 for high burnup and MOX fuels. And also they did
23 quite a bit of work in the area of identifying and
24 prioritizing source term research.

25 MR. WALLIS: Was this a PIRT sort of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exercise?

2 MR. SCHAPEROW: We didn't go through the
3 PIRT process. We identified phenomena and ranked
4 them. It was an expert elicitation, but we did --
5 there were extensive discussions of physical phenomena
6 that would affect the source term for high burnup and
7 MOX.

8 This slides lists the Panel members and
9 the other main players in this research. And as the
10 Chairman mentioned, two of the ACRS members were
11 involved in this work.

12 MR. WALLIS: Kress is one of those
13 international consultants?

14 MR. LEITCH: Yes. He's from the country
15 of Tennessee.

16 (Laughter.)

17 MR. KRESS: I'm not supposed to say
18 anything. I've got a conflict of interest.

19 MR. SCHAPEROW: For the experts to assess
20 the applicability of the revised source term for high
21 burnup fuel, it was necessary to specify certain
22 parameters, such as how high of a burnup we are
23 talking about. This is the decision we made. We
24 decided to go ahead with a Panel assessment based on
25 a maximum assembly burnup of 75 gigawatt days per ton.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Currently, the maximum assembly burnup is on the order
2 of about 60 gigawatt days per ton. We also decided to
3 go ahead with the assessment based on a core average
4 burnup of about 50 gigawatt days per ton. For PWR,
5 the assessment was based on cladding made of Zirlo,
6 and for BWR, Zircaloy cladding.

7 And, finally, the assessment of fission
8 product release fractions, which is part of the
9 overall source term assessment, was based on a low
10 pressure scenario. Now, this minimizes RCS retention
11 and is the same approach that we took in developing
12 the original revised source term.

13 MR. SHACK: Explain to me the low pressure
14 scenario.

15 MR. SCHAPEROW: In a low pressure
16 scenario, such as, let's say, a two-inch break,
17 because the pressure is low, and in these scenarios is
18 a fairly direct release path to the environment.
19 There's no recirculation in the system to allow
20 deposition. For example, in a station blackout
21 scenario, the system sits there for a while with water
22 low in the vessel. And so the steam recirculates and
23 fission products deposit throughout the system but in
24 a low pressure scenario as a whole, and it just comes
25 out -- goes out of the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ROSEN: Low pressure refers to low
2 pressure in the containment.

3 MR. SCHAPEROW: No, low pressure in the
4 RCS.

5 MR. SHACK: So any LOCA would be a low
6 pressure scenario.

7 MR. SCHAPEROW: That's correct. Any LOCA
8 of a size --

9 MR. SHACK: A big one.

10 MR. SCHAPEROW: -- to open up a hole so
11 that the fission products could flow right out without
12 having to circulate through the system. A PORV type
13 of LOCA, where the PORV opens and closes, that would
14 basically keep the reactor's coolant system in tact,
15 and the steam would circulate the fission products and
16 it would deposit. So that would maximize deposition.
17 And the types of deposition we're talking about for a
18 low pressure scenario is about 50 percent of the
19 fission products released from the core and deposited
20 in the reactor coolant system. In a high pressure
21 scenario, it could be a lot higher.

22 MR. SHACK: For those first two stages,
23 you really do retain 50 percent of the stuff.

24 MR. SCHAPEROW: That's what we believe.
25 That's what the experts believe, excuse me. I was not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the Panel.

2 MR. WALLIS: Even a large-break LOCA you
3 deposit 50 percent of the stuff? It gets out of the
4 core and deposits somewhere else in the --

5 MR. SCHAPEROW: I believe so.

6 MR. WALLIS: Where does it go?

7 MR. SCHAPEROW: Well, there are structures
8 in the reactor, there's pipe -- mainly reactor
9 structures.

10 VICE CHAIRMAN BONACA: I think much is in
11 aerosols too, right, inside in some other structures?

12 MR. WALLIS: I think maybe 50 percent is
13 an expert guess between zero and 100.

14 MR. SCHAPEROW: Well, a lot of those
15 calculations were actually done quite a number of
16 years ago with a search and code package by Jim
17 Gieseke who's one of our Panel members. We had, I
18 think, about 30 cases that were run for five different
19 plant designs to look at deposition. We really didn't
20 tackle that subject much in these Expert Panel
21 meetings. We really did focus in on the fuel. That's
22 what we're really changing here. In one case, we're
23 letting the burnup go a lot higher; in the other case,
24 we're changing to a mixed oxide fuel.

25 VICE CHAIRMAN BONACA: But TMI also was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 good data point, right? And it was a high pressure
2 scenario. I mean it was a small break, TMI?

3 MR. TINKLER: TMI was characteristic of
4 those sequences where you would get more deposition --

5 MR. LEITCH: Charlie, identify yourself.

6 VICE CHAIRMAN BONACA: And I'm saying the
7 deposition inside was --

8 MR. TINKLER: Was quite high.

9 VICE CHAIRMAN BONACA: -- quite high. It
10 was higher than 50 percent.

11 MR. TINKLER: Jason, if I might, I might
12 point out that --

13 MR. LEITCH: Charlie, please identify
14 yourself.

15 MR. TINKLER: Charles Tinkler from RES
16 staff. There is some variability within large LOCAs.
17 The very largest LOCA, if it were a double-ended hot
18 leak break, for example, where it was a direct path
19 out of the vessel, you would get retentions of less
20 than 50 percent. But when this Panel considered large
21 LOCAs, all large LOCAs aren't double-ended hot leak
22 breaks. Cold leak breaks where the path is through
23 the steam generator or back up through the down-comer,
24 you get larger amounts of deposition. And not all
25 large LOCAs are double-end guillotine breaks. So I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it's true to say that the Panel considered LOCAs
2 as a general group and thought that the 50 percent was
3 reasonably --

4 MR. WALLIS: But if you had a hole in the
5 vessel head, I think most of it would come out.

6 MR. TINKLER: Which would be pretty close
7 to a double-ended hot leak nozzle rupture too, and
8 there wouldn't be a great deal. You might see
9 retentions in those cases of maybe ten, 20, maybe 25
10 percent, but, like I said, they're --

11 MR. KRESS: You have to keep in mind that
12 these are source terms to be used primarily with
13 design basis accidents. They're not to be used for
14 PRA for the whole sequence of accidents. And so you
15 ask yourself what should be in design basis space.
16 Then you go from there to --

17 VICE CHAIRMAN BONACA: No, 1465 actually
18 allows you to assess variations depending on the
19 scenarios you're addressing, right? I mean I read it
20 recently and it says that the licensees can propose --

21 MR. KRESS: If they want to justify some
22 different source term --

23 VICE CHAIRMAN BONACA: Exactly.

24 MR. KRESS: -- they can --

25 VICE CHAIRMAN BONACA: They can do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So there is a condition that the scenarios for the low
2 pressure used here is not all bounding, it just simply
3 is the most likely scenario you're looking at and
4 you're using it.

5 MR. SCHAPEROW: The low pressure scenarios
6 were found to be just as -- about as likely as the
7 high pressure scenarios.

8 VICE CHAIRMAN BONACA: Yes.

9 MR. SCHAPEROW: So in NUREG 1465, they
10 said, "Well, geez, in that case we're going to go with
11 the retention of the low pressure scenario, because
12 it's conservative."

13 VICE CHAIRMAN BONACA: It's conservative,
14 that's right.

15 MR. SCHAPEROW: They tilt it towards
16 conservatism.

17 VICE CHAIRMAN BONACA: But it doesn't
18 preclude the use of less conservative approach if you
19 can justify it.

20 MR. SCHAPEROW: That's correct. Actually,
21 I think the regulation in the Regulatory Guide speaks
22 directly to that.

23 VICE CHAIRMAN BONACA: Exactly that, yes.

24 MR. SCHAPEROW: Okay. This table, taken
25 directly from the Panel's draft report, shows the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Panel members' recommendations for a PWR. The first
2 row shows the recommendations for the durations of
3 each release phase. For example, the Panel
4 recommended a gap release phase duration of 0.4 hours
5 while the revised source term duration, in parentheses
6 next to it, is 0.5 hours. The Panel's release phase
7 duration recommendations are about the same, or
8 exactly the same in some cases, as the revised source
9 term.

10 In the cases where not all the experts
11 recommended the same value, the value recommended by
12 each expert was recorded. For example, in the second
13 row, the noble gas row, for the gap release you'll see
14 that there were four values listed there that are
15 ranging from 0.05 to 0.07. For the so-called volatile
16 groups, the noble gases, the halogens and the alkali
17 metals, the release fractions are about the same as
18 the revised source term.

19 MR. SHACK: Just out of curiosity, were
20 these differences from 1465 due strictly to the high
21 burnup fuel or were they revising 1465 on the fly too?

22 MR. SCHAPEROW: They thought about both
23 things, because we have recent test data. We've got
24 the French have run a fission product tests and the
25 Japanese have run a couple of fission product tests in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the last few weeks. And I'll go into that a little
2 bit. In the next slide, I go into a little more
3 detail what I thought were some of the main points
4 that the Panel raised.

5 VICE CHAIRMAN BONACA: In fact, it's an
6 important point. This is an important point you're
7 making, Bill. Probably that's the best -- biggest
8 lesson learned from the report is that 1465 may have
9 to be looked at.

10 MR. SHACK: See, I didn't have a chance to
11 read any of it, because --

12 VICE CHAIRMAN BONACA: Yes.

13 MR. SHACK: -- I've been off --

14 VICE CHAIRMAN BONACA: And I'm saying that
15 it's interesting that it went from eight groups in
16 1465 to 14 groups here.

17 MR. SCHAPEROW: Well, the experts believe
18 that we learned something. I think there was general
19 agreement that we could go ahead and break it further
20 down, because there is -- even into these groups,
21 these heavier groups, there is a range of -- I'm
22 sorry, originally we had noble metals group, but the
23 experts felt that the Molybdenum and Technetium
24 releases were a bit higher, and they felt that it
25 would be worthwhile this time to go ahead and break it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 down.

2 MR. WALLIS: It's interesting, when they
3 don't know, they like numbers like one percent or one
4 ten-thousandth.

5 (Laughter.)

6 I mean the number one or two appears an
7 awful lot.

8 MR. SCHAPEROW: Yes. Well, there is a lot
9 of uncertainty associated with the last three groups.
10 The last three groups are the ones which are generally
11 released in the smallest amounts. We haven't focused
12 on them in the past, and they generally -- I don't
13 think that they generally have a huge influence on
14 dose, but --

15 MR. WALLIS: There's no expert who has
16 some data and calculation and can say it's 0.00957 or
17 something like that?

18 MR. SHACK: I'm sure his computer will say
19 that.

20 MR. SCHAPEROW: Actually, in the original
21 revised source term, there was a question as to
22 whether we should specify more than one figure. And
23 we did actually go to two significant figures. For
24 example, the halogen release was 0.35, and they said
25 -- it was one of these a five but not a one or a two.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It was a 0.35 but not 0.33.

2 Now, this slide provides an overview of
3 the results of the Panel assessment for high burnup
4 fuel. Now, the Panel members generally expected the
5 physical and chemical forms to be applicable. Only
6 small changes in the release-phase duration and the
7 release fraction were expected as a result of going to
8 the burnups we talked about.

9 However, the Panel did identify some
10 issues that were based on recent tests that were
11 independent of burnup. The first issue was the
12 potential for enhanced Tellurium release, and I'll
13 talk about that in my next slide a little more. As I
14 just mentioned, there's also a continued uncertainty
15 in the releases of the heavier elements, the noble
16 metals, the Cerium and Lanthanum groups. Also, recent
17 data does suggest it may be worthwhile to subdivide
18 those three groups into additional groups.

19 Now, related issues, which the Panel
20 members discussed, which I'd like to talk about
21 briefly, were, as you heard about at this point, BWR
22 power uprates and BWR fuel design.

23 VICE CHAIRMAN BONACA: One point I would
24 like to make here is just simply this is very clear
25 for them to have -- there are lessons learned for 1465

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here, burnup-independent issues. The report doesn't
2 really speak so clearly about that, and I think you
3 want, at some point, to -- the report should say
4 something about 1465 because there are these changes
5 here and they're burnup independent. So it's left a
6 little bit with the open question when I was reading,
7 so what was going to happen to 1465? Is there some
8 lessons learned that is going to be communicated
9 within this report?

10 MR. SHACK: Fourteen sixty-five Rev 1.

11 VICE CHAIRMAN BONACA: Yes.

12 MR. SCHAPEROW: That's a reasonable idea,
13 I think.

14 VICE CHAIRMAN BONACA: The report doesn't
15 say, doesn't put it this clearly.

16 MR. SCHAPEROW: The report is just the
17 results of the expert elicitation.

18 VICE CHAIRMAN BONACA: Understand.

19 MR. SCHAPEROW: Exactly. And then the
20 research at NRR, I will -- when this is finished we
21 will -- we do have a number of comments in. We're
22 revising the report now.

23 VICE CHAIRMAN BONACA: Okay.

24 MR. SCHAPEROW: But that is a good point.
25 Now I'll talk a little bit about the Tellurium issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With regard to the Tellurium, the revised source term
2 specifies an early in-vessel release of Tellurium of
3 five percent. This is supported by Oak Ridge tests
4 performed a number of years ago indicating that
5 Tellurium gets sequestered in the tin, and the
6 Zircaloy cladding is not released until a high
7 fraction of the cladding is oxidized. And by high
8 fraction, we're talking numbers about 90, 95 percent
9 cladding oxidation.

10 MR. WALLIS: What do you mean by "gets
11 sequestered?"

12 MR. SCHAPEROW: It's get bound up, bound
13 up with the tin.

14 MR. WALLIS: It gets bound up during the
15 accident or --

16 MR. KRESS: Tin Telluride tries to escape
17 its way through the cladding.

18 MR. WALLIS: As it tries to escape it gets
19 caught?

20 MR. KRESS: Yes.

21 MR. WALLIS: Things aren't happening too
22 quickly for that?

23 MR. KRESS: This, of course, is a
24 speculation because the Tellurium was found associated
25 with the tin in the clad in tests at Oak Ridge, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they didn't get a lot of release of the Tellurium
2 which was a surprise because Tellurium is very
3 volatile. So it's a speculation because it was found
4 associated where the tin was, but there was never any
5 determination that it was Tin Telluride.

6 MR. WALLIS: You'd think if things are
7 happening quickly, it would just escape, it wouldn't
8 have enough time to get caught up with the tin.

9 MR. KRESS: Well, the reaction could go
10 pretty fast, but these things aren't as fast as you
11 might think, these transients.

12 VICE CHAIRMAN BONACA: Yes.

13 MR. WALLIS: It's a diffusion process.

14 MR. SHACK: Now, would the tendency in
15 modern clads to go lower tin change this at all or are
16 is there still so much tin?

17 MR. SCHAPEROW: That's one point the Panel
18 raised. They said, "Well, we think we need -- we'll
19 probably need some more research. We may need to run
20 some tests with -- some source term tests with
21 cladding that doesn't have tin in it." This is the M5
22 cladding if I'm not mistaken.

23 MR. SHACK: Well, even modern Zircaloy the
24 tin goes with that.

25 MR. SCHAPEROW: There are some more recent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tests that have been conducted in France that indicate
2 that the Celerium release could be larger, could be
3 somewhere to that iodine, on the order of about 30
4 percent. And so this was a contentious issue among
5 Panel members. We spent quite a bit of time
6 discussing this to see if we could get any sort of --
7 if any of the Panel members might agree on this, and
8 the answer was no.

9 MR. ROSEN: You've got two of your own
10 Panel members to get agreement.

11 MR. SCHAPEROW: Well, this was not a
12 consensus process, but we did want them to discuss it
13 amongst themselves to try to flesh out the issues.

14 MR. SHACK: Well, except for early in-
15 vessel, there was one rugged holdout. Everybody
16 seemed to line up.

17 VICE CHAIRMAN BONACA: I think even more
18 striking is the fact that over the four phases you're
19 showing a release of 95 percent, practically all
20 Tellurium being released, while in the original, in
21 1465, it's only about 25 percent. So that's another
22 big issue that says what's -- because some of the
23 processes by which you see the differences, like for
24 example, late in-vessel has to do with oxygen entry,
25 but that's true also for low-enriched fuel. I mean

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you have -- in the phase of the accident, you have
2 integration and you have oxygen coming in. So there
3 is a big discrepancy there which is even larger than
4 the five percent to 30 percent. It's really 25
5 percent to 100 percent that has to be reconciled.

6 MR. SCHAPEROW: This issue was raised when
7 we originally developed the revised source term. If
8 you look back at the old document, we had a draft of
9 NUREG-1465 ion 1992, and three years later we had a
10 final, and the Celerium release went down. I think,
11 if I recall, it was 15 percent in the draft, and it
12 went down to five percent in the final. So this issue
13 has been hanging around for a little while, but it's
14 been brought to the forefront, as I said, by some of
15 these more recent tests that were conducted in France.

16 MR. WALLIS: What's the effect of higher
17 burnup? Is it that the fuel is more porous or
18 something?

19 MR. SCHAPEROW: Break sizes go down,
20 fission products inside the pellets.

21 MR. WALLIS: So you'd expect more release,
22 generally?

23 MR. SCHAPEROW: Earlier, earlier. For the
24 volatiles, earlier. For the volatiles, things get out
25 anyway in either case, so we expect to kind of shift

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things. The gap release phase, which ends when the
2 pellets start releasing fission products, so the gap
3 release ends a little earlier for the high burnup
4 fuel.

5 I don't think I quite finished this slide.
6 I wanted to mention for the BWRs the Panel members
7 pretty much stuck with Tellurium release in the
8 revised source term. They felt that the Zircaloy fuel
9 channels would tend to limit cladding oxidation. Now,
10 this wasn't a fuel that had Zircaloy cladding, so
11 there was tin, and you also had the Zircaloy fuel
12 channels to limit the oxidation, because the release
13 doesn't occur until the oxidation gets pretty high.

14 There are two other source term issues
15 related to high burnup that I would like to mention.
16 One is power uprates for BWRs. We had one -- one of
17 our experts said he didn't think we should change
18 anything, he thinks it's okay the way it is, no basis
19 for significant effect. However, at least one other
20 expert said they thought things would be changed, they
21 thought that that flux-profile flattening associated
22 with the power uprates could increase the releases for
23 the outer assemblies.

24 The second issue I'd like to mention
25 involves BWR. Our NUREG-1465 specifies actually two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different source terms: One for BWR and one for PWR.
2 However, the Panel members noted that the
3 characteristics of the more recent BWR fuel rod
4 designs are closer to the PWR fuel rod
5 characteristics. The BWR rods have smaller pellet
6 diameters and thinner clads. So the Panel felt that
7 similar rod designs would tend to result in similar
8 source terms and tending to maybe not be such a big
9 difference between a BWR and a PWR source term.

10 The Panel also assessed the applicability
11 of the revised source term for MOX fuel. This slides
12 gives the condition that we used for our expert
13 elicitation. We assumed that we're using MOX in a
14 PWR, which is consistent with what has been proposed
15 by Duke, Cogema, Stone & Webster, and that the MOX is
16 distributed fairly uniformly throughout the core.
17 That's what I mean by about half of the core. It's
18 not just all bunched up around the outside or bunched
19 up in the middle.

20 The typical MOX assembly burnup, and this
21 is meant to represent sort of a maximum, this 42
22 gigawatt days per ton, the assessment was based on M5
23 cladding and, again, a low pressure scenario for
24 assessing RCS retention.

25 MR. SHACK: Now that's a much higher level

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of MOX than DOE's proposing to use.

2 MR. SCHAPEROW: That's correct. They're
3 proposing I think it was a maximum of 40. The point
4 here was just to say that it's basically throughout
5 the core, and it's going to experience the same
6 temperatures that the rest of the core would. It sees
7 the same thermal accident, the same heat-up as all the
8 other assemblies.

9 VICE CHAIRMAN BONACA: For that
10 information on MOX, I mean a lot of the elicitation
11 ended up with N/As because there is not sufficient
12 information to make -- oh, you have that. Okay.

13 MR. SCHAPEROW: Next slide. This slide
14 provides an overview of the results of the Panel
15 assessment for MOX. Again, physical/chemical forms
16 were not expected to be an issue. The release-phase
17 duration and the more volatile releases -- noble
18 gases, iodine, Cesium -- were expected to be about the
19 same. Same Tellurium issue as for high burnup fuel.
20 Some experts felt that we would have a higher
21 Tellurium release.

22 One difference, as Mario just pointed out,
23 from the assessment for high burnup fuel is that in
24 this case, for MOX, some of the experts did not
25 recognize release fractions for some of the groups.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In particular, the Barium group on down to the
2 Lanthanum group. And we don't have data, that's the
3 problem. Right now the only data that at least the
4 Panel had available was a test result for Cesium, and
5 the French chose not to show a scale on the y-axis.
6 They wanted to -- they're not ready to give us that
7 information yet, I guess, for whatever reason.

8 VICE CHAIRMAN BONACA: They don't know.

9 (Laughter.)

10 MR. KRESS: The y-axis was the fission
11 product release fraction.

12 MR. SCHAPEROW: I'm sorry. Thanks, Tom.
13 I just blocked out data. We generally assumed that
14 the top of the axis was a one, because it was Cesium,
15 and we have some idea that Cesium is pretty -- would
16 come out under those conditions.

17 The Panel also considered what source term
18 research is needed to complete the Panel
19 recommendations, particularly in MOX, and to confirm
20 the other Panel recommendations, the high burnup and
21 MOX source terms. In this slide, I've tried to list
22 -- I've listed the Panel members' recommendations for
23 the highest priority research.

24 MR. WALLIS: Isn't the most important
25 thing to get some data? Isn't that the most important

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing when you have almost no facts to go on? It's
2 all expert judgment.

3 MR. SCHAPEROW: I think that's -- four of
4 the five research items here are data. The top one is
5 that we have a little bit of recent data which we're
6 validating against right now, the PHEBUS experiments
7 in particular. We've got some calculations with our
8 severe accident codes. The other four are data.

9 One issue is the air ingress issue, which
10 needs to be addressed at some point.

11 VICE CHAIRMAN BONACA: The French are
12 doing a lot of work on fuel. I understand we are not
13 participating in some of them.

14 MR. SCHAPEROW: In the severe accident
15 source term area, they have two programs ongoing: the
16 PHEBUS program, which we are participating in and we
17 do have some data from. The other one is the VERCORS
18 --

19 VICE CHAIRMAN BONACA: That's right.

20 MR. SCHAPEROW: -- source term tests,
21 which are based on the Oak Ridge source term tests.
22 I understand that they had requested some of our
23 experts to come over and help them get started, and
24 those are the ones that we haven't gotten the data
25 from. We've asked for it and we're working with them,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 but --

2 VICE CHAIRMAN BONACA: We will get the
3 data from them.

4 MR. SCHAPEROW: Pardon?

5 VICE CHAIRMAN BONACA: We will get the
6 data.

7 MR. WALLIS: Do they have several results
8 of VERCORS or is it so complicated that they just run
9 a couple of tests and that's it?

10 MR. SCHAPEROW: Oh, VERCORS is a small-
11 scale test on the order of a few pellets.

12 MR. WALLIS: They do a lot of tests,
13 different issues?

14 MR. SCHAPEROW: A few of them, maybe three
15 a year.

16 MR. WALLIS: Three a year.

17 MR. SCHAPEROW: Basically, a take off from
18 what we had done at Oak Ridge.

19 MR. WALLIS: How do they get high burnup
20 fuel?

21 MR. SCHAPEROW: I assume they either get
22 it from a test reactor or maybe a lead test assembly.
23 I'm not sure.

24 MR. KRESS: Some of its BR3 fuel, which is
25 -- some of it was high burnup. They've tested up to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 65 gigawatt days per metric ton. So they weren't
2 going to get it out of old reactors.

3 MR. WALLIS: Well, I think it would be
4 great if you could go beyond this and sort of lay out
5 what needs to be learned and what needs to be done to
6 learn it in a more specific, detailed way. I mean is
7 a few tests going to do the job or not, and do you
8 need ten times as many tests over a bigger range or
9 whatever? Would someone lay out what are the
10 requirements for knowledge here and what needs to be
11 done to get it?

12 MR. SCHAPEROW: Well, we are thinking
13 about that, and it's going to depend on what burnup
14 levels people want to go to, for one thing. So it's
15 going to be application-dependent in the end. We
16 thought about having some sort of a larger plan, but
17 in the end it's --

18 MR. WALLIS: Isn't the time for thinking
19 about it over and the time to do something here?

20 MR. KRESS: These are kind of expensive
21 tests.

22 MR. WALLIS: Yes. But we're going to be
23 having high burnup fuel and MOX fuel and decisions
24 have to be made about it, so we need to know.

25 MR. KRESS: But I think the idea was to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leverage as much you can with these tests that have
2 already been run and are continuing to be run.

3 MR. WALLIS: Otherwise you will be letting
4 people do things and establishing criteria afterwards.

5 MR. KRESS: Well, we pretty much know what
6 needs to be done.

7 MR. POWERS: Tom, I don't know why you're
8 so concerned. I understand that high burnup fuel is
9 irrelevant to regulatory decisions.

10 MR. KRESS: That's the next presentation
11 after lunch. That doesn't have anything to do with
12 this presentation.

13 MR. WALLIS: It's high priority research
14 but it's unnecessary, is that it? It's irrelevant.

15 MR. SIEBER: Irrelevant.

16 MR. KRESS: That's the next presentation.

17 MR. SCHAPEROW: Finally, a brief status.
18 We got comments from the Panel members on the draft
19 Panel report, and we've got a bit of work to do to
20 revise it and get the thing into final form. We do
21 plan to issue a final report by June. And as we just
22 discussed, our feeling is that the results of the
23 assessment will be used to help address reactor safety
24 issues as they arise for most applications for high
25 burnup MOX fuel, which we anticipate will be used for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 severance and risk assessment and other applications,
2 such as the ongoing vulnerability assessment. That
3 concludes my presentation.

4 MR. SIEBER: It seems to me that when you
5 try to redefine the source term for existing plants,
6 whether it's high burnup or MOX fuel, that the TID-
7 14844 source term was so severe that it would envelope
8 anything you would come up with since, right?

9 MR. SCHAPEROW: Well, actually, not every
10 aspect. Now, the chemical form, the physical/chemical
11 form, the vapor does tend to envelope things. The
12 timing not necessarily. The timing -- having
13 instantaneous release can cause you to do a lot of
14 things you really shouldn't be doing.

15 MR. SIEBER: Yes.

16 MR. SCHAPEROW: And also on the release
17 magnitudes, that was more of a judgment call, the 50
18 percent iodine release.

19 MR. KRESS: Actually, the TID-14844
20 reduced that to 25 percent.

21 MR. SCHAPEROW: That's correct.

22 MR. KRESS: So these are actually a little
23 more severe going into containment.

24 MR. SCHAPEROW: These are 30 and 40
25 percent for B and a P.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: But also there's little
2 consideration of gap release in TID-14844 either.

3 MR. SIEBER: Would this have some generic
4 impact on the things like controlling dose?

5 MR. KRESS: Yes. In general, the new
6 source terms are a little less severe in terms of
7 things you have to do in dose in the TID-14844. So
8 you're right.

9 MR. SIEBER: Okay.

10 VICE CHAIRMAN BONACA: I think for the
11 purpose of the report, which is the one addressing
12 burnup, I think it's very complete. Again, my only
13 suggestion would be although you don't want to address
14 1465 but to state very clearly that what you wrote in
15 that Slide Number 10, that a number of those lessons
16 learned are not independent, because that message then
17 will be taken once the report is issued, and it will
18 have to be evaluated, I think, to see if changes to
19 1465 should be implemented.

20 MR. KRESS: Yes. I think the Tellurium in
21 particular is significant, because it has -- there's
22 a lot of it in there, and it has high biological
23 effect.

24 VICE CHAIRMAN BONACA: And it goes to
25 iodine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Yes, it goes to iodine. And
2 it may go to it in a way that makes it vapor instead
3 aerosol.

4 VICE CHAIRMAN BONACA: Okay. Any
5 additional questions for Mr. Schaperow? You're not
6 expecting a report from the CRS at this stage.

7 MR. SCHAPEROW: No. This is only for the
8 Committee's information.

9 VICE CHAIRMAN BONACA: Okay.

10 MR. SCHAPEROW: Only for your information.
11 We'll let you know of some of the fine research people
12 we have going on in the Research Office.

13 VICE CHAIRMAN BONACA: All right. If
14 there are no additional questions, then thank you very
15 much for the presentation, and the meeting is
16 recessed. We'll reconvene at ten minutes of one.

17 (Whereupon, the foregoing matter went off
18 the record at 11:50 a.m. and went back on
19 the record at 12:50 p.m.)
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

12:50 p.m.

VICE CHAIRMAN BONACA: Back to order.

This is going to be a presentation on high burnup fuel research and regulatory issues. Dr. Kress?

MR. KRESS: Thank you. I don't have a lot of introductory remarks. The Committee might recall that there was an exchange of letters to the places that high burnup fuel research. Probably not needed and we wrote a letter asking for some clarification for that position, and I think this is a briefing to tell us what's been going on in that area and to fill us in. And I guess with that, I'll turn it over to one of the two Ralph's.

MR. CARUSO: This is Ralph Caruso. I'm going to start the briefing this afternoon, and Dr. Meyer is going to finish it. I'd like to open my presentation by, first of all, acknowledging that the letter that we sent -- it was sent from Sam Collins to Donnie back in January of this year. It included some wording that we do consider to be unfortunate. The use of the word, "irrelevant," was probably not advisable. The Office of Nuclear Reactor Regulation does consider that the work that's done by research is valuable, and we do support it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Notwithstanding that observation, there
2 are different types of research that are done in the
3 Office of Research. There is research that is
4 requested by the various offices, there is
5 confirmatory research, there is anticipatory research,
6 and we're here today to talk to you about one aspect
7 of the high burnup fuel research program. Actually,
8 I'm going to give you a little bit of an overview,
9 some background on high burnup fuel. Dr. Meyer is
10 going to talk to you about the program itself. I'm
11 going to give you a little bit of history, and I'm
12 going to talk about the 280 calorie per gram limit and
13 where we stand on that particular aspect of that in
14 regulatory space.

15 MR. POWERS: How about the 180 calorie
16 gram per limit?

17 MR. CARUSO: I get into that as part of
18 this -- 170.

19 MR. POWERS: Hundred and seventy.

20 MR. CARUSO: I'd like to start with the
21 first slide, which is background about -- an NRC user
22 need request was sent to the Office of Research in
23 1993. At this time, the Agency was receiving a number
24 of requests from the vendors to increase burnup
25 limits, to go from numbers that were in the 30s and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the 40s at that time, up to about 60 or 62. And NRR
2 at that time decided to send a user need request to
3 Research to update a number of different regulatory
4 tools.

5 One of them was the NRC fuel performance
6 models. These are included in various computer codes
7 that are used by the Agency to perform independent
8 calculations of fuel behavior. In addition, there was
9 a request to revise some models for stored energy
10 during LOCAS and evaluate the impact of these models
11 on LOCA analyses.

12 We also requested research to reevaluate
13 some of the fuel failure thresholds that are used for
14 normal operations and RIAs. This is the 280 calorie
15 per gram limit and the associated 170 calorie per gram
16 limit that I'm going to talk about later on.

17 Nineteen ninety-six, after a bit of work
18 had been done by the Office of Research, a Commission
19 memorandum was sent that talked about some low
20 enthalpy fuel failures that occurred in some research
21 reactors. And it talked about a new complete rod
22 insertion issue that was becoming evident in a number
23 of operating plants.

24 In 1997, we sent another Commission
25 memorandum talking more about the regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guidelines and licensing criteria for high burnup
2 fuel, talking about high enrichment, because at that
3 time there was some evidence that some licensees and
4 vendors might want to go to high enrichment. And we
5 were also talking about spent fuel issues, because the
6 higher burnup fuel is causing some difficulties with
7 storage and transportation.

8 In 1997, Research issued a research
9 information letter. This RIL, as it's called,
10 proposed some changes to the RAA criteria that were
11 used -- that were, and still are, contained in Reg
12 Guide 1.77 and in the Standard Review Plan, Section
13 4.2. The RIL discussed the history of some tests at
14 some test facilities -- CABRI and NSRR. And discussed
15 how the criteria could be changed in order to
16 accommodate this data.

17 Eventually, the Agency put together a
18 program plan in 1998 that included these revised
19 interim proposed limits, and laid out a larger program
20 for the Office of Research to perform confirmatory
21 research to verify and validate a number of fuel
22 performance models, computer codes and fuel
23 performance data. It also looked at transportation,
24 dry storage, source term, whole bunch of issues.

25 This program plan made it clear that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 body of the plan that the NRC Research would be done
2 to confirm material properties and fuel behavior for
3 burnups up to 62 gigawatt days per metric ton. The
4 body of the report -- the body of the memorandum
5 stressed that it would be the industry responsibility
6 to develop the criteria -- I'm sorry, excuse me. For
7 the criteria that they don't -- and the models for
8 burnup higher than 63 --

9 MR. WALLIS: Excuse me, Ralph. What was
10 actually the burnup which was being achieved in
11 reactors at that time?

12 MR. CARUSO: Let's see, in 1998, we had
13 already licensed at that point most of the fuel to 62.

14 MR. WALLIS: And then you were doing
15 confirmatory research to check that --

16 MR. CARUSO: Yes.

17 MR. WALLIS: -- you'd done the right
18 thing.

19 MR. CARUSO: That was the intent of the
20 Agency high burnup plan at that time, to do
21 confirmatory research to verify that. The decisions
22 that have been made were valid. The attachment to
23 this Agency burnup plan also included some statements
24 about how research might cooperate with the industry
25 in doing the testing and gathering some data for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 burnups above 62.

2 MR. WALLIS: Just remind me, when you say
3 gigawatt days per metric ton or uranium? That means
4 all of the uranium?

5 MR. CARUSO: Okay. This is the value
6 that's used, and this is -- you have to be careful
7 about how you use it. This is a peak rod average
8 value.

9 MR. WALLIS: This is for all the uranium?

10 MR. CARUSO: For the peak rod average
11 burnup shall not exceed 62 gigawatt days per metric
12 ton. If you look at each rod and you look at the peak
13 rod average, you take the burnup over the entire rod
14 and you average it so that you have an average number
15 for the rod.

16 MR. WALLIS: Yes.

17 MR. CARUSO: The peak rod in any core
18 should not exceed 62 gigawatt days per metric ton.

19 MR. WALLIS: That's Uranium 238 is mostly
20 what --

21 MR. CARUSO: Metric ton -- MTU, metric ton
22 of heavy metal.

23 MR. WALLIS: So when you change -- there's
24 nothing here which says what's the effect of changing
25 in Richmond or more plutonium or anything like that at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all.

2 MR. CARUSO: No, no, no.

3 MR. POWERS: How was 62 selected.

4 MR. CARUSO: Sixty-two -- you're going to
5 ask me why. This is getting back into history before
6 my time, so I'd have to reconstruct it. I don't
7 honestly know, because I wasn't involved in the
8 cutoff. It's my understanding that the industry tried
9 to push beyond 62, and the Agency said, "No. This is
10 as far as we're willing to extrapolate the data at
11 this point." And a conscious decision was made
12 sometime in the '90s to stop at 62 until data was
13 available.

14 The RAI regulatory criteria. They come
15 from GDC. Their origins are in GDC 28, and I've
16 quoted it here. As you see, the criteria are pretty
17 general GDC 28. They're not allowed to have a
18 reactivity increase that would result in damage to the
19 reactor coolant boundary greater than limited local
20 yielding or sufficiently disturb the core at
21 supporting structures or other reactor coolant
22 pressure vessel internals to impair significantly the
23 capability to cool the core. That's the mother
24 document for determining RAI criteria.

25 MR. WALLIS: What does limited local

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yielding mean?

2 MR. CARUSO: That's the question of that
3 ages. That's difficult to determine. So as a result,
4 there are couple of surrogate acceptance criteria that
5 are used. We have a Standard Review Plan, Section
6 4.2, that talks about coolable geometry. I want to
7 get this first. It defines coolable geometry as,
8 "Retaining a rod bundle geometry with adequate coolant
9 channels to permit removal of decay heat." That
10 addresses the second part of GDC 28.

11 The first part of GDC 28 is addressed by
12 limiting the fragmentation and dispersal of molten
13 fuel from inside the cladding into the reactor coolant
14 system. And because it's very difficult to calculate
15 the damage to the reactor coolant pressure boundary
16 limited to local yielding, we use this surrogate of
17 making sure that you do not have a violent core
18 coolant interaction event. And the way we do that,
19 the way that it has been done in the past is by
20 limiting the average radial enthalpy limit of 280
21 calories per gram during an RIA. The calculation is
22 done by the vendors of a hypothetical RIA, and it's
23 almost always a rod ejection accident. And they
24 verify that the average enthalpy does not exceed this
25 280 calorie per gram limit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And this 280 calorie per gram limit was
2 based on some experiments that were done in the SPIRT
3 facility back in the '60s, '70s, where they observed
4 that if you got enthalpies up in the 300, 325, 350
5 range, you got a very violent expulsion of molten fuel
6 and you got a very strong pressure pulse, and it was
7 thought that 280 calories per gram would provide
8 enough margin so that we didn't have to worry about
9 that.

10 MR. KRESS: Those expert tests were done
11 with what burnup?

12 MR. CARUSO: They were done with pressure
13 or low burnup. We did a relatively low burnup fuel.

14 MR. WALLIS: Doesn't this depend on the
15 fuel design? Haven't fuels changed since that time?

16 MR. CARUSO: The fuels have changed, but
17 they're still basically uranium oxide. And the
18 concern that really arose was molten fuel. You're
19 talking about does the uranium oxide melt, and do you
20 have an interaction, a steam explosion of molten UO₂
21 and water? So although the fuel designs have changed,
22 the fundamental phenomenon really is the same. You're
23 trying to prevent a steam explosion, and the thinking
24 is that if you prevent a steam explosion, therefore
25 you won't have to calculate the pressure pulse, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 therefore you won't have to calculate the building of
2 the reactor coolant pressure boundary.

3 MR. KRESS: And the 280 calories per gram
4 was sufficient -- insufficient to raise the
5 temperature to melt a certain fuel?

6 MR. CARUSO: To melt it, right. That's
7 what was thought at the time. Since then it appears
8 that the melting enthalpy may be somewhere around 260?
9 So this number may not be demonstrably not
10 conservative anymore.

11 MR. WALLIS: There's nothing here about
12 burnup.

13 MR. CARUSO: That's correct.

14 MR. WALLIS: And, presumably, with a lot
15 of burnup the fuel is more likely to --

16 MR. CARUSO: I'll get to that. Well,
17 we'll talk about that.

18 So with that as a background, we look at
19 what came out of the CABRI and NSRR tests. The CABRI
20 and NSRR tests showed that fuel could fail at much
21 lower energies than 280 calories per gram. The SRP
22 actually contains a secondary failure criteria of 170
23 calories per gram. The 170 calorie per gram number is
24 used to determine when dose calculations need to be
25 done. There's a two-step regulatory process here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The licensee is required to assure that the fuel will
2 not melt and be released into the reactor coolant
3 system. That's what the 280 calorie per gram number
4 is.

5 And then if they calculate that some of
6 the fuel exceeds 170 calories per gram, they're
7 required to calculate for those pins which exceed the
8 170 calorie per gram limit what the dose would be, the
9 release from the fuel of the fission products and then
10 the release through the reactor coolant system and out
11 through any holes in the reactor coolant system and
12 out through the containment to members of the public.
13 And the standard for that is that that release should
14 not exceed a small fraction of the 10 CFR Part 100
15 limits. That's what the 170 calorie per gram limit
16 is. It's a no-fuel failure limit, but it's not
17 actually a limit, it's just a point at which you
18 decide to do a dose calculation, not a limit per se.

19 Now, we had this experience at CABRI and
20 NSRR where the fuel failed at low enthalpies. There
21 are problems with those tests, though. The NSRR tests
22 were done at room temperature, low pressure. The
23 CABRI tests were done in sodium. You can make scaling
24 arguments, but there were problems with the amount of
25 corrosion on some of the rods. In some of the tests,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there were --

2 MR. POWERS: Can you tell what you mean by
3 problems?

4 MR. CARUSO: Well, some of the rods that
5 failed had much higher levels of corrosion than we
6 really expect to see inside an operating PWR. There
7 were some rods that had spalled fuel.

8 MR. POWERS: But these rods came from
9 operating reactors.

10 MR. CARUSO: They might have come from
11 operating reactors, but they also might have been
12 preconditioned. There were questions about them.
13 That's not really important at this point, okay,
14 because we know they --

15 MR. POWERS: But it's important enough to
16 put on the viewgraph.

17 MR. CARUSO: Well, I wanted to make it
18 clear that there were atypicalities about these tests.

19 MR. POWERS: I guess I'm struggling to
20 understand what's atypical.

21 MR. CARUSO: Well, had to do, for one
22 thing, the corrosion, the fact that they were in --
23 the tests were done in sodium or at low temperatures.

24 MR. WALLIS: Well, the obvious question
25 now is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ELTAWILA: Dana, this is Farouk
2 Eltawila from Research. I think the issue, and Ralph
3 can correct me, is that the oxidation and spoilation
4 it might be typical of what you have in nuclear power
5 plant, but during the conditioning of the specimen for
6 the test, they oriented all the hydride in the same
7 direction. So with that small pulse, it will fail.
8 And this preconditioning does what's typical, which is
9 not defeat itself.

10 MR. MEYER: Could I clarify this? The
11 concern about preconditioning, and you can call it
12 fabrication of the specimen from a fuel rod and
13 preconditioning, the concern has only been expressed
14 about one test rod, the one indicated up there from
15 CABRI, Rep NA1.

16 MR. POWERS: Well, let me express a
17 concern about all the others.

18 MR. MEYER: Okay.

19 MR. POWERS: You have a fuel rod that
20 you've selected in some way to extract a specimen
21 from, and all these tests are done with not full fuel
22 rods but some sections, so somebody has to cut it out.
23 When you send that to a lab operator and say, "Cut me
24 out a section or a particular length," that section is
25 not randomly selected; in fact, the operator operates

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 considerably on his own to do that. Would an operator
2 in a hot cell facility with production quotas on him
3 select a section of the rod that is as pristine as
4 possible to enhance his chances of getting a
5 successful cut?

6 MR. CARUSO: Yes. Of course that could be
7 done, but that's not what is done. In fact, what we
8 have found is that for the PWR fuel that there's a
9 fairly monotonic increase in the corrosion from the
10 bottom to the top, and the grid span next to the top
11 has, if not the highest level of corrosion, almost the
12 highest level of corrosion, and it also has a uniform
13 burnup over that span. And we typically will select
14 that span because it represents the worst condition in
15 the rod.

16 We have in three cases tested an upper
17 grid span and a mid grid span with considerably less
18 corrosion and done comparative tests three different
19 times, once in CABRI and twice in NSRR. And in those
20 three cases -- in all three cases, the rods from the
21 upper grid span experienced cladding failure, and the
22 ones from the lower grid span did not. So this is a
23 way that we can study the dependence of this on the
24 oxide quantity.

25 MR. WALLIS: Then the real question for me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is you have some tests in SPIRT, you have some of
2 these tests, some of which you seem to cast doubt upon
3 from CABRI and NSRR. What is the status of knowledge
4 based on factual information from tests, the tests
5 achieved here?

6 MR. CARUSO: Well, the distillation of the
7 knowledge from those tests came out in RIL 174. At
8 that time, the RIL 174 made a recommendation to change
9 the acceptance criteria for RIAs that were in Reg
10 Guide 1.77 and in the Standard Review Plan, as
11 described on this page here. Oxide spalling would not
12 be allowed. Spallation was not good because it
13 creates weak spots in the fuel. Cladding failure
14 limit, the 170 calorie per gram limit, would drop to
15 100 calories per gram. And the coolability limit
16 would change from -- well, right now it's at 280
17 calories per gram with no burnup limit. It would
18 change to be 280 calories per gram for burnups less
19 than 30,000 megawatt days per metric ton or for
20 burnups greater than 30 gigawatt days per metric ton,
21 the criteria would be no cladding failure, i.e. 100
22 calories per gram. Also, is it the RIL or the -- I'm
23 not sure if it was the RIL or the Agency program plan
24 which noted that the 280 calories per gram number
25 might be reduced to 230 because of the evidence --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WALLIS: I guess you're describing a
2 regulatory action. I don't know what this 100
3 calories per gram is based on. It may be based on the
4 fact that you had a very poor basis for
5 decisionmaking, so you did something very
6 conservative. Or it may be based on tremendously good
7 experimental basis, which may have drove you to a 100
8 calories per gram.

9 MR. CARUSO: Ralph has the paintbrush
10 slide here, which is -- we call it the paintbrush
11 slide.

12 MR. WALLIS: My impression is there's a
13 very small test basis for this decision.

14 MR. MEYER: There is a fairly small
15 database, and unfortunately when I grabbed this slide,
16 I didn't get the latest version of it, so there are
17 some missing points.

18 MR. ROSEN: Slide it over a bit so we can
19 see the --

20 MR. WALLIS: At least there's a scale on
21 the y-axis.

22 MR. ROSEN: That's right.

23 MR. MEYER: Yes, there's a scale on the
24 axis.

25 MR. ROSEN: It should have a scale on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right.

2 MR. CARUSO: The numbers in the circles
3 correspond to tables in a publication. And it's a
4 paper that we wrote. And the indicators outside of
5 circles correspond to tests that have been done since
6 that paper was published. And there are some data
7 that are not on here. I know this will be
8 unsatisfying to people who collect good data. It is
9 all we have to go on, and so we resort to drawing our
10 lines with broad brushes. We have a better
11 understanding now than we had in 1977. I can tell you
12 something about the personality of each of these data
13 points and the pulse with the test temperature and
14 other things that we believe would make the points
15 either move up or down if you were able to normalize
16 this to a set of appropriate conditions.

17 The bottom line is once you get away from
18 uneradiated material, a new damage mechanism comes in,
19 and it is a mechanical interaction from the expansion
20 of the pellet pushing against the cladding which has
21 lost some of its ductility. And we plot this
22 typically -- we do, not everybody in the world does --
23 but we plot it as a function of corrosion in some
24 measure here, the oxide thickness, because it appears
25 that the oxidation on the rod gives a stronger

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 dependence than the actual burnup.

2 MR. POWERS: Well, if we move to clads
3 that are less corroded --

4 MR. MEYER: Yes.

5 MR. POWERS: -- in the reactor, but they
6 still harden in the course of irradiation, what do you
7 change that outside thickness to?

8 MR. MEYER: The irradiation hardening,
9 we've always thought that the irradiation hardening
10 hits a stable point very early, about ten gigawatt
11 days per ton, and you get some equilibrium where
12 you're annealing it as fast as you're putting it in.
13 And it doesn't seem to be as important as the
14 embrittlement that comes principally from the hydrogen
15 that's absorbed when you oxidize the cladding and
16 steam. So it's really -- there are two major
17 variables, burnup and -- or you could say fluency and
18 oxidation. We have simplified for this plot and may
19 simplify it in application, because I don't think
20 we're going to be able to resolve the dependence on
21 the set of variables.

22 MR. KRESS: If I look at that curve,
23 Ralph, and look at things above 40 on the oxide
24 thickness--

25 MR. MEYER: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: -- it looks like in order to
2 envelope those black dots, you need a much lower
3 value.

4 MR. WALLIS: Everything fails pretty much.

5 MR. MEYER: That's right. And,
6 unfortunately, the points that have not been put on
7 this add two more right down there in that cluster.

8 MR. KRESS: Black dots.

9 MR. MEYER: Black dots. Now, here's where
10 you have to start looking at the test conditions,
11 because those are all tests in NSRR. They're tests at
12 room temperature, and the accident of interest is a
13 hot zero power accident. That's the worst one, the
14 one we look at. And so the temperature should be
15 almost 300 degrees centigrade, 285, 300 degrees.

16 MR. KRESS: Which makes the clad more
17 ductile.

18 MR. MEYER: Which makes the clad more
19 ductile. In addition to that, there are different
20 pulse widths between these facilities. The JAERI
21 facility has a very narrow pulse of about four and a
22 half milliseconds, and the CABRI has a normal pulse of
23 about nine and a half milliseconds, but they have
24 artificially broadened it to as high as 80
25 milliseconds in some tests. And this affects the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature of the cladding during this rapid period,
2 the temperature of the cladding at the time that the
3 stress is applied.

4 MR. KRESS: It doesn't have time to get
5 the heat from inside to the clad.

6 MR. MEYER: Right. So if you imagine
7 adjustments to all of those, you take the JAERI points
8 and you push them up. And so we intentionally drew
9 our line above some of the points from NSRR.

10 MR. ROSEN: This pulse was compared to
11 what in the real case? Between four and a half and
12 nine is what your test facilities have shown. In the
13 real case, what should they be if we were actually
14 trying to --

15 MR. MEYER: That's a very interesting
16 question, because for years we all thought that
17 typical pulse widths that an LWR would produce in an
18 accident like this was 30 to 50 milliseconds, and in
19 fact last summer I asked Brookhaven, who had done an
20 extensive study on calculations, to go back and plot
21 this out as a function -- pulse width as a function of
22 the energy and the pulse.

23 And for pulses in the neighborhood of
24 cladding failure, that is anywhere close to 100
25 calories per gram, 60 to 100 calories per gram, LWR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pulses will be about ten milliseconds. And we
2 mistakenly thought they were much larger than that.
3 So at the time we drew this figure, we're thinking
4 that the JAERI pulses are far too narrow and that the
5 normal CABRI pulses are too narrow and the broadened
6 CABRI pulses are the right ones.

7 MR. CARUSO: There's some question about
8 whether PWRs can actually get those sort of pulses,
9 though.

10 MR. MEYER: Well, let me respond to that
11 by saying we all believe, all of us who are involved
12 in assessing this, believe that at the end of the day
13 when we get the fuel damage criteria that we're
14 looking for, whatever it happens to be, that when a
15 plant accident analysis is done for real core designs
16 and real conditions, that you won't get there.

17 MR. KRESS: Is rod ejection --

18 MR. MEYER: Rod ejection --

19 MR. ROSEN: You won't get where?

20 MR. MEYER: You won't get up around 100.
21 You'll get maybe 30, 40 calories per gram max.

22 MR. ROSEN: What about the pulse width?
23 What would the pulse width be in real plants?

24 MR. MEYER: This is for a real plant, and
25 this is several sources of data, and the difference

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between them if fairly minor. So if you have a 40
2 calorie per gram pulse, this is in fuel enthalpy
3 increase. This is not actual energy of the pulse.
4 There's a small difference because of heat conduction.
5 At 40 calories per gram, the pulse width is roughly 20
6 milliseconds.

7 MR. ROSEN: You're not answering my
8 question. With all due respect, Ralph, I don't think
9 you're answering my question.

10 MR. MEYER: Okay.

11 MR. ROSEN: It is not about experimentally
12 what the pulse width is that produces a maximum delta
13 H that you've shown here, but when a plant has, for
14 example, if the plant had a rod ejection accident, how
15 wide would the pulse be?

16 MR. MEYER: That's what this is. This is
17 a plant calculation. This is not a test result or a
18 test calculation.

19 MR. ROSEN: So how do I pick the pulse
20 width? Is it 100 or is it zero?

21 MR. MEYER: It depends on how much
22 reactivity is in the rod that gets ejected.

23 MR. KRESS: And where the rod is.

24 MR. MEYER: Yes.

25 MR. CARUSO: Whether the rod is inserted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or whether it's normally all the way out?

2 MR. MEYER: I can tell you that it would
3 take a reactivity of about \$2 to get 100 calorie per
4 gram pulse.

5 MR. KRESS: That means the rod's all the
6 way in and it's a really effective rod?

7 MR. MEYER: I don't have a good feeling
8 for it, but I'm told that's too big. That's a big
9 number.

10 MR. KRESS: That's a big rod.

11 MR. MEYER: And you're not going to find
12 any \$2 Rod Worths.

13 MR. KRESS: Most of them are around 50
14 cents, I think.

15 MR. MEYER: Most of them are?

16 MR. KRESS: Around 50 cents or something
17 like that.

18 MR. CARUSO: The rods tend to be much
19 lower than the values that are assumed in the accident
20 analysis.

21 MR. MEYER: But I think that's -- this is
22 the nature of the exercise. You find out where the
23 damage limit is that you can tolerate, and then you do
24 the plant calculation and hopefully show that you
25 don't get to that damage limit. So we don't expect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the plants to be able to deposit the energy in the
2 vicinity of where we're doing the test, because we're
3 trying to do the test to find out what the limit of
4 damage is that we want to tolerate.

5 MR. KRESS: But the point is that when a
6 plant makes a calculation for its design, it's going
7 to calculate a number.

8 MR. MEYER: Yes.

9 MR. KRESS: And you're going to say, "We
10 want that number to be less than 280 or less than
11 100," right?

12 MR. CARUSO: Well, actually the way the
13 vendors do it -- until now the vendors have all been
14 using 1-D methodologies. And this issue came up in
15 the mid-'90s. They were asked if they had any better
16 estimates of the actual values, because they were
17 using conservative 1-D methods. Using 3-D methods,
18 they estimated that the numbers would be well below
19 100. And we have this information from all of the
20 vendors, and this is something that Brookhaven has
21 also calculated. For real cores using 3-D methods,
22 the values will be much lower than 100.

23 And about a month ago, we received a
24 topical report from I can say Westinghouse to review
25 so that they could redo their calculations using a 3-D

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methodology. And this is a comparison of two fuel
2 enthalpy calculations that they did, one using a 3-D
3 methodology and one using a 1-D methodology for the
4 limiting pin. And you can see -- you have to use the
5 scale on the right, not the BTUs per pound, calories
6 per gram.

7 And you can see that for this limiting
8 fuel rod, the values are well under 100. They're in
9 the neighborhood of about 70. This would be for a
10 rod, I believe, early in life, maybe at the end of the
11 first cycle, sometime in the first cycle, early in the
12 second cycle. This is typical of the results we see
13 from the vendors when they use more realistic but
14 still conservative analyses.

15 MR. KRESS: So you're saying you've got
16 lots of margin to this 100.

17 MR. CARUSO: Lots of margin.

18 MR. KRESS: But --

19 MR. CARUSO: I'm getting way ahead of
20 myself.

21 MR. KRESS: Yes, but the point is if
22 somebody were to come in with a calculation that says
23 it was 99, you'd still would have used up all your
24 margin, but you would approve it. You'd still meet
25 your regulatory criteria.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: We haven't set these new
2 regulatory criteria yet.

3 MR. KRESS: Well, whatever the criteria
4 is.

5 MR. CARUSO: And that's something that we
6 do have to do.

7 MR. KRESS: Yes.

8 MR. CARUSO: And we're waiting for the
9 results of the work that Research is doing to revise
10 Reg Guide 177 and the SRPs. When that work comes in,
11 we will revise those regulatory criteria. In the
12 interim, though, we have lots of licensing actions
13 that need to be done. This morning I talked to you
14 about power uprates, I've talked about PWR power
15 uprates. Work continues. So I can't --

16 MR. KRESS: I heard you say you're waiting
17 for the results of the research. Does that mean the
18 operative words in the previous slide are no longer
19 operative?

20 MR. CARUSO: No. It says that we will use
21 the results of the research work. I mean I can't
22 ignore it, I shouldn't ignore it. I will use it. I
23 will use it to revise the regulatory guidance. But
24 until that's done I still have regulatory activities
25 that I must continue to do. I can't just stop and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wait.

2 MR. WALLIS: Well, you can. I want to go
3 back to my first question. You have not -- I think
4 you've convinced me that you do not have a good basis
5 of test data on which to base these decisions. You've
6 got points which are all over the place. You don't
7 have a very good understanding of how fuel fails, and
8 this 100 calories per gram has been obtained by some
9 very broad brush estimate.

10 MR. CARUSO: Well, the 100 calorie per
11 gram number is the number we were going to use for
12 fuel failures. Remember that the GDC criteria is two
13 parts. GDC criteria is no threat to the reactor
14 coolant pressure boundary and no loss of coolable
15 geometry.

16 MR. WALLIS: I don't really care what
17 you're going to do regulatory-wise. You haven't
18 convinced me you have a good basis of knowledge on
19 which to base your decision.

20 MR. CARUSO: Oh, but you see I have to
21 make the decision about whether I will meet the
22 general design criteria. The general design criteria
23 is the ultimate acceptance criteria, because as a
24 regulator that's my criteria.

25 MR. WALLIS: How can you do it if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't have a good basis of knowledge?

2 MR. CARUSO: Well, I do as good a job as
3 I can with the information that's available to me.

4 MR. WALLIS: Then you must have tremendous
5 uncertainty in your decisionmaking.

6 MR. CARUSO: And we do. We do have some
7 uncertainty, but I'm about to get into the reasons why
8 I sleep well at night, even given that degree of
9 uncertainty.

10 VICE CHAIRMAN BONACA: One thing that you
11 said, it sounds almost as if there is new information
12 coming because for the first time they're doing 3-D
13 methods. That's not true. I mean I can remember that
14 combustion engineering was using a 3-D model method
15 seems for years, 25 years ago, Hermit, I believe, is
16 the name of it. I think it was a credible nodal
17 method. I don't know what this is. I don't know, for
18 example, what kind of work you're ejecting here. I
19 see that this is a protracted transient and typically
20 we have seen them turning faster now. I'm trying to
21 say that they've been using -- yes, Westinghouse has
22 been using some kind of synthesized method, they were
23 using 1-D and 2-D and tied them together, and they
24 were not really a 3-D. And so I'm trying to
25 understand what we've learned in the past ten years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is so different from what we learned before.

2 MR. CARUSO: Well, what we've learned from
3 the research program is that the fuel failure limit is
4 not correct. It shouldn't be 170 calories per gram,
5 and the 280 calorie per gram limit needs to be revised
6 also.

7 VICE CHAIRMAN BONACA: No, I was asking
8 about the results that the vendors are showing now.
9 Why are they so lower?

10 MR. CARUSO: Now, what the vendors are
11 doing, and this is going to get ahead of myself here
12 again, the vendors are preparing for what's called
13 extended burnup fuel above 62. And for burnups above
14 62 we've said they've got to provide the criteria,
15 they've got to provide the data, they've got to show
16 why it's safe. We're not going to do that. They've
17 go to do that work. Now, they have, just last
18 Thursday, sent in a topical report on this subject
19 which proposes changing the limits. And they've
20 proposed changing the limits to about 230 calories per
21 gram for the upper limit and about -- still leaving it
22 170 for burnups below about 35 gigawatt days per
23 metric ton, dropping to about 130 calories per gram at
24 about 80,000.

25 MR. KRESS: Is this based on new data?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: They don't have any more data
2 than Ralph has.

3 MR. KRESS: Okay. So it's --

4 MR. WALLIS: How can they possibly justify
5 it, except by arm waving and theory?

6 MR. CARUSO: That's a good question. We
7 just got this report Thursday, and we have to review
8 it.

9 MR. ROSEN: I think it would be
10 appropriate to read it.

11 MR. CARUSO: Pardon?

12 MR. ROSEN: I said it would be appropriate
13 to read it.

14 MR. CARUSO: Exactly. But if you -- you
15 were asking the question what's going on and why am I
16 getting this all of a sudden if the vendors already
17 have these methods. They want to go to higher burnup,
18 so they have to have better methods to go to the
19 higher burnup. So Westinghouse has got the jump on
20 the other two vendors by submitting a method here.

21 VICE CHAIRMAN BONACA: I just was taking
22 exception on their statement that until recently they
23 used 1-D methods and they didn't.

24 MR. CARUSO: What I mean by use it is in
25 the regulatory context, in terms of the approved

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 licensing methodologies, they've been using 1-D
2 methods.

3 VICE CHAIRMAN BONACA: Westinghouse has
4 used, not -- so, anyway.

5 MR. CARUSO: Okay. Let's see, where was
6 I? I think we got sidetracked.

7 MR. POWERS: Let me continue the
8 sidetracking a little bit.

9 MR. CARUSO: I'll put this one up.

10 MR. POWERS: What I'm struggling with a
11 little bit, Ralph Meyer, is you and your colleague
12 have critiqued what data you have based on the
13 experimental technique that was used. And your
14 critiques sound possible to me. The experiments are
15 not high-temperature experiments and what not. And so
16 you've thought, "Well, maybe I should move my criteria
17 in just a little bit to reflect what I think the fuel
18 would do if I had done the experiment correctly, I
19 mean an absolutely prototypic experiment." And it
20 sounds as though you've gotten a topical report that
21 comes in and says, "Okay, we can move these lines a
22 little more because we think this fuel will behave
23 even more differently if the experiment had been
24 absolutely prototypic."

25 Is there, within the psyche of the Agency,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any plausible argument of moving those lines around
2 where you set the criteria that could be accepted
3 without at least one experimental data point to show
4 that what you think the fuel would do had the
5 experiment been prototypically done it would in fact
6 do?

7 MR. MEYER: Yes. In fact, since the 1997
8 information letter, we have not made any further
9 statement about how we think that -- about where we
10 think that line should be drawn. We have learned
11 enough from recent tests and from our kinetics
12 analysis to hone in on what we think are fairly
13 definitive parameters. And the one thing that we are
14 waiting for in order to make another estimate is a set
15 of tests that are now scheduled for 2004 in the NSRR
16 test reactor in a new high-temperature, high-pressure
17 capsule. So NSRR at that time is going to make a
18 direct comparison between the room temperature test
19 and a test conducted at the right temperature.

20 Now, they will not be able to vary the
21 pulse width. The pulse width will still be about five
22 milliseconds, and at the energies of the test the
23 correct pulse width should be about twice that. Now,
24 we do have varying pulse widths from CABRI.

25 MR. POWERS: Could I just hone in a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bit on this issue of pulse width? And just tell me if
2 my understanding of the pulse width issue is correct.
3 The issue is one of how much heat do you get into the
4 clad, as opposed to keeping it all in the fuel? And
5 there must surely be a pulse width that is so narrow
6 that no heat goes into the clad at all. And any pulse
7 width really doesn't change phenomenology; is that
8 correct?

9 MR. MEYER: Yes.

10 MR. POWERS: And the question is can you
11 give us an idea of what that pulse width is such that
12 essentially no heat goes into the clad?

13 MR. MEYER: Yes. More or less, it's
14 around 20 milliseconds.

15 MR. POWERS: So it really doesn't matter
16 whether they have a five or not.

17 MR. MEYER: My opinion at the moment is
18 that I doubt it.

19 MR. POWERS: Okay.

20 MR. KRESS: And not only that, the
21 narrower the pulse width, the more conservative the
22 result is with respect to --

23 MR. MEYER: Certainly. You could say
24 that. There is another -- there are two effects that
25 are hypothesized. One of them is the temperature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effect, which we've spoken of, and it obviously
2 exists. How important it is we don't quite know yet.
3 Because in fact when you start looking at the
4 mechanical properties measured separately as a
5 function of temperature, in the range from room
6 temperature to 300 degrees centigrade, uniform
7 elongation for Zircaloy and some other alloys doesn't
8 show a temperature dependence there. But the total
9 elongation that's been measured shows some. But total
10 elongation is a funny property. It's not really a
11 materials property. It depends highly on the test
12 arrangement. So I don't know what to expect --
13 something or nothing.

14 There is another effect that's
15 hypothesized, and that has to do with a dynamic gas --
16 fission gas expansion that might increase the loading.
17 In the picture here -- I don't have a slide to
18 illustrate this -- but the picture here is grain
19 boundaries, ten micron size, roughly, which are
20 decorated with fission gas bubbles under high
21 pressure, lots of them and they're small, and a rapid
22 temperature transient that expands those bubbles,
23 forcing the grains apart and sort of acting like
24 levers to add to the mechanical loading on the
25 cladding from the thermal expansion of the O2 itself.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Now, I don't know whether that's a real effect, an
2 imagined effect, how important it is.

3 MR. WALLIS: This is just part of it. I
4 mean my colleague is talking about a relaxation time
5 for the fuel to share energy with the cladding, which
6 we're talking about on order of ten milliseconds.
7 There are all kinds of non-homogeneities in this fuel.
8 There are spots where there's more fuel than others.
9 It's not absolutely uniform. So at some microscopic
10 level, when you zap it very quickly, there are certain
11 spots that get hotter than others. There's all kinds
12 of things that happen microscopically in there.

13 MR. MEYER: That's correct.

14 MR. KRESS: You get more in the power
15 going into the --

16 MR. WALLIS: The little nodules of
17 plutonium or whatever is in there in the MOX fuel.

18 MR. MEYER: In high burnup UO2 fuel, I
19 think it's pretty homogeneous. The thing that --
20 where we are on the lookout for such an effect is in
21 the MOX fuel, which is not -- it's fabricated with
22 inhomogeneities which may never disappear. And so
23 that's a separate matter. I mean it's real. We have
24 a few tests on MOX fuel, and that's a real effect.
25 The dynamic gas expansion, I don't know if it's real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or not real, but it's possible.

2 MR. POWERS: I'll just sideline us just a
3 little more because he provokes me all the time with
4 these wonderful statements, things like that. Ralph,
5 you said that you thought in a high burnup fuel the
6 power input was fairly uniform?

7 MR. MEYER: That's what I said. Is that
8 wrong?

9 MR. POWERS: It seems to me that I have
10 seen plots that would suggest to the contrary, that
11 it's highly peaked around the periphery.

12 MR. MEYER: Oh, oh, okay. Sure. I
13 thought you were talking about like little local
14 islands of inhomogeneous stuff.

15 MR. POWERS: Oh. Okay. What you're
16 saying is --

17 MR. MEYER: It's creamy smooth, but it's
18 got a heck of heat on the end.

19 MR. POWERS: On the perimeter.

20 MR. MEYER: Oh, yes.

21 MR. POWERS: But certainly uniformly
22 across the pellet there.

23 MR. MEYER: Yes.

24 MR. POWERS: Okay. I understand now. I'm
25 sorry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RANSOM: I have a question. Why is
2 the 3-D and 1-D so much different? In fact, it seems
3 counterintuitive, I would think, that the 3-D might
4 reveal a higher new energy locally per gram than say
5 a 1-D energy.

6 MR. MEYER: I can't answer that question.
7 Maybe somebody --

8 VICE CHAIRMAN BONACA: The 1-D were never
9 neutronics, they were just point kinetics --

10 MR. RANSOM: Right. But that's the entire
11 core they're doing 1-D, right?

12 VICE CHAIRMAN BONACA: That's right. But
13 I'm saying --

14 MR. RANSOM: Versus a 1-D where you've
15 actually getting variations across the cross section.

16 VICE CHAIRMAN BONACA: Yes. But they were
17 using typically static calculations. And so it didn't
18 have all the effect of feedback that you will get in
19 a neutronic calculation of 3-D.

20 MR. RANSOM: Is that the explanation that
21 the feedback is much different then?

22 VICE CHAIRMAN BONACA: That was a key
23 difference there.

24 MR. CARUSO: Let me go on to my next
25 slide, which is what I call "why I sleep well at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 night" slide. When this issue arose from the CABRI
2 and NSRR tests, we talked to the vendors and they
3 performed some 1-D calculations or they showed us some
4 1-D calculations that showed that the neutronics would
5 be much better. The limiting fuel, the graph I showed
6 you for the Westinghouse plot, this is for fuel that's
7 less than 30 gigawatt days per metric ton for which we
8 think the 280 or even the 230 value is still
9 reasonably a good value to use.

10 MR. POWERS: Why do you think that?

11 MR. CARUSO: Well, we -- I'd have to go
12 back to the paintbrush plot, and if you look at the
13 paintbrush plot and look at burnup against failure,
14 you plot burnup against failure, you'll see that this
15 fuel at less than 30 gigawatt days per metric ton
16 doesn't fail.

17 MR. POWERS: I think that I will not see
18 that. If we could put the paintbrush slide up, I will
19 be stunned to see --

20 MR. CARUSO: It's not as a function of
21 burnup. It's a function --

22 MR. POWERS: No, I understand that, but we
23 can -- I'll be willing to make a mental change and
24 point to a bunch of plots at around 150 and zero and
25 say, gee, those look black to me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: Do you know what those data
2 points are, Ralph?

3 MR. MEYER: Yes. There were cladding
4 failures in some PBF tests. Where's Harold? Help me
5 -- and the other SPIRT ones? Those were around five
6 -- Harold Scott is the Harold that I'm referring to
7 here, and Harold will come to a microphone and help me
8 recall some of the details.

9 MR. POWERS: Well, understand the question
10 that's being posed is why anyone would think a 280 or
11 a 230 calorie criterion is adequate for any fuel ever?

12 MR. CARUSO: First of all, remember that
13 that criteria is not for fuel failure. That's a
14 criteria for ejection of molten material.

15 MR. POWERS: I will repeat my question:
16 Why would anyone think that a 230 or 280 criterion is
17 appropriate for any fuel ever?

18 MR. MEYER: Okay. Let me tackle that. If
19 you look SPIRT and PBF data with burnups of less than
20 five gigawatt days per ton, so essentially zero,
21 essentially zero burnup, fresh fuel, some of them had
22 very small amounts of burnup. And there's a fairly
23 sizable database. And you line these up as a function
24 of the peak fuel enthalpy. You'll find a dividing
25 line around 230 calories per gram, where below 230

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 calories per gram you get no fuel dispersal, and above
2 230 calories per gram you get fuel dispersal. As soon
3 as you get some burnup, some significant burnup, and
4 the first time this shows up is with a PBF test with
5 a burnup of about five or six gigawatt days per ton,
6 you begin to see the PCI mechanism and the failure at
7 the much lower energies.

8 MR. POWERS: Okay.

9 MR. MEYER: It's much below 30.

10 MR. POWERS: I'm not sure I want to argue
11 with you too much about this, but if indeed seven is
12 your SPIRT data, I certainly see a point up there at
13 zero that seems to suggest you get failure at below
14 230. So your dividing line is a peculiar dividing
15 line.

16 MR. MEYER: This is zero on an oxide
17 scale, not a burnup scale.

18 MR. WALLIS: But it goes down with more
19 oxide.

20 MR. POWERS: Well, would you expect the
21 oxide to be different than about zero for zero burnup?

22 MR. MEYER: No, but I expect --

23 MR. POWERS: Well, then it's a good point.

24 MR. MEYER: I expect at zero burnup that
25 you don't have any irradiation targeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: Okay.

2 MR. MEYER: It saturates somewhere around
3 ten or at some low value. So I do think there is
4 something else that is precluding the failure from
5 limited ductility with very fresh materials. And the
6 failure mechanism there is a high temperature
7 oxidation and embrittlement mechanism, something like
8 you have in --

9 MR. POWERS: Okay. Let me change my
10 question: Why would anybody accept 280 or 230 as a
11 criterion for any fuel with burnups greater than five
12 to eight gigawatt days per ton?

13 MR. KRESS: If you had a different plot
14 that says on the x-axis quantity of dispersed molten
15 UO2 versus enthalpy increase --

16 MR. MEYER: That's the important question.

17 MR. KRESS: -- then you're saying that
18 plot would -- a line drawn through 230 or something
19 like that would show roughly very little ejected below
20 it, and some above it would be ejected is what you're
21 saying, that the criteria for that is just how much
22 molten fuel gets ejected, not whether the --

23 MR. CARUSO: It's the molten fuel
24 criteria. The 230 is going to be

25 MR. KRESS: Not whether the clad fails or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not.

2 MR. CARUSO: Not a clad failure.

3 MR. MEYER: It's not a clad failure, but
4 the 230 in fact corresponds to, for the fresh
5 materials, to no fuel dispersal. I think there were
6 probably in the whole population of tests there were
7 only a couple of cracks that occurred at a lower
8 energy, and they didn't disperse. They didn't lose
9 any fuel from those.

10 MR. KRESS: Now, if you start fuel out --
11 if it's running at hot shutdown, is this the test
12 you're talking about? So the fuel starts out
13 something about five or 600 at hot shutdown?

14 MR. CARUSO: Five or 600 what?

15 MR. KRESS: Degrees F.

16 MR. CARUSO: Hot zero power would be 500
17 to 560.

18 MR. KRESS: Okay. And you add to that
19 temperature 230 calories per gram. Does the increase
20 --

21 MR. MEYER: You know exactly the total --
22 this is the total. Don't add them.

23 MR. KRESS: I can't locally put that on a
24 piece of fuel and say whether it takes me to molten or
25 not?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MEYER: Two hundred and sixty-seven
2 calories per gram is the solidest for fresh UO2.

3 MR. KRESS: It depends on what temperature
4 you start from.

5 MR. MEYER: What?

6 MR. KRESS: It depends on what temperature
7 you start from. Or are you just giving me the delta
8 H at the melting point to fully melt it? Is that the
9 delta H you're giving me?

10 MR. MEYER: No.

11 MR. KRESS: I've got to heat the fuel
12 first, and then I've got to melt it.

13 MR. MEYER: Two hundred and sixty-seven
14 gets you up to the solidest, and I think you chemists
15 do it from room temperature, don't you?

16 MR. KRESS: Generally, but we're starting
17 with 500 -- I'm trying to decide how much -- you're
18 giving me a pulse.

19 MR. MEYER: Okay.

20 MR. KRESS: I'm trying to decide how much
21 fuel I've got.

22 MR. MEYER: At hot conditions, 285, 300
23 degrees centigrade is about 18 calories per gram.

24 MR. KRESS: Okay. So I'm going to get
25 molten fuel with these pulses, and I'm going to fail

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the clad. I'm trying to understand the two curves
2 that I see. I've got a lot of molten fuel, and I've
3 got a failed clad.

4 MR. MEYER: No, no, no, no, no. Something
5 is not coming across right here.

6 MR. KRESS: Okay.

7 MR. MEYER: Because the way the SPIRT data
8 were analyzed and the way the criterion is written,
9 it's a total enthalpy. You don't get to add the 18 to
10 that amount. In later test analysis, we have been
11 taking it out and just looking at the delta, because
12 the two main facilities --

13 MR. CARUSO: Operate from those
14 temperatures.

15 MR. MEYER: -- operate at different
16 temperatures.

17 MR. KRESS: So you're saying the 280 is
18 not a delta, it's an absolute --

19 MR. MEYER: Right.

20 MR. KRESS: -- enthalpy.

21 MR. MEYER: Right. Right.

22 MR. WALLIS: Well, I guess I've got to
23 drop this, but instead of talking if you'd show us a
24 figure which is infinitely more convincing than this
25 one, I would be very happy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MEYER: Well, I hope in a couple of
2 years when we get these what I view as key tests from
3 Jerry to be able to show you one that's more
4 convincing than this, I don't think you're going to be
5 happy with it, but I think it's going to be probably
6 the best we're going to be able to do maybe ever, but
7 at least for a long time.

8 MR. KRESS: The reason I was confused is
9 your y-axis says enthalpy increase. That led me into
10 that line of thinking.

11 MR. MEYER: Again, this is not the plot as
12 a function of burnup. This is --

13 MR. KRESS: That's the problem --

14 MR. MEYER: This doesn't have the 18
15 calories in this plot. Did I say it wrong before?

16 MR. KRESS: No, no. I was thinking wrong
17 probably.

18 MR. MEYER: This plot doesn't have. But
19 as Dana points out, this plot doesn't extrapolate to
20 zero at 230. That comes in at 150. The 230 probably
21 has a very limited range of applicability. I agree
22 with you, Dana.

23 MR. CARUSO: EPRI seems to think
24 otherwise, but we'll get a chance to look at that. I
25 think this is a matter that we will consider as part

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the revisions to the SRP and the Reg Guide, and we
2 will ask for your help and we'll ask for the help from
3 the Office of Research, and we'll ask for comments
4 from the industry in order to set those limits.

5 MR. KRESS: How far are we from being
6 through?

7 MR. CARUSO: Let me just get through this,
8 because I want to make these points.

9 MR. KRESS: Okay. Okay.

10 MR. POWERS: Tom, just for scheduling
11 purposes, the next speaker will be very brief.

12 CHAIRMAN APOSTOLAKIS: Have you spoken to
13 him?

14 MR. POWERS: I've had an in-depth with
15 him.

16 CHAIRMAN APOSTOLAKIS: Okay.

17 MR. POWERS: And implored him to curtail
18 his normal exuberance.

19 MR. MEYER: Is that me, Dana?

20 MR. POWERS: No.

21 MR. MEYER: Oh. I thought I was the next
22 speaker.

23 MR. POWERS: No. The next session.

24 MR. CARUSO: As I said, this is why I feel
25 comfortable with the plants as they are right now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. POWERS: Your tolerance, sir, is
3 admirable.

4 MR. CARUSO: As I said this morning,
5 someone has to make these decisions. And if this is
6 all you've got, then this is all I've got to make a
7 decision. These are expensive tests. I can't go get
8 a lot of data. I would like to have lots of data, but
9 lots of data costs a lot of money.

10 MR. KRESS: I don't see anything on here
11 that says the expected frequency of rod ejections is
12 very low.

13 MR. CARUSO: Well, actually, it's
14 contained in the third big bullet, okay?

15 MR. KRESS: Okay.

16 MR. CARUSO: Let me just talk about the
17 second bullet first. The fact that the paintbrush
18 slide, as you noticed, was plotted against corrosion.
19 Corrosion seems to be very important for these fuel
20 failures. We are going to materials -- better
21 materials that don't corrode as much, that don't
22 spall, hopefully don't spall.

23 But the third bullet is the important
24 bullet, okay, about how the machines actually operate.
25 And it's very important to realize that PWRs are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 designed these days to operate with all rods out
2 during normal operation. Normally they pull all the
3 rods out and they don't go critical because they have
4 boron in them. Gradually they dilute the boron, go
5 critical and operate for a full cycle with all rods
6 out. Therefore, if you have a rod ejection accident,
7 there would not be any rods to eject, because they're
8 already out. There is no reactivity to add.

9 MR. WALLIS: As long as they stopped. As
10 long as they didn't go into like containment.

11 MR. SIEBER: The rods are already out.

12 MR. CARUSO: They're already out.

13 MR. WALLIS: They're not in containment.

14 MR. CARUSO: No. They're out of LOCA.
15 They're out of the core. They're sitting on --

16 MR. WALLIS: I thought the rod ejection
17 was actually a LOCA event where the rod came out and
18 made a hole.

19 MR. CARUSO: Well, it doesn't have to be,
20 but that's the way we would think of them these days.
21 In order to --

22 MR. ROSEN: The point is there's no
23 reactivity addition.

24 MR. CARUSO: There's no reactivity
25 addition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: The reactivity has already
2 been added. When the PWRs are in all rods out
3 configuration, all the reactivity from the rods have
4 already been added --

5 MR. CARUSO: Exactly.

6 MR. ROSEN: -- to the core.

7 MR. CARUSO: Thank you, Dr. Rosen.

8 MR. ROSEN: There's none left.

9 MR. CARUSO: The analyses that have been
10 done are analyses of the hot zero power configuration,
11 okay? Hot, some rods in for some reason, zero power,
12 just barely critical, eject a rod, you get the highest
13 pulse. LWR Rod Worths these days are designed in to
14 be small for a number of reasons -- for safety
15 reasons, for economic reasons. There's all sort of
16 reasons rods are designed to have small Rod Worths.
17 And the concern here is about high burnup fuel. Well,
18 high burnup fuel, by definition, has been burned up.
19 Therefore, it has less reactivity than fresh fuel.

20 And, also, I would add if you look at the
21 number of rods in a typical core that are anywhere
22 near the 62 gigawatt day per ton limit, it's extremely
23 small, extremely small. Batch discharge averages I
24 think in the BWRs you heard this morning are running
25 about 45,000 to 50,000. That's the batch average,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which means that there are some rods that are up
2 around 62, but the average is a 45.

3 MR. POWERS: I hate to bring up the
4 paintbrush slide again, but I did not see anything on
5 that paintbrush slide that suggested there was
6 something magic about 62 gigawatt days per ton; that,
7 in fact, it was a fairly substantial degradation as
8 soon as you crossed -- certainly crossed 40 microns.
9 That seemed to be very big threshold and that there
10 are no pins that seemed to survive beyond that. But
11 even before that, it seemed to me that it was some
12 degradation.

13 MR. CARUSO: We are working on this. I
14 think that may be a valuable observation, but realize
15 that 40 microns these days with new cladding materials
16 is actually pretty high corrosion.

17 MR. POWERS: Well, I also hasten to point
18 out that that oxide thickness was selected as the
19 variable on that plot because it was there, not
20 because it reflects on how the clad is actually the
21 embrittlement of the clad. Now, when you change
22 clads, now you've got to change whatever you're
23 plotting against, which is going to be something like
24 a measure of ductility or a measure in embrittlement
25 or something like that. And that when you look at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 these new clads, you're going to find that they suffer
2 some degradation in strength as you go up in burnup.

3 MR. CARUSO: Possibly, that's correct. In
4 any case, there's going to have to be a scaling
5 argument made between the materials. I believe most
6 of these tests were done with Zircaloy. We're using
7 now Zirlo or using M5. BWRs use Zirc-2 which is
8 different than Zirc-4. So a scaling argument will
9 have to be made in any case.

10 MR. POWERS: I would be more enthusiastic
11 about an experimental argument.

12 MR. MEYER: The CABRI program is test --
13 its next two tests will be the Zirlo run and an M5
14 run.

15 MR. POWERS: Didn't we -- I mean I see
16 papers in the literature that suggest that M5 has the
17 capability of picking up more hydrogen than what you'd
18 find is usual for the Zircaloy.

19 MR. CARUSO: I don't know that's the case
20 at the normal operating conditions. We do know of
21 this Russian alloy, E110 that seems to pick up a lot
22 of hydrogen during a high temperature LOCA-type
23 transient, where you're up above the Alpha-Beta phase
24 transformation.

25 MR. POWERS: I see some -- I've seen at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 least one paper concerning the can-do conditions,
2 where M5 seems to be picking up -- and it wasn't ever
3 specimen of M5, but some specimens of M5 seem to pick
4 up like twice as much as hydrogen as is normal, as
5 they oxidized.

6 MR. CARUSO: Yes. I'm not aware of that.

7 MR. MEYER: I'm not aware of that either.

8 MR. POWERS: Maybe I should share that
9 paper with you.

10 MR. CARUSO: Okay.

11 MR. MEYER: Okay.

12 MR. POWERS: I have to find it, but it
13 just came to me. It's a curiosity, because it's not
14 every specimen of M5.

15 MR. MEYER: I mean we did see -- Framatome
16 presented last year, both here at NRC and in a public
17 forum, ductility measurements, these ring compression
18 tests, for specimens that had been oxidized under LOCA
19 conditions. And, in fact, the hydrogen content in
20 those specimens were surprisingly low.

21 MR. CARUSO: That's what I thought. I
22 thought they were showing --

23 MR. MEYER: Yes. Whereas the similar
24 rings of E110, which is the same nominal alloy, sucked
25 up a lot of hydrogen under very similar conditions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This, by the way, is something that we don't
2 understand fully. We have -- I want to say this. We
3 have the full cooperation from Framatome on this. We
4 have signed an agreement with them to do some
5 cooperative research on M5 cladding at Argon under
6 these conditions to try and understand the situation.

7 MR. CARUSO: I think that's all I've got
8 to --

9 MR. WALLIS: Ralph, did you ever mention
10 ATWS? Do you worry about fuel failure during an ATWS
11 event?

12 MR. CARUSO: Fuel failures during an ATWS
13 --

14 MR. WALLIS: Calories per gram are used as
15 a criterion for an ATWS --

16 MR. CARUSO: ATWS criteria -- well, we
17 have a rule for ATWS, and then there are several
18 subsidiary criteria that are used to verify that the
19 rule is still applicable to new fuel designs or
20 changes in power level. And those relate to PCT,
21 containment issues, containment peak vessel pressure.
22 But for fuel it's a peak cladding temperature of 2200.

23 MR. POWERS: There isn't a calories per
24 gram?

25 MR. CARUSO: Lately, for certain ATWS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instability events where you have an ATWS and you've
2 had an instability, some calculations have been done
3 because they were not able to show that they met the
4 2200 degree limit for an unmitigated ATWS event,
5 unmitigated ATWS instability event. So realize the
6 event you're talking about you're having an ATWS --

7 MR. POWERS: I think when we were
8 listening to these power uprates, they showed us a
9 peak --

10 MR. CARUSO: Right.

11 MR. POWERS: -- and they talked about
12 calories per gram.

13 MR. CARUSO: Right. That's correct. That
14 was because they did not meet the 2200 limit.

15 MR. POWERS: What sort of calories per
16 gram were we talking about?

17 MR. CARUSO: Actually, I have a chart
18 here, and I believe the numbers are on the order of 70
19 or 80 calories per gram.

20 MR. POWERS: So it is a consideration.

21 MR. CARUSO: It is a consideration, but,
22 once again, you have to consider what the event is for
23 which this was calculated. This is an unmitigated
24 ATWS instability event.

25 MR. MEYER: Are those 70 or 80 numbers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recent numbers?

2 MR. CARUSO: Let's see.

3 MR. MEYER: Because in NEDO 32047, which
4 was audited by NRR, I understand that the number was
5 250 and said to be less than 280 and therefore okay.

6 MR. CARUSO: This is out of any DC33006P.
7 This is actually out of a MELLA topical report.
8 Excuse me, let's see, GE14 --

9 MR. WALLIS: I just thought that while --

10 MR. CARUSO: -- 64.

11 MR. WALLIS: -- you say why you slept well
12 at night, you ought to cover the ATWS thing, that's
13 all. And now you're doing it.

14 MR. CARUSO: Sixty-four calories per gram,
15 excuse me.

16 MR. WALLIS: And that's okay.

17 MR. CARUSO: And that's okay.

18 MR. WALLIS: By legislative --

19 MR. ROSEN: Ralph Caruso, on your "sleep
20 at night" slide, under PWR operational practices,
21 something I claim to know something about, this hot
22 zero power case that you say is analyzed, you say
23 that's a reason you sleep at night. Is that because
24 PWRs are not at hot zero power very often?

25 MR. CARUSO: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: Probably less than one percent
2 of the time?

3 MR. CARUSO: Probably much less than one
4 percent.

5 MR. ROSEN: Probably much less. I'll give
6 you a tenth of one percent of the time, eight hours
7 per year.

8 MR. CARUSO: Yes.

9 MR. ROSEN: Plants don't like to stay at
10 a hot zero power.

11 MR. CARUSO: That's correct.

12 MR. ROSEN: It's not a place you want to
13 stay. You're either shutting down and going through
14 it or you're going the other way as fast as you can to
15 get to power.

16 MR. CARUSO: Yes.

17 MR. ROSEN: Okay. So it's a probability
18 argument. While you're exposed in this position --

19 MR. CARUSO: I hesitate to make that
20 statement, because I'm not a PRA expert, and I can't
21 defend the --

22 MR. ROSEN: Well, we did do --

23 MR. CARUSO: -- probability of that.

24 MR. ROSEN: Well, I can make the
25 statement, and I think there's hardly anybody in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 room that would deny it, except perhaps -- well, I'll
2 just say not very many people -- that plants don't
3 stay at hot zero power very long.

4 MR. MEYER: Brookhaven did do a
5 probability estimate in connection with the program
6 plan in 1998, and they did include that small factor
7 in coming up with their estimate, which was in the
8 range of around ten to the minus six. It was at that
9 time where we did a similar probability estimate for
10 the rod drop in the BWR, concluded that it was
11 significantly lower than the rod ejection probability
12 in the PWR and at that time switched our attention
13 from the BWR rod drop to the BWR power oscillations.
14 So that's how we got onto the power oscillations in
15 terms of the high burnup fuels work.

16 VICE CHAIRMAN BONACA: I think you should
17 stay away from probabilities. I mean we just had a
18 recent even in a plant where we could have gone back
19 to power without realizing that there was something up
20 there, and you would have gone critical at zero power
21 --

22 MR. ROSEN: I don't see that as a reason
23 for not accepting the fact that plants don't stay in
24 this condition.

25 VICE CHAIRMAN BONACA: I agree with you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: Let me just remind my
2 probablistic colleagues that at the Chernobyl Plant
3 there was a prescription of operating at low power,
4 absolutely forbidden to operate at low power. Things
5 that people don't like to do they sometimes do.

6 MR. ROSEN: What country was that in?

7 CHAIRMAN APOSTOLAKIS: So this Slide 6 is
8 going to take forever, huh?

9 MR. CARUSO: Slide 6, no, that's done.
10 That's done. Slide 7.

11 CHAIRMAN APOSTOLAKIS: So, excuse me,
12 Ralph, are you going to spend all this time on each
13 slide from now on?

14 MR. CARUSO: I don't need to spend any
15 time on this slide if you want to --

16 CHAIRMAN APOSTOLAKIS: Okay. Then you go
17 to eight.

18 MR. CARUSO: Okay. The other Ralph takes
19 over.

20 CHAIRMAN APOSTOLAKIS: The other Ralph
21 takes over. Okay.

22 MR. MEYER: I have four slides, and I only
23 plan to speak to the first two.

24 MR. POWERS: These are the slides that
25 you're going to discuss?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MEYER: The upper half of the first
2 one.

3 MR. POWERS: Could I ask a question,
4 Ralph? Will the slides that you provide us give us
5 some understanding of why this research is irrelevant?

6 MR. MEYER: I didn't understand you, Dana.

7 MR. POWERS: Well, one of the questions we
8 were trying to understand is why NRR considers the
9 research irrelevant.

10 MR. MEYER: Yes.

11 MR. POWERS: And I'm wondering if your
12 slides are going to tell us why it's irrelevant.

13 MR. MEYER: My slides are going to tell
14 you why I think what we're doing is important.

15 MR. CARUSO: As I explained at the very
16 beginning of my discussion, we consider the use of
17 that word to be unfortunate. And we value the work
18 that is done by the Office of Research, and I don't
19 think I personally would characterize the work as
20 irrelevant.

21 MR. POWERS: But the fact of the matter is
22 that in the written documentation remains irrelevant;
23 is that correct?

24 MR. CARUSO: The document was signed, and
25 it's in the document system, and that's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: I guess the broader question
2 is does NRR still think there is a need for a user
3 need letter on this research?

4 MR. CARUSO: Actually, then we're going to
5 have to go back to the previous slide.

6 CHAIRMAN APOSTOLAKIS: This is the
7 fundamental question.

8 MR. KRESS: Yes. Let's go back to the
9 previous slide.

10 CHAIRMAN APOSTOLAKIS: This is the
11 question that needs to be answered.

12 MR. CARUSO: The user need process in the
13 Agency right now evaluates -- user needs are evaluated
14 against these four criteria. These are the four
15 Agency pillars: Maintaining safety, improving
16 efficiency, reducing unnecessary regulatory burden and
17 improving public confidence. Until last Thursday, we
18 had no licensing actions under review which required
19 the results of the research --

20 MR. WALLIS: I'm sorry, Ralph. Do you
21 think your broad brush curve satisfied Criteria 4?
22 And if it doesn't, what are you going to do about it?

23 MR. CARUSO: Well, what we do is we
24 evaluate against all four of the criteria.

25 MR. POWERS: How do you do that? How do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you evaluate Number 4?

2 MR. CARUSO: We have decisionmakers who
3 sit around in a room and talk about it.

4 MR. POWERS: Maybe you should make your
5 presentation to some intelligent technically
6 knowledgeable members of the public, see if that
7 works.

8 MR. CARUSO: Well, all I can say is this
9 is what we do. And we rank each proposed user need
10 against these criteria.

11 CHAIRMAN APOSTOLAKIS: But the criteria
12 are not equally weighted.

13 MR. CARUSO: They are equally weighted, at
14 least in NRR they are. NMSS, I believe, has weighting
15 factors for different criteria.

16 CHAIRMAN APOSTOLAKIS: Maintaining safety
17 and improving public confidence is equally weighted?

18 MR. CARUSO: Well, in NRR right now the
19 criteria are weighted equally.

20 CHAIRMAN APOSTOLAKIS: See, now we can
21 talk about it forever. I mean which public are you
22 talking about? But, anyway, why don't we let you go
23 ahead.

24 MR. CARUSO: As I said, until last
25 Thursday, we had no licensing actions under review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 which required the results of the research high burnup
2 program.

3 MR. POWERS: That's the one I've never
4 understood on this. It seems to me that you have all
5 kinds of things here. You've got a Regulatory Guide
6 that's in desperate need of amendment. You've got a
7 topical report there that seems to have a fairly
8 interesting selection of criteria. I mean just in
9 your own presentation I think I counted three or four
10 different things that were on your plate that seemed
11 to address them, required information from the
12 Research Program.

13 MR. CARUSO: Well, this report, as I said,
14 arrived last Thursday. I didn't expect this report to
15 contain the information it does. I expected it to
16 contain information about burnup above 62, not below
17 61. And the Research Program is not aimed at burnups
18 above 62, it's supposed to be confirming values for
19 burnups below 62.

20 So in addition, you asked about these
21 regulatory criteria that desperately needed to be
22 revised, and I guess I would take issue with that
23 characterization of the need to revise the Regulatory
24 Guides and the SRP. We know they need to be revised.
25 We want good data to be provided to us, but that data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 isn't going to be provided to us for at least several
2 more years. And in the interim, I have licensing
3 actions that I have to make that I cannot delay until
4 this information comes out, until it goes through a
5 public comment period, till it comes to the ACRS,
6 several times probably, goes to the CRGR and is
7 debated. I have to make a licensing decision in the
8 interim.

9 MR. WALLIS: You can turn down --

10 MR. KRESS: You're also going to have to
11 make licensing decisions later on when you could
12 really use that data.

13 MR. CARUSO: And I will. I will. I will
14 use that information when it eventually comes out.
15 I'm not saying I'm going to ignore it.

16 MR. KRESS: Okay. Isn't that a criteria
17 for a user need letter, "I'm eventually going to need
18 this to make better decisions?"

19 MR. CARUSO: I guess I'm going to go to my
20 bottom line right now, which is to say that the user
21 need program, we recognize, needs some work, and we
22 are in the process of revising it. And this issue
23 will be one of the things that will be considered as
24 part of the revision to the user need process.
25 Agencies try to work on a prioritization scheme for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 user needs, how to do this in an integrated fashion
2 between the offices, and --

3 VICE CHAIRMAN BONACA: You know, you could
4 characterize your situation as one that says, "I have
5 to make decisions. Therefore, I'll make decisions
6 with whatever information I have. And what I have I
7 can use." I can understand your position, but --

8 MR. CARUSO: That's the position I'm in
9 right now.

10 VICE CHAIRMAN BONACA: Wait, wait. But if
11 I were in your shoes, I would say, "However, I don't
12 have enough information, and therefore I'm hardly --
13 I'm pressed to have this data as soon as possible."
14 I would feel that way, because what you presented to
15 us wasn't very convincing. And instead you're saying,
16 "I don't have enough information to do the work, but
17 I can live with that, and whenever the information
18 will come, then I will do that. And if it comes in
19 several years --

20 MR. CARUSO: I would like to have more
21 information, but right now we don't have it.

22 VICE CHAIRMAN BONACA: The reason why I'm
23 making a comment is that that comment is pertinent to
24 the recommendation to RES on whether the work they're
25 doing is important or urgent or whatever enough to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 justify stepped up effort or slow down effort or
2 whatever. That's why I'm making an observation. I
3 mean to me, particularly on the part of the users,
4 depending on how you feel pressed for that information
5 to back up what you have, which is not much. Okay?
6 Then that will give some kind of impetus to the work
7 that RES is doing or slow it down.

8 MR. CARUSO: I'm not sure how much I could
9 speed it up. I mean the CABRI program is proceeding
10 at the speed it's going to proceed, and I don't think
11 I have any effect on whether it proceeds quickly, more
12 quickly or not. Can we make the CABRI program go
13 faster?

14 MR. MEYER: No.

15 MR. CARUSO: No.

16 VICE CHAIRMAN BONACA: No, but you could
17 kill it. I mean --

18 MR. ROSEN: It's not a U.S. program.

19 MR. CARUSO: NRR has not taken a position
20 that the CABRI program should be killed. We think
21 this is valuable research.

22 CHAIRMAN APOSTOLAKIS: What did you say,
23 Ralph, I'm sorry.

24 MR. CARUSO: It's valuable research.

25 CHAIRMAN APOSTOLAKIS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: But then I've got to -- what
2 does the word "need" mean? My management is about to
3 shoot me. What does the word "need" mean? We don't
4 know. This is not a well-defined term.

5 CHAIRMAN APOSTOLAKIS: So the bottom line
6 then is what?

7 MR. CARUSO: The bottom line is that this
8 is not a --

9 CHAIRMAN APOSTOLAKIS: There is no user
10 need.

11 MR. CARUSO: Under the current definition
12 of "user need," which we have in the office, this is
13 not a user need.

14 CHAIRMAN APOSTOLAKIS: Was it at any one
15 time?

16 MR. CARUSO: Yes, it was.

17 CHAIRMAN APOSTOLAKIS: What changed since
18 that time? The definition of "user need" changed?

19 MR. CARUSO: You're asking me a policy
20 matter, which I can't address.

21 MR. HOLAHAN: I can give it a try. This
22 is Gary Holahan at NRR. I think the issue of user
23 need is a confusion factor that we're trying to work
24 into a better process. At the moment, user need
25 really means identifying who's the sponsor, who's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 responsible for saying, "I want this money spent. I
2 want this agency money spent on this subject and not
3 on other subjects." At the moment, when NRR says this
4 is a user need, we're saying we're responsible. We
5 want this information, and no one else has to justify
6 why this program is being done.

7 At the moment, NRR says we have, and have
8 had since 1997, interim criteria which provide a
9 reasonable basis for meeting the general design
10 criteria. In fact, many people would say at least 100
11 conservatism between 100 calories per gram and
12 challenging vessel integrity or probability of the
13 core. And under those circumstances, we could live
14 with the interim criteria.

15 I recognize that we don't have complete
16 control over these programs. If the Japanese and the
17 French decide to shut down those test facilities and
18 take the interim criteria and go through the process
19 of public comment and all that, those will be the new
20 criteria for the Reg Guide and the Standard Review
21 Plan. We could live with that. That doesn't say
22 there's no value to the research. It doesn't say that
23 it isn't a good thing to do and that we wouldn't use
24 it if the data was generated.

25 The question is who is causing the data to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 be generated. Is it because NRR has said, "I need
2 this information whether anyone else wants it or not"?
3 And until last Thursday, I don't think we could say
4 that, because we had an interim position for a low
5 probability event for which we have a very
6 conservative criteria, no clad failure for a ten to
7 the minus six event is the most conservative criteria
8 among accidents. What we've said is last week EPRI
9 and NEI sent us a new report, and when we look at that
10 report we'll relook at the question of what technical
11 support, what research program and what assistance
12 from the Office of Research we need in reviewing that
13 topical report. So each time we have a new set of
14 regulatory issues before us, we go back and we ask
15 that question.

16 And the question in my mind now is are we
17 in a position to review this topical report and the
18 issues that it puts on the table without additional
19 research? And we don't have an answer to that yet.
20 We just got the report. We'll look at it and we'll
21 reconsider. And it may be that we decide that there's
22 a real user need or it may be that we don't need that
23 and we'll review the report under some other --

24 MR. POWERS: Gary, you've indicated that
25 you can live with the interim criterion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HOLAHAN: Yes. And we have been.

2 MR. POWERS: And what I will point out
3 that based on the discussion for the last 40 minutes,
4 you may be very content with them, but you have a very
5 hard time convincing other people that those are
6 useful criteria.

7 MR. HOLAHAN: I heard that.

8 MR. POWERS: So I will draw your attention
9 again to Mr. Wallis' point in your fourth criterion on
10 whether you have a user need or not.

11 MR. WALLIS: My impression is you have a
12 tremendous user need, unless there's something I
13 haven't heard today that this seems to be a problem
14 that's been going on for a long time, that decisions
15 have been made based on very tenuous information. Now
16 maybe I'm completely wrong. Maybe you've given me
17 completely the wrong impression, but that's the
18 impression that's given.

19 MR. POWERS: What I will point out to you,
20 Graham, is that this decisionmaking that went on was
21 presented to this Committee. This Committee has
22 supported it, but with the caveat that there was a
23 strong Agency plan supported strongly by NRR with a
24 user need to conduct the research to validate that.
25 And now that component that led to a fairly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 enthusiastic endorsement of what was going on seems to
2 be missing here.

3 MR. KRESS: I think we've discussed this
4 a lot. Can we wrap it up pretty fast, Ralph?

5 MR. MEYER: Could I suggest that maybe you
6 just view the slides, and if you don't want additional
7 presentation, I'd be happy to go quickly or just not
8 at all.

9 MR. POWERS: Well, let me just ask you
10 this question, Ralph. Your slides are indeed fairly
11 explicit, but at what point -- do you have any insight
12 right now on what point it would be useful for a
13 Reactors Fuel Subcommittee to assemble and look at
14 your program again?

15 MR. MEYER: Yes. I think it's time very
16 soon for that. We have been doing that about once a
17 year.

18 MR. POWERS: Right.

19 MR. MEYER: And we didn't schedule one
20 this spring. So I think we should. There have been
21 developments in the last year that are significant,
22 and it would be a good idea to do that.

23 MR. POWERS: Yes. I think that just
24 anticipating the ACRS' obligations, we are obligated
25 this year to produce a fairly comprehensive research

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 report, and it would be useful to have a meeting so
2 that we can prepare this section of that report. So
3 maybe if you guys can find a time that's convenient.
4 I don't want to hit you at a time when everything's
5 chaos and whatnot, but some convenient time maybe we
6 could find a mutually satisfactory time to do this,
7 because just looking at your slides there's a lot of
8 interesting stuff.

9 MR. MEYER: I would suggest that the
10 Subcommittee might also want to look at the EPRI
11 topical report.

12 MR. KRESS: That's a good idea.

13 MR. MEYER: And I think within a few
14 months the staff will have time to look at it and
15 generate some positions, and in fact you might want to
16 hear from them as well.

17 MR. POWERS: Maybe some coordinated thing
18 between the two of them.

19 MR. MEYER: That would be a good idea.
20 We've had that happen before.

21 MR. POWERS: As long as we have the
22 information so that in the fall of this year we can
23 prepare our research report, that would be useful.

24 MR. SIEBER: I'd also like to ask a favor.
25 The three slides that you used that were graphics, if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you could make us copies and provide us a copy.

2 MR. CARUSO: I'll get them.

3 MR. SIEBER: The other thing, I noticed
4 that the one slide which you said came from
5 Westinghouse, is that proprietary?

6 MR. CARUSO: It's not proprietary. The
7 document itself is proprietary, but this page is not
8 marked.

9 MR. SIEBER: Okay.

10 MR. CARUSO: It doesn't have the brackets
11 around it that indicate proprietary. And I
12 specifically asked them if I could do that. It's not
13 actually proprietary.

14 MR. KRESS: I want to thank the speakers.
15 This was a useful exchange of views, I think. And we
16 appreciate you coming down. With that, I'll turn it
17 back to you, Mr. Chairman.

18 CHAIRMAN APOSTOLAKIS: Thank you. I don't
19 think we will need transcription for the next session.
20 Thank you.

21 (Whereupon, at 2:26 p.m., the ACRS meeting
22 was concluded.)

23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

CERTIFICATE


This is to certify that the attached proceedings
before the United States Nuclear Regulatory Commission
in the matter of:

Name of Proceeding: 492nd ACRS Meeting (Open
Session)

Docket Number: N/A

Location: Rockville, Maryland

were held as herein appears, and that this is the
original transcript thereof for the file of the United
States Nuclear Regulatory Commission taken by me and,
thereafter reduced to typewriting by me or under the
direction of the court reporting company, and that the
transcript is a true and accurate record of the
foregoing proceedings.


Debra Wilensky
Official Reporter
Neal R. Gross & Co., Inc.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com