

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Town Hall Meeting on Proposed Rulemaking
Packing and Transportation of Radioactive
Materials - Evening Session

Docket Number: (not applicable)

Location: Chicago, Illinois

Date: Tuesday, June 4, 2002

Work Order No.: NRC-409

Pages 1-54

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

SESSION 2: TOWN HALL MEETING ON PROPOSED RULEMAKING,
PACKING AND TRANSPORTATION OF RADIOACTIVE MATERIALS

+ + + + +

TUESDAY

JUNE 4, 2002

+ + + + +

CHICAGO, ILLINOIS

+ + + + +

The Town Hall Meeting on Proposed Rulemaking,
Packaging and Transportation of Radioactive Materials
Session met at The Hyatt Regency Hotel, Regency
Ballroom B, 151 E. Wacker Drive, at 7:23 p.m., PETER
BONNER presiding.

PRESENT:

PETER BONNER, Facilitator, ICF

FRED FERATE, Health Physicist, Dept. of
Transportation

DAVID PSTRAK, Transp. Specialist, NRC Spent Fuel
Office

PATRICIA HOLAHAN, Chief, NRC Rulemaking &
Guidance Branch

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHARLES MILLER, Director, NRC Spent Fuel Project
Office
NANCY OSGOOD, Senior Project Manager

PARTICIPANTS FROM THE PUBLIC PRESENT:

DIANE D'ARRIGO

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

<u>AGENDA ITEM</u>	<u>PAGE</u>
Public Participation	4

P-R-O-C-E-E-D-I-N-G-S

(7:23 P.M.)

1
2
3 MR. BONNER: Okay. The second session is
4 called to order. Okay. Let's keep this, you can keep
5 this pretty informal, Diane. You've got some
6 questions? Other questions and issues?

7 MS. D'ARRIGO: Yes. I'm Diane D'Arrigo,
8 Nuclear Information and Resource Service. I had a few
9 general basic background questions on this rule as
10 I've tried to learn the transportation regulations of
11 the country which I really wasn't all that interested
12 in until you tried to sneak in BRC. And so, because
13 I want to stop the exemption of radionuclide values
14 from being adopted into this legislation or into this
15 regulation, I am, and I'm also concerned about nuclear
16 transport, but the, and, I guess I should, I wish that
17 this wasn't getting recorded.

18 I'm concerned about the exemption values.
19 There are a lot of other issues here, some of which I
20 have concerns with. And our organization does also.
21 But since this has been discussed before and now we're
22 a little more informal, I wanted to get a more clear
23 understanding on what the revision of the A1 and the
24 A2 values is about. And then, which doesn't look like
25 it's listed here, but to the extent that SCO and LSA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulations exist and are being changed, I'd like to
2 get an understanding of what those changes are.

3 MR. FERATE: So, is your question about
4 LSA, SCO right now or --

5 MS. D'ARRIGO: Well, it's both. It's
6 going to be all three of those questions. So,
7 however, and it looks like they're inter-related.
8 When you have A1 and A2 values, those are the things
9 that are used then to make the distinctions between
10 some of those others.

11 MR. FERATE: Okay. Let me try to, this is
12 Fred, Fred Ferate. Let me try to say what I know
13 about the A1, A2 values which is going to be pretty
14 generic. As time goes by, in many areas of science,
15 one accumulates additional data; and over the years,
16 additional data has been accumulated on what are, I
17 think, sometimes called the bio-kinetics of
18 elimination of radioactive material that is ingested
19 or inhaled, somehow incorporated into the body.

20 And the reason that this might affect the
21 A1, A2 values is that the A1, A2 values are determined
22 by looking at, I think, five different exposure
23 scenarios, some of which are external exposure to
24 gamma. Some is external exposure to beta. Some is
25 internal exposure to alpha, beta or gamma by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ingestion. Some is internal exposure to alpha, beta
2 or gamma by inhalation. And I believe the fifth
3 category is exposure, actually it's external exposure
4 by somebody immersed in a cloud of radioactive
5 material.

6 So, scenarios 3 and 4 which were ingestion
7 and inhalation involving incorporating radioactive
8 material into the body and while it's in the body and
9 radioactive decay goes on, then the person is
10 receiving an internal dose. Bio-kinetic data indicate
11 essentially how human beings eliminate radioactive
12 material that is incorporated into the body, how fast,
13 what organs it goes to, what the combination of
14 radioactive decay in physiological elimination, how
15 that affects the dose as a function of time.

16 So, more data accumulates all the time and
17 more data has accumulated say since, I'm not sure
18 about this now, and somebody can correct me if they
19 know, I think that the 1970, get this right, the 1985
20 International IAEA Regulations, that the A1, A2 values
21 there, I'm mixing things up, please excuse me. Let me
22 back up. More and better elimination data is gathered
23 over time as different people, different measurements
24 come to light on people that perhaps were in an
25 accident situation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For every single person, it's different,
2 so, you have to do some kind of an averaging. You
3 have to try to ascribe this to maybe a standard person
4 with a certain height and weight and so on, and deal
5 with that as kind of representative of your
6 population. So, that has changed over time, say from
7 1985 to 1996, those aren't the exact time periods
8 because those are just the publication dates of the
9 transport regs, but perhaps over a ten-year period,
10 there is more accurate bio-kinetic data.

11 The other aspect is that the models have
12 changed. It is felt that the models have been made
13 more sophisticated and are, therefore, better in some
14 sense that one uses to determine the dose that one
15 would get from a given activity of material ingested
16 or inhaled. And this is then where I was beginning to
17 say somebody can correct me if I'm wrong, that I'm
18 guessing that the 1985 International IAEA Regulations
19 were based on an earlier set of models as represented
20 in ICRP 26 and ICRP 30, I'm guessing.

21 The data for TS-R-1 for the 1996 IAEA
22 Regulations are based on a newer set of models, a more
23 sophisticated set of models represented in the ICRP
24 Publication 60 and some others, I don't know the exact
25 numbers but 60, 63, something like that. So, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 combination of more sophisticated modeling and
2 hopefully more up-to-date bio-kinetic elimination data
3 with the existence of that data and then going back
4 and calculating A1 and A2 for each of the however many
5 hundreds of radionuclides that are in the list, in
6 many cases, in most cases, gave values, A1 and A2
7 values which are different from the ones that were in
8 the 1985 regulations.

9 Now, how were those calculations done, I'm
10 not sure exactly what was done first, what came
11 afterwards. But they essentially were to determine
12 the activity which under those scenarios would result
13 in a given dose. And unfortunately, I don't know the
14 numerical value of the doses or dose rates in some
15 cases, I believe, but I do recall reading that the
16 doses and dose rates which were used for the '96 A1,
17 A2's are the same as the ones which were used for the
18 1985.

19 So, if the A1 and A2 values changed and
20 most of them did, it does not mean that by changing
21 these values, we're making transportation more safe or
22 less safe than we were before. We're keeping the
23 safety aspect at the same level by keeping the doses
24 and dose rates at the same level. And the A1, A2
25 values are changing because we've changed, hopefully

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gotten a more accurate model and we have certainly
2 more up-to-date bio-kinetic data.

3 MS. D'ARRIGO: Okay.

4 MR. FERATE: So, that's my explanation of
5 why they changed. David Pstrak pointed out to me a
6 few minutes ago that in one of the books that's
7 outside, you may have picked up a copy and if you
8 haven't, you can, it's the Environmental Assessment
9 that was done by ICF for NRC. And in the back, they
10 have a comparison table that you can look at and see
11 how the A1 value from Safety Series 6 compares to the
12 one from TS-R-1, and then, how the A2 value from
13 Safety Series 6 compares to the one from TS-R-1.

14 MR. PSTRAK: That's correct.

15 MR. FERATE: For each of the approximately
16 300 radionuclides that are in that list.

17 MR. PSTRAK: So, this chart is available
18 and, again, although Fred said it's Safety Series 6,
19 it's tagged in here as coming out of Part 71 which
20 currently is based on the '85 version of Safety Series
21 6. So, that's an accurate statement, what he just
22 said. But the chart is here to walk you through what
23 the actual change was as far as the number and then
24 the percentage of change as well for both A1's and A2
25 values. And it's Appendix C of that document.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. D'ARRIGO: So, the justification for
2 the change is the shift from ICRP 26 and 30 to 60 and
3 66 essentially?

4 MR. FERATE: 26 and 30 to ICRP 60, which
5 again, is considered an advance, something --

6 MS. D'ARRIGO: Right. What's the bio --

7 MR. FERATE: More accurate knowledge.

8 MS. D'ARRIGO: What's the bio-kinetic data
9 that they're relying on and who, so that it's ICRP not
10 IAEA on this one? It's ICRP then who's decided what's
11 better data?

12 MR. FERATE: I do not know the source.
13 You'd have to go back and look at the documents. Let
14 me point out that generally, well, for example, over
15 in the IAEA and the transport meetings, what's the
16 technical background of people who go to those
17 meetings? Well, it's essentially people that work
18 with transportation, and they have varying technical
19 backgrounds. Some are engineers. Some are
20 physicists. Some are biologists and who knows, you
21 know, a variety of backgrounds.

22 And the point I'm trying to make here is
23 that the ICRP reports, International --

24 MS. D'ARRIGO: Commission on Radiological
25 Protection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FERATE: Oh, very good, thanks.
2 Generally, those reports are made by doctors or people
3 that work in medical research. People that, so
4 they're familiar with --

5 MS. D'ARRIGO: Well, the problem is the
6 same as with IAEA is that --

7 MR. FERATE: Well, familiar with --

8 MS. D'ARRIGO: We don't have any input or
9 control or knowledge and we're supposed to trust what
10 they have come up with. That's essentially part of
11 the problem that we're having with it.

12 MR. FERATE: Well, I guess I'm in danger.
13 No, I better not --

14 MS. D'ARRIGO: No, you're not in danger
15 because you're just conveying what's going on. I'm
16 not saying you defend them.

17 MR. FERATE: No, no, no, no. I'm not
18 saying that, but generally, what I think they do is to
19 search the literature for published research on this,
20 and they filter those data and sift through it and try
21 to come to some conclusions about the models.

22 MS. HOLAHAN: Yes, I just wanted to say as
23 with ICRP 60 or 66 or 68, they, it is as Fred says is,
24 oh, sorry, medical research, medical physicians, but
25 it's also biologists and it's a gamut of folks that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are from credible organizations that, you know, meet,
2 that --

3 MR. BONNER: You're speaking of the
4 quality of the research?

5 MS. HOLAHAN: Pardon me?

6 MR. BONNER: You're speaking basically to
7 the quality of the research?

8 MS. HOLAHAN: Right, yes. Is that they
9 meet and they deliberate over long periods of time.

10 MS. D'ARRIGO: But these are the same ones
11 and that's, I mean, I'm just trying to, since we're
12 sort of informal here, I realize I don't have a major
13 agenda but the crux, part of the crux of the problem
14 is that they're not necessarily credible. And to
15 blindly refer to ICRP --

16 MS. HOLAHAN: Well, I mean, I guess it
17 depends on what you mean by credible.

18 MS. D'ARRIGO: Right.

19 MS. HOLAHAN: As they have come from
20 prestigious universities.

21 MS. D'ARRIGO: Well, but I guess then, as
22 when the National Academy of Sciences does a study,
23 they have to say who is on their panel.

24 MS. HOLAHAN: Right.

25 MS. D'ARRIGO: And they have to say what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their charge is and they have to provide the documents
2 that the panel is being provided. They have to say
3 who is providing information. We don't have any of
4 this from ICRP.

5 MS. HOLAHAN: Well, you actually do.

6 MR. FERATE: We could get the documents.

7 MS. HOLAHAN: Yes.

8 MR. FERATE: It's, the people that work on
9 these committees are listed there and they're
10 referenced, the bibliography that they refer to in,
11 for example, constructing the model or commenting on
12 the model is listed there, too, to my knowledge. So,
13 the thing is getting those documents.

14 MR. BONNER: I think one of the issues is
15 we don't have the information here with us.

16 MR. HOLAHAN: Right.

17 MR. BONNER: That shows whether the ICRP
18 has gone through a consensus peer review process and
19 the research. And if we had those documents, we may
20 be able to show that. That's a good point.

21 MS. HOLAHAN: Right. And one of the
22 things is that they took take peer reviewed
23 literature.

24 MS. D'ARRIGO: Okay. So, then, I mean,
25 for whatever we agree or disagree on what's credible,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we can agree on that ICRP put together their idea,
2 their new lung model and change their reports. And so
3 then, the numbers that resulted from that resulted in
4 changing the A1, A2 values also, changing from the 70
5 Bequerels to whatever allowable concentrations would
6 be for exemption. That's probably indirectly based on
7 that going from ICRP to IAEA to this regulation, is
8 that also correct? For the exempt quantities and
9 concentrations?

10 MR. BONNER: Did you get that question?

11 MR. FERATE: I would say that some of the,
12 there were, I don't know, on the order of 20 different
13 scenarios used to calculate the BSS exemption values.
14 And a subset of the majority of those plus, I don't
15 know how many more, five, six, something like that,
16 specifically transport scenarios were put together
17 then to analyze the 20 radionuclides that were
18 specifically analyzed for transport purposes that I
19 talked about this morning.

20 Some of those scenarios, both pure BSS and
21 some of the transport scenarios that were added,
22 involve inhalation and ingestion. And therefore, the
23 total dose that the person gets depends on how fast he
24 or she excretes that radioactive material. So, again,
25 we need the models and we need the bio-kinetic data to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculate the exemption values just as we needed it to
2 calculate the A1, A2 values.

3 The details of the calculation are
4 somewhat different, the scenarios are different, that
5 you're using. But both of them involve inhalation and
6 ingestion as well as external exposure.

7 MS. HOLAHAN: Right.

8 MR. FERATE: And insofar as inhalation and
9 ingestion are involved, you need to use some kind of
10 a model to represent the lung, some kind of a model to
11 represent your internal organs, you know, your
12 intestines and so on, the blood system. And you need
13 the bio-kinetic input data to be able to fit that to
14 your model.

15 MS. D'ARRIGO: So, earlier you said that
16 if we didn't like the exemption numbers, that we
17 needed to provide some numbers or documentation that
18 might show that the risks are different or that we
19 needed to provide some kind of data that would defend
20 our position of not wanting to be exposed to those
21 levels unregulated.

22 And so, knowing what I do about ICRP and
23 IAEA, none of their models are taking into
24 consideration the bystander effect which I understand
25 is not only from alpha but also possibly now from beta

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and gamma, which means it shows that we're not even
2 directly hit, also we're showing health effects from
3 the radiation. So, this would be a weakness in the
4 modeling that is not being reflected in the
5 assumptions that are being made to defend these
6 numbers.

7 I am not going to be able to come up with
8 what the numbers ought to be and what those effects
9 are. In fact, it's going to take probably two more
10 decades before the IAEA or the ICRP is able to pull
11 that off. I don't even know that it's on their agenda
12 right now. But I don't think that there is a dispute
13 that there is a bystander effect. I've heard it
14 talked about at the DOE Low Dose conferences, and so,
15 here is something that's not being taken into effect.

16 We're also not having taken into effect
17 here, it's my understanding that we're only looking at
18 fatal cancers. We're not looking at incidents of
19 cancer. Now, maybe in ICRP 60, they might have
20 started to look at years of lost life, some kind of
21 way, another way of looking at fatal cancers that
22 makes it supposedly more realistic. But there are, I
23 guess, there are greater risks than are reflected in
24 what these reports are putting out and we shouldn't be
25 erring on the side of those studies when we've got

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more updated information and it's not factored in.

2 MR. FERATE: I think our position as
3 regulators is that we are trying to take accepted
4 science and apply that to develop rules in order to
5 have a graded system of protection for human beings,
6 for the public, and for workers when radioactive
7 material is transported. We don't, I think we don't
8 consider it our place because obviously, one could
9 spend one's life on just one of these little, one of
10 these items from a scientific viewpoint. For example,
11 the bystander effect, I think it's --

12 MS. D'ARRIGO: That's not little.

13 MR. FERATE: I think it's kind of
14 tentative right now but it's certainly far beyond my
15 capability of understanding without spending years of
16 studying it.

17 MS. D'ARRIGO: Then, you don't have a
18 right to push a rule that's going to increase the
19 amount of radioactivity when you don't know what that
20 means, because what that's indicating is that
21 radiation is more damaging than the models are
22 predicting. And the models are not taking that and
23 other things that are known, non-cancer health effects
24 into consideration.

25 MR. FERATE: No, what I'm saying is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we accept the science as it stands today. If the
2 science changes, we'll accept that, too. But we have
3 to --

4 MS. D'ARRIGO: Well, if you're accepting
5 the science across the board, then, what good does it
6 do for me to come in and try to discuss the science?
7 You've already accepted what ICRP and IAEA are giving
8 you. This is supposedly a process where the public is
9 able to come in and say we don't like this because or
10 we like this because. And I'm giving you a couple of
11 reasons of why this is unacceptable. And I appreciate
12 that you're telling me why it's not going to be taken
13 into consideration because I know that it's not and
14 that this is an exercise for all of us.

15 MR. FERATE: I would say to the extent
16 that your ideas, and I think that some of your ideas
17 are not logically defensible if we looked deeply
18 enough at them. To the extent that that is true, we
19 are likely not to place very much weight on that
20 portion. But, so, we have to, we give a certain
21 weight, I think, a good weight to what we think, what
22 appears to be the scientific consensus at the time.
23 I don't know what more to say.

24 MR. BONNER: I think Charlie wanted to
25 bring in something.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MILLER: Yes, I just wanted to say
2 that, you know, I think --

3 MS. D'ARRIGO: Can you come closer? I
4 can't even hear with the air.

5 MR. MILLER: Yes. Can you hear me now?

6 MS. D'ARRIGO: Yes.

7 MR. MILLER: Okay. You know, I think,
8 Fred's made a valiant attempt to try to explain how
9 the science is factored in. You've come back and
10 said, well, we're not factoring, you know, all science
11 into our thinking. What helps us is if you feel that
12 there's areas of science that we're not factoring into
13 our thinking, if you can specifically point to those
14 scientific studies, that helps us because it gives us
15 some place else to look. Or maybe we will find that
16 we, we or the ICRP, whoever have evaluated those
17 studies, and we might just have a disagreement on the
18 conclusions drawn from those studies.

19 But it only helps us if we can get some
20 specific, you know, in addition to the views of the
21 public, when we get into the hard science discussions,
22 we need to evaluate that based on its merits in
23 scientific debate. I mean, that's how all science is
24 done, where the specialists in each area debate the
25 science based upon the studies that are done and draw

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conclusions. And peer reviews sometimes support
2 certain conclusions and sometimes they don't.

3 And in every scientific study, in every
4 scientific endeavor, there are going to be studies
5 that show one thing and studies that show another
6 thing, and there are going to be scientists who are
7 experts who disagree with the conclusions. But in
8 promulgating regulations, what we have to try to do is
9 look for where there's a consensus. And if we see
10 where there's a consensus or a majority of the
11 consensus scientifically, we try to, you know, we try
12 to evaluate that and put into our evaluations for what
13 the regulation should say and what should be in them.

14 MS. D'ARRIGO: So, do you look into what
15 the conflicts of interests might be of the prestigious
16 scientists that are putting this together? I'm not
17 naming names at this point, but without --

18 MR. MILLER: Do you feel there are
19 conflicts? I mean, can you cite some specific
20 examples?

21 MS. D'ARRIGO: In some instances, there
22 have been. I mean, it depends what specifically we're
23 talking about.

24 MR. MILLER: Yes.

25 MS. D'ARRIGO: But if we look at various

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 committees that have been set up to review specific
2 questions and who's on it, I mean, it's, not knowing
3 who we're trusting right now from ICRP, IAEA, and
4 those committees that put together the basic science
5 which is the bedrock of the changes that are being
6 proposed, it's just not, it's not transparent to me
7 that you are relying on the best science.

8 I don't think that it can be, I don't
9 think that there should be such blind acceptance of
10 what the radiation bureaucracy is putting out.

11 MR. MILLER: Well, I guess, help me, if we
12 could dialogue on this a little bit. You keep
13 referring to the radiation bureaucracy.

14 MS. D'ARRIGO: I'm not prepared tonight to
15 go through --

16 MR. MILLER: Okay.

17 MS. D'ARRIGO: I mean, I can tell you that
18 ICRP did not, they're not the ones that led the way
19 ever in any improvements in radiation protection for
20 the public that I am aware of. I mean, when it was
21 discovered that X-rays could harm the fetus, it took
22 a long time, it was an existing practice to stop
23 giving X-rays to pregnant women before the ICRP took
24 that on, or took that position, to not unnecessarily
25 X-ray women. I mean, I'm not, I didn't come here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tonight prepared to battle the ICRP and IAEA, but if
2 that's the kind of documentation that you need in
3 these comments to take our comments seriously, then we
4 will provide that. But I don't want to --

5 MR. MILLER: And that's helpful.

6 MR. BONNER: But I think that's where we
7 are.

8 MR. MILLER: And that's where we are and
9 that's what's helpful to us.

10 MS. D'ARRIGO: And so, then, I want to
11 know specifically what documents are being relied upon
12 and what particular studies and some of these have
13 been provided by DOT. But I mean, I'll have to, you
14 know, I want to know what NRC is relying on here and
15 what it's going to take to question why you think it's
16 okay to increase exemption levels, for example. And
17 then, you know, I think that also the A1, A2 values
18 have been used as a justification for single-shell
19 containers for plutonium.

20 So, that's another thing that we'll then
21 hearken back to these committees. And if these
22 committees have not, you know, are potentially not
23 defensible, then that conclusion is not defensible.
24 I know there's a lot of steps in between. I'm trying
25 to get at the crux of where we're in disagreement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BONNER: So, I mean, just reflecting
2 on the conversation, I believe what Diane is looking
3 for is evidence from the ICRP studies and more
4 documentation on that, or at least pointers to where
5 she could get hold of it. Having said that and given
6 that, Diane reserves the right to come back and say,
7 hey, listen, I don't think you still looked at
8 everything here.

9 MR. MILLER: That's correct.

10 MR. BONNER: Not only have you not still
11 looked at everything here, but perhaps the credibility
12 of some of the sources in the ICRP could be suspect.
13 So, until, I think we're talking around not having the
14 available data to really sit down and look at that,
15 and then come to any kind of consensus or
16 determination around it. So, until that data is
17 available and --

18 MS. D'ARRIGO: It's available. I mean,
19 it's just not --

20 MR. BONNER: No, but it's not here.

21 MS. D'ARRIGO: Right.

22 MR. MILLER: Yes, and I think from our
23 perspective --

24 MR. BONNER: We're still going to continue
25 to talk about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MILLER: We're not going to resolve
2 that since none of us have all the information each of
3 us want to have here at the meeting tonight. And if
4 that information is supplied --

5 MS. D'ARRIGO: Okay. And what I would
6 like is I'd like to know what the physiological data
7 is that they're relying on to make the changes in the
8 models.

9 MR. MILLER: Okay.

10 MS. D'ARRIGO: And then, on A1 and A2.
11 Then, the next thing I wanted to ask if it's possible
12 is just for a simple summary. One of them is for
13 special form and one of them is for normal materials.
14 And then, it's used for making designations throughout
15 the rest of the regulations, is that correct? Is
16 there a, go ahead.

17 MR. FERATE: Yes. For example, the
18 simplest is that if you have a quantity of a given
19 radionuclide in normal form that is below the A2 value
20 for that radionuclide, then, you're allowed to ship
21 that in at most a type A package, you don't need to go
22 to a type B package. And the same if it's in special
23 form, then you would use the A1 value for the same
24 determination. And similarly, if you had more than an
25 A2 or an A1 value, then, that's an indication that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would have to ship it in a type B package, in this
2 country anyway.

3 It's also used to determine whether you
4 can ship a radionuclide in what we call an accepted
5 package. If you, for a solid form, solid material and
6 normal form, if the quantity you have is less than
7 1/1000ths of an A2 value, then you can ship it in an
8 excepted package. And the communication --

9 MS. D'ARRIGO: Is that acc or exc?

10 MR. FERATE: I'm sorry?

11 MS. D'ARRIGO: Accepted or excepted?

12 MR. FERATE: E-x-c-e --

13 MS. D'ARRIGO: Okay, excepted, okay.

14 MR. FERATE: However you spell that.
15 Excepted, yes. And excepted packages have fewer
16 communication requirements. You don't have to have,
17 for most of them, you don't need a shipping paper.
18 You don't need a label on the box.

19 MR. BONNER: The bottom line, Fred, is
20 those connections are there.

21 MR. FERATE: Similarly, what you call a
22 highway route control quantity where you necessarily
23 have some routing requirements, I believe it's 3,000,
24 if you have a quantity that's greater than 3,000 x A2
25 or greater than, is it 27,000 curies, then it would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a highway route control quantity. I believe that
2 there's, for example, in the definition of LSA1 and
3 LSA2, there are multiples of the A2 value that
4 determine what category it's in. And there are
5 certain leakage requirements in type B packages that
6 depend on the, I think it's on the A2 value. So,
7 there are different trigger points in our regulations
8 that hinge on the values.

9 MR. BONNER: The values are used for those
10 trigger, to determine those trigger points.

11 MS. D'ARRIGO: So, is there currently in
12 the SS6 exempt quantities?

13 MR. FERATE: No, there are not.

14 MS. D'ARRIGO: Are they somewhere else in
15 the NRC regs or the DOT regs? Are there exempt
16 quantities for transport purposes?

17 MR. FERATE: For transport specifically,
18 in the present Title 49, I believe we have a tiny
19 paragraph in the section on LSA that actually exempts
20 from the transportation requirements materials that
21 NRC intends CFR 71 exempt from something. And that's
22 the small amounts of tritium or carbon 14 in liquid
23 simulation vials.

24 MS. D'ARRIGO: Okay. So, is that correct
25 then from NRC folks that there are no existing exempt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quantities for transport right now? This is a whole
2 new category?

3 MR. PSTRAK: The exempt quantities that
4 you see in the proposed rule?

5 MS. D'ARRIGO: Yes, in Table 2 or whatever
6 it's called.

7 MR. PSTRAK: That is correct. Basically,
8 the criteria is it's less than 70 Bequerels per gram.

9 MS. D'ARRIGO: That's a concentration
10 though.

11 MR. PSTRAK: I'm sorry.

12 MS. D'ARRIGO: I wanted to know if there's
13 exempt quantity precedent.

14 MR. PSTRAK: In DOT, excuse me, in NRC
15 regs, no there is not.

16 MS. D'ARRIGO: Thanks.

17 MR. PSTRAK: And that reference that Fred
18 was referring to was in 49 CFR of the LSA category is
19 173.427 paragraph D. Paragraph D.

20 MS. D'ARRIGO: Okay. So, what's the
21 justification then? The logical justification for
22 making a whole exempt quantities column if we don't
23 even have that already? Why are we doing that now?

24 MR. FERATE: I would say, if I may take a
25 stab at this, that from the overall point of view of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to direct your resources where they will do the
2 most good, that it's kind of like the, not regulating
3 radioactive materials that have an activity
4 concentration that is lower than a certain amount.
5 Yes, people will still get a dose from that
6 radioactive material with the activity concentration
7 lower than 70 Bequerels per gram, for example.

8 But it will be a very, very small dose,
9 and do you want to be spending your money there when
10 maybe it would be better spent designing a safer cask
11 to ship your spent fuel in or designing a better type
12 A package to ship radio-pharmaceuticals or something.

13 MS. D'ARRIGO: Is there a scientific
14 justification other than an economic one?

15 MR. FERATE: I think the, it's like the
16 amount of the additional safety that you generate by
17 regulating down to zero Bequerels from, say one of
18 these exemption, consignment exemption levels is
19 negligible. It's extremely small and perhaps your
20 money would be spent better looking at things that,
21 you know, have higher levels of --

22 MS. D'ARRIGO: How much money is it then?
23 I guess, Dave asked that earlier. So, making it
24 specific to this, how much are we spending regulating
25 these levels and below?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FERATE: That's a good question and I
2 don't have the answer.

3 MS. D'ARRIGO: Then, how do you know that
4 any money is being spent at all? Won't we spend more
5 money now trying to verify these levels?

6 MR. FERATE: The only example I can give
7 right now is that we did receive one comment with our
8 ANPRN when we asked for comments a year and a half,
9 two and a half years ago now. A fellow that works at
10 NIST, apparently they either produce or receive small
11 amounts of different radionuclides for research. And
12 he claimed that some of those that they deal with are
13 quantities which are lower than the consignment
14 exemption quantities that are listed in TS-R-1.

15 So, that would help him, save him the
16 money that would be spent tracking it because right
17 now it's considered, you know, radioactive for
18 purposes of transportation. And for example, he has
19 to fill out a sheet of paper to send with each package
20 that says this conforms to the requirements in 49 CFR
21 for an accepted quantity of such and such. And he
22 wouldn't have to put that in the box. He wouldn't
23 have to do radiation measurements on the outside of
24 the box to show that it satisfies the dose
25 requirement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They're small things but essentially it
2 would make his operation a little bit more efficient
3 for those radionuclides that would fall under the
4 consignment exemption values in TS-R-1. So, that's
5 one example that I have, and it's the only one right
6 now.

7 MS. D'ARRIGO: Does NRC have any?

8 MR. PSTRAK: None that I'm aware of to
9 offer here this evening.

10 MS. D'ARRIGO: So, the largest, the reason
11 then that NRC is doing it is because IAEA and ILO and
12 IMO and DOT want it?

13 MR. PSTRAK: It's a matter of consistency
14 between the two regulating bodies. It's a, again, as
15 we work together, the DOT and the NRC to have safe
16 regulations in place, it's one of the aspects that is
17 part of how we're working together to maintain
18 consistency between the two regulators.

19 MS. D'ARRIGO: And you're trying to tell
20 me that it's going to be safer if these radioactive
21 materials are unregulated because they're such little
22 amounts? So, it's okay now to not regulate
23 concentrations and quantities which just happen to be
24 the same as ones that are going to justify deliberate
25 recycling and reuse in commerce and that that's safer?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BONNER: Trish?

2 MR. MILLER: I don't think we've made any
3 statements that it's going to be safer.

4 MS. D'ARRIGO: You're saying that this is
5 improving safety.

6 MR. MILLER: Okay.

7 MS. D'ARRIGO: That the harmonizing is
8 improving safety.

9 MR. MILLER: Well, the harmonizing is
10 improving the consistency across the board of the
11 regulations.

12 MS. D'ARRIGO: I'm talking about one of
13 the aspects here, and I want to know if this broad
14 statement that you're making on harmonization, making
15 things safer, when we realize, we look at the numbers
16 and we know that the amount of radioactivity that can
17 now legally be released and recycled and dispersed
18 without regulation is higher. And I mean, if you look
19 at the numbers, most of the concentrations go up. For
20 the quantities, we don't have exempt quantities now.
21 We're going to have exempt quantities for every
22 isotope.

23 Now, if people get caught with radioactive
24 materials, it can be sent back. Once this thing is
25 adopted, it's legal as long as it's within these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concentrations and quantities. And it's too bad,
2 that's an amount that your child can be exposed to
3 because IAEA and ICRP said it's better. And I'm
4 trying to talk to each of you individually to say do
5 you really believe that that's true.

6 I'm going to ask NRC. I want NRC to
7 answer me because I haven't heard from them on this
8 issue specifically.

9 MR. MILLER: Well, I think --

10 MS. D'ARRIGO: I'd like the recorder to
11 say that there's a long pause.

12 MR. MILLER: The way that I would answer
13 your question would be we have to make decisions all
14 the time at the NRC with regard to what we consider to
15 be adequate protection of public health and safety.
16 And maybe the decisions that we make with regard to
17 adequate protection aren't consistent with your views
18 of what adequate protection is. And you have a right
19 to your views and the basis for those views.

20 And what we try to do is gather
21 information from people who have different views with
22 regard to that and the basis for their views, and try
23 to factor that in to our continuing regulatory
24 decisions for the future.

25 MS. D'ARRIGO: I think you can pretty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safely assume, I don't know where you live or who you
2 hang around with, but that the general public, that
3 the average person if had a choice and had a choice to
4 be exposed or not exposed to ionizing radiation would
5 choose not to. I mean, unless there's a benefit.

6 I'm not talking about X-rays for medicine
7 and all that stuff. I'm talking about the specific
8 situation that we're talking about here with the
9 exemption of materials that is going to result or
10 could result in more radioactivity, radioactive
11 material in unregulated situations. And I'm saying
12 that I believe or I wouldn't do this job, I'm not here
13 because I personally have a fear of radiation. I am
14 here because I know that there are some concrete,
15 well, let's forget what my position is. Let's just
16 talk about the facts of what the rule would do.

17 What the rule would do is to allow for
18 quantities and concentrations of radioactive materials
19 that heretofore must be labeled and regulated under
20 transport regs to be unregulated, to be exempted from
21 regulation. That's what Table 2 does.

22 MR. FERATE: For transport, exempted from
23 regulation during transport.

24 MS. D'ARRIGO: Right. From transport
25 regs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. HOLAHAN: And also, the 70 Bequerels
2 per gram is there and --

3 MS. D'ARRIGO: Wait, and I'm not fighting
4 over the ones that go less. I'm only talking about
5 the ones that you increased, the 70 to 100 up to
6 something like a million or ten million.

7 MS. HOLAHAN: Okay. Well, but I think
8 what you've got is you've got a basis for dose and
9 you've got one of the things about the 70 Bequerels
10 per gram is that it's not uniform dose.

11 MS. D'ARRIGO: I don't want to have a fair
12 and honest, equal access to my body for every of the
13 382 isotopes. Oh, my gosh, I'm not being able to be
14 hit with enough radiation to give me the legal amount
15 of dose. That's ridiculous.

16 MR. MILLER: Thank you. I mean, that's,
17 we'll take that as a statement and look on it.

18 MS. D'ARRIGO: But I wanted to hear and I
19 still didn't get an answer on my earlier question of
20 whether or not you think it's safer and more
21 protective to increase the exempt amounts and
22 quantity, the quantities and concentrations that are
23 exempt.

24 MS. HOLAHAN: Well, I think you did give
25 an answer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MILLER: Pardon me?

2 MS. HOLAHAN: I think you did give an
3 answer.

4 MR. MILLER: Yes. I think I gave an
5 answer. Maybe, let me try again. I'll not sit here
6 and say that it's safer, okay. In fact, --

7 MS. D'ARRIGO: I don't think they can hear
8 you.

9 MR. MILLER: I didn't say that it was
10 safer, okay. What I said was, we, the NRC, make
11 regulatory decisions on what we considered to be
12 adequate protection of public health and safety based
13 upon scientific information that we gather from
14 various sources. And your view and the NRC's view at
15 any given time on what that is may differ, okay. And
16 in this case, by having exempt quantities, there is
17 going to be a slight reduction in the safety, but if
18 we promulgate this regulation the way it's been
19 drafted for transportation purposes, we've drawn a
20 conclusion that we feel that it continues to provide
21 adequate protection for public health and safety.

22 MS. D'ARRIGO: And is there any way that
23 the money that's saved is guaranteed to be spent for
24 greater protection in other arenas? Since we don't
25 even know how much money is going to be saved from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exempting regulation over these low-end items. I'm
2 hearing the argument that that money is going to be
3 spent for better protection from high-level items.
4 What's the mechanism for that shift of resource
5 funding?

6 MR. MILLER: Well, you know, I guess I
7 would state it differently from our perspective as a
8 result of money saved. Are you referring to money
9 saved on NRC's purposes, on the licensee's purposes or
10 what? In other words, part of our charter in
11 establishing public health and safety and part of the
12 Commission's strategic planning is that we establish
13 what's considered appropriate public health and safety
14 goals, promulgate regulations that meet those goals,
15 and also, at the same time, we do not, we are
16 obligated not to put any undue burden on the regulated
17 industry with regard to our regulations.

18 In other words, if the risk is really not
19 there, further burdening them with regulations is
20 something that the Commission wants to make sure that
21 doesn't happen. Where the risk is there, we want to
22 devote resources to do what we can to get appropriate
23 regulations to reduce the risk.

24 MS. D'ARRIGO: Where does it say the risk
25 is not there at those very low doses?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MILLER: We have scientific evidence
2 that concludes where we want to set the risk levels.
3 And what I was saying earlier was where members of the
4 public like yourself have different information that
5 you'd like to bring to the table, please supply us
6 with that information and the scientific basis for
7 which your conclusions were drawn and we can evaluate
8 that on its merits against the scientific basis that
9 we've drawn from the information sources we have. And
10 if it has merit, you know, we will appropriately
11 consider it.

12 We don't, you know, there have been many
13 things that the NRC has done over the years where we
14 have not necessarily adopted exactly what the ICRP has
15 done, for example. You know, you --

16 MS. D'ARRIGO: Let this be one of them.

17 MR. MILLER: Pardon me?

18 MS. D'ARRIGO: Let this be one of them.

19 MR. MILLER: Okay. Thank you for coming.

20 MR. BONNER: Okay. Any further issues,
21 Diane?

22 MS. D'ARRIGO: Let me just check here.

23 MR. FERATE: Could I make one comment? To
24 correct what I think is a misconception, it's a minor
25 one but I'd like to make it anyway.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With respect to the activity concentration
2 exemption values, you have said several times, and I
3 think Dave said it earlier this afternoon that the
4 majority of the exemption values went up. I think
5 that's not true. I think the majority of them
6 actually went down.

7 MS. D'ARRIGO: Well, that has to do with
8 the interpretation of 70 Bequerels per gram being
9 equivalent to 100 Bequerels per gram.

10 MR. FERATE: No, that has nothing to do
11 with that. It has to do with the comparison of the 50
12 millirem average for those 20 commonly transported
13 radionuclides as compared to the 23 millirem per year
14 average using the exemption values. The fact that the
15 --

16 MS. D'ARRIGO: So, you're talking about
17 dose now, not, you're talking about, you're saying
18 that the dose is --

19 MR. FERATE: Well, let's say it this way.
20 Transporting them at the 70 Bequerels per gram level,
21 those 20 radionuclides gave an average of millirem per
22 year to a worker who is transporting --

23 MS. D'ARRIGO: Was it just those 20 or was
24 that the whole 380?

25 MR. FERATE: Well, let me just take this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as my example because for this, there are numbers.
2 For these 20 radionuclides, there are numbers. 70
3 Becquerels per gram then is in a way, corresponds to,
4 let's say 50 millirem per year on average so that the
5 only way the average can go down to 23 is if some kind
6 of average activity concentration is also going down.
7 And what really happened is that the majority, more
8 than 50 percent of the activity concentrations went
9 down rather than up.

10 MS. D'ARRIGO: I have the DOE's
11 comparisons where they compared the amount that went
12 up, the amount that they say stayed the same which
13 means they were actually gone from 70 to --

14 MR. FERATE: 70 to 100, yes.

15 MS. D'ARRIGO: To 100, and they say those
16 were the same and the number that went up.

17 MR. FERATE: Okay. So, you're counting
18 the ones that were 70 --

19 MS. D'ARRIGO: Went from 70 to 100 as
20 going up. And the ones that are going up --

21 MR. FERATE: So, I guess it's a matter of
22 interpretation.

23 MS. D'ARRIGO: But even if you didn't,
24 okay, so then, if you didn't take those, you're saying
25 that the numbers that go down versus go up, if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't count the ones that go up only 30 Bequerels per
2 gram, you're saying that that number is higher for --

3 MR. FERATE: I guess the situation is a
4 little bit more complicated than I was trying to paint
5 it because the amount by which it went down also
6 influences that average. But the net result is that
7 the total dose that would be gotten by the
8 transportation worker transporting each of those 20
9 radionuclides, the average annual dose goes down which
10 means that the new activity concentration exemption
11 values are in some sense safer than the 70 Bequerels
12 per gram that is across the board right now.

13 MS. D'ARRIGO: Well, my beef for those, I
14 didn't bring my chart of the ones that go up and down
15 and I haven't had time to compare, but it looked from
16 first glance that the 20 that were picked were quite
17 a few of them of the minority whose concentrations go
18 down. Now, I don't know whether they cherry picked
19 the 20 or why they picked those 20. And the way that
20 I read or misread the DOT description of this is that
21 50 millirem was the average dose calculation for all
22 of the 382 isotopes.

23 MR. FERATE: No, it was just calculated
24 for these 20.

25 MS. D'ARRIGO: Okay. So, and then, an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 average --

2 MR. BONNER: How far do you want to push
3 this clarification, Fred? How much farther do you
4 want to go?

5 MR. FERATE: Yes, I probably shouldn't
6 have brought it up because now I'm more confused, too.

7 MS. D'ARRIGO: Well, the other point
8 though that's a fairly simple point on this is that
9 the concentrations change and the way the dose is
10 calculated from concentrations have changed. And so,
11 whether one argues that the dose is higher or lower,
12 that is based on somebody's modeling and somebody's
13 calculation and somebody's assumptions and a lot of
14 assumptions. And they're not all laid out and they're
15 not all necessarily valid. But maybe, you know, it's
16 the best shot of somebody, whether that somebody
17 worked for the nuclear industry and has a lot of stuff
18 to ship, I don't know. But anyway --

19 MR. FERATE: I think, you know they're our
20 best shot and they are approximations.

21 MS. D'ARRIGO: And the point that I raised
22 earlier is if we're talking now at 50 and 23 millirem
23 as an average dose, we're supposed to be having it be
24 an average of or less than one millirem because that's
25 the insignificant amount. What are we doing up at 23

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and 50? And this is only an average which means that
2 could be much, much higher.

3 MR. FERATE: Well, you know, I'd like you
4 to also keep in mind that all of us get every year on
5 the order of 200 or 300 millirem just from living.
6 So, we have to, we should be comparing what we get
7 from human made radioisotopes also with the dose that
8 we get from the environment that we live in.

9 MR. BONNER: I think we're circling back
10 to the issue of what's considered protective and
11 what's not. And again, we're in the realm of not
12 having some of the data in front of us to talk about
13 whether it's the 20 or it's the 300 or those issues.
14 And I think we're starting to go over the ground
15 again.

16 MR. FERATE: Well, I interrupted and Diane
17 was looking for another question she had there, so.

18 MR. BONNER: Okay.

19 MS. D'ARRIGO: I was going to ask for, it
20 was stated earlier, at the earlier session that
21 introduction of the criticality safety index is going
22 to increase public confidence. So, I wanted to get a
23 little of increase in my public confidence because I
24 have read that and I don't need to have --

25 MR. FERATE: Good point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. D'ARRIGO: A major amount of detail on
2 it but I need to have a general understanding.

3 MR. PSTRAK: The split of the existing
4 transport index definition is really part of what is
5 going on here. Let me grab one more thing. And let
6 me just walk through the little summary that we have
7 here and then I'll further address what you're asking
8 here.

9 This is issue number 5, the criticality
10 safety index. For fissile material packages, TS-R-1
11 defines a new term, the criticality safety index, that
12 applies in addition to the traditional package
13 transport index known as just the TI. In current
14 domestic regulations and on the previous IAEA
15 regulations, the overall package TI was determined
16 based upon the more limiting of the TI based on
17 criticality considerations and a TI based on radiation
18 level. As proposed, the TI and the CSI would both be
19 put on labels for Fissile packages.

20 Currently, both DOT and NRC regulations
21 define and rely on the TI to determine appropriate
22 safety requirements during transport. As an example,
23 the accumulation of packages in a conveyance may be
24 limited based upon either criticality safety or
25 radiation safety. NRC proposes to incorporate the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criticality safety index under Part 71; that will be
2 determined in the same manner as the current Part 71
3 transport index based upon criticality considerations.

4 So, they're taking the existing
5 definition, or basically within Part 71 and splitting
6 it, saying we have a TI that is strictly a radiation
7 exposure at a distance from the package and they're
8 also assigning the criticality safety index or the CSI
9 that would be applicable to fissile packages. Within
10 DOT space, there's a further communication requirement
11 where there will now be a new label that is required
12 to be on a fissile package that would indicate what
13 that CSI value is for that fissile package.

14 So, from an emergency responder's point of
15 view, under current regulation, they come upon a
16 package and there is no direct communication within
17 the label that indicates that it does contain fissile
18 material, the change would be, again within DOT space
19 would be that the new label would require the CSI
20 value to be in place. And again, an emergency
21 responder would have that additional information as he
22 makes his response to a package.

23 MS. D'ARRIGO: So, transport index used to
24 include whatever the concern was for criticality, and
25 now you're pulling that out and having a separate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number specifically for that?

2 MR. PSTRAK: That is correct. The
3 existing definition in both DOT and NRC has a two-
4 paragraph definition. The first portion is strictly
5 for the radiation level. The second one says, and
6 they're separated by an or statement, so one or the
7 other would apply, that the dose rate based on a
8 fissile package is going to be a function of the
9 package. It's 50 divided by N under current
10 regulation, getting into the whole idea of fissile
11 controls, et cetera, et cetera.

12 We are proposing to remove, separate those
13 two definitions, retain the current TI definition and
14 have the criticality safety index definition that
15 would be --

16 MS. D'ARRIGO: In addition?

17 MR. PSTRAK: In addition to, but only one
18 or the other would be applicable to a given package.
19 For non-fissile packages, the TI would be applied; for
20 a fissile package, the CSI would be applied.

21 MS. D'ARRIGO: So, if there were other,
22 so, what is the transport index then reflecting now?

23 MR. PSTRAK: The current transport index
24 is as you, if I had a 55 gallon drum here and I put
25 radioactive contents inside of it, I'm required to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take a dose rate on the package. And at one meter
2 away, the contact reading is one set of information
3 that I use, the one meter rating is the transport
4 index. And that is really used from a trucking
5 company's point of view to limit the total number of
6 packages that is allowed on a vehicle. And that total
7 value cannot exceed 50, so a total TI of 50.

8 MS. D'ARRIGO: So, if something now has
9 some level of criticality, that it warrants a
10 criticality safety index designation, then you would
11 have to give that information?

12 MR. PSTRAK: Right. The new, within DOT
13 space, within their proposed rule, they have a new
14 labeling requirement. A label is a 4-inch by 4-inch
15 diamond-shaped communication.

16 MS. D'ARRIGO: Right.

17 MR. PSTRAK: That is used on the outside
18 of a package. And applying the CSI category, that
19 label would say fissile and would have CSI indicating
20 the criticality safety index value placed on that.
21 So, you're really gaining, and not only is it
22 radioactive, it has the tri-foil symbol on it but also
23 the fact that it is a fissile material shipment.

24 MS. D'ARRIGO: And then because it's
25 fissile, you would also have some kind of protections

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at different distances? You wouldn't have that?

2 MR. PSTRAK: There would still be
3 separation distances that require, again from a
4 carrier's point of view to haul the material down the
5 road. There would still be carrier requirements in
6 place for separation. It would lock in some of the
7 new proper shipping names. Fred, jump in here at any
8 time because this is all in DOT space, but that the
9 new proper shipping names would indicate if it's a
10 fissile shipment or non-fissile shipment.

11 So, it's another communication. Another
12 means of providing, not only on the shipping document
13 but on the package itself very quickly, what
14 information could be used by an emergency responder.

15 MS. D'ARRIGO: Was it generally, I'm
16 sorry.

17 MR. PSTRAK: What information would be
18 used by an emergency responder as they address maybe
19 an accident scenario or even an inspector as he's
20 looking at material as it's going down the road.

21 MS. D'ARRIGO: So, is it generally when
22 something is fissile, it wouldn't have as much gamma
23 rays or something that would be given off so you
24 wouldn't have to worry as much about the transport
25 index? Am I missing something there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PSTRAK: From an overall health
2 physics point of view, that's probably a very accurate
3 statement.

4 MS. D'ARRIGO: Okay.

5 MR. PSTRAK: Again, cobalt 60 is not
6 fissile, cobalt 60 puts out a lot of gammas so you
7 would generally not be seeing a CSI on a package that
8 has just cobalt 60 in it.

9 MS. D'ARRIGO: I guess what I'm trying to
10 determine is when you go to CSI only and you no longer
11 do whatever is in the transport index, what are you
12 losing on that?

13 MR. PSTRAK: We're not necessarily going
14 CSI only. We're adding CSI in and retaining the
15 current radiation transport index which is strictly
16 what is the dose at a meter away from the package.

17 MR. FERATE: Is it okay if I make a stab
18 at that, Dave?

19 MR. PSTRAK: You may certainly do that.

20 MR. FERATE: The TI right now for a
21 fissile material package, you have to make two
22 determinations. One is what is the radiation level at
23 one meter in, the maximum radiation level at one meter
24 in millirem per hour. We'll call that radiation TI.
25 And then you have to determine a criticality control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 TI which is usually done on the basis of calculations
2 primarily, but, and directed at finding out what's the
3 maximum number of these packages you could put
4 together and not have a criticality. And you derive
5 what is called a criticality control TI from that.

6 And then, you compare the two numbers and
7 you take the highest number and you say, okay, that's
8 the TI for my fissile material package. And that's
9 what you, up to now, have been writing on the label if
10 it happens to be a yellow 2 or a yellow 3 label on the
11 package. But the problem with that is that you lost
12 half of the information now. You've kept the higher
13 one but you didn't keep the lower one; and also,
14 you're not sure without going to look at other aspects
15 of the package whether you've got fissile material or
16 not.

17 So, the point is let's keep both of the
18 numbers and let's make it very clear when we have a
19 fissile material in that package, we're going to put
20 a fissile label on the package. So, now, you know
21 when it's fissile and when it's not. And you know
22 what the radiation TI is and you know what was
23 previously called the criticality control TI is now
24 designated the CSI, the criticality safety index, and
25 you know what that is, too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, the idea is you have a much clearer
2 idea of what you're dealing with. At least that's our
3 hope.

4 MS. D'ARRIGO: Okay. My last one is on
5 the change authority. Should we jump to that?

6 MR. PSTRAK: It's issue 15, Nancy.

7 MS. D'ARRIGO: Yes, it's either 13 or 15.
8 It's the one that, where designs to do all-purpose
9 containers can be made without prior approval.

10 MS. OSGOOD: Issue number 15 concerns
11 Commission direction to conform Part 71 to a recent
12 change to Part 72 regarding the authority for making
13 minor design changes. Part 72 governs spent fuel
14 storage facilities. The proposed provision would
15 provide needed consistency in storage and transport
16 change authorities. Change authority allows Part 72
17 licensees to make changes to their casks or operation
18 without prior approval from the NRC. And the kinds of
19 changes that they're authorized are specified in the
20 regulations and are limited.

21 A factor here is that IAEA regulations
22 call for changes to Type B transport package designs
23 to be reviewed by the competent authority, not
24 certificate holders. Designs changed by certificate
25 holders without NRC review might not be accepted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 internationally. Also, Part 71 and 72 package
2 approval processes differ such that some Part 72
3 change requirements have no counterpart in Part 71.
4 For example, Part 72 calls for all changes to be
5 updated in the final safety analysis report, but there
6 is no FSAR requirement for Part 71 packages.

7 To respond to these issues, NRC is
8 proposing that two methods be provided for minor
9 changes to Part 71 designs. First, continue the
10 current Part 71 amendment process for minor design
11 changes. These amendments require NRC staff review
12 and amended certificates are accepted internationally.
13 And this method maintains compatibility with IAEA.

14 However, second, NRC is proposing a new
15 Subpart I to Part 71 that would permit certificate
16 holders of dual purpose spent nuclear fuel casks
17 intended for domestic use to make minor design
18 changes. Also, Subpart I provides for 72.48 type
19 changes, in other words the change authority, in a
20 manner that is consistent with Part 71. The result of
21 this regulation, this new Subpart I, is to authorize
22 a new type of package that's intended for spent fuel
23 shipments only.

24 It's for dual purpose casks only, casks
25 that are authorized under 10 CFR Part 72 for storage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and under 10 CFR Part 71 for transport, and only those
2 casks that would be transported domestically, not
3 internationally.

4 MS. D'ARRIGO: What kind of changes?

5 MS. OSGOOD: The regulations are
6 consistent with the change authority that's given to
7 Part 50 licensees and Part 72 licensees. In other
8 words, there are certain design changes that are
9 authorized without prior NRC approval. And there is
10 a review process that the licensee must go through to
11 determine that the change is authorized by the
12 regulation. And the types of reviews or the types of
13 assessments that a licensee would be expected to do
14 would be to show that this design change does not
15 significantly affect the way the package would perform
16 or how it meets the regulatory requirements.

17 So, there is a threshold that the licensee
18 must use to show that that kind of design change is
19 authorized under this design change authority.

20 MS. D'ARRIGO: So --, go ahead.

21 MS. OSGOOD: There has been a number of
22 public meetings to discuss this kind of design change
23 authority for Part 72. And the expectation would be
24 that the Part 71 design change authority would be
25 consistent with the Part 72 change authority. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is also consistent with the Commission's policy
2 and regulations for changes to nuclear power plants
3 authorized to be made by licensees.

4 MS. D'ARRIGO: I guess I'm asking, since
5 I'm not totally proficient in Part 72 and 50 off the
6 top of my head, would it be seals, would it be, I
7 mean, is there an example of the kind of design change
8 that has been approved for those other guys that could
9 be used in transit now?

10 MS. OSGOOD: I can't give you a specific
11 example.

12 MS. D'ARRIGO: Okay.

13 MS. OSGOOD: We've never had it in Part 71
14 before. It's a new provision. It would be a new way
15 of doing business in Part 71 space.

16 MS. D'ARRIGO: Would there be notification
17 of the NRC of the changes?

18 MS. OSGOOD: The Subpart I would be
19 comprehensive in that it will require a whole
20 infrastructure for these kinds of packages that are
21 consistent with Part 72 requirements in that there
22 would be a safety analysis report that would be
23 required to be updated periodically. I believe every
24 three years, but I'm not positive of that.

25 But basically, at the end, the design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changes would have to be documented, and those
2 documentations and evaluations would be inspectable by
3 NRC inspectors at a facility. But they wouldn't be
4 required to notify NRC prior to making the change.
5 They would be expected to do the evaluation, and then
6 that evaluation could be inspected at their facility.
7 But they are required every three years to provide
8 what we call updated safety analysis report pages that
9 would identify the changes in the design or the
10 operations that they've made through using this design
11 process.

12 MR. BONNER: Any other comments?
13 Questions? Anything from the group?

14 MS. HOLAHAN: All right. Well, again, I
15 thank you for your comments. And we look forward to
16 receiving anything additional. Okay.

17 (Whereupon the meeting was adjourned at
18 8:40 p.m.)

19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701