

1 DR. OSTADAN: The paragraph you referred
2 me to, does that start with, "Additional supporting
3 basis . . ."

4 Q. Yes.

5 DR. OSTADAN: I think what he tries to
6 say, that if you consider the fact that the three
7 components of time histories are independent from
8 each other, you cannot state that they are caused
9 by vertically propagating waves.

10 Q. I'm sorry. I was remiss in asking you
11 not to stop there but to continue reading on.
12 Could you start reading now the part that says,
13 "Further," and go to the end of the answer.

14 DR. OSTADAN: Okay. Yes, I read that.

15 Q. The entire thing, to the end of the
16 answer?

17 DR. OSTADAN: Yes.

18 Q. All right. Is it correct, and I don't
19 or I don't claim that I understand it perfectly,
20 but is it correct that they are trying to compute
21 the wave-length of the incoming waves and try to
22 compute or estimate the displacement that such a
23 wavelength would cause?

24 DR. OSTADAN: To some extent, yes.

25 Q. And my question to you is do you have

1 any comments or concerns or agreement or
2 disagreement with this methodology that the Staff
3 has used?

4 DR. OSTADAN: Let me read again. I am
5 now on the next page starting with, "In this
6 regard."

7 Q. Yes.

8 DR. OSTADAN: "In this regard the
9 seismic wave whose length is twice the path length
10 over width will produce maximum bending in the pad;
11 whereas the seismic wave whose length is four times
12 the path length over width produce maximum rocking
13 of the pad." As I indicated a few minutes ago, I
14 have no objection to where the main source of the
15 energy is and what they are doing here. What I am
16 saying, we cannot rule out that there will not be
17 any inclined waves. As small of energy as they
18 have. And that is the basis of ASCE 4-98
19 recommendation.

20 ASCE 4-98 gives you two choices, in my
21 view. One is you perform your structural analysis
22 considering inclined waves. And that is from the
23 analysis, structural analysis. Or do not perform
24 that, include accidental torsion just the same way
25 you did it for the canister transfer building.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. But my question was this: If I
2 understand what the Staff did, they were able to
3 find a relationship between the wavelength of the
4 incoming wave and the displacement that the
5 incoming wave causes on the pad. And they computed
6 that displacement, which I believe is on the order
7 of, I think they call it V, and it comes to be on
8 the order of .60 inches for maximum rocking, V is
9 equal to .19 inches for maximum bending, that's in
10 one direction of the pad. And in the other
11 direction you have maximum displacements of V equal
12 to .68 inches for displacement. And 1.16 inches
13 for rocking.

14 Q. Do you have any disagreement or reason
15 to disagree with that calculation by the Staff,
16 with these numbers?

17 DR. OSTADAN: Okay. Let me read the
18 conclusion that they state after they decide these
19 numbers you just read.

20 It goes on to say that the amount of
21 rotation of the surface of the storage pad lifts up
22 .1 degrees and therefore the stability of the casks
23 would not be affected by nonvertically,
24 out-of-phase seismic waves that may occur at the
25 site. That's basically what it boils down to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. Yes. I'm sorry. I omitted to put that
2 result. That is true also for the other direction
3 of the pad?

4 DR. OSTADAN: Yes. And they go on to
5 the other direction, north/south. And now I'm not
6 in a position to express opinion on these numbers.
7 I just saw it now.

8 Q. Assuming, again, the Staff has to defend
9 its numbers if they are attacked. Assuming that
10 these numbers are correctly computed. Would they
11 tell you that the amount of displacement and
12 rotation that is caused on these pads by
13 nonvertically propagating waves is small enough to
14 be negligible?

15 DR. OSTADAN: I would say these
16 calculations are correct and the effect would be
17 small in any case.

18 Q. Okay. Let's move --

19 JUDGE FARRAR: Mr. Travieso-Diaz, let me
20 interrupt you. We have the people here that we
21 need to take up that collateral matter, which we
22 would like to do now. So if all counsel and their
23 clients would approach the bench, we will go off
24 the record.

25 (Bench discussion off the record.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE FARRAR: We have just had a very
2 brief discussion with the parties on this
3 collateral matter and now we will return to the
4 cross-examination. Sorry for the interruption, but
5 the timing was right.

6 MR. TRAVIESO-DIAZ: I have only one more
7 area to cover so I expect to be finished shortly.
8 The last item that I see in your testimony that is
9 of concern to you, I believe it's in the very last
10 answer. Answer 46, the last page, 23. It has to
11 do with something called cold bonding. Maybe you
12 can explain for the Board what cold bonding means.

13 DR. BARTLETT: I'll take a shot at it
14 here for a moment.

15 Q. Okay.

16 DR. BARTLETT: And I was here for the
17 testimony of Dr. Singh so I heard his explanation
18 of what he thought cold bonding was. And I think
19 maybe it's just a difference in terminologies and
20 disciplines that we see and how we are interpreting
21 what this means. Cold bonding, to us, at least,
22 who work with natural materials, is for example
23 maybe we have sands in contact with each other.
24 Obviously the sands stresses where they transfer
25 stress from one grain to another, those contact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 points, the stresses can be relatively high just
2 from the fact that the area in which they are in
3 contact is relatively small. Now, remember we are
4 talking on the grain to grain size scale here. We
5 are talking about really interparticle contact
6 here.

7 In the case of something like sands, the
8 stresses, the contact stresses over a long period
9 of time can cause local deformation actually of the
10 grains. And because of these stresses then in this
11 grain-to-grain contact, there will be some
12 localized deformation of those contact points and,
13 in fact, a subtle but measurable interlocking
14 effect. This has been documented in sands. I
15 recall John Smerland from the University of
16 Florida was looking at the mechanical aging of
17 sands and bonding of sands. I don't know if he
18 used the term "bonding" but mechanical aging, and
19 noticed an increase in shear resistance of the
20 sands due to these contact stresses and local
21 deformations with time, and it was a measurable
22 effect.

23 In the case here at PFS, we are not
24 really dealing with sands but we must remember that
25 with concrete, one of the major components of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concrete still is sand and there are grains of sand
2 that will be exposed at the surface of the
3 concrete. Now, the metal will be in contact with
4 that sand that's bound in the concrete. And with
5 time, because again it's grain-to-grain-contact
6 with a metal surface, there can be some local
7 deformation of the grains of the sand and in
8 conjunction with the bottom of the metal. And this
9 can produce an effect where the shear resistance or
10 resistance to sliding, maybe I should say, in this
11 case will be higher due to this effect. It is
12 somewhat of an interlocking effect. So there's
13 additional resistance to movement caused by this,
14 and what we refer to now as cold bonding. But it
15 has nothing to do with the bonding that somebody
16 would be studying in metallurgy and those types of
17 things. Pressure bonding of two metals.

18 Q. This is interesting, Dr. Bartlett. I'm
19 not sure it's accurate. But my understanding of
20 both the testimony here in Answer 46, all that has
21 been said before in depositions and so on, related
22 to the situation in which the potential for
23 somehow, due to the continued contact between a
24 metal in this case, the cask surface, and the
25 concrete would cause the equivalent of, if I can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 use the term, a weld. And so I am not
2 understanding the mechanism, because what you are
3 talking about is at a microlevel. I don't see how
4 having a grain of sand or the portion of a grain of
5 sand as part of the concrete material on the
6 surface could create a bond with steel which
7 doesn't have similar kind of material. Can you
8 explain that?

9 DR. BARTLETT: Again, we need to back
10 off and make sure the two disciplines are talking
11 to one another. The welding analogy I'm not sure
12 we have ever used. We have used cold bonding in
13 the sense of what we meant. I went to the
14 grain-to-grain size, to that scale, just to explain
15 the phenomenon and what is occurring. Even though
16 these local contact surfaces at the grain-to-grain
17 scale are small, remember the net effect or the
18 phenomena over a large area still can give you an
19 additional sliding resistance that is not purely
20 frictional. It is an extra resistance due to some
21 bonding. And that's the way we use cold bonding.
22 Again, it's not meant to be a welding. It's meant
23 to be just an additional resistance to shear due to
24 these contact points and high stresses that develop
25 there and the local deformations that occur with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time.

2 Q. Let me tell you what my problem is. I'm
3 reading from the testimony of Dr. Ostadan, Answer
4 46, the last sentence. "Even though you started
5 with a considerably smooth surface with limited
6 friction, because of the stress on the contact
7 points over time, however, there may be a bonding,
8 a welding taking place, and you may no longer have
9 this smooth, ready-to-slide condition such as the
10 one Holtec relies upon in its analysis." What I'm
11 hearing Dr. Ostadan here, and I'm thinking perhaps
12 he should help us here, is not in the nature of
13 what you are talking about. It's in the nature of
14 the more traditional type of, well, as he says,
15 stress-induced contact, akin to a weld in some
16 cases.

17 DR. BARTLETT: I will defer to
18 Dr. Ostadan. But we will see if his definition of
19 cold bonding was consistent with the way I
20 explained it.

21 DR. OSTADAN: Well, I think Dr. Bartlett
22 explained the phenomena itself, why cold bonding
23 happens and this interlocking takes place. But to
24 the extent I relate to the subject, the word really
25 is the key word you just read. That if you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this locking condition developed due to
2 concentration of stresses over time, we do not have
3 a cask that is ready to slide, as the computer
4 program assumes is the case. It would need the
5 initial shock to break that lock, and then from
6 there on it slides. And so that initial shock
7 creates additional vibrations and disturbance in
8 the movement.

9 Q. I'm sorry. I missed what initial shock
10 you are talking about.

11 DR. OSTADAN: To break that bond, to
12 break that cold bonding that exists between the
13 cask and the pad, there is a kick needed to unlock
14 it.

15 Q. Well, okay. But you are talking about
16 the consequences. I'm still trying to understand
17 the phenomena itself. How do you get the cold
18 bonding in the first place?

19 DR. OSTADAN: The cold bonding, I think
20 Dr. Bartlett tried to explain that from a
21 geotechnical point of view. I can also answer some
22 explanation from a structural point of view.

23 As I discussed the other day, the other
24 form of isolation system is called friction
25 pendulum system that is used for structures in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which you have two metal surfaces, one in the form
2 of the sphere and one in the form of a concave
3 shape. And the sphere is moving inside the concave
4 shape to try to dissipate the energy. The main
5 concern, this has always been, "What happens over
6 time?" This phenomena in that language is called
7 strike/slip. You need to strike this thing and let
8 it loose after ten, fifteen years so that it can do
9 what we assume it will do. And I think the same
10 concern applies here with the cask and the pad.

11 Q. Perhaps we could expedite this
12 discussion by asking you these two questions. Have
13 you ever sought to estimate the maximum amount of
14 deformation that you could expect to see at the
15 pad/cask interface due to cold bonding?

16 DR. OSTADAN: No, I have not.

17 Q. Have you?

18 DR. BARTLETT: No, I have not.

19 Q. Have either of you been aware that the
20 NRC staff in its testimony has undertaken this
21 task?

22 DR. OSTADAN: I'm not aware of that,
23 either.

24 DR. BARTLETT: I'm not aware of that,
25 either.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. And this is -- again, this doesn't have
2 to go on the record because this is a copy of the
3 transcript of the May 3 testimony by Dr. Ofoegbu
4 and Mr. Pomerening. It would refer you to page
5 6505 of the transcript in which I ask Mr.
6 Pomerening, I'm looking at Line 7. "Now you
7 compute a maximum total deformation on 972
8 microinches. Is that 972 times ten to the minus
9 six?" And the answer is, "Yes, sir." Again, I'm
10 not expecting that either of you will attest for
11 this number. But will you regard, as experienced
12 engineers, a deformation of 972 microinches to be
13 significant?

14 MS. CHANCELLOR: Your Honor, maybe the
15 witnesses should see the question or the answer
16 that Mr. Pomerening gave to which this question
17 applies, which I understand is Answer 2 of Mr.
18 Pomerening's testimony.

19 DR. BARTLETT: Yes. I think what would
20 be relevant to us is understanding how this was
21 calculated and what theory is this. Is this
22 elastic deformation we are looking at, the 972
23 microinches? How is it calculated?

24 Q. My question to you is I don't expect you
25 to agree or disagree with the number based on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fact that you, as you said, you don't know how they
2 computed it. But my question is assuming that the
3 number is correct on its face, 972 microinches,
4 what significance would you attach to it?

5 JUDGE FARRAR: But Ms. Chancellor is
6 correct. I think that --

7 MS. CHANCELLOR: There's no need to --

8 JUDGE FARRAR: Or you are not correct?

9 MS. CHANCELLOR: I'm correct, your
10 Honor. I didn't mean to interrupt you.

11 JUDGE FARRAR: That even if this is a
12 hypothetical, he has to know what the hypothetical
13 relates to, what that number relates to. Is that
14 your point?

15 MS. CHANCELLOR: Exactly. You could do
16 this without this testimony; is 972 microns a small
17 number?

18 JUDGE FARRAR: Can we get the simple --
19 the simple solution is let's get a copy of that
20 testimony.

21 MR. TRAVIESO-DIAZ: I believe we have it
22 already because we just used it to talk about
23 inclined waves, the same testimony.

24 JUDGE FARRAR: But was that the same
25 question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANCELLOR: No. I believe it is
2 Answer 23.

3 JUDGE FARRAR: It's a different question
4 and answer.

5 MR. TURK: Question and Answer 23 that
6 appears at Pages 24 to 25 of the prefiled
7 testimony.

8 DR. OSTADAN: Page 24?

9 MR. TURK: May we go off the record?

10 JUDGE FARRAR: Yes.

11 (Discussion off the record.)

12 DR. BARTLETT: No. I guess looking at
13 the way the number was derived, I guess I would
14 comment on a few points. First, we are talking
15 about local deformations of contact points. As I
16 understand what I'm seeing here, this is a
17 calculation distributing the full weight of the
18 cask over a large diameter. So it is talking about
19 the area of the bottom of the cask. And so the
20 contact points of this grain-to-grain contact that
21 we are talking about, or point-to-point contact,
22 are much less than the total area of the contact.

23 Then, also, it seems to be this has been
24 done on a modulus of elasticity so this number that
25 we see is really an elastic strain. This effect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we are talking about is really more of a creep
2 phenomenon. In other words, it is deformation with
3 time at these contact points. And it's not an
4 elastic phenomenon. It's a creep phenomenon.

5 Q. Dr. Bartlett, before going on, perhaps
6 we could clear up something. I believe that Answer
7 23, as I read it, is based on the concept of creep.
8 In fact, it cites ACI Standard 209 relating to
9 creep, shrinkage, and temperature effect on
10 concrete structures. Are you saying that's not a
11 proper thing to look at to compute deformation?

12 DR. BARTLETT: Could you show me the
13 line again, please?

14 Q. It is at the beginning -- in fact, it
15 starts with the word "creep". It's like ten lines
16 from the end of the answer to question 23.

17 MS. CHANCELLOR: Seven.

18 MR. TRAVIESO-DIAZ: I can't count, I
19 told you.

20 DR. BARTLETT: Yes, I see. I do now
21 stand corrected that it appears -- I was looking on
22 the first page and just saw the modulus of
23 elasticity. But reading on, it does appear that
24 also creep was put in the calculation. But again,
25 the issue is not only what type of moduli you use,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether you are using a modulus appropriate for
2 elasticity and also one that includes now the
3 creep, but the area over where you distribute the
4 stresses. This is a stress distributed over a very
5 small area where we actually have contact. In
6 other words, over a bottom of a cask it's
7 unreasonable to think that over that full area
8 everything is in contact, because of surface
9 irregularities, grain-to-grain, point-to-point
10 contacts. So you can't take the full cask load and
11 distribute it over the diameter of the cask to
12 calculate these varying stresses.

13 Q. Well, Dr. Bartlett, let's just go back
14 to my question. I understand you have some
15 concerns of the methodology. I just want to get
16 your assessment as to what will be -- assuming that
17 this number that they came up with is right, and
18 again you may have methodological difficulties with
19 the way they came up with it, but assuming the
20 number is right and the total amount of deformation
21 attributable to cold horse is 972 microinches, what
22 physical significance would you attribute to that
23 deformation?

24 MR. BARTLETT: I'm not sure I can. The
25 way one would set up an experiment to measure this,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if indeed it was happening, was to place something
2 similar to a cask on a pad, let it sit for 20, 30
3 years so we have elastic and creep strain going on,
4 and then see if one could measure additional
5 resistance to movement that you wouldn't have found
6 if you did this initially at day one with a new
7 cask and a new pad. So I'm not sure I can relate
8 the amount of surface deformation and how it
9 relates to an additional sliding resistance that
10 may be provided by this bonding that may be going
11 on.

12 Q. One more question. I think this horse
13 is getting pretty beaten. One last question.
14 Wouldn't, in fact, in terms of practical
15 consequences, having this bond that you said needs
16 to be broken before the cask can slide, be
17 equivalent to having a higher coefficient of
18 friction in terms of the way it works? I know the
19 mechanisms are different. But the practical
20 effect, wouldn't it make it harder for the cask to
21 slide?

22 DR. OSTADAN: At the initial stage. It
23 would be quite different from what you postulated
24 based on coefficient of friction. Coefficient of
25 friction means that even with the coefficient of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 friction of 1.0, that means the cask is able to
2 slide. It's just the frictional forces will be
3 different. But what this is talking about, at the
4 initial stage before the cask slides there is some
5 resistance to break that bond. And that resistance
6 in dynamics means some additional vibrations and
7 shock, if you will, to break the bond.

8 Q. Well, would it be equivalent to having,
9 and I promise this is my last question, would it be
10 equivalent, in fact, to having a rougher surface in
11 between the two, having perhaps steel that is not
12 totally polished or concrete that has granular
13 irregularities? In its effect. Again, the
14 mechanism is different but in its effect.

15 DR. OSTADAN: I can't relate it to that.
16 Sorry.

17 Q. But the testimony is it would make the
18 cask harder, it would be harder for the cask to
19 move, whatever you call it. Is that right?

20 DR. OSTADAN: Initially. That's the key
21 word.

22 Q. And you know, you are aware, I'm sure,
23 that Holtec has drawn a wide range of cases,
24 assuming different degrees of resistance to sliding
25 by the cask?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OSTADAN: They have, yes.

2 Q. So this particular instance might well
3 be covered by the cases; right?

4 DR. OSTADAN: I can't --

5 Q. They went from .2 to .8.

6 DR. OSTADAN: Again, I cannot relate --
7 this is a phenomenon that would cause some
8 resistance at the initial stage of sliding and then
9 it would slide whichever coefficient is
10 appropriate.

11 Q. That's all I have.

12 JUDGE FARRAR: Forgive my layman's
13 question here. But as I have heard you describe
14 this phenomenon, I'm trying to compare it
15 qualitatively to the forces imposed by the design
16 basis earthquake. Is it really significant when
17 compared to those forces? In other words, how does
18 this make a difference?

19 DR. BARTLETT: I think the forces from
20 the design basis earthquake are significant to
21 overcome this cold bonding. It would break it.

22 JUDGE FARRAR: And in breaking it, in
23 other words how much difference in the motion of
24 the cask would result by the fact that at the first
25 instant some of the energy of that earthquake had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to go into breaking this bond?

2 DR. OSTADAN: It is very difficult, your
3 Honor, to quantify. This is now under dynamic
4 conditions. Once we break it, what it really means
5 in dynamics is that we are introducing some high
6 frequency motions. Initial release. And that puts
7 some additional vibration or movement in the case.
8 Unfortunately, I couldn't quantify what it means by
9 additional displacement.

10 JUDGE FARRAR: Okay. You said you were
11 through?

12 MR. TRAVIESO-DIAZ: I'm still finished.

13 JUDGE FARRAR: Mr. Turk, before you
14 start, Dr. Lam has a couple questions.

15 JUDGE LAM: Dr. Ostadan, Dr. Bartlett,
16 good afternoon. In two days of testimony we have
17 heard both of you gentlemen had raised numerous
18 challenges to the Applicant's application. Let me
19 give you the same courtesy as I have done earlier,
20 very early in this proceeding, which I promised Mr.
21 Jim Soper. Let me ask you a couple global
22 questions which is, Gentlemen, what is wrong with
23 the Applicant's applications? And if I may ask you
24 to give me your three most compelling deficiencies
25 about the application, would you be able to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that?

2 DR. OSTADAN: Yes, your Honor. I'd be
3 happy to. Maybe I can give you three on the demand
4 side of the equation and perhaps Dr. Bartlett could
5 give you three on the capacity side. Would that do
6 it?

7 JUDGE LAM: Okay.

8 DR. OSTADAN: Since you are looking for
9 global, global, I will stay with that notion. The
10 features called on for this facility are, in my
11 view, a number of key features are unprecedented
12 and unproven. That's number one. And I could
13 elaborate on that. One is having foundation of
14 structures here with barely minimal embedment and
15 expecting these to carry the large seismic loads
16 that we have here. This is not a new thing we have
17 discovered. It is a problem that we have in our
18 practice all along. This is a major problem for
19 many infrastructure facilities in the U.S. They
20 don't meet the codes. And unfortunately it is not
21 easy to go out and try to glue the foundation by
22 layer of soil cement. This doesn't work. It is
23 much more involved. So I think having surface
24 foundation and being able to meet the requirement
25 for sliding is, in my mind, quite a challenge.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Second is the concept of cask sliding on
2 the pad. It is unproven. There is no test. And
3 unfortunately, full credit has been taken for a
4 great deal of reduction of seismic loads based on a
5 nonlinear computer analysis. I'm concerned with
6 that, since this analysis we know very well could
7 be quite sensitive. And therefore, as I indicated
8 the other day, even for other types of isolation
9 that our industry employs, our conventional codes
10 do not allow the designers to take full advantage
11 of this dissipation. They limit that, to a certain
12 extent. And it's mainly because we really don't
13 know how they act during major earthquakes.

14 Third concern I have is to recognize
15 that it's a very poor soil site. It is a very soft
16 soil. The calculation that Applicant has performed
17 indicates several inches of settlement. That, by
18 itself, indicates that the site soil may not be
19 capable of carrying these horrendous loads coming
20 to it and, therefore, the foundation concept
21 proposed here becomes more vulnerable to carry the
22 seismic loads.

23 JUDGE LAM: Thank you, Dr. Ostadan.

24 DR. BARTLETT: My experience is that the
25 upper Bonneville clay is too -- we have to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 careful in designing with them. They do not have a
2 lot of capacity. These soils here at the PFS site,
3 because they are considerably above the water
4 table, they tend to be drier, desiccated, stiffer.
5 However, we must keep in mind that this facility is
6 going to be there for approximately 40 years. We
7 must consider, also, that the Applicant's relying
8 solely on these clays and their strength to resist
9 sliding. The design is to take and transfer the
10 seismic loads to these clays. If, per chance,
11 these clays may change their characteristics with
12 time, maybe due to moisture content, other things,
13 their resistance may not be as high as we have
14 anticipated. They could be influenced by
15 construction activities and other things that are
16 going on. Now, so my concern is the capacity
17 really of the clays to take these seismic loads and
18 resist them with adequacy.

19 And somewhat parallel with that, I
20 guess, would be the really sparse testing that has
21 been done to quantify the resistance of these
22 clays. The mode of failure in this case is shear
23 failure in this direction. And we see,
24 particularly for the pad and placement area, that
25 we have just a few tests to really quantify what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the shear resistance is. This leaves us open to
2 uncertainty. There could be potential that we may
3 be somewhat overestimating their shear strengths.
4 And this really lack of large numbers of tests to
5 support the design really concerns me.

6 And I guess lastly, the use of soil
7 cement in itself in this case we think is unique.
8 Soil cement has been used under roadways, for
9 highways, for providing a stabilized base. It's
10 been used in construction of dams to stabilize the
11 slopes of a dam. However, in this case it is
12 unique in that we are now looking at a case where
13 foundations are trying to move back and forth, and
14 the soil cement is expected to resist those
15 motions. One of the main concerns we really have
16 in addition to all the cracking and the things that
17 can go on that could damage the soil cement during
18 the seismic event really is its poor tensile
19 capacity. The soil cement in this case will be
20 expected to not only resist compression, which it
21 does have fairly reasonably high compression
22 strengths compared to soils, but it will also be
23 placed in tension. So to draw an analogy, when we
24 do reinforced concrete design, and concrete has
25 relatively low strengths in tension, there has to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 be reinforcing steel which provides the tensile
2 strength within the concrete.

3 In this case, the soil cement around the
4 pads is expected to behave like a mat, but yet it
5 is unreinforced. And the seismic demands being
6 placed on it are large. We know that it will go
7 into tension due to potential for out-of-phase
8 motion between the foundations and the adjacent
9 soil cement, and I'm just not sure that it will
10 actually be able to survive this event without
11 serious damage and reduction of its capacity. So I
12 guess that sums it up. And I know we will talk
13 more about the soils and the soil cement in Part C.

14 JUDGE LAM: Thank you, Dr. Bartlett. I
15 have a final question to both of you gentlemen. To
16 help me to better calibrate your concerns, which
17 are numerous here, let me ask you to reflect on the
18 pad settlement issue. If I may group your concerns
19 into major, major concerns which you have described
20 or something minor or something somewhere in
21 between, where would you put your concerns
22 regarding the pad settlement? I mean, where would
23 you put it? Would you call it the major concern or
24 minor concern or somewhere in between?

25 Before you answer, let me share with you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where I am going. I see a pad of 67 feet long. I
2 see testimony from you and the Applicant's counsel
3 that we are dealing with settlement of two inches.
4 We are talking about dimensions perhaps well within
5 the tolerance of pad manufacturing and
6 installation. But in listening to your testimony,
7 I have not been able to come away with the
8 impression in terms of degree of significance where
9 you, Dr. Ostadan, or Dr. Bartlett, were placing it.
10 I mean, where does it belong?

11 DR. OSTADAN: Let me try to answer that,
12 and Dr. Bartlett might have other points to add. I
13 think, first of all, as I indicated, two inches, as
14 small as it may sound, compared to the dimension of
15 the pad, is a significant number in geotechnical
16 engineering practice. Even for a building, a
17 regular building, having a two-inch settlement is a
18 significant number and something needs to be done
19 about this. It's not a good foundation to have a
20 two- inch settlement.

21 Now, I think we need to look in this
22 number in the context of the margin that exists and
23 what would it do to the design. The action of the
24 pad in response to settlement, in one case could be
25 a dishing action that we discussed. And another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 element of it that we didn't get to elaborate on is
2 the soil is a continual medium and as these pads
3 are being loaded they drag down the ground, they
4 tend to tilt the pads nearby. So there's a sort of
5 a regional settlement pattern taking place, also.
6 And given that cask response could be so sensitive,
7 based on this analysis, I remain concerned that not
8 having any redundancy, how much additional movement
9 we may induce by this settlement in the response of
10 the cask. And if it adds another few inches or
11 another foot or so during seismic excitation, it's
12 a concern I have.

13 In terms of calibrating that, whether it
14 is extremely significant or significant or
15 moderate, that's a really tough yes to me. I would
16 characterize it somewhere between moderate to
17 significant as far as the cask's response.

18 JUDGE LAM: I see.

19 DR. BARTLETT: In looking at the
20 settlement around the pads, one of the issues we
21 have also raised is what will the settlement do to
22 the cracking of the soil cement around the pads?
23 If there's cracking now as settlement occurs in the
24 soil cement, again it will reduce this tensile
25 capacity we have talked about. It will already be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pre-cracked. So that's another concern that we
2 have had is the effects of settlement on the
3 integrity of the soil cement.

4 JUDGE LAM: Thank you. That's all the
5 questions I have.

6 JUDGE FARRAR: Dr. Bartlett, let me ask
7 another question from my layman's perspective.
8 When you talked about the use of soil cement now
9 and gave some examples of how it has been used
10 before, I took the tone of your answer that it's
11 been used in these other applications, which are
12 much less crucial than this one, when you mentioned
13 highways and a few other things.

14 DR. BARTLETT: Correct.

15 Q. But when you said dams, I have this
16 vision of a dam breaking and everyone in the valley
17 being swept away. So I don't quite understand why
18 you would put dams in the less crucial rather than
19 the more crucial category.

20 DR. BARTLETT: I think what I was trying
21 to point out with that example, dams are crucial
22 facilities and if they rupture, real consequences
23 happen. In some cases they have used soil cement
24 or sometimes also use a product called
25 roller-compacted concrete, which is similar to soil

1 cement. Remember, dams have in them many, many
2 layers. There's different things within the dam to
3 prevent seepage. There's clay core and different
4 parts. And some people have used these on the
5 facings of the dams or along the slopes mainly as a
6 way to stabilize the slope so that you don't have
7 excessive erosion of the slope. Obviously there's
8 no structures built on it. It is essentially just
9 a facing type of thing. And I see that as a
10 distinctly different application than what's being
11 done here.

12 JUDGE FARRAR: Okay. Dr. Ostadan, just
13 so our record is clear, your years of service with
14 Bechtel are what?

15 DR. OSTADAN: I started in '95, your
16 Honor.

17 JUDGE FARRAR: And you are still there?

18 DR. OSTADAN: I still am there, yes.

19 JUDGE FARRAR: Okay. Mr. Turk, would
20 you like to -- I think our next reporter is here so
21 if you needed a break before you start, we could
22 have that or we can just go.

23 MR. TURK: I'd prefer to go, because I
24 think I'm going to have a lot and we are going to
25 run short of time. We have a witness availability

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problem.

2 JUDGE FARRAR: Then why not get started
3 and we will -- we are looking at five o'clock to
4 make your plane?

5 DR. OSTADAN: Yes.

6 JUDGE FARRAR: Then let's press forward.
7 And when you come to a break any time in the next
8 twenty minutes, then signal us and we will change
9 reporters.

10 MR. TURK: Is everyone all right with
11 going forward for another 15, 20 minutes?

12 DR. OSTADAN: Yes.

13 JUDGE FARRAR: Let's go.

14

15 CROSS-EXAMINATION

16 BY MR. TURK:

17 Q. Gentlemen, my name is Sherwin Turk. I'm
18 an attorney with the NRC staff in Washington, D.C.
19 You have probably noticed we had quite a few people
20 with us during the past week that have attended
21 hearings, and some of them are with me today.

22 I'd like to start, first of all, by
23 asking you a bit about your professional
24 qualifications. Dr. Bartlett, you are currently
25 employed as an Assistant Professor of Civil and

1 Environmental Engineering?

2 DR. BARTLETT: That's correct.

3 Q. And that's at University of Utah?

4 DR. BARTLETT: That's correct.

5 Q. And that's a full-time position?

6 DR. BARTLETT: Yes.

7 Q. Dr. Ostadan, you mentioned just before
8 in your response to Judge Farrar's question that
9 you are with Bechtel?

10 DR. OSTADAN: I am with Bechtel and I
11 also, at times, am retained for the University of
12 California teaching graduate classes.

13 Q. Part-time teacher there?

14 DR. OSTADAN: Yes.

15 Q. At Bechtel are you employed full time?

16 DR. OSTADAN: Yes.

17 Q. What is your current position?

18 DR. OSTADAN: I'm a chief engineer.

19 Q. What's the precise title of your
20 position?

21 DR. OSTADAN: Chief geotechnical
22 engineer.

23 Q. I'm looking at what's been marked as
24 State's Exhibit 110. I don't see that title here.
25 I see mentioned that you are chief soils engineer.

1 Is that a previous position?

2 DR. OSTADAN: Same thing. Soils or
3 geotechnical.

4 Q. Essentially the same position?

5 DR. OSTADAN: Right.

6 Q. And that is full-time, you said?

7 DR. OSTADAN: That's correct.

8 Q. Are you lead geotechnical engineer? Is
9 that what you said?

10 DR. OSTADAN: That's what chief means,
11 yes.

12 Q. And how many people do you supervise?

13 DR. OSTADAN: Really depends on the
14 project. It changes all the time. I oversee
15 design and design calculations I review. So my
16 staff changes and people who I interact with
17 changes depending on the project.

18 Q. Can you give me an example, for
19 instance, currently?

20 DR. OSTADAN: Currently, say five people
21 now.

22 Q. Five people?

23 DR. OSTADAN: Yes.

24 Q. And is that pretty much in the range of
25 how it works from project to project, about five

1 people?

2 DR. OSTADAN: Yes.

3 Q. And what skills would those people have?

4 What would those specialties be?

5 DR. OSTADAN: Mostly the things I deal

6 with, I have various expertise in the group.

7 Conventional geotechnical engineering foundation

8 design. But focal point of our expertise in that

9 group is soil structure interaction and

10 geotechnical and earthquake engineering.

11 Q. Have you worked on many nuclear

12 facilities applications?

13 DR. OSTADAN: Yes.

14 Q. And in what capacity do you do your work

15 with respect to nuclear facilities?

16 DR. OSTADAN: Mostly soil structure

17 interactions.

18 Q. And would that be part of the licensing

19 application?

20 DR. OSTADAN: In support of, yes.

21 Q. And again, that is focusing primarily on

22 soil structure interactions?

23 DR. OSTADAN: Yes.

24 Q. And you indicated that soil structure

25 interaction is an important consideration that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 should be taken into account in seismic design?

2 DR. OSTADAN: Depending on the project,
3 yes.

4 Q. By the way of reference, Dr. Khan's
5 report, the Altran report, does that include any
6 soil structure interaction effects?

7 DR. OSTADAN: No, it doesn't.

8 Q. You mentioned that you have done work
9 with respect to the Diablo Canyon nuclear power
10 plant?

11 DR. OSTADAN: Yes.

12 Q. What was your role with respect to that
13 facility?

14 DR. OSTADAN: I was carrying out, again,
15 the soil structure interaction for the plant as
16 part of the long-term seismic program.

17 Q. When did you begin your work on that
18 program?

19 DR. OSTADAN: I'll tell you when I
20 joined. In '85.

21 Q. When did they discover the Housby fault?

22 DR. OSTADAN: I think it was discovered
23 when I joined.

24 Q. About the same time you joined, or
25 shortly after?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OSTADAN: I don't remember the
2 dates. It was prior to that.

3 Q. It was discovered before you joined?

4 DR. OSTADAN: Yes.

5 Q. You made a distinction earlier in your
6 testimony between this site, which had a fault
7 discovered underneath it during the design process,
8 and the Diablo Canyon site where a fault was
9 discovered after design.

10 DR. OSTADAN: Yes.

11 Q. Did you mean to suggest that it is a
12 worse case to discover it while you are designing
13 the facility or a worse case to discover it when
14 you have already completed your design?

15 DR. OSTADAN: Would you explain what you
16 mean by "worst case"?

17 Q. Yes. You seemed to suggest that the
18 fact that a fault has been discovered during the
19 PFS design process was more ominous or more
20 unfortunate than a situation where a fault is
21 discovered after a facility has been designed. Was
22 that your intent?

23 DR. OSTADAN: Well, I think I said I do
24 not know of any nuclear facility that it was known
25 during the design that there is a major active

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fault.

2 Q. But the fact that a facility recognizes
3 that fact while it is in the design process, would
4 allow it to correct its design or analyze its
5 design to be sure that it meets the conditions that
6 that fault would represent for its safety; correct?

7 DR. OSTADAN: I think I stated my
8 comment in the context of --

9 Q. I'm sorry. Could you answer the
10 question I asked you?

11 DR. OSTADAN: Yes.

12 MS. CHANCELLOR: Objection.

13 MR. TURK: Your Honor, we are short on
14 time. If I ask him a yes or no question, I hope we
15 can move forward on that basis.

16 MS. CHANCELLOR: Mr. Turk, there's no
17 need to be hostile to the witness.

18 MR. TURK: I don't mean to be hostile,
19 your Honor.

20 MS. CHANCELLOR: The witness is trying
21 -- just a moment. The witness is trying to answer
22 the question you asked. The question doesn't
23 always call for a yes/no answer.

24 JUDGE FARRAR: Number one, our rule
25 which I guess we didn't re-enunciate lately is we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prefer a yes or no and then an explanation because
2 that helps us understand the explanation. Number
3 two, some people have one style of cross-examining
4 and others have another. We have seen, even from
5 the State, an effective but -- not from you, Ms.
6 Chancellor.

7 MS. CHANCELLOR: Thank you, your Honor.

8 JUDGE FARRAR: An effective but I would
9 say hostile cross-examination. And that's
10 legitimate. That may not be the way you would do
11 it or someone else would do it, but if Mr. Turk
12 wants to do it --

13 MR. TURK: I don't mean to be hostile.
14 It is three o'clock and the witness needs to leave
15 by five o'clock. I have three hours of examination
16 that we need to compress.

17 JUDGE FARRAR: It can be curt, it can be
18 aggressive, and it can be fast. Let's get moving.

19 Q. (By Mr. Turk) Do you recall my
20 question?

21 DR. OSTADAN: No. Please repeat it.

22 MR. TURK: Madame Reporter, could you
23 repeat it, please.

24 (Record was read as follows:

25 "Q. But the fact that a facility

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recognizes that fact while it is in the design
2 process, would allow it to correct its design
3 or analyze its design to be sure that it meets
4 the conditions that that fault would represent
5 for its safety; correct.")

6 DR. OSTADAN: That's fine, yes.

7 Q. Also with respect to Diablo Canyon, the
8 Housby Fault was discovered after a design had been
9 completed.

10 DR. OSTADAN: Correct.

11 Q. And they had commenced construction
12 before the fault was discovered; correct?

13 DR. OSTADAN: I can't be clear on that.
14 I know it was discovered after the initial design.

15 Q. And that was a strike/slip fault?

16 DR. OSTADAN: Yes.

17 Q. It is correct that a strike/slip fault
18 has potentially greater energy than a normal fault
19 of the same magnitude?

20 DR. OSTADAN: I can't comment on this.

21 Q. Dr. Bartlett, can you comment on that?

22 DR. BARTLETT: Still a little bit of
23 point of controversy, I think there's been studies
24 done for Yucca Mountain showing that normal
25 faulting can lead to somewhat lower ground motions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than strike/slip for the same I guess fault size
2 and area.

3 Q. That's consistent with my general
4 understanding, as well.

5 DR. BARTLETT: I can't remember the
6 number, but it can be somewhat less.

7 Q. Yes. Also, is directivity,
8 Dr. Bartlett, I'll direct this to you. Is
9 directivity a function that has to be considered
10 when evaluating the potential strength of an
11 earthquake?

12 DR. BARTLETT: Generally if you are
13 within 10 kilometers directivity effects can be
14 important.

15 Q. Dr. Ostadan, do you understand the term
16 "directivity"?

17 DR. OSTADAN: Yes.

18 Q. The Housby fault, can you tell me the
19 direction it points with respect to the Diablo
20 Canyon Facility?

21 DR. OSTADAN: I can't recall.

22 Q. In fact, it has a directivity towards
23 the facility; doesn't it?

24 DR. OSTADAN: Perhaps you are right. I
25 cannot recall.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. And it is approximately four kilometers
2 away from the Diablo Canyon site?

3 DR. OSTADAN: I can't recall the
4 numbers.

5 Q. So your testimony here does not mean to
6 suggest that the fault underneath the PFS facility
7 has a greater potential consequence than the Housby
8 Fault near the Diablo Canyon facility; correct?

9 DR. OSTADAN: No, I did not indicate
10 that.

11 Q. Okay. Just before we started my
12 cross-examination, you were asked a question about
13 settlement and you indicated that two inches of
14 settlement may be small, but you believe it to be
15 significant with respect to geotechnical practice.
16 Do you recall that?

17 DR. OSTADAN: That's correct.

18 Q. Are you familiar with a document
19 published by the U. S. Army Corps of Engineers,
20 entitled Engineer Manual 1110-1-1904?

21 DR. OSTADAN: No, I'm not.

22 Q. Do you recognize that the U.S. Corps of
23 Army Engineers establishes standards with respect
24 to geotechnical engineering?

25 DR. OSTADAN: They have the standards,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 yes.

2 Q. This document is entitled Engineering
3 and Design Settlement Analysis. Have you heard of
4 that document?

5 DR. OSTADAN: I don't recall it.

6 MR. TURK: Your Honor, I only have one
7 copy of the document. May I approach the witness?
8 And I invite counsel for other parties to view the
9 document as well at the same time.

10 JUDGE FARRAR: Sure.

11 Q. (By Mr. Turk) I'm showing Dr. Ostadan a
12 two-page document -- I will show the three pages.
13 The cover is as I described. It is a document
14 entitled Engineering and Design Settlement
15 Analysis. Do you see that statement, with the
16 engineering manual number I gave previously.

17 I'd like to turn -- by the way, this is
18 a table of contents for reference. It establishes
19 the nature of the document. Different chapters and
20 sections. It has to do with limitations of
21 settlement, evaluation of settlement for static
22 loads and other matters. I'm turning now to Page
23 2-1 of chapter two which is entitled Limitations of
24 Settlement. Do you see that page?

25 DR. OSTADAN: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. And this document is dated September 30,
2 1990. Correct?

3 DR. OSTADAN: Yes.

4 Q. And I'd like you to read the paragraph
5 that begins with the number 2-2, Total Settlement.
6 Could you read that to yourself down through and
7 including the table?

8 DR. OSTADAN: To myself?

9 Q. Yes, please.
10 Have you had a chance to read that
11 paragraph?

12 DR. OSTADAN: Yes.

13 Q. And I want to read it and tell me if I'm
14 reading it correctly. And Denise, if you want me
15 to start -- if you want me to read the paragraph, I
16 will.

17 MS. CHANCELLOR: No, that's fine, Mr.
18 Turk.

19 Q. I think I will read it aloud.
20 Total settlement. Many structures can
21 tolerate substantial downward movement or
22 settlement without cracking. Table 2-1. However,
23 total settlement should not exceed two inches for
24 most facilities. Am I reading that correctly?

25 DR. OSTADAN: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. And it goes on to say, "Typical
2 specification of total settlement for commercial
3 buildings is one inch. Item 35."

4 DR. OSTADAN: Correct.

5 Q. "Structures such as solid reinforced
6 concrete foundations supporting smoke stacks,
7 silos, and towers can tolerate larger settlement up
8 to one foot." Did I read that correctly?

9 DR. OSTADAN: That's correct.

10 Q. And that's what the document says?

11 DR. OSTADAN: Yes.

12 Q. It represents a table 2-1, Maximum
13 Allowable Average Settlement of Some Structures.
14 Correct?

15 DR. OSTADAN: Yes.

16 Q. And it lists the source for the data.

17 DR. OSTADAN: Yes.

18 Q. And it says for plain brick walls,
19 depending on the length and height, either three or
20 four inches of maximum settlement; correct?

21 DR. OSTADAN: Yes.

22 Q. A frame structure, maximum settlement
23 that is tolerable would be four inches. Correct?

24 DR. OSTADAN: Yes.

25 Q. Reinforced brick walls and brick walls

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with reinforced concrete, six inches. And the last
2 item, solid reinforced concrete foundations
3 supporting smoke stacks, silos, towers, et cetera
4 twelve inches.

5 DR. OSTADAN: Correct.

6 MS. CHANCELLOR: Could we also see the
7 purpose and scope of this document?

8 MR. TURK: If we have it here, I will be
9 glad to show it to you.

10 We don't have the complete document with
11 us, but I can give you the table of contents and
12 represent that the document is publicly available.
13 You can find it after today's session.

14 MS. CHANCELLOR: I want to know what the
15 purpose and scope is for the context in which you
16 are reading this information about settlement.

17 MR. TURK: May I proceed with the
18 witness?

19 JUDGE FARRAR: Ordinarily I would want
20 to resolve this issue right now. But in view of
21 the time constraints, let's leave it pending and we
22 will solve it at a later time.

23 MS. CHANCELLOR: I'd object to this line
24 of questioning. And not knowing the context,
25 whether the Army Corps of Engineers has any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 responsibility for the construction of nuclear or
2 the standards for construction of nuclear
3 facilities.

4 JUDGE FARRAR: We won't determine at
5 this time what weight to give it until we learn
6 more about it.

7 MS. CHANCELLOR: That's fine. I just
8 wanted the objection on the record, you Honor.

9 Q. (By Mr. Turk) Of the different
10 categories of structures referenced in this
11 document, would you agree that the three-foot thick
12 concrete pad or the five-foot thick canister
13 transfer building mat -- it is five feet thick?

14 DR. OSTADAN: Yes.

15 Q. Those would represent something on the
16 order of a solid reinforced concrete foundation?

17 DR. OSTADAN: I'd have to get the table
18 back from you.

19 JUDGE FARRAR: While the witness is
20 looking, Ms. Chancellor, for the entire course of
21 this questioning, we would ask the witnesses to
22 assume that this document is relevant to present
23 purposes and we will find out later if it is.

24 MS. CHANCELLOR: That's fine, your
25 Honor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TURK: The purpose for the
2 questioning is in response to Judge Lam's questions
3 the witness stated that --

4 JUDGE FARRAR: The purpose of the
5 questioning is fine. It's just that we don't know
6 what this document is now. And we don't want to
7 stop and find out. So go ahead with the
8 questioning. The question sounds perfectly
9 legitimate, but we don't know what the document
10 stands for yet. So we will assume the document is
11 relevant for now.

12 DR. OSTADAN: Yes. I would like to
13 complete the sentence. Solid reinforced concrete
14 foundation supporting smoke stack, silos, towers.

15 Q. Those are not nuclear facilities?

16 DR. OSTADAN: I do not think so.

17 Q. When you said that two inches would be a
18 significant number in geotechnical practice for
19 settlements, were you referring only to nuclear
20 facilities or geotechnical engineering in general?

21 DR. OSTADAN: I still believe it is the
22 engineering practice in general, and could also
23 seek Dr. Bartlett's opinion on this.

24 Q. Dr. Bartlett, do you have an opinion on
25 that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: Generally when you look
2 at total settlement, one has to take into account
3 what type of structure or facility. Some are more
4 sensitive to settlement and settlement damage than
5 others. I know for highways, which a lot of my
6 practice has been in lately, that the maximum
7 settlement that we allow for bridges total is one
8 inch. We are a little bit more lenient on our
9 pavement structures; the maximum settlement that we
10 would like to see total is about three inches.

11 Q. Are either one of you aware of the
12 standard for nuclear facilities; how much
13 settlement is considered to be allowable?

14 DR. BARTLETT: I'm not.

15 Q. Dr. Ostadan?

16 DR. OSTADAN: I'm not.

17 Q. You are not aware?

18 DR. OSTADAN: No.

19 Q. Dr. Ostadan, when did you first begin
20 working on this contention, or its predecessor
21 contention, QQ?

22 DR. OSTADAN: I think my involvement on
23 this project goes back to 1999. Somewhere in 1999.

24 Q. And how did you happen to get involved
25 with the contention at that time?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OSTADAN: I knew Dr. Bartlett over
2 the years. We have worked together on a number of
3 projects and he asked for my assistance.

4 DR. BARTLETT: And he didn't hang up.

5 Q. Were you involved with geotechnical or
6 seismic matters with respect to this facility's
7 application prior to the filing of Contention QQ?

8 DR. OSTADAN: Yes, I think I was
9 involved in some other activities.

10 Q. And you mentioned that you were one of
11 the authors of the contention.

12 DR. OSTADAN: Yes, I am.

13 Q. And are you appearing under a contract
14 or agreement with the State of Utah?

15 DR. OSTADAN: Yes, I am.

16 Q. And with which office are you
17 contracting with?

18 DR. OSTADAN: Attorney General's office.

19 Q. When did you enter into that contract?

20 DR. OSTADAN: Back in '99.

21 Q. Isn't that a contract for compensation?

22 DR. OSTADAN: Yes, it is.

23 Q. Can you describe the task which you were
24 given under that contract?

25 MS. CHANCELLOR: Objection. This gets

1 into attorney/client privilege. I mean, the scope
2 of Dr. Ostadan's work is part of the State's
3 litigation strategy.

4 MR. TURK: May I respond?

5 JUDGE FARRAR: Yes.

6 MR. TURK: We have seen that the witness
7 raises numerous problems with the application. His
8 testimony orally has raised additional problems,
9 and I'd like to establish what is the scope of his
10 work and what is the purpose for his work on behalf
11 of the State.

12 (Board confers off the record.)

13 JUDGE FARRAR: Ms. Chancellor, you are
14 representing that the answer to this question will
15 get into privileged matters or work product type
16 matters?

17 MS. CHANCELLOR: Yes, your Honor. I can
18 represent that Dr. Ostadan was retained by the
19 State to assist it in its litigation efforts. But
20 as to the specifics of the scope of his work, I
21 think that that would get into litigation strategy
22 and attorney work product.

23 JUDGE FARRAR: We are going to uphold
24 that objection, partly in the interest of time.

25 MR. TURK: Thank you, your Honor.

1 Counsel's representation helps me. I would have a
2 follow-up question.

3 JUDGE FARRAR: Go ahead.

4 Q. (By Mr. Turk) We will see if this
5 raises an objection. Were you tasked with the
6 chore of reviewing the license application and
7 determining its acceptability?

8 JUDGE FARRAR: Hold on before you
9 answer. Is that all right?

10 MS. CHANCELLOR: If this is the last
11 question, that's fine, you Honor.

12 JUDGE FARRAR: Go ahead and answer.

13 DR. OSTADAN: I can tell you what I have
14 done. As I indicated --

15 JUDGE FARRAR: No. Just answer the
16 question. That was a yes or no question.

17 DR. OSTADAN: To the extent that it
18 relates to the supporting design calculation
19 involving seismic loading, yes.

20 Q. You were tasked to determine the
21 acceptability of the application?

22 DR. OSTADAN: No. As I indicated, to
23 the extent that it relates to the seismic design
24 issues.

25 Q. And in that respect were you asked to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 determine the acceptability of the application?

2 DR. OSTADAN: No. I was not asked to
3 review the acceptability of the application.

4 Q. There was some testimony earlier with
5 respect to differential settlement of the pad. Do
6 you recall that?

7 Your Honor, this was the subject of a
8 motion to exclude by the Applicant's counsel
9 yesterday. I don't know if you recall this. The
10 witnesses had been discussing potential bowing or
11 concave effect of the pad with respect to how the
12 casks may move in the event of a seismic event.

13 JUDGE FARRAR: Right.

14 MR. TURK: At that time, I offered to
15 you some comments which I believe may have led to
16 an incorrect ruling. I would like to ask a few
17 questions and possibly renew the motion to exclude
18 testimony concerning the differential settlement of
19 the pad as it affects cask motion, cask movement.

20 JUDGE FARRAR: Right. We denied the
21 motion based, in part, on arguments you made.

22 MR. TURK: It may have been. I believe
23 I represented that the Staff had filed testimony
24 concerning the settlement of the pad.

25 JUDGE FARRAR: Right.

1 MR. TURK: And I further offered the
2 opinion that there was still an issue as to fair
3 notice as untimely raising of the issue.

4 JUDGE FARRAR: Right.

5 MR. TURK: And I believe my comments
6 might have been confused. And if I may, I'd like
7 to ask one or two additional questions.

8 JUDGE FARRAR: Go ahead.

9 Q. (By Mr. Turk) Dr. Ostadan, you stated
10 you had a role in formulating Contention QQ and
11 particularly with respect to Part D contention?
12 Were you one of the authors of that contention?

13 DR. OSTADAN: Yes, I was.

14 Q. Can you find any place in Part D of the
15 Contention that explicitly states the issue with
16 respect to potential concave deformation of the
17 storage pad such that storage casks may not be able
18 to move as freely as if the pad was perfectly
19 horizontal?

20 MS. CHANCELLOR: I'd object, your Honor.
21 We went through this yesterday. The actual
22 wording, we went through those words.

23 JUDGE FARRAR: Let me cut you off, in
24 the interest of time. You may be right. But Mr.
25 Turk represented that he was going to add something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to what happened yesterday. So let's see if he
2 does or not.

3 DR. OSTADAN: The question is can I find
4 the actual wording of dishing shape and so on?

5 Q. (By Mr. Turk) Anything that
6 specifically mentions that concern within the
7 contention?

8 DR. OSTADAN: Yes, I can. Where it has
9 been expressed, but not the actual wording of
10 dishing. Section D, Part 1 (C) (iii). The
11 evaluation of coefficient of friction of --

12 Q. Just a second. D (1)(C)?

13 DR. OSTADAN: (iii).

14 Q. These are small i's?

15 DR. OSTADAN: Right. Do you see the,
16 "Due to local deformation of the pad --"

17 Q. Yes.

18 DR. OSTADAN: Okay.

19 Q. You were also deposed in this
20 proceeding; correct?

21 DR. OSTADAN: What do you mean by that?

22 Q. Your testimony was taken in a sworn
23 deposition?

24 DR. OSTADAN: Yes.

25 Q. I had occasion last night to review the

1 deposition transcripts and I saw several instances
2 in which you refer to settlement of the pad. But
3 every instance I found you referring to settlement
4 of the pad, you were talking about settlement as it
5 affects the soil cement adjacent to the pad. That
6 was the subject of the concern you expressed in
7 your deposition. Correct?

8 DR. OSTADAN: It has been expressed in
9 that context, yes.

10 Q. Are you aware of any place in your
11 deposition that you raise a concern or expressed a
12 concern about whether or not a concave deformation
13 of the pad may affect the ability of the cask to
14 move freely?

15 MS. CHANCELLOR: Objection, your Honor.
16 Dr. Ostadan would only express an opinion as to the
17 questions asked of him, and if those questions
18 weren't asked of him it wouldn't necessarily appear
19 in his deposition.

20 JUDGE FARRAR: That is a good point, but
21 he can still answer. All that means is his answer
22 isn't necessarily determinative. You may answer.

23 DR. OSTADAN: I don't recall, sir.

24 Q. In fact, the concern you expressed in
25 your deposition was that if the pad settles by some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number of inches, whether it is two or three or
2 four, that could affect its relationship with the
3 soil cement to the side of it; correct?

4 DR. OSTADAN: That has been a concern,
5 yes.

6 Q. And you were asked to identify all your
7 concerns with respect to this contention in your
8 deposition?

9 DR. OSTADAN: I think I have, yes.

10 MR. TURK: Your Honor, I believe I may
11 have mislead the Board in its ruling yesterday in
12 that there is no specific mention in the contention
13 of the issue, and there was absolutely no mention
14 of it in the deposition on which the witness was
15 asked to identify each of his concerns. And if
16 counsel for the State is aware of something that I
17 am not after my reading of the depositions
18 overnight, I would ask her to identify them.

19 JUDGE FARRAR: Ms. Chancellor, the point
20 you were making that I cut you off on before was
21 that if he wasn't asked about it, then not
22 mentioning it wouldn't be conclusive. Now we have
23 in front of us a situation where he was asked or it
24 is represented that he was asked if these were all
25 his concerns. Can you address that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANCELLOR: Well, your Honor, I
2 think that during the deposition, Dr. Ostadan
3 related to Mr. Travieso-Diaz his major concerns,
4 whether he was asked to identify all his concerns
5 because there are so many, whether he actually gave
6 a laundry list and enumerated every single concern,
7 I think that's a different question. The issue, I
8 believe, is squarely within the unified contention.
9 Mr. Turk wasn't present at the deposition. He is
10 just reading the deposition transcript. And I
11 think that this is the issue we hashed out
12 yesterday and that nothing has changed.

13 JUDGE FARRAR: Mr. Turk?

14 MR. TRAVIESO-DIAZ: Could I speak? It
15 happens that I took the deposition.

16 MS. CHANCELLOR: That's correct.

17 MR. TRAVIESO-DIAZ: And I can be
18 somewhat pedantic. I went point by point, issue by
19 issue, contention by contention, subparagraph by
20 subparagraph --

21 JUDGE FARRAR: I get the idea.

22 MR. TRAVIESO-DIAZ: I asked Dr. Ostadan
23 on each of them, "Please tell us what all your
24 concerns are." Not your main concerns, not your
25 leading concerns, not what you are thinking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today. I asked him all your concerns.

2 JUDGE FARRAR: Okay. We got it.

3 MR. TURK: One last note. I may not
4 have been there, but Mr. O'Neill was, and I read
5 the deposition transcript.

6 MS. CHANCELLOR: And your Honor, when in
7 doubt, let it in.

8 (Board confers off the record.)

9 JUDGE FARRAR: As usual, everyone has a
10 point. We're going to adhere to our prior ruling,
11 notwithstanding the new information, Mr. Turk,
12 you've provided here on the theory that, as we said
13 yesterday, there is, in an issue this complex, we
14 think there's enough linkage here. And this also
15 involves areas that the Board asked questions on,
16 so we will deny the motion, Staff's motion and
17 adhere to our prior ruling.

18 MR. TURK: Thank you, your Honor. In
19 light of that ruling, I have one follow-up
20 question, then I think it would be good to time to
21 take a break.

22 Q. (By Mr. Turk) Dr. Ostadan, are you
23 aware of how you would calculate the maximum angle
24 of inclination with respect to the settlement that
25 we've been talking about, the two-inch --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approximately 1.7 or two-inch settlement?

2 DR. OSTADAN: There's no established
3 measure, but I think engineering judgment needs to
4 be exercised. Calculation needs to be put
5 together. I'm not aware of the standard.

6 Q. In calculating an angle of inclination,
7 would that be the same thing as calculating a
8 deflection angle, do you know?

9 DR. OSTADAN: I do not know what
10 you're --

11 Q. Dr. Bartlett, have you ever heard the
12 term "maximum deflection angle" or "angle of
13 inclination"?

14 DR. BARTLETT: I think I've seen some
15 textbooks report those. As I recall, it would
16 probably be the settlement divided by some footing
17 or some dimension of the building.

18 Q. I'd like to show you a chart in which
19 we've written out an equation.

20 Your Honors, I'm not sure if you're
21 going to be able to see this from where you are.

22 JUDGE FARRAR: We can see it.

23 Q. This equation is written out as alpha
24 equals the arctan, and then in parentheses 2 inches
25 over 12 inches times 15 feet. Does that represent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to you in your mind the way that you would
2 calculate the angle of inclination or maximum
3 deflection angle?

4 DR. OSTADAN: That seems consistent with
5 what I've seen before.

6 Q. And what you have on top, then, is the
7 two inches that's the amount of settlement,
8 correct?

9 DR. BARTLETT: Correct.

10 Q. And on the bottom we're converting that
11 to feet so we put 12 inches?

12 DR. BARTLETT: Correct.

13 Q. Times 15 feet, which would be the
14 distance from the center of the pad to the outer
15 edge in the smallest direction, in other words, in
16 the 30-foot direction?

17 DR. BARTLETT: Correct.

18 Q. And if you did that calculation -- can
19 you do that for me?

20 DR. BARTLETT: We trust your
21 calculation.

22 Q. I'm sorry?

23 DR. BARTLETT: We'll trust your
24 calculation.

25 Q. The result would be an angle of 0.64

1 degrees?

2 DR. BARTLETT: Seems correct.

3 Q. That would be approximately the maximum
4 angle of inclination that we're talking about here
5 with two-inch settlement, correct?

6 DR. OSTADAN: You're ignoring one
7 effect, though.

8 Q. I'm asking Dr. Bartlett.

9 DR. BARTLETT: I just had a question.
10 In the denominator you had 15 feet?

11 Q. Yes, that's 15 feet.

12 DR. BARTLETT: Okay. It looked like
13 inches to me.

14 Q. I'm sorry. It's difficult to draw on
15 the board. But would you agree, then, that that is
16 the maximum angle of deflection, 0.64 degrees?

17 DR. BARTLETT: Sure.

18 Q. Dr. Ostadan, you indicated you were not
19 aware of the formula, but do you have a comment
20 you'd like to make about this?

21 DR. OSTADAN: A lot of assumptions you
22 have made in this calculation. First of all, you
23 have assumed the cask is loaded uniformly -- I'm
24 sorry, the pad is loaded uniformly. You have eight
25 casks. And the settlement is uniform, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 middle was because of the distribution is two
2 inches with respect to the edge. They're all great
3 assumptions. I hope that's what happens in the
4 field.

5 What you ignored, though, as I indicated
6 some time ago, is, as you load these pads, there
7 will be dragging in dishing of the whole ground
8 itself near the pad, and that also would impact the
9 angle of inclination for the pad.

10 Q. Dr. Ostadan, it was your hypothesis that
11 the pad sags in the middle much like a mattress,
12 correct?

13 DR. OSTADAN: Yes.

14 Q. That would give you the maximum
15 deformation at the center of the pad, correct?

16 DR. BARTLETT: That's correct.

17 Q. Can I borrow your marker again, please?

18 DR. OSTADAN: Sure.

19 Q. I've drawn on the blackboard a highly
20 exaggerated representation of the storage pad mat.
21 You see there's a horizontal distance of 15 feet
22 leading from the edge of the mat on the outside to
23 a center point? Do you see that?

24 DR. OSTADAN: Yes.

25 Q. And then from the center point down to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an angle which faces, up two-inch differential,
2 difference of settlement, correct?

3 DR. OSTADAN: Yes.

4 Q. And is it correct that the angle, the
5 arctan -- I'm sorry, the alpha, which is equal to
6 the formula we've discussed before, is represented
7 there as the distance -- I'm sorry, as the angle
8 between the horizontal line and the hypotenuse
9 reaching down to a point two inches below the
10 center of the pad?

11 DR. BARTLETT: Yes, that's correct. May
12 I draw another --

13 Q. Would it be correct that that's the
14 maximum deformation if there's sagging at the
15 center of the mat?

16 DR. OSTADAN: No. Let me draw another
17 figure for you, if I may.

18 Your Honor, looking at one pad being
19 loaded, this is what really you have in the field.
20 This is loaded and it's doing this, as I indicated.
21 And this has not been loaded, let's say. There
22 will be some tilting of this pad simply because
23 this has been loaded.

24 JUDGE FARRAR: You're going to have to
25 speak up so the reporter can hear you, or carry the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 microphone with you.

2 DR. OSTADAN: Let me repeat again. We
3 have 500 pads here. You look at the cluster of
4 these pads. Suppose the pad I'm referring to, the
5 upper pad, is being loaded and is going under the
6 deformation that counsel here indicated. By virtue
7 of doing that, it will be dragging this pad down as
8 well. The ground is a continuum. The ground as a
9 whole does the dishing action. And then later on
10 you come in and you load this pad. So this is
11 already tilted, and then this is going to see part
12 of this.

13 So to answer your question is this the
14 maximum, my answer is no.

15 Q. How far apart are the pads?

16 DR. OSTADAN: Five feet in the long
17 direction and 30 feet in the transverse direction.

18 Q. If we're looking at the 30-foot width of
19 a pad, how close is the next adjacent pad to it in
20 that direction? You're indicating 30 feet in the
21 horizontal direction, or is it 35?

22 DR. OSTADAN: 30, three zero. I may be
23 wrong. It may be 35.

24 Q. If an adjacent pad is 35 feet away from
25 the pad of interest and it creates a sagging

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effect, is that going to affect the edge of pad of
2 interest more or the center of the pad of interest?

3 DR. OSTADAN: Both.

4 Q. Which will be affected more?

5 DR. OSTADAN: There will be -- edge will
6 be impacted more than the center.

7 Q. In which case the maximum deflection of
8 the center of the pad of interest would be less
9 than a two-inch differential, correct?

10 DR. OSTADAN: I don't follow you.

11 Q. If you have an adjacent pad exerting a
12 downwards force, pulling downwards on your pad of
13 interest located at a distance of 35 feet away,
14 assuming you're correct that there is some effect
15 of that adjacent pad, you've testified that that
16 would have the greatest affect on the edge of the
17 pad of interest, not on the center of the pad of
18 interest, correct? That's your testimony?

19 DR. OSTADAN: That's correct.

20 Q. If the pad of interest had a two-inch
21 differential due to the loading of that pad with
22 its casks by itself and then was subjected to this
23 additional downward force caused by an adjacent pad
24 35 feet away, that force would be exerted mostly on
25 the edge of the pad, not at the center of the pad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of interest, correct? That's your testimony?

2 DR. OSTADAN: The neighboring pad will
3 be tilting. The amount of movement at the edge
4 will be more than the center, but the angle of
5 inclination, if you will, is the same for the
6 neighboring pad.

7 Q. I don't think you're answering my
8 question. In the case that you describe of the
9 35-foot distance between an adjacent pad and the
10 pad of interest, are you going to have more than a
11 two-inch deflection at the center of the pad of
12 interest? Yes or no?

13 DR. OSTADAN: Yes, you would. You have
14 a superimposing effect here. The pad that's being
15 loaded, as you indicated, you calculated as
16 deflecting two inches, now the neighboring pads are
17 being loaded and it's going to drag the pad down.

18 Q. But you said that it would drag down the
19 edge of the pad more than the center of the pad of
20 interest.

21 DR. OSTADAN: Yes, but everybody is
22 moving down.

23 Q. But you understand that the edge of the
24 pad of interest will be affected more than the
25 center of the pad; so, for example, if there was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 half inch additional deflection caused at the edge
2 of the pad of interest, you would have less than a
3 half inch deflection at the center of the pad. Is
4 that correct?

5 DR. OSTADAN: No, the pad hasn't been
6 loaded. Let me follow the process again on the
7 board.

8 Suppose you loaded this middle pad, and
9 you have, as indicated, this kind of settlement.
10 These two pads have not been loaded yet. This goes
11 under the settlement. The result of this
12 settlement, these two casks -- pad will be tilted
13 towards the middle pad. They will settle, they
14 will settle more on the edge, less in the middle,
15 less out there, but nevertheless tilted because of
16 this ground dishing.

17 Then you come in at some time later and
18 you load this pad. And this pad will do what you
19 just said by itself. So you have this plus what
20 has happened before you load it. That's
21 superimposed.

22 JUDGE FARRAR: Forgive me for
23 interrupting, but it's not additive. It may be
24 superimposed, but it's not additive to the two
25 inches.

1 DR. OSTADAN: Your Honor, you're asking
2 whether it's linear or not, I suppose. You add
3 them in a linear fashion or not.

4 JUDGE FARRAR: Maybe I'm missing
5 something here, but it seems almost just like
6 elemental geometry or something.

7 DR. OSTADAN: Let me go over this again.
8 Suppose we load the middle pad and it goes under --

9 JUDGE FARRAR: Wait, wait. Let me try
10 to help. We start with testimony that if we have
11 one pad all out by itself, there's a maximum
12 two-inch sag in the mattress, as it were, and
13 that's what you said yesterday.

14 DR. OSTADAN: Right.

15 JUDGE FARRAR: And now I still -- I
16 can't figure out how in the last five minutes
17 anything that happens to the edge of any other pad
18 could make the center of that pad's deflection more
19 than two inches.

20 DR. OSTADAN: Let me explain. As I
21 indicated early on, we didn't get a chance to
22 elaborate more on this sort of regional settlement,
23 if you will. We concentrated on one cask settling
24 yesterday. But as we talk about it now, and let's
25 say this is a settlement profile, one pad being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 loaded as indicated here, and this pad has been
2 loaded. Later on, and I don't know the schedule
3 for loading these pads, say a year later or so we
4 come in and load these. These pads will do the
5 same, but in doing so they drag the ground down
6 under them. The settlement of the ground is not
7 limited to the edge of the pad. It has its own
8 dishing action, the mattress effect. It sags part
9 of the ground around this. And therefore this will
10 settle more because this now has been loaded.

11 JUDGE FARRAR: You're saying this will
12 have an iterative action back on the first pad and
13 make it more than two inches?

14 DR. OSTADAN: That's correct. And let
15 me -- this is not new, your Honor. If you design
16 pile foundations and talk to the people who design,
17 for example, pile foundations, piles are usually
18 designed in groups. If you have a foundation, you
19 may have four piles or five piles. You have this
20 group effect, because once one pile is loaded it's
21 recognized that it drags the ground down, and the
22 ground around the pile is being forced down, and
23 therefore the pile next to it will be dragged down.
24 And what we do in geotechnical practice when we
25 have four piles, the capacity of four piles is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equal to four times capacity of one pile because of
2 this phenomenon.

3 JUDGE FARRAR: But don't we run into
4 kind of like an infinite diminishing series here,
5 that if it was only two inches to begin with, this
6 iterative impact from its neighbor isn't going to
7 be anywhere near two inches, and then that going
8 back on the second one is going to be even -- I
9 mean, you would get rapidly diminishing returns.

10 DR. BARTLETT: It does diminish, yes.

11 MR. TURK: Your Honor, one final
12 question.

13 Q. (By Mr. Turk) Dr. Ostadan, have you
14 reviewed the Geomatrix calculation with respect to
15 settlement of the pads and pad system? I'm sorry,
16 Stone & Webster?

17 DR. OSTADAN: I think Dr. Bartlett has
18 done that. I have not.

19 Q. You're not familiar with it?

20 DR. OSTADAN: I have glanced at it.

21 Q. But you're not intimately familiar with
22 it?

23 DR. OSTADAN: No, I am not.

24 Q. Dr. Bartlett, do you recall if that
25 analysis takes into consideration the effect of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adjacent pads?

2 DR. BARTLETT: I don't really recall the
3 details myself. It's been quite some time.

4 Q. But if it did, that would take care of
5 the concern that Dr. Ostadan is raising now,
6 correct?

7 DR. BARTLETT: I'm not sure.

8 Q. Dr. Ostadan?

9 DR. OSTADAN: Yes.

10 Q. It would?

11 DR. OSTADAN: If it's been calculated.

12 I don't think it has.

13 MR. TURK: Your Honor, I think this is a
14 good breaking point.

15 JUDGE FARRAR: Okay. I want to thank
16 our reporters for the change on the fly. It saved
17 us a good bit of time. It's 23 minutes of. Let's
18 just take an eight-minute break, everybody be back
19 here at 3:45 sharp and we'll keep going.

20 (A recess was taken.)

21 JUDGE FARRAR: Are we ready? Witnesses
22 ready to resume?

23 DR. OSTADAN: Yes, we are.

24 JUDGE FARRAR: Ms. Chancellor, do you
25 need a minute?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANCELLOR: No, your Honor.

2 MR. TURK: I'm ready to move on to
3 another subject, your Honor.

4 JUDGE FARRAR: Okay.

5 Q. (By Mr. Turk) Dr. Ostadan, you
6 indicated that you're experienced in soil-structure
7 interaction analyses, correct?

8 DR. OSTADAN: Yes.

9 Q. In fact, is that basically the bulk of
10 the work that you do?

11 DR. OSTADAN: Primarily, yes.

12 Q. Do you observe in your soil-structure
13 interaction analysis work that earthquakes
14 typically involve a number of different
15 frequencies?

16 DR. OSTADAN: Yes, I do.

17 Q. How does that work? Can you explain
18 that mechanism to me whereby different frequencies
19 are produced in a seismic event?

20 DR. OSTADAN: Not sure I understand you
21 well, but let me explain what I think your question
22 is. Earthquake by itself at its own frequency, the
23 wave energies are concentrated, different frequency
24 bands, and depending on the rupture and magnitude
25 of the earthquake and site soil conditions. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's one aspect of it.

2 Then once we have a foundation and a
3 building and a soil independent from earthquake,
4 this becomes a dynamic system and it has its own
5 natural frequencies and frequencies of vibration.
6 If these two frequencies line up, we have resonance
7 amplification; if they don't line up, the resonance
8 effect will be less, and so on and so forth.

9 Q. For the 2,000-year design-basis
10 earthquake at the PFS facility, are you aware of
11 the range of frequencies that have been calculated
12 to result?

13 DR. OSTADAN: I think the ground motion
14 goes to I believe 33 Hz horizontal.

15 Q. That's the maximum?

16 DR. OSTADAN: It's typically the
17 maximum. Vertical sometimes they go higher, to 50
18 Hz.

19 Q. That's not the maximum frequency that
20 would occur in the event, is it, 33 Hz?

21 DR. OSTADAN: What do you mean by event?
22 Earthquake rupture, you mean?

23 Q. Yes.

24 DR. OSTADAN: No. You could have higher
25 frequencies, but typically very high frequencies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have very small energies. So for design
2 calculations we typically stop at 33 Hz.

3 Q. How high do the frequencies get for the
4 2,000-year earthquake at the PFS site? Do you
5 know?

6 MS. CHANCELLOR: Does Mr. Turk have a
7 document? It's a little unfair to ask the witness
8 to remember a number from --

9 MR. TURK: I don't. And if he doesn't
10 remember, that's a fine answer too.

11 MS. CHANCELLOR: Okay.

12 DR. OSTADAN: If you allow me to look at
13 my notes here, I may be more accurate. I think for
14 horizontal they calculate the motion up to 33 Hz,
15 and for vertical is going to 50 Hz.

16 Q. 50 Hz?

17 DR. OSTADAN: Yes.

18 Q. Now, that's the maximum level of
19 frequency that was considered to be potentially
20 structure significant, correct?

21 DR. OSTADAN: Yes.

22 Q. But my question was more general. Do
23 frequencies result in an earthquake event such as
24 the 2,000-year design-basis event at the PFS
25 facility in excess of those frequencies?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OSTADAN: There are frequencies. As
2 I indicated, the energy in those frequencies is
3 very low.

4 Q. And therefore they're not significant
5 for your structural analysis?

6 DR. OSTADAN: That's correct.

7 Q. Do you know offhand how high, typically,
8 a frequency could reach? Are we talking about
9 hundreds of Hz?

10 DR. OSTADAN: No, I don't think we go to
11 hundreds of Hz. In the east coast and depending on
12 the site, if it's a rock site it has a tendency to
13 become higher frequencies. 50 Hz to perhaps 100 Hz
14 is really the maximum.

15 Q. And what about on the west coast?

16 DR. OSTADAN: West coast tends to be a
17 lower frequency due to nature of the earthquakes,
18 so I think the practice has been 33 Hz for
19 horizontal has been sufficient.

20 Q. I'd like to ask you to turn to Figure 17
21 in Dr. Luk's report. We've been referring to that
22 until now as a state exhibit, but I'd like to hand
23 you what is Staff Exhibit P, which is the complete
24 report, dated March 31, 2002. And I think you'll
25 find Figure 17 has slipped a page. It now appears

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on page 34.

2 DR. OSTADAN: You want me to look at
3 page 34, all right.

4 Q. Does that appear to you to be the same
5 Figure 17 that you saw in the state's exhibit?

6 DR. OSTADAN: Seems to be the same.

7 Q. Which was the report dated March 8?

8 DR. OSTADAN: Seems to be the same, yes.

9 Q. Can you tell me what frequencies are
10 associated with the graph shown on that chart?

11 DR. OSTADAN: Well, that's a very
12 difficult thing to do. This is a time history
13 plot.

14 DR. BARTLETT: I think there's spectral
15 accelerations, Dr. Ostadan, on Figure 20.

16 DR. OSTADAN: Actually the plot to the
17 pad is, as indicated by Dr. Bartlett, Figure 20 is
18 a frequency plot or variable plot. So I can look
19 at that and tell you what we see there. For
20 example, if you look at Figure 20b, there's a
21 freefield point response plotted in green and
22 there's a center of the pad response plotted in
23 red, and if I look at .2 second, which is 5 Hz, I
24 have really number close to six and a half g.

25 So to answer your question is, at 5 Hz

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this pad is responding six and a half g.

2 Q. What are you looking at on these charts?
3 What are points A' and D'?

4 DR. OSTADAN: Well, A' is defined to be
5 three feet point, D' is defined to be center of the
6 pad. And there's a figure in the report that shows
7 the physical location of these points also.

8 Q. And how do you calculate frequency? By
9 looking at these charts?

10 DR. OSTADAN: Yes. You see the
11 horizontal axis is period. Period is equal to one
12 over frequency. So if you -- for example, .2
13 second is equal to 5 Hz.

14 Q. So let's start, on the horizontal axis
15 of Figure 20 -- you're looking at 20a, correct?

16 DR. OSTADAN: I'm looking at page 36,
17 Figure 20b.

18 Q. I'm sorry, 20b. If you look at the
19 horizontal axis, right after the number zero you
20 see some very high green lines?

21 DR. OSTADAN: Yes.

22 Q. How would you calculate the frequency at
23 that point just after zero?

24 DR. OSTADAN: You have to guess what the
25 period is. For example, if it's .1, it corresponds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to 10 Hz; if it's .05, corresponds to 20 Hz, so on
2 and so forth. You just invert that.

3 Q. If we start out with -- let's take like
4 a very minuscule number. Let's assume that your
5 frequency is something like let's say .01.

6 DR. OSTADAN: Okay. That corresponds to
7 100 Hz.

8 Q. I'm sorry. The period is .01.

9 DR. OSTADAN: Right.

10 Q. Equals?

11 DR. OSTADAN: Hundred Hz.

12 Q. And do you believe that's represented on
13 this chart?

14 DR. OSTADAN: It goes off the chart,
15 goes about 10 g.

16 Q. This is not a logarithmic chart,
17 correct? It's linear?

18 DR. OSTADAN: Yes.

19 Q. So if you had a period of .01, that
20 would be equal to 100 Hz frequency?

21 DR. OSTADAN: Yes.

22 Q. And that would be represented on this
23 chart?

24 DR. OSTADAN: Yes. You can sort of read
25 it from the horizontal axis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE FARRAR: Could I -- I don't follow
2 this. It looks to me linearly with my eyeball that
3 at .01 there's no green line showing.

4 DR. OSTADAN: That's true, your Honor.
5 If you try to read the green line for .01, it's out
6 of the chart.

7 JUDGE FARRAR: Oh. You're assuming
8 there's green lines off the chart not shown here?

9 DR. BARTLETT: Goes off scale.

10 JUDGE FARRAR: Okay.

11 Q. (By Mr. Turk) It would be so high that
12 it would not even show up on the chart?

13 DR. OSTADAN: We are saying it exceeds
14 10 g because the chart goes up to 10 g only.

15 Q. But Dr. Luk included all the different
16 frequencies in his analysis, didn't he? To your
17 knowledge he didn't exclude anything, really,
18 because it wouldn't be represented on this neat
19 little chart?

20 DR. OSTADAN: I haven't reviewed his
21 report carefully. I don't think he excluded, but
22 he should not have.

23 DR. BARTLETT: It's my understanding
24 these are for the 2,000-year return period
25 earthquake, so that was the input to his analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. Whatever frequencies would result would
2 be reflected on his analysis, correct, even if it's
3 not represented on this particular chart?

4 DR. BARTLETT: Not sure I understand
5 that question.

6 Q. Well, the fact that the green line may
7 in fact extend up above the top horizontal bar on
8 this chart wouldn't mean that the results are going
9 to be included in Dr. Luk's analyses, correct?
10 It's simply going to be represented on this chart?

11 DR. BARTLETT: Oh, I think so. I think
12 it's just a matter of plotting here.

13 Q. Okay. So in fact, then, Dr. Luk
14 considered very high frequencies?

15 MS. CHANCELLOR: Objection, your Honor.
16 The witness has said that he hasn't reviewed
17 Dr. Luk's report in detail.

18 MR. TURK: I think Dr. Barrett answered
19 the question affirmatively.

20 MS. CHANCELLOR: Do you mean
21 Dr. Bartlett?

22 MR. TURK: I'm sorry, Dr. Bartlett. I
23 apologize to you, Doctor.

24 DR. BARTLETT: Yeah, it seems to be just
25 a plotting thing. I'm not sure where his cutoff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 frequency, as we call it, was in his analysis.

2 Q. (By Mr. Turk) Dr. Ostadan, I'd like you
3 to turn, then, to Figure 17. Can you tell me from
4 looking at that what frequencies were included in
5 Dr. Luk's analysis?

6 DR. OSTADAN: That's very difficult.
7 You know, you have to -- you have to see the zero
8 crossing on this, measure from one point to other
9 point, and try to guess what the frequency is. I
10 think I can do a better job to answer your
11 question. Go back to Figure, for example, 20b and
12 see what frequency is included or not included.

13 Q. Well, let me ask you more generally,
14 then. Do you know whether Figure 17 includes high
15 frequencies such as frequencies that would be
16 higher than represented on the chart on 20b?

17 DR. OSTADAN: I can't make that
18 judgment.

19 Q. You don't know?

20 DR. OSTADAN: I do not know.

21 DR. BARTLETT: It's hard to tell.

22 Q. Dr. Bartlett, you were present for
23 Dr. Luk's testimony here in this proceeding?

24 DR. BARTLETT: I was, yes.

25 Q. And you were present at his deposition?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: Yes.

2 Q. Do you recall whether he addressed this
3 point as to whether or not Figure 17 includes very
4 high frequencies?

5 DR. BARTLETT: I think he mentioned
6 there was high frequency components in this, yes.
7 I don't remember the exact number.

8 MR. TURK: Your Honor, I'd like to
9 distribute a document that's a copy of a portion of
10 Dr. Luk's deposition from this past Saturday.

11 JUDGE FARRAR: All right. Is this
12 previously in evidence?

13 MR. TURK: No, your Honor.

14 JUDGE FARRAR: Do you want it marked?

15 MR. TURK: Yes, please. This will be
16 Staff Exhibit HH. For the record, let me indicate
17 that proposed Staff Exhibit HH consists of a cover
18 page indicating that it's a deposition of Dr. Luk
19 on Saturday, May 4th, and it further consists of
20 pages 65 to 72 and pages 77 to 104.

21 (STAFF EXHIBIT-HH MARKED.)

22 May we go off the record for a moment,
23 your Honor?

24 JUDGE FARRAR: Yes.

25 (Discussion off the record.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE FARRAR: All right. The
2 reporter's marked this as Staff HH for
3 identification.

4 MR. TURK: Your Honor, I'd like to ask
5 the witness to turn first of all to page 80 of the
6 deposition. I believe there Ms. Nakahara was
7 asking the witness, Dr. Luk, a line of questions
8 similar to what we were just discussing. Actually,
9 you see her question begins at page 79 when she
10 starts asking Dr. Luk about Figure 20a. And on
11 page 80 she asks him, is it correct that this
12 response spectra shows accelerations in excess of
13 10 g's just after the zero period. Do you see that
14 question on page 80?

15 DR. BARTLETT: I do.

16 Q. And I indicated my thought at that time,
17 saying the plot only goes up to 10 g's; and
18 Ms. Nakahara said, "That doesn't look like it stops
19 at 10 g's." Then the witness is asked to
20 elaborate, and he goes on to page 81. Could you
21 read that answer to yourself, please, continuing on
22 to page 82.

23 Have you had a chance to review that
24 question and answer?

25 DR. BARTLETT: I have.

1 Q. Now, I believe, Dr. Bartlett, you were
2 at the deposition but Dr. Ostadan's testimony
3 addresses the Luk report, correct?

4 DR. OSTADAN: I think --

5 Q. I'm sorry?

6 DR. OSTADAN: Yes.

7 Q. Dr. Ostadan, at the time that you filed
8 your testimony, had you reviewed in detail the
9 March 8 version of this report or the March 31st
10 version of the report?

11 MS. CHANCELLOR: Objection. The witness
12 didn't have the March 31 report which we got on
13 April 2 when he filed his testimony on April 1.

14 MR. TURK: All right. So that answers
15 part of the question. And you reviewed the March
16 8th report in detail before you filed your
17 testimony?

18 DR. OSTADAN: As I indicated before, I
19 have not reviewed this in detail.

20 Q. Is it correct, then, that on pages 81 to
21 82 Dr. Luk explained that the data represented in
22 Figure 17 is raw, unfiltered data?

23 DR. OSTADAN: That's what he seems to
24 indicate, yes.

25 Q. It's his report. He would know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct?

2 DR. OSTADAN: It's his opinion.

3 Q. That's his opinion about his own report?

4 DR. OSTADAN: That's right.

5 Q. You don't think he knows the answer?

6 DR. OSTADAN: If you want my opinion, I
7 will be happy to share with you.

8 Q. I'm asking you whether Dr. Luk should be
9 familiar with his own report.

10 MS. CHANCELLOR: Asked and answered,
11 your Honor.

12 JUDGE FARRAR: Mr. Turk, I hate to
13 interrupt, but it's not a matter of whether Dr. Luk
14 is familiar with his own report. This is a
15 characterization of something in his report, and it
16 would be better to focus on that rather than ask
17 the same -- we seem to be at an impasse here.

18 MR. TURK: Thank you, your Honor.

19 Q. (By Mr. Turk) Now, Dr. Luk also
20 describes the fact that he used only one term, I
21 believe it's misspelled here as t-u-r-n, but the
22 testimony had to do with the fact he used one term
23 of damping. Do you see that testimony near the top
24 of page 81 where he says, we use only the mass
25 proportional damping?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OSTADAN: Yes.

2 Q. And then he says, we omitted the
3 stiffness proportional damping.

4 DR. OSTADAN: He doesn't explain why.

5 Q. But it states that he omitted stiffness
6 proportional damping, correct?

7 DR. OSTADAN: Yes.

8 Q. And Dr. Bartlett, you were at the
9 deposition and you heard that testimony as well,
10 correct?

11 DR. BARTLETT: That's my recollection.

12 Q. And Dr. Luk also goes on to indicate
13 that when you see a high acceleration value, that's
14 not a real value. Do you see that testimony?

15 DR. BARTLETT: I think his testimony is
16 that it would be decreased somewhat.

17 Q. You thought he said it would decrease
18 somewhat?

19 DR. BARTLETT: Yes.

20 Q. Okay, we'll come back to that.
21 Dr. Ostadan, you indicated you conduct
22 soil-structure interaction analyses. You also use
23 finite element analysis?

24 DR. OSTADAN: Yes, we do.

25 Q. You're quite familiar with that analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methodology?

2 DR. OSTADAN: Finite element, yes, I am.

3 Q. Do you use two terms of damping when you
4 do your FEA modeling?

5 DR. OSTADAN: No. I do not typically do
6 nonlinear time history analysis.

7 Q. So what type of finite element analysis
8 modeling do you do?

9 DR. OSTADAN: I use my own program
10 SASSI, which is the industry standard for
11 soil-structure interaction.

12 Q. Is that a linear analysis?

13 DR. OSTADAN: It is a linear analysis.

14 Q. Do you use damping in your analysis?

15 DR. OSTADAN: Yes, we do.

16 Q. What type of damping do you use?

17 DR. OSTADAN: Two types of damping. One
18 is the material damping and it's used in the
19 context of what you call complex response method,
20 and there's the radiation damping which is
21 incorporated in the SSI effects.

22 MR. TRAVIESO-DIAZ: Mr. Chairman, at a
23 convenient point I'd like to make a motion.

24 Q. (By Mr. Turk) And which of those terms
25 do you use in your finite analysis model?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OSTADAN: None of these terms.

2 Q. You don't use material damping?

3 DR. OSTADAN: I do use material damping,
4 but I do not approach it the way it's been
5 approached here.

6 Q. Do you use radiation damping?

7 DR. OSTADAN: Yes, I do.

8 Q. So you include both?

9 DR. OSTADAN: Yes, material and
10 radiation.

11 Q. Why do you include both types of
12 damping?

13 DR. OSTADAN: Because they are both
14 there.

15 Q. Does that tend to filter out high
16 frequencies?

17 DR. OSTADAN: Damping tends to do that,
18 yes, sir.

19 Q. And that's important to you in doing
20 your structural analysis, correct?

21 DR. OSTADAN: That's correct.

22 Q. Gentlemen, I'd like to ask you to turn
23 now to page 98, going on to 99.

24 JUDGE FARRAR: Just a minute, Mr. Turk.
25 Can we -- Mr. Travieso-Diaz?

1 MR. TRAVIESO-DIAZ: As I said, this can
2 wait but I am troubled because on page 18 of his
3 testimony Dr. Ostadan includes a whole paragraph
4 description of his analysis of the Sandia report.

5 JUDGE FARRAR: Page what?

6 MR. TRAVIESO-DIAZ: Eighteen. And I
7 must preface my motion by saying that we're
8 reluctant to make it because I know the board
9 disfavors motions to strike. But I believe that
10 Dr. Ostadan said he has not clearly not reviewed
11 this report. However, there's a whole paragraph of
12 opinions in here. And I think that this paragraph
13 --

14 JUDGE FARRAR: Where are you?

15 MR. TRAVIESO-DIAZ: Page 18, last
16 paragraph.

17 JUDGE FARRAR: Oh, okay.

18 MR. TRAVIESO-DIAZ: And my concern is
19 that we have potentially a deficiency in the
20 record. The witness has testified he hasn't really
21 reviewed the report, and yet he offers a whole
22 paragraph opinion on it. And again, I apologize
23 for raising a motion that actually I know the Board
24 is in favor. But to me, begin the admission by
25 Dr. Ostadan, his testimony on this last paragraph

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lacks credibility.

2 MS. CHANCELLOR: Your Honor, if I may.
3 There's really one sentence in that paragraph. A
4 lot of it is sort of a buildup to what Dr. Ostadan
5 is getting at. "The Sandia analysis really shows
6 that the pad response accelerations are several
7 times larger than the peak accelerations used by
8 Stone & Webster in its stability analysis." I
9 think that's the crux of what Dr. Ostadan is
10 testifying to in that paragraph, and where he is
11 citing to the Sandia report.

12 JUDGE FARRAR: Let me ask Dr. Ostadan
13 how -- in your response to counsel's motion, how
14 you reconcile what he thinks he heard you say and I
15 think I heard you say, that you hadn't really
16 looked at this report, with the fact that you're
17 offering testimony on the report.

18 DR. BARTLETT: Yes, your Honor. Let me
19 explain. If you recall, we discussed our concern
20 when it came to the stability analysis of the pads,
21 and I discussed that for the sake of the canister
22 transfer building the designer used the structural
23 response of the canister transfer building and they
24 went and obtained it from another crew and used it
25 for the stability analysis. For the pad, both ICEC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and Stone & Webster had to guess what is the
2 response of the pad.

3 JUDGE FARRAR: Wait. This goes to the
4 merits of what you're saying. What I'm wondering,
5 maybe I didn't express it clearly, is, if you said
6 to Mr. Turk you'd never really looked at the
7 report, how could you offer testimony on the
8 report?

9 DR. OSTADAN: I did say I have not
10 carefully reviewed that, because Mr. Turk indicated
11 he was talking about this damping and stiffness
12 mass proportional. To that extent I'm not familiar
13 with it. But to the extent we were concerned what
14 is that missing design parameter, I was able to
15 quickly find out what is reported here. I'm not
16 quoting a number, I'm just indicating it's
17 significantly larger.

18 JUDGE FARRAR: On that basis we'll deny
19 the motion.

20 MR. TURK: Your Honor, I may renew the
21 motion after I finish this line of questioning. It
22 was Mr. Travieso-Diaz's motion, but I intend to
23 make my own after completing the line.

24 JUDGE FARRAR: Then we'll hear from both
25 of you. Or why don't we hold that motion until

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 after five o'clock.

2 MR. TURK: We can do that.

3 JUDGE FARRAR: Okay.

4 Q. (By Mr. Turk) Gentlemen, I'll ask you
5 to turn now to pages -- starting on page 98, going
6 down to 99. And could you read that testimony by
7 Dr. Luk to yourselves, please.

8 JUDGE FARRAR: This is, Mr. Turk, of the
9 deposition again?

10 MR. TURK: Yes.

11 Q. (By Mr. Turk) Have you had a chance to
12 review that testimony? Dr. Ostadan, I think it's
13 fairly clear, isn't it, that Dr. Luk indicates
14 there again that he only used single term mass
15 proportional damping, correct?

16 DR. OSTADAN: That's correct.

17 Q. He omitted the stiffness proportional
18 damping?

19 DR. OSTADAN: That's correct.

20 Q. And he was asked at the bottom of page
21 98 that if he had put that term in the model would
22 he have damped out higher frequencies, and he
23 answered yes, correct?

24 DR. OSTADAN: I will answer you, but I
25 would also like to express --

1 Q. No, I'm just asking your confirmation
2 that this is the testimony given by Dr. Luk.

3 DR. OSTADAN: Yes, it is.

4 Q. And then going on to page 99, Dr. Luk
5 indicates that he did a sensitivity study?

6 DR. OSTADAN: Yes.

7 Q. To compare cases where he used one term
8 of damping as proportional versus cases where he
9 used both, correct?

10 DR. OSTADAN: Yes.

11 Q. And he said that if he used both terms
12 of damping -- and this is at line 11, page 99.

13 DR. OSTADAN: Yes.

14 Q. He says, quote -- I'm sorry. Let me
15 read the whole statement. He describes that he
16 went through this comparison using one term versus
17 the case when both terms are used, and he says,
18 "And yes, most of the high spikes that's related to
19 the single term case disappear." He makes that
20 statement, correct?

21 DR. OSTADAN: Yes.

22 Q. And then he's asked, as an example would
23 he expect that for .4 -- I'm sorry. At the point
24 for D'. I believe that's a typographical error.
25 It should spell out the word "for." At the point

1 for D', which is approximately 2.9 g, he's asked,
2 would you expect that to disappear, that high
3 spike; and the answer is yes. Correct?

4 DR. OSTADAN: Yes, it is.

5 Q. And Ms. Nakahara questioned him, and she
6 said, "Do you mean disappear or would be reduced,"
7 correct?

8 DR. OSTADAN: Yes.

9 Q. And he then states, "Maybe I used a
10 nonprofessional term, that it disappears. That
11 means the spike will actually have sizable
12 reduction in amplitude." Correct?

13 DR. OSTADAN: Yes.

14 Q. Then Mr. Gaukler clarified and he said,
15 It would be up in the nature of some of the other
16 spikes that you see higher up in the graph,
17 correct? And he answered yes, correct?

18 DR. OSTADAN: That's right.

19 Q. In fact, isn't he stating there that
20 with respect to Figure 17, that figure includes the
21 high frequencies which were not damped out?

22 DR. OSTADAN: That's what he includes.

23 Q. And that if he used both terms of
24 damping the spikes would disappear so that the
25 chart would resemble more of what is reflected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 elsewhere there. All those high spikes would
2 disappear, correct?

3 DR. OSTADAN: I can't say all those high
4 spikes would disappear, but he indicates it would
5 be less.

6 Q. Substantially less. Is that how you
7 read his testimony? At first he said it would
8 disappear and then he reduced it somewhat, but
9 initially his reaction was it would essentially
10 disappear?

11 DR. OSTADAN: It says "actually have
12 sizable reduction in amplitude." That's what it
13 says.

14 Q. All right. And you can't really
15 understand exactly what he meant by sizable, but
16 those are his words?

17 DR. OSTADAN: Right.

18 Q. Now, on at least a half a dozen
19 occasions during your cross-examination testimony
20 I've heard you refer to Figure 17 in this report.

21 DR. OSTADAN: Right.

22 Q. Until this examination now, I understand
23 that it's your impression that the -- let's take
24 that high spike that appears at minus approximately
25 2.9 on Figure 17.

1 DR. OSTADAN: Yes.

2 Q. I take it until today it was your
3 impression that that was an actual acceleration
4 that was important to you to consider for
5 structural response. Correct?

6 DR. OSTADAN: My view of it, yes, that
7 was the peak of the acceleration of the pad.

8 Q. But that's not your view anymore, is it,
9 having read Dr. Luk's deposition?

10 DR. OSTADAN: Actually, as I indicated
11 before, I have not reviewed this carefully. I
12 don't form the opinion what the actual number
13 should be, but when I look at Figure 17, if you
14 don't pick the highest peak, there are peaks at
15 1-1/2 g. To me that's also significant.

16 Q. And again, high frequencies would not
17 have been damped out in this chart, whether for one
18 spike or for another spike, correct?

19 DR. OSTADAN: That's what it says, yes.

20 Q. So you can't tell from looking at Figure
21 17 whether that's a high frequency indication or
22 some structurally significant acceleration,
23 correct? You can't tell?

24 DR. OSTADAN: Let me complete my answer.

25 Q. Well, could you answer yes or no and

1 then explain?

2 DR. OSTADAN: No, not on that figure.
3 But I can go to Figure 20b at 5 Hz and it reads
4 6-1/2 g for the pad. Five Hz happens to be a
5 natural frequency of the foundation. That is also
6 listed in the ICEC results.

7 Q. All right. Can you tell me what that
8 6.5 g represents in your mind?

9 DR. OSTADAN: It represents the response
10 of the pad to a single degree of freedom at 5 Hz.

11 Q. I'm sorry. Which figure are we on now?

12 DR. OSTADAN: 20b, page 36.

13 Q. And where do you see the 6.5?

14 DR. OSTADAN: I'm reading at .2 seconds
15 it's about six and a half.

16 Q. Okay. And I'm sorry; could you tell me
17 again what you believe that represents?

18 DR. OSTADAN: This represents, if you
19 had a single degree of freedom on the pad, its
20 acceleration would have been six and a half g.

21 Q. Are you aware of Dr. Luk's testimony
22 with respect to whether or not this represents a
23 point for a single node in his finite analysis
24 model?

25 THE WITNESS: I heard --

1 Q. So this would represent a single node
2 point, correct?

3 THE WITNESS: Everything in the finite
4 element is a single node. I do not know the basis
5 for his selection of this node, but the chart
6 indicates center of the pad point D'.

7 Q. Dr. Ostadan, are you involved in design
8 of nuclear facilities?

9 DR. OSTADAN: Yes, I am.

10 Q. Do you design based upon single node
11 points of acceleration? Does Bechtel do that?

12 DR. OSTADAN: I am not representing
13 Bechtel here.

14 Q. Well, but you work for Bechtel. I'm
15 asking about your professional work for Bechtel.
16 In your professional work.

17 DR. OSTADAN: I can give you my opinion
18 if you wish.

19 Q. Well, can you answer that question
20 whether in our professional work for Bechtel you
21 design nuclear facilities based upon a single node
22 point of acceleration?

23 DR. OSTADAN: No. I would present all
24 the nodal results and find out, if one is higher
25 than others, I have to find out why.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. So you would not expect that PFS should
2 design its facility based upon this single node
3 point of approximately 6.5 g, correct? That would
4 be an incorrect way for them to design their
5 facility, yes or no?

6 DR. OSTADAN: I think this is very high.
7 I would have explored why is it high or whether
8 other points are less and explain that. It's not
9 presented here. I haven't seen it.

10 MR. TURK: Can you read back my
11 question, please?

12 (The record was read as follows: "So you
13 would not expect that PFS should design its
14 facility based upon this single node point of
15 approximately 6.5 g, correct? That would be an
16 incorrect way for them to design their
17 facility, yes or no?")

18 DR. OSTADAN: I would not take this
19 number and run on this. No, I would not.

20 Q. And in fact, Dr. Luk in his deposition
21 stated that it would be very dangerous, and that
22 word was used explicitly by Dr. Luk, he said it
23 would be dangerous to design based upon a single
24 node point. Are you aware of that?

25 DR. OSTADAN: I agree with you. I

1 haven't read that, but I have no --

2 Q. But you agree that would be correct, it
3 would be dangerous to design a facility based upon
4 single node point accelerations, correct?

5 DR. OSTADAN: Especially if it's this
6 high, yes.

7 MR. TURK: Your Honor, at this point I'd
8 like to offer Staff Exhibit HH into evidence.

9 MS. CHANCELLOR: No objection, your
10 Honor.

11 MR. TRAVIESO-DIAZ: None.

12 JUDGE FARRAR: All right, it will be
13 admitted.

14 (STAFF EXHIBIT-HH WAS RECEIVED.)

15 JUDGE FARRAR: Mr. Turk, the reason
16 you're introducing this exhibit is that it goes
17 beyond -- his deposition goes beyond things that he
18 said in his testimony?

19 MR. TURK: It amplifies, your Honor. He
20 wasn't asked precisely the same questions and did
21 not give precisely the same answers during his
22 testimony.

23 JUDGE FARRAR: Fine.

24 MR. TURK: But I think it's important
25 that the specific manners of speech that Dr. Luk

1 used, for instance, his use of the term
2 "disappear," it's important that that be in the
3 record.

4 JUDGE FARRAR: That's fine.

5 Q. (By Mr. Turk) Gentlemen, correct me if
6 I'm wrong, but I believe that the only discussion
7 made in your testimony of Dr. Luk's report had to
8 do with Figure 17. Is that correct?

9 DR. OSTADAN: That's what's cited in
10 this testimony, yes.

11 MS. CHANCELLOR: Objection, your Honor.
12 If you look at answer 37 --

13 JUDGE FARRAR: Yeah, it lists a number
14 of figures, 16, 17, 20, 21, 22.

15 Q. (By Mr. Turk) I'm sorry. I certainly
16 didn't mean to exclude that. That's the one place
17 in your testimony that you refer to Dr. Luk's
18 report, in that one paragraph?

19 DR. OSTADAN: Testing my memory now.

20 MR. TURK: May we go off the record for
21 a moment?

22 JUDGE FARRAR: Yes, we may.

23 (Discussion off the record.)

24 Q. (By Mr. Turk) Gentlemen, I've just gone
25 through your prefiled testimony and the only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reference I can find to Dr. Luk's report is in that
2 paragraph on page 18. Is that consistent with your
3 recollection or understanding of your testimony, or
4 is that the only reference you make to it?

5 DR. OSTADAN: It seems to be the case,
6 yes.

7 Q. In that same paragraph you refer to
8 Figures 16, 20, 21, and 22.

9 DR. OSTADAN: And 17.

10 Q. And 17. We've discussed 17. I'm
11 looking now at the other figures.

12 DR. OSTADAN: Okay.

13 Q. Is it correct that Figure 16 in the
14 report, and again I'm looking at Staff Exhibit P
15 dated March 31, 2002. Figure 16 is a description
16 of the node points. It's entitled the Location
17 Definition of Designation Points. Dr. Ostadan, is
18 it correct that the different points represented by
19 letters on Figure 16 are different than node
20 points --

21 DR. OSTADAN: Yes.

22 Q. -- in Dr. Luk's finite element analysis?

23 DR. OSTADAN: That's correct.

24 Q. Is it correct also that Figures 20, 21,
25 and 22 also referred to in your report relate back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to those node points? Each of those graphs
2 indicates that it's plotting out acceleration
3 versus the period at various stated node points,
4 correct?

5 DR. OSTADAN: That's correct.

6 Q. And to the extent that you refer to
7 these other figures in your testimony on page 18, I
8 assume that what you meant in that regard is to
9 indicate that the Sandia analysis shows that there
10 are some very high accelerations as shown in those
11 figures, correct?

12 DR. OSTADAN: That's fair to say, yes.

13 Q. And you further indicate that based on
14 your review of the Luk report you reach a
15 conclusion that therefore the seismic, and I'm
16 quoting here, "Therefore the seismic loads used in
17 the stability analysis by Stone & Webster are not
18 correct and significantly underestimate the seismic
19 loads actually occurring on the pads."

20 DR. OSTADAN: That's correct.

21 Q. You use the reference to these figures
22 to support that conclusion?

23 DR. OSTADAN: That's correct.

24 Q. These figures and Figure 17?

25 DR. OSTADAN: Correct. Let me also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indicate that in the response, you're referring to
2 my response to question 37 in my testimony, the
3 immediate paragraph before the last I also cite
4 ICEC calculation to arrive at the same
5 calculation -- conclusion that the loads are not
6 sufficient.

7 Q. That the Stone & Webster calculations
8 are not sufficient?

9 DR. OSTADAN: Yes.

10 Q. But with respect to the Luk report, it's
11 just that one paragraph we've been discussing?

12 DR. OSTADAN: Right.

13 Q. Dr. Ostadan, is it your conclusion that
14 Dr. Luk believes there will be a 2.5 g acceleration
15 that would affect structural response at the
16 facility? I assume not any more, not after you've
17 read his deposition and we've had this discussion.

18 DR. OSTADAN: Based on what he has
19 stated, he implies that it will be less than that.
20 Based on all this discussion he had for damping, he
21 indicates that if he takes additional measures the
22 acceleration will be less.

23 Q. And one last question on this point.
24 Dr. Ostadan, you have not done a finite analysis
25 with respect to the PFS site, have you?

1 DR. OSTADAN: No, I have not.

2 Q. And you have not done a soil-structure
3 reaction analysis with respect to the PFS site?

4 DR. OSTADAN: I have not.

5 Q. Dr. Ostadan, earlier today you indicated
6 that in your view the use of a single set of time
7 histories is inconsistent with NRC regulatory
8 guidance. Is that correct?

9 DR. OSTADAN: My interpretation of the
10 NRC regulatory guidance, yes.

11 Q. I'd like to show you a document that has
12 been admitted into evidence as Staff Exhibit C.
13 This is the consolidated SER. I don't have copies
14 to pass out, but this was prefiled. And I'm going
15 to show the witness the bottom of page 5-13 going
16 on to the top of page 5-14?

17 MS. CHANCELLOR: I don't have my copy.

18 MR. TURK: You're welcome to read with
19 us, Denise. I'm sorry for the inconvenience.

20 JUDGE FARRAR: This is prefiled with
21 seismic or with aircraft?

22 MR. TURK: Aircraft. It was the first
23 exhibit we submitted in the safety hearings. If
24 you don't have it handy, I'll read the statement
25 into the record once the witness has read it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANCELLOR: Okay. May we go off
2 the record?

3 (Discussion off the record.)

4 JUDGE FARRAR: Let's go back on the
5 record, see if we can proceed at this point, and if
6 they need more time to review it, they can.

7 Go ahead, Mr. Turk, ask your question
8 and see where it takes us.

9 MR. TURK: With your permission, your
10 Honor, I'll share the book with the witness.

11 Q. (By Mr. Turk) Is it correct -- I'm
12 going to read this into the record, and tell me, if
13 you would, if I'm reading this correctly. This is
14 a description of the canister transfer building
15 review, correct?

16 DR. OSTADAN: Correct.

17 Q. And at the bottom of page 5-13 it
18 discusses the fact that details of the development
19 of the artificial time histories were based on a
20 near-source reporting of a normal faulting
21 earthquake in Irpinia, Italy. They give you the
22 citation of Geomatrix.

23 DR. OSTADAN: Yes.

24 Q. (By Mr. Turk) And then I'm going to
25 quote, These time histories were then scaled to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2,000-year return period design response spectra
2 using both frequency and time domain approaches.
3 The resulting time histories were shown to satisfy
4 the requirements of Section 3.7.1 of NUREG 0800,
5 NRC 1989, and ASCE 4-86 American Society of Civil
6 Engineers, 1986 in terms of the statistical
7 independence of the time histories, envelopment of
8 the shock spectra and the power spectral density
9 levels. The analysis is documented in calculation
10 05996.02-G(PO18)-3, and again a Geomatrix citation.
11 Did I read that correctly except for my summary of
12 the citation?

13 DR. OSTADAN: That's correct.

14 Q. So is it correct, then, that the Staff
15 has concluded that with respect to the canister
16 transfer building the Applicant has satisfied the
17 regulatory guidance in Section 3.7.1 of NUREG 0800?

18 MS. CHANCELLOR: And ASCE 4-86.

19 MR. TURK: That's correct, yes.

20 DR. OSTADAN: No, I think you need to
21 expand your question. What has been stated here,
22 that the Staff has agreed that the requirement of
23 NUREG 0800 and ASCE 4-86 in terms of statistical
24 independence of time histories, envelopment of the
25 shock spectra and the power spectral density

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 levels. That's the statements.

2 Q. Okay. Now, we were talking before about
3 Section 3.7.1 of the regulatory guidance, correct?

4 DR. OSTADAN: Yes.

5 Q. And do you recall we were talking about
6 the two options mentioned there, and that was using
7 either a single time history or multiple time
8 histories?

9 DR. OSTADAN: Yes.

10 Q. Do you have a copy of that regulatory
11 guidance here, or do you want to share again?

12 DR. OSTADAN: I'll share.

13 MR. TURK: And your Honor, for
14 information, this is a Staff exhibit.

15 MS. CHANCELLOR: DD.

16 DR. OSTADAN: Thank you.

17 Q. (By Mr. Turk) Commencing page 1 there's
18 a discussion of design ground motion, and it goes
19 on to discuss the design response spectra and then
20 the design response -- I'm sorry, the design time
21 history. And in the section for design time
22 history starting on page 3.7.1-2, Dr. Ostadan,
23 again, am I reading this correctly? It states,
24 "When time history analyses are performed, either
25 of the following options may be considered. In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 either case the time histories may be real or
2 artificial." Did I read that correctly?

3 DR. OSTADAN: Yes.

4 Q. And then it goes on to give you two
5 options, correct?

6 DR. OSTADAN: Yes.

7 Q. And it gives you option number one,
8 single time history?

9 DR. OSTADAN: Yes.

10 Q. And option two, multiple time histories?

11 DR. OSTADAN: That's correct.

12 Q. Now, I believe it was your testimony
13 that when you have a nonlinear analysis you should
14 be using only option 2, multiple time histories?

15 DR. OSTADAN: That's correct.

16 Q. Can you find anything in this section
17 that indicates that for nonlinear analysis only
18 option 2 should be utilized?

19 DR. OSTADAN: Okay. Under option 2,
20 second paragraph, in some instances a nonlinear
21 analysis of structure, system and components may be
22 appropriate in the evaluation of existing
23 structures, et cetera. And then the next sentence,
24 multiple time history analysis incorporating real
25 earthquake time histories are appropriate when such

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analyses are performed."

2 Q. Let's focus on a few of the words that
3 you just read. It begins by stating "in some
4 instances," correct?

5 DR. OSTADAN: Correct.

6 Q. It doesn't state in all instances. Do
7 you agree?

8 DR. OSTADAN: It does not state that.

9 Q. And then it goes on to say that in those
10 instances, those some instances, the use of a
11 nonlinear analysis may be appropriate. Correct?

12 DR. OSTADAN: That's true.

13 Q. It doesn't say is necessary or required
14 or mandatory or anything along that line, correct?

15 DR. OSTADAN: That's correct.

16 Q. And the example they give in the
17 guidance as to when you would use multiple time
18 histories for a nonlinear analysis, they say e.g.,
19 for instance, the evaluation of existing
20 structures, close parentheses, correct? They give
21 that as an example.

22 DR. OSTADAN: It's an example.

23 Q. That example doesn't apply here, does
24 it?

25 DR. OSTADAN: No, it doesn't.

1 Q. And there's nothing else that indicates
2 a mandatory requirement or guidance to say that
3 only a multiple time history can be used if you're
4 doing a nonlinear analysis, correct?

5 DR. OSTADAN: There's one more thing.

6 Q. Are you looking at the regulatory guide
7 that I'm looking at?

8 DR. OSTADAN: No, I'm looking at ACSE
9 4-86.

10 Q. Oh. Let me come back to your point, or
11 Ms. Chancellor can do that later.

12 MS. CHANCELLOR: But you haven't given
13 him a chance to review all of NUREG 0800. You just
14 had him look at areas of review. There's also a
15 section here on acceptance criteria. So I think
16 it's unfair for you to just cherry pick from NUREG
17 0800.

18 DR. OSTADAN: If the witness would like
19 to read the other section, I have no objection.

20 MR. TRAVIESO-DIAZ: May I have
21 clarification of counsel's objection? Is she
22 referring to the entirety of NUREG 0800?

23 MS. CHANCELLOR: No, I'm referring to
24 the exhibit. Mr. Turk was referring to review
25 responsibilities. The next section is acceptance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criteria. And what he's doing is just picking out
2 certain sections of this document without letting
3 the witness examine the entire document and give
4 him his view on the entire document, not just on a
5 portion of it.

6 JUDGE FARRAR: The entire exhibit,
7 not --

8 MS. CHANCELLOR: Excuse me. The entire
9 exhibit.

10 MR. TURK: I have no objection to that,
11 your Honor. We did have some time off the record
12 where I thought there was time for reading, but I
13 have no objection if the witness wants to look at
14 the rest of Exhibit DD.

15 JUDGE FARRAR: All right, let's --

16 MR. OSTADAN: I found this part, and may
17 I read that? On page 3.7.1-7 there's a description
18 of multiple time histories, the review capacity.
19 Let me read the third paragraph. "The review of
20 real time histories used in the nonlinear analysis
21 is conducted on a case-by-case basis. Some of the
22 specific items of interest are number of time
23 histories, frequency content, amplitude, energy
24 content, duration, number of ground motion cycles,
25 and the basis for selection of time histories."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. Is that the part you want to focus on?

2 DR. OSTADAN: Yes.

3 Q. Thank you. In that section you just
4 read, did you find anything of a mandatory nature
5 that states that multiple time histories shall be
6 used or must be used?

7 DR. OSTADAN: He indicates it will be
8 reviewed on a case-by-case basis.

9 Q. Thank you. Dr. Ostadan, in your work at
10 Bechtel are you involved at all in demonstrating
11 compliance with Section 3.7.1 of this regulatory
12 guide?

13 DR. OSTADAN: Yes. I deal with that
14 quite a bit.

15 Q. And your role is with respect to
16 providing soil-structure interaction analyses?

17 DR. OSTADAN: Correct.

18 Q. But you don't make the ultimate
19 determination as to whether one time history or
20 more than one time history should be used? Someone
21 else in Bechtel would make that decision when
22 you're involved in a project?

23 DR. OSTADAN: I don't know we have a
24 decision making process for selection of how many
25 time histories. I can tell you when there are

1 nonlinearities involved there will be multiple sets
2 of time histories.

3 Q. But you're not involved in making the
4 decision whether that's the approach to follow or
5 not; correct?

6 DR. OSTADAN: I am one of the members
7 who discusses that, along with the seismologist and
8 structural engineers.

9 May I offer another explanation, or is
10 not appropriate? I don't know.

11 Q. If you don't mind, I'll continue to ask
12 questions. If there's a point that Ms. Chancellor
13 needs to make in redirect, she can always do that.

14 JUDGE FARRAR: But since we won't get to
15 that for some time, the witness can go ahead if
16 there's something right on this point that he
17 wanted to add.

18 DR. OSTADAN: Yes, your Honor. The
19 citation I just read in Section 3.71 clearly
20 indicates that the review of the time histories
21 indicated that three requirements of SRP and ASCE
22 4-86 were met. These three requirements were
23 clearly indicated what they are.

24 However, I would like to refer you to
25 ASCE 4-86, Section 3.2.3 -- I'm sorry, Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 3.2.2.3 under Nonlinear Methods, under item (d),
2 and I read now. "In general, more than one set of
3 acceleration time histories, meeting the
4 requirements of Section 2.3, should be used, and
5 the results of analysis shall be averaged."

6 Q. (By Mr. Turk) Are you reading from the
7 document that we provided to you?

8 DR. OSTADAN: Yes, ACSE 4-86.

9 MS. CHANCELLOR: Your Honor, this is
10 also State's Exhibit 118 from ASCE 4-98 section
11 number, and the wording is exact as to what
12 Dr. Ostadan read from ACSE 4-86.

13 JUDGE FARRAR: All right.

14 MR. TURK: I'd like to come back to this
15 later, your Honor. I haven't had a chance to read
16 it myself. I've given the witness my copy.

17 Q. (By Mr. Turk) Dr. Ostadan, are you
18 familiar with how other architect engineer firms
19 utilize time histories when they submit
20 applications on behalf of nuclear facilities?

21 DR. OSTADAN: As I indicated, most of
22 these analyses are based on linear analysis, and
23 they always use one set of time histories, which is
24 allowed for linear analysis.

25 MR. TURK: I'm sorry, your Honor, for

1 the pause. I'm looking to see which of these
2 questions need to be asked today. I'm skipping
3 around off the cross-examination plan.

4 JUDGE FARRAR: All right.

5 Q. (By Mr. Turk) Dr. Bartlett, I totally
6 forgot to ask you any questions. I'm sorry.

7 DR. BARTLETT: No problem.

8 MR. TURK: Your Honor, I was hoping to
9 complete with Dr. Ostadan, but I won't be able to
10 do that today. So unfortunately I'll have to
11 expect the witnesses to come back on this panel.

12 Q. (By Mr. Turk) You've mentioned in your
13 professional qualification statement and earlier
14 that you worked at Savannah River.

15 DR. BARTLETT: That's correct.

16 Q. And you were involved with the
17 high-level waste stored in silos, I believe?

18 DR. BARTLETT: The facility that I was
19 involved with is underground storage tanks of high-
20 level waste.

21 Q. Was that liquid storage?

22 DR. BARTLETT: Yes. I had it described
23 to me as somewhat the consistency of Vaseline. If
24 that's a liquid, I guess.

25 Q. In the event of a rupture of that tank,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I take it the radioactive contents could be
2 spilled?

3 DR. BARTLETT: They -- it was below
4 ground storage, so it would seep into the soils and
5 groundwater. That was the primary concern.

6 Q. And for that reason, because it was
7 liquid and because the tank was above ground and it
8 tipped over and ruptured, resulting in a release,
9 is that a reason that went into deciding to store
10 them underground? Do you know?

11 DR. BARTLETT: I really don't know. I
12 think Savannah River from its inception put
13 everything underground as much as possible, or
14 constructed sometimes at ground level and a berm
15 built around it, as I recall, either of those two
16 methods. But I just really don't know. I think
17 they chose that to, you know, obviously prevent at
18 least -- not prevent but reduce the potential for
19 release and used also the mass of the soil for
20 shielding.

21 Q. You also were describing the Diablo
22 Canyon application for an ISFSI.

23 DR. BARTLETT: Yes.

24 Q. I believe you expressed your opinion
25 that the fact that they had a seven and a half foot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concrete pad embedded in rock seemed to you to be a
2 good solution. I take it you're talking about the
3 potential for a seismic event occurring?

4 DR. BARTLETT: I think, as I recall the
5 discussion was, is what are the consequences of
6 anchoring a cask that would -- like Diablo Canyon
7 chose to do. That would cause more problems with
8 overturning and uplift because you've anchored, and
9 it seems that Diablo Canyon has chosen to resist
10 those extra overturning and uplift forces due to
11 the anchorage of the casks by embedment seven and a
12 half feet, as I recall, in bedrock.

13 Q. Has that application been reviewed by
14 the NRC Staff yet or by the Commission itself?

15 DR. BARTLETT: As I understand, it's
16 still in the submittal process. I'm not sure its
17 status.

18 Q. So we don't know whether the design will
19 be accepted by the NRC?

20 MR. BARTLETT: No, I don't know those
21 details.

22 Q. Or if some modifications in that design
23 would be required after NRC staff review?

24 DR. BARTLETT: Yes. I don't know those
25 details.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Q. Are either one of you familiar with the
2 Waterford nuclear power plant?

3 DR. BARTLETT: I'm not.

4 DR. OSTADAN: I'm not.

5 Q. Are either one of you aware of the soil
6 conditions in the New Orleans, Louisiana area?

7 DR. OSTADAN: I'm not.

8 DR. BARTLETT: I'm not, but given its
9 location, I could probably guess.

10 Q. Well, would you guess --

11 MS. CHANCELLOR: Instruct the witness
12 not to guess.

13 DR. BARTLETT: Well, I doubt there's
14 much bedrock there.

15 Q. I think you're probably right. If I
16 said to you bedrock might be as much as 500 feet
17 below surface, would that surprise you?

18 DR. BARTLETT: That wouldn't be
19 surprising.

20 Q. Would that be consistent with your
21 general understanding of that area?

22 MS. CHANCELLOR: I'd instruct the
23 witnesses not to --

24 MR. TURK: I wouldn't ask him to guess,
25 but I'd ask if he has an understanding of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nature --

2 JUDGE FARRAR: If you have an awareness,
3 fine, but don't speculate on what you think might
4 be --

5 DR. BARTLETT: I would suspect bedrock
6 would be at some depth below the ground surface.
7 What depth I don't know, but could be considerable.

8 Q. A substantial depth below surface?

9 DR. BARTLETT: Could be.

10 JUDGE FARRAR: We've probably gotten as
11 much as we can of this witness on that point.

12 MR. TURK: Thank you.

13 Q. (By Mr. Turk) Are you aware of the
14 design of the base mat at that facility?

15 DR. BARTLETT: I'm not aware of the
16 facilities. I don't know anything about it.

17 Q. If I refer to --

18 MS. CHANCELLOR: Objection.

19 MR. TURK: Well, I'm trying to test his
20 recollection. If I use a term and he recalls it,
21 then maybe we can establish something. If not, we
22 can't.

23 MS. CHANCELLOR: The witness is
24 unfamiliar with the facility, he's unfamiliar with
25 the soils. To put a hypothetical or to test his

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recollection is a nullity in this instance.

2 JUDGE FARRAR: Yes, he's about as
3 unfamiliar with this as he can be.

4 DR. BARTLETT: I know --

5 MR. TURK: We're not in Louisiana.

6 DR. BARTLETT: I know where Louisiana
7 is.

8 JUDGE FARRAR: I lived there for several
9 years, Mr. Turk. I'll be happy to take the stand.

10 MR. TURK: For the record --

11 DR. BARTLETT: I'll vacate my position.

12 MR. TURK: For the record, it was the
13 very first proceeding that I was involved in many
14 years ago, and I remember --

15 MS. CHANCELLOR: Your Honor, could we
16 take a break so that Dr. Ostadan doesn't miss his
17 plane?

18 MR. TURK: That's fine, your Honor.

19 JUDGE FARRAR: Dr. Ostadan, we extend to
20 you the same courtesy as the other witnesses, so if
21 you -- knowing what the airport situation is, we'll
22 be happy to excuse you at this time. Look forward
23 to -- thank you for your contribution so far, and
24 look forward to seeing you at a future time.

25 DR. OSTADAN: Thank you, your Honor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE FARRAR: Do we want to continue
2 with Dr. Bartlett for a few minutes, or do we have
3 motions we can deal with?

4 MS. CHANCELLOR: Could I have a couple
5 of minutes? I want to make sure
6 Dr. Ostadan doesn't escape without --

7 JUDGE FARRAR: Yeah, let's take a --
8 like a five-minute break.

9 MR. TRAVIESO-DIAZ: Mr. Chairman, may I
10 suggest, it's not my witnesses, but it may be
11 unfair to Dr. Bartlett, since they are co-sponsors
12 to testimony to testify alone on things I think
13 that Dr. Ostadan might know.

14 JUDGE FARRAR: Well, we can -- there may
15 be some areas we can cover. If not, we'll do
16 procedural things. But let's give Ms. Chancellor a
17 chance to work with her witness.

18 (A recess was taken.)

19 JUDGE FARRAR: Let's see where we are.
20 We've finished nine days of seismic issues, and
21 according to my score card, we've finished six
22 panels, we've got an incomplete on two panels, and
23 you all were going to stipulate as to the Solomon
24 testimony.

25 MS. CHANCELLOR: We're not there on that

1 one yet, your Honor.

2 JUDGE FARRAR: Okay. So we've got --
3 even if we throw that in, we don't have our nine
4 panels in nine days, so we're falling behind. Not
5 sure it's anyone's fault.

6 Saturday we're going to do two panels
7 and finish them?

8 MR. GAUKLER: The idea is to do the two
9 panels Saturday/Monday morning.

10 JUDGE FARRAR: Okay.

11 MS. CHANCELLOR: I think Ms. Nakahara
12 believes that she will take longer than she
13 anticipated with Dr. Cornell, and we'll do our best
14 to see where we can get.

15 MR. TURK: I frankly don't think it's
16 realistic. I don't see how we'll finish two panels
17 in a day and a half. I mean, it goes to the heart
18 of the case on the exemption. Unless the State
19 doesn't intend to do much cross-examination, which
20 I can't tell.

21 MS. CHANCELLOR: Your Honor, all we can
22 do is say that we will work towards meeting the
23 Staff's schedule, because we understand Dr. McCann
24 has limited availability. We're willing to do our
25 best.

1 JUDGE FARRAR: I'm not talking about
2 that. I'm just trying to get an idea of how -- we
3 know where we stand and so forth.

4 MR. TURK: For planning purposes, I
5 think realistically we should expect to take all
6 Saturday and Monday on those two panels, and then
7 go to aircraft Tuesday and Wednesday.

8 JUDGE FARRAR: But we're going to --
9 Mr. Gaukler?

10 MR. GAUKLER: That would present a
11 problem in completing aircraft crashes, given my
12 understanding on the availability of Lt. Col.
13 Horstman.

14 JUDGE FARRAR: Do they fly here,
15 Southwest?

16 MR. GAUKLER: He flies Southwest, yes.

17 JUDGE FARRAR: No, do they fly here?

18 MS. NAKAHARA: Oh. They do fly here,
19 but Col. Horstman is not based out of Salt Lake so
20 he has to fly to the location that he's going to
21 fly out of.

22 MS. CHANCELLOR: I suggest we see where
23 we are on Monday lunch.

24 JUDGE FARRAR: Who does Dr. McCann work
25 for?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GAUKLER: The Staff.

2 JUDGE FARRAR: Is he an employee? He's
3 not an employee?

4 MR. TURK: No, he's head of his own
5 company and he's giving us consulting services. He
6 was involved a couple years ago with the seismic
7 hazard analysis for us, but he's not employed by us
8 or somebody whose time would be controlling us.

9 JUDGE FARRAR: Okay. Well, let's just
10 keep plugging.

11 A couple of the witnesses have used the
12 term "capable faults." As far as you know, are
13 they using those in their own context or in the NRC
14 definitional context?

15 MR. TURK: I don't think we know.

16 MS. CHANCELLOR: Dr. Bartlett may be
17 able to answer that.

18 DR. BARTLETT: Your Honor, I can't
19 remember what the NRC definition is of capable
20 fault. We would call it an active fault.

21 JUDGE FARRAR: But this is like the
22 disability laws, every law defines it differently.
23 The whole point of my question was, did everyone
24 concede that if a witness uses "capable," that
25 that's capable within the NRC definition? I take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it the answer is no.

2 MR. TURK: Unless we've established it
3 through the witness, we can't assume that that's
4 what they mean. There is a colloquial sense to it.

5 JUDGE FARRAR: Right.

6 MR. GAUKLER: It's not an issue that's
7 subsumed within the PFHA that everybody --

8 JUDGE FARRAR: I just wanted -- because
9 I remember the old days there is a definition, and
10 sometimes it's crucial. I didn't know if everyone
11 had agreed that the definition -- okay, so we'll
12 just bear in mind when we get to that we'll have to
13 deal with it.

14 There was an Exhibit GG, Staff GG, the
15 minutes of Dr. Luk's meetings with his advisory
16 panel. Has the State had a chance to think about
17 that yet?

18 MS. NAKAHARA: Yes. We may have
19 questions, but we have no objection to the
20 admission of that.

21 JUDGE FARRAR: Okay, then we'll admit
22 that.

23 (STAFF EXHIBIT-GG WAS RECEIVED.)

24 JUDGE FARRAR: Are there any other --
25 oh. You all were going to -- the people over here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were going to -- or had mentioned wanting to move
2 to strike portions of Dr. Ostadan's testimony. Is
3 that something we could --

4 MR. TURK: We could do that now.

5 JUDGE FARRAR: We could probably excuse
6 Dr. Bartlett.

7 MS. CHANCELLOR: I may need him for the
8 argument.

9 JUDGE FARRAR: No, no, I mean -- oh.

10 MS. CHANCELLOR: I mean on the motion.

11 JUDGE FARRAR: Does he need to advise
12 you, or do you need him to speak to it -- or need
13 him to testify?

14 MS. CHANCELLOR: I'd like to put
15 Ms. Nakahara on the stand, actually.

16 JUDGE FARRAR: Everyone should have a
17 turn.

18 MS. CHANCELLOR: Just as an advisor, I
19 think.

20 JUDGE FARRAR: What I meant was,
21 contrary to what I might have indicated before,
22 it's probably not good practice to try to continue
23 with half of a panel. I thought we might get some
24 work done. But on second thought, no.

25 Then let's hear the motion, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dr. Bartlett, you can stay in that chair or move to
2 Ms. Chancellor's side, depending as circumstances
3 warrant.

4 MR. TRAVIESO-DIAZ: May I?

5 JUDGE FARRAR: Yeah. You had mentioned
6 a motion which we had denied based on what was in
7 front of us at the time, but now there's --
8 Mr. Turk had indicated there would be more in front
9 of us. So why don't the Applicants speak first,
10 then the Staff, and we'll see where we are.

11 MR. TRAVIESO-DIAZ: First, to clarify
12 for our movement to strike. I am not moving to
13 strike the first sentence of that paragraph.

14 JUDGE FARRAR: Okay, what paragraph are
15 you talking about?

16 MR. TRAVIESO-DIAZ: We're talking about
17 the last paragraph on answer 37.

18 JUDGE FARRAR: Okay. That's on page 18?

19 MR. TRAVIESO-DIAZ: Correct. The first
20 sentence clearly does not deal with the Sandia
21 report, but the rest of the paragraph does. Let me
22 explain to you why I make the motion, and as I said
23 at the beginning, I'm very reluctant because I know
24 that the Board doesn't favor motions to strike.
25 But I think in this case this goes to integrity of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the process here.

2 If you recall, when I began questioning
3 the witnesses I asked them, contrary to my normal
4 practice, whether they had reviewed the testimony
5 proffered by other witnesses in this case to see if
6 they wanted to make changes to their testimony.
7 The reason why I did that is, I have found the
8 testimony in this paragraph to be totally
9 inconsistent with the clear testimony of Dr. Luk,
10 both in his deposition and on the stand. And as I
11 continued to ask questions to Dr. Ostadan that
12 related to this paragraph, and this was over the
13 course of two days, he continued to make statements
14 and take positions that were inconsistent with the
15 statements that were in the report.

16 I couldn't understand why he was doing
17 it, but of course every witness is entitled to his
18 views and his opinions. But when I hear him say
19 that he's not familiar with the report, I am
20 presented with a situation that a witness is giving
21 testimony on something he hasn't really read,
22 maintaining his position and arguing about it over
23 the course of two days, and I think that that leads
24 to a record that is unreliable if you're going to
25 rely on his answers, and a situation which I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think should be tolerated.

2 If the witness didn't really read the
3 report, he shouldn't provide testimony on it. And
4 in particular when I asked the witness whether he
5 would want to make a change based on what has been
6 testified to, it wasn't as if he had not been put
7 on notice that there was something potentially
8 wrong with the testimony.

9 To give you further background, the week
10 after that report Dr. Ostadan had reports on
11 another state witness, Dr. Mitchell. At the
12 beginning of the deposition I noticed that a
13 document that I was going to ask him questions
14 about had a paragraph that was clearly wrong. And
15 I said, Dr. Mitchell, will you look at the
16 testimony and see if you still agree with what you
17 said. And he told me, quite frankly, that he liked
18 the new information that had developed, he wanted
19 to change his answer. And I figured that this
20 today, yesterday or today will be an opportunity
21 for Dr. Ostadan to do the same thing.

22 I am quite frankly personally appalled
23 that he didn't take this opportunity, but perhaps
24 he didn't understand. And that's what I'm going
25 to, the inconsistency between his testimony and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report. And that leads me to believe that in fact
2 he's honest when he said he's never read it, which
3 means that the testimony that he gave, both in
4 writing and verbally, is totally unreliable, and
5 that's why I feel compelled to move to strike.

6 JUDGE FARRAR: Mr. Turk, you had
7 indicated you might want to make your own motion.

8 MR. TURK: Yes, your Honor.

9 Mr. Travieso-Diaz has repeatedly
10 referred, or not repeatedly, but on several
11 occasions referred to 10 CFR Section 2.743, which
12 is the regulation governing admission of evidence.
13 Under 10 CFR Section 2.743C, admissibility of
14 evidence, "The Commission has established as a
15 standard that only relevant material and reliable
16 evidence which is not unduly repetitious will be
17 admitted."

18 I think the questioning by
19 Mr. Travieso-Diaz and by myself established very
20 clearly that the witness was not familiar. I think
21 in his own words, he had not reviewed it in depth
22 or he had not reviewed it in detail with the report
23 by Dr. Luk. In cross-examination his understanding
24 of that document was shown to be incorrect. And I
25 think therefore the testimony that he proffered in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which he says that the report by Dr. Luk shows
2 something is not reliable, and on that basis it
3 should be excluded.

4 JUDGE FARRAR: Ms. Chancellor?

5 MS. CHANCELLOR: First of all, your
6 Honor, I think you have to look at the context of
7 answer 37. Answer 37, the whole crux of answer 37
8 goes to Stone & Webster's use of peak ground
9 acceleration for the sliding analysis, and we make
10 the point that peak ground acceleration has nothing
11 to do with the cask and pad response because it
12 doesn't consider resonance.

13 So what we are -- what we are doing is
14 we're looking for missing acceleration. And the
15 only thing, as Dr. Ostadan testified, the only
16 thing that was available where something showed
17 acceleration of the pad was the Luk report, in
18 particular, Figure 17. He took Figure 17 at face
19 value. It -- one nodal point is better than none
20 when you're looking for missing acceleration, and
21 it wasn't until Dr. Luk's deposition on Saturday
22 that all these qualifiers came out as to what was
23 at issue in Figure 17.

24 Furthermore, in Dr. Luk's testimony he
25 said, "Other than Figure 17, the report has no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accelerations in the horizontal direction on the
2 bottom of the cask on the 2,000-year event, and he
3 couldn't quantify the maximum accelerations in the
4 horizontal direction for a 2,000-year at the base
5 of the cask."

6 So it is unfair to expect Dr. Ostadan to
7 quantify the accelerations based on the Luk report.
8 What Dr. Ostadan is doing is looking at the Luk
9 report to explain why these missing accelerations
10 are important and why you can't use peak ground
11 acceleration, because that's taken in the free
12 field and it doesn't show the interaction response
13 of the structure, so you have missing
14 accelerations. And that is why he refers,
15 Dr. Ostadan refers to these various figures of the
16 Luk report.

17 Dr. Ostadan is very bright, he is quite
18 capable of looking at those graphs to see what it
19 is they mean. It is correct that he did not review
20 the report in detail, and he did agree that the
21 accelerations may not be as great as indicated in
22 the Luk report, but he doesn't -- he doesn't rely
23 on a particular number in the Luk report, just says
24 the Sandia analysis clearly shows that the pad
25 response acceleration is several times larger than

1 the peak acceleration used by Stone & Webster in
2 its stability analysis.

3 So in other words, this missing
4 acceleration that Dr. Ostadan is looking for to
5 show that PGA is the wrong acceleration to use in
6 the sliding analysis of the pad can be gleaned from
7 the Sandia report.

8 Now, whether Mr. Turk thinks that the
9 Sandia report doesn't stand up, that's a different
10 matter. But for purposes of illustrating
11 Dr. Ostadan's concern with the use of peak ground
12 acceleration by Stone & Webster in the sliding
13 analysis, this is relevant and on point.

14 MR. TRAVIESO-DIAZ: Mr. Chairman --

15 JUDGE FARRAR: I'll hear from you both
16 again in a minute.

17 (The Board confers off the record.)

18 JUDGE FARRAR: Counsel for the Applicant
19 and Staff, if you would address a couple of things
20 when we hear from you again. 2.743C, if I recall
21 correctly, simply mirrors the Administrative
22 Procedure Act. It's a general truism that we would
23 follow even if it weren't written. I'm wondering
24 how much it helps us. Obviously if you're faced at
25 the outset with evidence that's unreliable, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've talked about hearsay, whether it's documented
2 or a witness whose testimony from the outset is
3 unreliable, obviously you don't admit it. So we
4 clearly have no quarrel with the regulation.

5 The issue here, though, I -- there are
6 two things at work. One, I thought we gave
7 Dr. Ostadan a chance to reconcile what appears in
8 this paragraph that we're arguing about with what
9 he said today, the degree -- which comes down to
10 the degree to which he read this report. So we
11 need you to deal with that.

12 Second, to the extent that you think
13 your cross-examination got him to change his views
14 or not to change his views or to say things that
15 you think are wrong, we don't view that as
16 ordinarily a reason to strike a person's testimony,
17 and the entire record reflects what, if any, weight
18 to give it. So can you address our thoughts on why
19 the remedy here should be striking the testimony
20 rather than reading it in the context of the entire
21 discussion that's gone on today?

22 MR. TRAVIESO-DIAZ: If I may. First I
23 want to make an additional point that
24 Ms. Chancellor's argument totally misses.

25 JUDGE FARRAR: Wait, wait. Totally

1 misses?

2 MR. TRAVIESO-DIAZ: Totally misses what
3 we're trying -- what this motion is about. She was
4 arguing as to what the substantive point of this
5 paragraph was. That's not the reason why I make
6 the motion. My reason was that it's not that the
7 testimony has been discredited, which I believe it
8 has. It is that this testimony that the witness
9 admitted ultimately, that it was based on a
10 document that he had not reviewed. And this is not
11 a question of hearsay as we're asking Dr. Ebbeson,
12 how you found information on the cranes. That is a
13 different problem, how you establish the
14 reliability of the basic underlying information
15 that was relayed.

16 JUDGE FARRAR: Well, wait a minute. He
17 didn't say he hadn't reviewed -- here's my
18 characterization of what he said, and I'm -- my
19 characterization may be wrong. But I think he
20 said, I got it, I glanced at it, and I read -- you
21 know, glanced at it to the extent I thought I
22 needed to at the time; and then when you pinned him
23 down you may well have discredited some of the
24 conclusions he drew based on that glancing.

25 But to me, your point earlier about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 integrity of the system, obviously if someone comes
2 in here and says, I looked at something, or I was
3 present at the deposition, I, you know, they
4 weren't present, you know, something that goes to
5 the, as you call it, the integrity of the process,
6 that's one thing. But all of us have been in a
7 position where there's too much to read so you read
8 what you think you need to at the time, and then
9 later you may wish you'd read it a little more
10 carefully. Isn't that the situation we have here?

11 JUDGE LAM: As a matter of fact, I had
12 heard Dr. Ostadan responding to Judge Farrar's
13 question was that he had not carefully reviewed the
14 report. I don't think I heard him saying he had
15 not read the report.

16 MR. TRAVIESO-DIAZ: I don't recall, of
17 course, the precise words that he used, but the
18 number of questions that were asked of him after
19 the one that was made by Dr. Turk could have
20 allowed him to explain the extent of his review.

21 My concern is that there are a number of
22 very specific, direct statements of fact that are
23 made in this paragraph that I don't believe that,
24 even if Dr. Ostadan had given some review of the
25 report, could not support the statements that he's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 making. Again, as I said, it is not my
2 concern whether --

3 JUDGE FARRAR: Well, let's take, for
4 example, what may be the next to the last sentence
5 which, you know, the Sandia analysis clearly shows
6 it. Well, if I glance at that graph, it does
7 clearly show it. When somebody explains it to me,
8 then no, it doesn't clearly show it.

9 Isn't that what we're dealing with here?
10 You look at the graph and there are these peaks.
11 So to me, that clearly shows something. But now
12 when I get into it a little more and someone
13 explains it to me, says, oh, no, I should disregard
14 those peaks.

15 MS. CHANCELLOR: But your Honor,
16 Dr. Ostadan would contend that even if the peak was
17 at a half, 1.5 g, it would clearly show it.

18 JUDGE FARRAR: That's the merits.

19 MS. CHANCELLOR: Okay.

20 JUDGE FARRAR: And that's where -- that
21 gets to the merits of what he said up here.

22 MS. CHANCELLOR: On the stand.

23 JUDGE FARRAR: On the stand. And I
24 remember that. But I think the motion is based on
25 if he had really studied this report, he wouldn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have made that statement. But that doesn't show
2 that there's a lack of integrity in that statement
3 at the time he made it.

4 MR. TRAVIESO-DIAZ: Excuse me. When I
5 used the word "integrity," I wasn't accusing him of
6 lack of integrity.

7 JUDGE FARRAR: I know.

8 MR. TRAVIESO-DIAZ: I said integrity on
9 the record, which is something else.

10 JUDGE FARRAR: Right.

11 MR. TRAVIESO-DIAZ: As I read the
12 statements, a person who made a superficial review,
13 as it indicates, as Dr. Lam seems to remember, he
14 couldn't have made a statement based on a
15 superficial review. This is an independent report
16 similar to the Holtec report for dynamic analysis
17 of the pads and casks. The imputed soil design
18 models used are the same as those used in the
19 Holtec analysis. The Sandia analysis clearly shows
20 that the pad response accelerations are several
21 times larger than the peak ground acceleration used
22 by Stone & Webster in its stability analysis.

23 And I don't see these things as
24 accelerations. It may have been just the words.
25 He's making what I consider to be, particularly for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an expert with his qualifications, to be a
2 statement of facts that could only be the result of
3 a thoughtful review of the document. And that's my
4 problem, really.

5 I mean, again, it is not a question as
6 to ultimately the probative value of this
7 statement. It's just that I don't believe it
8 should be on the record based on his testimony as
9 to the extent to which --

10 JUDGE FARRAR: But didn't -- okay,
11 here -- let me tell you how I think I see it. This
12 statement about the Sandia analysis, I think he
13 later said that was his superficial reading of that
14 graph, that figure. You all cross-examined him
15 extensively, and he -- I thought he conceded, which
16 was your point, that those really high peaks should
17 be eliminated. So in other words, to me the
18 integrity of the record is preserved by the fact
19 that he made a concession that you were trying to
20 get him to make.

21 Then Ms. Chancellor has a point that he
22 came back and pointed to some other peaks and said,
23 well, those account for something. So to me the
24 process worked the way it should have. Now, the
25 only thing that didn't work is he probably wishes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 he'd done a more careful reading at the beginning.
2 But a lot of us are always in that position. I
3 mean, to me, when you're worried about -- the
4 process worked fine. He did a quick review, he
5 said something that you attacked and discredited,
6 and there we are. What's wrong with that?

7 JUDGE LAM: Doesn't that also help your
8 case? You know, you have now demonstrated that
9 Dr. Ostadan, based on very superficial review -- as
10 a result of that superficial review, he had made
11 very strong statements and had expressed a very
12 strong opinion which later he somewhat conceded was
13 not quite the way he thought it was. Doesn't that
14 enhance your argument, Counsel?

15 MR. TRAVIESO-DIAZ: I may very well save
16 this argument for a future date. But my concern is
17 that still this is on the record and submitted as
18 evidence. Proposed findings are going to be
19 written. The Board and the Commission may look at
20 it, and, you know, again, as I think -- it in my
21 mind becomes a faulty record. Ultimately I believe
22 you're right.

23 JUDGE FARRAR: Well, there -- we can't
24 be in the business of at the end of every day
25 saying, okay, let's take this 30-page testimony --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and remember I gave you an A for your argument the
2 other day, you know, give each line an A or a B or
3 a failing. Here's what's going to happen. Suppose
4 we deny your motion. You'll write proposed
5 findings of fact and conclusions of law that say,
6 don't give this any weight; we'll either agree with
7 you, or we'll neglect everything that happened here
8 and we'll say, we rely on this sentence right here.

9 Well, then you all will do as you all
10 are entitled to do. You'll go to the Commission
11 and say, these people ignored everything that
12 happened this afternoon and they relied on this
13 sentence. And I assume the Commission will say,
14 you're right, the Board was wrong to do that.

15 So I'm not worried -- given the caliber
16 of lawyering we have here, I'm not worried that
17 something that's been discredited is going to
18 somehow sneak into a final decision and neither we
19 or the Commission or the Tenth Circuit just is, you
20 know, is ever going to catch it again.

21 MR. TRAVIESO-DIAZ: My only point, your
22 Honor, as I said, you both may be very well right
23 that at the end of the day that this may come out
24 to be a non issue. But my point is if he hadn't
25 said that he hadn't reviewed it, as I heard him

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 say, but perhaps it's reviewed carefully, I
2 wouldn't be making this motion. Because as Judge
3 Lam has very astutely derived, I have more to gain
4 by having this on the record to discredit him than
5 I have to lose by having it stricken. So this is
6 not for my benefit.

7 JUDGE FARRAR: Right. So maybe we need
8 to protect you from yourself, Mr. Travieso-Diaz.

9 MR. TRAVIESO-DIAZ: I have to tell you
10 that this is the first time that --

11 JUDGE FARRAR: In layman's language, be
12 careful what you ask for.

13 Mr. Turk, do you want to add something
14 here?

15 MR. TURK: I've already expressed my
16 view on the reliability of the evidence. I would
17 hazard a further statement. That is, whether
18 you'll admit it or exclude it, I don't think that
19 the case is going to turn on it. I think the Luk
20 report itself speaks for itself, Dr. Luk's
21 deposition explaining it is in evidence, the
22 cross-examination is before you, and I think the
23 record is fairly complete at this time.

24 Maybe as a precedent for the future, if
25 we find things that we think are unreliable we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should do voir dire and exclude it before we go
2 into full cross-examination. Although I don't know
3 that it would be any less time consuming than what
4 we did now.

5 JUDGE FARRAR: Yeah, I guess I have
6 maybe a different, you know, view of these things
7 than you all have expressed in your motion. To me,
8 and assuming that the discrediting you think
9 occurred did in fact occur, which is something we
10 have to deal with, and we have not all read the
11 transcript, we'll all have to read it, the process
12 worked. It is what it is, and that's the key.
13 Some prefiled testimony is going to make it into
14 the opinion and it's going to be the gospel, and
15 some prefiled testimony is going to have been
16 partially discredited, and some we're going to give
17 no weight to at all. And it seems you do that at
18 the end of the case, not as you go along.

19 So even if -- to me, even if your
20 points, and I'm speaking not only for myself but my
21 colleagues. Even if your points are well taken,
22 the remedy is not appropriate. And motions to
23 strike are -- well, you said at the outset, you
24 know, we disfavor them. And that's been our
25 consistent position throughout. Your motion as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heard -- certainly your motions have served
2 certainly one purpose: this is very much
3 highlighted in our minds. It's highlighted today,
4 it will obviously be in our minds when we write an
5 opinion.

6 Ms. Chancellor, do you want to add
7 anything?

8 MS. CHANCELLOR: It depends on how
9 you're going to rule, your Honor. I think I'll
10 wait.

11 MR. TRAVIESO-DIAZ: Your Honor, they say
12 that prudence is a very -- I withdraw my motion.

13 JUDGE FARRAR: You can't fire me, I
14 quit.

15 MR. TURK: I'll take mine like a man,
16 your Honor.

17 JUDGE FARRAR: To the extent there are
18 any motions pending, we will deny them, but that's
19 not to say that the points made are not valid
20 points. And this is something that,
21 Ms. Chancellor, you'll have a chance obviously
22 later to try to do some rehabilitation if you think
23 that's necessary, and we'll just see where that
24 leads us.

25 MS. CHANCELLOR: And I believe we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also have a chance to call Dr. Luk back, because we
2 haven't finished that cross-examination.

3 MR. TURK: That I'm not willing to agree
4 to, your Honor. He was excused as a witness and
5 the State was going to look to see if they had
6 anything else that they wanted to ask him in light
7 of developments. I don't think that we have
8 anything further.

9 JUDGE FARRAR: Let's not have arguments
10 today about things we may not have to deal with.
11 But I think, Ms. Chancellor, you can consider
12 yourself warned by Mr. Turk that he --

13 MR. TURK: I would make an offer also,
14 your Honor. If there are questions that they need
15 answered, if she gives me the questions, I can get
16 her answers and avoid a hearing on it.

17 JUDGE FARRAR: I think that's an
18 excellent point, that as -- since we are in this
19 mode of trying to accommodate witnesses, we are
20 going to get to the end of the road and find that
21 there are some things left undone, and it may be
22 that we can do those by written questions or by
23 telephone appearances or something rather than haul
24 witnesses back to appear for five minutes or ten
25 minutes. So we're willing to do whatever needs to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be done there.

2 Is there any other business we can
3 conduct tonight? All right, then we'll see you at
4 -- or see some people at nine o'clock tomorrow
5 morning for the oral argument on SS, and we will
6 see you here at nine o'clock Saturday morning for
7 PFS witness Cornell and the Staff panel on the
8 exemption.

9 MR. TURK: Your Honor, may I ask you a
10 question off the record?

11 (Discussion off the record.)

12 JUDGE FARRAR: If there's no other
13 business, we'll recess for the evening.

14
15 (The proceeding was concluded
16 for the day at 5:35 p.m.)

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceedings
before the United States Nuclear Regulatory Commission
in the matter of:


Name of Proceeding: Private Fuel Storage, LLC

Docket Number: Docket No. 72-22-ISFSI

ASLBP No. 97-732-02-ISFSI

Location: Salt Lake City, Utah

were held as herein appears, and that this is the
original transcript thereof for the file of the United
States Nuclear Regulatory Commission taken by me and,
thereafter reduced to typewriting by me or under the
direction of the court reporting company, and that the
transcript is a true and accurate record of the
foregoing proceedings.

15/ 

Diana Kent
Official Reporter
Neal R. Gross & Co., Inc.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com