

**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
Materials & Metallurgy and Plant Operations  
Joint Subcommittee Meeting

PROCESS USING ADAMS  
TEMPLATE: ACRS/ACNW-005

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, June 5, 2002

**ORIGINAL**

Work Order No.: NRC-418

Pages 1-496

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

TROY

**ACRS Office Copy - Retain  
for the Life of the Committee**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

MATERIALS AND METALLURGY

AND

PLANT OPERATIONS SUBCOMMITTEES

+ + + + +

VESSEL HEAD PENETRATION CRACKING

AND RPV HEAD DEGRADATION

+ + + + +

WEDNESDAY,

JUNE 5, 2002

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittees met at the Nuclear Regulatory Commission, Room T2B3, Two White Flint North, 11545 Rockville Pike, at 8:30 a.m., F. Peter Ford, Co-chairman, presiding.

## 1 SUBCOMMITTEE MEMBERS PRESENT:

2 F. PETER FORD, Co-chairman  
3 JOHN D. SIEBER, Co-chairman  
4 GEORGE E. APOSTOLAKIS  
5 MARIO V. BONACA  
6 THOMAS S. KRESS  
7 GRAHAM M. LEITCH  
8 VICTOR H. RANSOM  
9 STEPHEN L. ROSEN  
10 WILLIAM J. SHACK  
11 GRAHAM B. WALLIS

## 12 ACRS STAFF PRESENT:

13 MAGGALEAN W. WESTON, Staff Engineer

## 14 ALSO PRESENT:

15 STEVE BLOOM, NRR  
16 KEN CHANG, NRR  
17 STEPHANIE COLLIN, NRR  
18 JAY COLLINS, NRR  
19 ALLEN HISER, NRR  
20 ANDREA LEE, NRR  
21 STEVE LONG, NRR  
22 MICHAEL MARSHAL, NRR  
23 SIMON SHENG, NRR  
24 DWIGHT SNOWBERGER, NRR

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT (Continued):  
2 KEITH WICHMAN, NRR  
3 NILESH CHOKSHI, RES  
4 BILL CULLEN, RES  
5 EDWIN HACKETT, RES  
6 DEBBIE JACKSON, RES  
7 MARK KIRK, RES  
8 SHAH MALIK, RES  
9 BILL BATEMAN, NRL  
10 JACK GROBE, NRC/R III  
11 GIOVANNA LENGU, OGC  
12 JENNIFER UHLE, DCM/RAM  
13 KURT COZENS, NEI  
14 MICHAEL LEISURE, FENOC  
15 DAVID LOCKWOOD, FENOC  
16 STEVEN LOEHLEIN, FENOC  
17 PATRICK McCLOSKEY, FENOC  
18 MARK McLAUGHLIN, FENOC  
19 JIM POWERS, FENOC  
20 ROBERT SCHRAUDER, FENOC  
21 KEVIN SPENCER, FENOC  
22 STEPHEN FYFITCH, FRA-ANP  
23 JOHN HICKLING, EPRI  
24 CHRISTINE KING, EPRI  
25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## 1 ALSO PRESENT (Continued):

2 STEVE HUNG, Dominion Engineering

3 GLENN WHITE, Dominion Engineering

4 NATHANIEL COFIE, Structural Integrity

5 Assn.

6 PETER C. RICCARDELLA, Structural

7 Integrity Assn.

8 MICHAEL LASHLEY, South Texas Project

9 LARRY MATHEWS, SoNuclear

10 DICK LABOTT, PSEG

11 CHARLES BRINKMAN, Westinghouse

12 THOMAS B. HENRY, Toledo Blade

13 DANIEL KOFF, Cleveland Plain Dealer

14 JACK ROE, Scientech

15 ALTHEIA WYCHE, SERCH Licensing/Bechtel

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

C-O-N-T-E-N-T-S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PAGE

Introductory Remarks, F. Peter Ford . . . . . 6

Status of NRC Bulletin 2001-01 Review, Allen  
Hiser . . . . . 9

Status of NRC Bulletin 2002-01 Reviews, Andrea  
Lee . . . . . 17

Status of MRP Work on Technical Issues, Larry  
Mathews . . . . . 60

Presentation of John Hickling . . . . . 90

NRC Assessment of Davis-Besse Martin, Glenn  
White . . . . . 195

MRP Inspection Plan, Peter Riccardella . . . . . 248

NRC Assessment of Davis-Besse Margin, Mark  
Kirk . . . . . 309

Presentation of Nathaniel Cofie . . . . . 339

Status of Activities at Davis-Besse, Jim  
Powers and Nathaniel Cofie . . . . . 356

NRC 0350 Panel Activities, Jack Grobe . . . . . 392

Lessons Learned Task Force, Edwin Hackett . . . 418

Management by Leakage Detection, Allen Hiser . . 435

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CO-CHAIRMAN FORD: I'd like to get started please.

The meeting will now come to order. This is the meeting of the ACRS Joint Subcommittees on Materials and Metallurgy and on Plant Operations.

I'm Peter Ford, Chairman of the Materials and Metallurgy Subcommittee. My Co-chair is Jack Sieber, Chairman of the Plant Operations Subcommittee.

The ACRS members in attendance are everybody apart from Dana Powers. They are George Apostolakis, Mario Bonaca, Thomas Kress, Graham Leitch, Victor Ransom, Stephen Rosen, William Shack, and Graham Wallis.

The purpose of this meeting is to discuss the vessel head penetration cracking and RPV head degradation issues. We've had a number of full committee and subcommittee meetings on these issues.

Ms. Maggalan Weston is a cognizant ACRS staff engineer for this meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting, published in the Federal Register on May 21, 2002.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1           A transcript of the meeting is being kept  
2 and will be made available as stated in the Federal  
3 Register notice.

4           It is requested that speakers use one of  
5 the microphones available, identify themselves, and  
6 speak with sufficient clarity and volume so that they  
7 can be readily heard.

8           We've had no written comments from the  
9 members of the public regarding today's meeting.

10           The last letter that we wrote on this  
11 subject was in July 2001 in which we supported the  
12 issuance of the Bulletin 2001-01. In that letter and  
13 in the subsequent meetings, we raised a number of  
14 technical questions.

15           In his reply to the July letter, the EDO  
16 stated the answers would be given to us in early 2002.  
17 We requested that data be presented today to support  
18 the conclusion relating to three basic questions:

19           One, what do we know about the degree of  
20 degradation of the vessel head assemblies and what is  
21 the future predictions?

22           Second, what are the safety issues?

23           And, thirdly, what are the mitigation  
24 plans?

25           We shall not be discussing safety culture

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and impacts on the reactor oversight process as  
2 associated with, for instance, Davis-Besse, at this  
3 particular meeting.

4 Jack, do you have any comments?

5 CO-CHAIRMAN SIEBER: No, I don't.

6 CO-CHAIRMAN FORD: Before we proceed, Mag,  
7 do you have a statement?

8 MS. WESTON: Yes, one little housekeeping  
9 issue. We're going to be using the full committee  
10 books today, Tab 2. This is the same material that's  
11 for your book tomorrow. That's why you have your  
12 books, and I think I have opened them all to Tab 2.

13 That is all of the information that I have  
14 that you have not received in hard copy.

15 CO-CHAIRMAN FORD: We will now proceed  
16 with the meeting, and we will begin with Bill Bateman  
17 of the NRR, who will make some opening comments.

18 MEMBER WALLIS: There is no Tab 2.

19 MS. WESTON: Yes, Tab 2 is turned.

20 MEMBER WALLIS: It's not labeled as Tab 2.  
21 Oh, excuse me.

22 CO-CHAIRMAN FORD: Bill.

23 MR. BATEMAN: Okay. While your looking  
24 for your Tab 2s, which --

25 (Laughter.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BATEMAN: It's a pleasure to be here  
2 today. We have an ambitious schedule, as you can see.  
3 We're scheduled to go until six o'clock, and everybody  
4 on my staff hopes that we're finished by six o'clock.  
5 So that is certainly our goal and we'll do our best to  
6 get us all through by then.

7 And so we are looking for an interactive  
8 session. We think we're on the right track. We hope  
9 to get some good feedback from you folks today.

10 I know one of the things that Dr. Ford has  
11 commented on a number of times is the lack of data.  
12 I think this time we'll have more than enough data for  
13 you folks to chew on.

14 So why don't we get started? And I guess  
15 that would be Allen Hiser.

16 MR. HISER: Good morning. I'm Allen Hiser  
17 with Materials and Chemical Engineering Branch at NRR.

18 What I want to do this morning, very  
19 briefly to keep us ahead of schedule, is to provide a  
20 status of the review of responses to NRC Bulletin  
21 2001-01, which was entitled "Circumferential Cracking  
22 of Vessel Head Penetration Nozzles."

23 We were here two months ago and provided  
24 a more detailed status with putting the inspection  
25 results in the overall context so that hopefully you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 had some understanding of how the data or how the  
2 inspection results are falling in line.

3 At this point, I want to do just one slide  
4 to give you a brief overall status. There are no new  
5 inspection findings since the April 2002 meeting and  
6 presentation.

7 MEMBER WALLIS: You mean nothing has been  
8 done or nothing has been found?

9 MR. HISER: Nothing has been found. There  
10 have been some inspections that have not identified  
11 any cracking or leakage.

12 MEMBER WALLIS: Then there are findings if  
13 you found nothing.

14 MR. HISER: Correct.

15 The MRP did make a presentation to the  
16 staff in late May with a proposed inspection plan. I  
17 know that is on the agenda for later this afternoon,  
18 hopefully after noon.

19 The NRC staff is considering a generic  
20 communication that would address interim guidance for  
21 nozzle and vessel head inspections.

22 We will talk a little bit this afternoon  
23 on some of the concepts and ideas that we have on  
24 that. No details at this point, but just some of the  
25 concepts that we have at the present time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In addition, we do have interactions  
2 ongoing with the industry that will provide the  
3 technical basis for the NRC staff to develop long-term  
4 inspection requirements. There are also activities  
5 that are ongoing within the appropriate ASME code  
6 groups.

7           So that is basically what I wanted to say  
8 about the status.

9           CO-CHAIRMAN FORD: Is there going to be  
10 any more discussion on any of those bulletinized  
11 things, Allen?

12           MR. HISER: I believe two, three, and four  
13 will have -- we will have some ideas on later, some  
14 presentations this afternoon.

15           CO-CHAIRMAN FORD: So we will have some  
16 heads-up on what the generic communication will  
17 entail? For instance inspections?

18           MR. HISER: A lot of concepts, more at the  
19 concept sort of a level.

20           CO-CHAIRMAN FORD: Will you be discussing  
21 the degree of completeness of visual inspections  
22 versus 100 percent volumetric inspections?

23           MR. HISER: We can talk about that this  
24 afternoon.

25           CO-CHAIRMAN FORD: Okay. If you're not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to cover any more on the first bullet, I do have  
2 a question on it which was brought up by Dana Powers  
3 at the last meeting.

4 You've got this famous curve -- I've  
5 almost forgotten -- of the time since the CONY  
6 (phonetic) versus the vertical axis showing -- and I  
7 must admit to myself some degree of conviction that  
8 the simple algorithm that we have, prioritization  
9 fusion algorithm, seems to be reasonable.

10 However, Dana Powers brought up at the  
11 last meeting in April the statistical relevance of  
12 that, given the same number of inspections have not  
13 been made at a given time period.

14 Can you -- and I don't know if you  
15 remember that question. It was towards the end of the  
16 meeting. Do you have any comments?

17 MR. HISER: Well, clearly the level of  
18 inspections that have been performed throughout that,  
19 the plants listed on that chart, are different. The  
20 plants that have -- that would seem to provide the  
21 greatest support, you know, the plants that have  
22 identified cracking and leakage have tended to have  
23 the more intensive inspections.

24 There are very few plants outside of that  
25 area that have done under the head, volumetric type of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inspections that are capable of detecting cracking.  
2 So many of those plants have no results because visual  
3 exams have not identified any leakage.

4 That doesn't mean that there is no  
5 degradation ongoing. It just means that thus far, the  
6 degradation has not progressed to the point that there  
7 are leaks apparent on the head.

8 We will -- what I will do this afternoon  
9 is provide a little more information on which plants  
10 have performed which kind of inspection.

11 CO-CHAIRMAN FORD: Okay. Good.

12 MR. HISER: Maybe that will put those  
13 results in greater context.

14 CO-CHAIRMAN FORD: Will you also be  
15 discussing later on the completeness of that  
16 prioritization algorithm or has it served its purpose  
17 as of now?

18 I am referring specifically to the facts  
19 that other countries, France specifically, have got  
20 much more elongated prediction algorithm, taking into  
21 account micro-structure, stress, and position of the  
22 nozzle, et cetera.

23 Are the NRC or the industry planning on  
24 developing such a more complete prediction algorithm?

25 MR. HISER: I think that would be the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from a technical standpoint, that would be the desire  
2 of both the NRC and the industry. I think one of the  
3 issues that the industry has run into in trying to put  
4 together a more thorough model is the lack of  
5 information in some areas.

6 I know that in the early mid-'90s, some of  
7 the initial modeling tried to incorporate some  
8 material parameters. And I think the results over the  
9 last several years have demonstrated that those  
10 modeling efforts were really not as successful as the  
11 current model appears to be.

12 So I'm not sure. Maybe the industry folks  
13 can speak to their efforts later during their  
14 presentation.

15 CO-CHAIRMAN FORD: Can we jump -- are you  
16 going to, Larry?

17 MR. MATHEWS: I don't think we were  
18 planning on addressing it specifically. Basically the  
19 model we've got right now is very simple, like you  
20 say. It has tended to sort of mash the data that  
21 we're seeing coming in from the field.

22 To gather -- one of the problems is the  
23 welds. Some of the flaws have been in the welds and  
24 it is very difficult to quantify the material and all  
25 that, properties from a weld material.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I guess our plan was we are going to track  
2 data by fabrication and fabricator and things like  
3 that as we do inspections. And if we start to see a  
4 demarcation, then we can try to take that into  
5 account.

6 But so far, we haven't got enough data on  
7 individual heats and individual penetrations to start  
8 to try to make that demarcation. So at this point in  
9 time, we don't have concrete plans to do more than  
10 track the data as we get inspections over time.

11 CO-CHAIRMAN FORD: Okay.

12 MR. HISER: And it may be, as well, that  
13 one of the biggest parameters would be residual  
14 stresses. I think there is the variability from plant  
15 to plant and uncertainties in that may tend to --

16 CO-CHAIRMAN FORD: But there's a generic  
17 relationship between fit-up angle and residual stress  
18 and, therefore, position that you might expect as a  
19 secondary variable.

20 MEMBER BONACA: I would like to ask a  
21 question. I don't need an answer now, but I would  
22 like to understand by the end of the day why visual  
23 inspections is acceptable as a means of detecting this  
24 degradation process for RCS. Why we would not accept  
25 leakage in other location of the RCS as a means of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 detecting cracking?

2 And so I would not understand why in this  
3 case, it is acceptable. Is it because of the  
4 difficulties in these inspections? Is it logical,  
5 however?

6 The second point -- so this is an issue I  
7 would like to understand -- the second point is I'm  
8 concerned about the projection curve, the predicting  
9 curve that you are showing. You are throwing on the  
10 curve MISDON 2 (phonetic), for example, that perform  
11 volumetric inspections. They found cracks, but they  
12 didn't have any leakage.

13 Therefore, you are mixing together visual  
14 results with indications from volumetric and that  
15 creates confusion, in my judgement, about that  
16 predicting curve, and I would like to understand why  
17 you are doing that.

18 MR. HISER: Yeah, I will try to clarify  
19 that this afternoon.

20 Your first question about visual  
21 inspections is also addressed in, I believe, the  
22 second to last presentation on the use of leak  
23 detection as an appropriate management tool.

24 MEMBER BONACA: If it is appropriate, why  
25 wouldn't it be appropriate for cracks in nozzles or,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mean, why don't we wait until we see leakage before  
2 doing anything to these plants? Why would we want to  
3 attend field inspections?

4 Thank you.

5 MR. HISER: If we need to make a  
6 distinction, we will do that in that presentation.  
7 I'm not sure that will be necessary.

8 And with that, I will turn it over to  
9 Andrea Lee on Bulletin 2002-01.

10 MS. LEE: I'm Andrea Lee from the  
11 Materials and Chemical Engineering Branch, and I'm the  
12 lead for Bulletin 2002-01 on RPV head degradation and  
13 the rest of the reactor coolant pressure boundary.

14 With regard to background on Bulletin  
15 2002-01, it was issued March 18 to all PWR plants, and  
16 within 15 days, we asked licensees what kind of  
17 inspections have you done in the past to identify RPV  
18 head degradation. With those inspections, what's the  
19 ability of those inspections to determine head  
20 degradation?

21 In addition, after we got information on  
22 the actual inspections, we asked: what kind of  
23 deposits, descriptors such as was it residue or  
24 staining or what types of deposits; did you see what  
25 was left on the actual reactor pressure vessel head?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           After we asked what was done in the past  
2           and what kinds of inspection results were obtained, we  
3           asked what kinds of plans do you have for the future  
4           to enhance inspections or what kinds of inspections,  
5           do you have planned to address this problem.

6           MEMBER WALLIS:   So you asked what they  
7           were doing.  Was there any kind of instruction as to  
8           what they should be doing?

9           MS. LEE:  It was an information request:  
10          what kinds of things have you done; what have you  
11          seen; what are your future plans?

12          I will get to, in a little bit later,  
13          calls that we have had, conference calls to address  
14          the types of things that they've seen; taking  
15          experience we've had from talking with each of the  
16          licensees; making suggestions on how some of the  
17          licensees we've talked to could improve based on what  
18          we have heard from other licensees.

19          MEMBER WALLIS:  But it is very much up to  
20          them.  If you think of Davis-Besse, until they almost  
21          accidentally found they had a problem, they would have  
22          reported everything was fine.

23          MS. LEE:  Un-huh.  I think there's been --

24          MEMBER WALLIS:  It just up to them.

25          MS. LEE:  I think there's been a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lessons learned from both on the industry side and on  
2 the NRC side with this interaction with the rest of  
3 the 68 plants, as well as Davis-Besse. Those types of  
4 exchanges have occurred during conference calls.

5 And each of these conference calls and  
6 subsequent supplements have been put on the NRC  
7 external Web site so that the public is aware of the  
8 kinds of conversations that we've had.

9 MEMBER WALLIS: Okay.

10 MS. LEE: After we asked what you've done;  
11 what you plan to do in the future, we also ask for the  
12 basis of continued operation. How can plants ensure  
13 that they met the regulatory requirements with regard  
14 to this issue?

15 There was also 30-day and 60-day responses  
16 to this bulletin. The 30-day responses are what are  
17 your inspection results in a detailed fashion; what  
18 kinds of things have you seen, and we have asked for  
19 documentation so that the record is clear.

20 And then the last of the responses was a  
21 60-day response asking what have you done for the rest  
22 of the reactor coolant pressure boundary.

23 MEMBER APOSTOLAKIS: Do the resident  
24 inspectors know all of this?

25 MS. LEE: No, no, the inspection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 results --

2 MEMBER APOSTOLAKIS: The inspectors, the  
3 NRC resident inspectors; can they answer these  
4 questions?

5 MS. LEE: In a lot of cases -- there was  
6 a TI written for Bulletin 2002-01 and these are  
7 primarily the same inspections. So what we have tried  
8 to do in our interactions with the plants is to make  
9 sure resident inspectors and regional inspectors are  
10 on the actual calls.

11 In some cases we have gotten information  
12 that has helped to guide our interactions with the  
13 licensees. We have gotten some good insight from the  
14 resident inspectors: where to focus our area and  
15 focus the question.

16 So they are involved and they have been  
17 able to provide information.

18 MEMBER APOSTOLAKIS: I mean, if you ask  
19 them instead of the licensee to answer these  
20 questions. would they give you good answers or they  
21 really don't know?

22 MS. LEE: Well, one example when we had a  
23 pre-qual. with the region to give us information, the  
24 same type of questions, there were additional issues  
25 that were raised that we were able to talk to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 licensee; whereas the licensee addressed it, but we  
2 had more of an informed conversation because we were  
3 able to dig a little deeper from the inspector's  
4 results.

5 So they have been able to give us  
6 information that has helped guide the calls and the  
7 interactions.

8 MR. BATEMAN: This is Bill Bateman from  
9 the staff.

10 In answer to that question, I don't think  
11 we were prepared to speak for every resident inspector  
12 as to whether or not they could specifically answer  
13 these questions if asked.

14 MEMBER APOSTOLAKIS: Is it up to them? I  
15 don't understand that. Your answer implies that it is  
16 up to them to decide whether to know or not. Aren't  
17 there any rules as to what they're supposed to know?

18 MEMBER BONACA: Well, the resident  
19 inspector can go every morning to the morning meeting  
20 and listen to what the results of all the inspections.

21 I mean he has, right, hands-on on everything that  
22 takes place in the plant.

23 MR. GROBE: This is Jack Grobe from Region  
24 3.

25 I think the residents would have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cognizance of licensee activities in this area. They  
2 wouldn't have direct knowledge necessarily of the  
3 results of the head inspection because they wouldn't  
4 have been involved in those through the past refuel  
5 outages necessarily.

6 So they would assist NRR in focusing  
7 activities based on their cognizance from being aware  
8 of licensee activities.

9 MEMBER WALLIS: Are they so far removed?  
10 I mean, can't they actually demand to see photographs  
11 of what was seen instead of relying on what somebody  
12 said they saw?

13 MS. LEE: Well, they have. We have seen  
14 videotapes that were provided. They've seen pictures.  
15 There is interaction in that respect, both still  
16 pictures and videotapes. And those are primarily how  
17 we've gotten some additional information that has  
18 helped us focus our calls.

19 MR. HISER: Yeah, I think part of the  
20 confusion may be that plants that have done  
21 inspections since last summer, - the residents, the  
22 regional inspectors are very familiar with the  
23 results, the findings, the condition of the head,  
24 things like that, and what sort of inspection was  
25 done.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Plants that have not had a refueling since  
2 the issuance of the Bulletin 2001-01, the head was not  
3 a major focus area. And I think there is much less  
4 detailed information available or detailed knowledge  
5 by the inspectors for those plants.

6                   That's maybe where the dichotomy is  
7 occurring right now at the present time.

8                   MEMBER BONACA: But for the boric acid  
9 corrosion prevention program, you don't have to make  
10 an inspection of the head alone. You have other  
11 symptoms you are looking for.

12                   And one question would have been: in that  
13 60-days, have they performed a lock-down and  
14 containment or checked some for deposition, boron  
15 deposition upon surfaces? Have they checked filters?

16                   There are elements that can be checked  
17 even without a direct inspection of the head.

18                   MS. LEE: One of the things we have  
19 covered in the calls for the 15-day responses is  
20 information known as 2002-13 which talks about  
21 containment error, radiation element fowling  
22 (phonetic).

23                   Since that information has come out,  
24 licensees have addressed directly on phone calls, in  
25 some cases prompted by questions and in some cases on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 their own, what they're doing to look at filters and  
2 things like that in terms of fouling.

3 MEMBER BONACA: But it seems to be like  
4 more -- you know, I mean, some of them are addressed  
5 verbally, some in writing. Why can't we be more  
6 specific and request specific answers to questions on  
7 this?

8 MS. LEE: Well, we have done that.

9 MEMBER BONACA: So that you have  
10 consistent answers.

11 MS. LEE: Every time we have calls, we ask  
12 for supplements to the actual response.

13 MEMBER BONACA: Okay.

14 MS. LEE: Both our written telephone  
15 conference summary and their supplement goes on the  
16 NRC external Web.

17 With regard to the 15-day responses, we  
18 received all responses except for Davis-Besse. In  
19 getting to the punch line first, we haven't identified  
20 any plants that have the same conditions of  
21 degradation as Davis-Besse.

22 And the way we came to the conclusion was  
23 a priority categorization scheme for contacting  
24 plants. This scheme was basically a subjective  
25 categorization by the plant to guide us in how we were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to contact licensees, and it was based on  
2 needing more information from the actual submittals.

3 In some cases we didn't feel we had enough  
4 clarification or verification with what was provided.  
5 And those plants reached a higher level of priority in  
6 terms of how -- the order that we were going to  
7 contact them.

8 CO-CHAIRMAN FORD: Surely, the  
9 prioritization would be exactly the same as the  
10 cracking prioritization out of them because cracking  
11 is a precursor to the low alloy steel corrossions; are  
12 they not?

13 MS. LEE: No. It's not exactly the same  
14 as the industry prioritizations for a couple of  
15 different reasons. One is if we read a response and  
16 it wasn't clear. For example, significant deposits  
17 were left on the head, and by significant something  
18 that would preclude seeing the bare metal, or if there  
19 were leaks external to the insulation such as  
20 Conoseals or canopy seal leaks, and it wasn't clear  
21 that those were repaired within the same outage that  
22 they were found.

23 Those types of considerations that went  
24 into this priority scheme. So it's not exactly the  
25 same as the industry cracking scheme.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HISER: The other thing that maybe is  
2 counter-intuitive is that the plants that have the  
3 highest susceptibility to cracking have already done  
4 head exams. I think generally, every plant has looked  
5 at the head. So they have been able to identify the  
6 absence of that sort of degradation.

7 CO-CHAIRMAN FORD: Now, when you say "look  
8 at the head," Allen, do you mean using what technique?  
9 Purely visual or --

10 MR. HISER: Well, uh --

11 CO-CHAIRMAN FORD: That tells you nothing.

12 MR. HISER: They have looked visually. So  
13 they have been able to generally to see the interface  
14 around every nozzle. If there is significant  
15 degradation or probably -- I don't want to put a  
16 threshold. If there's degradation of a certain level,  
17 they would have been able to identify it previously.

18 So the plants that are the most  
19 susceptible to cracking have been, I think, in the  
20 best position to address this issue.

21 What is not readily apparent is the plants  
22 that have a lower susceptibility maybe have not done  
23 as extensive a visual examination of the head or maybe  
24 have not had an outage since over the last year.  
25 Those plants, we've had to rely more on photographs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and other prior inspection results.

2 CO-CHAIRMAN SIEBER: I guess the example  
3 there, your top priority plant is Beaver Valley 1. In  
4 the chart of results from the bulletin that NRR  
5 compiled, the result was called "other." When I  
6 looked into that, "other" meant did the visual  
7 inspection, found what they interpreted to be old  
8 Conoseal leakage; the Conoseals had been repaired;  
9 that they didn't clean the head, and so there was  
10 residual boric acid crystals on the head, which they  
11 claimed came from the Conoseals. They didn't clean it  
12 because of ALARA considerations.

13 So that would -- and their response really  
14 wasn't all that clear as to, number one, whether they  
15 could have seen leakage from the nozzle; whether the  
16 leakage that they saw was really Conoseal leakage;  
17 and, third, did they return the head to a condition  
18 where visual inspection could be done unimpeded by  
19 deposits. So maybe that helps.

20 MS. LEE: And in that specific case with  
21 Beaver Valley, there were subsequent interactions with  
22 the licensee supplements to the response and future  
23 commitment to address those issues.

24 So that's how that particular issue was  
25 resolved.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HISER: And I think Beaver Valley was  
2 a case, as well, where we got a lot of input from the  
3 resident inspectors and the regional staff who were on  
4 site when they were doing the visual exam and could  
5 provide a little bit of context.

6 You know, if somebody says, "There were  
7 deposits on the head and we left them there," six  
8 months ago that would have been a benign observation.  
9 Now, the context is a lot different.

10 And maybe it really is a thin layer, you  
11 know, a crystal thick or something like that. That's  
12 the kind of context that we have had to follow up on  
13 extensively with a lot of these plants.

14 CO-CHAIRMAN SIEBER: I would point out  
15 that Beaver Valley 1 is on the susceptibility list as  
16 a medium point, whereas, on the questioning list was  
17 a number one priority.

18 MS. LEE: Un-huh.

19 MR. HISER: And partly because they  
20 acknowledged leaving deposits on the head and they  
21 were moderate susceptibility to cracking. That  
22 doesn't mean the cracking is unlikely. I think, to  
23 the contrary, it's likely that they may have cracking.  
24 It may be unlikely that it's through wall at this  
25 point, but there's a certain probability that it could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be.

2 That combination is what we saw at Davis-  
3 Besse. And maybe not -- there may not be a scaling  
4 necessarily, but the bulletin was really focused on  
5 the conditions. Boric acid on the head and some  
6 probability of nozzle cracking were the two main  
7 parameters.

8 MS. LEE: And one of the follow-on items  
9 with a number of these plants is commitment for future  
10 cleaning. Whereas the sensitivity may not have been  
11 there at the time, the inspection was done before  
12 leaving even, was considered insignificant deposits.  
13 The sensitivity is there now. The next time they go  
14 in, even those deposits will be cleaned off of the  
15 head.

16 So that's one of the things that has come  
17 out of these interactions.

18 CO-CHAIRMAN FORD: I guess I'm still  
19 missing a key point to this rationale here. The main  
20 point of this bulletin is, to put it in layman's  
21 terms, is to make sure we don't have another Davis-  
22 Besse sitting out there.

23 And your inspection method or an allowable  
24 inspection method is just to see whether there's boric  
25 acid crystals on the top of the head. That's an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 allowable measurement.

2 MS. LEE: No, that's not the --

3 CO-CHAIRMAN FORD: I can't see how that  
4 tells you anything at all about the degree of  
5 degradation of the low alloy steel head.

6 MS. LEE: That's not the only parameter  
7 that the bulletin deals with. The first few questions  
8 asks about inspection methods and how to ensure that  
9 you don't have this particular issue. So those  
10 inspection methods go toward the 101 issue of  
11 cracking.

12 CO-CHAIRMAN FORD: When they answer the  
13 question to give you a rationale on why they should  
14 continue to operate, do you accept the rationale that  
15 I haven't seen any boric acid on my head and,  
16 therefore, I have no problem?

17 MS. LEE: No. It's a combination both of  
18 what have you done inspection-wise to see -- because  
19 axial cracks come into play with this phenomenon.  
20 It's not just the 0101 concern of circumferential  
21 cracks above the nozzles.

22 So the first part, it's almost a  
23 combination of the two bulletins. The first part asks  
24 have you done inspections; what types of inspections  
25 have you done of the nozzles to see what you actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have in regard to cracking and degradation.

2 The second part asks about what have you  
3 seen in terms of deposits on the head and things like  
4 that. So it is a combination of the two issues and  
5 the two concerns.

6 MR. HISER: But I think, fundamentally  
7 though, if I have a head and I'm worried about  
8 degradation and I go and look at the head and see no  
9 degradation; I can check that plant off.

10 CO-CHAIRMAN FORD: It didn't at Bouget 3.

11 MR. HISER: Now it may be that there are  
12 conditions that could lead to degradation, but at the  
13 present time I do not have degradation ongoing.

14 CO-CHAIRMAN FORD: But my point is at  
15 Bouget 3, for instance, there was no boric acid and  
16 yet there was cracking.

17 MR. HISER: Right.

18 CO-CHAIRMAN FORD: So that's one. What we  
19 need is one more, guys, and we're dead.

20 MEMBER BONACA: I think, in the context of  
21 this question, I agree with that. Even for the plants  
22 that already perform inspections, clearly when they  
23 did inspections, they did not know that Davis-Besse  
24 would occur.

25 There are tell-tale signs that Davis-Besse

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 was seen. For example, you know, the bottom-up  
2 spraying that they have identified and never figured  
3 out why they had it, but I'm sure that Ocone didn't  
4 look for it whenever they did an inspection.

5 I think it would still be wise for them to  
6 go back to the inspections, review what they did, try  
7 to remember if there were signs that Davis-Besse had  
8 identified as delta signs.

9 So I think just the fact of having  
10 inspected visually those heads, in the very difficult  
11 conditions of the inspections, many of them, I don't  
12 think should be just sufficient. I think that they  
13 should look back at what they did and try to interpret  
14 some other signs that may have seen.

15 MR. HISER: Well, I think given the  
16 information that is in the 2002-13, many of the  
17 responses address those kind of indirect indicators  
18 directly. They said -- and I think you were at a  
19 plant -- they had a used filter from their radiation  
20 monitors and a brand-new filter. They were  
21 indistinguishable.

22 Plants are looking at those kinds of  
23 indirect indicators as well. If I look at the head  
24 and see no degradation, that gives me a good feeling  
25 right now that I do not have a Davis-Besse situation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at that plant.

2 Now, that doesn't tell me in five years I  
3 may not, and then it becomes incumbent on the NRC and  
4 the industry and the licensees to implement effective  
5 inspection programs to ensure not that we don't get  
6 Davis-Besse, but that we don't get down the road any  
7 of the precursors that led to Davis-Besse. That's the  
8 thing.

9 MEMBER WALLIS: You are very reassuring.  
10 I mean the crack growth varies by orders of magnitude  
11 and the graphs that we look at -- you are going to say  
12 that just because someone didn't see some crystals,  
13 that there is no crack there which isn't going to grow  
14 more rapidly than you thought and is going to lead to  
15 some incident?

16 MR. HISER: I'm saying right now we don't  
17 believe that the conditions are there at any plant.

18 MEMBER WALLIS: I have the concern with  
19 this slide. I mean, the statement that was made was  
20 a little more reassuring than the first one that the  
21 staff has not identified. I think it was a little  
22 different. It was ten minutes ago. I'm not  
23 particularly remembering it, but I think you wanted to  
24 reassure us that there wasn't another Davis-Besse out  
25 there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The fact that the NRC has priority  
2 categorization doesn't have any effect on the physics.  
3 The fact that the NRC has no concern about 49 plants  
4 really surprises me.

5           There has to be concern about every plant  
6 out there.

7           MS. LEE: Yeah. With regard to the no  
8 concern bullet, that doesn't mean we don't have  
9 clarifying questions or verification questions. So  
10 some of those plants do have questions associated with  
11 them. It was prioritized as no concern just based on  
12 the order of --

13           MEMBER WALLIS: Or what you thought you  
14 knew before Davis-Besse.

15           MS. LEE: No, actually this was after,  
16 after Davis-Besse.

17           MEMBER WALLIS: After Davis-Besse?

18           MS. LEE: Yeah.

19           MEMBER WALLIS: After Davis-Besse, you had  
20 no concern for 49 plants?

21           MS. LEE: The no-concern categorization  
22 really was based on -- and the whole priority scheme  
23 is based on -- the order of contacting. And it is  
24 caveated to say we may still have clarifying questions  
25 or something that wasn't particularly clear.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So when something was  
2 found at one of these 49 plants, someone is going to  
3 remember that the NRC had no concern.

4 CO-CHAIRMAN SIEBER: I gather the no  
5 concern means you didn't have a concern about the  
6 response to the original bulletin.

7 MS. LEE: Yes. There may have --

8 CO-CHAIRMAN SIEBER: It doesn't mean that  
9 you didn't find something.

10 MS. LEE: It doesn't mean no concern with  
11 the actual what would be future occurrences at the  
12 plant. It was based on the licensee response was  
13 primarily complete, but there may still be a question  
14 here or there; to just ensure that we have all the  
15 information we need to make the informed decision.

16 CO-CHAIRMAN SIEBER: I guess one thing  
17 that bothers me is the fact that you can have nozzle  
18 cracks and you can't find them by visual inspection  
19 unless they are through through wall and leaking. To  
20 me, that gives me little comfort.

21 MEMBER BONACA: That is exactly right.

22 MR. HISER: We'll talk about that later  
23 this afternoon, but I think --

24 CO-CHAIRMAN FORD: It's important line  
25 right now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HISER: The purpose of this bulletin  
2 was really short term. Do we have similar conditions  
3 at any of the other 68 plants?

4 The bulletin has served its purpose in  
5 that we don't think there are any other plants out  
6 there with those conditions. Now that doesn't tell us  
7 that in two years something could not develop because  
8 clearly it could.

9 But, for the present time, we don't think  
10 that's the case. We are working to implement  
11 inspections that will ensure that in two years we can  
12 come back and say this problem is being managed and  
13 will be for the long term.

14 That's where we are after. The bulletin  
15 is just a short-term instrument to give us a status  
16 report on where plants are with this degradation.

17 CO-CHAIRMAN FORD: You're saying here that  
18 you don't have any situations similar to Davis-Besse,  
19 based apart from the first ones issued, 100 percent  
20 volumetric; based primarily on visual. And that makes  
21 me feel really worried.

22 Because we may hear later today about what  
23 the specific criteria or design criteria that will  
24 give you the local annulus environment, that could  
25 give you one inch per year low alloy steel corrosion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rate. We may hear that later on today.

2 But until we hear something definite, some  
3 design feature that would preclude that you've got to  
4 assume --

5 MEMBER BONACA: Yeah, until you rely on  
6 the visual, I mean, you know, certainly you know that  
7 as soon as a crack develops, it could start the  
8 process of erosion and corrosion of the head.

9 MR. HISER: I think that --

10 MEMBER BONACA: So we need to hear more  
11 about it.

12 CO-CHAIRMAN FORD: Are we missing  
13 something, Andrea? Visual -- you, as professionals,  
14 are sure that by looking on the head and not seeing  
15 boric acid, therefore, you do not have low alloy steel  
16 corrosion.

17 MR. BATEMAN: This is Bill Bateman from  
18 the staff.

19 I would just like to refresh everybody's  
20 memory of the process here. We issued a bulletin  
21 requesting information from the licensees with the  
22 respect of the condition of their head. We got 68  
23 responses 15 days after we sent the bulletin out.

24 Those responses were under oath and  
25 affirmation. The licensee knows the condition of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 their heads much better than we do. And so we  
2 basically believe what they tell us in their  
3 responses.

4 What we have been doing since then, which  
5 is a little over two months ago, is having phone calls  
6 with licensees in a priority order here based on the  
7 quality of their response and trying to get a  
8 comfortable feeling; fill out the details that are  
9 missing; et cetera, to come to some kind of conclusion  
10 with respect to whether or not we feel they have the  
11 potential for the problem.

12 We have not looked, personally, at any of  
13 these heads. Well, maybe I'll take that back. Maybe  
14 we've looked at one or two heads. But again, the  
15 licensees have sent us their response under oath or  
16 affirmation and they basically have made the claim,  
17 each and every one of them, that they don't have any  
18 evidence of something similar to Davis-Besse.

19 So that's the process we're in.

20 I think to take the staff to task for not  
21 having seen each and every head and making a visual  
22 observation is not fair.

23 CO-CHAIRMAN FORD: Obviously, you can not  
24 go in -- you personally can not go and look at every  
25 head. I just -- I'm trying to delve into the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rationale.

2 Right now what you're saying is  
3 essentially engineering judgement. You feel  
4 comfortable by engineering judgment based on --

5 MR. BATEMAN: We feel comfortable based on  
6 the licensee responses that came in under oath or  
7 affirmation, the descriptions that they put into those  
8 responses, asking them questions in a priority order  
9 of those licensees who didn't give us enough  
10 information so that we could come to a clear  
11 conclusion. Yes, we feel comfortable based on that.

12 Their responses and our subsequent  
13 questioning of their responses and this kind of a  
14 priority order.

15 MR. HISER: The two things that I guess I  
16 would add to that is if you do have corrosion ongoing,  
17 you do have water leaking, you do have boric acid,  
18 that goes somewhere. The corrosion products have a  
19 much lower density than the low alloy steel.

20 It's going to be obvious somewhere that  
21 something is going on. If you look back at the Davis-  
22 Besse visual examination results from their head,  
23 there were many, many, many signs on the head,  
24 containment air coolers, radiation monitors, that  
25 something was going on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           These other plants have not identified any  
2 of those kinds of indicators that we think are  
3 persuasive in indicating that there is no degradation  
4 going on in this area.

5           MS. LEE: And in many cases --

6           MEMBER LEITCH: What concerns me is that  
7 on November 9, we met here and were being briefed on  
8 the results, the early inspection results from or the  
9 early responses from Bulletin 2001-01, and one of the  
10 things that we were told at that time was that Davis-  
11 Besse, in trying to justify why they didn't have CRDM  
12 cracking at that time, referred to some earlier video  
13 tapes they had done of their head.

14           They did videotapes in 1996, 1998, and  
15 2000. They claimed at that time that they were not  
16 specifically looking for CRDM cracking, but they were  
17 trying to use those tapes as a justification for why  
18 they didn't have CRDM cracking.

19           But they further claimed that they made  
20 those videotapes specifically looking for head  
21 degradation as a result of boric acid on the head  
22 probably from historic flange leaking and claimed that  
23 after reviewing those video tapes, from those three  
24 inspections, they were satisfied that there was no  
25 head degradation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And so my question is: aren't we hearing  
2 the same thing from these plants?

3                   In other words, when we probed deeper then  
4 into the Davis-Besse situation, there were questions  
5 about how, well, we couldn't see certain CRDMs very  
6 well.

7                   I mean, is there anything here about  
8 how -- what percentage of the head they can really  
9 look at? And how does one interpret what is seen on  
10 the videotapes? Is it what is referred to as  
11 "popcorn"? Is it what is referred to as "lava"? Is  
12 there common understanding when someone says "popcorn"  
13 and somebody else says "lava"? Do we really know what  
14 we're talking about there? If somebody talks about  
15 "white deposits," "red deposits" -- I mean, there is  
16 a lot of subjectivity in those kind of words.

17                   MEMBER BONACA: Furthermore, a number of  
18 these plants have never inspected their head, I would  
19 suspect. I mean some of the 49 plants are not  
20 concerned. They may not look at them.

21                   MEMBER LEITCH: So what I'm saying is in  
22 the time frame of November 2001, Davis-Besse would  
23 have satisfied these criteria, not only could have,  
24 but did effectively answer this bulletin before it was  
25 written in response to questions at this meeting and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 answered them in a way that satisfied us all, and we  
2 were wrong.

3 MR. HISER: I would expect if you look at  
4 their root cause analysis report, that I think some of  
5 the information provided in there is not necessarily  
6 consistent with what the ACRS was told and what the  
7 staff was told last fall. That would be the main  
8 comment that I would make in that area.

9 The other thing is that, again, from the  
10 input we've gotten from the residents and the regional  
11 inspectors, from documentation, for plants that are  
12 not inspected since prior to Bulletin 2001-01, there  
13 tends to be some photographic evidence of the  
14 condition either of the head or the insulation that is  
15 directly attached to the head, and if that is  
16 undisturbed, that, again, is a positive indicator that  
17 there is nothing going on.

18 If you get corrosion, the products are  
19 going to go somewhere. For the short term, that  
20 provides us with the basis for the first statement on  
21 here. For longer term management, I don't know that  
22 that is an acceptable approach.

23 We'll talk about that later this  
24 afternoon. Because at the present time we are looking  
25 for an outlier condition, you know, gross degradation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 For long term management, that's not the correct  
2 standard to use.

3 We want to ensure that we don't have  
4 precursors. We don't want to get -- we don't want to  
5 say how far down the path. We don't want to be on the  
6 path, overall. We don't want to preclude the industry  
7 from being on the path.

8 MEMBER LEITCH: So I guess what you're  
9 saying is the reason that I should have some  
10 confidence in these results versus what Davis-Besse  
11 told us in November 2001 is that these results are  
12 done -- are made with an informed judgment because we  
13 now have the history of Davis-Besse.

14 MS. LEE: Yeah, I think that is one of the  
15 most important distinctions to make. When we were in  
16 the November time frame, no one could have imagined  
17 that we would have discovered this type of degradation  
18 on a reactor vessel head.

19 We're in a different climate now. Because  
20 of Davis-Besse, there's heightened sensitivity to  
21 these types of issues, and again, the plant that I  
22 visited with regard to filter papers, and if you  
23 recall, I think it was the April 2000 picture at  
24 Davis-Besse with the corrosion pouring out of the  
25 mouse holes onto the reactor vessel studs. There were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 many, many indications of degradation on that head.

2 I think with the climate that we're in  
3 now, people have gone back, looked at their pictures;  
4 have gone back, looked at inspection results; and are  
5 doing inspections now with a more in-tuned eye and  
6 more informed decisions on what they're actually  
7 looking for.

8 That's why I personally think that there's  
9 much more scrutiny in terms of per-Davis-Besse and  
10 post Davis-Besse.

11 MEMBER LEITCH: But some of these plants  
12 have no new inspection results really since Davis-  
13 Besse. In other words, they are just manipulating old  
14 data and analyzing old data in light of the Davis-  
15 Besse incident.

16 In other words, a lot of this response  
17 represents not new videotapes or new photographs, but  
18 going back and looking at videotapes and photographs  
19 previously and interpreting them in light of Davis-  
20 Besse; is that --

21 MS. LEE: But they actually do have  
22 indicators. The indicators would always be there  
23 whether they had done an inspection or not. For  
24 example, unidentified leakage. One of the things that  
25 a lot of the plants have indicated is they have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 extremely low unidentified leakage. The tech specs  
2 say one gallon per minute. They're at somewhere like  
3 .06 gallons per minute.

4 So the indicators are an important factor  
5 with the rest of the plants, even if they haven't done  
6 inspections.

7 MEMBER LEITCH: Well, yeah, but the  
8 difference between .1 and .2 gallons per minute could  
9 be very significant as far as this is concerned. Your  
10 point operators may not react to that kind of change.

11 What I'm saying is this is small, I think,  
12 compared with the normal variability that one sees in  
13 unidentified leakage.

14 MR. HISER: Some of the things just to --  
15 you know, how did some of the plants come on this high  
16 priority list is an example of programmatically they  
17 did not tell us if they had Conoseal leaks or  
18 something like that. Did they immediately clean-up  
19 the boric acid spillage?

20 If they did not say that, we were asking  
21 for additional information regarding their practices.  
22 There's a variety of practices in areas like that.

23 So we tried to look at the holistic  
24 approach, looking at all of the available information  
25 from the programmatic aspects to maybe interpreting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 old inspection results and any documentation of those  
2 inspections, plus the more recent inspections that  
3 clearly have been focused on this area as a prime area  
4 of concern.

5 So we tried to gather all that information  
6 together to make the determination in this case.

7 MEMBER LEITCH: Was one of the variables  
8 that you considered the ease with which the head could  
9 be completely inspected?

10 MS. LEE: A lot of the questions we've  
11 asked licensees very directly is did you get 100  
12 percent inspection of 360 degrees around the  
13 circumference of each nozzle, and in some cases the  
14 answers were we got 96 with a robotic-type crawler,  
15 but we got the rest with a camera on a stick.

16 So we've gotten very specific in terms of  
17 what they could see, what they couldn't see, and what  
18 inspection methods they actually used.

19 CO-CHAIRMAN FORD: Even with conformal  
20 insulation?

21 MS. LEE: Pardon me?

22 CO-CHAIRMAN FORD: Even with insulation  
23 which is conformal to the pressure head?

24 MS. LEE: In the cases where there is  
25 insulation, for example, glued to the head or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 contoured to the head, we've had discussions about  
2 what are your plans.

3 In some cases, there have been  
4 nondestructive examinations performed. So --

5 CO-CHAIRMAN FORD: So in those cases there  
6 was nondestructive --

7 MS. LEE: Not in every case, but in some  
8 cases there were. In the cases where there haven't  
9 been inspections done yet, they have plans to do that  
10 in the next inspection.

11 CO-CHAIRMAN FORD: So it's not 100 percent  
12 then. In those cases where they were not able to do  
13 a visual --

14 MR. HISER: But the kind of -- I think a  
15 typical situation would be, as a part of our normal  
16 outage inspections, we look at the insulation. We  
17 have seen no disturbances on the insulation. We've  
18 seen no staining, no deposits --

19 CO-CHAIRMAN FORD: Okay.

20 MR. HISER: -- nothing like that on the  
21 insulation. We looked at the flange every outage.

22 MEMBER WALLIS: But are there indications  
23 of what those deposits would look like on the  
24 insulation, that they would be visible?

25 MR. HISER: These insulation packages are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 pretty much watertight.

2 MEMBER WALLIS: This stuff is creeping  
3 under the insulation and eating away the head and you  
4 wouldn't see anything.

5 PARTICIPANT: Right at the top of the  
6 insulation so you can see it.

7 MR. HISER: Well, they also examine the  
8 flange area. If there is anything ongoing under the  
9 insulation, we would expect that it would flow out and  
10 be visible there.

11 MEMBER WALLIS: Okay.

12 CO-CHAIRMAN FORD: Could I try to come to  
13 a kind of an agreed upon conclusion as to where we  
14 are?

15 MEMBER ROSEN: Peter, before that, could  
16 I --

17 MS. WESTON: And I have a question too.

18 MEMBER ROSEN: -- could I make a comment?

19 CO-CHAIRMAN FORD: Sure, you bet.

20 MEMBER ROSEN: Allen, you said something  
21 I thought was very important, which was that the root  
22 cause analysis report, presumably gave the Davis-  
23 Besse's report was what you were referring to -- gives  
24 you different information than what was provided to  
25 the staff and to the ACRS at various times; is that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 correct?

2 MR. HISER: That's my understanding. Just  
3 reading through some of the observations of their  
4 inspections.

5 MEMBER ROSEN: I'm saying is that what  
6 your saying?

7 MR. HISER: Yes.

8 MEMBER ROSEN: I assume someone is  
9 following that up.

10 MR. HISER: I believe that's my  
11 understanding.

12 MEMBER BONACA: Was it different or was it  
13 additional?

14 MR. HISER: Probably additional as much as  
15 anything. Character deposits, colors, things like  
16 that that were not -- information that we were not  
17 aware of.

18 MS. LEE: And also degree of cleaning the  
19 head, the level of cleaning.

20 MEMBER ROSEN: But I'd like to have some  
21 assurance that someone is carefully sorting that out.

22 MR. HISER: Regarding Davis-Besse, I think  
23 Davis-Besse has issued press releases to that effect,  
24 that there are regulatory activities going on.

25 MEMBER ROSEN: No, I don't really -- I am

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interested in what Davis-Besse says, but I would  
2 prefer to hear it from the staff, that someone in the  
3 staff is carefully sorting out what Davis-Besse told  
4 NRC and the ACRS and what they now know and wrote down  
5 in their root cause analysis report.

6 MR. GROBE: This is Jack Grobe from Region  
7 III.

8 There are two activities that are ongoing  
9 in that regard. One is follow-up inspection to the  
10 AIT inspection evaluating the results of that  
11 inspection which included not what the licensee told  
12 the ACRS, but certainly what the licensee told the  
13 staff. There's also an investigation ongoing by the  
14 Office of Investigations into various aspects of what  
15 resulted in the head degradation at Davis-Besse.

16 I'm not sure it is appropriate to discuss  
17 the details of exactly what issues the Office of  
18 Investigations is focusing on in a public forum.

19 MEMBER ROSEN: Thank you.

20 MS. WESTON: I have a question. How much  
21 information do you get documentation to independently  
22 verify the statements that are made by the licensees?  
23 For instance, photographs, videotapes, things like  
24 that. Does the staff actually get that information  
25 and look at it independently to see?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And I'm thinking basically of the Davis-  
2 Besse photo that apparently had been taken some time  
3 before it was provided.     What do you do to  
4 independently verify any of this information?

5           MS. LEE: In a lot of cases, the licensees  
6 have included pictures right with their initial  
7 response and also indicate that they have videos. We  
8 have followed up with some of the plants and asked for  
9 actual videos.

10           Also the residents are an important factor  
11 in that as well. Because a lot of times, they are the  
12 first in line that have seen these pictures, seen the  
13 videos, were with the licensees when the actual  
14 inspections were occurring.     So there is the  
15 opportunity for independent verification.

16           And I think in terms of Davis-Besse as  
17 Allen said, there were some differences in what was  
18 provided back in the November and December time frame  
19 and then what was provided after the degradation was  
20 discovered.

21           So again, as Jack said, there is follow-  
22 up, investigative follow-up as to sorting out all of  
23 that and what was provided and how it differs now.

24           MS. WESTON: So my question, then, is how  
25 do you assure that is not happening again?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. LEE: I think in terms of the  
2 information that we have gotten and the information  
3 that we have followed up on, we try to do integrated  
4 types of reviews both -- as Bill said, it's under oath  
5 and affirmation. We go with that as the first line.

6 But we've constructed the questions to dig  
7 deeper into what they've provided. In some cases, we  
8 have asked for additional pictures, asked for  
9 additional video and additional evaluation of that  
10 with regard to what the resident saw right directly on  
11 conference calls. We try to sort through as much  
12 information as we can get at the time.

13 MR. HISER: In at least one case there  
14 were some photos that we were provided of the  
15 condition of the insulation, as an example. It  
16 appeared, to us, to indicate some sort of degradation  
17 of the insulation. It wasn't obvious if it was  
18 external, if it was from the head.

19 In that case, the licensee went in,  
20 removed the pieces of insulation, did a bare metal  
21 visual exam of the head itself, and confirmed that  
22 there wasn't a degradation at that point.

23 It has been a myriad of approaches to try  
24 and to reach conclusion on each plant. But at this  
25 point, there are still some outstanding plants that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 need to nail down the final details on, but in an  
2 overall sense, we have a very good feeling that there  
3 is not significant degradation going on.

4 MEMBER WALLIS: How big are these  
5 responses? Are they two pages, a thousand pages, ten  
6 thousand?

7 MS. LEE: No.

8 (Laughter.)

9 MS. LEE: Did you say a thousand?

10 (Laughter.)

11 MS. LEE: No, it's not a thousand. It  
12 varies. Typically they may be like, for example, the  
13 15-day responses, they could be 40 pages; they could  
14 be 20 pages.

15 MEMBER WALLIS: So you've read 68 20-page  
16 responses?

17 MS. LEE: Some --

18 MEMBER WALLIS: So it come down to what  
19 a professor grades in one day?

20 MS. LEE: -- on average.

21 MEMBER WALLIS: The kind of thing a  
22 professor grades in one day?

23 MS. LEE: No.

24 MEMBER WALLIS: You're only 20 percent  
25 complete in a month?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. LEE: You're talking about the 60-day  
2 responses now? You're going down to --

3 MEMBER WALLIS: Oh, am I going down to the  
4 -- am I out of -- okay. I'm sorry.

5 MS. LEE: Yeah. We were discussing,  
6 really -- the original discussion was on the 15-day  
7 response.

8 MEMBER WALLIS: So they have a fat one so  
9 that they are much bigger?

10 MS. LEE: Well, the 60 -- I'll just go on  
11 to the end of the slide -- the 60-day responses were  
12 due May 18. And we've gotten the last of them in at  
13 the end of last month, the end of May.

14 The staff has begun the review. It's been  
15 about 20 percent done.

16 MEMBER WALLIS: Those are the fat ones?

17 MS. LEE: The 60-day responses are the  
18 rest of the reactor coolant pressure boundary.

19 MEMBER WALLIS: Oh, the rest of them,  
20 okay.

21 MS. LEE: And again, that varies. There  
22 are some that are 40 pages. There are some that are  
23 less.

24 MEMBER WALLIS: So the 15-day responses --  
25 I'm sorry -- have all been reviewed thoroughly?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. LEE: Yes.

2 MEMBER WALLIS: Okay.

3 MS. LEE: Yes. And just another note  
4 about the 60-day responses. Some of them may refer  
5 back to past programs on boric acid corrosion  
6 programs. So in terms of the length of them, they may  
7 be smaller because they are referring back to  
8 information that was provided on the docket.

9 MEMBER WALLIS: Isn't part of the problem  
10 in reviewing is that you allow them too much latitude  
11 in the way in which they present the evidence?

12 If you were very firm about that you must  
13 have evidence of 360 degree inspection of every nozzle  
14 -- we want to see it. We want it at a certain place  
15 in the report -- then you could run through them all  
16 and see if there was any concern.

17 MS. LEE: Un-huh.

18 MEMBER WALLIS: If every report looks  
19 different, it is much more difficult to review it,  
20 isn't it?

21 CO-CHAIRMAN FORD: I'd like to bring this  
22 one towards a conclusion.

23 MEMBER BONACA: Could I just make one? We  
24 talked about Davis-Besse, and I think Davis-Besse  
25 gives us the wrong comfort in my judgment. Because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       however responsible Davis-Besse will be found to be,  
2       we have to recognize we were all surprised by the  
3       finding we had at Davis-Besse. We did not -- I did  
4       not expect -- that kind of degradation.

5               Therefore, I don't think we can be  
6       comfortable about all the remaining plants out there  
7       that are sitting with insulation on their heads  
8       expecting that what will happen will be either what we  
9       discovered last year, that axial cracks might become  
10      circumferential, or we will discover this year that  
11      cracks may become degradation of the head. There may  
12      be something else that is developing there.

13              So I think it is important that we don't  
14      get too much comfort with the fact that maybe Davis-  
15      Besse made some wrong judgments.

16              MR. HISER: I think short-term comfort is  
17      all. For today, I think we have comfort. For the  
18      future, we need --

19              MEMBER WALLIS: Could I have just one  
20      quick question for the fact -- you may have said this,  
21      but of the seven, four, and eight plants that your  
22      contacting, what is the status of that? Have those  
23      contacts been made or are they yet future?

24              MS. LEE: For all of the plants and even  
25      the majority of the no-concerns plants, the contacts

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have been made. The calls have been documented and  
2 the supplements are coming in. The majority have come  
3 in, have been documented and put on the Web site.

4 MEMBER WALLIS: I'm not sure I understood  
5 your answer. For the high, medium and low priority  
6 plants, they have all been contacted?

7 MS. LEE: Yes. And then some of the no-  
8 concerns plants that we may have clarifying questions  
9 on, the majority of those have been contacted as well.

10 MEMBER WALLIS: Thank you.

11 CO-CHAIRMAN FORD: Let me finish off,  
12 unless there's any burning questions, with a -- could  
13 you keep that up please, Andrea?

14 I'd like to suggest that a better wording  
15 which would be a compromise wording of the first  
16 statement there is that you have not identified any  
17 plants with the gross lava flows that you have  
18 observed at Davis-Besse.

19 (Laughter.)

20 CO-CHAIRMAN SIEBER: However, until we do  
21 the 100 percent examination on all plants or until we  
22 understand the chemical and geometrical aspects that  
23 would give rise to one inch per year corrosion rates,  
24 you can't assume that there isn't an incipient Davis-  
25 Besse out there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Is that a fair compromise statement?

2 MR. HISER: At this point, we are not far  
3 down the path. What we need to do now is make sure  
4 that nobody is on the path that would lead to Davis-  
5 Besse.

6 CO-CHAIRMAN FORD: Okay.

7 MR. HISER: I think that's correct.

8 CO-CHAIRMAN SIEBER: Right.

9 CO-CHAIRMAN SIEBER: Maybe as another sort  
10 of summary of what I thought I heard when we  
11 complained about visual might not be being adequate  
12 enough to identify cracking, visual was originally  
13 chosen because of fracture mechanics arguments that  
14 say even if it leaks a little bit, it is not going to  
15 separate and go sail on up to the roof of the  
16 containment, which I thought was okay at the time.

17 But that is just the first step. Sooner  
18 or later -- and you indicated it yourself -- that  
19 you've got to move to a better inspection technique  
20 than a visual or the camera on a stick.

21 MR. HISER: That's correct.

22 CO-CHAIRMAN SIEBER: Is that the right  
23 impression?

24 MR. HISER: I think that is correct. I  
25 think we will talk about that a little bit later this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 afternoon, but I think Davis-Besse has raised the bar  
2 a little bit in terms of the information that we need.  
3 How far down the path of leakage and cracking are we  
4 comfortable with?

5 It may be that we need to move back quite  
6 a bit, push the bar back.

7 CO-CHAIRMAN SIEBER: Okay. Mr. Chairman,  
8 I now feel comfortable that we can move on.

9 CO-CHAIRMAN FORD: Okay. Andrea, Allen,  
10 thank you very much indeed.

11 Larry, are you up?

12 MEMBER WALLIS: That's a new reactor  
13 design you've got there?

14 MR. MATHEWS: Yes, it has plenty of  
15 containment.

16 MEMBER ROSEN: This is some report.

17 CO-CHAIRMAN FORD: Larry, I understand  
18 that Glenn White wants to give a presentation before  
19 lunch. Can you arrange, whatever you are both going  
20 to do, so we can get Glenn in before lunch?

21 MS. KING: Yeah, we currently had that  
22 planned for the --

23 CO-CHAIRMAN FORD: Very good. Excellent.

24 MS. KING: -- for the two and a half  
25 hours.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MATHEWS: I'm Larry Mathews, by the  
2 way, from Southern Nuclear Operating Company and the  
3 Chairman of Alloy 600 Issues Task Group of the EPRI  
4 Materials and Liability Program.

5 This is Christine King, the project  
6 manager from EPRI. We'll have other speakers and I  
7 will go over that on the agenda here.

8 I have a few minutes on the status. Then  
9 we're going to turn it over to somebody who knows a  
10 lot more about this stuff than I do. We have John  
11 Hickling from EPRI, who will make a presentation on  
12 our Alloy 600 crack growth rate work and the expert  
13 panel and where we stand on that.

14 Then we have Pete Riccardella from  
15 Structural Integrity, who will discuss the  
16 probabilistic fracture mechanics model, and also how he  
17 used that or how we used that as the basis for our  
18 initial cut at an inspection plan.

19 I have just a few minutes on collateral  
20 damage.

21 Then Glenn White from Dominion Engineering  
22 will come up and make a presentation on the technical  
23 assessment that we have ongoing.

24 Then later this afternoon, we are going to  
25 talk about the inspection plan and where we stand on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that.

2 CO-CHAIRMAN FORD: Will you be discussing  
3 at all during the day any work on the physics of how  
4 you can get one inch per year, low alloy steel  
5 corrosion rate?

6 MR. MATHEWS: That's Glenn's presentation.

7 CO-CHAIRMAN FORD: Right.

8 MEMBER WALLIS: I guess it is chemistry,  
9 too.

10 MR. MATHEWS: Yeah.

11 CO-CHAIRMAN FORD: By "physics," I meant  
12 atom by atom.

13 MR. MATHEWS: Well, it's physics.  
14 Chemistry is a subset of physics.

15 MEMBER BONACA: What's MRP? What's MRP  
16 stands for?

17 MR. MATHEWS: Material Reliability  
18 Program.

19 This is a flow chart -- and I can't see it  
20 -- this is a flow chart of basically the strategic  
21 plan that we have laid out for addressing the head  
22 penetration cracking issue. We have a similar one for  
23 the VC summer type issues.

24 We did not include in here work on Davis-  
25 Besse. This was put together before Davis-Besse. In

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fact, our initial cut at the inspection plan wasn't  
2 addressing the Davis-Besse issue. We were saying that  
3 it should be relied upon by -- well, we should rely on  
4 the 8805 program and improvements that need to be made  
5 perhaps to that program. However, based on comments  
6 we got, we are going back to take a look at what we  
7 really want to say in the inspection plan.

8 MS. WESTON: Larry, excuse me. Members,  
9 there is a larger version of this, page number 17,  
10 handwritten 17 in your book.

11 CO-CHAIRMAN FORD: Thank you, Mag.

12 MR. MATHEWS: How would you get that?

13 (Laughter.)

14 MS. WESTON: Magic.

15 MEMBER APOSTOLAKIS: Are all of these in  
16 the book?

17 MS. WESTON: I'm not sure. This is from  
18 a previous presentation. I will tell you if the page  
19 is there in the book. But you have this handout which  
20 has them, but I have some of these duplicate slides  
21 that are in the book.

22 MEMBER APOSTOLAKIS: Okay.

23 MS. WESTON: So handwritten page 17 --

24 MEMBER APOSTOLAKIS: You're right.

25 MS. WESTON: -- under Tab 2, has this in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a larger version.

2 MEMBER WALLIS: Is there some rationale to  
3 this figure?

4 MR. MATHEWS: We ultimately want to arrive  
5 at a final reactor pressure vessel head nozzle safety  
6 assessment that would be submitted to the staff. And  
7 all of these other things are what we're working on to  
8 flow into that, including and what we will talk about  
9 today are the ones that are highlighted in pink or  
10 red.

11 The susceptibility rankings briefly. We  
12 are going to have an extensive presentation on the  
13 crack growth rate and the probablistic fracture  
14 mechanics in the inspection plan later this afternoon.

15 MEMBER WALLIS: So it is all cracking?

16 MR. MATHEWS: It's all cracking on this  
17 chart. The MRP is doing work relative to the wastage  
18 issue, and Glenn will be discussing what he has been  
19 working on at the end.

20 MEMBER WALLIS: Now, two questions. First  
21 of all, this is all Alloy 600 and 182 and 82?

22 MR. MATHEWS: Right.

23 MEMBER WALLIS: Anything on 690?

24 MR. MATHEWS: No, not in here.

25 MEMBER WALLIS: Is there somewhere?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. MATHEWS: It's going to be looked at,  
2 yes, but we don't have it now.

3 MEMBER WALLIS: I ask the question because  
4 in all likelihood some of the stations will be going  
5 to 690 Alloy 52 replacements where necessary.

6 MR. MATHEWS: Soon. Yes.

7 MEMBER WALLIS: And therefore, presumably  
8 the staff are going to ask for some quantification of  
9 the fact of improvement.

10 MR. MATHEWS: Yes, and there is some  
11 information out there, and it will all be pulled  
12 together. Ultimately, the inspection plan should be  
13 addressing what's the right thing to do for those  
14 materials also.

15 MEMBER WALLIS: Which comes to my second  
16 question: what is the time line?

17 MR. MATHEWS: We are shooting for this in  
18 the third quarter of this year.

19 MEMBER WALLIS: So a lot -- most of these  
20 have been finished?

21 MR. MATHEWS: Most of them are very far  
22 down the road.

23 MEMBER APOSTOLAKIS: Was this -- this was  
24 not started because of Davis-Besse, right?

25 MR. MATHEWS: No, no. This was started

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because of Ocone.

2 MEMBER APOSTOLAKIS: So coming back to Dr.  
3 Wallis' question, where do we enter this?

4 MR. MATHEWS: Well, it's all parallel  
5 really. The susceptibility ranking was the first  
6 thing that we put together. It was just the time and  
7 temperature ranking to try and figure out what plants  
8 were most susceptible and need to be concerned.

9 So that was put together and I guess it  
10 was actually submitted to the staff in response to  
11 2001-01.

12 MEMBER APOSTOLAKIS: So do the colors mean  
13 anything?

14 MR. MATHEWS: The red means it's just what  
15 we're going to be talking about today. This is the  
16 final product color, and they're pretty.

17 (Laughter.)

18 MR. MATHEWS: The green, I think, was  
19 stuff that we were actively working on at that point  
20 in time when put these colors. You did the colors?

21 MS. KING: I did the coloring. Christine  
22 King with EPRI.

23 The green are things that we have  
24 interacted with the staff on.

25 Some issues are red here today. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doesn't mean we haven't talked to the staff about it.  
2 It just means that we're here to talk to you guys  
3 about it today.

4 The yellow are things that we would like  
5 to have interactions with NRC staff on. When we get  
6 to a risk final, put together a risk assessment, and  
7 we would also like to talk to them about the  
8 inspection technology demonstrations that we have been  
9 ongoing at the EPRI and DE center.

10 CO-CHAIRMAN FORD: When you say "would  
11 like to," Christine, this is one of the other  
12 questions I had, is not only the timing, third quarter  
13 this year for the blue, but at what points do you have  
14 interactions with the staff on a down-and-dirty basis,  
15 data-to-data basis?

16 MR. MATHEWS: We've already had  
17 interactions on several of these crack growth rates  
18 and the probabilistic fracture mechanics. We've had -  
19 - I thought it was a pretty down-and-dirty meeting.

20 (Laughter.)

21 MR. MATHEWS: A couple of meetings on  
22 those issues with the staff and --

23 CO-CHAIRMAN FORD: Okay.

24 MS. KING: Yeah. We've spoken to the  
25 staff a few times on crack growth rate as well as PFM.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We've been interacting on the PFM model since last  
2 September with the staff and incorporating comments  
3 and changes.

4 MEMBER APOSTOLAKIS: Again, is this going  
5 to be the traditional scientist's approach and the  
6 expert's approach to this? Or is it going to be a  
7 realistic risk assessment?

8 (Laughter.)

9 MEMBER APOSTOLAKIS: For example, if I  
10 look at this and I know what Davis-Besse did, where  
11 would I go and say, "Well, gee, this is really where  
12 they did things that were surprising"?

13 Like visual inspection guidelines, are you  
14 going to assume that these will be performed in a way  
15 that the intended result will be, in fact, achieved?  
16 Are you going to assume that the crack growth rates  
17 are the scientific rates, when I read here that the  
18 B&W owner's group had underestimated those rates in  
19 their regional calculations?

20 I mean, are you going to have issues like  
21 that in here? Otherwise the result would be ten to  
22 the minus X and we pick X?

23 (Laughter.)

24 MEMBER APOSTOLAKIS: Well, I mean, at some  
25 point you have to draw the line and say they are not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doing it. The program is there, but they are not  
2 implementing it correctly.

3 I know one of our issues addresses safety  
4 culture issues, but why else are we doing this?

5 MR. MATHEWS: The inspection plan is going  
6 to be finalized and out to the industry. It is my  
7 understanding that already INPO in their visits to the  
8 sites are looking into how plants have done boric acid  
9 walk-downs, et cetera.

10 The inspection plan would probably  
11 ultimately be audited by the industry itself by INPO.  
12 That would probably be the way that it would go.

13 MEMBER APOSTOLAKIS: Shouldn't there be  
14 other boxes with question marks inside feeding into  
15 the risk assessment for somebody else to worry about?  
16 Or is this the only thing that goes into the risk  
17 assessment?

18 It says probablistic fracture mechanics  
19 and there is the arrow to the risk assessment which is  
20 of concern to me.

21 MR. MATHEWS: Everything is feeding into  
22 the risk assessment. All of it, ultimately if you  
23 look at it, gets into that box.

24 MEMBER APOSTOLAKIS: But this is the  
25 material expert's review, isn't it?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. COZENS: This is Kurt Cozens from NEI.

2 And I might be able to help just a shade  
3 on this because I think I understand what you are  
4 asking, and if I might just interject for a second.

5 The MRP process has an executive steering  
6 committee, and when we say executives we are talking  
7 about the chief nuclear level. These individuals that  
8 sit on this executive board have and do review the  
9 technical work that has been put out by the ITG,  
10 reviewed by its own infrastructure that critiques  
11 this.

12 They look at this, not only from a  
13 technical issue, but from what I'll call the policy  
14 level issue of what is the right thing to do. And I  
15 think that is the essence of what you're looking at.

16 Not only what do the engineering numbers  
17 say, but is that really the right thing to do in  
18 managing their plants?

19 So that is a very big consideration. I  
20 believe the staff is looking at that from the same  
21 point of view. You know, the numbers may tell us one  
22 thing, but when you really look at the real world,  
23 what are the things that should be accomplished?

24 And there is a lot of oversight at a high  
25 level within the industry to ask some of those tough

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 questions.

2 Larry, I defer that back to you. But I  
3 think, I believe that's what you were driving to,  
4 wasn't it?

5 MEMBER APOSTOLAKIS: Well, these are  
6 policy.

7 MR. MATHEWS: The risk assessment question  
8 or risk assessment that is being done is not just a  
9 bare bones. We are putting conservatism in there at  
10 various stages, and you'll see some of that in Pete's  
11 discussion of the PFM work.

12 MS. KING: And I guess I would like to  
13 point out that this whole thing is fed with the  
14 inspection data that we are getting from the field.  
15 We continue to evaluate that data, what we're finding  
16 in the field, and reviewing our work.

17 MEMBER APOSTOLAKIS: But if I want to, I  
18 mean there is such a thing as Defense in Depth, and  
19 the structuralist interpretation is that if I'm wrong  
20 or if I don't have good information, I want to make  
21 sure that nothing will go wrong.

22 So in light of Davis-Besse now, if the  
23 inspections are inadequate or if the crack growth  
24 rates are underestimated, what is it that is  
25 protecting me? What Defense in Depth do I have in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here that says, yeah, your estimate is ten to the  
2 minus six, but it is really .3?

3 So something needs to be there to protect  
4 me and I don't see that.

5 MEMBER WALLIS: There's a containment.

6 MEMBER APOSTOLAKIS: Oh, the containment.  
7 I think we have to ask those questions because if we  
8 don't ask them now, we'll never ask them.

9 MEMBER BONACA: That's why we're asking  
10 questions about the inspections. Because if you went  
11 in now --

12 MEMBER APOSTOLAKIS: If things are  
13 implemented the way they are supposed to be  
14 implemented, then I will believe this analysis. But  
15 unfortunately, sometimes they are not.

16 So I have to have some measure somewhere  
17 that satisfies my Defense in Depth needs. I don't  
18 know how we're going to do that.

19 MEMBER ROSEN: Well, Mario, you have more  
20 than the containment. You have your emergency core  
21 cooling systems as well.

22 MEMBER BONACA: Of course.

23 MEMBER APOSTOLAKIS: Anyway, let's go on.

24 MR. MATHEWS: I was just going to show  
25 what we're going to talk about.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I'm going to turn your ranking around.  
2 Okay? What we have done and what we have decided is  
3 the right way to look at this thing in the future is  
4 not to try and take a reference plant like Oconee 3,  
5 which had a large circ. flaw at the time it was  
6 discovered, and figure out and back calculate how long  
7 each plant had until they got to that point, but  
8 rather just look at the degradation that each plant  
9 has at a point in time or for degradation time at  
10 temperature.

11 So what we have done is recalculated.  
12 This information was in MRP-48; it was just a  
13 different column that we had ranked --

14 MEMBER WALLIS: You mean there are no  
15 points where there are no leaks and no cracks? It  
16 doesn't seem to be anything, any data for no leaks and  
17 no cracks.

18 MR. MATHEWS: No leaks or cracks detected  
19 in all of these.

20 MEMBER WALLIS: Oh, there are no leaks and  
21 no cracks.

22 MR. MATHEWS: Yeah.

23 MEMBER WALLIS: Oh, that wasn't clear to  
24 me at all.

25 MR. MATHEWS: Or cracks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: I thought it was that  
2 there were no leaks, but there were cracks.

3 MR. MATHEWS: No, no, no. No leaks or  
4 cracks.

5 The X-axis is now what we're calling  
6 equivalent effective degradation years, which is the  
7 same thing that was presented as effective full power  
8 years normalized for 600 degrees Fahrenheit. And I  
9 think we even used the term effective degradation  
10 years in the original submittal in MRP-48.

11 But our ranking system was based on taking  
12 each plant's number, at that time, and then figuring  
13 out how many years they had left to be equivalent to  
14 Oconee III.

15 We said, you know, that's probably not the  
16 right way to look at it in the future. So we are just  
17 ranking it. Where does each plant are they? Starting  
18 at zero at zero and going to the highest plant at the  
19 time we had the data was Oconee I, I believe it was.

20 MEMBER APOSTOLAKIS: So these are the  
21 years that are left in the future? No?

22 MR. MATHEWS: No, no, no. This is  
23 accumulated years from time zero to the -- to February  
24 28th. We are going to update all those numbers.

25 MEMBER BONACA: For understanding, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 blue ones, the diamond, no leaks, cracks detected.  
2 Some of them have not been inspected, right?

3 MR. MATHEWS: No, well, all of the ones  
4 that are solid blue have done either a top-of-the-head  
5 visual or a volumetric of their plant.

6 MEMBER APOSTOLAKIS: So pick a point and  
7 explain what it means.

8 MR. MATHEWS: Okay.

9 MEMBER APOSTOLAKIS: Let's pick the very  
10 first one.

11 MR. MATHEWS: This point right here?

12 MEMBER APOSTOLAKIS: Yeah. What does it  
13 mean?

14 MR. MATHEWS: That plant is the lowest  
15 ranked unit on time at temperature.

16 MEMBER APOSTOLAKIS: Okay.

17 MR. MATHEWS: It is a cold head plant.  
18 It's a very cold head plant. And even though they  
19 have been running for a significant number of years,  
20 when you normalize their time at temperature, they are  
21 only about one year, effective full-power year at 600  
22 degrees Fahrenheit.

23 MEMBER ROSEN: Effective degradation year.

24 MR. MATHEWS: Yeah. One effective  
25 degradation year because they have run at such cold

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 head temperatures.

2 You take another plant here --

3 MEMBER APOSTOLAKIS: Wait, wait, wait.  
4 Why is it 69? What does 69 mean?

5 MR. MATHEWS: There's 69 units and this is  
6 just a rank. This is just a sort that shows the rank.

7 MEMBER WALLIS: It's not a property. It's  
8 just a number assigned to the plant.

9 MEMBER APOSTOLAKIS: So this is plant  
10 number 69?

11 MR. MATHEWS: It's plant number 69. What  
12 it means is that this one has the lowest time at  
13 temperature of all 69 PWRs in the country. This one  
14 has the next lowest. You come on down and they get  
15 higher and higher in their effective degradation years  
16 until you get to Oconee I, which had the longest time  
17 at temperature run of all the plants at that time.

18 MEMBER KRESS: How do you normalize the  
19 temperature? Is that linear?

20 MR. MATHEWS: No, it's an arrhenius  
21 equation.

22 PARTICIPANT: It's a arrhenius equation,  
23 okay.

24 MEMBER KRESS: Is that what accounts for  
25 the big split right there or --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MATHEWS: Right. These plants are  
2 cold head plants. So when you normalize it to 600  
3 degrees, they accumulate effective degradation units  
4 at a very low rate in real time. Ones that are over  
5 600, these and Davis-Besse and some of the others that  
6 are slightly over 600 accumulate effective degradation  
7 units at greater than real time.

8 So, you know, even though they got 21.7 or  
9 whatever the number was, their effective full-power  
10 unit was less than that, but they had been running it  
11 over 600 degrees. So to normalize it to 600 would --

12 CO-CHAIRMAN FORD: But the fact that you  
13 have a discontinuity and your algorithm only takes in  
14 temperature, does that give you --

15 MR. MATHEWS: In the time that you  
16 operate.

17 CO-CHAIRMAN FORD: But the fact that you  
18 have a major discontinuity in that relationship is  
19 telling you there is something missing from that  
20 algorithm.

21 PARTICIPANTS: No.

22 MR. MATHEWS: There will be some plants  
23 running cold head temperatures and some plants run hot  
24 head.

25 CO-CHAIRMAN FORD: But using an arrhenius

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plot, they should all meld into the same plot.

2 MR. MATHEWS: No, no, no. then the other  
3 variable is how long that they've been running.

4 MEMBER APOSTOLAKIS: But the vertical axis  
5 is still not clear to me.

6 MS. KING: What we did was when we made  
7 this calculation for EDY, we just sorted it from top  
8 to bottom and assigned a number one through 69.

9 MEMBER APOSTOLAKIS: Oh, afterwards you  
10 assigned a number? Okay.

11 MR. MATHEWS: Yeah, we assigned a number  
12 after we sorted, ranked on EDY. This is just the rank  
13 of the unit based on EDY.

14 MEMBER ROSEN: This is too simple for you  
15 to understand.

16 (Laughter.)

17 MEMBER ROSEN: It's too simple for you to  
18 understand. You can't get your guns down that low.

19 Now let me go back to my question. The  
20 break in the data that I was referring to was not the  
21 one down all the way out in the EDY curve. It's the  
22 one up at five EDY. Do you want to point to that and  
23 tell me what that one's about?

24 MR. MATHEWS: These plants right here are  
25 all Westinghouse units that are later designed and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were designed to run with significantly colder heads,  
2 somewhere around T-cold, around 550 to 560 degrees  
3 Fahrenheit in the head region. They have got a lot of  
4 bypass flow that goes to the head.

5 Most of the plants in here were designed  
6 with some bypass flow, and you can call them warm-  
7 heads, if you will. They are 580 to 600 degree range.

8 MEMBER BONACA: The others are hot-heads.

9 MR. MATHEWS: And these are the hot-head  
10 plants --

11 (Laughter.)

12 MR. MATHEWS: -- that run at 600 or higher  
13 on their temperature on their head.

14 MEMBER ROSEN: Now some plants have  
15 modified that flow scheme during their life. They  
16 have gone from being hot-heads to warm-heads. Some of  
17 the warm-heads have gone to cold.

18 MR. MATHEWS: Right.

19 MEMBER ROSEN: Did you take that into  
20 account in EDY?

21 MR. MATHEWS: We took each period of  
22 operation at each temperature when we calculated the  
23 effective degradation years, and then we will use  
24 their new head temperature to figure out how fast they  
25 move to the right, if you will.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS:    How did you get the  
2                   activation years?

3                   MR. MATHEWS:    We used -- for this we used  
4                   51 kilocalories per mole for crack initiation.

5                   MEMBER KRESS:    Oh, so that's for  
6                   experiments on crack initiation.

7                   MR. MATHEWS:    Yeah. Okay?

8                   MEMBER WALLIS:    It has a lot of  
9                   uncertainty associated with it, I would assume.

10                  MR. MATHEWS:    It's not a lot, but there is  
11                  -- well, there may be. I don't know. We did some  
12                  sensitivity studies on our initial ranking going all  
13                  the way down to 40 kilocalories per mole to see what  
14                  impact it had on the stack-up of the industry and  
15                  plants moved around a little bit because of different  
16                  times and et cetera, but it wasn't a radical shift,  
17                  and some plants were in a little different position.

18                  MEMBER ROSEN:    Now you acknowledge that  
19                  this is changing every day, this chart, right?

20                  MS. KING:    Right.

21                  MR. MATHEWS:    It should be, but we don't  
22                  change it every day. In fact, the data is all  
23                  effective over a year ago. We are going to update all  
24                  that data.

25                  MEMBER ROSEN:    I understand you wouldn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 change it every day, but --

2 MS. KING: It's expected that the plant  
3 would calculate their EDY continuously.

4 MEMBER ROSEN: Have you done a  
5 calculation, a prospective calculation, so that you  
6 know where the plants will end up six months from now,  
7 a year from now, two years from now? Because  
8 obviously this picture is changing.

9 MEMBER KRESS: Other than the temperature  
10 problem it just shifts one point.

11 MR. MATHEWS: Each plant will move to the  
12 right at a different speed depending on what its  
13 temperature is. But typically, they are kind of  
14 ranked like they are here. The hot-head plants are  
15 here. The cold-head plants are here. And the warm-  
16 head plants are in the middle somewhere.

17 MEMBER ROSEN: Because each plant moves to  
18 the right at a different rate, the order will change.

19 MR. MATHEWS: I guess my intent -- and  
20 this is my chart. I kind of came up with it.

21 (Laughter.)

22 MR. MATHEWS: --- would be to maintain  
23 that initial ranking --

24 MEMBER ROSEN: Does that mean we can't  
25 comment on it?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MATHEWS: Oh, sure, you can.

2 (Laughter.)

3 MR. MATHEWS: But, yeah. If I resorted  
4 every time I replotted the thing, then, yeah, the  
5 plants would move up and down in the ranking. But  
6 probably it would be more instructive to watch them  
7 move to the right at the different paces.

8 MEMBER ROSEN: I suggest that you press  
9 the sort button every once in a while.

10 MR. MATHEWS: That's probably not a bad  
11 idea. Press the sort button every once in a while.

12 MEMBER WALLIS: Well, let's tell us the  
13 substance now.

14 MR. MATHEWS: Okay. Now, all of the  
15 plants that are red triangles have been inspected and  
16 found leakage.

17 MEMBER WALLIS: That they've seen  
18 deposits?

19 MR. MATHEWS: Well, yeah. Every one of  
20 them has had through wall --

21 MEMBER WALLIS: They have seen deposits.  
22 They have not measured a flow. They have seen  
23 deposits.

24 MR. MATHEWS: Right.

25 MEMBER WALLIS: There might have been a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 leak with no deposit, but the evidence is the deposit.

2 So those have seen deposits; is that right?

3 MR. MATHEWS: These two -- well, three  
4 plants. We have three plants on here that are kind of  
5 yellow squares. They were plants that did volumetric  
6 inspections, found cracks in some penetrations that  
7 were not through walls, but did not have leakage at  
8 that point.

9 MEMBER WALLIS: And they did not see  
10 boron?

11 MR. MATHEWS: Right, there's no leakage  
12 yet.

13 MEMBER WALLIS: Did not see boron. How do  
14 you know there's no leakage?

15 MR. MATHEWS: Well, they quantify as best  
16 they can with NDE at that point in time the flaws, and  
17 the flaws were not through walls, did not reach a  
18 pressure boundary.

19 There are three of those. This one is the  
20 Millstone, and this one was --

21 MEMBER WALLIS: And there is one that's  
22 behind another one.

23 MEMBER ROSEN: Robinson.

24 MR. MATHEWS: No, Robinson did a visual  
25 and found no leakage.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: A question that I have.  
2 For those that were inspected volumetrically and found  
3 cracks, did they fix those cracks? Did they replace  
4 the nozzles?

5 MR. MATHEWS: There's one in here that you  
6 can barely see. Cook 2 found a flaw in '94 and they  
7 repaired the flaw in '96.

8 MEMBER BONACA: Okay.

9 MR. MATHEWS: Then they came back in 2002,  
10 this spring. They did both a visual and a volumetric  
11 on their plant and found no additional flaws anywhere.

12 Several of these plants, clearly the ones  
13 that have yellow have done volumetric and it's hard.  
14 You can't tell from this symbol whether they have done  
15 volumetric or --

16 MEMBER WALLIS: Yeah, I think that is why  
17 I have asked you about it. You said there are no  
18 leaks detected is the main thing. The cracks are  
19 somehow inferred from the leaks in the blues, isn't  
20 it?

21 MR. MATHEWS: Right. The reason it says  
22 that is because that triangle encompasses both visual  
23 and volumetric.

24 MEMBER WALLIS: It would be nice to break  
25 that out into two.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MATHEWS: We have a slide and we'll  
2 put it up here if she can get to it.

3 What I have done is flagged the plants  
4 that did volumetric in that blue triangle.

5 MS. KING: It's a little busy, but --

6 MEMBER WALLIS: Those guys did volumetric?

7 MR. MATHEWS: All of these plants that  
8 have blue have done volumetric in addition to --

9 MEMBER WALLIS: So those other blues, say,  
10 between 15 and 20, they are just relying on not seeing  
11 "popcorn"?

12 MR. MATHEWS: Right. These plants have  
13 done their 2001-01 response of an effective visual  
14 examination.

15 MEMBER WALLIS: But we know nothing about  
16 the crack situation in those plants?

17 MR. MATHEWS: Correct. We know they don't  
18 have leaks coming to the top of the head. That's what  
19 we know at this time.

20 CO-CHAIRMAN FORD: But I assume that we  
21 are going to discuss that later on when we come to the  
22 whole question of inspection. Maybe it will be in the  
23 NRR one, but this whole question about the  
24 relationship between where you see cracks and where  
25 you see "popcorn" or not. That's going to come

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into --

2 MR. MATHEWS: I suspect we will get into  
3 heavy discussions of that when we talk about the  
4 inspection plan.

5 CO-CHAIRMAN FORD: Good. While she still  
6 has got that slide up --

7 MEMBER ROSEN: Excuse me. In the blue  
8 diamonds, again, it says no leaks, slash, but cracks  
9 were detected. You don't mean that. You mean no  
10 leaks or cracks were detected?

11 MR. MATHEWS: No leaks or cracks were  
12 detected.

13 MEMBER ROSEN: But if you just pick this  
14 piece of paper up, you will get the opposite piece of  
15 information.

16 MS. KING: We will make sure that gets  
17 fixed.

18 CO-CHAIRMAN FORD: And also you didn't  
19 actually know anything about cracks if you didn't find  
20 leaks. So I think you need two different colors, one  
21 which is no leaks detected and another one which has  
22 no leaks nor cracks.

23 MR. MATHEWS: Excel has a limited number  
24 of symbols. We are tracking it that way. We just --  
25 it is kind of hard to get it all on one graph, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'll try and do better.

2 CO-CHAIRMAN FORD: As I mentioned in the  
3 very beginning, there was a question raised about the  
4 statistical veracity of this. You could increase that  
5 or waylay that problem by including all the French  
6 data, using your algorithm, but on the French  
7 inspection data.

8 Is that a possibility or do you not even  
9 want to approach that?

10 MR. MATHEWS: Well, I'm not sure we got  
11 even as good a handle on French head temperatures as  
12 we have on our own. The other thing is it is not  
13 clear to me that what happened in the French plants is  
14 the same thing that is happening here.

15 CO-CHAIRMAN FORD: Well, could you expand  
16 on that? Because this was the answer to my question  
17 at the very first meeting in July. The French  
18 operations got no bearing at all in the United States  
19 operations, and I don't understand that. Why?

20 MR. MATHEWS: I think there was  
21 significant differences in the processing of the  
22 material that was used.

23 CO-CHAIRMAN FORD: But processing doesn't  
24 come into your algorithm. The only thing in your  
25 algorithm is temperature.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MATHEWS: Time and temperature, you're  
2 right. That's right.

3 MS. KING: But it would affect the  
4 inspection results.

5 CO-CHAIRMAN FORD: Exactly. That's why I  
6 am asking why don't you improve the algorithm. But  
7 regardless, if temperature is the only thing in your  
8 algorithm, you should be able to increase your  
9 database by including the French data.

10 MR. MATHEWS: Hopefully, they may all be  
11 here and that --

12 CO-CHAIRMAN FORD: Then that screws up  
13 entirely your algorithm.

14 CO-CHAIRMAN SIEBER: No, it just says  
15 there is a difference between the points.

16 MR. MATHEWS: It says to me that there's  
17 something different then --

18 CO-CHAIRMAN FORD: Their algorithm is not  
19 complete, which we know.

20 MR. MATHEWS: Right. It's just time and  
21 temperature. Okay.

22 CO-CHAIRMAN SIEBER: Well, we know that  
23 the heat is apparently very important.

24 CO-CHAIRMAN FORD: Not in this algorithm.

25 CO-CHAIRMAN SIEBER: No, but we know it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 important to the physical --

2 CO-CHAIRMAN FORD: Absolutely.

3 MR. MATHEWS: And what we -- I guess what  
4 I hope and what I believe is that the plants that are  
5 out here are the leading edge not only in time at  
6 temperature, but in the bad material, too. And so  
7 what we may find -- and personally I expect to find --  
8 there will be plants that will reach these same time  
9 at temperatures that have no problem.

10 CO-CHAIRMAN FORD: The reason why I keep  
11 hammering on this is that the algorithm that you've  
12 got served a very useful purpose back in July of last  
13 year when you were coming up with your inspection  
14 prioritization.

15 But I hope that it is not the intention of  
16 the industry to keep willy-nilly on this algorithm as  
17 if it's the only prediction algorithm in existence  
18 because it is obviously incomplete.

19 MR. MATHEWS: We know there are other  
20 parameters, and when we are able, based on what we see  
21 in the field --

22 CO-CHAIRMAN FORD: Well, I would hope that  
23 from a research point of view it is not when we are  
24 able. I mean, I hope that we have got ongoing work to  
25 come up with this prediction algorithm which we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to need until all the heads are replaced. And  
2 even then you're going to need it.

3 MR. MATHEWS: I guess the main problem I  
4 see with trying to do it is that all of the tools that  
5 I've seen are based on Alloy 600 base metal, and we've  
6 got several of these plants where the through wall  
7 leakage came through the weld metal.

8 CO-CHAIRMAN FORD: Well, put yourself in  
9 two years' time when I assume that the staff are going  
10 to ask you the question, tell me why my safety posture  
11 has changed significantly; tell me quantitatively why  
12 my safety posture has changed by going to 690 and  
13 Alloy 52. Will you be able to answer that question?

14 MR. MATHEWS: I certainly hope so, and we  
15 will be looking into --

16 CO-CHAIRMAN FORD: Being a researcher, I'm  
17 very susceptible to this question because it takes  
18 more than two years to come up with that answer unless  
19 you've already got it in your back pocket.

20 MR. MATHEWS: Well, I don't have it in my  
21 back pocket finally, no.

22 CO-CHAIRMAN FORD: Okay.

23 MR. MATHEWS: That was what I had as the  
24 introduction, and I'd like to move on in and get EPRI  
25 to come up here and discuss the crack growth rate for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Alloy 600 and where we stand on that in the material  
2 in the report.

3 MS. KING: We had this planned as a 45  
4 minute presentation. Do you want to go into that now  
5 or do you want to take a break?

6 CO-CHAIRMAN FORD: I see. John, does your  
7 talk actually go into two parts, fall into two?

8 MR. HICKLING: Yes, it does.

9 CO-CHAIRMAN FORD: Let's take your first  
10 part and then we'll break.

11 MR. HICKLING: Good morning ladies and  
12 gentlemen. My name is John Hickling from EPRI, and  
13 I'm going to talk in some detail about a small piece  
14 of this jigsaw, but it is only a small piece, and  
15 there are the questions which this presentation  
16 certainly won't answer.

17 What I'm trying to get to is an agreed  
18 crack growth rate for thick section Alloy 600 material  
19 exposed to PWR primary water. Everybody knows that  
20 Alloy 600 is susceptible to primary water stress  
21 corrosion cracking. We've known that for a very long  
22 time, every since Coriou back in the '60s first  
23 discovered the phenomenon.

24 It's been studied mainly on steam  
25 generated tubing where its impact until recently has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 definitely been greatest, and the challenge now in  
2 terms of head penetrations is to find out what a thick  
3 section material -- how that behaves and to agree on  
4 what sort of crack growth rate we should be using in  
5 deterministic and probablistic analyses.

6 So the goal here is to establish a generic  
7 crack growth rate applicable to this material, and our  
8 approach was to gather together some of the experts in  
9 this field to advise us, and this was done starting in  
10 August last year.

11 Can we flip forward to the slide of the  
12 people names? One more.

13 And we looked around the world for those  
14 people who we thought could offer the best advice on  
15 this problem. These are the core team members of the  
16 MRP expert panel.

17 We've had a lot of people at various  
18 meetings. We've had about four or five meetings of  
19 the expert panel since August last year. I myself  
20 came into this field only in December when I joined  
21 EPRI, but I have worked on stress corrosion cracking  
22 for very many years.

23 As your Chairman well knows, it's not  
24 necessarily a particularly exact science, and these  
25 are the people who have been in the core team advising

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 us right through.

2 Can we go back to the overhead?

3 CO-CHAIRMAN FORD: If I could, just for  
4 the other members, apart from Bill, who don't know  
5 these names, these are good people. It's not just a  
6 random selection of experts.

7 MEMBER KRESS: Are you including this one?

8 CO-CHAIRMAN FORD: Bill Shack?

9 MEMBER KRESS: Yeah, called Bill Shack.

10 CO-CHAIRMAN FORD: He's okay.

11 MEMBER SHACK: No doubt about one of them.

12 (Laughter.)

13 MR. HICKLING: Bill is by definition okay.

14 MEMBER APOSTOLAKIS: But when you say  
15 "expert," you're not conducting any expert opinion  
16 solicitation here, are you?

17 MR. HICKLING: No.

18 MEMBER APOSTOLAKIS: It's just that  
19 they're advisors to your program.

20 MR. HICKLING: Not quite. We, as you'll  
21 see when I get into the presentation, we have to look  
22 where the data we're using has been generated. So  
23 those people who have generated the data qualify  
24 straight away to some extent.

25 We've also included other people whose

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 expertise is more in analyzing the mechanistic side of  
2 primary water stress corrosion cracking. We've  
3 included people whose expertise is more in analyzing  
4 application of data.

5 MEMBER APOSTOLAKIS: But their role is  
6 what? To advise you on the problem.

7 MR. HICKLING: Their role is to try and  
8 reach a maximum degree of consensus on what the crack  
9 growth rates should be that we're using for Alloy 600.

10 MEMBER APOSTOLAKIS: Okay.

11 MR. HICKLING: So the work of this expert  
12 panel, which started, as I say, in August last year,  
13 falls really into two sections, and that's why I would  
14 take the presentation perhaps in the two sections  
15 here.

16 The first one was to consider following  
17 the Oconee experience. What might be happening in the  
18 environment which would exist in the annulus of a  
19 crack where a leak had already occurred, i.e., we're  
20 talking about external OD cracking in that case.

21 And I'm going to take that issue first in  
22 this presentation and then come back to the rather  
23 large body of work which is on the actual crack growth  
24 rate under normal PWSCC conditions.

25 I put in a little bullet here and will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 come back to that right at the end of the presentation  
2 about Davis-Besse. The expert panel or a subgroup of  
3 it met quite recently to consider the implications of  
4 the Davis-Besse incident to this argument and has  
5 reached the conclusion that the arguments I'm  
6 presenting today are basically valid in a non-Davis-  
7 Besse situation, i.e., at low leakage rates.

8 And I have a couple of comments to make  
9 about how we think the Davis-Besse environment might  
10 affect that growth rate.

11 Next one, please.

12 So if we move through the presentation on  
13 to how we are trying to use it, I think we'll go  
14 straight on to the external OD environment.

15 Slide. Thank you.

16 A lot of thinking was put into this, first  
17 of all, as to what the most and likely environment  
18 would be once you had a through wall crack in a CIDM  
19 nozzle, and the conclusion was there were three likely  
20 environments, and they depend to some extent on the  
21 situation as the leak develops because intragranular  
22 stress corrosion cracking, primary water stress  
23 corrosion cracking in Alloy 600 leads to extremely  
24 tight, highly branched cracks.

25 So that the first time that a crack

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 penetrates the material, the OD surface, the leakage  
2 rate is likely to be extremely low, and the pressure  
3 drop is likely to be taking place purely within the  
4 crack.

5 So the environment at that stage is almost  
6 certainly going to be hydrogenated, super heated  
7 steam.

8 MEMBER WALLIS: So where does the boron  
9 go? If you've got boron coming in with the water, it  
10 can't just turn to steam. The boron has got to go  
11 somewhere.

12 MR. HICKLING: No, the boron will exit  
13 also with the steam.

14 MEMBER WALLIS: Well, it so. So it's  
15 steam carrying boron in some form.

16 MR. HICKLING: Yes, yes.

17 MEMBER WALLIS: So it's borated, super  
18 heated.

19 MR. HICKLING: Borated, super heated  
20 state.

21 MEMBER KRESS: That depends on the  
22 pressure at which you convert it into steam.

23 MEMBER WALLIS: Just by continuity.

24 MEMBER KRESS: If the pressure is very  
25 high, it will concentrate in the water. If the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 pressure is very low, it's going to go out with the  
2 steam. So I don't know how you --

3 MEMBER WALLIS: Continuity has got to go  
4 out some --

5 MR. HICKLING: It depends on leakage path  
6 and the hydraulics of the situation.

7 MEMBER KRESS: That's what I'm trying to  
8 say, yeah.

9 MR. HICKLING: Absolutely.

10 MEMBER ROSEN: Now, the boron in the water  
11 will range from, depending on the cycle, from  
12 something like 2,000 parts per million down to very  
13 low, maybe 100 parts per million.

14 It will also characterize the boron in the  
15 super heated steam, or is there a partition factor?

16 MR. HICKLING: I think that's not an issue  
17 in this case for the super heated steam environment.  
18 If you see, looking down the slide, we have the three  
19 environments. We have the two extreme cases, at the  
20 beginning, when we're dealing almost certainly with  
21 only steam in the annulus, and we have the second case  
22 where we've already flooded the annulus, much later  
23 where we have a very high leak rate.

24 I'm not saying we've got wastage or  
25 corrosion or cavity formation. I'm saying we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 flooded the annulus with liquid so that the boiling  
2 point is high up in the annulus, well above the J-  
3 grove weld.

4 And remember that the J-grove weld  
5 determines where the cracking is going to occur  
6 because of the residual stress consideration.

7 And then the third point, which is what  
8 we've attached most attention to, is what would happen  
9 if you're getting considerably boiling and partition  
10 at the point of exit from the crack, i.e., you're  
11 getting a different environment forming exactly at the  
12 point where you have your residual stress, and that is  
13 what most effort has been put into.

14 MEMBER ROSEN: Well, are you implying that  
15 the concentration of boric acid to be higher than the  
16 concentration in the primary water?

17 MR. HICKLING: Yes. Oh, yes.

18 MEMBER ROSEN: The concentrates?

19 MR. HICKLING: Oh, yeah, and the lithium  
20 hydroxide does, too.

21 MEMBER ROSEN: Ultimately it concentrates,  
22 but at the very first instance, I guess it's not that  
23 relevant. At the very first instance, there's a  
24 little boron. Perhaps what the partition factor  
25 between steam and water doesn't really matter as long

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as a little carryover.

2 The water that carried over stays there.

3 MR. HICKLING: Yeah.

4 MEMBER ROSEN: And then it continues to  
5 build and build.

6 MR. HICKLING: Yeah. The steam  
7 environment, because it's a pure super heated steam  
8 environment with the exception of the boron and  
9 lithium carryover, is basically not a difficult  
10 environment to handle because there's been a lot of  
11 work done on that. The --

12 MEMBER WALLIS: I'm wondering about that.  
13 I mean it depends on where boron and lithium goes. If  
14 it builds up, if it deposits on the walls, then your  
15 environment is essentially walls plated with boron in  
16 various --

17 MR. HICKLING: Are you talking about the  
18 walls of the crack or the annulus?

19 MEMBER WALLIS: Of wherever the steam is  
20 coming out and impinges upon. The OD annulus  
21 environment here.

22 MR. HICKLING: Yes.

23 MEMBER WALLIS: And presumably some boron  
24 is carried out by the steam, but it's a very low flow  
25 rate. It's a big area in that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HICKLING: Yes.

2 MEMBER WALLIS: I would think it would  
3 fill up with boron crystals or whatever, the popcorn  
4 or whatever.

5 MR. HICKLING: Yes, very good point.

6 MEMBER WALLIS: So the environment, what  
7 the wall sees is whatever the bottom of those  
8 crystals' condition is, which presumably is dry or wet  
9 or whatever, depending on the various phases of boron,  
10 boric acid with temperature and concentration.

11 MR. HICKLING: Correct.

12 MEMBER WALLIS: So it could be doing  
13 something to the wall because it's concentrated boric  
14 acid. It's not steam that the wall sees.

15 MR. HICKLING: Yes. You'll see it right  
16 at the end when I come back to talk about the Davis-  
17 Besse situation. There's a little -- we have very,  
18 very little data on stress corrosion cracking of  
19 Inconel in concentrated boric acid solutions. There  
20 is one paper essentially resulting from one French  
21 program which has addressed that particular condition.

22 The main concern behind the consideration  
23 of the environment in this case on the OD environment  
24 has always been traditionally caustic and caustic  
25 formation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: That puzzled me. That's  
2 what Bill was telling us earlier. I guess he can't  
3 tell us anything now.

4                   How does it get to be caustic when there's  
5 so much boric acid there?

6                   MR. HICKLING: Because the concentration  
7 mechanism that is taking place here, depending upon  
8 the interactions and particularly the precipitation,  
9 as you correctly pointed out, you are going to get  
10 precipitation and plugging, and depending upon the  
11 exact way in which that forms, you can postulate  
12 different chemical environments which might form.

13                   And you cannot per se rule out the  
14 tendency to go caustic, and as was also mentioned, you  
15 have to consider the differences in boron  
16 concentration between beginning and end of cycle,  
17 which will affect potentially the final pH of that  
18 concentrated solution, and all of that was taken into  
19 account.

20                   MEMBER ROSEN: And the fact that there's  
21 a coordinated lithium being used in many plants.

22                   MR. HICKLING: Absolutely.

23                   MEMBER ROSEN: The pH of the rapid coolant  
24 during normal operation is typically not above  
25 neutral. It is basic, kept in the 7.0 to 7.4 range,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I would guess.

2 MR. HICKLING: Right, yes.

3 MEMBER ROSEN: Now, that does not  
4 characterize the pH in the crack.

5 MR. HICKLING: The pH in the annulus, if  
6 you're having boiling in a concentrated environment.

7 MEMBER ROSEN: Will drive it acidic?

8 MR. HICKLING: I'll get to that in two  
9 minutes, if I may. Let me take the two simpler  
10 environments first because the simpler environment --  
11 well, no, I'm sorry. One more slide, Christine,  
12 please.

13 There's one consideration I'd like to take  
14 first of all before considering the three environments  
15 because it's a very important one, but it is actually  
16 the same arguments apply to all three potential  
17 environments, and that is the extent to which you  
18 might get an oxygenated condition developing within  
19 the annulus low down, just above the J-groove weld  
20 where you're expecting a stress corrosion cracking to  
21 occur.

22 And traditionally, of course, oxygen  
23 virates' (phonetic) effect on electrochemical  
24 potential has a huge potential impact on cracking  
25 susceptibility. So the panel spent quite some time

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looking at the arguments as to whether or not the  
2 crevice, right down in the crevice, could be  
3 oxygenated.

4 And there are various ways that that was  
5 done. The first was to use some back diffusion models  
6 for oxygen. In fact, two independent assessments were  
7 made.

8 Considerations of oxygen consumption along  
9 the metal walls --

10 MEMBER WALLIS: But does it just diffuse?  
11 I mean, there's a flow pattern in this annulus.

12 MR. HICKLING: Yeah.

13 MEMBER WALLIS: There's a crack at one  
14 place producing a jet of some sort. I would think  
15 it's not just diffusion that's going on. You have to  
16 analyze the fluid flow pattern in that space.

17 MR. HICKLING: Correct.

18 MEMBER WALLIS: There's a mechanism for  
19 back flow in the place where the jet is not perhaps.

20 MEMBER ROSEN: In fact, the jet could be  
21 pumping the crack, right?

22 MEMBER WALLIS: But I don't know if it  
23 can. We'd have to see an analysis.

24 MEMBER ROSEN: Like a jet pump in a BWR,  
25 just like a jet pump.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HICKLING: You've got to remember that  
2 we're talking here about a very, very narrow, deep  
3 annulus --

4 MEMBER ROSEN: Around the grain.

5 MR. HICKLING: -- at this point.

6 MEMBER WALLIS: But again, I haven't seen  
7 any equations or figures or anything.

8 MR. HICKLING: Right, yes.

9 MEMBER WALLIS: So I'd have to look at the  
10 model to see whether -- when you say "diffusion," it  
11 makes me a little suspicious. If someone assumed it  
12 was diffusion, I doubt if that's what was going on.

13 MR. HICKLING: No, the model, both of the  
14 model concerned, in fact, do take that into account.  
15 I think probably more important in concluding that  
16 oxygen is not present right down at the bottom of this  
17 very deep and narrow crack, also some of the other  
18 points, the oxygen consumption, the presence of  
19 hydrogen itself because, of course, hydrogen is  
20 present in the water and by diffusion through the  
21 metal of the head and is available to react with any  
22 oxygen that might be there.

23 And finally, the fact that even if you  
24 were to postulate very low oxygen levels still being  
25 credible at the bottom of the crevice, you do have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 coupling effect between the alloy steel and the Alloy  
2 600, a galvanic coupling effect, all of which will  
3 keep the potential low.

4 MEMBER WALLIS: Why does the hydrogen  
5 react with the oxygen here when it doesn't in the  
6 containment?

7 MR. HICKLING: This isn't --

8 MEMBER WALLIS: After putting miters  
9 (phonetic) in there?

10 MR. HICKLING: We're talking about  
11 reaction here within an aqueous phase.

12 MEMBER WALLIS: Oh, okay. So that's much  
13 more graphic.

14 MR. HICKLING: Yes. So the bottom line  
15 conclusion of all of these considerations was that it  
16 is not necessary to consider an oxygenated crevice  
17 condition right down at the bottom. As I said, this  
18 analysis does not treat a wastage in cavity formation  
19 situation.

20 MEMBER WALLIS: Is there any real evidence  
21 of non-oxidation in this annulus space, observation of  
22 no rust?

23 MR. HICKLING: I think the answer to that  
24 has to be that there is no observation of what that  
25 crevice looks like right down at the bottom.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: That would have been  
2 destructive examinations of real cracked --

3 MR. HICKLING: The only one I'm aware of  
4 is in Bouget nozzle that first cracked, which was  
5 destructively examined, in fact, and there was no real  
6 evidence of --

7 MEMBER WALLIS: Thank you.

8 So the fact is it was useful.

9 MR. HICKLING: Oh, yes, yes.

10 CO-CHAIRMAN SIEBER: If wastage does  
11 occur, then these arguments, except for corrosion  
12 potential, then fall apart; is that correct?

13 MR. HICKLING: I'm sorry. I didn't hear  
14 the first part of the question.

15 CO-CHAIRMAN SIEBER: If wastage does  
16 occur --

17 MR. HICKLING: Yes.

18 CO-CHAIRMAN SIEBER: -- okay, then these  
19 arguments about oxygenation fall apart because the  
20 geometry is now changed.

21 MR. HICKLING: If significant --

22 CO-CHAIRMAN SIEBER: With the exception of  
23 corrosion potential; is that correct?

24 MR. HICKLING: Correct. If significant  
25 wastage and cavity formation were to occur, then this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is a different situation, which would require separate  
2 consideration.

3 CO-CHAIRMAN SIEBER: Now, aside from the  
4 factor of the wastage weakening the basic structure of  
5 the head, the added oxygen would increase the crack  
6 growth rate significantly, don't you think?

7 MR. HICKLING: Not necessarily. Primary  
8 water stress corrosion cracking of Alloy 600, Alloy  
9 600 has a number of separate modes of stress corrosion  
10 cracking, and your conclusion would be correct for  
11 some of them, but not to primary water stress  
12 corrosion cracking.

13 Remember the original finding that Alloy  
14 600 cracks in pure water or in PWR primary water is  
15 extremely surprising, and the mechanistic reasons for  
16 it doing that are very closely linked with the fact  
17 that the electrochemical potential --

18 CO-CHAIRMAN SIEBER: Is there.

19 MR. HICKLING: -- is established in the  
20 region of the nickel/nickel oxide transition.

21 CO-CHAIRMAN SIEBER: Right.

22 MR. HICKLING: And that is a low potential  
23 phenomenon. So in that case it's not fair to assume  
24 automatically that oxygen would be negative. It was  
25 just a consideration that needed to be very carefully

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looked at in terms of the narrow annulus.

2 Now, I'll come back to make a comment  
3 right at the --

4 MEMBER SHACK: Because it could be cracked  
5 by another mechanism, and you would have to address  
6 that one.

7 MR. HICKLING: Absolutely, yes. If you  
8 had an oxygenated environment, a highly alkaline  
9 environment, then that is not primary water stress  
10 corrosion cracking. It's a different mode, I think.

11 MEMBER WALLIS: Tell me more about the  
12 hydrogen. I mean, we were hearing about hydrogen  
13 explosions in BWRs where they had essentially a  
14 stoichiometric mixture of hydrogen and oxygen  
15 resulting from radiolysis (phonetic).

16 MR. HICKLING: Yes.

17 MEMBER WALLIS: So there is an oxygen in  
18 there, not just all leaking out necessarily by the  
19 hydrogen.

20 MR. HICKLING: In the PWR, primary water  
21 environment, that is your main reason for adding large  
22 over pressures of hydrogen, to make sure it is all --

23 MEMBER WALLIS: So these are all  
24 hydrogenated plants?

25 CO-CHAIRMAN SIEBER: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HICKLING: All PWRs run with high  
2 hydrogen levels for that reason.

3 So that consideration was the elimination  
4 of oxygen from the picture for the narrow crevice at  
5 the beginning of the situation, the non-wasted  
6 situation.

7 Looking back then at the three  
8 environments that were considered, and the first one  
9 is hydrogenated steam, and as I mentioned, there is  
10 quite a lot of evidence, quite a lot of information  
11 available on the way in which Alloy 600 cracks in  
12 hydrogenated steam primarily because hydrogenated  
13 steam has been used as an accelerated test method for  
14 determining crack susceptibility in this and other  
15 nickel based alloys.

16 And the main conclusion of the data that's  
17 available is that in terms of pure hydrogenated steam,  
18 and not including boron or lithium in this, the impure  
19 steam environment which is used to accelerate  
20 cracking involves chloride and sulfate as  
21 contaminates.

22 In terms of the hydrogenated steel  
23 environment which you would expect at the beginning  
24 with a very tight crack, the rates of cracking are  
25 going to be virtually the same as they would be in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 normal primary water at the same temperature.

2 MEMBER WALLIS: Is cumulative percent with  
3 IGS? So that means that after 1,000 hours, 60 percent  
4 of them have cracks?

5 MR. HICKLING: Yeah. This is one diagram  
6 picked out of a -- it's very hard to summarize in some  
7 cases all of the work that's been done on Alloy 600.  
8 This particular issue has been studied for very many  
9 years, particularly at the Westinghouse laboratories  
10 from about 1987 through '95.

11 MEMBER WALLIS: My question really was  
12 this crack development is so rapid because the  
13 temperature is so high. Isn't that why?

14 MR. HICKLING: Correct.

15 MEMBER WALLIS: If we looked at this as  
16 typical, we'd be really scared.

17 MR. HICKLING: yes.

18 MEMBER ROSEN: You see, now that's the  
19 danger of coming to ACRS. We start putting things  
20 together.

21 If you just said that these crack rate  
22 growth rates are accelerated tremendously in chloride  
23 and sulfate environments, chloride and sulfate  
24 contamination --

25 MR. HICKLING: Contamination, yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: -- did that happen at  
2 Davis-Besse?

3 MR. HICKLING: I'm going to deal with what  
4 we know about that, and I know nothing whatsoever  
5 about the Davis-Besse situation. I have no reason to  
6 believe it did, but I'm going to --

7 MEMBER ROSEN: That's a question we could  
8 perhaps ask the staff with the applicant. It's easy  
9 to get chloride contamination in the primary from a  
10 leak from the secondary side. If your secondary side  
11 has a, you know, brackish or that kind of water,  
12 you're going to be -- in your cooling water, you're  
13 going to have chloride.

14 So if you get some sort of ingress into  
15 the secondary side, you will have chloride  
16 contamination in the secondary side. It's possible,  
17 although not likely to have an intrusion into the  
18 primary system.

19 CO-CHAIRMAN SIEBER: I'm not sure how that  
20 happens since the primary runs at a higher pressure.

21 MEMBER ROSEN: Yeah. That's why it's  
22 difficult, but it can happen during shutdown or --

23 CO-CHAIRMAN SIEBER: It's like pushing  
24 water uphill.

25 MEMBER ROSEN: Well, yes, but it's not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 always true that the primary is higher than the  
2 secondary. You can have chloride contamination in the  
3 primary or sulfate contamination.

4 CO-CHAIRMAN SIEBER: I'd have to think  
5 about that. It doesn't pop to mind readily.

6 MEMBER ROSEN: No, I'm talking about in  
7 shutdown modes.

8 CO-CHAIRMAN SIEBER: Oh, all right.

9 MR. HICKLING: Let me just point out that  
10 when I said impure steam as a test environment, I'm  
11 talking about very considerable levels of chloride  
12 contamination, much larger than you could ever  
13 postulate, I think, in terms of an accidental  
14 contamination of the primary circuit.

15 MEMBER WALLIS: Unless it concentrates in  
16 some way.

17 MR. HICKLING: Correct, but this was  
18 referring to the hydrogenated steam environment.

19 MEMBER WALLIS: But it came in as water  
20 and is going to go back again. And so did it get  
21 carried out with the steam or not?

22 MR. HICKLING: The second OD annulus  
23 environment which we're going to talk about in detail  
24 in terms of likely crack growth rates that have to be  
25 assumed is then normal primary water, which could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 definitely be the case once the annulus is flooded and  
2 when boiling is not taking place down at the bottom of  
3 the annulus where you might be expecting OD cracking.

4 MEMBER WALLIS: So someone has worked all  
5 of that out in terms of heat transfer rate? Because  
6 with the hot head you would expect that it would boil  
7 or flash pretty quickly, wouldn't it?

8 MR. HICKLING: Yeah, well, in terms of  
9 boiling or flashing, they're all going to flash  
10 quickly. The head temperature differences are minor  
11 in terms of the phase changes which go on.

12 MEMBER WALLIS: Right.

13 MR. HICKLING: Although they do have  
14 cracks.

15 MEMBER WALLIS: Doesn't it take a pretty  
16 big leak to get any boiling at all in the annulus?

17 MR. HICKLING: Well, it will take a  
18 significant amount of leakage before that scenario  
19 takes place, yeah.

20 So the environment which attracted most  
21 attention in terms of the expert panel is the  
22 environment number three of the concentrated PWR  
23 primary waters as a result of boiling, and the caveat  
24 on this is that these considerations apply to low leak  
25 rates, and the panel has adopted a definition of less

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 than one liter per hour to quantify what we're talking  
2 about here, which is pretty low leakage, in some cases  
3 very much less.

4 There are various ways in which we can  
5 analyze the problem of what environment is formed and  
6 particularly whether or not caustic forms and pH. One  
7 of them is to use the thermodynamic calculations,  
8 which are available, which have been produced largely  
9 because of secondary side stress corrosion cracking in  
10 steam generators, a phenomenon which has been studied  
11 very, very intensely over many years.

12 And EPRI has a program called MULTEQ,  
13 which will calculate the expected pH as you  
14 concentrate up an environment of that sort, and the  
15 answer that comes out by using that program is that  
16 you would expect a high temperature pH of somewhere  
17 initially between 4.0 and 9.4. So it's quite a narrow  
18 range that, in fact, due to the composition of the  
19 liquid which is being concentrates.

20 In fact, that pH range is probably far too  
21 broad as calculated because as was correctly pointed  
22 out, you're going to get precipitation of various  
23 insoluble compounds. We know that, and that narrows  
24 it down because it has a buffering effect.

25 So the likely pH range is going to be much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 smaller than that. What experimental evidence do we  
2 have for what pHs might be involved? After the Bouget  
3 experience, the French -- next slide, please -- did a  
4 very interesting experiment. This is CEA, the French  
5 atomic laboratory, which simulated leakage in this  
6 case by injecting the liquid, which was to be  
7 concentrated through a heated block, blocking off the  
8 flow of liquid so that when it exited the nozzle,  
9 there was a very, very tight leak path exiting,  
10 simulating what might be expected from a strained  
11 granular stress corrosion crack, and allowing that  
12 vapor to impact on a heated plate of low alloy steel  
13 material simulating the vessel head.

14 And the next picture gives some feel for  
15 what actually happens. In fact, you do get a huge  
16 amount of precipitation occurring in the annulus.

17 Now, there was one caveat unfortunately on  
18 this experiment, which was the -- there was a  
19 considerably amount of cooling generated of the low  
20 alloy steel, relevant certainly to the Davis-Besse  
21 incident, but not relevant perhaps to the conditions  
22 initially in an annulus where the leak rates are very  
23 low and where you would not expect local cooling of  
24 the head.

25 MEMBER ROSEN: Is that some red rust I see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there?

2 MR. HICKLING: Yes. That is the low alloy  
3 plate which is being corroded both by boric acid  
4 corrosion and impingement and simply, you know, moist  
5 atmosphere. So it is rusting.

6 Okay. We go back to the previous slide.

7 There's been a second experiment, again,  
8 performed in France to look at this particular issue,  
9 and the results of that were published only very  
10 recently, in fact, a month ago. And this involved a  
11 slow concentration of a fixed volume of primary water  
12 in an autoclave system, which they considered  
13 realistic to simulate what would be happening.

14 And the interesting factor here, in fact,  
15 after a concentration factor of 1,000 was that the pH  
16 was acid, slightly acid, 4.5 rather than alkaline.

17 So the general conclusion from both the  
18 theoretical analysis and the experiments we know about  
19 is that the caustic formation can almost certainly be  
20 ruled out. The pH is going to be very limited. It's  
21 certainly not going to move strongly alkaline. If  
22 anything, it's probably likely to move slightly acid  
23 in that environment.

24 MEMBER SHACK: In that French test, I  
25 mean, that was done in what? Did the autoclave have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 nickel and a low alloy steel?

2 MR. HICKLING: Yeah. They, in fact, set  
3 up a whole system called EVA, and I've forgotten what  
4 EVA stands for, but it was for a simulation of what  
5 would be expected to happen as you concentrated a  
6 limited volume in contact with low alloy steel and  
7 nickel, and it was not a simple autoclave, cook-it-up  
8 test at all. It was a leak and bleed and  
9 reconcentrate test involving quite a complicated  
10 experimental system. It was published in Avignon, the  
11 Avignon conference last month, yes.

12 Then the issue came up earlier in  
13 connection with the steam: can we exclude the  
14 possibility of contaminants which are known to promote  
15 more rapid cracking of Alloy 600, and in particular,  
16 chloride and sulfate, which might be involved.

17 And it's very difficult to make any  
18 absolute sweeping, generic conclusions here.  
19 Obviously the practice during assembly of the heads  
20 was to clean. So the amount of contamination that  
21 would have been left after assembly is expected to be  
22 relatively low.

23 And, secondly, we know that there's going  
24 to be considerable steam flushing within the annulus,  
25 which would help to drive out any initial deposited

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 contamination from assembly of the head.

2 The expert panel did some calculations of  
3 possible concentrations, maximum concentrations that  
4 could ever be expected, even making very negative  
5 assumptions as to contamination which might have been  
6 encountered during fabrication, and they were orders  
7 of magnitude below the levels at which you would  
8 expect any effects on primary water stress corrosion  
9 cracking.

10 MEMBER ROSEN: But is that the only way  
11 they thought about getting chloride and sulfite into  
12 that crack? Did they think about it as a  
13 contamination event of the primary coolant system and  
14 then the chloride and sulfates exiting with the steam?

15 MR. HICKLING: Not specifically because I  
16 think there's some -- as the discussion earlier  
17 showed, there's some doubt as to whether that is a  
18 significant possibility that you could have a  
19 contamination of the primary system by chloride and  
20 sulfate in the way that you could get --

21 MEMBER ROSEN: Well, if someone were to  
22 inject chloride, for example, into the primary system?

23 MR. HICKLING: Well, I think that's  
24 something that we would very much hope the water  
25 chemistry monitoring and guidelines would prevent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: It wouldn't be intentional.  
2 Let me say that.

3 MR. HICKLING: Yes.

4 MEMBER ROSEN: But it has happened.

5 MR. HICKLING: The more likely scenario is  
6 resin intrusion, and that has been considered.

7 CO-CHAIRMAN SIEBER: That's the only place  
8 I --

9 MEMBER ROSEN: Resin from the?

10 CO-CHAIRMAN SIEBER: Let-down system, yes.

11 MEMBER ROSEN: That's happened, too. So  
12 there are several mechanisms I can point to.

13 MR. HICKLING: Yeah, but you've got a huge  
14 volume of water in the primary system to dilute that.

15 CO-CHAIRMAN SIEBER: And those instances  
16 are rare and easily detected.

17 MR. HICKLING: Yes.

18 MEMBER ROSEN: But I'm only asking the  
19 question, Jack if that happened at Davis-Besse because  
20 it has happened elsewhere. Two bulk mechanisms:  
21 injection when the chemists were trying to -- through  
22 they were injecting something and they were actually  
23 injecting something else, and resin releases from the  
24 clean-up system.

25 And I don't know the answer to that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question, whether there is any evidence that happened  
2 at Davis-Besse, but I know it has happened elsewhere.

3 MR. HICKLING: The bottom line of the  
4 panel's consideration on the OD annulus environment  
5 was that even in concentrated PWR primary water, we're  
6 considering a very narrow pH range -- there's a typo  
7 which is entirely my fault on this first slide. It  
8 should read between 5.0 and 7.5.

9 And even if we take a pessimistic view and  
10 rule out what we know about precipitation of  
11 buffering so that we're looking at a whole range  
12 between about five and nine, there is only a very,  
13 very slight effect on crack growth rate of changes in  
14 pH in this area.

15 If we just flip forward, please to the  
16 next slide, the data in this area was generated mainly  
17 at Ohio State University on Alloy 600 specimens from  
18 steam generator tubing, but there's no reason to  
19 believe that in terms of pH effect that it should be  
20 invalid or have any less relevance to what we're  
21 considering here.

22 There three diagrams are showing between  
23 a pH of five and nine the effect on intragranular  
24 stress corrosion crack growth rate at three different  
25 stress intensities, 20, 40 and I believe that's 60 at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the bottom.

2 MEMBER WALLIS: That's a freak point, that  
3 first graph?

4 MR. HICKLING: No. If you look at the Y  
5 axis on the first diagram, you'll find it's expanded  
6 relative to the other two. You've only got one order  
7 of magnitude difference here, whereas these two are  
8 showing two orders of magnitude.

9 There's no doubt there is a turn-up after  
10 about 7.5 pH, and this is to be expected because if  
11 you go sufficiently caustic, then you will get a very  
12 rapid increase in crack growth rate.

13 MEMBER WALLIS: It only really occurs in  
14 that top figure. It's very different.

15 MEMBER BONACA: No, no, because --

16 MEMBER WALLIS: Yeah, but then it comes  
17 back down again.

18 MEMBER BONACA: It's like the midpoint in  
19 your other figures.

20 MEMBER WALLIS: It's like the midpoint in  
21 the other figures, but then there's a point later on  
22 above -- I count above nine there, which comes back  
23 down again. So I don't know if it's a real turn-up or  
24 not.

25 MR. HICKLING: Yes. You've got to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 remember that it's very difficult in testing at low  
2 stress intensity to get a uniform, reproducible crack  
3 growth rate anyway. My inclination is much greater  
4 reliance on the low occurrence where there are, in  
5 fact, far more points.

6 But the bottom line, if we go back, is  
7 still the expert panel considered taking even this  
8 extreme pH range you would not expect more than about  
9 a factor of 1.5 or 1.6 on crack growth rate over that  
10 pH range.

11 And the recommendation was that within the  
12 high temperature range of four to nine, we should  
13 apply a factor of two on whatever crack growth we were  
14 proposing in normal primary water to cover possible  
15 uncertainties in the environment.

16 MEMBER WALLIS: And that crack growth rate  
17 is uncertain by more than factor of two anyway.

18 MR. HICKLING: That's the second part of  
19 the talk, yeah, and we'll get into that. I guess you  
20 may want to take --

21 CO-CHAIRMAN FORD: John, I can follow your  
22 argument, and it's fairly clear. However, on this  
23 particular rationale, you're honing in on crack growth  
24 rate. How about crack initiation, and especially  
25 crack initiation density? Because that would have an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 effect on the safety analysis.

2 MR. HICKLING: Yes.

3 CO-CHAIRMAN FORD: You're propagating for  
4 a circumferential crack all the way around the tube.  
5 Are there any comparable data for the effect of the  
6 environment change on crack initiation density?

7 MR. HICKLING: I'm not immediately aware  
8 of data in that pH range on crack initiation. I don't  
9 think it's necessarily relevant to what we're trying  
10 to achieve here though, Peter, because we're trying to  
11 disposition here flaws, and as we'll see in the second  
12 part of the discussion, we're trying to disposition  
13 flaws which are already of considerable size.

14 There's a whole lot of issues about  
15 initiation in Alloy 600 which we're jumping over in  
16 this analysis quite deliberately because we're  
17 postulating that we already have relatively deep flaws  
18 in order to make the analysis.

19 CO-CHAIRMAN FORD: From one point, not all  
20 the way around, not a 360 degree crack.

21 MR. HICKLING: Again, when we come onto  
22 the way we intend to use what we're proposing, you'll  
23 see that we're not proposing to disposition OD flaws.  
24 We'll come on to see that we're talking about  
25 hypothetical arguments about how quickly they could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 grow.

2 CO-CHAIRMAN FORD: Okay.

3 MR. HICKLING: But we considered the only  
4 way to handle the OD crack growth rate is a  
5 probablistic one.

6 CO-CHAIRMAN FORD: Okay.

7 MR. HICKLING: Interest in developing a  
8 consensus crack growth rate in normal primary water is  
9 in terms of ID flaws how we get to the first leakage  
10 rather than in terms of OD flaws.

11 CO-CHAIRMAN FORD: Okay. I've got one  
12 other question. Sorry.

13 Apart from the one french data where they  
14 measured pH rather than inferred it, that's the only  
15 experimental data of what that annulus environment  
16 would be in terms of pH. Are there any experiments  
17 planned or ongoing to increase the database with  
18 specific reference to the effect of leak rate?

19 MR. HICKLING: Yeah. Firstly, it's not  
20 the only experiment. It's the only experiment --  
21 you're quite correct -- where they specifically  
22 measured the pH of the environment.

23 But the experiments, and Glenn White will  
24 be talking about this in addressing the wastage issue  
25 later, there have been experiments performed in this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 country as well with two prototypical mock-ups in  
2 terms of generating wastage in an annulus, and  
3 although the pH was not measured directly as far as  
4 I'm aware in either of those experiments, the results  
5 in terms of wastage of low alloy steel quite clearly  
6 show that, if anything, there's a strong move in the  
7 acid direction once leak rates become very high, much  
8 higher than what we're considering here.

9 CO-CHAIRMAN FORD: Okay.

10 MEMBER WALLIS: You have this multi-  
11 calculation.

12 MR. HICKLING: Ye.

13 MEMBER WALLIS: OS pH is four. Now, if  
14 you had suitable deposits in that annulus which you  
15 could postulate, you could achieve a much lower pH,  
16 couldn't you?

17 In other words, is there some limit to the  
18 pH achievable with --

19 MR. HICKLING: I think, again, it's a key  
20 question of the amount of leakage and the assumptions  
21 you make. I think it's conceivable that you can  
22 certainly go lower. The buffering is preventing you  
23 getting to a caustic condition, which remember was the  
24 original consideration.

25 MEMBER WALLIS: Yeah, but we don't have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 much of a database. We have some theoretical  
2 calculations. We don't know much about what's really  
3 going on in there, and if you looked at some extreme  
4 scenario in which you built up deposits, you could  
5 tell us what the pH could be in the worst case.

6 MR. HICKLING: Well, as you'll see when we  
7 go on to discuss in detail the thermal hydraulic  
8 analysis of the wastage situation, I think you can  
9 postulate certain cases where you might go very acid,  
10 yes.

11 MEMBER WALLIS: I thought so, too, but I  
12 haven't seen any figure yet. So I have to imagine  
13 what might be going on in there.

14 MR. HICKLING: Right.

15 MEMBER WALLIS: And I can conceive of a  
16 scenario where you could have a very low pH.

17 MR. HICKLING: I think that's quite  
18 correct, but just jumping ahead, it's a point I was  
19 going to make right at the end. Alloy 600, the  
20 original design basis for choosing that material was  
21 its resistance to cracking in acid solution. And so  
22 there's no reason, even if you went very acid, to  
23 assume that that would automatically be negative as  
24 regards the --

25 MEMBER WALLIS: So it's a bounding pH

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rather than a calculated pH.

2 MR. HICKLING: Yes.

3 MEMBER WALLIS: Yeah.

4 MR. HICKLING: That's the natural break  
5 because we now go on to the crack growth rate  
6 database.

7 CO-CHAIRMAN FORD: Thanks a lot, John.

8 I had a question for you, Larry, which is  
9 more of an administrative question. I notice John has  
10 got a few more slides, and I suspect there will be  
11 some questions. I'm proposing that we stop until five  
12 minutes to 11, but I notice that Glenn needs an hour  
13 for his presentation. So I leave it up to you and  
14 John to work out how you want to do --

15 MR. MATHEWS: And then we have Pete's  
16 presentation also.

17 CO-CHAIRMAN FORD: Pardon?

18 MR. MATHEWS: We have Pete Riccardella's  
19 presentation also. So we're running quite a bit  
20 behind here.

21 CO-CHAIRMAN FORD: Yeah. The trouble is  
22 we want to hear them all.

23 MR. MATHEWS: We can be here all day.

24 MS. KING: Why don't we come back with a  
25 proposal?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Okay, fine. Let's stop  
2 until five minutes to 11. Let's go into recess until  
3 then.

4 (Whereupon, the foregoing matter went off  
5 the record at 10:42 a.m. and went back on  
6 the record at 10:55 a.m.)

7 CO-CHAIRMAN FORD: Okay. We're back in  
8 session.

9 Christine.

10 MS. KING: Okay. What we would propose --

11 CO-CHAIRMAN FORD: Yes.

12 MS. KING: -- since we have a lot of  
13 interest in Davis-Besse type issues, we would like to  
14 propose to bring Glenn White's presentation forward --

15 CO-CHAIRMAN FORD: Good.

16 MS. KING: -- to this morning following  
17 John.

18 CO-CHAIRMAN FORD: All right.

19 MS. KING: And depending upon where we  
20 land around lunch, I guess we'll either take lunch or  
21 continue into the PFM, and it shouldn't put us too far  
22 off schedule because there was 45 minutes set aside in  
23 the afternoon for Glenn.

24 CO-CHAIRMAN FORD: Okay. So I think what  
25 we'll do is we'll have John -- finish off John.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 (Laughter.)

2 CO-CHAIRMAN FORD: I didn't mean that  
3 literally.

4 And then we'll have Glenn, and then we'll  
5 take just three quarters of an hour lunch, and then  
6 we'll catch up time that way.

7 John.

8 MS. KING: Okay.

9 MR. HICKLING: The second part of this  
10 presentation deals with the meat of the work of the  
11 expert panel over the last six to eight months, which  
12 is what would be a representative crack growth rate  
13 for Alloy 600 base material, thick spectrum material.

14 And the initial approach taken was to look  
15 at what we've learned in stress corrosion cracking  
16 testing over the last five to ten years particularly  
17 where the international community has focused very  
18 much on issues of data quality because it doesn't  
19 matter how sophisticated your statistics or your  
20 analysis is later. If your data is bad quality, it  
21 doesn't really allow you to get a handle on stress  
22 corrosion cracking.

23 And the first thing the expert panel did  
24 was to make a list and discuss in depth some of the  
25 key technical issues on crack growth rate testing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which need to be addressed and which conform the basis  
2 of screening out suitable higher quality data from  
3 data which is of lower quality for the purpose we are  
4 using it.

5 Many investigations in this area have been  
6 for different purposes, trying to understand the  
7 mechanisms, trying to understand effects of off-  
8 chemistry, things like that, and we were trying to get  
9 to where we could screen out things like that.

10 And as you see, there's a whole list of  
11 factors here which involve chemical environment,  
12 loading, the way the material was used, the sort of  
13 specimens which were generated, the loading  
14 characteristics during the test, the crack growth rate  
15 monitoring, and all of this sort of thing.

16 How did we actually do the screening?  
17 Really it involved three iterative steps. The first  
18 step was to go back to the laboratories which had  
19 generated all the data we were able to collect  
20 worldwide on thick section Alloy 600 material and ask  
21 the initiating laboratory to reexamine their own data  
22 in the light of these criteria we had put up and in  
23 the light of discussions which they had been involved  
24 in on the expert panel.

25 And this probably was the most important

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 step because it led to elimination of a lot of data  
2 points by the initiating laboratory who declared these  
3 points to be unsuitable for this particular purpose  
4 for developing a crack growth rate disposition curve.

5 MEMBER WALLIS: It didn't eliminate  
6 anything because they didn't want to believe it.

7 MR. HICKLING: I would hope not. I think  
8 the people concerned, their integrity was such that  
9 would not be the case.

10 The second step was a screening step which  
11 EPRI put in place, and it basically covered two main  
12 areas. As I say, we involved international  
13 laboratories. You'll see the list of laboratories in  
14 a second, and in one or two cases we had some  
15 difficulty in direct contact with laboratories  
16 concerned.

17 One of them particularly, one European  
18 laboratory, had performed tests where they had only  
19 ever reported maximum crack growth rates during the  
20 test. Since the whole thrust of the analysis is to  
21 use average crack growth rates determined in a  
22 particular specimen, we could not use that particular  
23 data.

24 So in the end, after trying to obtain ,  
25 and we put a lot of effort into it, we had to screen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out that particular laboratory's data.

2 The second point was one which I was very  
3 concerned about. We've mixed in this database  
4 specimens which are actively and passively loaded,  
5 i.e., they're all fracture mechanic specimens of one  
6 type or another, but some are actually tested in a  
7 tensile testing machine under active load, and some  
8 were under displacement loading, usually by means of  
9 wedges.

10 And the stress corrosion cracking  
11 community has known for a number of years that these  
12 are actually or even though you are nominally at the  
13 same K value, you can get a difference in response.  
14 It's much more difficult to initiate crack growth from  
15 a passively loaded displacement controlled specimen  
16 uniformly.

17 And so we went back and reexamined the  
18 data from that type of specimen, the wedge open loaded  
19 specimens and eliminated all of those specimens where  
20 crack growth had been very non-uniform, and the  
21 criterion we used was less than 50 percent initiation  
22 across the width of the specimen. And what that does  
23 is it eliminates lots of artificially low points.

24 Finally, the third iterative step in the  
25 screening was for the whole expert panel to reexamine

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the borderline cases and what we had done to the  
2 database, and that was done at the beginning of March.

3 We didn't even bother to start to try and  
4 consider numerous tests where no stress corrosion  
5 crack growth was actually obtained, a zero result, and  
6 the reason for that is there are a whole number of  
7 reasons why you may get a zero result.

8 You may have a very non-susceptible heater  
9 material, but you may also have done the test in an  
10 inappropriate way. So there's no zero crack growth  
11 rate data in this database at all.

12 MEMBER WALLIS: That's a bit strange. I  
13 mean, in terms of the probability of a crack  
14 occurring, zero cracking would be a good data point,  
15 wouldn't it?

16 MR. HICKLING: In some ways, yes. It does  
17 hurt to have to eliminate those points. That's  
18 correct. But in terms of trying to get at crack  
19 growth rates, unless you can convince yourself that  
20 everything else was perfect, and it's very difficult  
21 to do, you just have to take that step.

22 MEMBER WALLIS: You're not interested in  
23 initiation.

24 MR. HICKLING: Correct.

25 MEMBER WALLIS: You're just interested in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 growth rate.

2 MR. HICKLING: Yes, absolutely.

3 The result of this screening was that we  
4 eliminated no less than 203 crack growth rate data  
5 points for one or more reasons, and these reasons are  
6 documented. The main reason is individually  
7 documented in the report the MRP is in the process of  
8 issuing on this exercise.

9 The consolidated database now contains 158  
10 points for average crack growth rate during each test,  
11 and this is consistent basically with the ASTM  
12 recommended procedures for measuring fatigue crack  
13 growth rates, to use the average, and they're plotted  
14 at a single representative K value for the data point  
15 concerned.

16 And there, again, there was a certain  
17 amount of judgment sometimes involved. The expert  
18 panel was involved in that in detail because the K  
19 value in some tests will change during the test, and  
20 we satisfied ourselves that we had a representative  
21 value.

22 MEMBER LEITCH: Why would you not  
23 consider -- several bullets back --

24 MR. HICKLING: Yes.

25 MEMBER LEITCH: You mentioned that there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was some data that you discarded, eliminated from  
2 consideration because the experiment only considered  
3 maximum --

4 MR. HICKLING: Yes.

5 MEMBER LEITCH: -- crack growth data. Why  
6 would you eliminate that data? Would that not be the  
7 conservative thing to include that data?

8 MR. HICKLING: Only at first glance. The  
9 problem there is that we had no detailed -- I'm sorry.  
10 Let me back up one stage.

11 The way these tests are run is to use an  
12 air fatigue pre-crack in usually a compact tension  
13 specimen, sometimes a DCB specimen, which produces a  
14 transgranular fatigue pre-crack. You then have to go  
15 through a second stage in the test where you initiate  
16 an intragranular stress corrosion crack from that  
17 transgranular fatigue pre-crack.

18 And one of the key things we insisted on  
19 was we had to have fractographic information available  
20 on each specimen or at least in the form of numbers to  
21 assess that this transition stage had gone through  
22 smoothly.

23 If that's not the case, you can get some  
24 very odd results. Now, you can report a maximum crack  
25 growth rate even if you've initiated cracking only

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 over a tiny portion of that transgranular fatigue pre-  
2 crack.

3 And this particular laboratory concerned,  
4 they actually were also using perhaps the least  
5 suitable type of specimen, a very narrow DCB specimen  
6 of only ten millimeter width.

7 So the bottom line is that if you only  
8 have a number saying, "I detected two millimeters of  
9 stress corrosion cracking as maximum," you have no  
10 feel whatsoever for how representative that is of the  
11 amount of crack growth rate that actually took place  
12 during the test.

13 MEMBER LEITCH: Okay. Thank you.

14 MR. HICKLING: I mentioned I think earlier  
15 that all of these tests are obtained in controlled  
16 primary water, and we paid a lot of attention to the  
17 fact that we didn't have any off chemistry results in  
18 here and under two types of loading.

19 Just touching on one brief point which I'm  
20 going to eliminate, I hope, from consideration  
21 straight way as well. We have an issue in that some  
22 laboratories prefer to test using periodic slight  
23 unloading of the specimen, and what that actually  
24 means here is nothing to do with simulating possible  
25 transience in plant or anything at all. This is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 typical way this is done.

2 It's a drop-in load to about 70 percent of  
3 the nominal value, usually about once an hour during  
4 testing, and there are very specific reasons for doing  
5 that which are connected with the way the test is  
6 conducted, and in particular, with the way the crack  
7 growth rate monitoring equipment works.

8 It's an advantageous method of insuring  
9 accuracy of measuring your crack depth on line during  
10 the test. However, there is a basic tendency if you  
11 start what is ultimately some cyclic loading to  
12 accelerate crack growth because you'll get out of a  
13 pure stress corrosion situation.

14 So we did some assessment of whether or  
15 not this would affect the results, and the answer is  
16 that certainly for susceptible heats of material, it  
17 doesn't make very much difference. It's possible that  
18 in less susceptible heats of material, the application  
19 of this procedure may lead to slightly higher growth  
20 rates than would otherwise have been measured. but we  
21 prefer to leave those in and accept those because,  
22 again, it's a degree of conservatism.

23 Next one, please.

24 What have we got in this database with 158  
25 points in terms of materials suppliers? And this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 impacts directly on Peter Ford's discussion earlier  
2 about why we're not considering material  
3 characteristics in the way that he would perhaps like,  
4 and I think most of us would like to do.

5 First of all, we've got a number of  
6 domestic and overseas material suppliers, and we've  
7 got 26 heats of material in the database with at least  
8 one screened data point for heat.

9 The maximum number of heats we've got is  
10 32 for any particular heat, and we'll see a table a  
11 little bit later on which gives a little bit more  
12 information on that.

13 What product forms? We've got a whole  
14 variety of product forms, thick wall tube, forged bar,  
15 rolled bar, forged plate, and rolled plate. This is  
16 where the crunch comes. Even for the materials which  
17 was used for the laboratory testing, the information  
18 on the thermal processing history is extremely limited  
19 so that we could not obtain the data we would have  
20 liked to characterize the material condition in terms  
21 of its thermal processing history.

22 And of course, extrapolating to the field  
23 in terms of the nozzles that are out there, that's an  
24 even worse situation. It's virtually impossible to  
25 get reliable data on the thermal processing history of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what is out there.

2 And the next slide, please? You're  
3 already there. Thank you

4 Which laboratories are involved? We ended  
5 up taking data from five laboratories, one in the U.S.  
6 and four abroad who have done extensive testing on  
7 thick section Alloy 600 material. They've done it at  
8 a whole variety of temperatures ranging from 290 right  
9 up to 363 Centigrade, the desire, of course, often  
10 being to accelerate the crack growth rate to reduce  
11 the testing time.

12 And since we know and have known for very  
13 many years that cracking PWSCC in Alloy 600 is very  
14 highly temperature dependent, the first step was to  
15 try and put all of this on a common temperature basis.

16 So we did that by choosing the most common  
17 test temperature, which is 325 centigrade, or 617  
18 Fahrenheit, and extrapolating everything back to that  
19 temperature using an activation energy of 130  
20 kilojoules per mole or 31 kilocalories per mole.

21 That is, more or less, the accepted  
22 activation energy for cracked growth rate in this  
23 material, and even if you consider some of the more  
24 varied values that have been obtained, the range for  
25 cracked growth data is actually pretty small. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from about 30 to 35.

2 So this does not have a huge effect on  
3 what we're doing.

4 MEMBER BONACA: I had a question regarding  
5 the previous slide actually. You said that the  
6 thermal processing history of material is incomplete.  
7 I'm trying to understand how significant. I mean this  
8 is Alloy 600. I mean, isn't Alloy 600 a pretty -- is  
9 it a common material we have or just specific to  
10 reactors?

11 MR. HICKLING: It's a common material in  
12 plants for milk processing and things like that, yes.

13 MEMBER BONACA: Oh, okay. That's all I --

14 MEMBER ROSEN: Where it works rather well.

15 MR. HICKLING: It works extremely well.  
16 Alloy 600 was originally developed and chosen because  
17 of its resistance to chloride induced transgranular  
18 stress corrosion cracking. Its application in the  
19 nuclear field in the '60s and '70s originated from  
20 that.

21 MEMBER BONACA: So what you're saying is  
22 that the thermal processing history could be very  
23 different, I mean, depending on the application.

24 MR. HICKLING: Yes. Unfortunately we do  
25 know about the impact of the microstructure on Alloy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 600 cracking. We've known about that for many years.  
2 It's contrary to what you would expect intuitively,  
3 particularly if you know about BWR stress corrosion  
4 cracking because Alloy 600 works best when it has the  
5 most carbides on the grain boundary, which is an  
6 initially surprising result in terms of -- so it's not  
7 chromium depletion phenomena.

8 So short of taking samples from every heat  
9 tested and actually doing a microstructural analysis,  
10 it's very, very difficult to tie this one down.

11 Now, of course, in the lab you can do  
12 that. The problem arises if you have material out in  
13 the field and you don't have archive material which is  
14 usually the case. How do you ever get at what  
15 microstructure you're dealing with?

16 MEMBER BONACA: Thank you.

17 MR. HICKLING: How did we then go on to  
18 derive the curve? We knew, as I've just discussed  
19 that the heat variation was likely to be very large in  
20 this data. Our initial intention was to take a single  
21 heat of material where we had the most data points and  
22 try and derive the dependence of crack growth rate on  
23 stress intensity, on K from that heat alone.

24 Unfortunately by the time we'd rescreened  
25 all of this data, we simply did not have enough data

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 left to do that even for the heat where we had the  
2 most points tested.

3 So we were forced to go back to an  
4 alternative approach, which is to adopt the so-called  
5 Scott equation for this material, and the Scott  
6 equation was basically developed quite some time ago  
7 using a very, very large amount of data on Alloy 600  
8 obtained from steam generator tubing, which was  
9 undergoing primary water stress corrosion cracking in  
10 the field.

11 So there's a huge number of heats, a lot  
12 of very susceptible heats, and a huge number of data  
13 points in that original database, and that equation  
14 which was developed originally in '91 basically says  
15 that the stress corrosion crack growth rate is  
16 proportional to a constant alpha times the stress  
17 intensity nominal threshold -- I'll come back to what  
18 we mean by that -- I'm sorry -- times the actual  
19 stress intensity minus a value of nine, which is the  
20 nominal stress intensity threshold to an exponent  
21 beta, which describes the basic dependence on stress  
22 intensity.

23 And the Scott exponent from this analysis  
24 was 1.16.

25 The next --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS:  Where does the erroneous  
2 relationship enter into the alpha?

3                   MR. HICKLING:  The erroneous relationship  
4 has been basically calculated in terms of the alpha,  
5 yeah.

6                   How does the data actually look in terms  
7 of what we're talking about here?  These are two  
8 examples from two different laboratories for two very  
9 different heats, and in this particular case, at 325  
10 degrees Centigrade, this is the Scott model as defined  
11 by that equation developed from the steam generator  
12 tubing material.

13                   And as you see, it comes down to very low  
14 crack growth rates, insignificant crack growth rates  
15 at a nominal K of about nine, and this particular test  
16 is producing data which clearly lies above that curve.

17                   On the other hand, for some other  
18 material, a different heat tested in a different  
19 laboratory at two different temperatures, this gives  
20 you some feel, incidentally, for the temperature  
21 effect, there is the Scott curve for 290, and here is  
22 the Scott curve for 325.

23                   The data is falling below the curve at  
24 either temperature.

25                   MEMBER WALLIS:  That has nothing to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the curve really, does it?

2 MR. HICKLING: Correct. You would be hard  
3 put to --

4 MEMBER WALLIS: It's a little low, but --

5 MR. HICKLING: One of the problems is that  
6 experimentally it's very difficult to test over a wide  
7 range of Ks because you cannot get a big enough  
8 specimen from the material available to test at high  
9 K values as you would like. So all of the data tends  
10 to crowd between about 20 and about 40 megapascals.

11 MEMBER WALLIS: You can't really prove the  
12 nine because the crack worth rates are so low down at  
13 that end.

14 MR. HICKLING: Absolutely, yeah. It's  
15 only a nominal threshold.

16 MEMBER WALLIS: -- a matching number then.  
17 If it's independent of temperature, it's even lower.  
18 It's not magic.

19 MR. HICKLING: We actually considered --  
20 at one point the expert panel debated rather  
21 intensively whether or not we should try and make it  
22 zero or whether we should make it four or six, and we  
23 did a sensitivity analysis. It doesn't make a whole  
24 lot of difference because we're not using the result  
25 in that region. We're not trying to describe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 initiation at all with this approach.

2 MEMBER ROSEN: That nine is not like  
3 Avogadro's number. It's not an important thing.

4 MR. HICKLING: It certainly isn't.

5 (Laughter.)

6 MR. HICKLING: The true definition of a  
7 stress intensity threshold for stress corrosion  
8 cracking is actually what you would get if you would  
9 decrease stress intensity during a test and can prove  
10 unequivocally that the crack has stopped.

11 And in fact, that's a test which is almost  
12 impossible to do. So --

13 MEMBER BONACA: Why do you infer a curve  
14 like that, if I can go to the previous curve?

15 MR. HICKLING: Yes.

16 MEMBER BONACA: I don't understand. You  
17 had a very specific curve that curves and goes to 320  
18 degrees, 330 to the right.

19 MR. HICKLING: Yes.

20 MEMBER BONACA: Or 325. How do you infer  
21 that curve from the distributional data? You don't.

22 MR. HICKLING: Not at all. We can't.  
23 That is the point I'm making. We were forced to go  
24 back to a curve which had been derived from a  
25 completely different database and force fit it, if you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 liked to our data.

2 MEMBER BONACA: Right. I understand.

3 MR. HICKLING: Exactly right. So I've  
4 just covered that, but it's only an apparent  
5 threshold, and we don't have data, but this is not  
6 going to be critical in use because we're actually  
7 going to be at K values above, well above, say, 15.

8 There is another point that you have to  
9 mention. The threat exponent from the steam generator  
10 tubing of 1.16 does imply a considerable dependence of  
11 crack growth rate on stress intensity going right up,  
12 of course, to very high K values. There's quite a lot  
13 of both field and test data which indicates this may  
14 not be valid, that we may, in fact, be going too high  
15 at high stress intensities, that there may be a  
16 plateau appearing.

17 But we couldn't convince ourselves that  
18 for our material that we had enough data to draw a  
19 plateau.

20 MEMBER WALLIS: When it's high enough the  
21 material just breaks?

22 MR. HICKLING: Oh, yes. Eventually it  
23 would. You would eventually turn up where you get the  
24 mechanical failure.

25 MEMBER WALLIS: How high is that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HICKLING: Much, much higher than  
2 anything we're dealing with, yes.

3 MEMBER APOSTOLAKIS: What are the typical  
4 K values you're going to have?

5 MR. HICKLING: You'll see when we come to  
6 the way this curve is being applied we're talking  
7 typically about Ks in the range of 25, 30, something  
8 like that.

9 MEMBER APOSTOLAKIS: But if you subtract  
10 nine, that should have an effect, right?

11 MR. HICKLING: In what sense?

12 MEMBER APOSTOLAKIS: Well, the equation is  
13 DADT equals alpha K minus nine.

14 MR. HICKLING: Yes. The equation is just  
15 a fitting. The K minus nine is just fitting.

16 MEMBER APOSTOLAKIS: Right.

17 MR. HICKLING: It was part of the original  
18 fitting to the steam generator data.

19 MEMBER APOSTOLAKIS: Are you going to use  
20 that equation again?

21 MR. HICKLING: Yes. That is the basis  
22 of --

23 MEMBER APOSTOLAKIS: So I don't understand  
24 why you say not critical for intended use since the  
25 equation has a K minus nine factor there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HICKLING: I did mention that we, in  
2 fact, discussed extensively whether it should be nine  
3 or six or four or even zero, and we tried out the  
4 effect of plotting, replotting using all of those  
5 different curves, and in the region of interest it  
6 makes virtually no difference at all.

7 It would make a lot of difference if you  
8 were trying to analyze the situation at very low K  
9 values, but that's not where we are.

10 So we actually tried out the effect, and  
11 we stayed with the --

12 MS. KING: I would point out the third  
13 bullet here.

14 MEMBER APOSTOLAKIS: I guess it's because  
15 the exponent is just 1.16.

16 MR. HICKLING: Yes.

17 MEMBER SHACK: No, if you fit with zero,  
18 you'll get a different exponent. So you'll change  
19 alpha and beta. So you'll get a different curve, but  
20 then if you look at that curve between 25 and 35,  
21 they'll look sort of similar to --

22 MR. HICKLING: They'll more or less lie on  
23 top of it.

24 MEMBER SHACK: Yeah, the curves will move  
25 around a lot. You know, your alphas and your betas

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will change.

2 MEMBER APOSTOLAKIS: Well, the alpha and  
3 beta change.

4 MEMBER SHACK: Yes, but the result in the  
5 range of 25 to 35 is not particularly sensitive.

6 MR. HICKLING: Let me just repeat. Our  
7 original intention, our hope was actually to fit our  
8 own data with the new curve, and that was the first  
9 approach adopted.

10 But unfortunately by the time we had  
11 screened out the reliable data points, we just could  
12 not do it. We didn't have enough data over a wide  
13 enough range of K. So the fall back position to this  
14 Scott curve is to some extent an artificial one.

15 On the other hand, the Scott curve has  
16 stood the test of time, and it has been used very  
17 widely, also for the analysis of --

18 MEMBER APOSTOLAKIS: Now, why didn't Scott  
19 have the same problem? Why didn't he screen out  
20 inappropriate data?

21 MR. HICKLING: The main data base that  
22 Scott was working with were field inspections on steam  
23 generator tubing of which there are literally  
24 thousands and thousands of data points.

25 So he didn't have the same problems that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we had. He had a huge number of heats, far more than  
2 we have, and he had a huge number of tubes, which had  
3 been eddy current tested. So he could determine  
4 differences in crack length and crack growth rates.  
5 It's a quite different database he was dealing with.

6 MEMBER KRESS: The database you have,  
7 looking at, is crack growth rate versus K.

8 MR. HICKLING: Yes, sir.

9 MEMBER KRESS: How did the various  
10 laboratories determine the K?

11 MR. HICKLING: That's a very good point,  
12 and I mentioned that the test methods were different,  
13 constant displacement load. The simple answer, of  
14 course, would be to use the standard equations,  
15 whatever form of pre-crack specimen they were using in  
16 fracture mechanics, but the real issues that were  
17 involved are crack front straightness, degree into  
18 which crack Ks change during the test, particularly,  
19 for example on wedge open loaded specimens where the  
20 K value decreases.

21 And in one particular case, actually two  
22 French laboratories which produced a lot of the data  
23 we're using, they went back without our prompting at  
24 the beginning of this year and reevaluated their K  
25 values for every single specimen in terms of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 remeasuring every specimen and recalculating.

2 MEMBER KRESS: Were these artificially  
3 made cracks at the start?

4 MR. HICKLING: Yes, the starter is always  
5 a fatigue pre-crack, which is a transgranular pre-  
6 crack in the material. Now, that point in time you've  
7 got a pretty good handle on what K is. It's later on  
8 as an irregular crack front develops you have to  
9 consider that.

10 But that point was given a lot of  
11 attention.

12 MEMBER BONACA: Once you got the results  
13 at the end, did you ever go back and took the 203  
14 points that you threw away and see whether they would  
15 fit on that curve?

16 MR. HICKLING: Well --

17 MEMBER BONACA: Would it be meaningful or  
18 just simply a meaningless exercise?

19 MR. HICKLING: I'm not sure whether it's  
20 particularly meaningful. I think you'll see when we  
21 come to actually put up the curve in a second with the  
22 data, even 158 don't necessarily fit.

23 MEMBER WALLIS: We're all waiting for that  
24 with great anticipation.

25 MR. HICKLING: Yes, we'll get there very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 quickly.

2 The other point I mentioned is we have to  
3 take into account material heat variability because we  
4 know how important it is, and we had a very limited  
5 number of options as to how we're going to do that,  
6 and what we've, in fact, done is we've tried to look  
7 at that in terms of calculating a different value of  
8 alpha for each heat of material.

9 Now, what that means is we've taken every  
10 single heat of material, all 26 in the database, and  
11 we've calculated the appropriate value of alpha to fit  
12 the data for that heat to the Scott equation, and that  
13 would be the mathematical formula.

14 No, go ahead. The formula is less  
15 interesting than this.

16 These are, in fact, the 26 heats of  
17 material from the different supplies. They're rates  
18 in terms of the most susceptible in testing to the  
19 least from top to bottom. You can notice, please, the  
20 differences in product form, which is implied here,  
21 and notice also the difference in number of data  
22 points.

23 There is a certain tendency for  
24 laboratories to want to test a particularly  
25 susceptible heat because it's an easier testing job,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and in fact, that's why some big numbers are coming up  
2 here, although there's quite a bit one down here as  
3 well.

4 And there is also equally a tendency --  
5 those heats where we have very little data, and  
6 particularly ones where we only have a single data  
7 point are tending more towards the bottom, the less  
8 susceptible heats where we have less cracking  
9 observed.

10 And so you end up by doing this, by force  
11 fitting the Scott curve per heat, you end up with a  
12 set of alpha values, the log mean power law constant,  
13 which it varies, as you can see, between the most  
14 susceptible material actually we had in the database,  
15 from six times ten to the minus 12, right down to two  
16 times ten to the minus 13. It's quite a difference.

17 MEMBER WALLIS: Is it fair to ask what  
18 heat is? I don't understand what a heat is in this  
19 context. Maybe I should have done my homework or  
20 something.

21 MR. HICKLING: What a heat of material is  
22 in this contexts?

23 MEMBER WALLIS: Yeah.

24 MR. HICKLING: It would be a single  
25 production lot as processed by the material supplier.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701