

1 MEMBER WALLIS: To do with heat?

2 MR. HICKLING: Yeah. It starts with the
3 heat, yes. There are other factors involved.

4 MEMBER WALLIS: It's a production lot.

5 MR. HICKLING: Correct.

6 MEMBER WALLIS: It's not a property.

7 MR. HICKLING: No, not at all. It's just
8 a material identifier. It's a number.

9 So we finally then get to where we want to
10 go by taking the log normal fit, the ordered median
11 ranking of the alpha values for these 26 heats using
12 standard statistical methods.

13 I'm not myself a very good statistician.
14 In fact, I'm a pretty awful one. Glenn White, who did
15 the data correlation exercise on this, and with a lot
16 of input from the gentleman on my right who has a very
17 strong grasp of statistics, we tried all sorts of
18 methods, and I think this came out as probably the
19 most valid for looking at this database.

20 MEMBER WALLIS: So what you're saying here
21 is that the properties of this stuff are very
22 dependent on how it was made.

23 MR. HICKLING: Correct.

24 MEMBER WALLIS: And that isn't a variable
25 that's under control or is measured in some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quantitative way.

2 MR. HICKLING: Correct.

3 MEMBER WALLIS: So there's a tremendous
4 amount of uncertainty about what's going to happen.

5 MR. HICKLING: Yes. And that's why
6 ultimately there's a limit to how far we can go with
7 a deterministic approach and why we have to get into
8 a probablistic approach.

9 But this is the result of doing this
10 exercise. What we are actually plotting here is the
11 cumulative distribution of these alpha values for the
12 26 heats. So every single point here represents one
13 heat.

14 Now, it may have one specimen. It may
15 have up to the maximum of 32 specimens concealed in
16 that calculated alpha value, and because it's a log
17 normal distribution, of course, it never completely
18 goes to zero or to one. So as you can see, that is
19 this most susceptible heat which was identified, but
20 our curve here is predicting that you could have
21 higher susceptibility heats and you could, in fact,
22 have very, very graphic cracking, which is ultimately
23 going to be physically unreasonable.

24 There is a limit. It's very hard to
25 define. There's no fully accepted mechanism of Alloy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 600 cracking. Therefore, it's very hard for first
2 principles to calculate a physically accepted maximum
3 crack growth rate.

4 But we all know there has got to be one
5 because otherwise you're getting electro-chemical --

6 MEMBER WALLIS: What is your access there?

7 MR. HICKLING: This is the cumulative
8 distribution of the alpha values as a function of the
9 actual values.

10 MEMBER WALLIS: What does that mean?
11 You're just adding up the number of --

12 CO-CHAIRMAN SIEBER: It's the probability
13 of this.

14 MR. HICKLING: Basically it's the
15 probability function.

16 MEMBER WALLIS: But they all have
17 different origins, and there are 27 tubes for one
18 alpha value, only one for another alpha value. I
19 don't know how you get a --

20 MEMBER APOSTOLAKIS: Are these points
21 treated as being equivalent?

22 MR. HICKLING: Yes.

23 MEMBER WALLIS: But they're not.

24 MEMBER APOSTOLAKIS: Some of them come
25 from a large number of test, some do not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HICKLING: Correct.

2 MEMBER APOSTOLAKIS: So shouldn't that be
3 taken into account?

4 MR. HICKLING: Well, there's a limit to
5 how you can do that. If you only have one point to
6 test, if the heat --

7 MEMBER WALLIS: You're looking for a
8 pretty curve, and this looks quite pretty.

9 MR. HICKLING: No, no, it's not quite
10 that. You're looking to try and represent what you
11 have. What you have is not what you'd like to have,
12 but you're looking to try and represent it in the
13 fairest way possible.

14 And given the importance of material heat,
15 we would have been much worse off just taking all of
16 the data and ignoring that effect.

17 Having said that, the full 158 data points
18 for all of the heats feeds straight into the
19 probabilistic analysis that Dr. Riccardella will be
20 talking about. He does not use this approach at all
21 for that. He just takes the data as it comes out.

22 MEMBER SHACK: Which has its own set of
23 problems.

24 MR. HICKLING: Which has its own set of
25 problems, too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: But still, you know,
2 some of these points --

3 MR. HICKLING: Some have much bigger
4 uncertainty than others.

5 MEMBER APOSTOLAKIS: Yeah.

6 MR. HICKLING: Correct.

7 MEMBER APOSTOLAKIS: And why is --

8 MEMBER SHACK: You can do the analysis
9 estimating the uncertainties in each of the alphas,
10 and you find when you do that that the curve does not
11 shift was much as you would expect.

12 MR. HICKLING: We have gone through that
13 exercise.

14 MEMBER APOSTOLAKIS: Now, why do we need
15 one curve?

16 MR. HICKLING: Because we are trying to
17 propose a single crack growth rate versus K curve
18 appropriate for dispositioning axial internal cracks
19 in the field.

20 MEMBER APOSTOLAKIS: But why not a family
21 of curves? I mean, I have uncertainty here, don't I?

22 MR. HICKLING: Well, you don't have enough
23 data to generate a family of curves. Remember what
24 we've done. We've --

25 MEMBER KRESS: Well, if you factor this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probability in, you in essence have a family of
2 curves.

3 MR. HICKLING: Yes, you do in that sense,
4 but you don't achieve very much because your
5 uncertainty -- I'm going to come on, if I may.
6 Perhaps we could postpone that question until I get to
7 the applications slide as to how we intend to --

8 MEMBER APOSTOLAKIS: Why assume the data
9 is constant and focus on the uncertainty in alpha? I
10 mean, do we really know, Peter?

11 MR. HICKLING: No, we don't know beta at
12 all. Beta is assumed from this other analysis. Beta
13 has been adopted from an analysis from Scott.

14 MEMBER APOSTOLAKIS: But what alpha did
15 scott use? He varied it?

16 MR. HICKLING: Yeah, the alpha value --
17 well, the definition of alpha depends how you mean.
18 On a heat to heat basis, yes. Alpha varies.

19 MEMBER APOSTOLAKIS: Beta doesn't change
20 from heat to heat?

21 MR. HICKLING: No.

22 MEMBER APOSTOLAKIS: There is evidence
23 that that doesn't happen?

24 MR. HICKLING: I'm not quite sure what
25 question you're asking me here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Why do you assume
2 that Beta is constant?

3 MR. HICKLING: Because you can approach
4 what you're trying -- you've got to remember what
5 you're trying to do. You're trying to define a crack
6 growth rate which is going to vary with stress
7 intensity, first of all.

8 MEMBER APOSTOLAKIS: Yeah.

9 MR. HICKLING: There is no reason
10 necessarily that we have to expect that the material
11 properties will affect the dependence on stress
12 intensity per se. They'll affect the propensity to
13 cracking very much, but the actual stress intensity
14 dependence is no reason to assume that that should
15 vary hugely between different materials.

16 And, in fact, if you do the exercise that
17 Bill is talking about, the fitting to the individual
18 heats and seeing how this curve moves, it doesn't move
19 a whole lot with the probabilities.

20 In an ideal world, you might only have one
21 heat of material, and then you wouldn't have this
22 problem, but we're trying to tackle a very real
23 problem here with a larger number of heats out in the
24 field.

25 MEMBER WALLIS: Well, it's a very strange

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way of doing things. If I understand, you're looking
2 at data from all of the different sources, and then
3 you realize there's a tremendous number of different
4 alphas to correlate those data, and then you are
5 saying that we're not going to use some statistical
6 thing to relate to this to CRDM.

7 I want to know which one of these data
8 points is most like our CRDM rather than just taking
9 a mean of a lot of things which might be something
10 like it.

11 MR. HICKLING: Well, it's a good desire,
12 but they all are. They're all from thick section
13 Alloy 600 material. They may just --

14 MEMBER WALLIS: There must be some reason
15 that they're different by such large factors.

16 MR. HICKLING: Yes, and the main reason is
17 almost certainly the thermal processing history of the
18 material.

19 MEMBER SHACK: But if you had a CRDM
20 nozzle picked at random, you don't know whether it
21 comes from the top of that curve --

22 MR. HICKLING: The middle or the bottom.

23 MEMBER SHACK: -- or from the middle or
24 from the bottom, except on a probability basis, that
25 it's more likely to come --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: It's like testing a lot of
2 nails from nail suppliers and measuring something and
3 then saying we're going to apply that to a bridge.

4 MR. HICKLING: But it's the standard
5 situation you get into in stress corrosion cracking
6 where you're forced to use what's available, what you
7 can generate in terms of data, not what you would like
8 to have, which is for every single heat out in the
9 field archive material with good quality data on it.

10 MEMBER SHACK: If you knew exactly what
11 caused the spread, like the grain size and the way
12 they cooled it down, starting raw materials, you might
13 be able to go in and characterize a nozzle, but you
14 know, that's asking a lot.

15 MR. HICKLING: There's a parallel here
16 which is perhaps worth following very, very briefly to
17 a different problem in the BWR industry where stress
18 corrosion cracking has also been studied for very many
19 years, also intragranular, but where the mechanism of
20 cracking has been tied down fairly well and has been
21 linked to exactly the sort of factors you're talking
22 about so that you can tell what difference potential
23 makes, what difference material, what difference the
24 chemistry makes, and so on.

25 Unfortunately, despite 30 years or more of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 study, there is still at least three, probably many
2 more, credible mechanisms for primary water stress
3 corrosion cracking of Alloy 600, and so we do not have
4 that in depth understanding at a fundamental level to
5 do that.

6 MEMBER KRESS: Yeah, and I think the only
7 recourse is to fall back on a probability.

8 MR. HICKLING: So where does this get us
9 to? Let's come back to that Christine and just throw
10 up what this actually does.

11 These are the 158 data points. As I
12 remind you, each one is plotting growth rate in the
13 test against the representative K value for the test,
14 and again, you will notice the bunching between the 20
15 and 40 values of K, just the odd ones which are higher
16 or lower.

17 This is the modified -- this Scott curve,
18 called the modified curve, but that's --

19 MEMBER APOSTOLAKIS: This curve has
20 nothing to do with the previous curve?

21 MR. HICKLING: Yeah.

22 MEMBER APOSTOLAKIS: Yeah, what?

23 MR. HICKLING: This curve is calculated.

24 MEMBER APOSTOLAKIS: Okay.

25 MEMBER WALLIS: But the naive observer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would say that the curve has nothing to do with the
2 data whatsoever.

3 (Laughter.)

4 MR. HICKLING: Possibly true, possibly
5 true.

6 CO-CHAIRMAN FORD: But the MRP curve,
7 John, is the mean curve from the previous graph. It's
8 using the alpha mean.

9 MR. HICKLING: What I'm going back to, it
10 does, of course, have -- if we could just go back to
11 the previous slide.

12 To get to that curve, we -- let's go back
13 to the curve with the alphas, please. Thank you.

14 You're basically given the choice here.
15 Once you've determined this dependency, how do you
16 handle the uncertainty, and what value of alpha are
17 you going to use to plot your single curve? Because
18 you need to end up with a single curve in order to do
19 anything sensible in the field.

20 The value that we've chosen is to use the
21 75th percentile from this curve for our value of
22 alpha, and this is, in fact, the mean, if you like, of
23 the upper half of the distribution. So it's not the
24 median value here. It's considerably higher than
25 that. There's a reason for this. It's basically that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we are trying to make a best estimate of lightly
2 cracked growth rate in the field, and there's
3 obviously no point in going unrealistically low, but
4 there's no point either in going absolutely
5 unrealistically higher for every single heat of
6 material that's out in the field.

7 The conservatism that you might want to
8 apply, we feel should be added later in the process
9 when you're evaluating and dispositioning an actual
10 crack, and you have plenty of opportunity there to add
11 engineering conservatism rather than adding it in a
12 hidden form at this stage in the data.

13 And the ASME code gives some basis for
14 this approach of taking the 75th percentile. So this
15 is how we define the value of alpha here that we use
16 when we create that next curve. Okay?

17 MEMBER APOSTOLAKIS: So this curve then is
18 the Scott curve with alpha equal to this value, the
19 75th --

20 MR. HICKLING: No --

21 MEMBER APOSTOLAKIS: -- beta equal to 116?

22 MR. HICKLING: The shape is modeled
23 entirely on the Scott curve. So the exponent is
24 derived from the Scott curve, and the nominal
25 threshold is derived from the Scott curve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: And alpha, too.

2 MR. HICKLING: No, the alpha is derived
3 from our actual data.

4 MEMBER APOSTOLAKIS: Yeah, but in this
5 plot it's the 75th percentile of the previous curve.

6 MR. HICKLING: yes.

7 MEMBER APOSTOLAKIS: Okay.

8 MR. HICKLING: But that previous curve is
9 for our own data on the thick section, not for the
10 steam generator.

11 MEMBER SHACK: But isn't the MRP curve the
12 75th percentile? The modified Scott was an earlier
13 curve that had been proposed.

14 MR. HICKLING: Yes, yeah. The MRP curve
15 is what we calculate on that basis.

16 MEMBER KRESS: Now, the data points --

17 MR. HICKLING: And it lies -- it's
18 parallel to obviously the Scott curve because it takes
19 the shape from it. It's force fit to it, but it's
20 about 20 percent higher.

21 MEMBER KRESS: Yeah, but the data points
22 on this curve are the same data points you use to get
23 your probablistic alpha. So it's no surprise that it
24 kind of goes through the mean of them because the 75th
25 on that cumulative is like a mean.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HICKLING: Yeah, it's the mean of the
2 upper half.

3 MEMBER KRESS: So it's just reflecting the
4 previous curve when you see it do that.

5 MEMBER BONACA: And I hope the Scott curve
6 had a better fit to data than this.

7 MR. HICKLING: Well, that's why we used
8 it.

9 MEMBER KRESS: Well, all this is saying if
10 you go back to that previous curve, it went from ten
11 to the minus 13 up to ten to the minus 11, and you
12 look at the data on this curve. It does the same
13 thing. It's a reflection of this curve right here.

14 MR. HICKLING: That's right.

15 MEMBER WALLIS: And any theory that you
16 had that you forced alphas to be like this would go
17 through the data.

18 MEMBER KRESS: Oh, yeah, absolutely,
19 because you forced it to go through the data. And you
20 forced it to kind of go through that part of the data.

21 MEMBER WALLIS: Yeah. That conclusion is
22 Scott is wrong. I mean, Scott has nothing to do.
23 Scott --

24 CO-CHAIRMAN FORD: Scott can't be wrong
25 because it's based on --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 CO-CHAIRMAN FORD: I'm not saying a Scott
3 can't be wrong. But the Scott curve is an empirical
4 relationship based on field data.

5 MR. HICKLING: Yes.

6 CO-CHAIRMAN FORD: But what I'd like to
7 know John is you choose the 75 percentile of alpha
8 according to the MRP curve.

9 MR. HICKLING: Yes.

10 CO-CHAIRMAN FORD: But I know there was
11 some data where you should be at the 95th percentile.
12 What was the reasoning behind the choice of 75 over
13 the more conservative 95 percent?

14 MR. HICKLING: The reasoning is, Peter,
15 quite simple, that we feel that in screening the
16 database we've already applied quite a considerable
17 amount of conservatism. There are a lot of material,
18 as you know. For example, we couldn't consider any
19 heats which didn't show cracking at all. So they're
20 eliminated.

21 The reasoning is quite simply that we feel
22 that this curve is a good representation, if you like,
23 a conservative representation already of what is
24 actually out in the field.

25 There will be a lot of heats out in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 field which will crack at very much lower rates than
2 this, and I'm going to come onto a comparison with
3 field data in the next slide.

4 MEMBER KRESS: You're saying that all the
5 data you threw out would fall below that curve on this
6 plot basically.

7 MR. HICKLING: In general, in general.
8 There are two types. That would be a little bit too
9 general, that statement. We threw some data out, for
10 example, because it was tested in off chemistry, and
11 that might have been higher, but a lot of the data we
12 threw out would have quite clearly fallen well below
13 this curve.

14 For example, in some of the wedge
15 overloaded data which we threw out, those points were
16 coming out at least an order of magnitude lower than
17 they probably should have been simply because of
18 problems of artifacts of testing.

19 MEMBER APOSTOLAKIS: But if you use the
20 75th percentile of alpha, wouldn't you expect most of
21 the points to be below the curve? That doesn't seem
22 to be --

23 MR. HICKLING: No.

24 MEMBER APOSTOLAKIS: -- the case.

25 MR. HICKLING: It depends entirely on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distribution.

2 MEMBER KRESS: That distribution, the 75,
3 is actually close to the mean really.

4 MEMBER SHACK: Well, it's the 75th
5 percentile on the heat. Now, if a susceptible heat
6 has 32 data points, it's going to skew. When you look
7 at data point by data point, it skews the
8 distribution, which is one argument for doing it by
9 heat. Otherwise you overly weight --

10 MR. HICKLING: Right.

11 MEMBER KRESS: And so this is a log scale
12 down here

13 MEMBER APOSTOLAKIS: Wait, wait, wait.
14 I'm speaking of the 75th percentile of this curve,
15 right? If I plotted these points, you know, in the
16 next curve, then I should have most of them below the
17 curve.

18 MEMBER WALLIS: Yes, but you didn't.

19 MEMBER SHACK: But you didn't.

20 MEMBER APOSTOLAKIS: But you didn't.

21 MEMBER SHACK: You plotted the raw data.

22 MEMBER APOSTOLAKIS: You plotted the raw
23 data, which now brings you back to the earlier
24 assumption of using these points as being equivalent.
25 Doesn't that tell you something about the uncertainty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of each point and how important it is?

2 The fact that the new curve doesn't seem
3 to be on the high side probably tells you something
4 about the --

5 MEMBER WALLIS: No, it tells you there
6 were 21 points for heat one and only one for heat 26.

7 MR. HICKLING: But there's a strong
8 tendency for the laboratory to have tested a
9 susceptible heat if possible. That's true in the
10 whole history. They don't want to get a zero result
11 which is of no use to anybody.

12 So there is an innate bias in any stress
13 corrosion cracking test data to have chosen usually
14 the most susceptible material they could get their
15 hands on at least initially.

16 MEMBER SHACK: But the question is: do
17 you want to characterize the variation in the set of
18 test data that you have or in the population of heats
19 of material that you're likely to encounter in the
20 field?

21 If you want to characterize the variation
22 in your test data, you do your statistics on all of
23 the data points. If you want to do that, except you
24 sort of hope that you have enough data that's really
25 characteristic of the population.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Let's go to the next
2 curve.

3 MEMBER SHACK: But what you're looking for
4 is the population.

5 MEMBER KRESS: Well, why did you feel like
6 you had to not use the whole curve? If you do a
7 probablistic fracture mechanics, you could have used
8 that whole distribution.

9 MR. HICKLING: We are doing it. The
10 probablistic fracture mechanics uses the whole
11 database and --

12 MEMBER KRESS: Okay. I feel better about
13 it then.

14 MEMBER APOSTOLAKIS: So we could have a
15 family of curves here, you know, with some confidence
16 instead of a single curve, and that's what you're
17 going to do in the probablistic --

18 MR. HICKLING: Exactly, except the
19 probablistic, as I say, is not based on the MRP curve
20 at al. The MRP curve we're trying to achieve is a
21 reasonable representation of what we would expect for
22 crack growth rate already involving some conservatism
23 for heats out in the field.

24 MEMBER APOSTOLAKIS: So this is a
25 reasonable representation?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HICKLING: As Bill says, of the heats
2 that are likely to be out in the field.

3 MEMBER SHACK: It's his choice.

4 MR. HICKLING: This was the expert panel's
5 recommendation.

6 (Laughter.)

7 MEMBER SHACK:

8 MEMBER SHACK: Yet in a deterministic
9 world you pick one curve. Which curve do you want to
10 pick?

11 They have chosen the 75th percentile for
12 the reasons that John has stated. You could make
13 arguments that it should be the 95th percentile. You
14 want to bound all of the data. You could make it the
15 50th percentile. You want a representative.

16 You know, you have to decide in a
17 deterministic world with a lot of scatter. You have
18 to make an argument for which curve you want to pick.

19 MEMBER APOSTOLAKIS: And the argument is
20 that the points above the curve don't matter that
21 much?

22 MR. HICKLING: Well, let's develop the
23 argument a little bit more because the test of any
24 curve is does it describe the field observations, and
25 that's the point. It's already indicated a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bit.

2 There are actually two points written in
3 here, which I'm going to come onto in the next slide
4 what those are. There is very little data available
5 in the U.S. from the field on nozzle cracking where
6 there have been sequential measurements of crack
7 length and depth.

8 The only data that's available is from one
9 nozzle in D.C. Cook 2 where a crack nozzle was allowed
10 to operate for a certain period of time, and there was
11 increase in the measured length and depth of the
12 crack.

13 And these two points are plotted here.
14 This is the length increase of that crack, and this is
15 the depth increase.

16 Now, agreed this is only one isolated
17 indicate, but it is worth noting that both of those
18 points fall very well below that curve.

19 We go on to the next slide --

20 CO-CHAIRMAN FORD: Could I just interrupt
21 for one minute, John? I wanted -- this is the reason
22 why we are discussing this data. This is one of the
23 first times that this group has seen these data, and
24 I wanted to be aware of the amount of work that's gone
25 into this area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 However, we could go on forever discussing
2 this, and what I would like to suggest is that we will
3 finish this at 12 o'clock, this particular
4 presentation at 12 o'clock. We will recess for lunch
5 for three quarters of an hour, and we'll come back at
6 quarter to one, and that will give Glenn hopefully
7 time to do his presentation and leave when he wants to
8 do. Yes?

9 MR. WHITE: Yes.

10 CO-CHAIRMAN FORD: Will that be okay?

11 So, John, could you pick and choose and
12 try to finish by --

13 MR. HICKLING: Yes, we can get through the
14 rest very quickly, I think.

15 (Laughter.)

16 CO-CHAIRMAN FORD: Yeah?

17 MR. HICKLING: With your help. Basically
18 whenever you do a comparison from what you derive from
19 the laboratory data with the field data, we've talked
20 a lot about the uncertainties in the laboratory data,
21 but it's worth remembering that there are very
22 considerable uncertainties in the field data because
23 we're basically talking about differences between two
24 ultrasonic measurements of crack size, and we are
25 really analyzing the difference between the delta

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between those two measurements.

2 So there's considerable NDC uncertainty,
3 feeds in straight away here.

4 Secondly, there are uncertainties in the
5 estimates of K, depending on how you analyze the
6 residual stresses for the particular component
7 concerned, and that's a very significant problem in
8 this area.

9 And, thirdly, of course, there may be some
10 uncertainty in the actual operating temperature of the
11 nozzle, and we know how corrected these values are for
12 temperature in different plants and in different
13 countries.

14 I've showed on the previous slide the D.C.
15 Cook data. The main body of field data we have
16 available to compare with our curve is, in fact,
17 French data because the French, once they detected
18 cracking Bouget, did a lot of ultrasonic inspection,
19 and they never had a second leakage.

20 So there is a lot of field data out there,
21 and we made very considerable efforts to obtain
22 everything we could.

23 The French reported their data at certain
24 operating temperatures for their plants, and there has
25 been some movement in what they've reported over the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years as the operating temperature of different
2 plants.

3 We have taken the latest report we were
4 able to obtain on individual plants and extrapolated
5 the reported data to a common temperature of 325
6 degrees Centigrade in order to compare it with our
7 curve.

8 What we've done, rather than just
9 comparing it simply with the curve, is we decided to
10 go to a statistical approach here to show you how, in
11 fact, the data, the screened data in our database, is
12 going to work. And what we've actually done for the
13 comparison is the following.

14 For every point where we had a field data
15 point at a particular K value where we could derive a
16 crack growth rate. We've done some random sampling
17 from the upper half of the MRP distribution of crack
18 growth rates, are using the same approach that we got,
19 basically the letters to the 75th percentile, and
20 using the K dependence of the Scott equation.

21 Let's just put up the results, and then we
22 can come back to that. In this diagram, the black
23 points represent the EDF field data extrapolated to
24 the nominal temperature, 325, from the reported
25 temperature of the head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The red data points are the data points
2 obtained from our MRP distribution applying this Monte
3 Carlo approach to the top half of the distribution.
4 So every time you did that, you'd get a different set
5 of red points.

6 But remembering the uncertainties in that
7 field data, we feel that's a more valid comparison
8 than just putting a curve through it, and at first
9 glance you can see that the Monte Carlo does produce
10 some very high crack growth rates, of course, as you'd
11 expect from the MRP distribution, and the agreement
12 doesn't look that bad.

13 In fact, the next curve shows what that
14 would look like on a cumulative probability plot of
15 the French field data here, the black points, and this
16 statistical treatment of the upper half of the
17 database, which are the red points.

18 And there's no denying the French field
19 data is higher, showing that the cracks measured in
20 France in the field did grow more rapidly than what
21 we're predicting, and when we consider there are very
22 real reasons for that, as Larry mentioned earlier, we
23 don't think it's just a matter of chance that the
24 French plants have this problem so much earlier.

25 MEMBER WALLIS: Would you do the exercise

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of taking random numbers between 20 and 50 for K and
2 between 1E minus 11 and 1E minus nine for crack
3 growth rate?

4 Just take random numbers, do exactly the
5 same thing you've done here. You'll get the same sort
6 of picture.

7 MEMBER KRESS: Well, that's what he did,
8 except the random numbers are --

9 MEMBER WALLIS: But what does it tell me?
10 If the random numbers give the same result as your
11 data, I'm not quite sure I've learned anything from
12 the data.

13 MR. HICKLING: No, they're not entirely
14 random numbers. It's a Monte Carlo treatment of part
15 of the data.

16 MEMBER WALLIS: Well, no, I mean if I look
17 at this curve here with this distribution of points.

18 MEMBER APOSTOLAKIS: Which distribution
19 are we referring to? I haven't seen a single
20 distribution here.

21 MEMBER WALLIS: If I had random numbers
22 here, I get the same --

23 MEMBER APOSTOLAKIS: Which distribution?
24 Of the alpha?

25 MEMBER WALLIS: The alpha.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Yeah, but they only
2 selected from the top half though.

3 MR. HICKLING: Correct. It's an attempt
4 to recommend the sort of variation that is inherent in
5 the data, whether it be from the lab or the field.

6 MEMBER WALLIS: But there are people who
7 have tried to publish reports like this, which show
8 that taking random data on the same graph gives the
9 same result, and that doesn't give me a good feeling
10 at all that it's a useful exercise.

11 MEMBER KRESS: Well, it's a way to compare
12 the French data to this database that went into making
13 the curve. That's all he's saying. It's a way to
14 compare those two.

15 MEMBER WALLIS: But if you compare the
16 random numbers thrown at the --

17 MEMBER KRESS: But he's showing what would
18 happen if you took the French data and put it on this
19 same curve with -- you'd have ended up with a
20 different distribution.

21 MEMBER APOSTOLAKIS: The French data were
22 not part of the derivation of the curve for alpha?

23 MEMBER KRESS: No, and they say it's
24 clearly a different set of data, and they have reason
25 to believe it should not be part of the database, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think that reason is maybe weird, and that is, well,
2 they started cracking a lot earlier than ours. So it
3 must have been something.

4 MR. HICKLING: No, no. Excuse me. There
5 are two separate issues here. That is the reasoning
6 why the French data will always come out higher no
7 matter how you treat it, because we do believe that
8 the material susceptibility was higher.

9 The one thing we do know is that the
10 material processing temperatures in general were much
11 lower in France for that nozzle material, and there's
12 good reason to expect that that would lead to a higher
13 degree of susceptibility.

14 The second point, the reason why we didn't
15 use the French data, for example, in deriving our
16 curve is that there are uncertainties in the French
17 field data which we cannot fully tie down and which we
18 are ultimately somewhat unhappy about. We've
19 extrapolated up very much in temperature. Whether or
20 not that's fully justified is another issue, and it's
21 an issue we couldn't solve.

22 MEMBER KRESS: It depends on whether your
23 final product you want to be highly conservative or
24 you want to be a representative value, I guess.

25 MR. HICKLING: Exactly, and the feeling is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we are trying for a representative curve, and the
2 conservatism which needs to be added is added in the
3 engineering analysis later on and is visible, not
4 hidden in some way.

5 MEMBER KRESS: Yeah, which the ACRS has
6 said is the way you ought to do things with respect to
7 different issues in the past.

8 We have always advocated that as the right
9 approach.

10 MEMBER APOSTOLAKIS: Well, yeah. There
11 was a bullet that said if you did something because it
12 was conservative. I mean, they're not as pure as it
13 would seem.

14 (Laughter.)

15 MEMBER APOSTOLAKIS: Right?

16 MEMBER KRESS: There's always a mixture.

17 MEMBER APOSTOLAKIS: Yeah.

18 CO-CHAIRMAN FORD: It was the screening
19 criteria which they said was conservative, and that's
20 why they're using the 75th rather than the 95th
21 percentile for alpha. It's reasonable.

22 MEMBER APOSTOLAKIS: So what Tom said is
23 not quite accurate.

24 MEMBER LEITCH: John, one thing that
25 concerns me regarding that French data, I guess, I've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 always wondered whether -- you know, we spend a lot of
2 time talking about crack growth rate. I'm wondering
3 about the depth of the crack at initiation. In other
4 words, does the crack grow more or less linear? It's
5 how many inches per year from zero, or might it be a
6 fact that instantaneously the crack proceeds to some
7 depth?

8 MR. HICKLING: No, definitely not
9 instantaneously. You're quite correct. We're not
10 trying to describe that whole phase of initiation and
11 early growth, but all that we know about both primary
12 water stress corrosion cracking in general suggests
13 that the initial phase of crack growth is very, very
14 slow, indeed, and getting the crack -- remember in the
15 field we're not dealing with transgranular fatigue
16 pre-crack which then goes into granular at all. We're
17 dealing with a crack which develops as an
18 intragranular stress corrosion crack at a point in
19 time where you can't calculate it.

20 And all of the evidence is that a huge
21 part of the lifetime, perhaps as much as 85 percent of
22 the lifetime of the crack, as it were, is developing
23 the initial crack, whatever you'd like to call
24 initiation, and growing it to a level at which you can
25 detect it with NDE methods.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we're not addressing that whole area at
2 all here. We're just saying what would we do to
3 disposition once we find a flaw which is large enough
4 to be found by NDE.

5 And I think the one thing that you can be
6 sure about is that there's nothing instantaneous about
7 stress corrosion cracking in that sense.

8 MEMBER LEITCH: So you're saying that the
9 evidence seems to suggest that that initial phase is
10 relatively slow compared with the ongoing. I was
11 wondering if -- you know, in my mind I had pictured a
12 model that was just the opposite of that. Initially
13 it took a quick depth and then the growth was slow
14 from there.

15 MR. HICKLING: No. I think you'd find
16 pretty uniform agreement among anyone who's worked on
17 stress corrosion cracking.

18 MEMBER APOSTOLAKIS: So the growth rate is
19 independent of the size of the crack?

20 MR. HICKLING: No, it's actually not.
21 It's very dependent upon it.

22 MEMBER KRESS: It's part of the K

23 MEMBER APOSTOLAKIS: Oh, K, K.

24 MR. HICKLING: It's later part of the K,
25 and in the very initial stages, it's more complicated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that --

2 MEMBER APOSTOLAKIS: Now, where do the
3 curves cross up there? Is there any reason why they
4 should do that?

5 MR. HICKLING: Yes, because the black
6 points, in fact -- well, it's a function, of course,
7 of the sampling that has been applied to the MRP
8 distribution to get these particular set of points,
9 but if we just go back very quickly to that alpha
10 curve, it's a point I'd like to make.

11 Remember this is a log normal fit which is
12 approaching one exponentially. So you are predicting
13 infinitely high crack growth rates, albeit with a
14 very, very low probability that it will ever occur.
15 So that is physically unreasonable.

16 And, in fact, as Dr. Riccardella will talk
17 about in the probablistic talk this afternoon, for
18 that purpose you're going to have to truncate this log
19 normal distribution, go to a log triangular because
20 it's physically unreasonable to go to infinity. A
21 stress corrosion crack would never do that. It can't
22 do.

23 But the effect of using it in the way
24 we've just done it is, of course, it can generate some
25 very high crack growth rates even at low K.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: So how big was your
2 Monte Carlo sample? Was it big enough to pick up
3 those values, the sample?

4 MR. HICKLING: Yes.

5 MEMBER APOSTOLAKIS: You said you did a
6 Monte Carlo.

7 MR. HICKLING: You mean the number of
8 iterations?

9 MEMBER APOSTOLAKIS: Yeah, yeah, because
10 it will be a very large number to start picking up the
11 very unrealistic --

12 MR. HICKLING: No, I'm not saying we'd be
13 picking up any which are way out in the table here,
14 but I'm saying it's inherent in the approach that
15 we're using.

16 MEMBER APOSTOLAKIS: Does that explain why
17 the curves cross?

18 MR. HICKLING: I think so, yes, because
19 the French field data is real data, albeit with
20 uncertainties.

21 MEMBER APOSTOLAKIS: Oh, okay. So it's an
22 artifact.

23 MR. HICKLING: Can we go on quickly?

24 I want to make one very -- one before,
25 please. Thanks -- I want to make one very important

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point. In actual fact, in France in the regulatory
2 context, the French finally did not use any of these
3 approaches. The actual French approach that was
4 finally agreed upon was that in no case did the actual
5 measured crack growth rate in the through wall
6 direction of any crack which was found in plant exceed
7 four millimeters per year, and this was actually the
8 figure they adopted irrespective of head temperature
9 as a limit which would allow them to justify continued
10 operation for at least one cycle even with cracks
11 which were already 11 millimeters deep.

12 MEMBER WALLIS: And your French data plot
13 shows 20 or 30 millimeters a year. That's in the
14 other direction.

15 MR. HICKLING: No, but that's because it's
16 been temperature corrected, and it's been pushed up a
17 lot in temperature. The reported temperatures for the
18 French plant, as I said, have moved somewhat, but they
19 tended to move down quite low. So we've had to
20 extrapolate up an awful lot, and we're not very happy
21 about having done that, quite frankly.

22 MEMBER WALLIS: That's one reason they're
23 so high.

24 MR. HICKLING: Absolutely.

25 MEMBER WALLIS: Or it is the reason

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're so high.

2 MR. HICKLING: So moving on to what do we
3 actually intend to do with this curve and why do we
4 think it makes sense, it's intended that it would be
5 used to detect the disposition, PWSCC floors, either
6 if they're axial ID floors or if they're below the J-
7 groove weld, i.e., we're not -- floors which are not
8 part of the pressure boundary.

9 The main application we see is a
10 deterministic evaluation of axial ID floors which are
11 part of the pressure boundary. We're not intended to
12 use it, as we discussed earlier, at very low K values.
13 Such floors, once detected, will already be well above
14 any K value that you might be looking at here.

15 And this is to give you a feel for a
16 generic calculation of what that ID axial crack growth
17 would look like. The Y axis here is showing the depth
18 of the axial ID crack initially, and this is showing
19 the calculated operating time to reach a 12 millimeter
20 deep crack, which would be 75 percent through wall
21 acceptance limit in the nozzle, to give you a feel for
22 the sort of way in which this would pan out.

23 MEMBER WALLIS: There's a lot of
24 uncertainty in this, isn't there?

25 MR. HICKLING: There's a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assumptions I would say is perhaps a better word as
2 well rather than --

3 MEMBER WALLIS: I don't know how you can
4 get one curve from that tremendously uncertain data
5 without showing many curves or something.

6 MR. HICKLING: Well, the way we get to a
7 single curve is defined because of the way we've
8 defined the curve. I think the question is what
9 uncertainty remains in the analysis.

10 For example, we've assumed in this
11 particular case a particular K value based on a
12 residual stress here. Now, this is a generic
13 calculation. It's purely an example calculation,
14 nothing else.

15 In any application of this, we'd expect
16 that a found floor would be dispositioned correctly in
17 terms of the best possible stress analysis to reduce
18 the uncertainty, for example, in --

19 MEMBER KRESS: Yeah, but I would have also
20 expected for a specific case for the decision maker to
21 make an appropriate decision, you would have a set of
22 curves for the distribution of the uncertainty about
23 that curve.

24 MR. HICKLING: Not in terms of the
25 deterministic approach, no.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Well, yeah, but that's one
2 of our problems with the deterministic approach. We
3 never know what the uncertainties are, and the
4 uncertainties are what drive our decision making
5 process.

6 You know, if that curve had uncertainty
7 bounds on it, five and 95 percentile or something,
8 then as a decision maker I'd have enough information
9 to at least think about what decision I want to make,
10 and you could do that with the database you have.
11 It's inherent in it.

12 Pardon?

13 MEMBER APOSTOLAKIS: We're going to
14 discuss this this afternoon.

15 MEMBER LEITCH: I'm afraid I don't
16 understand how that curve would be used. Maybe I
17 don't understand the axes.

18 MR. HICKLING: In an actual plant
19 situation, you would detect with NDE a crack which you
20 would size as best as you possibly could.

21 MEMBER LEITCH: Right.

22 MR. HICKLING: And here we're saying that
23 we might size it as let's take an example and size it
24 at four millimeter depth (phonetic).

25 MEMBER LEITCH: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HICKLING: You do the best possible
2 analysis you could of the residual stress driving that
3 crack based on all sorts of things, including nozzle
4 downhill angle and all of the other things you might
5 be able to put into that to get your K value, which
6 would feed into the equation here.

7 You'd adjust your head temperature to the
8 correct value for the actual plant, and you'd then
9 read across and determine that without adding any
10 subsequent conservatism, which you would almost
11 certainly want to do; the prediction from the MRP
12 crack growth rate curve would be perhaps in that case
13 that you would need something like 16 months or 15
14 months for that crack to have grown from four
15 millimeters deep to 12 millimeters deep.

16 MEMBER LEITCH: Okay.

17 MEMBER KRESS: And that's part of the
18 analysis you make to determine whether you can
19 continue operating in a certain amount of time.

20 MEMBER BONACA: So that curve will shift.

21 MEMBER ROSEN: Well, if you have an 18-
22 month cycle, you look on that curve and see if your
23 operating time is greater than 18 months and it says
24 it is; then you can run the cycle.

25 MEMBER BONACA: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HICKLING: That's a good point. This
2 is the temperature of what we regard as the hottest
3 head, which might be actually applicable.

4 MEMBER APOSTOLAKIS: But is there any
5 reason to believe that this curve is conservative? I
6 mean, in a deterministic world at least you want to
7 have something conservative.

8 Is it conservative?

9 MR. HICKLING: There are some
10 conservatisms inherent in the derivation of the curve.
11 That's the point I was trying to make earlier.
12 Whether or not it's a conservative curve is a global
13 question which is very difficult to answer.

14 We consider that it's a representative
15 curve for some of the heats which are more likely to
16 crack because remember it's the 75th percentile, not
17 the 50th, of our database.

18 Could I just go quickly over the very
19 final slide?

20 There is no intention, I think, in the
21 industry to try and disposition OD cracks which are
22 actually found. Going back to what we talked about
23 right at the very beginning, if we were talking about
24 hypothetical calculations, we would recommend that
25 this factor of two, which represents the uncertainty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the chemical environment be put onto that curve.

2 And a subgroup of the experts did look at
3 the experience. We still think the arguments as I
4 mentioned that we put forward on the environment are
5 valid in the non-Davis-Besse situation, which we
6 consider to be the usual case which has been found to
7 date.

8 However, last slide Christine.

9 It wouldn't be valid, and we're not
10 claiming that it would be if the leak rates were
11 sufficiently high to get a large, local decrease in
12 temperature, cavity formation, and steel.

13 That brings up the question: what would
14 happen with stress corrosion cracking of Alloy 600 in
15 that case?

16 And that takes me back to this point I
17 mentioned earlier, that in general, we think of Alloy
18 600 as being very resistant to cracking in acid media.
19 There's very little data available. What there is
20 shows that in order to get cracking in concentrated
21 boric acid, you need quite high levels of both oxygen
22 and chloride contamination, not just one or the other.

23 And interestingly, the effects at N was at
24 intermediate temperatures, suggesting that we're now
25 in a different type of Alloy 600 cracking, not the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 primary water stress corrosion cracking we've been
2 talking about.

3 And that's all I had.

4 CO-CHAIRMAN FORD: Thank you very much,
5 John.

6 MEMBER KRESS: The factor of two that's
7 put on there, because of chemistry uncertainties,
8 strikes me as being a little strange in view of the
9 uncertainties in the data about getting the curve in
10 the first place. It's just overwhelmed by the --

11 MR. HICKLING: It's handling a different
12 situation.

13 MEMBER SHACK: It moved the whole
14 population is the theory.

15 MR. HICKLING: Yes.

16 MEMBER SHACK: On any crack growth rate of
17 heat, it's insignificant compared to the variation
18 between heats, but if you're moving the whole
19 population.

20 MEMBER KRESS: I'll have to think about
21 that one. I still think it's gilding the lily.

22 CO-CHAIRMAN FORD: John, thank you very
23 much indeed.

24 I'd like us to go into recess until
25 quarter to one when we'll start again. Quarter to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one, guys.

2 (Whereupon, at 12:04 p.m., the meeting was
3 recessed for lunch, to reconvene at 12:45 p.m., the
4 same day.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 (12:49 p.m.)

3 CO-CHAIRMAN FORD: Okay. We're back in
4 session.

5 We're going to start with the technical
6 assessment of Davis-Besse's degradation. Am I
7 correct?

8 MS. KING: Yes, you are correct. I do
9 have both presentations for you, and in your packets,
10 this would be Slide 81, about three quarters of the
11 way back. And we will come back to the fracture
12 mechanics.

13 MS. WESTON: If I may, some of the slides
14 and tables are in your book starting at page 131.

15 MEMBER APOSTOLAKIS: So when you said the
16 81?

17 MEMBER KRESS: The package of slides.

18 MEMBER APOSTOLAKIS: This package, yes.
19 Okay.

20 MR. WHITE: Good afternoon, everyone. My
21 name is Glenn White, and I'm with Dominion
22 Engineering.

23 Since March 22nd, Dominion Engineering has
24 been supporting the Electric Power Research Institute
25 and the Materials Reliability Program on assessing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Davis-Besse experience. Specifically we've been
2 trying to understand, based on calculations, analysis
3 work, and also looking at experimental data that's
4 available, what the degradation progression was at
5 Davis-Besse.

6 MS. KING: We're in animate mode. Let me
7 fix it real quick. Go ahead.

8 MEMBER APOSTOLAKIS: Show without a
9 dimension. See that on the left at the bottom?

10 MS. KING: Thank you very much.

11 There we go.

12 MR. WHITE: Okay. The presentation that
13 I have prepared that's in the packet here is
14 approximately 15 slides of material that summarizes
15 the various mechanisms that could possibly be active
16 and summarizes our conclusions as to what we believe
17 happened at Davis-Besse, what the likely progression
18 of degradation was.

19 Two weeks ago at an NRC meeting with some
20 of the NRR staff and research staff, I presented a
21 longer presentation, 63 slides. That presentation is
22 available on the NRC Web site, and we have that as
23 back-up material for this discussion.

24 So if there are questions that get into
25 particular areas, I'm prepared to answer them using

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that longer presentation, but the original time
2 allotment for my talk was only a half hour. So that's
3 why they're sticking to the 15 slides in the packet.

4 MS. WESTON: Glenn, they have copies of
5 that package in the notebook.

6 MR. WHITE: Okay.

7 MS. WESTON: They have the whole package.

8 MR. WHITE: Great, perfect.

9 I'm going to start off talking about the
10 purpose of this work, the approach that is called for,
11 and then get into the individual mechanisms briefly,
12 as I said, and then outline what the likely
13 degradation progression was based on our analysis
14 work, supplemented with experience and experimental
15 results, and then also touch on the most relevant
16 experimental test that had been performed in the past
17 because I think it's important to touch on that.

18 We've done work to try to quantify the
19 chemical environment and the thermal hydraulic
20 environment along the leak path in the annulus on the
21 OD of the nozzle, and so there are a lot of other
22 analyses that we can get into, as I say.

23 So if we go to the next slide, the purpose
24 here is to answer two main questions that have been
25 put forth. The first one is if there is significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 degradation it will be detectable visually, by doing
2 a visual inspection of the region above the head.

3 And the unit could be detectable a couple
4 of different ways. One, you might see a void directly
5 so that you could see the wastage directly.

6 But the other way, you could infer that
7 there might be wastage that would require a closer
8 look if you found a significant amount of deposits,
9 either boron deposits or some corrosion product
10 deposits. So that's the first main question.

11 The second main question has been put
12 forth is what is the time scale of this process
13 following initiation of a through wall leak. Is there
14 a period of time that we all have assurance that we
15 can't reach unacceptable wastage? That's the second
16 question.

17 A related question to that is: what is an
18 unacceptable level of wastage, and I'm not directly
19 addressing that in this presentation here because it's
20 a closely related, but a slightly different subject
21 that really goes to the structural stress
22 calculations.

23 What I'm going to be concentrating on is
24 the degradation progression, the environment in the
25 annulus, and the various corrosion and potentially

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 erosion mechanisms. But on the question of what is
2 acceptable, I will mention that in the early '90s, in
3 the '93 time span, the three owners' groups did finite
4 element analyses taking out a certain volume of the --
5 actually six cubic inches of volume of the low alloy
6 steel head, and they did that using different
7 geometries of the assumed loss, different aspect
8 ratios of the voids.

9 And at that time it was determined that
10 six cubic inches allows the code margins to be
11 maintained.

12 MEMBER WALLIS: It depends how it's
13 removed.

14 MR. WHITE: It depends how it's removed,
15 but each owners' group took two or three different
16 bounding assumptions. So based on those --

17 MEMBER WALLIS: But if it's a straight
18 hull, it's very different from taking off six cubic
19 inches all the way around.

20 MR. WHITE: Yes. For example, it would
21 take all six cubic inches along the other surface, the
22 top surface of the head, or you could take the six
23 cubic inches along the bore, and no matter how they
24 were taken out, the stressors are still within code
25 margins.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: That's assuming you had a
2 lined head?

3 MR. WHITE: Assuming different geometries,
4 different bounding geometries is what they did.

5 Since that time, we have just recently
6 begun to look at this question of what is acceptable
7 wastage, and Dominion Engineering has performed some
8 preliminary finite element analyses, taking out some
9 of the elements that make up the head, and the
10 conclusion from that work is that it's most likely
11 significantly more than six cubic inches can be lost
12 and still the primary membrane stresses will still be
13 below the code allowable stress intensity values.

14 And just mentioning because this is a
15 related question --

16 MEMBER WALLIS: This is with the stainless
17 steel liner, cladding?

18 MR. WHITE: The cladding is a second
19 question. The first thing we did --

20 MEMBER WALLIS: Well, without your
21 cladding you could make a hole six cubic inches,
22 couldn't you? You could drill a hole through it and
23 remove six cubic inches. You have a small LOCA that's
24 all

25 MR. WHITE: We've also looked at the issue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the cladding, and I believe later this afternoon
2 there will be some discussion about the margins in
3 terms of the cladding for Davis-Besse, and there,
4 again, there could be a significantly large area where
5 the cladding is retaining the pressure.

6 MEMBER WALLIS: Okay. So like 200 inches
7 at Davis-Besse?

8 MR. WHITE: Yes, approaching 200 cubic
9 inches of material loss at Davis-Besse, and I'm going
10 to put that in the context of the progression in some
11 other slides here.

12 Okay. The basic approach is to examine
13 how the various conceivable mechanisms and material
14 loss change as the leak rate increases. Through our
15 analysis work, what we found is it's really the rate
16 is the controlling parameter for two main reasons
17 which are shown down here.

18 Number one, the level of cooling. When
19 you start with primary water, it has a certain
20 enthalpy, about 613 BTUs per pound. If you have
21 saturated steam at atmospheric pressure, its enthalpy
22 is higher. So you need to have some heat input in
23 order to completely boil off that primary water.

24 But the primary water because of the
25 temperature and the pressure, it does have enough

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enthalpy to boil itself through flashing all the way to
2 45 percent quality, assuming atmospheric pressure.

3 To get from the 45 percent quality all the
4 way up to 100 percent quality, you need a heat input,
5 and obviously that heat input is proportional to the
6 size of the leak rate. So the higher the leak rate,
7 the higher the heat sync, the more local cooling. The
8 more local cooling you have, the more ability there is
9 for liquid to exist in that annulus, and it's the
10 liquid environment which is potentially corrosive to
11 the low alloy steel.

12 The second point are the velocities, the
13 magnitude of the velocities. For very low leak rates,
14 velocity, just a simple average mass balance velocity
15 calculations show very small velocities which are not
16 consistent with erosion or potentially flow
17 accelerated corrosion mechanisms.

18 So, a gain, the leak rate is the
19 controlling parameter in terms of the potential for
20 erosion or flow accelerated corrosion. So that's why
21 we concentrate on varying the leak rate.

22 Okay. Go to the next slide.

23 The leak rate also has another important
24 determining characteristic, and that is the leak rate
25 determines the magnitude of deposits that will exit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the pressure boundary. As we've heard, of course, the
2 concentration of boron in the primary waters decreases
3 over the fuel cycle from in the neighborhood of 2,000
4 ppm down towards 100 ppm, in some cases lower than
5 that, ten, five ppm at some plants right at the end of
6 the fuel cycle.

7 But if you integrate over the same time
8 period for two different leak rates, you'll get the
9 amount of deposits being proportional to the leak
10 rate.

11 The bottom line here from the analysis is
12 that we integrate all of the results together to
13 determine the time frame for significant degradation
14 and then correlate the volume of wastage, material
15 loss of the head versus the volume of deposits
16 produced, and, for example, at Davis-Besse it has been
17 reported that there were 900 pounds of boron deposits
18 on top of the head.

19 So we're trying to do analysis work in
20 order to try to show how much wastage you would expect
21 as the amount of deposits on the head. Obviously
22 hundreds of pounds in deposits should be readily
23 visible on top of the head. Much smaller amounts of
24 deposits may require the insulation to be removed.

25 All right. The material loss mechanisms.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If we go to the next slide, we start off on the
2 corrosion or the chemical type of mechanisms. The
3 first one here --I'll just briefly touch on each one
4 of these -- boric acid corrosion.

5 In the leak process, you can have a
6 concentration occurring due to the boiling, flashing
7 and boiling, process which tends to concentrate the
8 boron. So you can end up with a concentrated boric
9 acid solution.

10 However, if there's no oxygen, typically
11 these sort of de-aerated boric acid tests of low alloy
12 steel show very low corrosion rates. So that's the
13 first thing to keep in mind.

14 The second potential mechanism here is
15 deposits themselves. Could they be corrosive without
16 liquid?

17 And there have been some tests that have
18 been attempted with some deposits on top of low alloy
19 steel and found to be very mildly corrosive in a human
20 environment. So that's the second potential
21 mechanism.

22 Then we do have a crevice geometry here.
23 We have the annulus. So potentially there could be a
24 crevice corrosion mechanism. Crevice corrosion is a
25 mechanism that's of concern in marine applications

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 often. It's also a concern with the waste packaging
2 at Yucca Mountain.

3 So we've looked at crevice corrosion as a
4 potentially significant mechanism.

5 We also have, as mentioned before, the low
6 alloy steel is in contact with the Alloy 600 nozzle.
7 So there's a galvanic couple, and perhaps that could
8 drive a corrosion mechanism. Where that coupling, the
9 low alloy steel will raise the corrosion potential or
10 the Alloy 600 will raise the corrosion potential of
11 the low alloy steel and provide the driving force for
12 the corrosion. So we've also looked at that.

13 Then the next mechanism coming down the
14 list here is classic boric acid corrosion. Now we
15 have an aerated environment. There have been many
16 tests performed in this sort of environment. They're
17 documented in the boric acid corrosion guide book
18 that's been published by EPRI , and you can have up to
19 one to five inches per year of corrosion shown in
20 these tests where you have oxygen that's in the
21 solution.

22 Lastly here, molten boric acid corrosion.
23 Boric acid deposits have a melting temperature of
24 about 340 Fahrenheit. So even without water, you can
25 have a liquid at the higher temperatures, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question becomes: how corrosive is that liquid? And
2 so I'll have some comments on that molten salt type
3 corrosion.

4 And this slide here are the flow type,
5 velocity type mechanisms here, and the first one being
6 flow accelerated corrosion. That's a possibility
7 depending on whether or not there's a magnetite layer
8 that may form on the low alloy steel. This is, of
9 course, a mechanism that is seen on the secondary
10 plant in the piping. So we've examined looking at the
11 possibility of that having an influence on the
12 development of the process.

13 And then there are more just the straight
14 erosion type mechanisms, flashing induced erosion. If
15 we think about gaskets that can develop leaks, you may
16 have a local region that may be a somewhat analogous
17 situation here with erosion.

18 You hear the term "steam cutting erosion."
19 That's just really another term for flashing induced
20 erosion. We have water droplets. So, therefore, the
21 term "droplet impingement erosion."

22 Single phase erosion of steam velocities
23 as you boil water off all of the water content in
24 single phase steam and potentially you might have
25 velocities of the steam and potentially that could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead to a single phase erosion.

2 So that's an introduction to all of the
3 mechanisms that we could come up with for removing
4 material.

5 This matrix here is a preliminary take
6 based on the last two months of work on how these
7 mechanisms may stack up in terms of which ones are
8 active. As I mentioned, the first two have low rates.
9 So we don't think they play a major role in the
10 progression.

11 Then we get to single phase erosion. We
12 start with an initially tight annulus, a gap on the
13 order of 1/1000 of an inch radially there or perhaps
14 tighter. So initially if you have a leak, it may lead
15 to velocities high enough to get erosion.

16 Now, once that annulus would open up, then
17 the velocities would be reduced because of the greater
18 flow area. So perhaps for the initial tight annulus
19 the single phase erosion could be a factor or
20 impingement erosion also.

21 I've got full accelerated corrosion listed
22 here if the velocities are high enough. Crevice
23 corrosion. I can say that this is not a classic
24 crevice corrosion type system here because crevice
25 corrosion is typically associated with materials that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 passivate (phonetic), like stainless steels.

2 If we had -- crevice corrosion is driven
3 by a chemical process where the anodic corrosion
4 reaction occurs deep down in the crevice, but the
5 cathodic reaction occurs away at the exposed surface
6 on top of the head. If there was a liquid film up on
7 the top surface of the head, potentially you could
8 have the driver for a corrosion circuit from the
9 outside to the inside deep down in the annulus.

10 However, in our case, if there's going to
11 be a significant water film on the outside of the
12 head, in the top head surface, then we would expect
13 there also to be deposits in an acidic environment,
14 which would lead to significant corrosion rates
15 themselves. So it would act as an anodic site up on
16 the outside. So we don't see this separation of the
17 cathode and anode excites in the low alloy steel due
18 to the crevice corrosion, provided that you have the
19 acidic environment on the outside of the head.

20 But the next mechanism here, galvanic
21 corrosion in the secluded type geometry may be more of
22 a possibility. We do have the coupling from the low
23 alloy steel to the Alloy 600, and that potentially
24 does give you a driver for the corrosion.

25 However, there isn't enough data available

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the literature to try to quantify the magnitude of
2 that mechanism. There just hasn't been a lot done
3 with low alloy steels and boric acid type environments
4 with things to measure polarization curves and so on.
5 We haven't addressed that from a basic corrosion
6 science standpoint yet.

7 Molten boric acid corrosion here. I'm
8 saying that it's possible, but we expect lower rates.
9 There isn't a lot of available data experimentally in
10 terms of trying to measure its corrosivity for low
11 alloy steel. However, if we look at the basic
12 corrosion chemistry there, we know that the molten
13 boric acid has a lower -- the solubility of corrosion
14 products are lower in molten boric acid than in
15 aqueous solutions. So that's one factor.

16 Electrical conductivities are likely to be
17 lower in molten boric acid, and also the oxygen and
18 hydrogen ion concentrations are also likely to be
19 lower in a molten salt type solution.

20 So for some fundamental reasons we believe
21 that the molten boric acid corrosion is unlikely to
22 produce the one to five inches per year that has been
23 observed with the aerated concentrated boric acid
24 solutions, but it's still something that has to be
25 looked at.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. So that takes care of this slide
2 here. This next slide here really sums up the
3 analyses that have been done in terms of understanding
4 the chemical environment, looking at the pH through
5 multi-Q calculations.

6 MS. WESTON: It's page 139 in the book.

7 MR. WHITE: And we've also performed
8 thermal hydraulic calculations and heat transfer
9 calculations to try to quantify the temperature as a
10 function of the leak rate. We've calculated
11 velocities as a function of leak rate, wall shear
12 stresses, as I mentioned, the pH under various
13 conditions.

14 So putting all of those things together,
15 we've developed this degradation progression here
16 which really goes from the left side of the slide to
17 the right side of the slide as the leak rate may
18 increase over time.

19 The top row of boxes here has a nozzle or
20 weld condition. Early in time you would just start
21 out with a leak path to the annulus, but in a very
22 small leak.

23 As that crack growth continues, that leak
24 -- an axial through wall crack may reach above the top
25 of the weld for a significant distance. At Davis-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Besse, which would be associated with the far right
2 area here, there was an axial through wall crack that
3 reached .9 inches above the top of the weld on the
4 nozzle ID and 1.2 inches above the top of the weld on
5 the nozzle OD.

6 So there was a leak path that extended all
7 the way through the nozzle a significant distance
8 above the top of the weld and leak rate calculations
9 that we performed as part of this work have shown that
10 should result in a high leak rate, meaning on the
11 order of .1 gpm, which is consistent with all of the
12 evidence for the Davis-Besse nozzle number three.

13 So we have growing cracks, increasing leak
14 rate as we go from left to right across the page here.

15 MEMBER SHACK: Now, what does the pressure
16 drop look like, say, with that .9 inch crack and I
17 have a pressure drop across the crack into the annulus
18 and then I have the annulus -- the interference fit to
19 the atmosphere? What's the pressure drop across the
20 crack and then across the interference fit?

21 MR. WHITE: Well, I do have some slides on
22 that, but I don't want to go right to them. What I
23 would say is initially when you have that very tight
24 initial annulus of a mil, a half a mil or so, you may
25 have also a significant pressure drop in the annulus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 itself.

2 But as the annulus tends -- as you begin
3 to have some material loss, very quickly you'll reach
4 a couple mils radial gap and the calculations show
5 that you basically have atmospheric pressure at a very
6 large range of leak rates in that annulus.

7 So fairly early in the process we believe
8 that we essentially have atmospheric pressure in the
9 annulus, and really the choke point in the flow is at
10 the exit of the crack.

11 And that's what I'm showing here on this
12 line, is the annulus condition. Here possibly
13 hypothetically starting off clogged, but then opening
14 up and allowing more and more flow through, but it's
15 really the crack that's more the governing resistance
16 to the flow.

17 Leak rates here. Well, we'll start over
18 there. We have a hypothetical zero leak rate.
19 Contrary to experience, we had a nozzle with a leak
20 path type crack, in other words, a leak path reaching
21 to the annulus, but there was no actual flow making it
22 to the outside to the top of the head. Then we would
23 have a hypothetical zero leak rate, and this column
24 addresses that situation.

25 As we go to the right, we're increasing in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leak rate, .001 gpm, .01 gpm as we move to the right,
2 and then up to the point greater than .1 gpm on the
3 far right.

4 MEMBER ROSEN: Why do you say in your
5 first column that you will at least have some small
6 amount extruded in that circumstance? This is the
7 classic stealth crack that we worried about.

8 MR. WHITE: Well, just thinking that if
9 you're going to precipitate and go up the annulus, you
10 should be pushing out a small amount. I'm not
11 claiming how visible that's going to be.

12 MEMBER ROSEN: Pardon me?

13 MR. WHITE: I'm not claiming how visible
14 that amount will be. I'm just saying that you have a
15 clogged up annulus with --

16 MEMBER ROSEN: It could stay subsurface
17 you're saying. It says here at least a small amount
18 is extruded . Presumably you mean outside the crack
19 in the annulus. The extrusion results in deposits
20 that are visible.

21 MR. WHITE: Right. Well, as I say --

22 MEMBER ROSEN: It's your chart. I'm just
23 asking what you mean by that.

24 MR. WHITE: What the real experience has
25 been over here in this chart, in this column over

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here, we do have small amounts of deposits that come
2 up that correspond to small leak rates.

3 MEMBER ROSEN: I don't think I agree with
4 you that it's been in the second column. That column
5 has a bottom line of seven pounds, and we've seen
6 pictures where there were very small amounts.

7 MR. WHITE: Less than seven pounds.

8 MEMBER ROSEN: Sure.

9 MR. WHITE: Yeah, much less, yeah.

10 MEMBER ROSEN: So the column on the left
11 was what was operating in those conditions. We had a
12 lot less than seven pounds, and I'm trying to examine
13 what happens down at the end --

14 MR. WHITE: Right.

15 MEMBER ROSEN: -- the boundary of that.

16 MR. WHITE: So let me talk about if there
17 is a zero leak rate what happens and you don't have
18 significant deposits that come out.

19 In that situation, in a hypothetical
20 situation, we have no velocity. so you have no
21 erosion type mechanisms that could be active, and you
22 would have no cooling going on. So you would have a
23 crevice environment there that's at 600 degrees
24 approximately, the primary temperature.

25 But since this is a clogged annulus up to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the point where the clogging is, you're going to have
2 pressurized water at the primary pressure. You're not
3 having any boiling going on because there's no flow.
4 If there was boiling, there would have to be a leak
5 that would be actively going to the outside.

6 So there is no vaporization driven
7 concentration mechanism with no flow at all, and then
8 as we heard earlier in John Hickling's talk, there's
9 not going to be oxygen down in that crevice
10 environment. So there aren't the conditions that
11 would produce -- the corrosion rates would be limited
12 to the low corrosion rates that had been measured for
13 de-aerated environments, and without a large
14 concentrating mechanism it should be even less than
15 most of those tests which were done in concentrated
16 boric acid conditions.

17 MEMBER WALLIS: If I remember correctly,
18 the analyses that were done to preclude oxygen at the
19 bottom of the annulus were done for fairly tight
20 crevices and straight fits that you have --

21 MR. WHITE: Right.

22 MEMBER WALLIS: -- in these designs. In
23 order to get to the right of that diagram, to get your
24 temperature down, which you will need for the high
25 corrosion rates, does that preclusion of oxygen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis still hold for the fairly wide annuli that
2 you're going to need to have the flurry?

3 MR. WHITE: No. Well, as we move all the
4 way to the right here, aerated boric acid corrosion
5 once you have something that opens up to the problem,
6 you definitely would have the aerated boric acid
7 corrosion as --

8 MEMBER WALLIS: Oh, okay.

9 MR. WHITE: The question becomes: at what
10 point does the oxygen get down into the crevice? It's
11 obviously between those two points, and at this point
12 we just can't say exactly where that point is based on
13 the work that's been done so far.

14 MEMBER WALLIS: Okay.

15 MR. WHITE: It's just when you're very
16 hot, the hot iron is going to be very efficient at
17 taking out the oxygen. It's when you have the cooling
18 and the opening up together and the higher velocities
19 and the eddies that could form. Then you could start
20 to have oxygen coming down deep into the crevice.

21 MEMBER ROSEN: So to finish this
22 discussion, the stealth cracking mechanism that has
23 been postulated that what we saw at Davis-Besse could
24 be going on under the surface, in your own words now,
25 how likely is that here?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WHITE: Well, the work shows that it's
2 unlikely, taking in turn first the case of no leak
3 rate at all, having a pressurized annulus with single
4 phase liquid without a big driver for concentration
5 and no oxygen. That would have no active mechanisms.

6 As we move towards small leak rates, ten
7 to the minus six gpm, ten to the minus five gpm, for
8 much of the cracking we see on the order of a cubic
9 inch of deposits that corresponds to a gallon of
10 leakage in a year. That's two times ten to the minus
11 six gpm.

12 So as we approach ten to the minus five
13 gpm, when you do the heat transfer calculations, you
14 don't get the cooling. So what's going to happen is
15 that that annulus is going to boil dry immediately
16 right near the bottom of the crack, right near the
17 bottom of the annulus at the crack. So there isn't
18 going to be liquid over a significant volume or height
19 inside that annulus. So that's really what's
20 preventing corrosion mechanisms that may potentially
21 occur in the absence of oxygen from really being
22 significant.

23 I mean, this is just consistent with all
24 of the experience out there for very small leaks that
25 show minimal material loss. You don't have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 velocity mechanisms, and you don't have very much
2 liquid around at all. Perhaps it's all boiling dry
3 low in the annulus, and you need that liquid even to
4 get something like a galvanic type mechanism going.

5 CO-CHAIRMAN FORD: If I go from the left-
6 hand side and approach the right-hand side, you're
7 having more and more conjoint requirements that are
8 necessary to get a Davis-Besse situation on the right-
9 hand side.

10 MR. WHITE: Yeah, you're --

11 CO-CHAIRMAN FORD: And because there are
12 so many conjoint requirements, annulus size, exposed
13 crack length, leak rate into the annulus. So you're
14 precluding the possibility of this being a generic
15 phenomenon.

16 However, you don't have to be on the
17 right-hand side to have a real bad situation. Those
18 EPRI and CE tests were one inch per year. So you've
19 only got to get over to the middle column before
20 you've got potentially a fleet wide problem.

21 I use that obviously to make a point.
22 It's not an isolated set of criteria that you need.
23 Am I overstating it?

24 MR. WHITE: If I were to draw this down
25 here, these tasks that are on the upcoming slides, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would probably draw this more towards this range. We
2 can go over the actual leak rates in these tests, but
3 they were closer to the .01 to .1 gpm.

4 There was one test down at .002 gpm by
5 Combustion Engineering that had a significantly lower
6 rate of corrosion than the other test at .01 and .1.
7 So it's really the .01 number that I'm taking from
8 those tests as being sort of a critical value based on
9 that.

10 At Davis-Besse we believe that the leak
11 was between .04 and .15 gpm based on the unidentified
12 leakage, based on the mass of deposits that were
13 observed, and other indicators. So that would put it
14 all the way off to the right there.

15 MEMBER WALLIS: There seem to be various
16 things I'd like to know more about. I don't know the
17 details of your analysis, but the way in which the
18 annulus clogs or doesn't clog or periodically extrudes
19 whatever is in there, is that just hypothetical?

20 One could postulate all kinds of things
21 that could happen in an annulus in terms of deposits
22 and the way they can be pushed out or slowly slide out
23 or do various things.

24 MR. WHITE: Yeah, one possibility is that
25 when the head cools you have the difference in cold

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fission or thermal expansion. So the annulus tightens
2 up, and as it depressurizes, at that point the annulus
3 comes back to that interference.

4 MEMBER WALLIS: It could slowly flow out
5 although it's apparently solid. It could slowly be
6 extruded from the --

7 MR. WHITE: Right, being in molten form.
8 What we're saying though here is we're trying to show
9 that regardless of those details, without having a
10 liquid high up in the annulus and without having any
11 velocities to speak of, there are no credible active
12 mechanisms.

13 MEMBER WALLIS: Why is the velocity coming
14 out of this hole zero feet a second and not 1,000 feet
15 a second?

16 MR. WHITE: Well, if you're postulating
17 that the annulus is completely blocked up.

18 MEMBER WALLIS: No, it's a crack. It's
19 coming out of the crack. The crack tip goes through,
20 and the velocity -- it says liquid velocity exiting
21 the crack. It's coming out of the crack. So if we
22 had a fairly broad crack and as it breaks through,
23 what is it going to say, a sonic flow at the exit
24 poll? Why is it such a low velocity coming out of the
25 crack?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WHITE: As we increase the leak rate,
2 you're asking about the --

3 MEMBER WALLIS: Well, even at the
4 beginning. I mean at any time why is it so low? Why
5 isn't it -- why couldn't it be much higher at the
6 beginning?

7 MR. WHITE: Well, if we took the -- should
8 we put up the slide?

9 MEMBER WALLIS: Maybe even do just a
10 calculation of flow through very long, very fine tube
11 of a flashing liquid. It takes a pretty long tube
12 before you stop getting choking at the exit from the
13 tube.

14 MR. WHITE: Let's show you what the --

15 MEMBER WALLIS: Maybe it's too complicated
16 to get into now, but I'm surprised that you couldn't
17 get a much higher velocity under these circumstances.

18 MR. WHITE: Go to 544 in the other
19 presentation.

20 MEMBER WALLIS: It depends a bit upon the
21 shape of the crack. You do it as a two-phase
22 calculation of the flow in the crack?

23 MR. WHITE: Right. What we're really
24 looking at here is we took as a flow area the area
25 opposite the crack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Well, if you're using
2 Moody and Fauske and HEM, aren't those models for
3 choking?

4 MR. WHITE: No.

5 MEMBER WALLIS: Critical flow? Yeah,
6 that's what Moody and Fauske deal with, critical flow.

7 MR. WHITE: These are just slip models
8 we're just using. We're just assuming two-phased flow
9 in a pipe, for example.

10 MEMBER WALLIS: Well, you're using a
11 square root of density ratio.

12 MR. WHITE: Yes, right, right. Just to
13 get a handle on the velocities, we were interested in
14 the velocities not right at the crack exit, but --

15 MEMBER WALLIS: You're basing it on the
16 shape of the crack, not just on the --

17 MR. WHITE: Yes.

18 MEMBER WALLIS: -- flow rate.

19 MR. WHITE: I agree, I agree. As a first
20 cut, we wanted to get some --

21 MEMBER WALLIS: So you assume something
22 about the shape of the crack?

23 MR. WHITE: No. All we did was we took
24 the flow area as the area opposite the crack. As the
25 flow turns, it's going to expand.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Opposite the crack? No,
2 it isn't. What matters is the flow and the area in
3 the crack itself.

4 MEMBER SHACK: This chart is showing a
5 leak rate through the crack of a given amount. This
6 is the annulus velocity that you would get.

7 MR. WHITE: Right, as you're --

8 MEMBER WALLIS: It says here exiting
9 crack. Maybe it's the words that are wrong.

10 MR. WHITE: I agree.

11 MEMBER WALLIS: If you were saying the
12 velocity in the annulus -- I agree the velocity in the
13 annulus could be low, but the jet coming out of that
14 crack could conceivably be sonic, and that's going to
15 do something in that annulus presumably.

16 MEMBER ROSEN: Graham.

17 MEMBER WALLIS: Yes.

18 MEMBER ROSEN: I have a slightly different
19 model that at the crack itself, you know, is a very
20 labyrinth kind of thing, and it functions as a
21 breakdown orifice.

22 MEMBER WALLIS: It's like a porous median,
23 and then it maybe breaks through the outside, a little
24 hold.

25 MEMBER ROSEN: Just barely, and there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 almost no -- the pressure drop through this labyrinth
2 and pathway is enough to --

3 MEMBER WALLIS: Well, maybe it is.

4 MEMBER ROSEN: -- initially create --
5 there's no velocity at all. I mean as it first breaks
6 through, it just drips.

7 MEMBER WALLIS: It certainly doesn't drip.
8 It may come out with steam.

9 MEMBER ROSEN: Yeah, well, it flashes. I
10 mean a little bit of liquid which is completely broken
11 down; pressure that's completely broken down in this
12 labyrinth --

13 MEMBER WALLIS: Well, that's your picture
14 of it.

15 MEMBER ROSEN: -- drips out, drips and
16 flashes.

17 MEMBER WALLIS: That's your picture of it.

18 MEMBER ROSEN: Yeah.

19 MEMBER WALLIS: I'd like to know what the
20 reality is.

21 MEMBER ROSEN: Well, I'm just saying that
22 there's a way to think about it that creates very low
23 velocity.

24 MEMBER WALLIS: Yeah, but there's also a
25 way to think about it that gives you 1,000 feet a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 second or so.

2 MR. WHITE: We've done calculations to try
3 to calculate the crack opening area. So we can use
4 those to give you some velocities also.

5 CO-CHAIRMAN FORD: If I could suggest we
6 don't do that right now.

7 MR. WHITE: Okay.

8 (Laughter.)

9 CO-CHAIRMAN FORD: Time and what I want
10 the committee to understand is where they are in this
11 overall approach. There are hundreds of questions,
12 and you get the idea.

13 MEMBER WALLIS: But then they're off by a
14 factor of 10,000 in velocity, and it's interesting to
15 know.

16 CO-CHAIRMAN FORD: That's true.

17 On this diagram here, and it's the last
18 question we'll take on this one.

19 MR. WHITE: Okay.

20 CO-CHAIRMAN FORD: It's my understanding
21 the tech spec is one gallon per minute.

22 MR. WHITE: Right.

23 CO-CHAIRMAN FORD: And, therefore, all of
24 the operating plants, if they could detect, you could
25 be right over the right-hand side there and have all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of your mechanisms which would be -- have one gallon
2 per minute, absolutely okay. That's the only
3 criterion we're taking. That's correct, isn't it?

4 MR. WHITE: Well --

5 CO-CHAIRMAN FORD: I'm saying it could be
6 done at -- according to the EPRI --

7 MR. WHITE: Right.

8 CO-CHAIRMAN FORD: -- tests of one inch
9 per year, you could be down at .01 gallons.

10 MR. WHITE: The way that I look at the far
11 right of the chart here is that the calculations show
12 if you have more than .1 gpm of low, you're likely to
13 locally cool all the way down to 212, the metal. So
14 that you can have liquid that's making it all the way
15 out onto the top of the head. So there's going to be
16 a significant amount of boron deposits that are going
17 to be wetted by that liquid that's coming out, and
18 it's going to be colder.

19 There are liquids that are going to exist
20 over a certain area, and that is going to be similar
21 to situations that we're seeing at plants in the past
22 that had large leaks from up above sources that led to
23 lots of deposits and wetting the top of the head where
24 up to about a half inch of material loss has been seen
25 in the past.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And some plants in Europe have also
2 observed this with large leaks. So it may not matter
3 so much where the leak source is coming from one you
4 have a large leak here, that you can wet the top
5 surface of the head, and you could have corrosion
6 possibly occurring from the top, from the top top.

7 CO-CHAIRMAN FORD: But my point is right
8 this instant in time. Obviously there's more work
9 that has to be done, but right at this instant of
10 time, if there's any ability to your logic in that
11 diagram --

12 MR. WHITE: Right.

13 CO-CHAIRMAN FORD: -- you'd better change
14 your tech specs.

15 MR. WHITE: Well, what we're --

16 MS. KING: If you're depending upon leak
17 detection only.

18 CO-CHAIRMAN FORD: Correct.

19 MS. KING: If you're looking at leak rate
20 only, and what we're saying here is we expect there to
21 be significant visible evidence during a visual
22 examination of your head.

23 CO-CHAIRMAN FORD: Okay.

24 MR. WHITE: Yeah, it's important to put
25 this in the context of a time frame.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Right.

2 MR. WHITE: And based on the Davis-Besse
3 root cause analysis report work, it's believed that
4 the high corrosion rates were occurring for four
5 years, the last four years, roughly an inch and a half
6 of corrosion rate per year occurring.

7 But before that, it's believed that
8 another four to six years, and of course, it's not
9 possible based on all of our information to nail down
10 the exact time progression, but it's believed there
11 were another four to six years of leakage that was
12 occurring.

13 So it makes sense that as those cracks
14 grew and you had more crack opening area along that
15 crack, that you would get the higher leak rate. So
16 there still would have been the four to six years to
17 be able to detect something similar to or larger than
18 the amount of the deposits that were seen at other
19 plants.

20 MEMBER SHACK: Just coming back to that
21 then, in the four years you've got now a one inch
22 crack above the nozzle, and if you go back four years,
23 how big is the crack when you're getting significant
24 of the low alloy steel?

25 MR. WHITE: Well, it's something that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could be looked at.

2 MEMBER SHACK: Well, you know, presumably
3 with this getting -- you know, as I look at your
4 mechanism, I keep coming up to some critical leak
5 rate, which means I need a critical axial crack size,
6 which is far less than any structural limit, and your
7 argument would seem to tell me, you know, one inch
8 minus four years worth of crack growth.

9 MR. WHITE: Well, for this particular
10 crack at nozzle number three, the evidence indicates
11 led to a leak rate on the order of .1 gpm. It was
12 about an inch above the top of the weld.

13 Typical growth rates argue for about a
14 millimeter per year to perhaps up to five millimeters
15 per year, perhaps slightly higher based upon the
16 French experiment.

17 MEMBER SHACK: Yeah, I would say a five
18 millimeter crack.

19 MR. WHITE: Well, that would say that we
20 went up to about 25 millimeters at five millimeters
21 per year, it would have taken five years to get to
22 that point.

23 MEMBER SHACK: But significant attack then
24 starts with the five millimeter through wall crack is
25 what you're arguing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RICCARDELLA: This is Pete
2 Riccardella.

3 Bill, you know, that crack could have been
4 there for a while though because remember as the crack
5 is growing, it's growing out of the residual stress
6 field and probably slowing down in that axial
7 direction. I don't think a linear assumption on crack
8 growth is fair.

9 MR. HUNT: Let me just add one other point
10 here. We do have a number of other nozzles in other
11 plants that have cracks just under one inch that seem
12 to be consistent with the lower leak rates over on the
13 left-hand side of the chart, and one of the things
14 that we're looking at from a finite element standpoint
15 is, you know, where the transition occurs in this flow
16 rate.

17 Steve Hunt, Dominion Engineering.

18 CO-CHAIRMAN FORD: Could I just in terms
19 of managing time here? I know it's not fair to you.
20 Could you try and finish by quarter to two?

21 MR. WHITE: Sure.

22 CO-CHAIRMAN FORD: The other presentation
23 also, the main purpose being to just let everybody
24 around this table know what the concerns are, what
25 you're doing to resolve those concerns.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: Let me just add one
2 word about the applicability of leak rate tech specs
3 to this situation. If you look at the reactor coolant
4 system, there's a lot of places where it can leak a
5 little bit, and that's through interconnecting valves,
6 through other systems, through safety valves, PRVs,
7 pump seals and so forth, and generally speaking leak
8 rates like you're talking about on the head are very
9 small compared to some of these others.

10 This chart, which we haven't discussed yet
11 is the one that shows weak rate versus time. If you
12 go back three cycles and you look at the leak rates in
13 those early -- the first two cycles, the leak rate is
14 very low, which is pretty much typical of PWRs, but
15 it's probably enough to support the fact that you
16 might have had crevice leakage and annulus leakage of
17 this nozzle.

18 So just to clarify that. That's not the
19 only reason for the leak rate tech spec.

20 MS. KING: I think we discussed these.

21 MR. WHITE: Yeah, the next slides go over
22 the basic -- this one might be worth touching on here.
23 Again, this is outlining the idea that was put forth
24 by the Davis-Besse root cause team as one possibility,
25 that the material loss for nozzle three occurred more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from a top down type mechanism.

2 Perhaps these mechanisms like galvanic
3 erosion led to some growth down deep in the annulus,
4 deeper than -- greater material loss deep in the
5 annulus than at the outside, but that once the leak
6 rate reached that .1 gpm, then water would reach all
7 the way to the top, and it would have been a top-down
8 type mechanism where you have the aerated concentrated
9 boric acid corrosion.

10 As the corrosion would have moved
11 downward, then the surface area covered by liquid
12 would be less because now you would be going more into
13 a pool geometry. So this might explain the change in
14 slope at the outside of the cavity.

15 In other words, the area at the outside of
16 the head is greater than the area as you move down.

17 And then also what might produce the shape
18 of the cavity, the oblong shape, it being longer in
19 the downhill direction than the transverse direction?

20 Well, gravity would have displaced that
21 pool, the initial pool on top of the head in the
22 downhill direction, and as you move down, that could
23 explain the shape.

24 CO-CHAIRMAN FORD: So you're still having
25 no significant velocities in that pool?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WHITE: Well, once things are opened
2 up, velocities are not going to be that high.

3 CO-CHAIRMAN FORD: So this isn't a
4 solution mining type of thing where you go down there
5 and dissolve the rock with a jet of liquid? It looks
6 like it. I mean if you had a jet coming out of that
7 crack, it would make a cavity something like what was
8 observed, I would think.

9 MR. WHITE: I'm not completely discounting
10 the erosion type mechanisms. It is a possibility, but
11 we know, therefore, the aerated boric acid,
12 concentrated boric acid conditions, you can have the
13 high corrosion rates.

14 So it seems consistent that that would
15 have been the primary mechanism when you got there.

16 CO-CHAIRMAN FORD: Okay. You're about to
17 discuss those two tests. Just let me make sure we
18 know factually where we are right now. Right now you
19 come up with a series of hypotheses, qualitative
20 hypotheses enunciating the conjoint requirements to
21 get the temperature in the annulus down to a lower
22 value necessary to sustain high crack growth rates,
23 and you're relating that to leak rates from a
24 practical point of view.

25 Are there any tests planned for the near

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 term to qualify that hypothesis?

2 MR. WHITE: Well, there have been
3 discussions initiated between the MRP and NRC Research
4 as to what tests could be performed, and so we're in
5 discussions with the industry and with the NRC
6 about --

7 CO-CHAIRMAN FORD: And how urgent are
8 those?

9 MS. KING: We would expect this work to
10 identify the appropriate tests to go perform, and then
11 we would take immediate action.

12 CO-CHAIRMAN FORD: Immediate being
13 tomorrow.

14 MS. KING: Well, he needs to finish first.

15 CO-CHAIRMAN FORD: Well, I recognize that,
16 but I still say it with some -- quickly.

17 MS. KING: Quickly, yes. I don't plan to
18 wait until 2005. As soon as we can identify what the
19 appropriate tests would be, we would immediately start
20 to pursue --

21 CO-CHAIRMAN FORD: And to fill hydraulic
22 analyses. There are obviously a lot of questions on
23 thermal hydraulics in that crevice and how they change
24 with operating conditions, fit up and shrinkage,
25 ovality (phonetic), and the dimensions of annulus as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they change in time. All of them will be addressed.

2 MR. WHITE: If we go to these slides here,
3 we can go over briefly what's been done in the past.
4 This slide just touches on different types of boric
5 acid corrosion tests, but here we see some of what the
6 mock-ups look like for testing that was done sponsored
7 by EPRI back in the '96-'97 time frame with different
8 leak rates simulating an annulus geometry with
9 leakage, and if we could go to the next slide, here's
10 a specimen, one of the specimens from one of the six
11 tests. This was a leak rate of .01 gpm. The actual
12 injection point is here along this hole here. This is
13 a thermal couple probe area here.

14 But the flow came through here, and then
15 impacted on a stainless steel tube that was inside
16 this hole, and so you can see some of the corrosion
17 that occurred in this test and how it's deeper down in
18 the annulus.

19 CO-CHAIRMAN FORD: The erosion was not on
20 the impact point at this -- the back side of the
21 impact point.

22 MR. WHITE: Well, right. Here the flow is
23 coming through --

24 MEMBER ROSEN: Remember the impact is on
25 the stainless steel tube in this case.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Oh, okay, okay.

2 MR. WHITE: Here's an example of one test
3 that was performed in the past. Future tests may want
4 to look at the development of the corrosion rate
5 versus time, and there are techniques to try to
6 capture that as a function of time.

7 They could try to quantify the environment
8 carefully in terms of the temperature along the leak
9 path, in terms of the chemical composition along the
10 leak path and so on., the electrochemical potential.

11 So that's one area of potential testing.
12 Other areas would go to the properties of molten boric
13 acid, its potential for being corrosive, for looking
14 at the galvanic mechanism.

15 In this test, one could decouple the
16 stainless steel tube from the low alloy steel,
17 electrically isolate them and see if that was a major
18 factor in terms of the amount of corrosion that would
19 indicate galvanic mechanism here.

20 This slide here just summarizes that those
21 tests that were performed in the '96-'97 time frame,
22 along with tests that were performed in the late '80s
23 by Combustion Engineering of the pressurizer nozzle
24 geometry, an inverted geometry so that the nozzle was
25 facing down rather than up out of the low alloy steel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Those tests both produce similar corrosion
2 rates, two to two and a half inches per year, and one
3 key thing from this testing was that for leak rates
4 greater than .01 gpm, as the leak rate was increased,
5 actually the corrosion rate decreased, and the belief
6 is that that tends to indicate a corrosion type
7 mechanism rather than a flow erosion type mechanism
8 and the reason is believed to be that the higher flow
9 rates would flush out the impurities, and you'd get
10 actually a lower boric acid concentration because
11 you'd be with greater flow flushing out the crevice.

12 These tests had interference or I should
13 say gaps of about 5/1000 of an inch radially, which is
14 larger than the initial fit-ups for the CRDM nozzles,
15 but would be representative after that CRDM nozzle
16 annulus opened up over some time.

17 MEMBER SHACK: I'm sorry. In the CE test,
18 is that another one where the jet impacts the tube or,
19 no, the flow is coming --

20 MR. WHITE: That one they actually had a
21 crack in a steam generator tube and let the flow come
22 from inside the steam generator tube and then go into
23 the annulus and then down, and that test, although it
24 had a similar material loss rate, the location of
25 maximum corrosion was at the outside, at the exposed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 surface down at the bottom.

2 MEMBER SHACK: But at least that one you
3 did have a potential for erosion of the low allow
4 steel.

5 MR. WHITE: But the material loss didn't
6 happen up there.

7 MEMBER WALLIS: Well, this two inches per
8 year is for these particular tests.

9 MR. WHITE: Right.

10 MEMBER WALLIS: And I don't know that it's
11 being predicted theoretically.

12 MR. WHITE: No.

13 MEMBER WALLIS: So there's no reason to
14 suppose that two inches per year in this test is the
15 same as what you'd get in the reactor situation where
16 flow rates and commissions are not quite the same and
17 the geometry isn't quite the same.

18 MR. WHITE: Also, I think an important
19 factor is the amount of cooling that you get because
20 obviously it's difficult to mock up the way the
21 reactor heats the head with that large heat source.
22 In these tests, there are cartridge heaters that may
23 be used to do the heating so that the amount -- the
24 temperature drop, the local temperature along the leak
25 path could be much different.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So you mean in the absence
2 of a predictive method based on physics and chemistry.
3 I don't quite know what to do with two inches a year
4 from these tests. It could be ten inches a year or .2
5 inches a year in the reactor for similar conditions
6 because they're not going to scale it to the reactor
7 condition, unless I have some sort of a physical
8 model.

9 MR. WHITE: Well, the objective of the
10 test was to try to simulate typical conditions as much
11 as possible.

12 CO-CHAIRMAN FORD: I think the main point
13 here, Graham, is that they've done some preliminary
14 hypothetical work and come up with a potential
15 progression of events, and there's an urgent need to
16 do some confirmatory analyses and tests. I think
17 that's a fair --

18 MEMBER WALLIS: You're not going to be
19 confirming anything. You're going to be investigating
20 and --

21 CO-CHAIRMAN FORD: Well, confirming the
22 hypotheses and coming out with a prediction of what
23 happened in the actual plant.

24 MEMBER WALLIS: That's a long way to go.

25 MR. WHITE: But so far everything is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent with the experience, I'd say. The majority
2 of the leaks we've had on the order of 35 leaking
3 nozzles in the U.S. The large majority of them have
4 had small amounts of boric acid and no measurable
5 wastage or very small amounts of wastage.

6 That's consistent with not having a lot of
7 liquid in the annulus with having the temperature
8 close to the primary temperature with the low
9 velocities, and we've had the one case, much larger in
10 comparison, where the calculations showed that liquid
11 could make it all the way out into the top of the
12 head, and that's the case where we had the large
13 corrosion.

14 MEMBER WALLIS: As soon as the inspection
15 shows rivers running down the head instead of just
16 crystals coming out of the ground.

17 MR. WHITE: Right.

18 MEMBER WALLIS: That indicates there's
19 liquid up there, doesn't it?

20 I've seen all sorts of photographs. I've
21 seen these little popcorn around.

22 MR. WHITE: Right.

23 MEMBER WALLIS: And I've seen the popcorn
24 with some sort of a river down below it. That
25 indicates that there's liquid. As soon as you see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something flowing down from the --

2 MS. KING: Well, but that doesn't
3 necessarily mean -- in those photographs it does not
4 necessarily mean that the liquid -- the source was the
5 PWSCC crack. It potentially could have come from --

6 MEMBER WALLIS: What it means is that it
7 was wet boric acid.

8 MR. WHITE: Also boric acid, you know,
9 melts at 340 degrees, becomes molten. It's very
10 hydroscopic. So it like to pick up whatever moisture
11 is in the air.

12 MEMBER WALLIS: It dries up as it --

13 MR. WHITE: So the appearance of deposits
14 and the morphology of them is going to change as the
15 plant cools down.

16 CO-CHAIRMAN SIEBER: My impression was
17 that the so-called lava flows were mostly iron oxide
18 and molten boric acid because it was hot enough that
19 the liquid containment pressure, that would vaporize
20 right away, and you would end up with crystals which
21 would then melt and form these rivers.

22 That's at least my first impression of
23 what I saw. Could you comment on whether that was
24 correct or not?

25 MS. KING: Well, I guess I could comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The boric acid crystals initially early on in the
2 videos were brittle, and you could see that as they
3 were being cleaned off the head surface, and it was
4 verbally reported later that they got --

5 CO-CHAIRMAN SIEBER: Chunks.

6 MS. KING: -- very hard and very difficult
7 to remove, which would go towards the molten boric
8 acid.

9 CO-CHAIRMAN FORD: Could I suggest that we
10 call a halt at this point?

11 MS. KING: Sure.

12 CO-CHAIRMAN FORD: Before we do that,
13 could I ask just the staff? I know there's a cracking
14 action plan to deal with the cracking issues. Is
15 there going to be an associated degradation action
16 plan?

17 They talked about in talking to you and
18 talked about the appropriate tests that they want to
19 do to validate these hypotheses. Is there an NRR
20 action plan associated with that?

21 MR. WHITE: Not specifically at this time.
22 We've asked Research to give some idea of what we'd be
23 looking at with respect to if we wanted to build a
24 mock-up and run a test or something like that, what it
25 would conceptually cost us with respect to dollars, et

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cetera.

2 I don't know if there's anybody here from
3 Research. Bill, have you had a chance to look into
4 that at all?

5 MR. CULLEN: Bill Cullen, Office of
6 Research.

7 The panel has asked a few times this
8 morning about research that might be considered going
9 forward. Peter himself has specifically asked twice
10 what's going to happen, and just a few minutes ago
11 Christine indicated that on the industry size there's
12 research that's being proposed.

13 I have received, as you can imagine in the
14 last three months all kinds of proposals from all
15 kinds of people who have considered themselves to be
16 experts in boric acid corrosion. I'm currently going
17 through those things trying to figure out what's good,
18 what's bad, and what would be helpful.

19 Additionally, as Bill Bateman has just
20 indicated, NRR themselves has asked Research to come
21 up with a plan.

22 So combining all of those requests and all
23 of that input, I am I would say nearing the end of the
24 line on deciding what it is that we're going to do.
25 Even as we speak there's some proposed funding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 documents that are circulating in the next building.
2 So we will, I think, know within a very short time how
3 much funding could be made available for Office of
4 Research sponsored funding to look into some of these
5 issues dealing not only with the corrosion aspects of
6 this, but also some nondestructive inspection programs
7 that might, you know, when they get implemented within
8 the industry, serve to help find this sort of
9 situation or this sort of degradation long before it
10 gets as far as it did get in the Davis-Besse.

11 Also have some other plans about I would
12 like to maybe do some sensor development because I
13 think we've talked about the right element monitors
14 and the containment air coolers being credit up
15 (phonetic), going along that line or down that road.

16 I think there's some sensor developments,
17 some instrumentation development that could be
18 undertaken that would also help.

19 CO-CHAIRMAN FORD: Will that be covered in
20 part by Ed? Are you going to be talking later on on
21 the inspection?

22 MR. CULLEN: It's not my position to say,
23 but Ed Hackett will not be presenting today. Mark
24 Kirk will be presenting a little later on, PFM.

25 MEMBER BONACA: Since we are on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subject of inspection, just one thing that is a no
2 brainer, doesn't need the research. Two things
3 actually.

4 One, are we going to make some criteria on
5 what the licensee has to do when he finds he has
6 flanges leaking?

7 I mean one of the problems at Davis-Besse
8 is that they manage the leaks. They only fix some,
9 and then they decided to put off until the next outage
10 some.

11 On deposits the same thing happened. They
12 simply had a certain time allotted for removing
13 deposits. They removed what they could at the time,
14 and then they just started again without removing all
15 deposits.

16 Are we going to establish some criteria
17 for this? It's not only inspections. It's what we're
18 going to do with what we find after we inspect.

19 It seems to me that as a minimum one would
20 expect that if you find leakage you fix the flanges
21 before you restate. That's become a priority.

22 MR. BATEMAN: Yeah.

23 MEMBER BONACA: Also it would be the
24 removal of boric acid deposits.

25 MR. BATEMAN: Yes, you're right. If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensees do find leakage at their flanges, they do
2 repair the leakage before they restate.

3 We're going to talk a little bit later
4 this afternoon on the inspection plan methods and
5 frequency. So I think that will probably address the
6 other --

7 MEMBER BONACA: Because, you know, those
8 things, I mean, are no brainers. You don't need
9 research for that. If you do that, you're going to
10 find where the problem is. You know, you're not going
11 to be stumbling and propagate the problem, cascade
12 from cycle to cycle as it happened at Davis-Besse.

13 I would expect that that would be a
14 requirement that it would be very reasonable, in fact.

15 MR. BATEMAN: Yeah.

16 MEMBER BONACA: If you had accumulation of
17 pounds of boric acid crystals on top of the head, I
18 think the requirement should be remove them all. You
19 don't restart until you've done that.

20 MR. BATEMAN: Yeah.

21 MEMBER BONACA: I think any licensee who
22 can think with his own head in this situation would do
23 that.

24 MR. BATEMAN: From the results of Bulletin
25 2002-01 inspections, I think we feel at this point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that Davis-Besse was an anomaly, and I think maybe we
2 have a tendency to try and apply that to everybody
3 else, but we haven't discovered anybody else in the
4 industry who has come anywhere near close to having
5 the boric acid accumulations on their head that Davis-
6 Besse had.

7 MEMBER BONACA: But you understand the
8 requirements I'm discussing here are reasonable
9 actions.

10 MR. BATEMAN: Absolutely, absolutely.

11 MEMBER BONACA: And those could have
12 prevented so much of this pain and attempt on our part
13 now to try to foresee the future. It's going to be
14 very hard to do anyway, but I think fundamentally some
15 basic ground rules, and I would call them almost
16 housekeeping for a plant.

17 MR. BATEMAN: I think it's basically more
18 of an implementation issue. Licenses have a boric
19 acid inspection corrosion program based on their
20 response to generic letter 8805, and we found with the
21 exception of one licensee that they're implementing
22 it.

23 I think it was more of an implementation
24 problem as opposed to a program problem. I think the
25 programs are out there. It's how well are they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implemented.

2 CO-CHAIRMAN FORD: Could I ask that we
3 move on at this stage?

4 And, Larry, could I ask the two of you to
5 do both of your presentations by quarter to, finish
6 them by quarter to three, at which point we'll take a
7 break?

8 MR. MATHEWS: I really don't have much to
9 say. We could skip the collateral -- it's just two
10 slides.

11 CO-CHAIRMAN FORD: All right.

12 MR. MATHEWS: We really haven't done
13 anything since last time.

14 CO-CHAIRMAN FORD: Okay.

15 MR. MATHEWS: We can come back later and
16 talk about it.

17 CO-CHAIRMAN FORD: If the rest of the
18 committee -- if it's okay with them, we will skip
19 Larry Mathews on collateral damage. There's not a lot
20 that has been done since then, since the last time we
21 met.

22 Pete.

23 MR. RICCARDELLA: Okay. I'm Pete
24 Riccardella from Structural Integrity Associates.

25 We were contracted back about September of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 last year to develop a probabilistic fraction
2 mechanic's model for this top head degradation and
3 cracking issue, and the focus of that model is
4 primarily looking at probabilities of the growth of
5 large circumferential cracks and nozzle ejection.

6 What I plan to present today is somewhat
7 of an overview --

8 MEMBER APOSTOLAKIS: Excuse me. Where are
9 these slides?

10 MS. KING: These slides follow the crack
11 growth rate.

12 MS. WESTON: Page 46 on this handout.

13 MS. KING: There you.

14 MS. WESTON: And they start on page 59 in
15 the book.

16 MR. RICCARDELLA: Are we set?

17 My purpose today is to present an overview
18 of this model, and I should say that in the period of
19 time since September, we have had several meetings
20 with the NRC staff. There's been several
21 interactions, both teleconferences and meetings where
22 we've discussed, traded ideas on the methodology.

23 And in fact, we've gone back and made some
24 modifications, adaptations to the model based on NRC
25 staff input.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So first I'll give an overview of the
2 methodology and then talk about some PFM analyses that
3 we've performed in support of the propose MRP
4 inspection plan.

5 The key elements of our probablistic
6 fracture mechanics model are listed on this slide. We
7 have an experiential based probability of leakage
8 model. We don't try to model the initial nucleation
9 and growth of the crack. We're basically just going
10 back and looking at based on experience probability of
11 leakage versus time, and then we take it from that
12 point.

13 We have a fracture mechanics model for
14 stress intensity factor in which we've considered both
15 part through wall and through wall cracks in different
16 nozzles, different locations on the head, different
17 places on the hillside.

18 But the assumption in our fracture
19 mechanics modeling is, I believe, a conservative one,
20 is that once we detect a leak, we assume that we
21 instantaneously have an axial crack which has branched
22 and turned to a circumferential crack and is already
23 30 degrees of the circumference.

24 So that's the starting point for our
25 analysis. We've compared that to looking at a leak

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and then getting multiple initiations, reinitiating
2 new cracks around the periphery, and we believe that
3 our model instantaneously assuming a 30 degree
4 circumferential crack is both conservative and less
5 arbitrary than you get by trying to model these
6 multiple reinitiations of circ. cracks.

7 It also agrees at least with the anecdotal
8 evidence of how the circ. cracks developed at the
9 Oconee plant, that they tended to be more like axial
10 cracks that branch into circ. cracks rather than
11 reinitiated circ. cracks.

12 MEMBER APOSTOLAKIS: Where does the work
13 that was presented earlier on the rate of growth of
14 cracks fit into this?

15 MR. RICCARDELLA: We have the next slide
16 a key. A key element of our model is the statistics
17 of crack growth, and I'm going to show you how I've
18 used the work that John --

19 MEMBER APOSTOLAKIS: I'm a little confused
20 by the first bullet there.

21 MR. RICCARDELLA: Okay. Well --

22 MEMBER APOSTOLAKIS: What does it mean,
23 that you're already having a leakage?

24 MR. RICCARDELLA: Well, what we're
25 assuming is that at a certain period of time we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a leak.

2 MEMBER APOSTOLAKIS: Right.

3 MR. RICCARDELLA: And then when we have a
4 leak, we assume that at that point in time, we have an
5 axial crack that branches into a 30 degree of
6 circumference circ. crack, and then we use the crack
7 growth to analyze the progression of that 30 degree of
8 circumference crack out to failure, out to 300 or 330
9 degrees, whatever it is that produces ejection of the
10 nozzle. Okay?

11 So we are arbitrarily giving up that
12 initial nucleation and growth portion of it.

13 MEMBER APOSTOLAKIS: Which could have
14 included the crack growth rate again, right?

15 MR. RICCARDELLA: Some amount of crack
16 growth to get to 30 degrees, but we're kind of giving
17 that away.

18 MEMBER APOSTOLAKIS: All right.

19 MR. RICCARDELLA: And we're saying we
20 start there basically.

21 MEMBER SHACK: Well, you start there, but
22 you take the Weibull model into account.

23 MR. RICCARDELLA: Yeah.

24 MEMBER SHACK: So I mean, you accounted
25 for it in a different way.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RICCARDELLA: Exactly.

2 And then finally in our model we have the
3 ability to look at the effect of inspections on this
4 cracking and on the probability of an ejection. We
5 can look at different inspection intervals, as well as
6 different levels of reliability for different types of
7 inspections, and we have some assumptions we've made
8 regarding the probability of detection.

9 If you have a leak and you do an
10 inspection, what's the probability of detecting that?
11 Also the probability of detection for ultrasonic or
12 other --

13 MEMBER APOSTOLAKIS: So where does that
14 go?

15 MR. RICCARDELLA: Huh?

16 MEMBER APOSTOLAKIS: The probability of
17 detection?

18 MR. RICCARDELLA: Down here, effective
19 inspections.

20 MEMBER APOSTOLAKIS: And you also have a
21 model for the probability of detecting and doing
22 nothing about it?

23 MR. RICCARDELLA: No, no. The assumption
24 is that --

25 MS. KING: Do you mean no inspection?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: I know it is there --

2 MR. RICCARDELLA: -- if it's detected you
3 fix it.

4 MEMBER APOSTOLAKIS: -- but I don't have
5 time to do anything. I'll work as best as I can.

6 MS. KING: Essentially I think what you're
7 saying is the effect of not completing, not completing
8 it.

9 MEMBER APOSTOLAKIS: Not doing anything
10 about it.

11 MS. KING: Yes. We can take this model
12 and do no inspections, and you can see what the --

13 MR. RICCARDELLA: Well, no, not fix it.
14 He's saying you detect it and you find it and you
15 don't do anything.

16 MS. KING: Oh.

17 MR. RICCARDELLA: We can conservative --
18 let's just say we'll conservatively bound that in our
19 probability of detection because we're using some
20 pretty low numbers for probability of detection.

21 CO-CHAIRMAN SIEBER: Let me ask a question
22 about that a little bit. I've been thinking about it
23 since I'm the ultimate determinist. If you find a
24 crack in the through wall or greater than 40 percent
25 and it's not at a mechanical joint, okay, you know, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bolted joint, the code applies to that, does it not?
2 And the code says you've got to repair it.

3 MR. RICCARDELLA: Oh, yes.

4 CO-CHAIRMAN SIEBER: Otherwise you're in
5 violation of the boiler and pressure vessel code; is
6 that correct?

7 MR. RICCARDELLA: Yes.

8 CO-CHAIRMAN SIEBER: And so everything you
9 find that is greater than 40 percent has to be
10 repaired, right? Is that true?

11 MR. RICCARDELLA: I think it's 75 percent.

12 MS. KING: Yes.

13 MR. RICCARDELLA: It's more like 75
14 percent than 40.

15 MEMBER SHACK: I'm not sure there's an
16 exact code section that applies.

17 CO-CHAIRMAN SIEBER: Well, you can
18 calculate how much margin you have.

19 MEMBER SHACK: Yeah, and in fact, there
20 was a memo from Jack Strosnider to the MRP that says,
21 "Here's an acceptable set of acceptance criteria until
22 we figure out what's the right thing to do."

23 CO-CHAIRMAN SIEBER: But a through wall
24 crack you have to repair.

25 MEMBER SHACK: Yeah, if it's leaking,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yeah.

2 MS. KING: Actually the flaw acceptance
3 criteria is related to cracks that intersect the
4 pressure boundary at specific depths and the location
5 of that crack.

6 MEMBER LEITCH: Ninety-five percent limit
7 after the next operating period.

8 MS. KING: Right.

9 MR. RICCARDELLA: But the assumption in a
10 probablistic model is that if you inspect and find a
11 crack, you fix it. We take it out of the population
12 as far as possibly proceeding to a nozzle ejection.

13 MEMBER APOSTOLAKIS: But, I mean, how real
14 is that? I mean, why are we doing it? Is somebody
15 else dealing with the issue of if you find it, you
16 decide to do nothing about it, you know?

17 MR. RICCARDELLA: No. I think the
18 inspection plan and the code tell you what you have to
19 do if you find it.

20 MEMBER APOSTOLAKIS: But if the code is
21 implemented correctly, I expect the probabilities to
22 be very low. That doesn't tell me anything. I mean,
23 the finding is the boric acid corrosion control
24 program at the site included both cleaning and
25 inspection requirements, but it was not effectively

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implemented.

2 Now, to tell me that, you know, I believe
3 that they will find it and do something about it
4 doesn't address this issue.

5 CO-CHAIRMAN SIEBER: Well, one of the
6 problems --

7 MEMBER APOSTOLAKIS: Now, that's not
8 fracture mechanics, but that's the issue.

9 CO-CHAIRMAN SIEBER: One of the problems
10 with visual inspection is you're beyond 70 percent.
11 You're through wall, and then if you have, for
12 example, the CRD in flange, which I think is a bolted
13 joint, right? We had welded joints, but you know,
14 those by code can leak. Okay?

15 So the issue is can you do a visual
16 inspection with all of this boric acid that leaked
17 down laying on top of the head, okay, and if it's
18 there, what do you do about it?

19 I think that's part of the issue, which
20 again tells me that sooner or later you have to go to
21 a volumetric kind of inspection to be able to satisfy
22 the requirements of the code.

23 MR. RICCARDELLA: Yeah, I think we might
24 be able to address the question a little better if I
25 get a little further into the presentation and talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about exactly how we're using the probablistic
2 fraction.

3 MEMBER APOSTOLAKIS: Now, on this slide it
4 says theta. What is the expression for the Weibull?

5 MR. RICCARDELLA: What is the expression?

6 MEMBER APOSTOLAKIS: Yeah. Do you have
7 the mathematics of it so that I know what theta is?

8 MR. RICCARDELLA: Give me the one with the
9 curve. I have an actual curve of the Weibull. Okay?
10 This Weibull paper, it's a standard, two parameter.
11 I'm sorry I can't quote it off the top of my head.
12 Perhaps Glenn can bail me out and give me the
13 expression.

14 It's a standard two parameter Weibull.

15 MEMBER APOSTOLAKIS: Yeah, but it has
16 several different expressions.

17 MEMBER SHACK: Theta is like the mean
18 value.

19 MEMBER APOSTOLAKIS: Well, but it's not.

20 MEMBER SHACK: It's not, but it's like.

21 MR. RICCARDELLA: Theta is like the 63
22 percent cracking, and there's a function of service.
23 Now let's go back to the previous slide.

24 We have a Weibull analysis that was
25 actually developed by Dominion Engineering based on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all of the B&W plants and the cracking that's been
2 experienced in those, and we made the assumption of a
3 Weibull slope of three.

4 Actually, Christine, if I could go to the
5 next slide, if you look at the actual data, you would
6 actually predict if you just did a pure analysis of
7 the data, you would predict a much steeper Weibull
8 slope, like about a Weibull slope of nine. That's the
9 curve that --

10 MEMBER WALLIS: Once they get to 20
11 they're -- oh.

12 MR. RICCARDELLA: Pardon me?

13 MEMBER WALLIS: Once they get to 20 it's -
14 -

15 MR. RICCARDELLA: Pretty much, yeah, but
16 we believe that there is something else going on here,
17 that there is somewhat of an inspection transient
18 going on and that some of these were leaking earlier
19 in time, but we didn't start doing inspections until
20 pretty late.

21 And so --

22 MEMBER SHACK: Except the Oconee 3.

23 MEMBER WALLIS: Still it's cumulative.

24 MR. RICCARDELLA: That's true, that's
25 true. Well, except if I use a steeper slope, I'd get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a less conservative result. So we're using the slope
2 of three.

3 MEMBER SHACK: Steep slope is sort of good
4 news. So it's good news and bad news, but your
5 header, you really meant the slope is three, not
6 theta.

7 MR. RICCARDELLA: Yes, you're right.

8 MEMBER SHACK: You've totally confused us
9 here.

10 MEMBER WALLIS: Weibull analysis is a
11 prediction of these lines. Is that what it is?

12 MEMBER APOSTOLAKIS: They assume the
13 functional form. That's what it means, Weibull
14 analysis.

15 MR. RICCARDELLA: Yeah, well, this is
16 actually a Weibull paper. So, you know, the shape of
17 the equation is built into it.

18 MEMBER APOSTOLAKIS: How many parameters?

19 MR. RICCARDELLA: Two parameter Weibull.

20 MEMBER APOSTOLAKIS: Two parameter. And
21 then by fixing the slope, essentially you end up with
22 one parameter.

23 MR. RICCARDELLA: One parameter. That's
24 right.

25 MEMBER APOSTOLAKIS: Now, can you tell me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what the cumulative fraction of number of leaking CRDM
2 nozzles is? What does that mean?

3 MEMBER WALLIS: Just what's the fraction
4 of the number of the leak. If there are three out of
5 100 or --

6 MEMBER APOSTOLAKIS: So if I have 150 of
7 them, this will tell me the fraction of them that are
8 leaking?

9 MR. RICCARDELLA: Yeah, Oconee 3 had this
10 fraction leaking, and then the next inspection they
11 had that fraction leaking in that plant.

12 MEMBER APOSTOLAKIS: So this is between
13 inspections?

14 MR. RICCARDELLA: Between inspections?
15 There's only one plant on here that's inspected twice,
16 and this is the time period between inspections, from
17 here to here. The others are just until the first
18 inspection. That's the fraction of nozzles that were
19 found. So there --

20 MEMBER SHACK: With two inspections he can
21 calculate both of the parameters. With one
22 inspection, he has to assume one.

23 MEMBER APOSTOLAKIS: So let me understand
24 what you just said. The other plants are not
25 inspecting at all?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RICCARDELLA: No. This is just --
2 this Weibull analysis is just based on the B&W type
3 plants.

4 MEMBER APOSTOLAKIS: Right.

5 MR. RICCARDELLA: Because they've had
6 seven out of seven leakers. The others that have been
7 inspected, most of them have had non-leakers. There
8 have only been two other plants that had leakers, and
9 they're not shown on here, but they fit very well into
10 this group of data. That Weibull fit fits all nine of
11 the plants that have leaked, that have had leaks
12 fairly well.

13 And, in fact, at the time this chart was
14 produced, the Davis-Besse hadn't been inspected yet,
15 and the mean prediction was here, and when we actually
16 did the inspection, they came out -- the point falls
17 very, very close to that.

18 MEMBER APOSTOLAKIS: But, I mean, this is
19 the result of some inspection scheme, isn't it? So
20 what was that inspection scheme? How often do they
21 inspect these things?

22 I'm trying to understand that.

23 MS. KING: This data came from the
24 Bulletin 0101 inspections.

25 MEMBER APOSTOLAKIS: Yeah, and? And?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Don't assume that I know.

2 MR. RICCARDELLA: It was just the first
3 inspection of a large number of plants, and what we
4 did was, you know, based on a lot of data from stress
5 corrosion cracking behavior, this type of material, we
6 concluded that the largest slope that we'd expect to
7 see is three, and so we fit the data with a slope of
8 three.

9 As I said, if you did a pure fit of the
10 data to solve for both slope and theta, you'd end up
11 with a much steeper slope.

12 MEMBER WALLIS: You don't put in any data
13 at all really.

14 MR. RICCARDELLA: Pardon me?

15 MEMBER WALLIS: You're just drawing some
16 lines. You're not fitting any data.

17 MR. RICCARDELLA: No, not really. No,
18 we're just saying where does the slope of three best
19 fit between that group, that group of data.

20 And then what we did is we had an upper
21 bound and a lower bound, and in our Monte Carlo
22 modeling we assumed a mean and then a variation about
23 that mean, and you know, we assume a Weibull slope if
24 you go back to the previous --

25 MEMBER APOSTOLAKIS: So these are --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RICCARDELLA: -- 15 with a -- nine is
2 the worst case and a 21 is the best case.

3 MEMBER APOSTOLAKIS: And these are the
4 fifth and 95th percentiles? In the Monte Carlo
5 simulation, how will these --

6 MR. RICCARDELLA: They're triangular
7 actually. We're using a triangular distribution for
8 this particular --

9 MEMBER APOSTOLAKIS: So these are 100
10 percent?

11 MR. RICCARDELLA: Yeah, 100 percent and
12 zero percent.

13 MEMBER SHACK: Now, Peter Scott with a
14 much larger database to work with comes out with a 1.5
15 slope, which is in your case more conservative. So
16 your three isn't conservative.

17 MEMBER APOSTOLAKIS: Where was this
18 information?

19 MEMBER SHACK: When you do this kind of
20 analysis for the French plants where you actually have
21 a larger set of data so that you don't have to assume
22 the slope, you get a number of 1.5 instead of three.

23 MEMBER APOSTOLAKIS: So the curve then --
24 the straight line would be very almost horizontal.

25 MEMBER SHACK: Well, much closer to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RICCARDELLA: It would be shallower
2 like that, yeah.

3 MEMBER SHACK: Which is bad because you
4 get earlier initiation.

5 MR. WHITE: Bill, can I address that?

6 Dominion Engineering did the work of
7 determining that three was the appropriate slope to
8 use. One major source is MRP Report 66, which just
9 came out earlier this year. In that work, the
10 investigators looked at a large set of available data
11 mostly for crack initiation, and the best fit Weibull
12 slope to that large set of data, and I can't remember
13 exactly the number of data points, but this was a much
14 larger set, I believe, than Peter Scott was working
15 with.

16 And the best fit was 2.7 for the slope.

17 MEMBER SHACK: Was that steam generator
18 tubes or nozzles?

19 MR. WHITE: It was on all available crack
20 initiation tests for Alloy 600.

21 MEMBER SHACK: Okay. Because the earlier
22 results from Dominion just looking at steam generator
23 tubes gave numbers much closer to the 1.5.

24 MR. WHITE: Well, we've also --

25 MEMBER SHACK: Original Gorman, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reports.

2 MR. WHITE: One of the presentations that
3 I made at the meeting on May 22nd with the NRC went
4 over this in a little more detail, but we looked at
5 the available data, and there is a range that's
6 observed, but if you look at that, there are for some
7 steam generator field experience in some locations in
8 the tubes higher PWSCC slopes than others, and three
9 seems to be appropriate based on that also.

10 MEMBER SHACK: Well, in the steam
11 generator, it's always conservative to take the higher
12 slope because that's predicting lots of tubes to fail.

13 MR. WHITE: I'm just talking about actual
14 observed ranges of slopes for role transition PWSCC
15 for various locations, U bands, for example, and I can
16 show you that data if you'd like.

17 MEMBER SHACK: And compare with my data.

18 MR. RICCARDELLA: I think we could do the
19 analysis with a slope of 1.5. I don't think it would
20 have a huge effect on the probablistic fraction
21 mechanics results. I've done it for nine and three,
22 and I've found that that was worth maybe about a
23 factor of two. You saw that.

24 And I think the difference between three
25 and one and a half would be even less of an effect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than that.

2 And considering that I benchmarked it
3 against Ocone, it really wouldn't make that much of
4 a different. Okay?

5 MEMBER APOSTOLAKIS: Now, you're going to
6 use this for future?

7 MR. RICCARDELLA: Yeah, we
8 re using this in our Monte Carlo analysis to create --

9 MEMBER APOSTOLAKIS: Right, but the
10 inspections will have some sort of a period in the
11 future?

12 MR. RICCARDELLA: Yeah, we can assume
13 various inspection intervals and --

14 MEMBER APOSTOLAKIS: So why does this
15 apply?

16 MR. RICCARDELLA: Well, under the
17 assumption of no inspection. We have a time based
18 Monte Carlo analysis that we start at zero, and we say
19 at so many years we would predict this many leak, and
20 a couple of years later we would predict this many
21 leaks. So we can do a complete analysis with no
22 inspections, and then we can come back and superimpose
23 inspections on top of that and see what the impact is
24 on those results of different inspection intervals.

25 Okay. So that's just the starting point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So here is, for example, for a 600 degree plant, beta
2 equal to three, theta 15 plus or minus six. These are
3 the assumed times. So if we're at ten years and we're
4 just the mean case in this particular case, that would
5 be about a 25 percent probability of leakage. If
6 we're out at 16 years, that's a 60 percent probability
7 of leakage, but we vary it between these extremes in
8 the Monte Carlo modeling

9 So that's the very starting point of the
10 analysis.

11 MEMBER APOSTOLAKIS: The triangular
12 distribution you mentioned.

13 MR. RICCARDELLA: Yes, it's between these
14 extremes.

15 MEMBER APOSTOLAKIS: In the vertical sense
16 or the horizontal sense?

17 MR. RICCARDELLA: Yes, in the vertical
18 sense.

19 MEMBER APOSTOLAKIS: In other words, ten
20 effective years has a probability anywhere between .1
21 and .7.

22 MR. RICCARDELLA: Yes, and incidentally,
23 this is the probability of first leak in a head of a
24 certain number of nozzles. In other words, it's not
25 the probability of a leaking nozzle for any individual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nozzle. It's the binomial probability given 69
2 nozzles that you'll have at least one leak.

3 MEMBER APOSTOLAKIS: Oh, so this
4 probability on the left is not the previous
5 probability?

6 MR. RICCARDELLA: Well --

7 MEMBER APOSTOLAKIS: The previous was
8 accumulative.

9 MR. RICCARDELLA: Yeah.

10 MEMBER APOSTOLAKIS: Now it's something
11 else.

12 MR. RICCARDELLA: The direct relationship,
13 if you go back --

14 MEMBER APOSTOLAKIS: Why is that still
15 viable? It's not viable anymore, is it?

16 MR. RICCARDELLA: Yes, it is. In fact, it
17 is, and the relationship is theta for a leak in a
18 nozzle is equal to -- I'm sorry. Theta for the first
19 leak is equal to theta for a leaking nozzle divided by
20 the beta root of N, where N is the number of nozzles.
21 There's a direct relationship between theta. The
22 slope stays the same, and there's a direct
23 relationship between theta for that given leak.

24 MEMBER APOSTOLAKIS: Do you have that
25 derivation someplace?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RICCARDELLA: Yeah. Yes, we do.

2 MEMBER APOSTOLAKIS: And we can look at
3 it?

4 MR. RICCARDELLA: You certainly can. I
5 have it on my laptop.

6 MEMBER APOSTOLAKIS: Mag, can you please
7 get that document so we can look at ti?

8 MS. WESTON: I'm sorry. What is it you
9 want, George?

10 MEMBER APOSTOLAKIS: The document.

11 MR. RICCARDELLA: Derivation of the
12 relationship between theta for first leak and theta
13 for nozzle leakage in general.

14 MS. WESTON: And where do I find it?

15 MS. KING: On his laptop.

16 MR. RICCARDELLA: We'll give it to you.

17 MS. WESTON: Is it in your original
18 presentation that you did to the staff?

19 MR. RICCARDELLA: No.

20 MS. KING: No, we haven't had this
21 question yet.

22 MEMBER APOSTOLAKIS: This is the first
23 question that you get that you haven't had before?

24 MS. KING: For the derivation. No one has
25 asked to see the derivation yet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RICCARDELLA: You know, that just gets
2 us to the point where we assume a leaking nozzle.
3 Then we have to say, "Okay. How do we evaluate a
4 nozzle growing from this assumed condition at leakage,
5 which is the 30 degree crack, to a large circ. crack
6 that could potentially lead to ejection?"

7 And so we've developed a series of finite
8 element models with cracks of different sizes and
9 different depths. This is the model we use for a
10 through wall crack, 180 degrees, and this is a crack
11 that is assumed to initiate on the up hill side of a
12 hillside penetration.

13 MEMBER APOSTOLAKIS: Again, I'm a little
14 slow here. You said that basically you use a binomial
15 distribution there to get with the expression for the
16 first leak.

17 MR. RICCARDELLA: Yes.

18 MEMBER APOSTOLAKIS: Now, what happened at
19 Davis-Besse, as I recall, was that there were three
20 nozzles that were adjacent. Now, in the binomial, of
21 course, you assume independence. So is that a valid
22 assumption?

23 MR. RICCARDELLA: Yeah, if we look at the
24 distribution over all the plants that have had leaks,
25 it is pretty random distributed around the head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: No, but when --

2 MR. RICCARDELLA: Davis-Besse happened to
3 have three, but those happen to be three that were out
4 of the same heat of material that happened to be a
5 particularly susceptible heat of material.

6 MEMBER APOSTOLAKIS: Right.

7 MR. RICCARDELLA: Okay? But we believe
8 that as far as time to leakage, there's no geometric
9 dependance at any of the nozzles at any particular
10 location in the head. The Oconee nozzles, the ones
11 that leaked, tended to be toward the periphery. The
12 Davis-Besse nozzles tended to be near the top dead
13 center.

14 Now, in terms of the tendency to develop
15 large circ. cracks, we believe there is a dependence
16 on where you are on the head, but the time to leakage,
17 we believe, is pretty independent.

18 MEMBER APOSTOLAKIS: Okay.

19 MR. RICCARDELLA: So let's go back to that
20 one. This is the model we use for the through wall
21 crack initiating here, running parallel to the weld.
22 The red Xes that you see in the bottom of the
23 condition we applied for the J-groove weld, and here's
24 the crack tip. You see the added refinement that we
25 put in the mesh of the crack tip.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And this model enables us to calculate the
2 stress intensity factor at that crack tip, and we've
3 run this for 30 degrees up through 330 degrees, and we
4 have K versus crack size.

5 We've run it for nozzles of different
6 angles, you know, top dead center going all the way
7 out to the hillside like this, and we also use gap
8 elements on the back side of the crack to represent
9 the constraint provided by the vessel wall. This is
10 where it shrunk fit into the vessel.

11 Next.

12 We also have part through wall crack model
13 where we consider an axial crack that is branching and
14 turning into a circ. crack, and this is what we use
15 for the shallower crack configurations to calculate
16 the K.

17 So this is what we use to calculate the
18 stress intensity factor K that we use in conjunction
19 with the crack growth expressions that John Hickling
20 presented. You have to get a stress intensity
21 framework, and John said, well, it's typically 25 to
22 30 or 35. These are the models that we use to develop
23 that stress --

24 MEMBER WALLIS: How independent is this
25 model that you choose? I mean you could have chosen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really different geometry, couldn't you?

2 MR. RICCARDELLA: Yes. Could I have the
3 next slide?

4 What we've done, we've assumed a -- for
5 most of the analysis I'm going to present now and
6 really all that we have done right now is the B&W type
7 plant. Okay? So we specified that type of geometry,
8 and then we've looked at nozzles of zero, 18, 28, and
9 38 degree angles, and so that takes us from top dead
10 center to the most hillside.

11 And in the Monte Carlo analysis, we bend
12 the nozzles into one of these four categories. You
13 have a nozzle for that and like every single category,
14 and what we find -- and then we've also looked at
15 cracks emanating from the uphill side, growing down,
16 and then also emanating from the downhill side and
17 growing up.

18 And for this particular geometry, what we
19 found is that the uphill side is much worse and also
20 that the stress intensity factors get higher
21 particularly for the longer cracks as you get further
22 away from the center.

23 MEMBER WALLIS: They depend upon what you
24 are assuming about the shape of that?

25 MR. RICCARDELLA: No -- well, yes, they do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to some extent. They depend upon that. We've made
2 what I believe is a conservative assumption on the
3 shape of the crack. They also depend on the residual
4 stress, which is the size of the weld and the welding
5 parameters, and we currently have underway analyses of
6 a CE type head and of a Westinghouse type head so far.

7 MEMBER WALLIS: So with these assumptions
8 you have to make about the crack shape and all of that
9 stuff, what's the uncertainty in these Ks?

10 MR. RICCARDELLA: I would say it could be
11 as much as a factor of two.

12 MEMBER WALLIS: A factor of two. So that
13 covers pretty well the range of the data that we were
14 looking at this morning.

15 MR. RICCARDELLA: No, but you'll see that
16 when we get into the Monte Carlo modeling that the
17 effect of the uncertainty in crack growth rate is like
18 factors of ten to 20, and they tend to overwhelm. You
19 know, the scatter in that lot normal or distribution
20 overwhelms, and remember we're using --

21 PARTICIPANT: The variation in --

22 MR. RICCARDELLA: Yes, the variability.
23 And remember there's an exponent of one. So it's
24 pretty much a one-to-one relationship between K and
25 crack growth rate. So I think that, you know, further

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sharpening the pencil on stress intensity factors
2 isn't going to make that big an effect.

3 MEMBER WALLIS: -- aware of how uncertain
4 it is.

5 MR. RICCARDELLA: Yeah, I would say it
6 could be as much as a factor --

7 MEMBER WALLIS: Well, when you give us
8 26.9, it's probably anything between 20 and 35 or
9 something like that.

10 MR. RICCARDELLA: We have analysis -- the
11 highest number that we have anywhere here is this 38.
12 We have an analysis for another plant where that's as
13 high as 60, okay, for a different plant type,
14 different residual stress.

15 And then we went ahead and did the
16 probablistic fracture mechanics on that, and it had
17 maybe a factor of two influence on the probability of
18 nozzle ejection.

19 MEMBER SHACK: Zero angle nozzles. So I
20 mean this is a cylinder under pressure. π squared
21 over πR squared P . Why am I not getting at least a
22 pressure K that's going up by the time I'm getting the
23 300 degrees?

24 MR. RICCARDELLA: I'm not sure. That's
25 something I've got to go back and check into. I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it has to do with the distribution of the street. You
2 know, it's a through wall where you've got residual --
3 it's residual plus.

4 MEMBER SHACK: I've even got a large gap
5 here. So I've really got bending at this point,
6 right? You're letting this sucker bend.

7 MR. RICCARDELLA: No, that's not --

8 MEMBER SHACK: Isn't that what the large
9 gap means, that the nozzle is free to bend? It's not
10 constrained in the axial?

11 MR. RICCARDELLA: Yeah, but we don't have
12 the -- this case here -- well, yeah, a large gap.
13 It's still got some interference.

14 MEMBER WALLIS: Why does it leap from 20
15 to .6 in 160 and 180 degrees? Is that a typo?

16 MR. RICCARDELLA: No, that's the change in
17 the model from --

18 MEMBER WALLIS: On the top there, the
19 fourth line.

20 MR. RICCARDELLA: I understand, yeah.
21 It's the change in the mode from the part through wall
22 crack to the through wall crack.

23 MEMBER WALLIS: So by changing the model
24 you make all of the difference in the world.

25 MR. RICCARDELLA: Yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Could I make a comment?
2 Again, it's on terms of time management here. Could
3 I request that the members kind of --

4 MEMBER WALLIS: We're trying to establish
5 credibility. That's all.

6 CO-CHAIRMAN FORD: You can take
7 credibility as 100 percent.

8 (Laughter.)

9 CO-CHAIRMAN FORD: Okay. Ninety-nine
10 percent. My point is that we requested this so that
11 the members would understand the approach that was
12 taken, the completeness of the approach and where
13 we're heading. Obviously this is not finished.
14 There's no way this is finished, I am assuming, in its
15 entirety.

16 I just wanted the members to understand
17 the depth of what's being done here. So, Pete --

18 MR. RICCARDELLA: We have some very
19 interesting conclusions and observations on the basis
20 of what we've done, and I'd really like to get to that
21 because I think there will be a lot of interest --

22 MEMBER KRESS: Before you go though, one
23 more question.

24 (Laughter.)

25 MEMBER KRESS: Your K is a strong function

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the residual stresses.

2 MR. RICCARDELLA: Yes, sir.

3 MEMBER KRESS: How do you get those?

4 MR. RICCARDELLA: We have residual stress
5 analyses that were performed, elastic, plastic
6 residual stress analyses of a nozzle that --

7 MEMBER KRESS: Based on how it was welded?

8 MR. RICCARDELLA: Yeah, un-huh, based on
9 weld size. We didn't take into account that much heat
10 rates and things of that sort. I think standard heat
11 rates were used, but as I said, I believed there could
12 be an uncertainty as high as a factor of two on these
13 results.

14 And they tend not to dominate the
15 probablistic fracture mechanics results because of the
16 slope of the curve.

17 Okay. The next is how we use the crack
18 growth data that John Hickling presented, and here
19 you'll recognize this upper plot with the black as
20 being the fit. This is the cumulative distribution
21 function for that constant alpha, and the black points
22 are the heat by heat data.

23 So each of these points represents the
24 average of those groups of heat. You remember some
25 heats had 27 specimens; some had one; some had two.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The lower curve with the red data is the
2 integral of all of the data points, the individual
3 data points, and as you can see that's more
4 conservative. The mean is a higher alpha for those,
5 and John discussed why that is. It's because there's
6 more testing that has been performed on the higher
7 rate heats of material than the other.

8 What we've chosen to do in our analysis is
9 to use both variabilities, and this is basically as a
10 result of some comments at the meeting that we had at
11 the NRC where we look at heat to heat variability, and
12 then we superimpose upon that within heat variability,
13 and we can specify. For example, you specify 69
14 nozzles in a head. You could say, well, that head
15 consists of three heats. Twenty of the nozzles are
16 from one heat, 30 are from another, and ten are from
17 a third heat.

18 So we picked from this distribution for
19 the heat, and then we sample again for the individual
20 nozzles in that heat, and we look at the heat to heat
21 scatter in that analysis.

22 And another parameter that we've taken
23 into account, and again as a result of our
24 interactions with the NRC, is a correlation effect
25 between crack initiation and crack growth. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comment was that you shouldn't just go in and randomly
2 for a time to a leakage from the Weibull distribution
3 and then pick a second completely random parameter
4 because if you have a nozzle that leaks, chances are
5 that's a bad actor.

6 So you have higher crack growths in the
7 ones that leaked than the ones that don't leak. And
8 so what we've done is we've built into our sampling
9 scheme in the Monte Carlo analysis an ability to
10 correlate the random number for leakage with the
11 random number for crack growth. Okay?

12 And this particular slide shows a .8.
13 It's a minus point eight because it turns out that a
14 high random number for leakage means a long time until
15 leakage, a high time until leakage. A high number for
16 cracked growth means a high cracked growth rate.

17 So if we have a heat of material that's
18 out here in the .8 for crack initiation, then we're
19 going to sample from this narrower set of data for
20 crack propagation, and the .8 is an input parameter.
21 We can input zero. They'd be totally independent. We
22 can input one and be totally correlated. Okay?

23 So basically it's a knob that we have in
24 our analysis to calibrate or benchmark our analyses
25 against real behavior. Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: What are the crosses?

2 MR. RICCARDELLA: Oh, that's just the
3 randomly generated -- go ahead and put in the .99.
4 this is the actual spreadsheet that does it.

5 MEMBER WALLIS: Randomly generated
6 numbers?

7 MR. RICCARDELLA: Yeah, these are -- let
8 me show you. These are the random numbers that
9 actually go into the distributions to pick our crack
10 growth rate, to pick our time to leakage, see.

11 So if I assume .99 or a very high
12 correlation, basically I'm using the same random --
13 it's like using one random number to pick both
14 parameters. They're very, very highly correlated.
15 Okay?

16 If I put zero, they're totally
17 independent. So by going from zero to one, I can span
18 the entire range from no correlation between crack
19 growth, time to crack growth, and time to initiate in
20 crack growth to very highly correlated time to
21 initiate a crack growth. Okay?

22 And then we've got to go back. Thank you.

23 MS. KING: Sure.

24 MR. RICCARDELLA: Okay. This shows just
25 some typical results of this analysis. So this is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 typical probablistic fracture mechanics analysis.
2 What I'm creating is the probability of net section
3 collapse with no inspections for a 602 degree
4 Fahrenheit head as a function of EFPYs. Okay?
5 Starting in about 20 years, and I've got several cases
6 here.

7 First, the difference between these two
8 parameters here represent the difference between
9 assuming that the head is made up of three heats and
10 the --

11 CO-CHAIRMAN SIEBER: Could you move closer
12 to the microphone, please?

13 MR. RICCARDELLA: I'm sorry.

14 That the head is made up of three heats or
15 69 heats. In other words, every nozzle is an
16 individual heat, and that addresses a specific
17 question that came up at an NRC meeting about is it
18 appropriate to sample each tube individually or should
19 you be sampling them in groups. It turns out that it
20 really doesn't have a significant effect.

21 The other thing we looked at was a log
22 triangular versus a log normal fit of the data. Did
23 we not go through the -- actually this got a little
24 bit out of sequence. Let's go to the next two slides.

25 This is the distribution, again, showing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the distribution of that parameter alpha by heat. The
2 black data points are by heat, and I show a blue
3 curve, which is the log normal basically that John
4 Hickling presented earlier. The red curve is the log
5 triangular, is a log triangular fit for that same
6 group of data where it's truncated at two extremes.

7 So we don't get into these very, very high
8 crack growth rates in the very tails of the
9 distribution.

10 Okay. This is what we're doing for the
11 heat to heat variation, and then the next slide shows
12 we took the entire population of data and looked at
13 each data point relative to the mean of its heat, and
14 we developed basically a deviation from the mean in
15 terms of the multiplication of one for every data
16 point.

17 And so you see that we get about a plus or
18 minus six multiplier for within heat variation. So as
19 you go through the Monte Carlo simulation, we say,
20 "Okay. I have at least 20 tubes in the header out of
21 one heat."

22 We pick a heat from the previous chart,
23 and for each of those 20 tubes, we sample from this
24 distribution to say where that -- you know, to get the
25 actual crack growth rate for that tube, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correlate that to the time to crack initiation from
2 the Weibull.

3 MEMBER KRESS: So for a log triangular,
4 shouldn't you get a discontinuity at .5 in the slope?

5 MR. RICCARDELLA: No, I don't think so.
6 At .5?

7 MEMBER KRESS: That's where the triangle
8 turns around and goes down the other way.

9 MR. RICCARDELLA: Yeah, but still, 50 --
10 there might actually be a -- if you look real closely
11 there might actually be a discontinuity.

12 MEMBER KRESS: Okay. Maybe it's just my
13 eyes.

14 MR. RICCARDELLA: Okay.

15 MEMBER SHACK: But that's sort of good
16 because those are the sort of two bounding
17 distributions that you would pick.

18 MR. RICCARDELLA: Yes, right.

19 MEMBER SHACK: And you're not seeing all
20 that much.

21 MR. RICCARDELLA: What we find is about a
22 factor of two, which I think is kind of within the
23 levels of uncertainty of this type of an analysis
24 really.

25 MEMBER SHACK: Considering, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you'll never determine those tails. So in one case
2 you've chopped them off and in the other you've let
3 them run to infinity.

4 MR. RICCARDELLA: Yeah. Okay. Next
5 slide.

6 Okay. Now, the real key, I think, to this
7 whole analysis is we've made an attempt to benchmark
8 the results with respect to the B&M plants, and so
9 what I'm showing here is -- the previous slides were
10 probably density functions. This is cumulative
11 probability. Okay?

12 So this is cumulative probability assuming
13 no inspection for a plant operating at 602 degrees,
14 like the B&W plants.

15 This is the cumulative probability of
16 leakage versus time, the cumulative probability of
17 large circ. crack versus time, and the bottom is the
18 probability of net section collapse versus time.

19 And what this slide says is that for that
20 group of the seven B&W plants operated at
21 approximately this temperature, they had about, at 20
22 years, those have about greater than a 90 percent
23 probability of at least one leak, and that's fairly
24 consistent with the operation. Seven out of seven of
25 them had leaks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: Of course, since that's how
2 you determine the Weibull, I would hope it would --

3 MR. RICCARDELLA: Yeah, right. That's a
4 good observation. But then more significantly, one
5 out of those seven plants had a large circ. crack.
6 And now when we integrate the fracture mechanics into
7 it, we're predicting about an 11 or 12 percent
8 probability of a large circ. crack, and then that
9 drops down to what the actual probability of net
10 section collapse would have been at that time,
11 assuming no inspections.

12 Now, as soon as we do inspections, of
13 course, we change that probability of a large circ.
14 crack.

15 MEMBER WALLIS: What does net section
16 collapse mean?

17 MR. RICCARDELLA: Net section collapse
18 basically means nozzle ejection. The same
19 terminology.

20 MEMBER WALLIS: The same, okay.

21 MR. RICCARDELLA: Okay. Now, with that as
22 the methodology, now we've used this model as a method
23 to basically assess and provide a technical basis for
24 our proposed inspection plan. Okay?

25 And the method we've used for this is to,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first of all, start with the benchmarked analysis
2 parameters that I've just described. Okay. So we've
3 somewhat benchmarked the analysis.

4 Analyze different plants at various head
5 temperatures, and what we've done is we've set risk
6 categories based on both the probability of net
7 section collapse per year and based on the cumulative
8 probability of leakage. Okay?

9 And then we've also set inspection
10 intervals looking at the effects of inspection based
11 on probabilities of net section collapse, based on the
12 impact of inspections on probability of net section
13 collapse.

14 So I'm going to run through some of the
15 results that we have and then later this afternoon or
16 this evening, Michael Lashley will talk about the
17 resulting inspection plan that's resulted from this.

18 MEMBER WALLIS: Inspections result in a
19 change in the profile though because you do something
20 as a result of what you find?

21 MR. RICCARDELLA: Yeah, the assumption is
22 that if you find it you fix it, and so that
23 particular nozzle no longer has a chance to propagate
24 to ejection. You fix it or do something to take it
25 out of the mix.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. KING: Well, the assumption and the
2 experience to date is that you find it and you do
3 something about it.

4 MR. RICCARDELLA: Okay. Just to review
5 the analysis parameters, we've used the head
6 temperature. We've analyzed ranging from 560 to 605
7 degrees Fahrenheit. I mentioned already the Weibull
8 parameters of slope of three with a beta and a theta
9 of 15 plus or minus six, and it's assumed to be a
10 triangular distribution.

11 The crack growth rate statistics we've
12 discussed. We're using the log triangular for both
13 heat to heat and within heat variation.

14 We've used this cracked growth versus
15 leakage correlation factors. We've used minus .8 for
16 both the heat to heat and within heat, and --

17 MEMBER WALLIS: Is this something you
18 thought was real?

19 MR. RICCARDELLA: Yeah, well, you know,
20 it's kind of the knob that I used to make it match the
21 results on the B&W plant.

22 MEMBER WALLIS: I thought it was. There
23 was a dial

24 MR. RICCARDELLA: It is, in fact, yeah.
25 Okay, but you know, the real use of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 type of analysis is to make apples to apples
2 comparisons of different things. So I think it's
3 appropriate to pick a set of numbers.

4 MEMBER SHACK: It also doesn't seem
5 physically unreasonable.

6 MR. RICCARDELLA: Yeah.

7 MS. KING: Right.

8 MR. RICCARDELLA: You know, if you told me
9 that you wanted me to use log normal and it doubled
10 the probability, that probably lowered that
11 correlation factor a little bit because, you know, in
12 the end you want to agree to reality, to what we've
13 observed in reality, and if reality changes, if we
14 make some inspections and find some additional
15 unexpected results, we'll have to go back and
16 recalibrate, I guess.

17 And then we need some sort of
18 acceptability criteria, and just for purposes of this
19 inspection plan, what we're using is sort of an
20 acceptable level would be a probability density
21 function for a nozzle ejection of one times ten to the
22 minus third, and that's consistent with the most
23 predictions of the consequential core damage
24 frequency, given a nozzle ejection is also about ten
25 to the minus third.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we've got a couple of plots here. This
2 is a plot for a lot of different temperatures, 570 up
3 to 605. The probability of net section collapse
4 versus EFPYs at different temperatures, and you see
5 two lines on here. You see the 1E to the minus three
6 that I've talked about as being the acceptability
7 limit. There's also one down here at 1E to the minus
8 four.

9 You can see that these tend to jump around
10 a little bit. Let me show you. Go two ahead to the
11 conversion study.

12 Here's a convergence study that we did on
13 one particular case with a 600 degree F. where I've
14 run these with 10,000 -- this is the same thing,
15 probability net section collapse versus EFPYs,
16 assuming no inspection. I ran them with 10,000 Monte
17 Carlo simulations, 100,000, and then a million Monte
18 Carlo simulations. Essentially that would take about
19 a ten-hour run to do the million Monte Carlo
20 simulation.

21 But you can see that even though you get
22 this jumpy curve, if you pass kind of a best fit
23 through the jumpy curve, you'd predict about the same
24 time to one times ten to the minus third. Okay?

25 All of the cases I showed earlier were run

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with 100,000, the middle of those three. Also you see
2 that in terms of the probability of leakage, it has
3 very little effect, the probability of leakage.
4 Because it's a higher probability number, basically it
5 converges much faster.

6 This is the cumulative probability of a
7 leak, assuming no inspections, again, versus EFPYs for
8 a bunch of different head temperatures. And, again,
9 I've drawn two horizontal lines on here, one at 75
10 percent probability of leakage, and one at 20 percent
11 probability of leakage.

12 Now, what I've done in the next plot is
13 I've taken the intersections of those horizontal lines
14 with the results of the analysis and created a locus
15 of basically a time versus temperature locus of that
16 data. So these upper two curves correspond to the net
17 section collapse of one times ten to the minus three.
18 That's the red chain link curve, and the 75 percent
19 probability of leakage in terms of a time-temperature
20 domain.

21 The lower two curves represent one times
22 ten to the minus four, probability of net section
23 collapse, and that just approximately corresponds to
24 a probability of leakage of about 20 percent.

25 So what we have here basically is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature, the heat temperature, versus EFPYs of
2 operation. However, as somebody mentioned earlier,
3 some plants have operated at different head
4 temperatures. They operates for a while at 600, and
5 then they dropped it to 570.

6 And so this has been integrated into the
7 number of -- the EFPYs are the effective EFPYs for
8 those plants that have had multiple head temperatures,
9 assuming that it has always been operating at the
10 current head temperature.

11 CO-CHAIRMAN SIEBER: Now, these
12 susceptibilities do not incorporate any knowledge you
13 might have about the susceptibility of different
14 heats.

15 MR. RICCARDELLA: No.

16 CO-CHAIRMAN SIEBER: Okay.

17 MR. RICCARDELLA: No, we haven't taken
18 that -- this is still generic. Basically it's a time-
19 temperature, the same type of time-temperature
20 correlation that Larry was talking about earlier.
21 I've broken it into two, and, in fact, these are
22 exactly the data points that Larry showed on his plot
23 earlier of the actual plant.

24 So we show where the actual plants lie,
25 the 69 plants lie on this time-temperature domain.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: I have another
2 question. You have a susceptibility that's a function
3 of temperature which you've described in everything
4 you've done so far, but we also know that there is a
5 susceptibility due to the heat. Which is the more
6 predominant effect as far as determining how long it
7 will be until section collapse?

8 For example, all of the leakage we've seen
9 so far came out of one heat, right?

10 MR. RICCARDELLA: No.

11 CO-CHAIRMAN SIEBER: No?

12 MR. RICCARDELLA: A couple of them came
13 out of welds, I guess.

14 CO-CHAIRMAN SIEBER: All right, okay.

15 MEMBER SHACK: And there were more than
16 one heat.

17 MR. RICCARDELLA: There was more than one
18 heat.

19 MS. KING: There's more than one heat that
20 has leaked.

21 MR. RICCARDELLA: There is a strong heat-
22 to-heat sensitivity, as there is a strong temperature
23 effect. Right now I can't say which is more
24 important, but, you know, the heat-to-heat
25 variability though, that variability is built into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distributions that we've used in our analysis.

2 And what we're trying to present here for
3 purposes of the inspection plan is sort of a summary
4 of the fleet or, you know, a simulation of the entire
5 fleet.

6 CO-CHAIRMAN SIEBER: I can appreciate
7 that, but when we started out, we used the temperature
8 data as a basis for ranking the plants and saying
9 these are the high susceptibility plants; these are
10 moderate; these are low.

11 And then you put them in order, and that
12 tells the agency who to go after first. If it doesn't
13 consider the heat data, it's not totally clear to me
14 that we're capturing everything that needs to be
15 captured to do that ranking.

16 And this going back to --

17 MR. RICCARDELLA: But what the problem is
18 is that we really don't have much information about
19 the susceptibility of the individual heats in the
20 individual plants. So, I mean, even if -- is that
21 what you were going to say, Larry?

22 MR. MATHEWS: Well, what I was going to
23 say is by ranking them the way we did, just based on
24 time and temperature, there's an inherent assumption
25 in that process that every plant has that same bad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 material that Oconee 3 had, and it's very likely that
2 many plants aren't nearly that bad.

3 CO-CHAIRMAN SIEBER: I guess that's one of
4 my problems, that when you put that assumption in
5 there, then the ranking is less accurate than it would
6 be if you took that effect into account.

7 For example, if you buy a deep draft pump
8 and there was an instance with an information notice
9 about ten years ago where the heat of some pump
10 couplings in the shaft was not good, and that became
11 a shut down your plant deal, and they were able to
12 identify where the bad couplings were depending on
13 when they were made and who you bought them from.

14 And so they ought to be able to tell where
15 all of these nozzles came from, right?

16 MR. RICCARDELLA: Oh, we have information,
17 but we don't have information on the susceptibility.
18 You know, as we continue to do more inspections and
19 collect more data, if some form of correlation becomes
20 apparent, we'll take that into account in the model.

21 We could adjust this model so that we
22 favor, you know -- so that we could analyze individual
23 groups of material that are on the bad side or on the
24 moderate side or on the good side, and if we start to
25 see those --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: It seems to me that
2 if we continue on this methodology of inspections and
3 so forth and rankings that you ought to maybe do that.

4 MS. KING: Yeah, currently we are tracking
5 the inspection data to the heat, but right now our
6 stance is we don't have enough data to differentiate.

7 CO-CHAIRMAN SIEBER: To do something
8 real --

9 MS. KING: And I'm not turning away from
10 that. It's just that at this point we don't have
11 enough data to differentiate between the heats.

12 CO-CHAIRMAN SIEBER: Well, if I were in
13 your place rather than mine, I would be looking to
14 trying to do that, to give me a better picture as to
15 what's going on as time goes on and you collect the
16 data.

17 MS. KING: Right.

18 MEMBER KRESS: Let me see if I can
19 understand the basis behind your one times ten to the
20 minus three acceptance criteria. If you have that
21 happen, it means you have a small break LOCA.

22 MR. RICCARDELLA: Yes.

23 MEMBER KRESS: And you can't put in one
24 rod.

25 MS. KING: Essentially.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Essentially.

2 MR. RICCARDELLA: Essentially, yeah.

3 MEMBER KRESS: And that has a conditional
4 core damage probability of probably ten to the minus
5 three itself.

6 MR. RICCARDELLA: Yeah.

7 MEMBER KRESS: So you're talking about one
8 times ten to the minus six core damage frequency.

9 MR. RICCARDELLA: Core damage frequency.

10 MEMBER KRESS: As your acceptance
11 criteria.

12 CO-CHAIRMAN SIEBER: That's right, or
13 whatever it comes out when you add on all the other
14 mitigation you get out of the plant.

15 MEMBER KRESS: Yeah, but that should be at
16 a conditional already.

17 MR. RICCARDELLA: I guess the other thing,
18 too, is we're really not using that as acceptance.
19 We're really saying that that's the limit that defines
20 when we proceed from the moderate risk region into a
21 high risk region, which is using this to set --

22 MEMBER KRESS: That's kind of a
23 definition.

24 MR. RICCARDELLA: -- to set inspection
25 requirements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Yeah.

2 MR. RICCARDELLA: But that's where it
3 comes from, exactly.

4 MS. KING: And you'll see it hopefully
5 before this evening. We'll get to show you what these
6 inspection requirements are.

7 MR. RICCARDELLA: And, you know, we're
8 doing inspections to try to make sure that we never
9 get to that point. We're starting to do inspections,
10 you know, even in the low risk regime. We have
11 different inspection levels, but they're graduated as
12 plants move up from one regime to the other.

13 So you can see that a high risk model,
14 basically it captured -- there's a total of nine red
15 points that were leaders. Okay? And all but
16 basically one of those red points is either on or
17 above our high risk line.

18 And also I should say that all of these
19 data points are about a year old. So they're all
20 really going to move up about a year, and actually
21 this data point here is three plants. There's one
22 right on top of another. So you can't see them.

23 The three points where there were
24 inspections that found cracks but no leaks are the
25 three yellow points, one, two, and three, and then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a whole group of plants that have done
2 inspections and found nothing that are shown.

3 So it has really taken the plot that Larry
4 presented earlier and breaking it into a two
5 dimensional plot so that you can really see where
6 these plants lie, time and temperature.

7 And now the plants progress upward on this
8 line in real time, not in dog years, but in real
9 years.

10 (Laughter.)

11 MEMBER SHACK: What I'm looking at now,
12 when you have those dots, isn't that a median value
13 for a plant with that temperature?

14 And if I ranged it up to the 95th percent,
15 as I go through and I vary different heat assumptions,
16 that low temperature plant is going to get better, and
17 it's going to get worse, you know.

18 I've done a bunch of Monte Carlo runs.
19 What's being plotted here? Is that the median value
20 from that?

21 MR. RICCARDELLA: This actual data point?

22 PARTICIPANT: No, the third, the chain
23 link line.

24 MS. KING: Oh, the chain link line.

25 MEMBER SHACK: The lines.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RICCARDELLA: The lines are the median
2 results from my Monte Carlo analysis. The data points
3 are just time and temperature.

4 MEMBER SHACK: But where would the 95
5 percentile of the curve be?

6 MR. RICCARDELLA: I haven't really put
7 confidence bounds yet on the Monte Carlo analysis.
8 That requires some assumptions about, you know, the
9 confidence in the various assumptions that occurred.

10 MEMBER SHACK: I mean, for a given
11 temperature you get a distribution of failures, right?

12 MR. RICCARDELLA: Yes.

13 MEMBER SHACK: Well, you can take the
14 fifth to 95th to that.

15 MR. RICCARDELLA: This is all of -- this
16 100 percent of that.

17 MEMBER SHACK: It's 100 percent?

18 MR. RICCARDELLA: There's no -- you know,
19 in terms of putting confidence bounds, I think you'd
20 have to look at uncertainties in your various
21 assumptions that went into, you know, the analysis.

22 MEMBER SHACK: This is all of the
23 failures.

24 MR. RICCARDELLA: This is all of the
25 failures, yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Could I make a
2 suggestion?

3 MEMBER ROSEN: One question. What would
4 a failure look like? Where would you plot a low risk
5 plant that had inspected and found the crack? What
6 color would that be and where would it be? Say it was
7 a 600 degree --

8 MR. RICCARDELLA: Well, anyone who has
9 inspected and found leakage is a red dot. Anyone that
10 has inspected and found cracks is the yellow circle.

11 MEMBER ROSEN: So it doesn't matter
12 whether you're a low risk or a high risk plant.

13 MR. RICCARDELLA: No, not in how you plot
14 the individual points. I mean, if --

15 MEMBER ROSEN: So if I'm to take any
16 comfort from this plot at all in terms of stuff, you
17 know, if they're falling within the boundaries,
18 because you're by definition saying if you get a crack
19 or a leak and you're a 600 degree plant, you're right
20 there. MR. RICCARDELLA: Yeah.

21 MEMBER ROSEN: And you may need a brand
22 new plant, maybe one of the youngest plants that --

23 MR. RICCARDELLA: Well, no, no, no. The
24 probability of leakage for a 600 degree plant, let's
25 say a 602 degree plant, your probability of leakage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hits 20 percent at about eight years in accordance
2 with this, and then you continue to operate that
3 plant. It gets higher and higher.

4 By the time you hit 18 years, it's 75
5 percent. This is Davis-Besse. It had, you know, at
6 the time of that inspection about a 75 percent
7 probability of leakage in accordance with this model.

8 MEMBER ROSEN: I'm trying to figure out
9 where a point would be on this chart that would not be
10 consistent with your model.

11 MR. RICCARDELLA: Oh, if one of these guys
12 comes out as a red triangle, we're back to the drawing
13 board, okay, or a circ. crack or anything like that.
14 I mean, then it's reevaluating the whole model.

15 CO-CHAIRMAN SIEBER: That would tell you
16 your temperature correlation is no good.

17 MR. RICCARDELLA: Yeah. It might be that
18 the temperature or estimates of that head is wrong.
19 We don't have absolutely certainty in our estimate of
20 the head operating temperatures.

21 CO-CHAIRMAN FORD: Again, Pete, I hate to
22 do this to you, but could you just move straight to
23 your conclusions?

24 MS. KING: I guess could we show a couple
25 of slides on the effect of inspections?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Please.

2 MR. RICCARDELLA: Let's just real quickly
3 show the next one. All we've done here is to take
4 those same -- that same chart and put on lines of
5 constant EDYs, which is degradation, and it just shows
6 that's how we get the 18 and the ten basically,
7 because those are the ones that fall on top of our
8 risk curves.

9 Okay? All right?

10 MS. KING: Now we'll go a couple ahead.

11 MR. RICCARDELLA: Now what we do is I've
12 taken that same analysis, same model and said here's
13 the probability of net section collapse versus time.
14 This is run at 600 degrees. So this is actually EDY.
15 It says EFPYs, but in this case EFPYs equal EDYs.

16 And at the time that I get to 18 years,
17 which is approximately that one times ten to the minus
18 three, I assume inspections of various levels. I
19 assume a bare metal visual, and there's three curves.
20 One is a bare metal visual every refueling outage.
21 One is every two EDYs. One is every four EDYs. Okay?
22 And what's the effect of those?

23 And we made some assumptions about
24 probability of detection, which I think we should
25 cover.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: Point, six.

2 MR. RICCARDELLA: Yeah, we assumed .6,
3 which means --

4 MS. KING: I think that's hanging up.

5 MR. RICCARDELLA: I think you've got to go
6 up. No, one more up.

7 CO-CHAIRMAN SIEBER: We'll trust you it's
8 .6.

9 MR. RICCARDELLA: Point, six, no, but
10 there's something else I wanted to point out, was that
11 what we assumed also that was for subsequent exams, if
12 you missed a leak in a nozzle, we applied a factor of
13 .2 on that. So it's really only .12, is what we're
14 assuming for subsequent exams of a nozzle.

15 The comment came from one of our
16 interactions with the NRC that if you do an inspection
17 and you miss it, it might be because that's a
18 particularly difficult nozzle to inspect, and you have
19 a higher probability of missing it the next time.

20 So we put the ability to input a knockdown
21 factor on the POD or --

22 CO-CHAIRMAN SIEBER: You can't find it
23 because it's covered up by boron crystals, right?

24 MR. RICCARDELLA: Yeah, something like
25 that, or difficult access or tight shrink fit or all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kinds of things. So we think it's a fairly
2 conservative assumption as to what the POD is, and
3 then we had a second POD set of assumptions for
4 nondestructive volumetric examination, and that's a
5 curve of probability of detection versus crack size.

6 CO-CHAIRMAN SIEBER: Okay.

7 MR. RICCARDELLA: So if we go to the
8 volumetric, this is the same kind of curve again. We
9 assume we do the inspection at one times ten to the
10 minus three or at 18 EDYs, and then what the effects
11 of NDEs at four and eight years are on that.

12 CO-CHAIRMAN SIEBER: Do you have one that
13 shows the comparison between a visual and a
14 volumetric?

15 MR. RICCARDELLA: The next one sort of
16 shows that.

17 MS. KING: Kind of, yeah.

18 CO-CHAIRMAN SIEBER: Okay.

19 MR. RICCARDELLA: Here's the case of
20 starting the inspections earlier. You know, we are
21 proposing some inspections for the moderate category.
22 We're not proposing that people just operate without
23 any inspections until they get to high risk. We're
24 actually specifying inspections in the low risk and
25 also in the moderate risk.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These are the moderate risk
2 recommendations, and it's either a visual at two EDY
3 or an NDE at four. So you can see the effect of the
4 two. Obviously the NDE is more effective as the large
5 curve.

6 The NDE at four is more effective than the
7 visual at two.

8 CO-CHAIRMAN SIEBER: Yeah, that gets back
9 to my earlier point. If you really want to find them,
10 it ought to be volumetric.

11 MEMBER ROSEN: It's a question of whether
12 you want to find that or whether you want them to find
13 us.

14 CO-CHAIRMAN SIEBER: Well, I think that's
15 well put.

16 MR. RICCARDELLA: Okay. Let's just go to
17 conclusions.

18 CO-CHAIRMAN SIEBER: You don't have
19 anything with NDE and visuals at the same intervals,
20 right? That would be a yes or a no.

21 MR. RICCARDELLA: No.

22 MS. KING: No, we do not.

23 MR. RICCARDELLA: No. We could back it
24 out from the previous two curves if you want. The NDE
25 is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: I think I know
2 enough.

3 MR. RICCARDELLA: The NDE is much more
4 effective because it's finding -- first of all, we're
5 using a higher POD for the NDE, and secondly, it's
6 finding things even before they leak.

7 CO-CHAIRMAN SIEBER: And it also helps you
8 to some extent to see if you've got a cavity somehow
9 in the ferritic material that you can't see from the
10 surface, if you're good enough at looking at it.

11 CO-CHAIRMAN FORD: I'm going to let the
12 members read the conclusions during their break time.

13 CO-CHAIRMAN SIEBER: Our understanding is
14 more important.

15 MR. RICCARDELLA: This is the key though.
16 I think when Michael gets up later to present the
17 inspection plan, you're going to see that this is the
18 basic result of this analysis, is we've got low risk,
19 medium risk, and high risk categories that correlate
20 to those EFIs, and I've kind of explained where those
21 different categories come from.

22 CO-CHAIRMAN FORD: Thank you very much,
23 indeed. I appreciate it.

24 CO-CHAIRMAN SIEBER: Well done.

25 CO-CHAIRMAN FORD: We'll recess until

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quarter past three.

2 (Whereupon, the foregoing matter went off
3 the record at 3:00 p.m. and went back on
4 the record at 3:15 p.m.)

5 CO-CHAIRMAN FORD: Mark, you're up.

6 MR. KIRK: Okay. Thank you.

7 Is that working?

8 MS. WESTON: Yes.

9 MR. KIRK: Okay. The title of this
10 presentation is NRC assessment of the margin available
11 at Davis-Besse. My name is Mark Kirk. I'll be making
12 the presentation for the NRC Office of Research.

13 What I'll be presenting in the next 40
14 minutes or so represents the collaboration of a whole
15 host of people, and I don't think I have all the names
16 on the top slide.

17 Wally Norris is another, like myself, is
18 another program manager in the Office of Research. He
19 manages the work at the Engineering Mechanics
20 Corporation of Columbus, who has done some of the
21 finite element analysis. I manage the work at the Oak
22 Ridge National Laboratory under the HSST program.

23 Of course, Bill Cullen is leading the
24 Davis-Besse effort within the Office of Research.

25 Nilerh Chokshi is the head of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Materials and Engineering Branch.

2 At Oak Ridge, Paul Williams and Richard
3 Bass have been doing the finite element analysis. At
4 the Engineering Mechanics Corporation of Columbus, the
5 work there has been led by Gary Wilkowski and Dave
6 Rudland.

7 CO-CHAIRMAN FORD: Could you just -- we've
8 also got a quorum of people here. I just want to
9 interrupt for one second just to let everyone know
10 that at the rate we're going, in case you have to make
11 family arrangements, et cetera, it might be a quarter
12 to seven or seven o'clock before we're finished, if we
13 keep up the density of questions.

14 MEMBER BONACA: Tonight?

15 CO-CHAIRMAN FORD: Tonight.

16 (Laughter.)

17 CO-CHAIRMAN FORD: Sorry, Mark.

18 MR. KIRK: Okay. And I'll apologize in
19 advance. In order to give you the most up-to-date
20 information, we've revised these slides since I
21 provided them to Mike at the end of last week. I do
22 not have handouts right now, but I will. We'll make
23 them and we'll get them to you. They are probably
24 about twenty percent changed.

25 What we'll be talking about today is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mainly a discussion of our deterministic assessment of
2 margins in the condition that existed at Davis-Besse
3 at the time of the March shutdown.

4 We'll also be giving you some views on the
5 next steps in this analysis which include some further
6 refinements of this deterministic assessment and also
7 moving on to do a probabilistic analysis.

8 The scope of our deterministic assessment
9 was first to assess the margin to rupture of the
10 exposed cladding left in the condition that existed at
11 the March '02 shutdown.

12 The next step was to determine how much of
13 either -- how much over-pressure it would have taken
14 to rupture the cladding in that condition or how much
15 more wastage would it have taken to rupture the
16 cladding at operating pressure.

17 Finally, we had planned to assess various
18 weld repair options.

19 The red text, it's just up here to provide
20 you a perspective of where we are, well, where we
21 thought we were last Friday. We've had an increased
22 level of understanding which I think I should say is
23 a reduced level of eposemic (phonetic) uncertainty
24 regarding our failure criteria. So we are going back
25 and redoing some calculations, but I think that's all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for the better.

2 We're still working on the middle bullet.
3 The last bullet we are not going to do because repair
4 isn't being considered at this time.

5 This slide provides you with an overall
6 perspective of the analytical tools we've been using.
7 We've been using to different sorts of finite element
8 models.

9 At Oak Ridge National Laboratory, we've
10 constructed a full 3-D finite element model where
11 we've got a global model. It includes the specific
12 head geometry as installed at Davis-Besse. It
13 includes all the control drive penetrations.

14 That global model, when subject to
15 internal pressure, establishes the boundary condition
16 on a sub-model which then means that we get a much
17 more refined representation of the head wastage at
18 least at best we can tell at the time. So this is the
19 model that we would regard as giving us the answers
20 that are the closest to reality.

21 We also have been using an axi-symmetric
22 finite element model. That was constructed at MC².
23 Because of the limitations of axi-symmetric modeling,
24 the wastage had to be modeled as a spherical pit at
25 the top of the head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Obviously, that's geometrically not a
2 completely accurate representation, but the reason why
3 we wanted to do that was to enable us to do some
4 quicker parametric studies about increase growth and
5 so on. Moreover, Gary Wilkowski, who's been doing the
6 analysis at MC², has considerable background in
7 modeling of corrosion damage in gas pipelines and so
8 is familiar with some of the approximations that is
9 used in that industry.

10 But in any event, in the end we'll be
11 reporting and relying on the results of the 3-D model.
12 We've used the axi-symmetric model largely to help
13 guide the 3-D modeling effort and provide quicker
14 results at the time.

15 This table provides just some details of
16 the analysis and the various inputs that we've used.
17 The loading in these analyses has been either the
18 design pressure or in cases where we've tried to
19 calculate the over-pressure margin, obviously, we've
20 ramped that up.

21 The temperature has been the operating
22 temperature and we've not considered any temperature
23 gradients because none exist at operating, at least in
24 any practical sense.

25 I'll show you more about the material

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 properties and the local geometry that we've modeled
2 on the following slide. That's a new slide that is
3 not in your pack.

4 On failure criteria, I'm going to give you
5 a little of a now-and-then flavor because this is the
6 area where we've done some refinements in the last few
7 days.

8 Up until last Friday, we considered -- or
9 we defined, I should say -- failure to occur when the
10 average through thickness plastic strain in the
11 exposed cladding area exceeded 5.5 percent, with the
12 5.5 percent corresponding to the strain at the
13 beginning of plastic instability.

14 That was derived from uni-axial tension
15 data that showed an 11 percent strain at max. load,
16 and furthered the assumption that failure occurs at
17 the same stress level under uni-axial and bi-axial
18 loading.

19 I want to stress that is an assumption
20 that maybe isn't as coupled as well as it should be to
21 the actual ductile failure mode.

22 We'd honestly never been completely
23 satisfied with that as a failure criteria because up
24 until last Friday, we hadn't known of the existence of
25 any better data to calibrate to. But I'll be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussing how we've changed that shortly.

2 MEMBER WALLIS: Don't you have stress
3 concentration around the edge where there is sort of
4 a sharp edge?

5 MR. KIRK: Yeah. Yes, you do. And that
6 is considered in the geometric finite element model,
7 yeah.

8 MEMBER SHACK: Why would you even start
9 with that assumption, Mark?

10 MR. KIRK: Start with what assumption?

11 MEMBER SHACK: That failure occurs at the
12 same stress into the uni-axial and bi-axial loading.

13 MR. KIRK: If you want the straight and
14 unvarnished answer, because it made the math work
15 easily. But don't go there too far because everything
16 has changed.

17 MEMBER SHACK: Okay.

18 MR. KIRK: Okay. This just shows the
19 material properties that we've been using, just simply
20 appropriate properties for the RPV steel and for the
21 308 cladding.

22 I'm now going to give you a short time
23 history of the geometries we've assumed. Our first
24 cut at this, when this all hit the fan back in March
25 and the Office of Research was asked to assist, we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to get some cut on the geometry.

2 So we took one of the photographs that was
3 taken in the vary initial inspections. It was a head-
4 down shot of the cavity. At that point, the brown
5 that you see at the bottom of the cavity, that was
6 water sitting in the cladding.

7 We used the diameter of the hole as a
8 dimensional reference and simply digitized the shape
9 of that cavity.

10 Our current model reflects the results of
11 Figure 13 which is shown in the licensee's root cause
12 document. It's our understanding that that's the best
13 current representation of the cavity.

14 What we've incorporated into our model is
15 a -- I think everybody here has also seen the
16 companion profile view which shows the nose in the RPV
17 steel. However, we don't believe or we don't have any
18 reason to believe that that contributes significantly
19 to the load carrying capacity of the membrane. So we
20 haven't included that in our model.

21 Basically, the 3-D model that we're using
22 now has a hole in it down to the cladding along the
23 green contour.

24 MEMBER WALLIS: What's the boundary
25 condition on the control rod drive cylinder there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I understand the boundary condition around
2 your green line, but what about the boundary where
3 there's a gray? What's your boundary condition for
4 the cladding there?

5 MR. KIRK: I'm not -- I mean it's a --
6 it's hooked to the rest of the head and you don't
7 apply a boundary condition there. You apply a
8 boundary condition remote to the head.

9 MEMBER KRESS: It's free to move there.

10 MR. KIRK: It's free to move, yes. It's
11 not constrained. But I'm not sure I'm answering the
12 question.

13 MEMBER KRESS: It's hooked at the corners
14 where the green --

15 MR. KIRK: Yes.

16 MEMBER WALLIS: So where there isn't
17 green, where that round grey thing is; it's free
18 there?

19 MEMBER KRESS: Yeah. It says free-
20 floating membrane, a free-floating area. No
21 constraint to it.

22 MEMBER WALLIS: Oh, it can't be. From
23 there?

24 MR. KIRK: From there, yes. That just
25 expands with pressure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: No, but the displacement of
2 the cladding is constrained to be the displacement at
3 the nozzle?

4 MR. KIRK: Yes.

5 MEMBER SHACK: It's not free-floating?

6 MEMBER WALLIS: It's not. It rests on the
7 nozzle.

8 MEMBER SHACK: And it's attached?

9 MR. KIRK: This is where the nozzle
10 attaches at. That's correct. Yes.

11 MEMBER BONACA: I thought the portion of
12 the cladding was exposed within and beyond the image
13 that you have from a picture taken above.

14 MR. KIRK: I believe that's what's
15 reflected -- well, these are two different --

16 MEMBER BONACA: I understand.

17 MR. KIRK: Better -- presumably better
18 knowledge going from here to here. I believe there is
19 -- I should say I believe because nobody is going to
20 band-saw through this thing and cut it open for all to
21 see.

22 My understanding from what I have seen --
23 and I think, you know, yours too -- is that there is
24 exposed cladding back here.

25 MEMBER BONACA: Exactly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KIRK: I believe this contour here
2 which I have not outlined is what you would -- what
3 I'm trying to say --

4 MEMBER BONACA: Oh, that's what you're
5 seeing?

6 MR. KIRK: -- is that if you're looking
7 down from the top there's metal here. This is the
8 position of the nose. That's where the cladding will
9 dispose.

10 Now what's really there, we still don't
11 know. I think that's fair to point that out, that in
12 our current calculations -- in anybody's current
13 calculations -- what the actual geometry is is,
14 indeed, unknown. I mean we're getting better and
15 better representations of it. But I think it is
16 important to point out that the first order effects
17 that are important is the overall exposed area.

18 The shape of that, obviously it's
19 different if it is a perfect circle than if it is
20 along the ellipsoid. Also the details of the
21 thickness, overall thickness of the cladding and
22 thickness variations.

23 We don't know all those. You know, those
24 are, to borrow a phrase that I've learned from our PRA
25 friends, "those are in principle knowable," but we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't know them right now.

2 (Laughter.)

3 MR. KIRK: So we like everyone are
4 proceeding with our best current information which to
5 my understanding is this right here. But if anybody
6 in the audience can tell me later about better
7 information, I'd greatly appreciate it because we're
8 about, as you'll learn later, we're about to embark on
9 finite element analysis to drive some probablistic
10 calculations. If we can go into that with a better
11 knowledge of the geometry, that would be certainly
12 desirable.

13 MEMBER KRESS: I have a little bit of a
14 strange question. Why do you want to do this?

15 MR. KIRK: Because my boss asked me to.

16 (Laughter.)

17 MR. KIRK: No, you had a serious question.

18 MEMBER KRESS: Right, seriously. I mean,
19 you're asking -- this is kind of a what-if question.
20 How close were we to disaster?

21 MR. KIRK: Exactly.

22 MEMBER KRESS: Is there some use for that
23 information?

24 MR. KIRK: In terms of -- do you mean in
25 terms of the probablistic analysis or the -- we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been doing the deterministic analysis, I think, just
2 to -- my understanding would be to satisfy that
3 question of how close were we. Were we really close
4 or were we not so close at all?

5 MEMBER KRESS: You just want to know that?

6 MR. KIRK: Yeah.

7 MEMBER KRESS: Is there some use for that
8 information?

9 MR. KIRK: Now, going to the probablistic
10 calculation -- and I'll give the short answer and some
11 of my colleagues in the back can perhaps give a more
12 detailed answer -- the probablistic calculation is
13 being used as one of the inputs to NRR's safety
14 determination process.

15 MEMBER KRESS: The old ASP type thing or?

16 MR. KIRK: Steve, do you want to take a
17 cut at that so I don't use the wrong acronyms?

18 MR. LONG: This is Steve Long.

19 Significant?

20 MR. KIRK: Yes. Yes, significant. See, I
21 knew I'd do it wrong.

22 MEMBER KRESS: Okay. I understand that.

23 CO-CHAIRMAN SIEBER: The way you can do
24 that is to assume it fails and look at what mitigating
25 systems were in service and what the failing duct you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had, which comes out to what, three times ten to the
2 minus three or something like that for CDF?

3 If you assume the failure frequency is
4 one, that's the first cut.

5 MR. KIRK: What I'm going to show you is
6 a series of slides that summarize our current results,
7 and some of these are as current as just this morning.
8 So you are getting the latest and best.

9 What the contour plot shows you here is
10 the equivalent plastic straining contours in the
11 cladding.

12 We've removed all of the reactor pressure
13 vessel head so you can see what's going on. We've
14 taken this up to the operating pressure of 2165 psi.
15 At that pressure we get the highest strain somewhere
16 around about the center of the wastage cavity, and the
17 peak strain is somewhere between 2.5 and three
18 percent.

19 We've been going through extensive
20 debates, as I think most of the committee members are
21 aware, with the industry over what an appropriate
22 failure criteria is, but I don't think anybody has
23 ever presumed that it would be as low as this.

24 The finite element model with the best
25 representation of the geometry as showing us that at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operating pressure we wouldn't really expect it to
2 fail. Indeed, it did not fail.

3 CO-CHAIRMAN SIEBER: Let me ask you a
4 question. How did you model the cladding itself?
5 Cladding is not a plate. It is a series of weld
6 stripes, which to me would seem to be weaker than a
7 solid piece of material that was just a plate there.

8 Did you treat the cladding differently --

9 MR. KIRK: No.

10 CO-CHAIRMAN SIEBER: -- than you would
11 have as a solid metal?

12 MR. KIRK: No. Right now -- well, it's
13 weld strip cladding. So we've assumed -- I mean,
14 it's been modeled as a plate. So you've implicitly
15 assumed that there are no flaws in it and that you've
16 got no significant lack of inner rod penetration.

17 CO-CHAIRMAN SIEBER: Do you feel
18 comfortable with that?

19 MR. KIRK: Yeah. I feel reasonably
20 comfortable with that. The only further modification
21 that I would think would be appropriate at some point
22 -- and again, this gets to the question of why are you
23 doing this -- is how refined a model do you want to
24 get to get a warm, fuzzy feeling that you weren't that
25 close after all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You might want to include the natural
2 undulations that result from the welding process. I
3 would personally take the position that I wouldn't
4 want to do that until I had a lot better picture of
5 what those undulations were. I don't have that right
6 now.

7 MEMBER ROSEN: You'd just be making it up.

8 MR. KIRK: Yeah. Right now I would be
9 forced to make it up. That's right.

10 MEMBER ROSEN: I'm not sure. You need to
11 be careful about assuming that because it's weld metal
12 that it's weaker than a plate. There's lots of
13 evidence that they think it might actually be
14 stronger.

15 MR. KIRK: Well, just in terms of the --

16 CO-CHAIRMAN SIEBER: Wait a minute. It
17 seems to me that I've seen weld overlays on various
18 vessels where it wasn't continuous. I've seen places
19 where the weld didn't --

20 PARTICIPANT: Didn't overlap.

21 CO-CHAIRMAN SIEBER: -- and the
22 undulations actually exist because they are crud-
23 trapped. That's what makes all these clad vessels,
24 unless they're micro-polished, so radioactively hot.

25 MEMBER ROSEN: But would you agree with me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we don't know -- a priori we don't know whether
2 it's stronger or weaker?

3 CO-CHAIRMAN SIEBER: I think that you
4 would say it was weaker if you knew exactly what the
5 weld metal was and the temperature conditions as --

6 MEMBER ROSEN: But we don't.

7 CO-CHAIRMAN SIEBER: -- how it was laid
8 down. You would know something about it, but it would
9 be a guess. It really would.

10 MEMBER ROSEN: I'm just trying to make the
11 point that we don't know whether it's stronger or
12 weaker than a model plate because we don't know what
13 the configuration is (a), and (b) we don't know
14 whether a weld metal deposited that way is, in fact,
15 weaker or stronger.

16 MR. POWERS: This is Jim Powers from
17 FENOC.

18 MEMBER KRESS: The question is: to what
19 detail do you think you all have to go to with this.

20 MR. KIRK: One of the things that we will
21 be doing -- and I'll get to this in a bit in the
22 probabilistic analysis -- is we will certainly be
23 including -- because we know from measurements that
24 were reported in Figure 14 of the licensee's root
25 cause report; we know there are measurable variations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the cladding thickness.

2 And so in our probablistic analysis, I can
3 say with a fair degree of certainty that variations in
4 a uniformed plate model of thickness will be included.
5 Whether we need to, want to, whether it's warranted to
6 go to the next step and include the details of the
7 undulations is, indeed, up for questioning.

8 Like I said, I wouldn't -- I, personally,
9 wouldn't want to do that until I had a much better
10 picture. By that, I do mean something like a
11 photograph and profilometry of what's actually there
12 because otherwise I'm just guessing.

13 CO-CHAIRMAN SIEBER: Okay.

14 MR. POWERS: This is Jim Powers from
15 FENOC.

16 We do have some undulations on the
17 surface, but it's relatively smooth. There is no
18 separation of contact bead to bead. It was a six wire
19 sub-arc application of the clad. We PT-tested that
20 clad area and found no indications in situ.

21 So we had some degree of confidence in its
22 continuity.

23 MEMBER WALLIS: There is a measure of the
24 residual bulging, isn't there, in this?

25 CO-CHAIRMAN SIEBER: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Does that check your
2 analysis? I mean the actual movement of the center
3 from --

4 MR. KIRK: I don't have those figures
5 reported here, but my memory is from an early analysis
6 that they were -- given the approximations in the
7 analysis and the difficulty attendant to measuring a
8 set deformation off of initially curved surface, that
9 if you will forgive the phrase, "they were close
10 enough for government work."

11 (Laughter.)

12 MEMBER WALLIS: That's your predictions,
13 or the measurements?

14 (Laughter.)

15 MR. KIRK: Both.

16 (Laughter.)

17 MR. KIRK: In this case, the measurements
18 weren't reality either.

19 I mean, remember those measurements were
20 made in an environment where they were trying to
21 minimize man REM so it wasn't exactly like somebody
22 got down there with a micrometer and made a
23 measurement that was good to the mil.

24 I think we're in the position the piece is
25 now cut out. I apologize because I don't know where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it is. Clearly somebody in this room does. But, you
2 know, we're in the position of making much less
3 equivocal measurements.

4 MEMBER WALLIS: Is this going to the
5 Smithsonian or somewhere, is it?

6 (Laughter.)

7 MR. KIRK: I don't know.

8 CO-CHAIRMAN SIEBER: We probably are
9 dwelling on this more than is necessary. So I think
10 at least I know in my own mind what was done and how
11 it was modeled and that's good enough for me.

12 MEMBER KRESS: A strain is a measure in
13 the change in length divided by the original length.

14 MR. KIRK: Right.

15 MEMBER KRESS: Your original length, is
16 that your finite element node that you use? You get
17 a change in that finite element node?

18 MR. KIRK: Yes. Yeah.

19 MEMBER KRESS: Okay.

20 MR. KIRK: This is the slide there
21 where --

22 PARTICIPANT: I could put cartoons on
23 there.

24 MR. KIRK: This is the slide where we've
25 had some significant changes and, I think, changes for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much the better in our predictions of margin on over-
2 pressure. All the predictions that we've made, that
3 anybody's made obviously depend upon how you modeled
4 it and what you've assumed for failure.

5 In particular, the assumed failure
6 criteria, the failure strain makes significant
7 differences in how much pressure you think you can
8 withstand.

9 There was considerable discussion given in
10 earlier presentations of this work that the industry
11 analyses performed by Dr. Riccardella were predicting
12 considerably higher over-pressure margins than our
13 analyses. It's not hard to see that was related to
14 differences in the failure strains we were using.

15 One thing I would point out is that even
16 with our at the time more pessimistic view of the
17 strain that the material could withstand before
18 failure ensued is all of our over-pressure margins
19 exceeded the SRV set-point of 110 percent. So
20 something even with the very pessimistic view that we
21 took initially on what the material could take, a
22 controlled SRV trip would have happened before we
23 would have expected the SRV set-point to have been
24 reached, before the membrane would have blown.

25 However, as I said, we've been having

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continuing discussions between ourselves and the
2 industry regarding the issue of the failure criteria.
3 We've recognized from the beginning that the failure
4 criteria that we took on was somewhat arbitrary.

5 Pete pointed out to us -- pointed us back
6 to a paper that he had presented way back in 1972 at
7 PVP, where experiments had been run on, among other
8 things, burst discs of 304-stainless steel. I have
9 diagramed the experiment here.

10 The disc had a thickness of both an eighth
11 inch and a quarter of an inch. It was a six-inch
12 diameter exposed area, and it was subjected to
13 pressure on the backside until it ruptured.

14 Now, to quote Richard Bass, who has looked
15 at this over the weekend, in fact, if I were to design
16 an experiment to calibrate the failure criteria in my
17 finite element model, I would have designed this
18 experiment.

19 So over the weekend, once we finally got
20 the peculiarities of electronic data transfer
21 perfected and actually got a copy of the paper, Paul
22 Williams and Richard Bass at Oak Ridge modeled this
23 geometry, which is very conveniently axi-symmetric,
24 and used it to calibrate a failure model that we would
25 use in the Davis-Besse analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We believe that these experiments are
2 extremely relevant and appropriate to this end because
3 the experiments have a similar material, have a
4 similar thickness, and have a very similar exposed
5 area to the conditions of interest at Davis-Besse.

6 By calibrating the failure criteria to
7 these experiments, we are able to significantly reduce
8 our uncertainty in the failure criteria, of course, by
9 referencing the relevant experiment data.

10 In doing these analyses, we've reached the
11 same conclusion that was reached back in 1972, that
12 disc rupture occurs shortly after the finite element
13 solution fails to converge under pressure loading, of
14 course. What that means, physically, is that the
15 elements -- we're doing large deformation, large
16 plasticity, finite element analyses -- the elements
17 have been stretched so far that you can't maintain --
18 you can't reach an equilibrium condition.

19 This, of course, produces what we'll call
20 an NRC failure criteria, which is much, much closer to
21 that that's been advocated by the industry for quite
22 some time now.

23 In exercising this new failure criteria,
24 we're using a new sub-model of the wastage area just
25 based on our most recent geometric understanding and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also including more refinement through the cladding
2 thickness.

3 MEMBER KRESS: I have a little problem
4 with that criterion. Doesn't the failure to converge
5 of your finite element model depend on the size of
6 your finite elements that you choose?

7 MR. KIRK: Yeah, yes it does. We've done
8 the studies on that. But the more -- the less refined
9 your model, the stiffer the model becomes. In other
10 words, our initial model included only one element
11 through the thickness of the cladding.

12 MEMBER KRESS: Okay. You mean --

13 MR. KIRK: That --

14 MEMBER KRESS: -- you only had sort of a
15 surface?

16 MR. KIRK: Yeah. Yeah.

17 MEMBER KRESS: That went all the way
18 through?

19 MR. KIRK: That's right. That model will
20 fail to converge at a lower pressure than a more
21 refined model. So the -- if you fail to refine
22 adequately, you will --

23 MEMBER KRESS: But, how about in the other
24 two dimensions? You can make that smaller and
25 smaller. On the top.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KIRK: Yeah. Yes, you're right.
2 You're absolutely right that that will depend upon the
3 level of mesh refinement.

4 What I'd like to point out is that if you
5 under-refine the mesh, which is the only error that
6 you can make because it is an inherently discrete
7 model, that will lead to an under-prediction of the
8 true failure pressure, not an over-prediction.

9 MEMBER KRESS: You may be right. I am
10 still bothered by having a failure criteria that's
11 tied to how well my finite element model behaves. It
12 seems a little strange to me, but I'll buy what you
13 say.

14 MEMBER SHACK: The system is too stiff.
15 Therefore, I'm going to get less deflection than I
16 would for a given load.

17 MR. KIRK: That's right.

18 MEMBER SHACK: Wouldn't that tell me I'm -
19 - I'm getting less deflection so if I go -- the strain
20 I'm predicting is really too small, right?

21 MR. KIRK: I'd have to check, Bill. I
22 think it goes -- oh, what I do remember is --

23 MEMBER SHACK: But your going to run the
24 mesh refinement?

25 MR. KIRK: We're running the mesh

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 refinement. We know that if we have four elements
2 through the thickness, we get to a higher plastic
3 strain before we can converge them with one element
4 through the thickness. As of 0800 this morning, we
5 had a pressure of 3.5 ksi or 60 percent above design
6 without failure, and the model continues to run.

7 MEMBER ROSEN: Why wouldn't you let the
8 licensee do any more? They want to get more and more
9 margins. You know, let them do it. You're done with
10 the problem as far as I'm concerned.

11 MR. KIRK: I'll give you a list of people
12 I'd like you to say that too, if you would.

13 MEMBER ROSEN: I just said it.

14 (Laughter.)

15 MEMBER WALLIS: No, I don't think your
16 done with the problem because the public is going to
17 ask this question, the newspaper reporters, all kinds
18 of people.

19 Have you done the ASME diaphragm tests?
20 Have you predicted that too?

21 MR. KIRK: I'm not familiar.

22 MEMBER WALLIS: The one you just drew.
23 The one you showed us -- the pictures.

24 MR. KIRK: Yes. Yes, that's the -- that
25 was the -- I don't have that here, but those results,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we were able to predict the results in the paper.

2 MEMBER WALLIS: You did a good job on
3 that?

4 MR. KIRK: Yeah, within ten percent of the
5 -- we systematically under-predicted the true burst
6 pressure of those experiments by a factor of ten
7 percent.

8 MR. POWERS: Jim Powers from FENOC again.
9 From a licensee's perspective, we have a
10 very short presentation that we'd like to do that
11 shows what we did in terms of optimization of the
12 node, numbers of nodes for the modeling, as well as a
13 correlation to the disc burst criteria and shows how
14 we selected our failure criteria. We have about a
15 dozen slides, if we could respond afterwards.

16 MR. KIRK: So as I said, these are very
17 new results. This gives you a sense of the line that
18 we're trying to pursue.

19 Also, right now the only information that
20 we have on the additional -- how much bigger the
21 cavity would have had to have been in order to fail
22 comes out of our axi-symmetric model that was done at
23 MC².

24 We haven't yet gotten this into the 3-D
25 model. What we did is we just expanded the diameter

1 of the pit at the top of the axi-symmetric head until
2 the failure pressure, and I should emphasize this is
3 a failure pressure at assuming the old 5.5 percent
4 strain failure criteria. So the newer, better,
5 updated version should be bigger.

6 In any event, based on that criteria, we
7 calculated that we needed, in round terms, two more
8 inches of wastage along the main axis in order to fail
9 at the operating pressure. Given the changes that I
10 just reflected and our understanding of an appropriate
11 failure criteria, I would expect that when we do this
12 with the 3-D model, with the new failure criteria, the
13 amount of the additional wastage could indeed be
14 considerably more.

15 MEMBER KRESS: Are you going to convert
16 that into how much time was left before the --

17 MR. KIRK: Yes. We do consultation with
18 Bill Cullen. Yes. Yes.

19 MEMBER ROSEN: Did you get any information
20 about what would happen to the rod after failure?
21 Would it eject?

22 MR. KIRK: That's not part of our current
23 analysis. I'll throw that open to anybody else in the
24 room if anybody -- do you know is anybody considering
25 what would happen to the rod if this membrane

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ruptured? Anybody?

2 I haven't heard about that, but --

3 MR. POWERS: Jim Powers, from FENOC.

4 We submitted in our safety analysis of
5 this rod ejection effects. We described those the
6 last time we came to this subcommittee in terms of the
7 shield above the rod housing area and lateral loads
8 from jet, cavity loads on adjacent rods, and the fact
9 that they'd remain in the elastic range and should
10 function properly.

11 So we had submitted that previously.

12 MR. KIRK: This is my -- the last slide
13 that I was planning on presenting. It just gives you
14 a perspective on where we're going. I put on the
15 slide last week that we were looking at a better
16 definition of the failure criteria. That, based on
17 the work over the weekend, is now well under way.

18 On that basis, we intend to recalculate
19 the margin on over-pressure and the additional cavity
20 growth needed to fail using the new failure criteria
21 and the 3-D model.

22 As I indicated before, we've begun the FE
23 analysis to support -- to generate the inputs needed
24 for a probablistic analysis that's needed to support
25 NRs, and now I've got a wrong again, significance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 determination process.

2 MEMBER WALLIS: If your cavity grows
3 enough, then the liner is actually holding the nozzle.

4 MR. KIRK: That's correct.

5 MEMBER BONACA: In fact, a similar
6 question I have is this analysis clearly is looking at
7 the strain in the material and the ability of what it
8 would take to rupture.

9 MR. KIRK: Yeah.

10 MEMBER BONACA: In reality, during the
11 clean-up of the head, there was work being done on the
12 nozzle from below and that's when the tube moved.

13 So I guess the question I have is: how
14 well attached is this nozzle to the cladding, okay,
15 that would result in that being the weak link?

16 So, therefore, the cladding probably could
17 have still survived, but the nozzle would be ejected.
18 I don't understand what caused them to do that.

19 MR. POWERS: Jim Powers from FENOC.

20 What caused the rotation is we were going
21 into the repair methodology for the J-groove weld
22 cracking phenomenon. So we machine-up through that
23 weld and actually separate from it. Then it wasn't
24 supported up above due to the cavity and it tipped a
25 bit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701