

1 MEMBER BONACA: So the weld was still
2 affected before --

3 MR. POWERS: That's correct.

4 MEMBER BONACA: -- they did their work.

5 MR. POWERS: That's correct.

6 MEMBER ROSEN: They had already cut it
7 when it moved.

8 MEMBER BONACA: Okay. I just wanted to
9 know. Okay.

10 CO-CHAIRMAN FORD: Mark, thank you very
11 much for your -- who's next? Is it the -- well, how
12 about let's invite Jim Powers?

13 MR. POWERS: This is Jim Powers.

14 I'd like Nat Cofie from Structural
15 Integrity Associates to give a short presentation on
16 what he's done in evaluating this cladding and also
17 comparing it to the disc burst pressures and give us
18 a quick look at that.

19 MR. COFIE: My name is Nathaniel Cofie.
20 I work at Structural Integrity Associates.

21 We've been assisting Davis-Besse in trying
22 to determine the margins, set the margins in the as-
23 found wastage condition. What I'm here to present
24 this afternoon is just a very brief summary of the
25 analysis, the failure criteria that we use, and how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've been able to justify this failure criteria that
2 we're using for analysis.

3 We use a three dimensional finite element
4 analysis to build a model.

5 MEMBER WALLIS: Do we have a --

6 CO-CHAIRMAN FORD: Yes, it's coming
7 around.

8 MR. COFIE: We use a 3-D model because
9 this geometry is very, very complicated. We've tried
10 to explore the possibility of using a 2-D model which
11 would really make the analysis very, very quick and
12 very ready-available. But the geometry of the wastage
13 inside that really didn't lend itself to a 2-D axi-
14 symmetric analysis.

15 We ran some preliminary 2-D analysis
16 compared with the 3-D results, and they didn't agree
17 very well. Because of that, we decided to use a three
18 dimensional finite analysis, which includes the head,
19 the affected nozzle and the adjacent nozzle, and all
20 the features that would capture the stress and strain
21 distribution as we subject the head to the pressure
22 loading.

23 We modeled the entire head and the dummy
24 nozzle and the adjacent nozzles. Of course, because
25 of the large strains involved in this, we used

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 incremental elastic plastic analysis.

2 We used a very conservative stress
3 strength curve in the analysis. And the previous
4 speaker mentioned 11 percent and 5.5 percent. I'd
5 like to rephrase that a little bit. It's really not
6 11.15 percent per C, but the criteria that we used was
7 basically based on the uniform elongation of the
8 stress-ranked curve. So that is really the basis for
9 the 11.15.

10 The criterion that we use in the analysis
11 was that any column of elements in the finite element
12 analysis, which exceed the uniform elongation, that
13 formed the basis for our failure criteria. Then we
14 said that we've achieved failure.

15 We believe this is very conservative
16 because when a column of elements exceed 11.15
17 percent, or the uniform elongation, there's
18 redistribution of stresses and strains to the adjacent
19 elements. So using this as a failure criterion to
20 begin we thought was very, very conservative.

21 MEMBER SHACK: Suppose you did the more
22 simple minded thing. I mean the uniform elongation in
23 a tensile test, really it's a maximum load in the
24 tensile test. So if you do a maximum load in the
25 sphere under pressure and you consider the thinning of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the sphere, you come up with two-thirds of the uniform
2 tensile stress and the equivalent stress.

3 Why not that kind of a simple minded
4 argument, where you are basically doing the same
5 argument, but the thing fails because it is necking
6 faster than it's work hardening?

7 MR. COFIE: Yeah, you know you build it --
8 once you get your large deformation, you find out
9 using stress as a criterion becomes very difficult.
10 Because a very small increment in --

11 MEMBER SHACK: No, it's still a strain
12 criteria.

13 MR. COFIE: You know, as I will show
14 later, you find that, in fact, when these evaluations
15 started, the general feeling was that if you run the
16 analysis all the way to plastic instability, that
17 probably would be very close to the actual failure.
18 It depends on the --

19 MEMBER SHACK: That's the equivalent of
20 what you're doing with that kind of an argument.

21 MR. COFIE: Exactly.

22 MEMBER SHACK: Except you're going to do
23 it without making an approximation.

24 MR. COFIE: Exactly. In fact, later on,
25 I think with the experiment that I --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But that isn't what you
2 said you did here?

3 MR. COFIE: Well, I would -- next slide,
4 please.

5 You find that for the average thickness
6 clad of .297, I've predicted --

7 CO-CHAIRMAN SIEBER: Could you move closer
8 to the mic, sir? I'm sorry. Could you move closer
9 to the microphone so the reporter can hear you?

10 MR. COFIE: Yes. I've predicted that the
11 pressure was 5600, which was greater than twice the
12 normal operating pressure.

13 We also ran a case with minimum measured
14 clad thickness of .24. We got 4600 which was also
15 greater.

16 MEMBER SHACK: But that's for your uniform
17 strain in an element or that's for your plastic
18 instability?

19 MR. COFIE: No, that is for the uniform
20 strain, elongation.

21 MEMBER SHACK: I see.

22 MR. COFIE: So even with this conservative
23 failure criteria, we got failure pressures which were
24 twice, greater than twice the normal operating
25 pressure. Of course, if we had used the instability

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 load as a criterion, that would have been even
2 greater. I'll show you those.

3 But this criterion came under a little bit
4 of question because it was slightly based on
5 engineering judgement, engineering judgment, but I
6 believe that based on the fact that once you reached
7 the uniform elongation, there's free distribution of
8 stresses and strain. I believe strongly that that was
9 very conservative.

10 But now that -- to prove, that fortunately
11 we got this burst test that were run by PVRC somewhere
12 in the early '70s. And Pete took that results. Peter
13 Riccardella took those results and did an analysis of
14 those.

15 So we had the test results available to
16 us. So we used that basically to test the failure
17 criteria that we've used to see how reasonable it is
18 and whether it is conservative enough application to
19 this wastage problem that we dealt with.

20 Next slide, please.

21 This didn't come out very well, but this
22 is basically the three dimensional finite element
23 model that we use. It takes a very sophisticated
24 finite element model.

25 We have the -- this is the wastage area

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right here. That doesn't show very well on this
2 slide. This is the nozzle associated with the
3 wastage.

4 We modeled the four adjacent nozzles so
5 that we catch the ligament effect. Initially we
6 thought that we could get by without making this thing
7 too complicated, but we wanted to get you all the
8 details. You know, once you have some adjacent holes
9 in the neighborhood of this area, we thought that
10 could affect them. So we modeled adjacent models to
11 catch the ligament effect.

12 This model has a total of about 6,000
13 elements. Through the cladding, we had six through
14 wall elements. Because of that, the became a very
15 humongous model which took days to run. We wanted to
16 do it right, to make sure that we get results that we
17 can rely upon, are very, very reliable.

18 Next slide, please.

19 This is a summary of the analysis results.
20 The original footprint, which is 20.5 square inch with
21 an average thickness clad, using the criterion based
22 upon the uniform elongation, the predicted failure
23 pressure was 5600.

24 For this case, we also went as far as to
25 instability, and the instability pressure was greater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than 8000. If I remember, it was 8,125. It was
2 greater than 8000.

3 We also looked at a case with the minimum
4 measured thickness of .24 and the original footprint.
5 The predicted pressure based on the uniform elongation
6 criteria was 4600.

7 For this case, we really didn't go to
8 instability because this was failure criteria.
9 Therefore, we just run a little bit greater than this
10 pressure. We know that the instability pressure is 48
11 -- greater than 4800.

12 If I were a betting man and you asked me
13 what would be the instability pressure, I would say
14 probably it goes up to about 7,000.

15 We also did another analysis to look at
16 what is the failure pressure if, indeed, we have a
17 larger footprint, twice the area that was associated
18 with the wastage. And in this case we've got a
19 predicted failure pressure greater than 2750.

20 Once again, we stopped this just around
21 about 3,000 because we had used a 2-D model to
22 basically benchmark against a 3-D model, to predict
23 when we'd get to about 2750. So we didn't run this
24 under any pressure greater than 3,000 or so.

25 I believe that the instability pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for this one is also greater than 4,00 psi.

2 Next slide, please.

3 MEMBER BONACA: That's the question I had.
4 Can you comment on the stuff used 5.5 percent
5 strained?

6 MR. COFIE: Right.

7 MEMBER BONACA: Okay. It seems to be a
8 key to the difference as one may see. Could you
9 comment why you use 11 percent?

10 MR. COFIE: Like I said, 11.15 percent was
11 basically the uniform elongation. The idea of using
12 that as a failure criteria, that once you reach 11.5
13 percent, once you reach the uniform elongation, you
14 start to get necking (phonetic). That is the first
15 onset of instability, but that's not necessarily the
16 failure pressure.

17 I understand the 5.5 percent was used by
18 the staff's contractor because they were trying to
19 account for the so-called tri-axiality factor
20 associated with the fact that this is sort of uni-
21 axial loading, but it's a bi-axial, tri-axial state
22 loading.

23 Unfortunately, you don't apply the tri-
24 axiality factor to the uniform elongation. I believe,
25 probably, if that has been explored a little bit, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would have probably done something a little
2 different. I think that is the difference between the
3 two failure criteria that we used.

4 I brought this slide only to show that the
5 uniform elongation associated with the stress-strain
6 curve that we used is very conservative. There's a
7 whole lot of reference in the literature, a lot of
8 NUREGs and EPRI reports that have reported various
9 elastic -- various stress-strain parameters for weld
10 metal as well as base metal, stainless steel.

11 Here is the uniform elongation for the
12 base metal. It is pretty large. Our range is about
13 45 percent. So make-up weldments, SAWs, the average
14 for all the data that would have to get in this
15 reference is about 25.7, 25.7 percent. Most of the
16 data is greater than 20 percent with only two of them
17 less than 20 percent.

18 This is the data for SMAW weldments, all
19 of them greater than 20 percent, with the average of
20 about 30.7 percent.

21 If you combine both populations, both weld
22 populations, both SAW and SMAW, the average elongation
23 is about 27.3 percent.

24 MEMBER SHACK: But, I thought Davis-Besse
25 when they were last here told us those came from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measurements by Framatome, the 11 percent.

2 MR. COFIE: No, that's not exactly
3 correct. The 11 -- the stress-strain curve that was
4 used was basically obtained in the lurch and one of
5 these handbooks. At that time, that was conservative
6 enough that we chose to use that one as the basis for
7 these evaluations.

8 But, no, there was no measurement made on
9 the Davis-Besse --

10 MEMBER SHACK: No, not on the Davis-Besse.
11 A test on weld metal, on cladding?

12 MR. COFIE: Yes, it was based on the test
13 on that, but just obtained from the literature. Okay?

14 MR. POWERS: This is Jim Powers from
15 FENOC.

16 Steve Fyfitch was there at that meeting
17 and indicated that it came from Oak Ridge data in the
18 handbook for the specific 308 material stress-strain
19 curve. So it was the best data we had specific to the
20 weld material.

21 MR. COFIE: So, in any case, you look at
22 all this data and compare it to the data that was used
23 for the evaluation, and you find that we are really on
24 the very conservative side of what is reported in the
25 literature.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide, please.

2 Okay. From this slide going -- I'm going
3 to just describe, basically, the disc burst test that
4 PVRC -- disk burst test which was performed in the
5 early '70s which was basically used to determine the
6 reasonableness and conservative -- the conservatisms
7 involved in the failure criteria that we used.

8 CO-CHAIRMAN FORD: This is just
9 essentially the test that Mark just --

10 MR. COFIE: Yeah. This is just the test
11 that Mark had presented.

12 CO-CHAIRMAN FORD: Could you just
13 highlight any differences in your approach versus that
14 which he did? Just for sake of time just highlight
15 any differences you may have in your approach and --

16 MR. COFIE: Just to save time, this is
17 basically, you know, the three geometries that I we
18 did.

19 Next slide, please.

20 These are basically the properties
21 associated with the materials of the disc.

22 Next slide.

23 Well, this slide also did not show up very
24 well. What we did was that we looked at various
25 through wall elements, four, eight, 12, just to look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the effect of through wall elements on the analysis
2 results.

3 Next slide, please.

4 Okay. We also -- the slide you just saw
5 was the axi-symmetric model. This one is a three
6 dimensional model very, very similar to the model that
7 we used for Davis-Besse. We used the same element
8 types so that we get one-to-one comparison.

9 Next slide, please.

10 Now, these results show the effect of
11 through wall elements versus the predicted pressure or
12 the predicted failure pressure. As you can see from
13 six elements to -- six elements onwards, there is
14 essentially no difference in the predicted failure
15 pressure.

16 So any time you use through wall elements
17 of six and above, basically, you get essentially the
18 same results.

19 In doing Davis-Besse's model, we used six
20 through wall elements to decline.

21 Next slide.

22 MEMBER WALLIS: Why do you have two curves
23 here? Why are those two different?

24 MR. COFIE: Well, there are two different
25 because if you remember there's -- I presented two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 models. One is a 3-D model and one is an axi-
2 symmetric.

3 MEMBER WALLIS: It seems to me that all
4 the points are for the axi-geometry or am I misreading
5 the figure?

6 MR. COFIE: Well, there are -- in the PVRC
7 test there were three different geometries.

8 MEMBER WALLIS: But why are some at 7,000
9 and some at 14,000?

10 MR. COFIE: There are three different
11 geometries.

12 PARTICIPANT: Some of them were one inch
13 thick and some of them were a quarter of an inch
14 thick.

15 MEMBER WALLIS: Okay. Okay. Then that's
16 why it's twice the pressure.

17 MR. COFIE: Exactly.

18 MEMBER WALLIS: Okay. I understand.

19 MR. COFIE: Next slide, please.

20 Well, here is the typical stress-strain
21 associated with the disc analysis that we did. Remind
22 you everything is essentially membrane. You know, at
23 very high pressure this is almost like a balloon,
24 very, very high membrane stress. Right at the edge
25 here, we have some venting stresses here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide.

2 Okay. This is a summary of one of the
3 analysis results. This is the total equivalence
4 strain of -- when makes it strain, this is pressure
5 for one of the analysis that we did for the disc burst
6 test. We flooded both the top level and the bottom
7 strains as a function of pressure. This is how the
8 outage behaves.

9 Okay. This really is the point where
10 right at the end of the evaluation or the end of the
11 pressure increment is where we reached instability.

12 So the instability pressure associated
13 with this particular test was about 14,000 psi
14 compared to a test pressure, a test burst pressure, of
15 15,000. So even at instability, we've predicted that
16 we are slightly below the burst pressure obtained in
17 the test.

18 Now, based on the elongation, based on the
19 uniform elongation criterion that we use for Davis-
20 Besse, this is where we would have predicted failure.
21 We would have predicted failure right around about
22 11,000 psi, which is, of course, significantly below
23 the test burst pressure.

24 MEMBER SHACK: Maybe I'm reading something
25 wrong here. As I read from the paper, it says all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 center line failures occurred at approximately the
2 same strain level, 35 percent.

3 MR. COFIE: Well, don't forget that when
4 Pete did this analysis, when this analysis was done,
5 it was done with only one through wall element.
6 Really this analysis is a refinement of what was done
7 in 1972.

8 MEMBER SHACK: Oh, so the 35 percent is
9 not a measurement?

10 MR. COFIE: No.

11 MEMBER SHACK: It's an analysis?

12 MR. COFIE: It's an analysis.

13 MR. RICCARDELLA: Yeah, this is Pete
14 Riccardella from Structural Integrity.

15 Yeah, you have to recognize that they did
16 that analysis with the tools that existed back in
17 1972. So you really have to ignore some of the
18 analytical predictions there. We've updated that
19 analysis with today's tools. So that 35 percent
20 represents sort of an old estimate.

21 MR. COFIE: Right. If you read the paper,
22 I find that one through wall element was used. This
23 had about twelve through wall elements. So this is a
24 much more actual analysis that we've done.

25 So this tells you that the criteria now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're using is very conservative compared to the test
2 results.

3 Not only that. The instability pressure
4 also predicted pressures which are significantly --
5 well, not significantly, but slightly below the test
6 pressure.

7 So really one can argue that you could go
8 to instability and that would be a very, very good
9 criterion to use to predict the best pressure.

10 Next slide, please.

11 MEMBER SHACK: Unless it falls at an edge,
12 right?

13 MR. COFIE: Well, even that fail at the
14 edge, you know, also predicted the same thing.

15 Here's a summary of all the analysis that
16 we did on the burst test. Here is the burst test
17 results.

18 Where is instability? We find that
19 instability is very, very close to the burst test
20 results. This is -- this are the results based upon
21 a uniform elongation, and you can see that is
22 conservative compared to the burst test.

23 So of all the analysis that we did to find
24 out in all cases, the criteria that we've used for
25 Davis-Besse is very conservative.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This simple analysis that we've done has
2 proved beyond any reasonable doubt because now we have
3 got some work as data that the criteria that we've
4 used is conservative.

5 So, anyway, in confusion, I would say that
6 what we've done for Davis-Besse, you know, we've done
7 a very conservative analysis. We've used very good
8 finite element models, 3-D finite element model. Like
9 Mark said, we've used a lot of through wall elements
10 to the cladding. We've also, basically, tested the
11 criteria against known burst test results to show that
12 it is very conservative.

13 CO-CHAIRMAN FORD: Thank you very much
14 indeed. We appreciate that.

15 MR. COFIE: Thank you.

16 CO-CHAIRMAN FORD: As I understand it, now
17 we've got three presentations, one by FENOC and then
18 one by you, Jim. And then one by you, Larry. They
19 are all scheduled for one hour each.

20 If I could ask you to please look at your
21 presentations and try to make them three quarters of
22 an hour each, I'd appreciate that very much.

23 (Pause in proceedings.)

24 MR. POWERS: Okay. good afternoon. I'm
25 Jim Powers. I'm the Engineering Director for First

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Energy at the Davis-Besse plant.

2 This afternoon, we're going to do a brief
3 update to the ACRS ON where we stand with the
4 situation at Davis-Besse. I brought along with me a
5 number of individuals.

6 You will recognize Mark McLaughlin as our
7 Field Project Manager for work on the head.

8 Bob Schrauder is our Director of Life
9 Cycle Management and is responsible for the
10 replacement head project that's ongoing.

11 And Steve Loehlein is our root cause lead
12 investigator. He'll give you an update on what's
13 transpired in the root cause area.

14 CO-CHAIRMAN FORD: Thank you.

15 MR. POWERS: Okay. So with that, let me
16 turn it right over to Mark, and he will give us a
17 description of field activities.

18 MR. McLAUGHLIN: Okay. Good afternoon.
19 I will definitely try to be brief.

20 The first slide -- the next, keep going --
21 okay. The one thing that I wanted to point out, you
22 guys had seen this slide before. I just wanted to
23 point out the access that we had to do our inspection,
24 and this kind of leads into the root cause report that
25 will be coming up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These are what are commonly called mouse
2 holes and those were five by seven and they were
3 installed in this lower portion of the service
4 structure.

5 Next slide, please.

6 You've seen this nozzle depiction many
7 times. The only thing that I wanted to point out is
8 that on a Babcock & Wilcox reactor head, this is a
9 gasketed joint with no seal weld. When these leak,
10 the path that the borated water takes to get down to
11 the head would be twofold.

12 One, it could drip down onto the
13 insulation, and there is an eighth of an inch gap
14 between the nozzle outside diameter and the
15 insulation, or a nozzle, an adjacent nozzle in this
16 area could spray onto this, and we have observed both
17 of those types of leakage, And then it flows down and
18 through the gap.

19 Next slide, please.

20 I wanted to update you with two things on
21 this slide. Nozzle number two, we originally reported
22 that there are eight axial flaws. There are actually
23 nine axial flaws with this. That also brings the
24 total number to six through wall.

25 The other thing, if you notice nozzle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number 46 we say has no flaw indication. However,
2 there was a shadow. What we've done since we were
3 here last time is we've cut the nozzle up into the
4 shadow region. We did a visual inspection, as well as
5 a dye penetrant inspection. I guess the results are
6 that we really don't see any reason why that shadow is
7 there. There is no leak path present and there is no
8 significant corrosion.

9 Let's skip this next one.

10 I guess the big thing that we've done
11 since we were here last is we did perform the abrasive
12 water jet cutting of the cavity. The cavity has been
13 removed. What your seeing here is the water jet tool.
14 This is a mock-up. We mocked-up -- performed two
15 mock-up cuts prior to performing this cut on the head.

16 Next slide.

17 This is the actual cutout on the reactor
18 pressure vessel head at Davis-Besse. You notice
19 nozzle number 11 would have been in this location. We
20 used nozzle number 11 as the entrance point so that we
21 wouldn't do any damage to the weld material around
22 nozzle number three to preserve it for experiments.

23 Next slide, please.

24 This is another view using a remote camera
25 underneath the head of the cutout.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide.

2 This is an actual view of the cavity
3 that's been removed. It shows the lithium fixture and
4 the as-removed was about a 17-inch diameter.

5 I just wanted to update you on the sample
6 plans of what we have. Phase one was various boron
7 samples that we had collected from the -- on top of
8 our head. We do have a draft report from our
9 contractor who's been analyzing those.

10 We've found what we expected. There's
11 significant boron, iron, and lithium. There's also
12 some traces of nickel and chromium which is probably
13 from either the nozzle material or the weld material.

14 Phase two is currently in analysis. That
15 is boron and material samples from the removal of
16 nozzle number two. So that may give us some boron
17 samples in the actual annulus region.

18 Phase three, we are currently working with
19 the staff to determine what type of testing and
20 experiments we want to do on the actual nozzle number
21 three, the actual nozzle from number two, and the
22 cavity.

23 Somebody was asking about dimensions
24 earlier. All of these samples are down in Lynchburg,
25 Virginia. We are arranging a trip down there within

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the next two weeks. Anyone who would like to go see
2 the cavity, touch it, and measure it as much as they
3 want, it is available.

4 PARTICIPANT: Keep the ALARA advised.

5 MR. POWERS: It is a much lower dose.

6 MR. McLAUGHLIN: Yeah, the dose is
7 significantly lower now.

8 MR. POWERS: Yeah.

9 MR. McLAUGHLIN: This is a picture of
10 looking in the cavity after it was removed. You can
11 see in the under-hung portion, and I think you get an
12 excellent view of the cavity itself as well as the
13 exposed cladding.

14 The cladding looks brown because it still
15 had the abrasive on it from the abrasive water jet
16 cutting process.

17 Next slide.

18 What I wanted to show you here is -- the
19 last time that we had talked to you there was some
20 discussion about a detachment or corrosion between the
21 cladding and the base metal around nozzle 11. What
22 this is, this is the J-groove weld for nozzle 11 and
23 you can see the opening where we entered to do the cut
24 through nozzle 11.

25 I performed an inspection. The surface is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 too rough to do a dye penetrant test at this time.
2 However, there is no evidence of cladding detachment
3 or a corrosion in that region between the cladding and
4 the base material.

5 That's all I have. Are there any
6 questions as far as updates from the field activities?

7 (No response.)

8 MR. McLAUGHLIN: Hearing none, I'd like to
9 turn it over to Bob Schrauder, who is going to discuss
10 the replacement of the reactor pressure vessel head at
11 Davis-Besse.

12 MR. SCHRAUDER: Good afternoon. While Jim
13 and Mark were busy attempting to repair the reactor
14 vessel head, I started out early on in the process
15 looking for a potential replacement head for the
16 vessel.

17 We looked at several options, one of which
18 was to look at -- we do have a new head ordered for
19 Davis-Besse that was scheduled to arrive at our plant
20 during the first quarter of 2004. We looked at
21 accelerating that schedule.

22 We also looked at potentially purchasing
23 someone else's place in line, if you will, that had
24 another head already ordered that would be compatible
25 with the Davis-Besse vessel also. Those, the earliest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one coming out there that we could find that was
2 compatible was in the third or fourth quarter of 2003.

3 Both of those being manufactured, ours and
4 the next one in the pipeline, if you will, were
5 already on an accelerated schedule. So we were not
6 going to be able to do much with the schedule of
7 getting a new head in here much before 2004.

8 So I then began to look at what was
9 already available in the industry. We found two heads
10 that were compatible with Davis-Besse. Rancho Secho
11 had a plant that had operated for a while and, as you
12 know, has been shut down. And then at Midland, one of
13 the two heads in that unit was still on site there.

14 We looked at those two options. We
15 quickly zeroed in on the Midland head.

16 Next slide, please.

17 The Midland head -- both heads like I said
18 would fit with some very minor adjustments. We
19 thought Midland was the clear choice for two reasons.
20 One, it was a lot closer to us. It's in the
21 neighboring state right in Midland. We have to just
22 bring it across the state line and bring it down to
23 Davis-Besse.

24 It is readily available from the
25 perspective of it's sitting in a commercial setting,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if you will. It would be a commercial kind of
2 construction job to go get it versus the Rancho Secho
3 head which is, although not an operating nuclear
4 plant, it is still a nuclear plant. That head,
5 because it was used, was contaminated which
6 complicated both any modifications we might need to
7 make with it and significantly complicated the
8 transportation needs for that.

9 CO-CHAIRMAN SIEBER: Well, the Rancho
10 Secho head was still installed, right?

11 MR. SCHRAUDER: That's correct.

12 CO-CHAIRMAN SIEBER: So you would have had
13 to cut a hole in their containment to get it out?

14 MR. SCHRAUDER: Well, actually the Rancho
15 Secho head will fit through their equipment hatch.

16 CO-CHAIRMAN SIEBER: Oh, yeah?

17 MR. SCHRAUDER: The Midland head would
18 not.

19 CO-CHAIRMAN SIEBER: Will it fit through
20 yours?

21 MR. SCHRAUDER: No, it will not.

22 CO-CHAIRMAN SIEBER: All right. You can
23 tell us about that later on.

24 MR. SCHRAUDER: Yes, that is in the
25 presentation. We'll get to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: They're not going to fold
2 the head.

3 CO-CHAIRMAN SIEBER: Cut the head in half
4 and put it in the containment.

5 MR. SCHRAUDER: The other head at Midland
6 is, by the way, cut in half. So that one was not
7 usable.

8 (Laughter.)

9 MR. SCHRAUDER: This slide shows some of
10 the similarities between the Midland head and the
11 Davis-Besse head. They were both fabricated by
12 Babcock & Wilcox in the same period of time to the
13 same ASME boiler pressure code edition and addenda.

14 Now we have the records for the Midland
15 head. We know that during construction that head was
16 accepted for use by Consumers Power. It was signed
17 off by an authorized nuclear inspector and identified
18 as an acceptable ASME component.

19 It was, in fact, as all of the B&W plants
20 were, it was hydroed before it was shipped to the
21 site. It shows the hydro was there at 31.5 pounds.
22 As you know, Consumers canceled the original plant
23 back in the mid-1980s. Since that time, that head has
24 been on the head stand inside the containment.

25 CO-CHAIRMAN SIEBER: You knew what heat

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and nozzles came from?

2 MR. SCHRAUDER: Yes, sir. That's right
3 around in the presentation and we'll get to that.

4 CO-CHAIRMAN SIEBER: Thank you.

5 Did you file a Part 21 related to the
6 nozzles that were susceptible in your plant?

7 MR. POWERS: No, I don't think we've filed
8 a Part 21 as of yet. But we've had discussions on
9 that issue.

10 CO-CHAIRMAN SIEBER: I think that would be
11 a good discussion to have amongst yourselves.

12 MR. SCHRAUDER: Because of their technical
13 expertise and because of the fact that they had access
14 to all of the records on this heat, we hired or we
15 brought in with us a partner Framatome. Framatome
16 actually purchased the head for us from Consumers.
17 They purchased it as a basic component.

18 They'll verify its usability. They'll
19 compile for us the code data package which they have
20 the records for. They'll disposition any non-
21 conformances on that head and then will sell it to us
22 as a basic component for use at Davis-Besse.

23 CO-CHAIRMAN SIEBER: Is that an assembly
24 or is it just the head? In other words are the
25 control rod drive mechanisms already installed?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHRAUDER: The control rod drive
2 mechanisms have been removed and somebody else owns
3 those.

4 CO-CHAIRMAN SIEBER: Okay. You're going
5 to use your old ones?

6 MR. SCHRAUDER: That's correct.

7 CO-CHAIRMAN SIEBER: Thank you.

8 MR. SCHRAUDER: In the process of this,
9 Framatome will also reconcile the design requirements
10 of the Midland plant to the Davis-Besse plant. Those
11 design requirements, again, are covered over the next
12 couple of slides.

13 Of course, Framatome will do these
14 activities under their quality assurance program,
15 including responsibility for Part 21 reporting.

16 The next slide is simply a pictorial that
17 you can relate to as we talk about some of the
18 similarities and differences on this head.

19 This next slide shows that this head and
20 the design is essentially identical to Davis-Besse.
21 They were both 177 plants. The materials of
22 construction you see there are virtually identical.
23 Even the closure head flange there is really the same
24 material, the same specs. for that material.

25 The design pressure and temperatures for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 both reactors was identical, 2500 pounds of pressure
2 and 650 degrees.

3 MEMBER ROSEN: What does the dash 64 mean
4 on the closure head flange?

5 MR. SCHRAUDER: Actually that's an A50864,
6 and that's an ASTM material. They're the same
7 material essentially. One is an ASTM code.

8 MR. POWERS: Go ahead, Steve.

9 MR. FYFITCH: To answer his question --
10 this is Steve Fyfitch, Framatome -- the 64 is the
11 date, the year. So it's the 1964 edition of the ASTM
12 code or the ASTM specs.. Excuse me.

13 MEMBER ROSEN: But the materials are the
14 same is the answer I got.

15 MR. FYFITCH: That's correct.

16 MR. SCHRAUDER: The next slide that
17 answers the question of do we know the heat materials
18 on this head. In fact, we do. Sixty-eight of them
19 are from the specified heat there, M7929. And one is
20 from M6623.

21 What happened was in the manufacturing,
22 the putting together of this head, there was one
23 nozzle 7929 that had had a problem, and the other
24 nozzle came from the canceled Bellafont (phonetic)
25 unit. So that's why there is one nozzle that's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same.

2 Neither of those two heats of materials
3 has any industry experience. We do know, though, that
4 they look to fall right in the middle of the pack by
5 way of yield strength for those heats. But there is
6 no industry experience on them.

7 The control rod configuration and the
8 alignment is the same on that head as it would be for
9 Davis-Besse. So, geometrically, it's very nearly the
10 same or physically, its characteristics are the same.

11 There are a few minor physical things that
12 we have to do to the head. The picture that is shown
13 here is the key-way. The key-way fits into the
14 reactor vessel itself and it makes sure that the head
15 is precisely aligned to the vessel for latching your
16 control rods and your control rod interface.

17 There's two surfaces. You see that one
18 and then the other one would be on the inside there.
19 There's two surfaces for each of the four key-ways
20 that you have to be concerned about getting your fit.
21 Four of the eight surfaces needed to have some slight
22 machining to precisely fit on our reactor vessel head;
23 to the tune of about five mils., we had to machine on
24 those.

25 Also the control rod drive flange itself

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is on the nozzle that the control rod drive
2 mechanism flanges to has an indexing pin on that, too.
3 There's two locations that you can have your -- that
4 that's indexed too. As you might figure, they used
5 the opposite hole that Davis-Besse does.

6 So we have to take the plug out of their
7 indexing pin in that location, put it in the other
8 location, and then we'll have that set-up to index for
9 our control rod drive mechanisms.

10 The next slide shows another physical
11 difference on this head and ours. The Davis-Besse
12 head has the O-ring which is the sealing ring for the
13 head to vessel; is 0.5 inches on Davis-Besse. On the
14 Midland one, it was 0.455.

15 CO-CHAIRMAN SIEBER: You have two O-rings?

16 MR. SCHRAUDER: Yes, sir.

17 So, those two O-rings -- we have done the
18 analysis to show that it will effectively seal in the
19 groove that we have on our vessel. Of course, we will
20 be able to demonstrate that with the leak-off
21 capability on that head. We will be able to tell if
22 there's any leakage between those seals.

23 CO-CHAIRMAN SIEBER: But the clearance
24 between the vessel flange and the head flange will be
25 slightly smaller, correct?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHRAUDER: Well, the crush is fine on
2 it.

3 CO-CHAIRMAN SIEBER: Okay.

4 MR. SCHRAUDER: So the sealing surface
5 that you need, both of those surfaces we show will
6 have full contact and it won't be an issue.

7 So we're manufacturing the new O-rings to
8 0.455 that will fit inside the groove for the Midland
9 head.

10 The next slide, again, is a pictorial that
11 you can refer to for the next series of slides that
12 I'll go over, which describe the nondestructive exams
13 that we'll do on this head to verify that its stay in
14 Midland, since they canceled that plant, has not had
15 any deleterious effects to it.

16 We did three types of exams on this head
17 or will do three types of exams. One is to supplement
18 the ASME code data package. One is our pre-service IS
19 exams, and then we did some additional nondestructive
20 exams to verify that, again, there was no deleterious
21 effects to the head from the period of time that it's
22 been sitting in Midland.

23 This first page shows the examinations to
24 supplement the ASME code data package. I should
25 mention that with supplement, although we had a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 signed off code data form, we did not have the film of
2 the radiographs for this head. We had indication and
3 sign-off that they had a successful radiograph both on
4 the dome to flange weld. This is a two-piece forging
5 for this head. We didn't have that radiograph film
6 and we didn't have the radiograph film of the nozzle,
7 the flange to nozzle.

8 So we're re-radiographing both of those.
9 In fact --

10 CO-CHAIRMAN SIEBER: You need to have
11 that.

12 MR. SCHRAUDER: We have completed the
13 radiograph on the large dome to flange weld. That
14 radiograph did prove to be very sound.

15 We'll do a series of visual exams, just to
16 verify there is no obvious problems on the seating
17 surfaces and the grooves in this head.

18 And I discussed the radiographs that we'll
19 do. And we'll also do a PT examination on the J-
20 groove welds.

21 CO-CHAIRMAN SIEBER: And a visual on the
22 inside cladding to make sure it's all there?

23 MR. SCHRAUDER: We're going to do some
24 liquid penetrants on the surface of the and the
25 repaired areas of the clad, of underneath.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: Okay.

2 MR. McLAUGHLIN: The cladding is all
3 there.

4 CO-CHAIRMAN SIEBER: Okay.

5 MR. McLAUGHLIN: Yes.

6 (Laughter.)

7 CO-CHAIRMAN SIEBER: Well, sometimes it
8 isn't, you know.

9 MR. McLAUGHLIN: Oh, really?

10 CO-CHAIRMAN SIEBER: Yes. Yes, sir.

11 MR. McLAUGHLIN: I was up Friday and
12 inspected it. The cladding is all there in this head.

13 CO-CHAIRMAN SIEBER: PT is pretty hard to
14 do on a welded surface that's not cleaned up, right?
15 Dye penetrant?

16 MR. SCHRAUDER: The --

17 MR. McLAUGHLIN: It won't be a problem on
18 this head. When I was in there, I'm not sure what
19 process they used. They must do some grinding on it
20 because the inside diameter of the head is very
21 smooth.

22 CO-CHAIRMAN SIEBER: Oh, it is?

23 PARTICIPANT: The cladding?

24 MR. McLAUGHLIN: Yes, the cladding is
25 smooth, as well as it was on the Davis-Besse head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: Oh, okay. That's
2 also not always the case.

3 MR. SCHRAUDER: The next slide shows the
4 pre-service inspections that we'll do: magnetic
5 particle exam with the flange to dome weld, an
6 ultrasonic on that same weld, and an electric
7 penetrant PT exam of the -- this has the peripheral
8 CRDM nozzle to flange welds, the ones on the
9 peripheral. That's what's required by code. Our
10 intent is to do all of them that we can get to. We
11 believe that we will be successful in getting to all
12 of them. We will certainly, at least, meet the code
13 requirements for that, and our expectation is to do PT
14 on all of those.

15 The next page just shows the additional
16 nondestructive exams we'll do, chemical smears to
17 assure that it meets the proper class cleanliness. A
18 baseline UT we will do on all of these nozzles so that
19 if we do UTs in the future, we will have something to
20 compare to. We'll know whether there was any
21 indications in these nozzles early on.

22 CO-CHAIRMAN SIEBER: What kind of
23 packaging was the head stored in?

24 MR. SCHRAUDER: It was not stored in any
25 packaging.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: It was not covered?

2 MR. SCHRAUDER: No, it's not.

3 CO-CHAIRMAN SIEBER: It's in a building;
4 is that correct?

5 MR. SCHRAUDER: The CRD nozzles did have
6 some covering on them, but that was about all that was
7 covered. It's in the containment building. That's
8 correct.

9 CO-CHAIRMAN SIEBER: So you have to cut a
10 whole in that one, too?

11 MR. SCHRAUDER: That's correct.

12 MR. McLAUGHLIN: That's correct.

13 MR. SCHRAUDER: And that's coming up next
14 on how we're going to go about getting this.

15 I should mention -- I meant to mention
16 this earlier -- our intent is to use this head, put it
17 on now. We'll use it until such time as we replace
18 our steam generators, which is currently expected to
19 be 2010 or 2012, in that time frame.

20 So we are maintaining our place in line
21 with our new head. We will get a new head and we will
22 replace it again when we open the containment up again
23 to replace steam generators.

24 CO-CHAIRMAN SIEBER: Now, why would you do
25 that? For material change?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHRAUDER: That's right. This head
2 obviously has the same material on it, the same
3 susceptibility.

4 CO-CHAIRMAN SIEBER: You moved the 690?

5 MR. McLAUGHLIN: Correct.

6 CO-CHAIRMAN SIEBER: Do you folks know a
7 lot about 690 as far as the nozzle database?

8 MR. McLAUGHLIN: From what I understand,
9 I don't believe there is a large nozzle database.

10 CO-CHAIRMAN SIEBER: Or any database,
11 right?

12 MR. McLAUGHLIN: Well, there would be some
13 in France.

14 CO-CHAIRMAN SIEBER: Okay.

15 MR. McLAUGHLIN: But they'd be young.

16 MEMBER ROSEN: What you want to do is take
17 the head you take off, this one, and put it someplace
18 and protect it.

19 CO-CHAIRMAN SIEBER: Well, I don't know.
20 You have a whole --

21 MEMBER ROSEN: Just swap back and forth.
22 (Laughter.)

23 PARTICIPANT: Well, just don't take it out
24 to the dump.

25 MR. SCHRAUDER: Well, as a matter of fact,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our intention is to dispose of it shortly after we
2 take it out of containment, if it is categorized as a
3 Class A alpha waste.

4 MR. FYFITCH: Let me just add a point.
5 John, I don't know where you are going with that
6 question. This is Steve Fyfitch, again from
7 Framatome.

8 The 690 has been in use now in steam
9 generators for a number of years, and on France for
10 the nozzles on the head, they've been replacing heads
11 since the early '90s. So now they are almost nine or
12 ten years in service.

13 By the time Davis-Besse replaces theirs in
14 2012 or 2010, it will be almost 20 years. So there
15 will be a large database of experience by that point.

16 CO-CHAIRMAN SIEBER: Well, my only
17 comment, I guess, is I started in this business in
18 1960, and the 1960, Alloy 600 was wonderful.

19 (Laughter.)

20 MEMBER ROSEN: If you do want to take my
21 comment as a guide, I don't throw anything away. So
22 come look at my garage.

23 (Laughter.)

24 CO-CHAIRMAN SIEBER: You can have the
25 head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHRAUDER: Is it seventeen feet in
2 diameter?

3 (Laughter.)

4 MEMBER ROSEN: My garage you're talking
5 about? Just about might fit.

6 MR. SCHRAUDER: This shows and addresses
7 the issue on the containments. Yes, we do have to cut
8 both the Midland containment and the Davis-Besse
9 containment structure.

10 The Midland containment is a pre-stressed
11 containment so it has to be de-tensioned, and then
12 we'll actually chip into that containment and open up
13 a large, 20 foot by 20 foot hole approximately.

14 The Davis-Besse containment is a shield
15 building, a concrete shield building with a free-
16 standing pressure vessel and an annular region in
17 between.

18 We are using Bechtel Power to assist us in
19 the opening of both containments. They have done most
20 of the containment openings and restorations in the
21 United States.

22 We have a bullet on here that shows we
23 will bring the head, the existing Davis-Besse head
24 out, protected and the people around radiologically
25 from that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Temporarily, we hope right now -- I should
2 get analysis back next week that will categorize what
3 class waste it would be. And then it would be our
4 intention at this time to dispose of it if it is
5 categorized as a low level waste rather than create a
6 temporary storage facility at Davis-Besse for it.

7 We will work with the NRC on that and make
8 sure that the rest of the industry knows that's our
9 intent in case there is any desire to do any more
10 examination or testing on that head.

11 We are going to transfer our service
12 structure from the Davis-Besse head to the Midland
13 head. We are putting in the inspection, the
14 inspection modification. That goes on the lower
15 skirt, and that piece of the Midland head we will use,
16 and before we ship it to Davis-Besse, it will have
17 that modification performed on it to provide adequate
18 inspection and cleaning of the head as necessary.

19 Of course, I have already said that we
20 will re-use all of our control rod drive mechanisms on
21 this head.

22 As we were repairing the head and we had
23 to cut out a couple of nozzles, we had to reconfigure
24 our core at Davis-Besse, specifically, the control rod
25 locations to assure that it was acceptable. We will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go back to the original core design with the new head.
2 We will be submitting that core analysis to the NRC.

3 There are a couple of modifications that
4 have been made over the years for serviceability and
5 outage flexibility, the nozzle flange split. Split
6 dot ring modification will be performed, and we will
7 use the upgraded gasket design on the control rod
8 drive mechanism flanges.

9 MEMBER LEITCH: Have you thought about
10 foreign object damage when you're cutting a hole in
11 the containment?

12 I guess you're planning to do this with
13 the fuel still in the --

14 MR. SCHRAUDER: No, sir.

15 MEMBER LEITCH: You're going to de-fuel?

16 MR. SCHRAUDER: We will be full core off-
17 load when we do the -- and I meant to say that. The
18 cut at the Davis-Besse site will not be a classic cut
19 and chipping. It will be a process that uses a very
20 high pressure water lancing that essentially washes
21 the concrete off of the rebar, and Bechtel has used
22 this process in Spain several times.

23 There appears a much nicer cut on the
24 containment and avoids having to chip back to get the
25 rebar exposed. Then the rebar can be tagged, cut, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then restored right back into the original location so
2 that it's already go the proper bend to it and you cad
3 weld it back in and then restore your concrete.

4 So it's a much gentler process.

5 MEMBER LEITCH: But even so, are you going
6 to deck over some areas to prevent foreign object
7 outage or --

8 MR. SCHRAUDER: We do have a vessel cover
9 for the Davis-Besse head. That will be in place when
10 we take the fuel out of the reactor vessel. Yeah,
11 we'll be very cognizant of foreign material.

12 They're spending a lot of time cleaning
13 that containment up right now, too. So I'm sure that
14 it will be left very clean when we're done with it.

15 MEMBER LEITCH: One issue that always
16 concerns me when you have a major construction project
17 like that going on. Its fire fighting capabilities,
18 just I'm sure you're going to get into a lot of
19 detailed planning, but I would just like to remind you
20 to be sure that you haven't temporarily removed from
21 service any of your fire fighting capability while
22 you're doing that because when that kind of activity
23 goes on, it just increases the potential for fire, and
24 you want to be sure that, you know, all of your fire
25 fighting stuff is up to speed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: Operable.

2 MEMBER LEITCH: Operable, or if not, some
3 other temporary provision has been made.

4 MR. SCHRAUDER: I agree.

5 The next slide, Slide 31, just shows some
6 of the post installation inspections that we'll do to
7 verify that we do have a good fit on this. We'll fill
8 and vent the RCS, do a visual for gross leakage, and
9 we'll bring the plant to normal operating temperature
10 and pressure with reactor coolant pump heat.

11 Of course, we won't be able to get right
12 up into the nozzle space at that time. So what we'll
13 do is we'll bring it up to temperature and pressure.
14 We'll cool back down, and then we'll go in and look
15 for visible signs of leakage when it was at pressure.

16 We'll perform the control rod drop time
17 testing in accordance with our tech specs to verify
18 the control rods do, in fact, go in at the appropriate
19 speed.

20 Once we put the head on and you latch the
21 control rods, you're pretty well satisfied that you've
22 got the proper alignment here, but we will, as
23 required by tech specs, do a control rod drop test.

24 The next page we don't really need to go
25 into. They are approvals that we would need from NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff, and the top two there were actually needed for
2 our existing head also in their IS program.

3 MR. POWERS: Okay. If there's no further
4 questions, we'll turn it over to Steve Loehlein to
5 talk about the root cause updates.

6 CO-CHAIRMAN FORD: I just got a proposal
7 here from Jack. Has everyone read the root cause
8 report?

9 It may be -- and I don't want to put you
10 out of business.

11 (Laughter.)

12 CO-CHAIRMAN SIEBER: That was a god
13 report, Steve. It really was.

14 CO-CHAIRMAN FORD: It was a very pointed
15 and honest report, I thought.

16 Maybe the best way to tackle this in the
17 cause of time is does anyone have any questions having
18 read the root cause report.

19 MEMBER APOSTOLAKIS: Well, maybe you can
20 go to the inspector summary on Slide 52.

21 CO-CHAIRMAN FORD: Do you mind? Do you
22 feel s as though you're being done out of --

23 MR. LOEHLEIN: I don't mind. We thought
24 that perhaps that time line slide would have had some
25 questions on it, but if people are familiar with that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 having read it, whatever is of interest to it, that's
2 why we're here.

3 CO-CHAIRMAN FORD: It was a very complete
4 report, I thought, and I enjoyed reading it. I didn't
5 enjoy it.

6 CO-CHAIRMAN SIEBER: I didn't enjoy
7 reading it.

8 MR. LOEHLEIN: I didn't enjoy writing it
9 all that much.

10 CO-CHAIRMAN SIEBER: But it was well done.

11 CO-CHAIRMAN FORD: Okay. Why don't you
12 put the time line graph up just to jog any people's
13 memory as to whether this question --

14 MR. LOEHLEIN: It's probably -- I don't
15 know by number. It's the fourth slide in.

16 CO-CHAIRMAN FORD: It's this one here.

17 CO-CHAIRMAN SIEBER: We all have it
18 separately.

19 CO-CHAIRMAN FORD: Why don't you walk
20 through that one, and it might jog people's memory as
21 to the questions, and then go to the conclusion?

22 MR. LOEHLEIN: It's a little bit hard to
23 do here logistically. So, Mark, I'll ask you to go
24 ahead and point.

25 this is a little bit of clarification on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the way this is laid out. You start at the very top
2 of this diagram. We have a set of blocks that
3 indicate what we call industry and regulatory
4 knowledge, milestones.

5 At about the 1995 time frame with the
6 boric acid corrosion guide book, and I'll pass on
7 through, up through the bulletins and generic
8 letters, and so forth.

9 As you proceed down, the first thing you
10 see is is a blue bar graph. The blue bar graph
11 indicates the reactor coolant system and unidentified
12 leak rate over time.

13 There is also the red dashed line that
14 proceeds on a diagonal from left to right with three
15 data points on it or the number of nozzles that were
16 not visible in an as found state, those refueling
17 outages.

18 As you continue on down this chart, you
19 run into the yellow colored blocks that indicate the
20 containment radiation monitor filters and the change
21 in preventive maintenance frequencies brought about by
22 clogging either to boric acid or to a combination of
23 boric acid and iron oxide.

24 Below those blocks we have similar blocks
25 reporting the frequency of containment air cooler

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cleanings, and beneath those, we have the two time
2 lines. The first one is simply the chronological
3 passing of years. Beneath that are the outages and
4 plant cycles as they line up.

5 Then in the numerous blocks down below,
6 there's actually three sets of data. As you read from
7 left to right, the first set of blocks is the
8 conditions for the control rod drive mechanism
9 flanges.

10 The next set below it is the reactor
11 pressure vessel flange itself on the outside
12 perimeter, and then the bottom set of blocks is the
13 reactor pressure vessel head.

14 So that's how this is laid out. Any
15 particular questions on it?

16 CO-CHAIRMAN FORD: I've just got a generic
17 question. I must admit I read it in anticipation of
18 reading -- because of my interpretation what a root
19 cause report is -- that it would tell me specifically
20 what the mechanism was and thereby when things
21 started, and that would give me some idea as to how
22 generic this was and whether it was a leader of the
23 fleet.

24 And of course, it didn't have that, but
25 having heard the reports earlier on from NRP, I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assuming that that onus is now being passed to the
2 NRP; is that correct?

3 MR. LOEHLEIN: I think --

4 CO-CHAIRMAN FORD: They will take on the
5 burden of determining whether this really is --

6 MR. LOEHLEIN: We probably each have a
7 piece in that answer. So I'll speak first and say
8 that clearly in the evidence we had available to us in
9 the large cavity region at nozzle three, we could from
10 the plant data and other physical evidence say pretty
11 much what happened since about 1998.

12 But that only describes what happens at
13 high corrosion rates once the conditions are right,
14 boric acid and so forth.

15 And what we all know and what we need to
16 study further is what happens prior to that, and we
17 didn't have measured data that we could go to and say
18 how long the steps took, and that's the kind of work
19 I think Christine at EPRI is taking on.

20 MS. KING: Right. This is Christine King
21 with EPRI.

22 We took that on, as Glenn said earlier,
23 just a couple of weeks after the discovery of the
24 wastage at Davis-Besse because of the idea of
25 understanding how this progresses, and we will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 obviously continue to work on that.

2 CO-CHAIRMAN FORD: The thing that keeps
3 coming to mind, everything from stress corrosion
4 cracking of turbines to tracking of small pipes: big
5 pipes will never crack, and sure enough they do crack.

6 In Japan, we will never crack a pipe in
7 Japan. And they do.

8 And so whenever anyone says that this is
9 a one off (phonetic) situation, my ears immediately
10 start to prickle, and my hair starts to prickle.

11 But anyway, I'm really suspicious until we
12 understand what the real root cause was and how it
13 relates to geometry and chemistry, et cetera. And
14 this is why I was urging you to as quickly as possible
15 we'd better put this one to bed.

16 MR. LOEHLEIN: What I would comment on is
17 in all this investigation, we did as a team with a
18 technical experts and so forth, is that we were unable
19 to uncover any new evidence to provide us with any
20 kind of insight different from what is already known,
21 and that is that cracks can lead to leaks, can lead to
22 corrosion if it's not discovered.

23 CO-CHAIRMAN FORD: And one of the conjoint
24 requirements to have.

25 MR. LOEHLEIN: Or detected.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: I would like to -- we're
2 talking about root cause, and so your conclusion is
3 that inadequate inspections of the closure head was
4 the problem. I think beyond that it seems to me that
5 the fact that you cannot fix the flange leaking
6 completely at any given outage, but you manage that
7 issue by saying we will fix the most severely leaking
8 and we'll leave the rest must -- everything from that
9 point on, in fact, you concluded that, you know,
10 presumed boric acid leakage was coming from the
11 flange, and so you kept doing that.

12 And then you presume that the accumulation
13 of boric acid crystals on the head was coming from the
14 flange. Therefore, you kept managing the issue, and
15 that prevented you from performing complete
16 inspection.

17 So I'm saying that to me the lesson
18 learned is that when you have an issue of that kind
19 you do not manage it. You just simply fix the flange
20 leakage so you don't have it anymore. Because
21 otherwise it will have a cascading effect, and your
22 people are going to still live with a limited amount
23 of time to perform the fixing of those flanges, and
24 that cascades in not having enough adequate
25 inspections.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I mean it seems to me that is throughout
2 the root cause. There is that threat that people
3 wanted to do the right job, but they said, "Well,
4 we've reached the time limit. We could only fix this
5 many flanges. So we'll leave this flange for the next
6 outage."

7 MR. POWERS: Right, and I would say that
8 there's a number of things in the root cause that are
9 beyond the technical root cause that we've discussed
10 thus far, and we're still ongoing with the management
11 root cause issues. We're taking actions at the site
12 as a consequence of that.

13 MEMBER BONACA: Yeah, and I don't want to
14 get inside that. I'm only -- when I look at that and
15 it says inadequate inspections, I think more than that
16 is what was the cause of that. I mean, in part it was
17 because you really believed that the leakage was
18 coming from somewhere where you thought you knew, and
19 that led you to convincingly believe that you didn't
20 need to inspect further because you knew where it was
21 coming from.

22 MR. POWERS: Right, and there's elements
23 of problem solving adequacy.

24 MEMBER BONACA: I agree.

25 MR. POWERS: How far we drill down, and so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've got a number of things on our list of things to
2 do as part of our 0350 restart.

3 MEMBER BONACA: Yeah, because inadequate
4 inspection could be interpreted as simply, you know,
5 we didn't look enough or whatever, but really there
6 was this issue fundamentally that we know where it's
7 coming from. We don't have to look further, and
8 therefore, we can manage it. We can keep, you know,
9 from outage to outage, to push further fixing to the
10 next outage.

11 And that seems like a threat that finally
12 convinced a lot of your people at the working level
13 that that was the solution, and they kept believing
14 it.

15 CO-CHAIRMAN FORD: If there's no more
16 questions on the root cause aspect, I thank you very
17 much indeed, and thank you for coming.

18 I'd like to move on for the NRC.

19 Do you want a break? Okay. Ten minutes.
20 We don't want any accidents. We'll recess until ten
21 minutes past five.

22 (Whereupon, the foregoing matter went off
23 the record at 4:59 p.m. and went back on
24 the record at 5:11 p.m.)

25 CO-CHAIRMAN FORD: Okay. Thank you very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much, Jim. I appreciate your giving us the time.

2 MS. WESTON: This is a part of the NRC
3 package, part of it.

4 MR. GROBE: Okay. We've got three more
5 topics that the staff will present. I'll update you
6 on what we've been doing with respect to regulatory
7 oversight at the Davis-Besse plant.

8 Ed Hackett is going to be talking about
9 independent lessons learned task force that's been
10 chartered by Bill Travers, and Allen Hiser is going to
11 talk a little bit about management by leakage
12 detection.

13 I'm sure you're going to have no questions
14 for myself and Ed and about 300 questions for Allen.
15 Are you ready for the next slide, Allen?

16 Allen is going to flip slides for me.

17 Just a brief time line of major activities
18 that have occurred. Of course, the pressure vessel
19 had degradation on the 6th of March. The AIT
20 inspection on March 12th, began on March 12th. We
21 issued a confirmatory action letter on the 13th and
22 established the oversight panel on April 29th.

23 The basis for chartering an 0350 panel for
24 Davis-Besse were fourfold. First, the situation at
25 Davis-Besse represented a significant, complex

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technical issue and also a complex regulatory issue.

2 The plant is in an extended shutdown and
3 regulatory hold, in effect, and that's the
4 confirmatory action letter.

5 The 0350 panel would enhance the agency's
6 focus on clearly defining and communicating the plant
7 specific issues that need to be resolved prior to
8 restart, and we provide as a panel a focused and
9 coordinated oversight.

10 The next slide is -- please stop me if you
11 have any questions. I'm just going to zip through
12 this -- goals of the panel are several. One of the
13 goals is that the panel provides oversight and
14 assessment of licensee performance. It's a broad and
15 integrated focus on assessment, much more
16 comprehensive than would be applied to a routinely
17 operated plant.

18 We assure that the restart issues are
19 identified and resolved, and what's critical here is
20 a shared understanding between First Energy, the NRC,
21 and the public on what those issues are needing
22 resolution prior to restart.

23 We have the capability to coordinate
24 across organizational boundaries within the agency,
25 and of course, Region III, NRR Research, Public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Affairs, Congressional Affairs, ACRS. There's been
2 many aspects of the agency that have been involved in
3 the Davis-Besse issue.

4 Provide a single point of contact, a
5 single focus for communicating with external
6 stakeholders. We've had extensive interface with
7 concerned citizens in the area, concerned groups
8 across the country, federal, state, and local elected
9 officials, and of course, the media.

10 So it's important to have a single focus
11 and a cohesive message on what's going on at Davis-
12 Besse.

13 MEMBER LEITCH: John, it's my
14 understanding the 0350 panel goes on through, I guess
15 full power operation.

16 MR. GROBE: Yeah, I'll get into that in a
17 little bit more detail.

18 MEMBER LEITCH: But as far as identifying
19 restart issues, other than the obvious replacing the
20 head, is there some kind of a report or a point in
21 time when those restart issues are clearly defined?

22 MR. GROBE: Yes.

23 MEMBER LEITCH: And what is that point in
24 time?

25 MR. GROBE: There's two documents that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guide the activities of the 0350 panel. One is called
2 process plan. That's been promulgated and issued
3 publicly, and it covers more not plant specific per
4 se, but process issues, including interfaces and
5 communications and activities that need to be
6 accomplished.

7 The second document is called a restart
8 checklist, and that is the document where those
9 specific issues that need resolution prior to restart
10 will be clearly communicated. A checklist has not
11 been issued yet primarily since the licensee, First
12 Energy, has not completely defined the causal factors
13 in some of the areas, and I'll get into that in a
14 little bit more detail in a minute.

15 MEMBER ROSEN: What was the first
16 document's name?

17 MR. GROBE: Process plan.

18 MEMBER ROSEN: And that is on the Web
19 site?

20 MR. GROBE: Yes, it us.

21 CO-CHAIRMAN SIEBER: It's in the
22 inspection manual chapter, 350.

23 MR. GROBE: Right. There's guidance in
24 the manual chapter, and you interpret the guidance
25 that's in the manual chapter as applied to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specific task. Each plant that might come into an
2 0350 might have different characteristics required.

3 MEMBER ROSEN: So if I go to the process
4 plan, I'll see the actual milestone dates for Davis-
5 Besse?

6 MR. GROBE: No, no. There are no dates.

7 CO-CHAIRMAN SIEBER: You'll see general
8 format.

9 MEMBER ROSEN: That's what I was still
10 interested in. Is that what you were asking about,
11 Graham? What the dates were for when we would see --

12 MEMBER LEITCH: That's what I was asking
13 about. I think I heard that the dates are not yet
14 established.

15 CO-CHAIRMAN SIEBER: Right.

16 MR. GROBE: We won't establish --

17 CO-CHAIRMAN SIEBER: The issues aren't
18 established.

19 MEMBER LEITCH: But the process plan is
20 not specific to Davis-Besse. It's more or less a
21 checklist of those things that one must consider --

22 MR. GROBE: Right.

23 MEMBER LEITCH: -- before moving to
24 restart.

25 MR. GROBE: We will serve no wine before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 its time.

2 (Laughter.)

3 MR. GROBE: You won't find dates in our
4 documents. Like I said, we will develop a shared
5 understanding of those issues that we expect to be
6 resolved prior to restart.

7 When the licensee believes that each of
8 those is ready for evaluation, we will provide
9 inspections of those activities and then address any
10 findings with the licensee.

11 So there won't be any dates in our restart
12 plan, our process plan.

13 The panel provides continued oversight
14 after plant restart. Our expectation is that the
15 panel will continue to provide that oversight at
16 Davis-Besse for at least one calendar quarter
17 following restart.

18 And finally, we create copious amounts of
19 documentation. All of our internal meetings and
20 external meetings are documented, and those are
21 available on the Web site.

22 We're now going to be transcribing the
23 meetings that occur in Ohio to make sure that people
24 who can't make it to Ohio have access to the specific
25 issues that are discussed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The panel members include two senior
2 managers, one from Region III, myself, and one from
3 NRR; three supervisors, two from Region III and one
4 from NRR: the NRR project manager; the senior resident
5 inspector; and a risk analyst from my staff in Region
6 III.

7 So as I said before, it's a very broad
8 oversight. It brings together a variety of different
9 skills from different parts of the agency.

10 The routine reactor oversight process,
11 what's come to be known as the ROP, is suspended in
12 the situation where you have a plant that goes under
13 0350. There's a number of reasons for that.

14 One is that the plant is in a
15 configuration that the reactor oversight process was
16 not written to address.

17 In addition to that, a variety of the
18 operationally focused performance indicators will
19 atrophy when the plant is shut down. So those PIs
20 will not be providing insight into plant performance.

21 We talked about the process plan. The
22 process plan will include coordination, communication
23 activities, inspection and assessment activities,
24 licensing activities, and a variety of things. It's
25 about a ten-page document.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The restart checklist has not been issued
2 yet, but that will contain all of the restart items.

3 We have been averaging about two internal
4 meetings per week, and we had our first public meeting
5 in early May. Our second public meeting at the site,
6 in the vicinity of the site is next Wednesday, a week
7 from today.

8 The licensee has submitted what they call
9 a return to service plan. That was submitted on May
10 21st. That's also available on the Web site. There's
11 what they call building blocks. Is that -- yeah,
12 okay. I'm getting nods back there.

13 Six substantive building blocks that need
14 to be completed to return to service effectively.
15 Three of them are pretty straightforward. Three are
16 a bit more complex.

17 The reactor head resolution is a fairly
18 straightforward activity, much more straightforward
19 now that the head is being replaced instead of
20 repaired.

21 Containment extended condition, that
22 includes extensive inspection of the reactor pressure
23 boundary, as well as inspection of other equipment
24 inside containment for damage or the effects of the
25 environment that the equipment was subjected to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The other one that is pretty
2 straightforward is the last one, restart and post
3 restart test plan. Those are fairly clearly
4 understandable and definable activities.

5 The remaining three are a bit more complex
6 in defining exactly what is necessary prior to
7 restart, the scope and depth of those activities. The
8 licensee has defined a system health plan where
9 they're going to select risk significant systems and
10 evaluate those at some level of depth to insure that
11 they actually have what they thought they had as far
12 as safety system health.

13 A program or a process review plan, where
14 they're going to pick at least three programs, I
15 believe: the boric acid management program, of
16 course; the corrective action program; and the design
17 change program, and possibly others that they're going
18 to review at some level of detail.

19 And the next one is one that has not yet
20 been fully developed yet, and that is the management
21 and human performance excellence plan. There's been,
22 I think, four different activities that have been
23 undertaken to try to get their arms around exactly
24 what went wrong from an organizational effectiveness
25 perspective, a human performance perspective,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 management effectiveness.

2 That included a group chartered by INPO,
3 which was senior executives from a number of plants
4 that came in an evaluated what happened; a group
5 chartered by Bob Saunders, the Chief Nuclear Officer,
6 that included review of various activities; the root
7 cause team, of course; and there was one other. It
8 slips my mind at the moment.

9 But the licensee is now accumulating all
10 of that data and is going to define what it believes
11 are necessary activities prior to restart.

12 Not only is it difficult to understand the
13 scope of what activities in these areas are necessary,
14 but how to measure success is not an easily defined
15 concept. So those are the areas where we're going to
16 be having some dialogue in our public meetings at the
17 site.

18 MEMBER APOSTOLAKIS: Do you have any
19 guidance as to what a human performance excellence
20 plan is?

21 MR. GROBE: No. The way I've approached
22 these kinds of activities in the past is really four
23 steps. First is insuring that we have confidence that
24 the licensee's identification of causal factors is
25 sufficient.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Second, to insure that the scope of what
2 their activities that they're going to undertake --
3 they define these activities, and we make sure that
4 the scope is sufficient to address the root causes,
5 the causal factors.

6 We'll provide inspections of their
7 implementation of that plan and then resolve any
8 deficiencies, and there could be a substantial number
9 of deficiencies that we identify that don't need to be
10 resolved prior to restart that can be ongoing
11 activities after restart.

12 But there is no specific guidance in that
13 area. Clearly there's a number of performance,
14 organizational effectiveness and performance issues
15 that contributed to what happened at Davis-Besse. So
16 we'll be making sure that they identify those to our
17 satisfaction and that they have a plan to assess how
18 they're improving in those areas.

19 There's three inspections that are ongoing
20 right now: the AIT follow-up. The primary focus of
21 that is taking the results of the AID inspection and
22 putting them into a regulatory framework, what are
23 violations, what aren't violations. There are some
24 technical issues that have come out of the AIT that
25 we'll be forwarding on to headquarters for evaluation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The head replacement plan we've received
2 from the licensee the process that they're going
3 through and milestones, activities so that we can
4 start scheduling our inspection activities, and the
5 extent of condition inside containment inspection has
6 been initiated.

7 Those are the activities that I wanted to
8 cover with respect to what we're doing at Davis-Besse
9 today. There were two issues that came up earlier in
10 the day that I wanted to comment on.

11 One, Dr. Apostolakis, you raised an issue
12 regarding the resident inspector knowledge of the head
13 inspections. The resident's primary focus is on
14 operational safety, day-to-day operational safety, and
15 that encompasses operator performance, equipment
16 operability, maintenance activities, testing
17 activities. It's at least a full-time job for the two
18 residents that are on site.

19 We're rather protective of distracting
20 their focus off of operational safety. For PWR
21 linguists, you're at risk of losing the bubble if you
22 distract the residents from their operational safety
23 focus.

24 Members from my staff, particularly
25 several metallurgists, would be the ones who would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going out to the site and observing the head
2 inspections that licensees have undertaken.

3 The challenge with that is that obviously
4 they're traveling out of the regional office. So they
5 can't be everywhere all the time. We have to depend,
6 as Bill Bateman mentioned earlier, on the veracity of
7 the statements made by the licensee, and we challenge
8 those through phone calls and the residents
9 participate in that, and they have some awareness of
10 what the licensee has been doing.

11 But I wouldn't expect them to get into
12 detailed evaluation of the head inspections because it
13 would take them away from their principal
14 responsibilities.

15 MEMBER APOSTOLAKIS: Let's see. I mean,
16 the fact that the containment filters had to be
17 replaced much more frequently than originally
18 anticipated, isn't that something that somebody ought
19 to notice?

20 MR. GROBE: As soon as that issue came up,
21 I know we in Region III assessed that, and the
22 containment air cooler cleaning and the red monitor
23 filters, and the resident inspectors did that.

24 And of course, the information notice was
25 issued. So the licensees were also sensitized to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. So we did follow up on those types of
2 indicators and found no problems at the other sites in
3 Region III.

4 MEMBER APOSTOLAKIS: No, I mean at Davis-
5 Besse.

6 MR. GROBE: Oh, in retrospect?

7 MEMBER APOSTOLAKIS: Yeah.

8 MR. GROBE: There were two inspections in
9 the fall of 2001, and the resident inspector had
10 become aware of operational concerns with the -- this
11 is actually a leakage detection system, the RAD
12 monitors, and focused both on the operational
13 performance of that system, as well as the source of
14 the corrosion.

15 The licensee had committed at that time to
16 do a comprehensive inspection. They did do some
17 evaluation in containment of sources of leakage, but
18 did not identify any and committed at that time to do
19 a comprehensive assessment during the 2000 outage.

20 I misspoke. It was the fall of '99, and
21 so they committed in the 2000 outage to do a
22 comprehensive evaluation of what might have been
23 leaking in containment. In fact, that's one of the
24 issues that Ed Hackett's group is going to be looking
25 at, is how we followed up on that organizationally;

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the inspection program, how it addresses issues of
2 that nature.

3 MEMBER APOSTOLAKIS: One last question.

4 MR. GROBE: Sure.

5 MEMBER APOSTOLAKIS: It's really a
6 comment. When we were discussing with the staff the
7 revised oversight process, this committee expressed
8 concern about the safety conscious work environment
9 cross-cutting issue, and the issue that we raised was,
10 you know, how are you going to know that the safety
11 conscious environment is, in fact, acceptable.

12 And the answer was: we're not going to do
13 much about it because if it is not good, we're going
14 to see it in the hardware. Things will start failing
15 or, you know, doing things.

16 I wonder now as a result of this
17 experience whether we still believe that that's the
18 case, and do you?

19 MR. GROBE: Again, that's an issue. I had
20 the distinct pleasure of spending four hours with the
21 lessons learned task force yesterday, and that's an
22 issue that they're going to be asking.

23 The results of our inspections and PIs and
24 assessments over the last really decade or more of
25 Davis-Besse performance has shown good performance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We do inspect the effectiveness of their corrective
2 action program, and that gets to a certain extent to
3 this safety conscious work environment or safety focus
4 of the folks at the facility, and those inspection
5 results revealed the program was operating
6 effectively.

7 MEMBER APOSTOLAKIS: So in retrospect
8 then, we have to rethinking that.

9 MR. GROBE: That's correct. We have to
10 look at what lessons we can learn, and that's why --

11 MEMBER APOSTOLAKIS: Now, I don't know if
12 you want to make a comment on it, but I believe the
13 problem is that this agency does not have the tools to
14 do that. Now, you may not agree with me, but --

15 MR. HACKETT: I think I'd add the comment.
16 I think Allen is going to get into this. One of the
17 early themes, if you can call it a theme, in the
18 lessons learned task force is let's look at management
19 of these issues through leakage, basically through
20 leakage management, and obviously in this case, you
21 know, you've eroded margins to the point there is
22 effectively no margin.

23 And that does go back to what tools are
24 available to do better than that because in several
25 instances now we've gotten to these points by people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finding leakage, either NRC or in most cases licensee
2 inspectors, and it's going to challenging the adequacy
3 of that and then how do you do better.

4 You can do nondestructive examinations,
5 but they're costly. They may not be entirely
6 effective at going after exactly what you're looking
7 for. So I think it does go to development of the
8 tools, and I think that's going to be one of the
9 things to come out of it.

10 MEMBER APOSTOLAKIS: Good.

11 MEMBER LEITCH: I know we don't want to go
12 too far down that road, but that inspection of the
13 corrective action program is not an ongoing
14 inspection. It's module 4500, right, which is done
15 every two years or something like that?

16 MR. GROBE: It's got a new number today,
17 but, yes, it used to be 4500.

18 MEMBER LEITCH: Yeah, right, and so
19 someone comes in from the region and looks, I guess,
20 retrospectively at the effectiveness of the corrective
21 action program.

22 MR. GROBE: The assessment of the
23 corrective action program is in three phases today.
24 The first part is a certain portion of each inspection
25 procedure, each inspector every time they go out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether it's a health physics inspector, an engineer,
2 resident inspector, a certain portion of their time
3 during each inspection is focused on selecting certain
4 activities retrospectively and making sure that those
5 activities were properly resolved. So that's one
6 part.

7 The second portion is that we just
8 recently changed the periodicity of the major
9 inspections from annually to once every two years.
10 The reason for that was that freed up a number of
11 resources.

12 It did two things. It gave us more time
13 when we do it once every two years. We added about 25
14 percent to the duration of that inspection. So it
15 gave us more time and more resources when we actually
16 do go out to get more intrusive.

17 Secondly, it freed up a number of hours to
18 select certain activities that are ongoing during that
19 two-year time period between inspections and really
20 drill down deeply. The more complex issues that come
21 up, we can go out in a more real time basis and send
22 an inspector out or the resident can do these kinds of
23 inspections.

24 So it's in those three phases. We have a
25 major team inspection every two years where it's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risk focused selection of quite a few deficiencies
2 that have occurred over the last two years and
3 evaluating how they resolved those; the real time
4 situation between two years where we drill down and
5 every inspector every time they go out samples.

6 MEMBER BONACA: But it seems to me,
7 following up on this issue, oftentimes we see this
8 concern with inspections, adequacy of inspections, and
9 all of the ROPs focused on performance of safety
10 systems, which are really managed and maintained on
11 line outside of the outage.

12 And it seems to me that an area of concern
13 would be to look at the outages specifically because
14 there you see the constraints of activity, length of
15 time given to activities that leads to inadequate
16 corrective actions, inadequate inspection, and so on
17 and so forth.

18 And that really is what is more likely to
19 have a conflict between the need to restart and taking
20 care of business completely. So I know you do have,
21 in fact, your active inspections during outages, but
22 is it -- I think still you have the resident inspector
23 simply there just looking at what's going on, I mean.

24 Are there any lessons learned there? And
25 should it be stepped up, the focus?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GROBE: I bent the lessons learned
2 task force here on a number of these issues yesterday.
3 In today's environment, competitive environment,
4 outages have been getting shorter and shorter, and
5 outages are frequently less than 20 days now.

6 It becomes more and more difficult for us
7 to inspect those kinds of activities that are only
8 available during outages. So that's a challenge for
9 us.

10 We try not to schedule complex inspections
11 during outages because the entire work force of the
12 facility is focused on the outage. So we try not to
13 distract them from that focus.

14 So it's a challenge, and that's one of the
15 issues that is before the lessons learned task force.

16 MEMBER BONACA: That's the major trend in
17 the industry performance, has been the shifting
18 towards shorter and shorter and shorter outages,
19 moving out, for example, you know, all of the
20 maintenance equipment, all line, when it's done
21 without the pressure of the outages. So, therefore,
22 you have much higher assurance that the work will be
23 done properly.

24 And so it seems to me that there would
25 have to be almost like a revisiting of the focus on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that outage because that outage becomes critical, and
2 the pressure in on the operators. I mean, I know I've
3 spoken with some of them, and they have told me they
4 feel the pressure from peers, who are really competing
5 with them, and then from their management because if
6 somebody else is doing it shorter and shorter time,
7 why not us?

8 So, you know, I think certainly that's an
9 area where I understand it's a challenge for you, but
10 you know, one may conceive that you would want to have
11 less focus at large on those activities which you know
12 have been dedicated resources and time like staff
13 under maintenance rule and more conceptive (phonetic)
14 teams maybe, you know, just focusing on outages.

15 MR. GROBE: One of the things that we've
16 observed as outages have gotten shorter, of course, as
17 you mentioned, some activities have been taken out of
18 outages and put on line, but one of the other things
19 that we've observed is much more complex and effective
20 scheduling and work management activity, which
21 actually improves the quality of work.

22 There is that additional schedule
23 pressure, and we're sensitive to that, but in fact,
24 we've seen the outages are better managed, and that's
25 one of the ways that the outage schedule has gotten

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compressed.

2 MEMBER BONACA: Well, no, I agree. I
3 mean, they can do it. If they haven't done a very
4 strong improvement affecting the way the outages are
5 managed, then there are a lot of things.

6 However, time pressure is still time
7 pressure. There are going to be some things which are
8 a decision is going to be made that this is not
9 important enough that we have to do it completely or
10 this can be postponed, whatever. It has to be done
11 because time is more limited.

12 MR. GROBE: And that's, quite frankly, one
13 of the issues that is part of our follow-up activities
14 at the AIT, is looking at those specific questions.

15 MEMBER ROSEN: I'd like to come away from
16 the discussion of the outage for a minute and come
17 back to your earlier remarks about operational focus,
18 which I absolutely commend. I think that is the right
19 thing for the inspectors to do, but I'm puzzled by
20 that comment and the fact that what was going on at
21 Davis-Besse for perhaps four years or maybe more was
22 an event, an ongoing event, of the degradation of the
23 head which sent a lot of signals, operational signals,
24 the containment atmosphere, coolers, pressure drop,
25 and the need for recurrent cleaning of that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Just take that for an example.

2 MR. GROBE: Sure.

3 MEMBER ROSEN: There's clearly an
4 operational event that your inspectors with their
5 operational focus had to know about and had to draw a
6 conclusion about.

7 MR. GROBE: In fact, I'm not sure that we
8 had focused on the containment air cooler cleanings.
9 I just don't think it rose to the level of cognizance
10 on the residence staff, and Ed Hackett and the rest of
11 the lessons learned task force team will be out
12 interviewing all of the inspectors, but for my
13 interaction with them, I don't believe that came to
14 our attention.

15 MEMBER ROSEN: Well, clearly, in
16 hindsight, which is always 20-20, one would say that
17 that was maybe the preeminent signal to inspectors who
18 have an operational focus that there was something
19 amiss.

20 MR. GROBE: I think that's clearly one of
21 the signals. The other one is the RAD monitors, which
22 was probably more directly connected to what was going
23 on. I believe it was July of '99 that they sent the
24 sample filter out to be analyzed, and it came back
25 that there were corrosion products that were produced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in a steam environment.

2 That was a clear message that there was
3 some leakage going on, primary coolant system leakage,
4 and that did come to the attention of the inspectors
5 through their routine inspections, and they did follow
6 up on it, and it's documented in two reports.

7 It didn't get above the resident
8 supervisor, and it didn't come to the cognizance of
9 myself or the division reactor projects director.

10 We asked the right questions, but maybe
11 didn't follow up the way we should have.

12 CO-CHAIRMAN FORD: I'd like to move on if
13 I may.

14 MR. GROBE: Sure.

15 CO-CHAIRMAN FORD: Because this is not a
16 topic that we covered in the letter.

17 MR. GROBE: There was one other if I could

18 CO-CHAIRMAN FORD: I'm sorry.

19 MR. GROBE: There was one other question
20 that came up, and I just wanted to make sure despite
21 Research's desire to be done with the finite element
22 analysis.

23 That really is an important activity for
24 two reasons, and I think they kind of came up, but I
25 just wanted to make sure. One of the things that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part of the new program is a new definition of how we
2 communicate significance to the public, and the
3 results of that analysis and the following analysis,
4 which will be the probablistic assessment. That will
5 feed the probablistic assessment and are critical to
6 us in our ability to communicate the significance of
7 this event both internally and to the public.

8 The second though is we also use the
9 results of that analysis to budget staff, and the more
10 significant the finding, the more staff we put on a
11 project.

12 And one of the things that I also bent the
13 lessons learned task force's ear yesterday on was, you
14 know, we've shifted to a, quote, risk informed
15 framework. The significance determination process is
16 actually risk driven in this arena. In other areas
17 like health physics and emergency preparedness and
18 security, it's risk informed.

19 But in the areas where we can do
20 probablistic analysis, it's fairly well risk driven.
21 You heard some analyses both from our Office of
22 Research, as well as the licensee's staff, on burst
23 pressure of the remaining cladding. It will be
24 interesting to see how that's handled within the
25 significance determination process and, when we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 done with that, whether that truly reflects the
2 significance of the performance deficiencies.

3 And that may be an opportunity to
4 reexamine the way we do risk significance and whether
5 there should be some other factors that are
6 considered.

7 Taking notes, Ed?

8 MR. HACKETT: In fact, I am.

9 MR. GROBE: Good. Those were the other
10 issues.

11 CO-CHAIRMAN SIEBER: So it's going to be
12 green.

13 MR. GROBE: If you looked at it as a
14 binary gate, you could come to that conclusion, but,
15 in fact, there's probability distributions on all of
16 those things. So even though the burst pressure might
17 be some psi, that doesn't mean it wouldn't fail at a
18 lower pressure.

19 CO-CHAIRMAN SIEBER: Right.

20 CO-CHAIRMAN FORD: Ed, thank you very
21 much.

22 MR. HACKETT: I think like Jack said, Jack
23 had already reached several conclusions for the task
24 group yesterday.

25 MR. GROBE: If you need any help, just let

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 me know.

2 MR. HACKETT: I think we're going to get
3 all kinds of help.

4 I guess given everything that's been
5 discussed here and the situation, it's not surprising
6 that we're talking about a lessons learned task force.
7 The agency has done these before. We don't have
8 criteria for deciding exactly when they might be done.

9 The last one was done for the Indian Point
10 Unit 2 tube rupture; this one for Davis-Besse reactor
11 vessel head degradation.

12 I'm the assistant team leader. Art Howell
13 from Region IV, he's the division director, division
14 reactor projects in Region IV -- division reactor
15 safety. I'm sorry.

16 MEMBER LEITCH: Who is learning the
17 lessons here? In other words, is this an internal --

18 CO-CHAIRMAN SIEBER: If anybody?

19 MEMBER LEITCH: Is it the NRC going to
20 look at Davis-Besse or look at the NRC's performance?

21 MR. HACKETT: I'll make several comments
22 in that regard. I guess go ahead and put up the next
23 slide here to get into some of that.

24 The primary focus, as you are indicating,
25 is on the NRC and the NRC's internal processes. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not limited to that though, however. It's also to
2 look at recommended areas of improvement, both the NRC
3 and the industry.

4 We also say reactor vessel head
5 degradation. The scope and charter is actually
6 broader than that. I think you can use --

7 MEMBER APOSTOLAKIS: I'm really confused.
8 If it's broader, why doesn't it say that? Why do you
9 have to say, "But really it is broader"?

10 It always confuses me.

11 MR. HACKETT: It was written before I got
12 there.

13 (Laughter.)

14 MR. HACKETT: So I guess the charter --

15 MEMBER APOSTOLAKIS: Because that was my
16 next question. Why limit yourself to reactor vessel -
17 -

18 MR. HACKETT: That's a good question. It
19 was written this way. I think the charter is publicly
20 available now on the NRC's Web site, and if you go
21 below this basic mission statement, it does say that
22 it is to consider other areas, you know, basically.

23 Especially in this case, looking at
24 reactor coolant pressure boundary leakage in general,
25 you know, would be more consistent with the charter.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: I would not defense
2 in depth the scope of the task force.

3 MR. HACKETT: That's a good point, too.

4 The other point I'll make, since we're
5 literally just kicking this thing off this week, we
6 are looking for public comment, soliciting public
7 comments on the charter. I'll get into the charter
8 here in a few minutes.

9 So far we have a charter that's been
10 written. That was written before the team was even in
11 place, and the charter is still open to suggestion,
12 comment from the committee, from the public and
13 others.

14 MEMBER APOSTOLAKIS: Let me understand
15 something. If I go -- I haven't done it; I should do
16 it -- if I go to the NRC Web site and look up reactor
17 oversight process, Davis-Besse, am I going to see
18 greens all over the place?

19 MR. GROBE: yes.

20 MR. HACKETT: I believe so.

21 CO-CHAIRMAN SIEBER: I told you.

22 MEMBER APOSTOLAKIS: Huh?

23 CO-CHAIRMAN SIEBER: I told you.

24 MR. HACKETT: Yes.

25 MEMBER APOSTOLAKIS: I believe you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER LEITCH: For the last two
2 assessment cycles.

3 MEMBER APOSTOLAKIS: Okay. So there must
4 be some lessons learned.

5 MR. HACKETT: I think there will be some.

6 MEMBER APOSTOLAKIS: There will be some.
7 Okay.

8 MR. HACKETT: Maybe a couple other things
9 I'll mention up front here in terms of coordination
10 and interfaces. There are other investigations going
11 on that I'm sure the committee is aware of and others
12 are aware of.

13 The Congress, Energy and Commerce
14 Subcommittee, I believe, has an investigation ongoing.
15 I believe they've been out to the site. They will
16 likely be talking to the NRC, probably to the lessons
17 learned task force, to Jack and 0350, and there are
18 others.

19 There's Jack's 0350 panel, obviously. The
20 Inspector General, internal to the NRC, is also
21 looking at the NRC decision process leading up
22 specifically to delaying the inspection at Davis-
23 Besse.

24 So those are going on. Those are going on
25 in parallel with this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Would it be
2 appropriate to add safety conscious work environment
3 there?

4 MR. HACKETT: That is part of what we'll
5 be looking into.

6 MEMBER APOSTOLAKIS: Of the oversight
7 process, yes.

8 MR. HACKETT: So yes.

9 MR. GROBE: They asked me many questions
10 yesterday about the corrective action program
11 inspections and about inspection perform --

12 MEMBER APOSTOLAKIS: Who's "they"?

13 MR. GROBE: The task force.

14 MEMBER APOSTOLAKIS: Oh, these guys?

15 MR. GROBE: Yeah. They were brutal.

16 CO-CHAIRMAN SIEBER: Well, there's one
17 thing about examining the corrective action program,
18 and that's if the standards are low enough and there's
19 not a questioning attitude. Then there's not much in
20 the program, but everything that's in there probably
21 gets corrected.

22 And so that's part of it, which the
23 inspection maybe doesn't get to.

24 MEMBER APOSTOLAKIS: These guys will
25 define questioning attitude every six months. He will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come back and say that the definition is this, right?

2 MR. HACKETT: I wish we had six months.

3 MEMBER APOSTOLAKIS: We all talk about it,
4 but we don't know what it is really.

5 CO-CHAIRMAN FORD: Well, the ACRS
6 certainly has it.

7 (Laughter.)

8 CO-CHAIRMAN SIEBER: The question would be
9 what's all of that red stuff coming out of that hole.

10 MEMBER APOSTOLAKIS: And the answer would
11 be: don't worry about it.

12 (Laughter.)

13 CO-CHAIRMAN SIEBER: That's standard.

14 MR. HACKETT: We'll come to the schedule
15 in a bit, and I'll wish I had six months, I'm sure.
16 Actually it's mandated to be done in about three
17 months, almost exactly three months from today. So
18 it's an ambitious effort.

19 The charter elements are listed here as we
20 have them right now. There's really these five pieces
21 with an awful lot of the front end focus is going to
22 be on the reactor oversight process, and I think Jack
23 covered that more than adequately.

24 In addition to that, regulatory process
25 issues at the NRC, including evaluation of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulations, licensing review process, regulatory
2 processes, such as the generic communications and the
3 clarity thereof for regulatory process.

4 An element on research activities. We've
5 heard from the Research Office today, and that's my
6 home base. So there are obvious issues with not just
7 the research. This isn't restricted to the NRC
8 Research Office. This is research activities in
9 general.

10 Should there have been some things that
11 should have been being done that might have led us to
12 be in a better place to identify this type of thing
13 from a research perspective or to mitigate it more
14 successfully?

15 So we'll be looking at that type of thing,
16 including research performed external to the NRC.

17 International practices. I think it's
18 pretty obvious that some of the foreign industry has
19 looked at this issue very differently than the United
20 States did. Most aggressively handled in France, and
21 I think Allen has presented this many times to the
22 committee.

23 With the initial discovery of Bouget in
24 1989, they embarked very quickly thereafter on a head
25 replacement program, which, you know, we didn't do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 after discovery of some axial type indication in maybe
2 like the '97 time frame, general letter 9701.

3 At any rate, it has been handled
4 differently for some very different reasons, but the
5 lessons learned task force will be looking into that,
6 too.

7 The generic issue process, there have not
8 been generic issues associated with boric acid
9 corrosion or much involved with corrosion in general.
10 That will be one of the topics.

11 Should there have been? Should there be
12 now? Should this process somehow be better tuned to
13 picking these kind of things up? Because that type
14 of thing has not happened.

15 So at least those five elements are there.
16 One of the things I'll mention right now is the EDO
17 feels strongly about soliciting input on this charter.
18 So I'd be glad to take input that anyone might have.

19 MEMBER APOSTOLAKIS: Yeah, are we going to
20 see you before you publish your results?

21 MR. HACKETT: Well, I guess that's
22 probably largely up to you guys. We're going to be
23 plenty busy enough. So I guess I didn't come here,
24 especially from Art's perspective, to be volunteering
25 too many presentations over the three-month period.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would think what I'll come to in some of
2 the subsequent slides here is that we have a period
3 where we're basically in a preparation phase right
4 now. We've literally just assembled a team this week.

5 The review phase really starts at the end
6 of June and should complete more like the end of July,
7 and by then there will probably be -- there will be a
8 developing story, obviously, along the way, but by
9 then there would be something to tell, and we would be
10 in the mode of trying to integrate it and writing the
11 report at that point.

12 So that might be a point to talk some more
13 about. It will be briefing. Obviously internally we
14 report directly to the Deputy EDO, Bill Kane, and to
15 the EDO, Bill Travers. They'll be receiving at least
16 weekly briefs on the progress of the task force.

17 And if the committee would like to hear,
18 you know, an update --

19 MEMBER APOSTOLAKIS: I think we need to
20 discuss that in private.

21 MR. HACKETT: That's something we'll take
22 as an action.

23 MEMBER ROSEN: We have a discussion of the
24 schedule for this weekend.

25 MEMBER APOSTOLAKIS: No, but this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something new.

2 MEMBER ROSEN: Right, but I think we can
3 take this up.

4 MEMBER APOSTOLAKIS: Yeah, yeah.

5 MEMBER ROSEN: I'm saying on Saturday.

6 MEMBER APOSTOLAKIS: Sure.

7 MEMBER WALLIS: This second bullet, does
8 that include looking at how we might view risk
9 informed regulation as a result of what we've learned?

10 MR. HACKETT: I think that's fair. That
11 one is fairly broad in terms of regulatory process.
12 Certainly the NRC processes have been focused at
13 performance based risk informing for a number of years
14 now. So I think that's fair game under that element.

15 MEMBER WALLIS: This kind of event isn't
16 in the PRA, I understand, or is it?

17 MR. HACKETT: I don't --

18 MEMBER WALLIS: There's no analysis of --

19 MR. HACKETT: This specific event I don't
20 believe would have been anticipated to be in a PRA.
21 I would think the -- I'll defer to Steve or others to
22 answer that more definitively.

23 I think what is or what has been
24 evaluated, I know, is the LOCA that would result from
25 multiple rod ejection has been, and that was shown in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 terms of the LOCA situation to be bounded by the hot
2 leg break.

3 MEMBER ROSEN: PRAs typically don't
4 address passive components. The head of the vessel is
5 a passive component. So it wouldn't show up as the
6 component.

7 MEMBER WALLIS: Passive component about to
8 become active.

9 MEMBER ROSEN: That's been fairly
10 accurate.

11 MEMBER KRESS: LOCAs are all passive.

12 MR. LONG: This is Steve Long with NRR
13 staff.

14 The PRAs typically address initiating
15 events that would be failure as a passive component to
16 pipe break or whatever. So there's a medium LOCA
17 frequency. There's a small LOCA frequency, except for
18 special initiators where you have postulated a
19 mechanism and gone in and analyzed the failures that
20 lead to that mechanism, such as an interface systems
21 LOCA or something, you really just lump everything
22 that might create a hole of this size into an
23 initiating event frequency.

24 MEMBER APOSTOLAKIS: We had recommended
25 when we reviewed Athena that the project look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 possibility of having an initiating event due to human
2 actions during normal operations.

3 You know, so before you go to the PRA, you
4 have to do all this. Athena has to take care of it,
5 and then eventually, of course.

6 But you're right. Right now it doesn't
7 have it, but these are -- I think the problem is
8 broader. I think there has been reluctance to get
9 into organizational issues, you know, for a number of
10 reasons for the last several years, and these
11 naturally involve organizational issues, I mean,
12 however you want to --

13 MEMBER WALLIS: You can fall back on
14 Defense in --

15 MEMBER APOSTOLAKIS: Well, that's what I'm
16 going to do, the structuralist approach. What if
17 you're wrong?

18 MR. HACKETT: I think you're --

19 MEMBER APOSTOLAKIS: Well, there has to be
20 a way out of it, Steve. Either we have to understand
21 it or we put Defense in Depth, right? That's what
22 Defense in Depth does. It helps you when you don't
23 understand.

24 CO-CHAIRMAN FORD: I'd like us to move on
25 if we may.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HACKETT: We're fortunate that the EDO
2 has been kind to us, and I should say Mr. Collins
3 also, in terms of putting this team together. Art
4 Howell is a highly capable individual. He's leading
5 the team from Region IV.

6 I was assigned as his assistant leader,
7 and we have a very capable team here that's
8 distributed among both the headquarters operation and
9 the regions.

10 In addition, we're going to have --

11 MEMBER APOSTOLAKIS: Have come you have --
12 well, I don't recognize anyone there who's an expert
13 at human performance. Shouldn't there be someone?

14 MR. HACKETT: You know, the team is
15 literally so new. I have to say I believe that Ron
16 Lloyd has some experience in that area, and possibly
17 Tom Koshy (phonetic), although I could take that as an
18 action and get back to you on it.

19 MEMBER APOSTOLAKIS: When we had the
20 Athena presentations, there were usually four or five
21 guys sitting where you are sitting now. Maybe one of
22 them should be involved in this. It would help you
23 draw some conclusions that perhaps otherwise you
24 wouldn't draw.

25 MR. HACKETT: Yeah, we have the ability to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 draw pretty much from what we need on the NRC staff,
2 you know, with the --

3 MEMBER APOSTOLAKIS: See, my concern is,
4 again, that maybe we would focus on the technical
5 part, the hard science part, when, in fact, the
6 failures were not there.

7 MEMBER ROSEN: I think the management,
8 George, of this lessons learned task force, Art, Hal,
9 and Ed, have enough experience to understand the
10 organizational and management factors to deal with the
11 issues that I think you're referring to.

12 MR. HACKETT: I think, in fact, the focus
13 is much more initially on the -- well, the charter
14 elements, what we're calling charter elements A and B
15 on the reactor oversight process issues and the
16 regulatory process issues, I think, in fact, the focus
17 is going to be largely there.

18 The other three elements are important,
19 but if I had to weight these, I think the first two
20 are the most important, and that's going to be the
21 primary focus of the task group for sure.

22 Anyway, we're fortunate to have this.
23 We're also fortunate to have been given the physically
24 separate space on the 16th floor.

25 MR. GROBE: Just one other thing on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 structure of the folks that are on the committee
2 that's important is that the committee is completely
3 independent of anybody in Region III or anybody in NRR
4 that was involved in these activities. So it's going
5 to be a fresh look.

6 MR. HACKETT: In terms of how things are
7 going to progress, I just briefly mentioned schedule
8 previously. We're in this preparation phase right now
9 which really extends to the end of June effectively.
10 That's, you know, running from some mundane things
11 like getting people set up in offices to actually
12 starting to conduct some interviews with NRC staff and
13 managers and, starting next week, discussions with
14 plant personnel at the site and also with the region.

15 Jack mentioned earlier there's a trip out
16 to the site vicinity next week that several of us will
17 be going on. I'll mention some more about that in a
18 minute.

19 The expectation from the EDO is that we're
20 going to complete this activity in September of this
21 year. That's the marching orders right now.
22 Obviously things could be subject to change. If any
23 new information comes to bear that would bear on the
24 schedule, in particular, but that's where we're
25 heading right now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then I'll just end with current
2 status. I'm sorry. This is sort of where we are as
3 of today. We just literally this morning completed
4 two and a half days worth of team orientation
5 briefings. The team, the nine folks that I had up
6 there on the slide are physically here at NRC
7 headquarters from the regions and from the
8 headquarters functions.

9 And we're all assembled in one place on
10 the 16th floor in One White Flint.

11 Team orientation briefings they said are
12 completed. We are having -- Jack is having the 0350
13 panel meeting next week at the site vicinity. We are
14 having what Art has been calling a public entrance in
15 the site vicinity right after that. I believe it's
16 late morning

17 MR. GROBE: It's actually before.

18 MR. HACKETT: Before?

19 MR. GROBE: Yeah.

20 MR. HACKETT: It's like ten o'clock in the
21 morning, I believe.

22 MEMBER APOSTOLAKIS: So what is a public
23 entrance?

24 MR. HACKETT: Basically it's really part
25 of the communications plan for the task force, is to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get out to the site vicinity and let people know that
2 we're doing this and sort of what the expectations are
3 going in to do that particularly in the site vicinity.

4 One that I didn't put on the slide is that
5 we are working right now on also having a public
6 meeting probably the week of June 17th where we'll be
7 sort of rolling that charter, duplicating that same
8 kind of meeting here at headquarters and soliciting
9 input from anyone who's interested in providing some
10 at that point.

11 Art, in particular, has been on this
12 longer than the rest of the team. There have been a
13 lot of interviews with key NRC managers who have been
14 involved in this, and many more are going to be in
15 progress.

16 And right now the team, in fact, just this
17 afternoon is working on detailed review plans for the
18 separate activities that we'll be doing. So that's
19 where we are at the minute.

20 I'm especially glad to take any inputs on
21 the charter or any thoughts the committee might have
22 are welcome at any time.

23 CO-CHAIRMAN FORD: Thank you very much.

24 MR. HACKETT: Thanks.

25 MR. HISER: I guess what I'd like to do is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take a tack that is maybe a little bit unusual for
2 ACRS, a little bit of a philosophical twist to things.

3 (Laughter.)

4 MR. HISER: I know you guys don't like to
5 do that.

6 CO-CHAIRMAN FORD: In the course of an
7 hour.

8 MR. HISER: You guys don't like to do
9 that. Very short; three slides.

10 We talked quite a bit earlier this morning
11 about use of leakage detection. I just wanted to go
12 over some ideas that we have. We don't have any real
13 firm ideas at this point, in all honesty. We're still
14 gathering information.

15 We do have maybe some ideas starting to
16 gel in terms of the philosophy of how leak detection
17 can fit in.

18 Clearly, first of all, before you
19 determine what the appropriate inspection methods and
20 frequencies, what the inspection program should be,
21 you have to understand what it is you're trying to
22 manage from the standpoint of where we were almost a
23 year ago.

24 When we were discussing Bulletin 2001-01,
25 the focus was really the safety concern of nozzle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ejection. With the recent findings at Davis-Besse,
2 that as we discussed early this morning has really
3 raised the bar a little bit to where leakage may be
4 the thing that we're really most concerned about.

5 And I guess the one thing that I want to
6 impress upon the ACRS is it's not just the nozzle base
7 material that's of concern. Cracking has occurred in
8 the nozzle base material. It has occurred in the weld
9 material. It has occurred at the interface of the
10 weld and the base material. It has occurred at the
11 interface of the butter (phonetic) and the vessel
12 head. So pretty much all components of this structure
13 are at issue here.

14 CO-CHAIRMAN SIEBER: And none of it is
15 allowed by the code.

16 MR. HISER: None of it is allowed. That's
17 exactly correct.

18 But also, how can we effectively manage
19 each of those parts is really another key part to
20 this. That's dependent on the state of the art, of
21 the inspections, and tooling and the availability of
22 those.

23 CO-CHAIRMAN SIEBER: It seems to me that
24 if you're inspecting visually for leakage, then you've
25 already passed the threshold in which you're in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 violation of the code, and it seems to me that if you
2 have a susceptible plant, you ought to do volumetric
3 and work for the 70 percent crack and fix it.

4 MEMBER APOSTOLAKIS: I think the leakage
5 part is part of managing the accident and preventing
6 it from becoming an accident, right?

7 CO-CHAIRMAN SIEBER: Well, part of it is
8 compliance with the code.

9 MEMBER APOSTOLAKIS: Isn't that what it
10 is?

11 CO-CHAIRMAN SIEBER: That's an NRC
12 requirement. It's a state requirement, insurance
13 company requirement.

14 MR. HISER: Well, I think it's a good lead
15 into the next bullet.

16 MEMBER SHACK: Well, before you --

17 CO-CHAIRMAN FORD: Before you go, you
18 skipped that one. Surely there should be, as Jack
19 says, there's a code that says, "Thou shalt not have
20 a crack."

21 CO-CHAIRMAN SIEBER: A deep crack.

22 CO-CHAIRMAN FORD: Well, I meant a deep
23 crack.

24 MEMBER ROSEN: Peter, we have a member of
25 the public who wants to make a comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LASHLEY: This is Michael Lashley,
2 South Texas.

3 And I didn't bring the code book with me,
4 but that's probably not a perfectly accurate
5 statement. The code allows evaluations and has
6 certain acceptance criteria. Cracking has acceptance
7 criteria throughout the code. It's not precluded, and
8 in certain instances, specifically an example is
9 buried pipe, it will clearly say you can live with
10 that as long as it's within your operational
11 boundaries.

12 So it's known in the code that cracking is
13 not a totally tabu thing. You do have to do other
14 measures and have other compensatory actions.

15 CO-CHAIRMAN SIEBER: But the reactor
16 coolant system pressure boundary is an exception to
17 that.

18 MR. LASHLEY: Well, that's the tech spec
19 issue. The tech spec will say.

20 CO-CHAIRMAN SIEBER: It's a code issue.

21 MEMBER BONACA: We do not wait until you
22 have leakage in the tubes. I mean, you go in and
23 inspect, and you're looking at certain criteria. Now,
24 you may have leakage, but by the time you restart the
25 plant you're not supposed to have any leakage in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tube.

2 MEMBER SHACK: But here they don't allow
3 operation with through wall cracks, which is analogous
4 to the steam generator case. I mean, you don't allow
5 operation with known through wall cracks.

6 MEMBER BONACA: But you're waiting for
7 leakage to detect. What I mean is in the tubes you go
8 in, inspect, you do sampling, but you inspect and plug
9 if your through wall is beyond certain criteria.

10 MR. GROBE: I think there are two issues
11 on the table. One is having a leak, a through wall
12 crack. You're clearly not permitted to operate with
13 a through wall crack.

14 But it's not uncommon to have very shallow
15 cracks identified during IS activities and have those
16 be analyzed that it's safe to operate for another
17 outage, another cycle, and oftentimes that's
18 exercised, and the licensee prepares for whatever
19 repair or replacement activities they'll do.

20 CO-CHAIRMAN FORD: But, Jack, surely it is
21 up to a certain point.

22 MR. GROBE: That's right. That's right.

23 CO-CHAIRMAN FORD: You can't wait until
24 there's a through wall crack.

25 MR. GROBE: Absolutely.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: The code doesn't allow
2 that.

3 So that comes back to Jack's point.
4 Should there not be a third sub-bullet on the second
5 bullet? There's a limit to the amount of cracking,
6 non-through wall, that you can have.

7 MR. HISER: Yeah, I think that's correct.
8 The purpose of these bullets was really to look to the
9 point of, you know, leakage and deposits. What is
10 allowed within the tech specs and the ASME code, and
11 how does this fit? How does use of visual
12 examinations fit within this context?

13 MEMBER WALLIS: Right, yes.

14 CO-CHAIRMAN SIEBER: Well, the way you
15 wrote that tells me that you should look at the code,
16 and it tells me how far you can go, what you have to
17 do in your tech spec.

18 MR. RICCARDELLA: Peter Riccardella from
19 Structural Integrity Associates.

20 You know, we're not talking about
21 operating with known leakage here. If we find the
22 leakage, we fix it. We're talking about operating
23 with some non-zero probability of a leak, and the code
24 doesn't prohibit that, and we do that in the primary
25 coolant system all over the place.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We operate with some non-zero probability
2 of having a crack or of having a leak, and you know,
3 that's the issue that I think we have to have
4 addressed. What is the acceptable probability that we
5 could live with, not that we operate with leaks?

6 MEMBER BONACA: But you do IS in the
7 vessel, right?

8 CO-CHAIRMAN SIEBER: And piping and
9 everyplace else.

10 MEMBER BONACA: In piping, in volumetric
11 inspections, and so on and so forth, and here we're
12 talking until now we just do visual. So with visual
13 it means we're waiting until we see leakage to
14 determine that we're going to now repair it.

15 CO-CHAIRMAN SIEBER: Are you going to
16 leak? That's right.

17 MR. RICCARDELLA: But you know, IS of
18 small bore piping we do visual, and you know, we
19 accept the fact that, for example, socket welds and
20 small bore piping, we have a finite probability of
21 leakage that occurs from time to time.

22 CO-CHAIRMAN SIEBER: That's right.

23 MR. RICCARDELLA: In the primary coolant
24 system.

25 MR. HISER: Yeah. I think the one context

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the staff would come at this from is the
2 expectation previously was that these components
3 wouldn't fail. You wouldn't get leakage, and so maybe
4 leakage was an appropriate method to manage for that
5 unlikely event.

6 Now, given the incidences that have been
7 identified, you know, we need to take another look at
8 it. That's all we're trying to do here, is just to
9 lay out some of the basis for this.

10 CO-CHAIRMAN SIEBER: Maybe I can add
11 additional confusion. I already wrote my comments,
12 and I --

13 (Laughter.)

14 CO-CHAIRMAN SIEBER: -- and I'm just
15 waiting for you to say them.

16 MEMBER ROSEN: Well, Jack, do you want
17 some more input first? We've got another --

18 CO-CHAIRMAN SIEBER: Well, let me finish.
19 I have the floor right now. Okay?

20 It seems to me that the susceptibility
21 ranking curves, if they're done right, could be a
22 process where you decide what kind of inspection and
23 examination you need to do.

24 For example, a plant where the probability
25 of actually having cracks is pretty low. Maybe visual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is good enough. On the other hand, if you're in the
2 hard runner list, you know, the most susceptible plant
3 list, maybe volumetric is a better deal, particularly
4 if you can calculate, which I think that we're all
5 trying to do, how fast these cracks will grow, and
6 that's basically what you do with steam generator
7 examinations.

8 You're trying to predict can I run another
9 cycle without losing a tube, and I think there's some
10 value in thinking about that kind of an approach.

11 I would be happier if one of two things.
12 One of them is that the database that was used to come
13 up with the susceptibility ranking also included
14 information about heats or, on the other hand, I think
15 that whoever has a leak that appears to come from a
16 susceptible heat of material, write a Part 21 so that
17 everybody knows that here's additional susceptibility,
18 and they can do something about it.

19 So that would be my thought process as to
20 how I would deal with these issues you've put up here,
21 for what it's worth, and if I get ten other people to
22 agree with me, we can do it right.

23 (Laughter.)

24 MR. LASHLEY: Let me make one other
25 comment. We talked about code and we talked about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulation. I'm going to read Criterion 14 out of the
2 general design criteria, which is for the reactor
3 coolant pressure boundary.

4 "It is the reactor coolant pressure
5 boundary shall be designed, fabricated, erected, and
6 tested so as to have an extremely low probability of
7 abnormal leakage of rapidly propagating failure and of
8 gross rupture."

9 The code follows that same structural
10 integrity process. It doesn't preclude crackage or
11 through wall leakage outright.

12 MEMBER APOSTOLAKIS: So don't you think
13 though that having a through wall crack and leakage is
14 inconsistent with the requirement of an extremely low
15 probability?

16 MR. LASHLEY: If you accepted it and just
17 gross leakage --

18 CO-CHAIRMAN SIEBER: Step to the
19 microphone and identify yourself, please.

20 MR. LASHLEY: Your point is well taken if
21 you lived with it and didn't fix it or didn't do an
22 evaluation to show it's not a structural integrity
23 issue.

24 MEMBER APOSTOLAKIS: Oh, yeah, sure.
25 We're not talking about shooting anybody. I mean

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fixing it. I think we --

2 CO-CHAIRMAN SIEBER: And when you talk in
3 general terms --

4 MEMBER APOSTOLAKIS: Can we go to the last
5 bullet? I'm dying to see what they have to say.

6 (Laughter.)

7 MEMBER BONACA: You guys keep talking.

8 CO-CHAIRMAN SIEBER: Let me say one other
9 thing. EDC-14 really is looking at the reactor
10 coolant system pressure boundary as a whole where
11 there are some flange gasketed joints, mechanical
12 joints like spores (phonetic) and safety valves and
13 things like that, some of which leak, and so you just
14 can't have an absolute prohibition against leakage
15 because some things just leak. Seals leak; inner
16 system leaks occur.

17 MEMBER BONACA: But remember those flange
18 leaking in my judgment, they were a measured
19 contribution to this event because there were a
20 fixed --

21 CO-CHAIRMAN SIEBER: Well, it masked the
22 problem.

23 MEMBER BONACA: They masked the whole
24 issue, and they -- so, you know, one could even say
25 the codes are not perfect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: Well, I think there's
2 a difference between leakage at some mechanical joint
3 and leakage because of a defective wall.

4 MR. HISER: Ongoing degradation does tend
5 to cause problems.

6 CO-CHAIRMAN SIEBER: And go on.

7 MR. HISER: Right. Now, within the
8 overall context of safety of these components we have
9 robust designs to minimize failures. We have quality
10 fabrication practices and inspections to insure that
11 we have quality components.

12 The role of leak detection may be at a
13 minimum Defense in Depth. If one had inspection
14 requirements that were more intensive, say, NDE,
15 something like that, there still may be a role for
16 leak detection just in case something happens
17 different from what we expected, more rapidly than was
18 expected. But it could be used as a Defense in Depth
19 approach to management.

20 MEMBER APOSTOLAKIS: So Defense in Depth
21 now means that I have a redundant or diverse barrier
22 to something, right?

23 MEMBER KRESS: Not necessarily.

24 MEMBER APOSTOLAKIS: No? The Commission
25 says it's the use of multiple barriers? That's what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Commission said.

2 CO-CHAIRMAN SIEBER: You could use
3 alternate techniques, too.

4 MEMBER BONACA: Alternate techniques or
5 back-ups or trains, for example.

6 MR. HISER: Say again.

7 MEMBER BONACA: Redundant trains, for
8 example, would provide you further Defense in Depth.
9 I mean it doesn't have to be necessarily a passive
10 barrier. That's only for the barrier portion

11 MR. GROBE: And there are three barriers.
12 There's the fuel, primary pressure boundary, and
13 containment.

14 MEMBER APOSTOLAKIS: So anything that
15 reduces the probability is Defense in Depth
16 measurable?

17 MEMBER BONACA: Well, I mean, it measures
18 -- it's a broad definition.

19 CO-CHAIRMAN SIEBER: Sure. That's
20 philosophical, but it sounds okay.

21 MEMBER APOSTOLAKIS: Well, the Commission
22 said the use of multiple barriers, and that's what it
23 is.

24 MEMBER BONACA: No, in the protection of
25 those barriers.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: They didn't mention the
2 barriers in the white table paper at all. They said
3 multiple -- I forget the words, but it wasn't
4 barriers.

5 MEMBER APOSTOLAKIS: Measures?

6 MEMBER KRESS: Multiple measures to
7 address incidents.

8 MEMBER APOSTOLAKIS: So this is a Defense
9 in Depth measure against which event? What are we
10 talking about here? Defense in Depth against what?

11 MR. HISER: LOCA.

12 MEMBER APOSTOLAKIS: LOCA?

13 MR. HISER: Nozzle ejection, a redundant
14 way of identifying the degradation that could be
15 ongoing.

16 MEMBER APOSTOLAKIS: I'm sure it is, yeah.
17 That's what it is, yeah.

18 MR. HISER: Now, the industry will present
19 their proposed inspection plan following this.

20 MEMBER ROSEN: Some time after midnight.

21 MR. HISER: Sometime today. We started
22 ten hours ago. So we'll push it along here.

23 We did have a meeting with them about two
24 weeks ago where they presented this to us. Just to
25 pull out some of the characteristics of this plan, one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is it does not consider explicitly the vessel head
2 degradation experience at Davis-Besse.

3 The technical basis is still in progress.
4 There is no report that's available at the present
5 time. For moderate susceptibility plants within the
6 plan there can be a reliance on bare metal visual
7 examinations.

8 The report explicitly is limited to Alloy
9 600 heads with 82-182 weld metal, and again,
10 explicitly assumed a robust generic letter 8805
11 program that is effectively implemented. And clearly,
12 with the recent experience we've had those are some
13 pretty good assumptions.

14 I think some of the comments that the
15 staff presented at that meeting and that we will be
16 transmitting to the MRP first is that the relevant
17 visual conditions that require follow-up examination
18 do require better definition. Right now it just
19 describes relevant conditions.

20 Clearly, inspection methods and
21 frequencies that they propose for the various
22 populations of plants requires a robust technical
23 basis, and that's still something that's being worked
24 on.

25 The discussion of NDE, we thought that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 capability and recent experience with inspection
2 methods and the developments that are ongoing, we
3 thought that should be provided somewhere in the
4 inspection plan. The technology has improved
5 significantly over the last year, and hopefully that
6 progress will continue.

7 As I mentioned before, right now our
8 examinations of the J-groove welds and some of the
9 interfaces with the nozzle and with the vessel head
10 are not real detectable using the current ultrasonic
11 methods. So that's something that requires some work.

12 Another thing that isn't clear within the
13 plan is how it's benchmarked. Clearly we know when
14 leakage was identified at plants. We know when
15 circumferential cracks have been identified, but it's
16 not obvious that the thing is benchmarked to when the
17 leakage first occurred, when the first through wall
18 cracking occurred, but it appears to be based on
19 discovery of the conditions as opposed to benchmarking
20 to the onset of the unacceptable conditions.

21 There have been some questions on the
22 appropriateness of the application of Reg. Guide 1.174
23 within the plan.

24 And finally, there is a provision in there
25 to delay scope expansion to the next refueling outage,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and that's something we think requires significant
2 technical basis.

3 MEMBER APOSTOLAKIS: We're going to talk
4 about this application of 1174 at some point? I don't
5 understand. Why is it relevant here?

6 MEMBER SHACK: One times ten to the minus
7 three probable failure, conditional probability --

8 MEMBER APOSTOLAKIS: Are we changing
9 anything on the licensing basis? And we're seeing
10 whether it is risk significant? Is that what we're
11 doing?

12 MEMBER SHACK: It says, yeah.

13 MEMBER APOSTOLAKIS: We're changing the
14 licensing basis?

15 MEMBER SHACK: Well, no. We use that to
16 evaluate changes in risk in a more global sense.

17 MEMBER APOSTOLAKIS: Well, presumably as
18 a result of the inspection of plant, the change is
19 negative.

20 MEMBER SHACK: Right.

21 MR. HACKETT: Well, no, the inspection
22 plant admits some possibility of an increase in risk.
23 Otherwise you'd inspect more frequently.

24 MEMBER APOSTOLAKIS: Increase from what?
25 From the previous state? See, I don't understand the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 definition. Is there a change here that is permanent
2 that is increasing risk?

3 MR. MATHEWS: I would say that they're
4 evaluating the increase in risk from this phenomenon
5 that we didn't know about when we originally assessed
6 the risk from the plant, and this is a change because
7 now, oh, well, we could have the rod ejection here
8 that we didn't evaluate when we looked at the whole
9 thing to start with. What is the impact of that, and
10 what is the change in risk to the public?

11 And what we're trying to evaluate is what
12 is that change, and ten to the minus six is a ballpark
13 number that we were trying to say, you know, it would
14 be okay if I came in and did something to my plant and
15 said, well, that's less than a ten to the minus six
16 change in the risk if I do this.

17 MEMBER APOSTOLAKIS: Are you doing a
18 regulatory analysis now?

19 MR. MATHEWS: Me?

20 MEMBER APOSTOLAKIS: Whether it's worth
21 backfitting. Is that what you're doing?

22 PARTICIPANTS: No.

23 MEMBER APOSTOLAKIS: So Regulatory Guide
24 1174 can be used to evaluate the impact of previously
25 unknown phenomena?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: As a change, assume it is
2 a change with respect to what was known.

3 MEMBER ROSEN: No, I think the question
4 that the staff is asking is is this an appropriate
5 application of Reg. Guide 1.174. We haven't even
6 heard what the application is. The representative
7 from the industry hasn't been given a chance to tell
8 us yet.

9 MR. HISER: And hopefully he will describe
10 that; is that right, Mike?

11 MR. LASHLEY: I'll give it my best shot.

12 ((Laughter.))

13 CO-CHAIRMAN FORD: Could I understand the
14 timing of this? Obviously the industry have come to
15 you with a proposal. You're looking at it. What is
16 the timing on the resolution of these various issues?

17 MR. HISER: If I can get to the last slide
18 and --

19 (Laughter.)

20 MR. HISER: -- you still have that
21 question when I'm done, then I have failed.

22 We do have ongoing activities, and we have
23 some areas of concern in general. First of all,
24 relative to Davis-Besse, the degradation mechanisms
25 and rates as described in the root cause analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report don't have a lot of physical evidence from
2 Davis-Besse.

3 What we're looking to do is for them to
4 back that up with work on the cavity at Lynchburg and
5 also hopefully some laboratory demonstrations that
6 will give us some confidence and reduce the
7 uncertainty of the mechanisms and the rates of those
8 mechanisms.

9 CO-CHAIRMAN FORD: When you say
10 "mechanisms," you don't mean mechanisms the way I
11 understand mechanisms. You understand the degradation
12 process by which things happen, but you don't know the
13 mechanism and you can't predict it. You don't know
14 whether it's a generic issue or whether it's a one off
15 issue.

16 MR. HISER: Right.

17 CO-CHAIRMAN FORD: And if it's a generic
18 issue, when is the next one going to be? You know
19 it's not a major thing out there right now based on
20 what's come out of Bulletin 202, whatever the number
21 is, 01, but you sure as heck don't know what the
22 situation would be in, say, a year's time.

23 MR. HISER: Right, and that's what we want
24 to do is have the comfort of being able to predict how
25 things will occur.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: And that's what these
2 guys are going to do urgently.

3 MR. HISER: Well, hopefully in order to
4 reduce uncertainty we need these things to occur. You
5 know, otherwise the inspections are going to have to
6 assume worse case kind of conditions.

7 CO-CHAIRMAN FORD: Right.

8 MR. HISER: In order to back off of that,
9 you know, with the necessary conservative assumptions
10 we need to have a greater understanding.

11 CO-CHAIRMAN FORD: Right.

12 MR. HISER: As we discussed, the industry
13 proposal does need a sufficient technical basis, and
14 I think that will come over time. The staff is
15 considering a generic communication with Bulletin
16 2001-01 and 2002-01. We provided sort of a one cycle
17 approach to inspections, and that was sufficient. It
18 gave us the data that we needed to be able to go
19 forward.

20 We're still not able to go forward. We're
21 still not in a position to lay out any long-term
22 criteria. So this is a generic communication that
23 will probably be a bridge from the first two bulletins
24 to what I would call the more permanent requirements
25 that would go in the ASME code or in 10 CFR, Part 50.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are working with the staff to develop
2 a technical basis for these longer term inspection
3 requirements. We don't have that ready now. I mean,
4 that's going to take time. I think within our action
5 plan that's targeted for later this year. That may be
6 overly optimistic at this point.

7 And to put another idea on the table, I
8 think that we believe that the Davis-Besse experience
9 has raised the bar, that the level or the type of
10 cracking that is I don't say acceptable, but that you
11 really have to guard against has changed from
12 circumferential cracking a year ago to now even axial
13 through wall cracking. That's really the emphasis
14 that we have at this point, is trying to preclude
15 through wall axial cracking.

16 CO-CHAIRMAN FORD: But to come back to my
17 question, when are all of these issues going to be
18 resolved?

19 MR. HISER: Hopefully around the end of
20 the year or some sort of time frame like that is what
21 we have worked out with the industry.

22 CO-CHAIRMAN FORD: This is very important.
23 I mean if you're starting to just do away with
24 volumetrics and won't go through any of these kind of
25 studied process of when you use volumetric versus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 visual and you just go to visual because it's an easy
2 thing to do, it's major, major assumptions.

3 MR. HISER: I would expect that as I
4 stated the generic communication will have
5 conservative assumptions. Until we have a firm
6 understanding of things, such as Davis-Besse, we will
7 not take potentially non-conservative assumptions.

8 CO-CHAIRMAN FORD: Okay.

9 MR. HISER: From the standpoint of visual
10 detection and visual inspections, I think things will
11 be different than what was laid out in Bulletin 2001-
12 01 significantly.

13 CO-CHAIRMAN FORD: We will hear about that
14 before it becomes a done deal?

15 MR. BATEMAN: I'm not sure about that. I
16 think we're moving pretty quickly with trying to get
17 some generic correspondence out.

18 I think you can take some comfort from the
19 fact that you're going to hear what the industry's
20 proposal is, but I think our proposal at this point in
21 draft stage is it's going to be more rigorous than
22 what you're going to hear from industry. I think as
23 Allen said, I think it will be a bridge. It will
24 probably be more conservative than what we may
25 ultimately end up with, but we have to do something.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We can't wait until we're through with all of this,
2 Dr. Ford.

3 I mean, if we're talking about rule
4 making, if we're talking about getting something in
5 the ASME code, that al takes time.

6 CO-CHAIRMAN FORD: But let's see what the
7 industry have got to say.

8 MR. BATEMAN: Yeah, I think that's the
9 best bet.

10 MEMBER APOSTOLAKIS: This is the last
11 presentation. This must be an important issue. Are
12 you guys going to do this quickly?

13 MS. KING: We'll do this as quickly as you
14 would like.

15 (Pause in proceedings.)

16 MS. KING: The slides for this are the las
17 part of our original packet. And in the interest of
18 time, we won't be covering every individual slide that
19 you have.

20 MS. WESTON: Starting at slide number 102
21 for the MRP part of the presentation, yes.

22 MEMBER APOSTOLAKIS: One, oh, two.

23 MS. WESTON: The numbers are right beside
24 ACRS 6502 and then there's a number.

25 MEMBER APOSTOLAKIS: Or it's four pages

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the end. Go to the end and count four pages
2 back.

3 MS. KING: Okay. Peter, one thing I
4 wanted to comment on is we have been meeting with the
5 staff fairly frequently, and we plan on continuing
6 that frequency of meeting with them on a technical
7 level as we develop our research to get comments, and
8 to incorporate that in so that we don't just shop up
9 with the final answer.

10 CO-CHAIRMAN FORD: Michael.

11 MR. LASHLEY: My name is Michael Lashley.
12 I'm from South Texas Project.

13 And the first slide that we have here
14 basically just says, yes, we met with the NRC staff.
15 We heard their comments, and we're actively
16 dispositioning those comments.

17 One other aspect of this just to give you
18 real briefly where I'm coming from, I also have the
19 action within code space to bring these rules forward
20 and try to write some rules in Section 11. So myself,
21 and I know a member of the NRC staff, Wally Norris, is
22 on that team. So we are trying to work together.

23 So we are trying to actively work it to a
24 permanent solution.

25 Let me digress off of these slides real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quick and show you one other slide that maybe bridges
2 the gap to what we were talking about, and you saw it
3 in Pete Riccardella's, but we have another line drawn
4 in here that may not be obviously, but it does speak
5 to the Reg. Guide 174.

6 This slide kind of does that and also one
7 other one. From this one, you saw everything on this
8 slide except this one purple curve right here. That
9 curve represents a one percent probability of leakage.

10 So you see there is a big grouping of
11 plants in that far left-hand corner with low head
12 temperatures that are under one percent.

13 MEMBER WALLIS: One percent per year?

14 MR. LASHLEY: Probability of having that
15 first leaker.

16 MEMBER APOSTOLAKIS: But can you explain
17 the figure first?

18 MR. LASHLEY: This is the one that Pete
19 discussed. Was that yesterday? Earlier this
20 afternoon, and this has on the left-hand side the
21 cumulative effective full power years. The red chain
22 link that has over it the -- which color? I'm not
23 sure. That's kind of green. The upper one is one
24 times ten to the minus third, which approximately
25 equals the 75 percent probability of leakage.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The moderate dividing line is the one
2 times ten to the minus fourth or 20 percent
3 probability of leakage. So that's how we've
4 categorized or just used that reg. guide as a dividing
5 line.

6 And then we divine an inspection program.
7 Our attempt was to keep us under the ten to the minus
8 six change, to come up with an inspection program.

9 Now, recognize that one of the punch lines
10 at the very end is we still have inspection activities
11 for this grouping in the lower left-hand corner that's
12 under one percent. That's at least to go after the
13 unknown, which does speak to defense in depth and
14 speaks to some other issues that were brought up.

15 So I just wanted to show that. We'll come
16 back to it if there's other question because this kind
17 of tells a lot of the story.

18 CO-CHAIRMAN FORD: So this essentially is
19 you will be addressing the thing that Jack brought up
20 about the low susceptibility plants do visuals.

21 MR. LASHLEY: Yes. So we still have those
22 elements in here. Now, at certain times Al brought up
23 wastage, and it's really the time line for wastage is
24 a different issue, and that's what wasn't explicitly
25 addressed in our program, in our plan.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We had assumed right off the bat that
2 generic letter 8805, it's in effect. It is a good
3 rule. You go read it, and it tells you exactly what
4 to do. If you implement it, and you all talked about
5 this earlier; if it's implemented, there will be no
6 questions, but there's a desire to package this
7 together so that there's no ambiguity and you can see
8 some of -- we have the ability to bring lessons
9 learned, bring pictures, bring training, bring a lot
10 of things to bear in one central document. So we're
11 taking that feedback.

12 And the purpose, I mean, as we say, we
13 assume the generic letter 8805, but we also came up
14 with a graduated approach for early detection, to
15 start with low risk, require something, require it
16 repetitively, and then, you know, raise the bar
17 continuously as we move to higher and higher levels of
18 risk.

19 We also believe they're very conservative
20 for just structural integrity or the safety issue of
21 a rod ejection or a nozzle ejection.

22 This is where we start skipping a few
23 because those have already been gone through, but we
24 took the technical bases. We say that the staff did
25 not have the papers. They were presented, and Pete

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presented basically the elements of it again today.

2 There was another technical paper that was
3 presented by Glenn White today that's a part of this
4 bases, and Steve Hunt has another one.

5 One that we really haven't gone through is
6 EPRI's visual guideline also, but we bring together
7 all of this probablistic fracture analysis, and we did
8 sensitivity studies to bound them to try to come up
9 with correct inspections and correct frequencies for
10 the different ones to bring that to bear, and we --

11 MEMBER APOSTOLAKIS: Can you explain
12 something to me? I'm missing something here. Maybe
13 it's me. This is a standard technical approach, you
14 know, in an inspection using PFM, Monte Carlo, and so
15 on.

16 Then I go and I read the letter that
17 transmits the AIT report. The first thing they say is
18 the boric acid corrosion control program at the site
19 included both cleaning and inspection requirements,
20 but was not effectively implemented to protect leakage
21 and prevent a significant corrosion of the reactor
22 vessel head over a period of years.

23 And I'm sitting here trying to figure out
24 how is this program addressing this problem.

25 MR. LASHLEY: And staff brought that point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up, but what you can see from that other figure, that
2 one again --

3 MEMBER APOSTOLAKIS: Yeah.

4 MR. LASHLEY: -- a lot of plants have done
5 -- well, the other 68 plants have done inspections and
6 generally said wastage isn't an issue at my plant.

7 MEMBER APOSTOLAKIS: Yeah, but if there is
8 one plant --

9 MR. LASHLEY: Oh, I understand.

10 MEMBER APOSTOLAKIS: -- where this will
11 not be implemented, as these guys are saying, was not
12 effectively implemented, then the whole thing again
13 fails. So is this --

14 MS. KING: Well, there are industry
15 activities that have been undertaken to evaluate the
16 implementation of generic letter 8805. We have
17 scheduled a -- EPRI has undertaken a conference to
18 bring together the people that do the boric acid walk-
19 downs in the plant to talk about best practices, and
20 INPO will be participating in that conference as well.

21 MEMBER APOSTOLAKIS: Shouldn't that be an
22 integral part of this inspection thing?

23 MS. KING: Well, as was stated in the
24 purpose of this plan, and as the comment we received
25 from the staff, when we initially wrote this plan, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were depending upon an effective implementation of the
2 8805 program.

3 As Michael stated, the words are good.
4 It's a good rule, but we do understand that we need to
5 potentially -- we are working to look at the
6 implementation and best practices of an 8805 program.

7 MR. LASHLEY: And just to tag onto that,
8 with boric acid, EPRI's guideline for how to do this
9 was revised just as of November 2001. So we're going
10 to bring all of these things back to bear at a
11 workshop this summer, and we're going to take the
12 feedback we receive from the staff, and those actions
13 are underway.

14 I'm the chairman of an ad hoc team under
15 this group to try to do that, and we're still working
16 through that, and our time line is real tight. We
17 would like to bring something back through our
18 committees by the end of next week.

19 MEMBER BONACA: You showed us a curve
20 before, and you show a bunch of plants below that
21 purple line.

22 MR. LASHLEY: Right.

23 MEMBER BONACA: The lower purple line, and
24 you said for those visual inspections are justified,
25 something of that type. What about the other plants?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What are you proposing to do for the more successful
2 plants?

3 MR. LASHLEY: It is the last page of your
4 handout. There's a flow chart, and we're going to get
5 there.

6 MEMBER BONACA: We are going to get there.
7 Okay. So then we will just --

8 MR. LASHLEY: And like I said, we weren't
9 going to go through all of our different slides, but
10 we'll just start doing it.

11 Modern susceptibility we already mentioned
12 there was a 20 percent curve and ten to the minus
13 fourth or ten to the minus seventh cumulatively.

14 High susceptibility was using that for ten
15 to the minus third or 75th percentile, and that's what
16 we meant by the Reg. Guide 174, keeping the
17 probability under or the change of probability under
18 a cumulative ten to the minus sixth, which by reg.
19 guide standards, if you do that and a few other
20 things, that is a risk informed or meets the basis for
21 a risk informed --

22 MEMBER APOSTOLAKIS: I have another
23 question. My problem is what is the change. This is
24 a new, novel application of 1174.

25 MR. LASHLEY: Yes, and we're just using it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to guide us. We had used probability of leakage, and
2 we wanted to use -- we also didn't want to be outside
3 of, I guess, in bad air space and risk. If I knew,
4 you know, a rod ejection was ten to the minus three,
5 I should take --

6 MEMBER BONACA: Well, the change is
7 similar to what has been done with 5059 for the
8 plants. When you discover a new condition, okay, and
9 you want to leave with it and you want to management
10 it and solve it immediately, then you have to value it
11 under 5059 because you're changing your design basis.

12 MEMBER APOSTOLAKIS: But that has nothing
13 to do with 1174.

14 MEMBER BONACA: Well, 1174 is in a certain
15 way akin in that it's a risk informed approach to the
16 same thing.

17 MEMBER APOSTOLAKIS: Right.

18 MEMBER BONACA: You have an event. You
19 could do things. One, you go in and just absolutely
20 replace the head and make a case that you have put
21 back the plant in the condition in which it was
22 originally and you don't have to worry about it for a
23 period of time. Therefore, you don't have to do any
24 risk evaluation. Nothing has changed.

25 The other one is you want to live with it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You want to be part of this pack. There is an
2 increase in some risk factors there, and therefore,
3 you are going to justify it under 1174.

4 So the change is not a true change, but a
5 change came upon you.

6 MEMBER ROSEN: That is the battleship in
7 the desert phenomenon. We don't know how the
8 battleship got there, but now that it's there, can we
9 live with it?

10 MEMBER APOSTOLAKIS: Right.

11 MEMBER ROSEN: And so what you do is do an
12 analysis of what are the consequences of that.

13 MEMBER KRESS: What you have is a
14 probability of the change. If you go in and actually
15 find out that your probability was wrong and your
16 detection process showed a leak, you'd do something
17 else.

18 MEMBER ROSEN: Yes.

19 MEMBER KRESS: You would fix that.

20 MEMBER ROSEN: Yes.

21 MEMBER KRESS: So all this is is a way to
22 deal with the probability that you might have
23 approached that one time at ten to the minus sixth.

24 MR. LASHLEY: Right, and you'll see how
25 once you're into the inspection program, the results

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drive you then.

2 MEMBER KRESS: Yeah.

3 MR. LASHLEY: And if you're in high once,
4 you can't get out of it. You're stuck.

5 MEMBER KRESS: You're there. That's
6 right.

7 MR. LASHLEY: Until you replace the head.

8 MEMBER KRESS: Yeah, you're there. That's
9 right.

10 MR. LASHLEY: So we'll go into it that
11 way, and we did look at the J-groove weld and put
12 together -- because that was a concern, and it was
13 brought up, just the crack growth rate and things of
14 that nature. So we looked at it from almost the worst
15 case to see if we needed to do something extra from
16 what we were thinking, and we looked at it from a
17 worst case.

18 And so we used these two conditions of a
19 circumferential crack or lack of fusion, something
20 that would free release that whole thing. For nozzle
21 ejection we still knew that it still could provide
22 leakage or provide the environment, and those were the
23 comments Al said.

24 So we're still looking at the environment
25 that it creates and the leakage and the wastage.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We've got to put that aside, but we did look at these
2 two conditions and saw that's not going to create
3 anything worse than the circumferential crack at the
4 nozzle.

5 You'd have a circumferential crack around
6 the J-groove itself. It physically can't fit through
7 the hole.

8 Pretty much the same thing for lack of
9 fusion. You would have to go all the way to still
10 that structural margin of 300 degrees to really free
11 release it. So we felt we were bounded by the
12 circumferential analysis, the deterministic analysis
13 that Pete's done.

14 So let's go into the plan. There are
15 several slides that --

16 MEMBER BONACA: but you're still focusing
17 only on the probability of rod ejection, right?

18 MR. LASHLEY: That was what when we looked
19 at --

20 MEMBER BONACA: I know, but now there is
21 a new issue, which is --

22 MR. LASHLEY: Wastage,

23 MEMBER BONACA: -- one of wastage, yeah.

24 MR. LASHLEY: And the issue with J-groove,
25 it will just bring it to the surface sooner, but if a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 visual technique is -- we would propose a visual
2 technique can see it, can see the evidence, and if
3 it's done at just the appropriate frequency, you still
4 won't have the wastage issue.

5 MEMBER BONACA: But if I remember, at
6 Davis-Besse they had one nozzle, nozzle number three,
7 where they had large wastage.

8 There was another nozzle, number two, I
9 believe, where there was very minute wastage along the
10 CNDM. Would you see that?

11 MR. LASHLEY: My supposition would be yes.
12 I think you heard the 900 pounds didn't get there
13 overnight, and I know you saw pictures dating back
14 further that saw the red rust.

15 MEMBER BONACA: No, I understand that.
16 I'm saying there were two areas of wastage. One was
17 a very large one, which may be the main source of the
18 red. Then there was a very thin one that I don't
19 think a visual inspection would be visible.

20 MR. LASHLEY: No, we have the visual exam
21 guideline which takes all of the other events, the
22 Oconees and everything. It has nice pictures and
23 videos in there. This is one of our reference
24 documents to implement, to use.

25 And you've heard that term "popcorn." You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can still have the minute, you know, one cubic inch,
2 the very small levels that that condition would easily
3 bring out. That one I think you'd still see a flow.

4 MEMBER KRESS: Your concern that the one
5 leak masks the other one and --

6 MEMBER BONACA: Yeah, because at some
7 point --

8 MEMBER KRESS: Yeah, but I don't think
9 they would ever tolerate that kind of leak in this
10 system, and this is going to be so low that if you get
11 individual nozzles leaking, you'd know it because
12 they're not going to have this kind of massive leaks.

13 MEMBER BONACA: No, no, I understand. I'm
14 saying in the second nozzle where there was an
15 incipient erosion taking place, but it was very minor.
16 It was just very close to the --

17 MEMBER KRESS: Yeah.

18 MEMBER BONACA: I'm just questioning --

19 MEMBER KRESS: Yeah, but that would be a
20 leak that you could fix.

21 MEMBER BONACA: -- whether it is visible
22 at that point. Yeah, but I'm saying that would it be
23 so visible.

24 MR. LOEHLEIN: Maybe I should comment on
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. KING: Okay.

2 MR. LOEHLEIN: This is Steve Loehlein
3 again.

4 Nozzle two does have a cavity region that
5 maximum depth was about three-eighths of an inch. It
6 did extend to the surface, was visible at the surface,
7 and through comparison to other test data that's been
8 available from the EPRI testing and so forth, it's
9 pretty conclusive that there would be significant
10 formations of boric acid in the region of a nozzle
11 that looked like that, and there would be some rust
12 colored deposits as well because there is active
13 corrosion products being expelled with the boric acid
14 at that point.

15 So nozzle two is actually quite far along
16 in terms of being able to be visible from boric acid.

17 MEMBER BONACA: I understand, but I'm not
18 talking only about nozzle two. I'm talking about
19 another hypothetical nozzle where corrosion is going
20 only from the beginning of it to one third or one
21 fifth of what we see in nozzle two.

22 Do you see what I'm trying to say? I
23 mean, there is an incipient corrosion taking place,
24 and I'm just asking if, you know, the only criterion
25 should be their concern with nozzle ejection or also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with incipient -- the beginning of erosion and
2 corrosion that would cause some coloration, but not
3 necessarily allow the popcorn effect.

4 MS. KING: I think that comment goes
5 directly back to the work that we've undertaken, and
6 we're still going on, and you saw the initial
7 presentation from Glenn White.

8 Our initial read on that situation is that
9 you would have visible deposits on top of the head
10 prior to reaching nozzle two type wastage, and
11 definitely prior to reaching the cavity formation at
12 nozzle three.

13 But the definite time line on that, we
14 still have some work to do.

15 MR. MATHEWS: We've had 30-some nozzles
16 that have leaked that we know of, and every one of
17 them has shown boric acid on top of the head, even the
18 ones that have had no wastage at all. And so what
19 we're saying is that if you do start to get wastage,
20 you're going to start expelling stuff to the top of
21 the head.

22 And it takes a period of time, and that's
23 what we haven't quantified yet to go from the initial
24 leakage to getting the high flow rates that's going to
25 generate significant wastage.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But it's going to be visible, and if you
2 do a visual inspection at a frequent enough basis,
3 you'll catch it before then.

4 CO-CHAIRMAN FORD: But that's not what
5 happened at Bouget.

6 CO-CHAIRMAN SIEBER: Or Davis-Besse.

7 MR. MATHEWS: Well, I'll be honest with
8 you, Peter. I don't know what happened at Bouget.
9 They weren't looking on top of their heads under their
10 insulation.

11 CO-CHAIRMAN FORD: N, as I understand it
12 at Bouget, they detected by hearing during a -- well,
13 they detected it during a hydrostatic test. There was
14 no boric acid on top of that particular --

15 MR. MATHEWS: Well, that's what's not
16 totally obvious to me, that there was no boric acid,
17 because they had not looked under their insulation, as
18 I understand it.

19 CO-CHAIRMAN FORD: Well, I'm only
20 reporting what was written in the paper.

21 MR. MATHEWS: Okay. Well, I've been
22 trying to chase that issue down. Did they look? And
23 I'm not sure they did.

24 MS. KING: I'd like to make a further
25 comment to what Larry was talking about with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experience to date. We'll take the Bouget comment
2 under consideration. I mean, we need to get some more
3 information.

4 CO-CHAIRMAN FORD: The reason why I'm
5 bringing it up is, you know, this is a topic that
6 comes up, you know, in cocktail conversation time and
7 time again, and I keep hearing it, although we don't
8 have any cocktails today.

9 Unfortunately this ugly fact destroys a
10 beautiful hypothesis. If it really is true --

11 MR. HUNT: Steve Hung from Dominion
12 Engineering.

13 At Bouget, the crack, the length of the
14 crack above the top of the J-groove weld was two
15 millimeters, which was less than a tenth of an inch.
16 It was, you know, a 13th of the length of the cracks
17 that you had at Davis-Besse. It may have been long
18 enough for you to get water to create the circ. crack,
19 the small circ. crack that was reported, but following
20 the model that Glenn described, probably not large
21 enough to create the volume of leakage necessary to
22 create the wastage.

23 MEMBER BONACA: In any event, I don't want
24 to pursue it any further. I just want to say that,
25 you know, first of all, we thought that this nozzle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would never fail. Then, lo and behold, some of them
2 began to crack.

3 And then we believed that they would never
4 have circumferential cracks, and lo and behold, we
5 found circumferential cracks.

6 And then we believe that we had full
7 control of it, and lo and behold, now we have a hole
8 like this up there. So I'm not an easy believer
9 anymore. I mean, I have to be a little skeptical
10 about all of these promises.

11 MEMBER APOSTOLAKIS: This is my problem.

12 MS. KING: I guess I would like to comment
13 along the lines of the experience to date and the
14 repairs that have been done. Typically the repair
15 that has been done is the Framatome what we've termed
16 relocation of the pressure boundary, where they go in
17 and take out the bottom portion of that nozzle.

18 And in that repair process, you have the
19 opportunity to inspect the bore, and so far no one has
20 identified wastage below that cut point, and you also
21 do dye penetrant testing to validate that you have a
22 good place to weld.

23 So we do have 34 data points in the
24 industry where we have had boric acid on the top of
25 the head and no known wastage behind the nozzle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: I understand. On the
2 other hand, I mean, at Davis-Besse they found the hole
3 by pure accident because there was simply the boring
4 and --

5 MEMBER APOSTOLAKIS: Well, that's my
6 problem. I see here traditional technical solutions
7 to a problem that wasn't there.

8 MR. LASHLEY: So here's what we're going
9 to propose --

10 (Laughter.)

11 MR. LASHLEY: -- to try to go after that.

12 CO-CHAIRMAN FORD: Are you going to go
13 through these?

14 MR. LASHLEY: The flow chart. I'm going
15 to go through the flow chart because that wraps up
16 everything on one page.

17 CO-CHAIRMAN FORD: Good. That's the last
18 one.

19 MR. LASHLEY: It's the last page.

20 MS. KING: It's the last page of your
21 handout.

22 CO-CHAIRMAN FORD: Now, what's in those
23 boxes essentially is what's written down on these low
24 susceptibility, 100 percent reproducing --

25 MS. KING: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: The message that's in
2 these here is important, but you're reproducing it on
3 this.

4 MR. LASHLEY: Yes.

5 MS. KING: Right. That is the text from
6 the inspection plan, and this is the --

7 CO-CHAIRMAN FORD: Jolly good.

8 MR. LASHLEY: It's probably easier to look
9 at that.

10 And so you come into the plan, and let's
11 take the low susceptibility, which we define as less
12 than ten effective degradation years. What we know is
13 you look at that big grouping on the lower right-hand
14 side. They're all virtually into their second tenure
15 interval already, and we also have the rack-up of the
16 0201. Virtually every plant has done or is doing an
17 inspection.

18 So we know we have this snapshot of that
19 at least at baseline, and we're going to require an
20 additional inspection. It could be a bare metal
21 visual or a nonvisual, indeed, volumetric, once per
22 ten years, and we say do that starting in your third
23 interval.

24 And our concern is, if you remember,
25 there's such a large gap that these plants may never

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cross over to moderate. If they're 560 degree head,
2 you don't cross over until life extension, your 52
3 years of operation.

4 So we're still requiring that group that's
5 less than that one percent probability of leakage to
6 do something and to do it on a ten-year frequency
7 moving forward.

8 CO-CHAIRMAN FORD: So the ten years comes
9 from some kind of judgment. It's not based on some
10 criterion of some sort?

11 MR. LASHLEY: It had a lot of engineering
12 judgment, and that's probably where Al was speaking
13 to. Like wastage in and of itself, we have evidence
14 that we could have found Besse six years ago, and so
15 there is where the disconnect that we're still working
16 on the staff on because you don't expect the surprise
17 down there, but we --

18 CO-CHAIRMAN FORD: It's not based on some
19 sort of analysis where you say in order to reduce the
20 risk by a certain amount if we need to inspect at a
21 certain interval?

22 MR. LASHLEY: We did do the analysis, but
23 if you remember Pete's curve at the inspections, it
24 would stay on the flat line. It would just keep
25 bubbling up and never come off any risk, but we knew

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, but we're still going to say you still have to
2 do something for the unknown because we don't know
3 what we don't know.

4 But the ten-year --

5 MEMBER ROSEN: Modeling uncertainty or
6 modeling completeness.

7 MEMBER WALLIS: The ten years is based on
8 your assessment of what you might not know.

9 MEMBER ROSEN: We require Defense in
10 Depth. We require testing even for plants that would
11 not otherwise require it.

12 CO-CHAIRMAN SIEBER: Yeah, but this is
13 pretty modest for a low susceptibility plant, which is
14 not unreasonable in my opinion. It's only ten
15 percent.

16 MEMBER ROSEN: This is exactly what you
17 were espousing, is the graded approach to the thing.

18 CO-CHAIRMAN SIEBER: Yeah. I just worry
19 about the high susceptibility plant.

20 MEMBER ROSEN: We'll get to that.

21 CO-CHAIRMAN SIEBER: The faster we get
22 there, the happier I'll be.

23 (Laughter.)

24 MR. LASHLEY: And I'd say don't forget
25 that at least when we first proposed that, we still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 knew everybody does a boric acid walk-down every year
2 or -- excuse me -- every outage, and we still assumed
3 it was more robust. So we're going to take that. We
4 have that comment.

5 Moderate susceptibility is at ten to 18
6 effective degradation years, and we required once
7 every two, not to exceed five years, and this one was
8 an engineered number to be less than the six that we
9 knew about for Davis-Besse or that we suspected.

10 You're going to do a bare metal visual or
11 you're going to do a non-visual once every four
12 effective degradation years, not to exceed ten. And
13 this is where we use Pete's model and his
14 susceptibility -- not susceptibility. I lost the
15 word.

16 PARTICIPANT: Effective inspections.

17 MR. LASHLEY: Yeah.

18 MEMBER KRESS: Some of those plants in
19 that modern region are down near the bottom line.

20 MR. LASHLEY: Correct.

21 MEMBER KRESS: Some of them are up near
22 the top, the one times ten to the minus six line.

23 MR. LASHLEY: Correct.

24 CO-CHAIRMAN SIEBER: Right.

25 MEMBER KRESS: Now, are you going to treat

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those two plants differently or they get the same
2 treatment? Because they're in the moderate region,
3 both of them.

4 CO-CHAIRMAN SIEBER: You're profiling now.

5 (Laughter.)

6 MEMBER KRESS: I am profiling, yeah. I
7 mean, it would make some sense to treat those two
8 plants differently, how close they are to that line.

9 MR. LASHLEY: Right. We talked about that
10 when we received that specific comment from the staff.
11 I mean, there's the example of this week you're
12 moderate. You start back up from your outage, and by
13 gosh, next week you're high.

14 MEMBER KRESS: You're across the line.

15 MR. LASHLEY: You're across the line. So
16 we have evidence.

17 If you look at the periodicity of the
18 exams, and most of those plants are higher in
19 temperature, the periodicity is two EDY versus every
20 outage. So most of those plants, if you are greater
21 than 600 degrees, two EDY is only one cycle, is one
22 18-month cycle.

23 So we thought about it, and that's why
24 we're using EDY and not years.

25 MEMBER KRESS: Yeah, okay. That would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 help.

2 MEMBER ROSEN: Why are you switching from
3 EDY to EFPY? I don't understand that.

4 MS. KING: Well, that was to put an upper
5 cap on those plants that accumulate EDY very slowly,
6 and so they couldn't go -

7 MR. LASHLEY: Do you want to go back to
8 the figure?

9 MS. KING: Which one?

10 MR. LASHLEY: Heats.

11 MS. KING: Oh, Lord. There we go.

12 MR. LASHLEY: All right. Remember he had
13 a whole series of blue lines, but EDY goes like this.
14 So to do one EDY it might take that long. I mean, it
15 may take five effective full power years if you're way
16 over here at 560 degrees. Remember all of these
17 swooping -- those are EDY, the curve.

18 So when we used -- that's degradation
19 years normalized to 600 degrees, but if we keep it at,
20 sorry, you can't go past so many effective full power
21 years, that was our attempt to go after the wastage.

22 MEMBER ROSEN: Regardless of the --

23 MR. LASHLEY: Regardless of it, it maxed
24 out.

25 MEMBER BONACA: And, of course, it assumes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 susceptibilities, only temperature dependent.

2 MR. LASHLEY: It's using the simplified
3 model, yes.

4 MEMBER BONACA: So we're hanging a lot of
5 things on this assumption. Again, I'm a little bit --

6 MEMBER KRESS: Well, you might argue that
7 one times ten to the minus six kind of takes care of
8 that uncertainty to some extent.

9 MEMBER BONACA: Maybe.

10 MEMBER KRESS: Because that's a pretty low
11 number.

12 MR. LASHLEY: And you can see from this
13 560 degree plant to go from moderate to high, there's
14 still some 40-something years, effective full power
15 years, but that's only eight effective degradation
16 years.

17 MEMBER KRESS: Now, the ones I was
18 concerned with were these down here on the high
19 temperature end, say the red ones.

20 MR. LASHLEY: We'll get -- well, it's not
21 on the flow chart. Let me jump in. Any time you find
22 a leak and it says it in the plan, you are
23 redefined --

24 MEMBER KRESS: Yeah, but I'm looking at
25 the blue ones that are that close, too. It seems to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 me like some of them, a couple of those blue ones are
2 pretty close to that line.

3 MR. LASHLEY: Being blue like that means
4 they've inspected. They're less than probably two EDY
5 away.

6 We say when you come into this plan,
7 you're going to do this inspection. You're going to
8 start off doing it, hit the ground running. So that's
9 what it was geared for.

10 And we knew all of these will be moderate
11 imminently.

12 MEMBER KRESS: Well, they're going to get
13 there. I mean, that's the thing about time being
14 your --

15 MR. LASHLEY: Right, and our graduated
16 approach is to use that effective degradation years as
17 the frequency, but cap it in real years so that you
18 can't get too far off track without coming back.

19 MEMBER BONACA: You have a number of red
20 triangles there that are below the separation between
21 moderate and high risk. But you consider them high
22 risk, right? Because they already have --

23 MR. LASHLEY: They will be considered high
24 risk.

25 MS. KING: They will be considered high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risk, but also those data points are one year old. We
2 need to update our data points.

3 MEMBER BONACA: So that would go --

4 MS. KING: It's based on the 228 effective
5 full power years at that count. It would be expected
6 to be recalculated, and I guess I'd like to point out
7 that those plants, well, spring '02 and the later Xes
8 have inspections planned associated with their
9 Bulletin 01-01 responses.

10 CO-CHAIRMAN FORD: Could I suggest maybe
11 we start to wrap up?

12 MR. LASHLEY: Okay. Any questions? No.

13 CO-CHAIRMAN FORD: I think we're al
14 getting a bit punch drunk here.

15 MR. LASHLEY: High susceptibility has the
16 bare metal visual every outage, and it also has no
17 matter what -- you're going to do a non-visual.
18 You're going to do NDE within the first four EDYs to
19 get --

20 CO-CHAIRMAN SIEBER: Volumetric.

21 MR. LASHLEY: You're going to do it,
22 period, and that's just to go after the unknown.

23 What this also has in it if you go down
24 below -- can you scan down? -- if you ever find the
25 leaker, you're going underneath. This is standard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 code stuff now. You can characterize the flaw and
2 find the extent of condition.

3 We do allow in this plan one cycle to
4 complete the 100 percent look of every nozzle under
5 the head. So this was for that plant that found a
6 leaker early. You still have to go look at those, but
7 we still felt like if you were moderate, you still had
8 time. If you didn't show anything above, you still
9 had time. You didn't have the wastage issue. You
10 didn't have the safety issue. We could accept a cycle
11 before you come back in and do 100 percent volumetric
12 of everything.

13 So once you're a leaker, once you're high
14 risk, you're doing that volumetric you're after, and
15 you're going to do 100 percent within one cycle.

16 So then we would know the entire extent of
17 condition and fix what we find. We're using the
18 reference flaw characteristic that directs Strosnider,
19 and it has virtually intersecting or circ. cracks
20 you've got to fix, and that was the 75 percent through
21 wall to the next inspection you have to fix.

22 That was short and sweet.

23 CO-CHAIRMAN FORD: Thank you very much,
24 indeed. I appreciate it.

25 MEMBER APOSTOLAKIS: Is there a written

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 document where all of these things are explained?

2 CO-CHAIRMAN FORD: The work on the
3 probability, French mechanics, I don't think you were
4 here for. The explanation for the curves --

5 MEMBER APOSTOLAKIS: Yeah.

6 CO-CHAIRMAN FORD: It's in the package
7 though.

8 MEMBER APOSTOLAKIS: Is there a series of
9 EPRI reports, or there will be?

10 MS. WESTON: There is a write-up on the
11 inspection plan in your notebook, yes, under page 117,
12 handwritten. It's already in the notebook.

13 CO-CHAIRMAN SIEBER: Would this end up in
14 Section 11?

15 MR. LASHLEY: Like I said, I have the
16 action to bring it to Section 11, but we also have a
17 meeting this summer to try to write -- we've already
18 presented it twice. We hope we can bring something to
19 start voting on this September, and all of the
20 intertwining, acceptance criteria and the other things
21 that this would go after.

22 CO-CHAIRMAN SIEBER: Otherwise it would
23 have to go in tech specs in order to make people do
24 it.

25 MR. LASHLEY: Our desire in codes and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fervent attempt is to get ahead of this and do
2 something because there's a recognized inconsistency.
3 This is a vulnerability that we didn't have any good
4 inspection criteria for, none. I mean really none.

5 CO-CHAIRMAN SIEBER: Well, I have to think
6 about it. This isn't really too far away from what I
7 was thinking anyway.

8 MEMBER APOSTOLAKIS: What did you say?
9 Too far away?

10 CO-CHAIRMAN FORD: It wasn't too far away
11 from what he was thinking already.

12 CO-CHAIRMAN SIEBER: But in order to
13 really be efficient and practical from a regulatory
14 standpoint, Section 11 is the way to go, but that
15 takes a long time.

16 MR. LASHLEY: I mean, we're well on a fast
17 track. The Section 11 chairman, subcommittee --

18 MS. KING: I understand what you're
19 saying, and, you know, we have direction from the PMMP
20 steering committee to work fast and furious on the
21 inspection plan. They've reviewed it once and as
22 Michael indicated, they would like to see us address
23 the staff's comments and come back out, get the
24 technical basis pulled together by the end of next
25 week, and that's what we're working to do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN SIEBER: Well, the staff has
2 a couple of people on the Section 11 committee anyway.

3 MEMBER ROSEN: What takes time about
4 getting the code changed is when you're trying to get
5 their attention with an issue, which they don't think
6 is generic or interesting. In this case, you don't
7 have that problem.

8 MR. LASHLEY: This is a special task group
9 that reports directly to subcommittee Section 11. It
10 doesn't go through working groups and such. It goes
11 right to the main -- to this --

12 CO-CHAIRMAN FORD: Bill, could I ask you?
13 You've heard some of the concerns from the group
14 primarily because this is the first time you've been
15 hit with it. Were there any concerns that you heard
16 raised which you are not already considering in the
17 list Allen put up on the board?

18 Do you understand the question?

19 MR. BATEMAN: I think I do, and I don't
20 think there's any concerns we've heard today from you
21 folks that we haven't -- that aren't similar to our
22 concerns.

23 Can I just briefly --

24 CO-CHAIRMAN FORD: Yes, please.

25 MR. BATEMAN: -- give a few remarks here?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think what we accomplished today is
2 we've given the committee an update on the status of
3 the two bulletins. You've got an update on the status
4 of Davis-Besse from the licensee, an update on the
5 0350 panel and the lessons learned task force and
6 other industry activities.

7 I think progress-wise since the last
8 meeting, Davis-Besse has elected to drop the repair
9 options and go with the replacement head.

10 You had asked for data. I think industry
11 has supplied an abundant amount of data, and I think
12 it's good data, a good basis for it.

13 I think we have from the results of the
14 Bulletin 2002-01 inspection, which was the bulletin
15 with respect to the Davis-Besse head degradation, I
16 think we have gained assurance since we last met with
17 you that at least at this point in time we do not have
18 another Davis-Besse out there. We do have some time
19 to take the action that I think industry has proposed
20 here with respect to inspections and frequencies.

21 I think where we're at right now is, as I
22 said earlier, we're contemplating some generic
23 correspondence as a bridging document between now and
24 when we reach a final conclusion, and I think it will
25 be close, but not identical to what industry has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 proposed. I think it will be more conservative with
2 respect to frequencies and maybe inspection methods.

3 But I can't speak any more on that because
4 it's in a draft form right now, and we ave not
5 finalized our position.

6 CO-CHAIRMAN FORD: Well, I would like to
7 personally thank everybody who provided data. I know
8 it was a pain in the butt. It really is to do this,
9 but if you all recognize, the members around this
10 table are not all experts in all subjects, and so we
11 ask a lot of questions, and letters that come from us
12 are from all of us, not just one person.

13 So it is invaluable that we can hear the
14 complexity of the issues that you're all addressing.

15 Normally at this point we go around the
16 table very quickly so that each of the members can say
17 a couple of remarks about what they can advise and
18 what to condense into two hours tomorrow, and you can
19 pass if you don't want to say anything.

20 PARTICIPANT: I pass.

21 MEMBER APOSTOLAKIS: I pass.

22 MEMBER RANSOM: I pass.

23 MEMBER KRESS: Pass.

24 CO-CHAIRMAN FORD: Boy, this is easy.

25 MEMBER KRESS: It's seven o'clock.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 CO-CHAIRMAN SIEBER: Well, I guess
3 everything that I would say now I've already said.

4 MEMBER APOSTOLAKIS: Even if we make
5 recommendations, they don't have time to do anything
6 about it. It's seven o'clock. They're on in the
7 morning.

8 CO-CHAIRMAN SIEBER: Just tell them what
9 to say.

10 MEMBER BONACA: They should go through the
11 same material in two hours.

12 (Laughter.)

13 MEMBER APOSTOLAKIS: Maybe they should
14 leave time for Dr. Powers.

15 CO-CHAIRMAN FORD: Well, let me ask the
16 people who are presenting tomorrow, Larry and Jim,
17 please. Can you cope tomorrow?

18 MR. MATHEWS: I took our 118 slides from
19 all of ours. I got it down to about --

20 CO-CHAIRMAN FORD: Four?

21 MR. MATHEWS: -- 40.

22 MS. KING: Forty.

23 MR. MATHEWS: But I was intending since
24 everybody here is going to be there tomorrow, and Dana
25 I think is the only one who is not here that will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there --

2 CO-CHAIRMAN FORD: That's correct.

3 MR. MATHEWS: -- tomorrow, that I was
4 going to go through them pretty fast. If somebody
5 could keep their hand over Dana's mouth, we could --
6 you know, I'll go through them real fast.

7 I know, I know.

8 MEMBER ROSEN: Well, you've got half of
9 the confusion and difficulty here, and the other half
10 is --

11 CO-CHAIRMAN SIEBER: What about the rest
12 of us, you and me?

13 CO-CHAIRMAN FORD: Okay. One last piece
14 of business before we bang the gavel. Bill has asked
15 for a letter from the meeting tomorrow. Do I hear a
16 suggestion that we discuss it over dinner tonight?

17 MEMBER KRESS: Yeah -- no.

18 CO-CHAIRMAN FORD: No?

19 MEMBER KRESS: Not all of us are going to
20 dinner.

21 CO-CHAIRMAN FORD: Okay. So is it all
22 right if I write the draft and you can all butcher it
23 tomorrow?

24 MEMBER KRESS: Yeah.

25 MEMBER ROSEN: And can we discuss it the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remainder of the week through Saturday night or
2 however long it takes?

3 CO-CHAIRMAN FORD: Right you are.

4 I thank everybody, the presenters
5 especially. Thank you very much indeed.

6 (Whereupon, at 7:08 p.m., the joint
7 subcommittee meeting was adjourned.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25