

**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Nuclear Waste  
135th Meeting

PROCESS USING ADAMS  
TEMPLATE: ACRS/ACNW-005

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, June 19, 2002

Work Order No.: NRC-434

Pages 220-323

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

**ORIGINAL**

TR08

**ADVISORY COMMITTEE COPY - RETURN FOR  
DELETION OF THE COMMITTEE**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
+ + + + +  
ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

135TH MEETING

+ + + + +

WEDNESDAY,

JUNE 19, 2002

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 8:30 A.M. AT  
the Nuclear Regulatory Commission, Two White Flint  
North, Room T2B3, 11545 Rockville Pike, Dr. George M.  
Hornberger, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

GEORGE M. HORNBERGER, Chairman

RAYMOND G. WYMER, Vice Chairman

B. JOHN GARRICK, Member

MILTON N. LEVENSON, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACNW STAFF PRESENT:

2 HOWARD J. LARSON, Special Assistant, ACRS/ACNW

3 SHER BAHADUR, Associate Director, ACRS/ACNW

4 ANDREW C. CAMPBELL

5 LYNN DEERING

6 TIMOTHY KOBETZ

7 MICHAEL LEE

8 RICHARD K. MAJOR

9 RICHARD P. SAVID

10

11 ALSO PRESENT:

12 TAE M. AHN

13 TAMARA BLOOMER

14 STEPHANIE P. BUSH-GODDARD

15 DAVID W. ESH

16 CAROL HANLON

17 BRET LESLIE

18 TIM McMARTIN

19 JACOB PHILIP

20 MERAJ RAHIMI

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I-N-D-E-X

Opening Statement . . . . . 223

Entombment Option for Decommissioning Power  
 Reactors . . . . . 224

Long-Term Behavior of Waste Packages . . . . . 238

Adjourn . . . . . 323

P-R-O-C-E-E-D-I-N-G-S

8:30 A.M.

1  
2  
3 CHAIRMAN HORNBERGER: The meeting will  
4 come to order. This is the second day of the 135th  
5 meeting of the Advisory Committee on Nuclear Waste.  
6 My name is George Hornberger, Chairman of the ACNW.  
7 The other Members of the Committee present are:  
8 Raymond Wymer, Vice Chairman; John Garrick and Milton  
9 Levenson.

10 Today, the Committee will (1) hear from  
11 the NRC staff on comments received on the Rulemaking  
12 Plan and Advanced Notice of Proposed Rulemaking:  
13 Entombment Options for Power Reactors, although there  
14 will be an amendment to that. We'll hear about that  
15 upon introduction. (2) Hearing presentations from the  
16 NRC and CNWRA staff on issues and activities related  
17 to the projected performance of waste packages in the  
18 proposed high-level waste repository at Yucca  
19 Mountain. (3) Discuss elements of a letter report on  
20 the Yucca Mountain Review Plan, Revision. (4)  
21 Continue its discussion of other proposed reports.

22 Howard J. Larson is the Designated Federal  
23 Official for today's initial session.

24 This meeting is being conducted in  
25 accordance with the provisions of the Federal Advisory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Committee Act. We have received no written comments  
2 or requests for time to make oral statements from  
3 members of the public regarding today's sessions.  
4 Should anyone wish to address the Committee, please  
5 make your wishes known to one of the Committee staff.  
6 It is requested that speakers use one of the  
7 microphones, identify themselves and speak with  
8 sufficient clarity and volume so that they can be  
9 readily heard.

10 Okay, so as I had indicated just a moment  
11 ago our first topic is going to be the entombment  
12 option for decommissioning power reactors and the  
13 cognizant member of the ACNW for this topic is Ray  
14 Wymer, so I will turn the meeting over to Ray.

15 VICE CHAIRMAN WYMER: Thank you. The  
16 business of entombment of decommissioning power  
17 reactors is one that is a subject of discussion and  
18 concern to the ACNW for quite some time. We've  
19 written a letter on it and we have a commit from the  
20 staff to keep us updated and keep us current on the  
21 status and I understand that what we're going to hear  
22 this morning is just that. It's a current status  
23 report, where we stand and where we're going in the  
24 future and Stephanie Goddard-Bush is going to tell us  
25 all about that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BUSH-GODDARD: Good morning.

2 VICE CHAIRMAN WYMER: Bush-Goddard, sorry.

3 (Laughter.)

4 DR. BUSH-GODDARD: As Dr. Wymer said, my  
5 name is Stephanie Bush-Goddard and I will be giving  
6 you an update and next steps on entombment options for  
7 decommissioning power reactors.

8 (Slide change.)

9 DR. BUSH-GODDARD: I have five issues on  
10 the agenda today. I'll go over NRC papers and  
11 activities, a kind of background that led us into  
12 rulemaking. I'll go over the rulemaking options and  
13 the Advanced Notice of Proposed Rulemaking issues.  
14 Then I'll talk about some of the stakeholders' views  
15 and comments from the Advanced Notice of Proposed  
16 Rulemaking, and end with the staff recommendations.

17 (Slide change.)

18 DR. BUSH-GODDARD: So I'll begin with NRC  
19 papers and activities. To refresh your memory, in  
20 1997, the Commission requested that the staff  
21 determine the viability of an entombed facility. As  
22 a result, SECY 98-099 was developed. The Office of  
23 Research provided the results of this study and the  
24 results was that entombment was a viable process.  
25 Also, in 1999, the Office of Research solicited

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stakeholders' views in a public workshop held here.  
2 And from that SECY 00-0129 was Workshop Findings and  
3 Recommendations. In that paper, there was a summary  
4 of views and issues that were raised in the workshop  
5 and a recommendation was that the staff should go into  
6 rulemaking. That resulted in the last SECY here and  
7 that paper was published or sent to the Commission in  
8 June of last year. There was a rulemaking plan and an  
9 Advanced Notice of Proposed Rulemaking.

10 The Advanced Notice of Proposed Rulemaking  
11 was published for a 75-day comment period. However,  
12 in the rulemaking plan and the Advanced Notice of  
13 Proposed Rulemaking, there were three options.

14 (Slide change.)

15 DR. BUSH-GODDARD: The first option was to  
16 do nothing, to maintain the status quo, to keep the  
17 60-year decommissioning time frame in place and handle  
18 entombment on a case-by-case basis.

19 The second option was to extend the  
20 decommissioning deadline beyond the 60 years and to  
21 clarify the difference between engineered barriers and  
22 institutional controls in terms of their effectiveness  
23 in protecting the public.

24 And the third option was to create a new  
25 license type, to provide for an entombed facility

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 which would be a new type of disposal license.

2 (Slide change.)

3 DR. BUSH-GODDARD: From the three options  
4 we also had five different issues that were also  
5 published in the ANPR and we requested stakeholder  
6 input. For example, we asked about whether the  
7 regulations were adequate and if not, what changes  
8 were needed.

9 We solicited about stakeholder views on  
10 types and capabilities of engineered barriers.

11 We solicited input on how to dispose of  
12 GTCC waste, whether we should remove it or entombment.

13 What were the views of the states and what  
14 were their roles?

15 Lastly, if any licensee planned to entomb  
16 their plant, when would they do it?

17 (Slide change.)

18 DR. BUSH-GODDARD: So from those issues we  
19 received 19 comments and I have listed there we had 6  
20 states, 8 licensees, NEI, EPA, CRCPD Committee. We  
21 had a compact and a private citizen.

22 Overall, there was no clear consensus.  
23 There were many caveats suggested for all three  
24 options. Two commenters, New York State and Kansas  
25 favored Option 1, but most licensees favored Option 2

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with some caveats and Washington State was the only  
2 commenter that advocated for Option 3.

3 (Slide change.)

4 DR. BUSH-GODDARD: So from the working  
5 group and management discussions, as well as looking  
6 at the NPR, we decided to defer the rulemaking and the  
7 reasoning behind that is that current regulations  
8 don't explicitly permit entombment, but they don't  
9 preclude it either. So entombed facilities could be  
10 addressed on a case-by-case basis. Also, if  
11 decommissioning takes longer than 60 years, then the  
12 GEIS may have to be revisited.

13 A third reasoning was that the roles of  
14 the Department of Energy and the states were unclear  
15 as they relate to GTCC. The states that commented  
16 noted that they have a regulatory role in this case  
17 and that entombing greater than Class C wastes in a  
18 reactor plant would adversely impact the low-level  
19 regional waste compacts.

20 Another reason was that although some  
21 licensees stated that they would like to have an  
22 entombment, as an option, the decision was not  
23 imminent by any means. And finally, given the fact  
24 that there's no immediate need to an entombed option,  
25 we looked at NRC priorities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As you may know, we are working on Yucca  
2 Mountain and anticipate many more activities related  
3 to physical security and the control of radioactive  
4 materials.

5           Some of this will impact the regulatory  
6 framework for an entombed facility.

7           (Slide change.)

8           DR. BUSH-GODDARD: So finally, our next  
9 steps. Well, the staff is working on a SECY paper  
10 transmitting our recommendation which is to defer  
11 rulemaking to the Commission and this should be  
12 completed in October of this year. The Office of  
13 Research is currently looking at the structural  
14 capabilities of concrete. The study is scheduled to  
15 be completed in about three years. There's continual  
16 interaction with the stakeholders on an entombment  
17 option through conferences and forums and in the  
18 meantime we continue to look at what we need to create  
19 a performed-based regulatory framework.

20           Thank you.

21           VICE CHAIRMAN WYMER: Thank you,  
22 Stephanie. That brings us up to date pretty well. It  
23 seems just my offhand impression, this seems like a  
24 sensible course since there's no current plan by  
25 anybody that we know for entombment and most everybody

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is going other reactor operators and utilities are  
2 going to the 20-year extension for the licensing  
3 application and if anything does come up with respect  
4 to entombment it will be an individual case that can  
5 be handled on a case by case basis. Everything you've  
6 said seems very reasonable to me.

7 Let me ask for comments from here.  
8 George?

9 CHAIRMAN HORNBERGER: I don't have  
10 anything.

11 VICE CHAIRMAN WYMER: John?

12 MEMBER GARRICK: The only thing I would  
13 ask is was there anything particularly interesting  
14 that came out of the public comments that had a heavy  
15 influence on the actions you've taken?

16 DR. BUSH-GODDARD: I think the biggest  
17 thing was that there was no immediate need. We did  
18 have two questions in the ANPR that specifically said  
19 how many licensees would like to do entombment, when  
20 and when would they like to do it? There are a lot of  
21 different caveats. They said, you know, we would like  
22 -- we don't necessarily want to maybe do entombment,  
23 but we want that option. Or, it will depend on cost  
24 and you know, the availability of low level waste  
25 sites.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So the big issue, I think, that came out  
2 of the comments was that there was no immediate need.

3                   MEMBER GARRICK: Is there much expression  
4 of interest at this point from the licensees in this  
5 approach in the entombment approach?

6                   DR. BUSH-GODDARD: Well, we had eight  
7 licensees to comment and we also had the industry,  
8 NEI. I would say that it's not a high priority for  
9 them based on the number that commented.

10                  MEMBER GARRICK: Okay, thank you.

11                  VICE CHAIRMAN WYMER: Milt, do you have  
12 any questions or comments? How about the staff, does  
13 anybody around the table here want to -- Sher?

14                  DR. BAHADUR: Stephanie, you mentioned  
15 that in the rulemaking options there were three  
16 options, either maintain the status quo, or amend the  
17 50.82 or create a new license type.

18                  Could you just tell us, maybe what were  
19 the pros and cons of each one of these options were?

20                  DR. BUSH-GODDARD: Yes. The first one was  
21 to maintain the status quo. A big pro was that the  
22 status quo already permitted entombment. You have 60  
23 years to decommission, but it is a regulation.

24                  A con is that if you need to go beyond the  
25 60 years, you might have to apply for an exemption, so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that means regulating by exemption.

2 As far as Option 2 which was to amend the  
3 60-year time frame, a pro for that would be you would  
4 not necessarily have to regulate by exemption, but a  
5 disadvantage of that is that you might have to revisit  
6 the GEIS. It's more resources than Option 1, of  
7 course, because you're amending a regulation. It  
8 could be more resources to the licensee, depending on  
9 how you look at than Option 1.

10 Option 3 was to develop maybe a new part  
11 or a new type of license. The pro for that was that  
12 it could possibly handle the disposal GTCC waste. The  
13 Commission requested that we look at disposal of GTCC  
14 waste in an entombed facility and the only way that we  
15 could do that under the -- develop that was that the  
16 facility had to be licensed because GTCC has to be in  
17 some type of licensed facility. So Option 3 was more  
18 a way of how we could dispose of GTCC, so that was the  
19 big pro for that.

20 However, the negative part of Option 3 was  
21 that it required a lot of staff resources to develop  
22 a new part. It was more expensive to the licensees  
23 than Option 1 and 2.

24 DR. BAHADUR: So in the public comments,  
25 of course, you had no clear consensus one way or the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 other, but I noticed that at least six people, six  
2 comments favored Option 2.

3 DR. BUSH-GODDARD: Yes.

4 DR. BAHADUR: Is there a reason why --  
5 although it's not a priority from our point of view,  
6 also from the licensees, but did they mention any  
7 reason why they were favoring Option 2?

8 DR. BUSH-GODDARD: Yes. The majority of  
9 stakeholders that favored Option 2 were licensees and  
10 NEI. And Option 2 from their standpoint, they felt  
11 they do unnecessary burden. It was cheaper than  
12 Option 3, but it gave them a little bit more  
13 flexibility than Option 1.

14 I guess those were the big two issues.  
15 And also, come to think of it, they wanted the  
16 Department of Energy to take GTCC waste. They didn't  
17 really want to have to deal with it.

18 DR. BAHADUR: But that's true even if you  
19 go the status quo.

20 DR. BUSH-GODDARD: Yes.

21 DR. BAHADUR: Greater than Class C would  
22 be the DOE's responsibility.

23 DR. BUSH-GODDARD: That's right, but I  
24 guess the problem they had with Option 1 was that they  
25 didn't feel that the majority of licensees could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 entomb within 60 years. That's why they wanted to  
2 really extend that time frame which was Option 2.

3 MR. LEE: Stephanie, on Slide 5 or Slide  
4 6, your ANP or comment summary, you noted that you had  
5 19 sets of comments, but I counted 9. Your tally  
6 under your second tick shows 9. What did the other 10  
7 commenters have to say or if it's possible to kind of  
8 give you a sense for what they --

9 DR. BUSH-GODDARD: Okay, the other 10 did  
10 not come out with any preferred option. For example,  
11 the EPA, they basically said we don't have a preferred  
12 option to make sure that you coordinate with DOE to  
13 handle the GTCC. They asked us to look at if we were  
14 going to entomb to consider chemical contaminants as  
15 well as radioactive contaminants.

16 The private citizen that commented wanted  
17 to make sure that we keep active records and good  
18 institutional controls, issues like that.

19 The CRCPD Committee just really summarized  
20 a lot of the states' issues.

21 MR. LEE: Okay.

22 DR. BUSH-GODDARD: Things like that.

23 MR. LEE: Keying back on an observation  
24 you made earlier that the low volume of public  
25 comments, regarding the low volume of comments, it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 might be possible that there was just an indifference  
2 to the rulemaking proposal and that some organizations  
3 or utilities aren't in the position to formulate an  
4 opinion regarding the rulemaking proposal.

5 I mean that's another way to interpret the  
6 volume, if you will, of the public response.

7 MR. LARSON: Well, another thing is that  
8 there are license extension and license renewals,  
9 there have been a lot of them in the last few years  
10 since before this thing started years ago. I guess my  
11 question was I see they're going to do a research  
12 program on concrete and I don't know if the Committee  
13 has heard about it, whether what that involved.

14 MR. LEE: I see Jake Philip in the  
15 audience. Is that the Four Site?

16 VICE CHAIRMAN WYMER: I picked up on it  
17 somewhere.

18 MR. PHILIP: I'm Jake Philip with the  
19 Office of Research and one of the things we are  
20 looking with NIST, the National Institute of Standards  
21 and Technology is you know if you have a concrete  
22 structure and you want to entomb it, what you really  
23 need to look at, how does it perform a condition  
24 assessment of the structure? Right now, there's no  
25 such thing as a Commission assessment of a structure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 like a concrete containment building. So before you  
2 even entomb, you've got to know the quality of the  
3 structure. How good is it?

4 And then you've got to know if -- well,  
5 most of the ways to look at it is mostly  
6 observational. And we find from a flow and transport  
7 problem is actually the cracks in the concrete that  
8 would be the most important aspect as far as risk from  
9 an entombed facility.

10 So then we have to look at how the cracks  
11 form, are they all the way continuous. If it's  
12 continuous, that's the problem. However, we feel that  
13 in a concrete structure, as massive as a containment  
14 structure, it probably will not have cracks like that.  
15 But that's something we have to look for. And once we  
16 look for that, then the next question is are there  
17 some ways to look at other imperfections in the  
18 concrete, looking at the joints, looking at maybe  
19 segregation of the aggregates in the concrete and  
20 stuff like that, having many instances of some types  
21 of bad concrete.

22 So we were looking at some destructive or  
23 nondestructive ways, actually to basically get the  
24 baseline data on the containment structure before --  
25 the entombed structure before we really go and entomb

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it. Of course, the next point is we have all that  
2 information as far as modeling of the concrete for  
3 flow and transport and stuff like that, but we don't  
4 have any experience on how well they perform or what  
5 time. So then can that be a modeling program? That's  
6 one of the things we look now -- a modeling program  
7 which could look at how the concrete structure  
8 performs and then verify some of the models that we  
9 have used in making the predictions.

10 DR. BAHADUR: Excuse me --

11 VICE CHAIRMAN WYMER: Somewhere in this  
12 presentation I put some of this flood of paper that we  
13 get -- I read something about that, about what he just  
14 said.

15 I want to make one observation here for  
16 whatever it's worth. There's -- it seems to me  
17 there's a problem with the greater than Class C waste  
18 in that we have two kinds which are very different in  
19 kind and they're both greater than Class C. One is  
20 the sealed sources which is well-defined situation.  
21 You have a sealed source. The other though is this  
22 trash that comes out of decommissioning reactor which  
23 is greater than Class C and it's certainly not sealed  
24 in any sense of the word. So it seems to me that some  
25 thought ought to be given to separating these two

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 kinds of greater than Class C waste in how they're  
2 handled or in how they're regulated or something,  
3 since they are so very different, different in kind.  
4 That's just an off the top of my head observation.

5 Any other questions or comments from  
6 anybody? If not, thank you very much, Stephanie. We  
7 look forward to your next progress report, probably in  
8 October or some time following that.

9 DR. BUSH-GODDARD: I don't know. We'll  
10 keep the staff informed, I guess.

11 VICE CHAIRMAN WYMER: Thank you. Here's  
12 George.

13 CHAIRMAN HORNBERGER: Thank you, Ray. We  
14 have about an hour and 5 minutes before our scheduled  
15 next thing on the agenda. Do we want to take a break  
16 from recording? We're going to discuss -- so we can  
17 take a break for -- we'll pick up recording after our  
18 coffee break.

19 (Off the record.)

20 CHAIRMAN HORNBERGER: The meeting will  
21 come to order. Our next session is on the long-term  
22 behavior of waste packages and the ACNW Member leading  
23 this discussion again will be Ray Wymer. I'll turn  
24 the meeting over to Ray.

25 VICE CHAIRMAN WYMER: Thank you. We're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 welcoming these presentations this afternoon. The  
2 waste package remains the central issue with respect  
3 to the repository performance and this morning and  
4 into this afternoon, we're going to hear presentations  
5 from David Esh and Tae Ahn and the first presenter  
6 will be David Esh who will be talking about  
7 performance assessment perspective on the behavior of  
8 engineered barriers and in particular, with the  
9 emphasis on waste packages and risks associated.

10 Dave?

11 DR. ESH: Thank you, Dr. Wymer. I'm David  
12 Esh. I'm a System Performance Analyst in the  
13 Environmental and Performance Assessment Branch and  
14 I'm here to talk about the PA perspective on the  
15 behavior of engineered barriers.

16 There are many contributors. The main  
17 contributors for this presentation were Dick Codell  
18 and Sitakanta Mohanty, but I could pretty much list  
19 everybody that contributed at some level to the PA  
20 work.

21 (Slide change.)

22 DR. ESH: My basic outline and the main  
23 points that I wanted to cover in this presentation are  
24 summarized here.

25 The overall repository risk with our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 current knowledge, it's kind of a snapshot in time and  
2 then I'm going to talk about insights on system  
3 behavior and waste package as a barrier. Is it the  
4 salt barrier?

5 And then an issue that the Committee has  
6 raised in the past, conservatism and risk, I'm going  
7 to cover that with, I think, an insightful example and  
8 explain how that can be problematic and how we deal  
9 with it.

10 And then I'm also going to talk about the  
11 main focus of this presentation as our PA's  
12 perspective on the waste package key issues and that  
13 leads into Dr. Ahn's presentation where he'll cover  
14 those key issues in depth.

15 So I'm kind of giving you a step in from  
16 the top down working towards the waste package key  
17 issues and giving you some insights along the way.

18 Now our perspective comes from a lot of  
19 different things. One of the main things is our  
20 independent analyses that we do, both at the NRC and  
21 at the Center for Nuclear Waste Regulatory Analysis.  
22 And that independent analysis takes the form of a  
23 number of different things. The Total System  
24 Performance Assessment Code, TPA Code, which we're  
25 currently in development of version 5.0; uncertainty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and sensitivity analysis. I believe our report is  
2 being worked on right now in that area that contains  
3 a lot of -- it's my sales pitch, a lot of useful  
4 information. And it also includes barrier evaluation  
5 and then other which can take any number of forms,  
6 simple calculations to all sorts of auxiliary analyses  
7 that we do. And our perspective is also a result of -  
8 - besides our independent work, the review of what the  
9 Department of Energy does and others, EPRI, the State  
10 of Nevada, all of that conditions are thinking and  
11 here's my gratuitous suck up. The comments of the  
12 Review Committees which I've listed, ACNW and NWTRB  
13 peer reviews.

14           Seriously, all of that -- sometimes you  
15 need other perspectives and those other perspectives  
16 can be very useful and so all of that conditions are  
17 thinking. But my main point here is that performance  
18 assessment is not just putting things into a code and  
19 getting things out. It's understanding why you got  
20 those results, how things are functioning, why they're  
21 functioning the way they are. That's our main  
22 objective. And so I hope you get from this  
23 presentation that that's one of the key things that we  
24 do in performance assessment is try to understand  
25 things and try to interpret things, not just generate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 results.

2 (Slide change.)

3 DR. ESH: So starting at the top, a  
4 summary of where we are right now is DOE results for  
5 the repository risk and also the failure of the  
6 packages and I'll summarize this verbally in the next  
7 slide, but what I want to emphasize is that we have  
8 various risks, depending on the time period and we  
9 have a nominal scenario and an igneous scenario and  
10 that the risks, while proportional to failures,  
11 failures might not be a good metric to think of in  
12 terms of risk and hopefully you'll see that in some of  
13 the slides going forward.

14 Certainly, the risks get larger as these  
15 packages failed, but it's not just failure that's  
16 important. There's other things to consider.

17 (Slide change.)

18 DR. ESH: The overall repository risk, our  
19 current understanding, the 10,000 year model risks are  
20 small and I'm careful here to say model risks. I  
21 think we have to understand that we're simulating this  
22 problem and that's the best that we're ever going to  
23 be able to do. And assuming, the caveat is assuming  
24 that our current model appropriately represent  
25 uncertainties.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           The longer time risks are comparable to  
2 background radiation. Igneous model risks are larger  
3 than nominal risks, but small compared to the  
4 standard. So I look at this and I saw well, okay, if  
5 this is the case, what are we doing? Why are we  
6 continuing to look at this problem. I tried to  
7 summarize that in the next slide because we have some  
8 key uncertainties that we're evaluating. Some of them  
9 are subject -- represented in the agreements between  
10 NRC and DOE that we want to see the impact of those  
11 uncertainties on the timing and magnitude of the doses  
12 and the nominal scenario, the magnitude of the  
13 disruptive doses because the timing isn't very  
14 important and occurs early in the 10,000 year period  
15 and the capabilities are the barriers. So we have  
16 these uncertainties. We continue to do analysis  
17 because we want to evaluate the impact of those  
18 uncertainties going forward.

19                           (Slide change.)

20           DR. ESH: Now that's kind of a snapshot of  
21 what we have right now, the way -- if you look at the  
22 way the repository system is working, that's the main  
23 overall result. But now let's go down into one layer  
24 down and we say this repository is made up of many  
25 things that we're you're all aware of and what I want

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to stress is not all of these things are created equal  
2 from a risk perspective. Some of them are more  
3 important, some of them are less important. That's  
4 expected in a system like this, complicated system  
5 with lots of parts.

6 And both NRC and DOE analyses -- I think  
7 there are some backup slides, suggest that waste  
8 package performance is a significant contributor to  
9 limiting future risk and we're here today to talk  
10 about the waste package and I think it's appropriate  
11 to spend significant amount of time talking about  
12 waste package issues in detail.

13 Within performance assessment and I think  
14 throughout the program, we complete simple  
15 calculations that we think can be particularly  
16 insightful. Sometimes we get caught up in building  
17 complicated models and doing complicated analysis and  
18 sometimes you can do some pretty simple things that  
19 you can learn a lot about how the repository system is  
20 working and why.

21 And so in this overall system, you've  
22 heard some opinion that the waste package is the only  
23 barrier, it's the only significant thing. Well, I'm  
24 trying to -- I asked that question and I try to answer  
25 it on the next slide, at least from one viewpoint.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 DR. ESH: With any of these difficult  
3 problems, you can do different analyses and they may  
4 tell you different stories, but that's why it's  
5 important to do a variety of analyses. This is a very  
6 simple calculation where you just take the inventory  
7 of the iodine and technetium that's in a commercial  
8 spent nuclear fuel package, those are the readily  
9 transported species. Now let's just assume that the  
10 best you can do with the rest of the system is you can  
11 have some distributive failure, the waste form lasts  
12 some time, the cladding lasts some time, but it's only  
13 equivalent to about 500 years, a very short period of  
14 time.

15 You dilute that release in the regulatory  
16 defined water volume and you get a dose from a single  
17 package of about half a millirem a year, that's from  
18 a single package.

19 Now if you compare that to say the TPA 4.1  
20 result which has approximately 40 initial failures,  
21 you have a dose of .02 millirem per year. Well, if  
22 you look at these two numbers and the fact that this  
23 is 40 failures and that's a single failure, the  
24 results are that the TPA 401 results are about a  
25 factor of a thousand lower. So if you're trying to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 argue that well, the waste package is the only thing  
2 that matters in this system, I would say I don't think  
3 so. I think there are a lot of other things that  
4 contribute. Sure, it plays a very important role, but  
5 there are a lot of other things that contribute -- if  
6 the other things weren't contributing, you couldn't  
7 have this disparity in numbers like you do here. And  
8 you can do various other comparisons, but they all  
9 come out pretty much the same way. So other  
10 components greatly influence the future risks, too.

11 So we have the repository behavior. We  
12 have the waste package within the repository and now  
13 we're getting into what are the mechanisms and the  
14 processes that affect the waste package and the tact  
15 that we took here was to look at risk and surface  
16 area. So okay, which corrosion mechanisms or  
17 processes may be more important than others? And why?

18 Well, the risk and surface area failed,  
19 the two main release mechanisms are diffusive or  
20 vective transport with the water. Diffusive releases  
21 are proportional to the surface area of the failures,  
22 directly. Advective releases are at least strongly  
23 correlated because you could say that they're also  
24 directly proportional, but it gets more complicated  
25 than that as the system state degrades, you run into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shedding on the surfaces of the packages, so as you  
2 have initial fail package that might have one hole in  
3 it, the water that drips on the package can run into  
4 that hole and it's not just a direct surface area  
5 scaling that creates the results in the releases and  
6 dose. So it's a little more complicated, but it's at  
7 least strongly correlated with the surface area  
8 failed.

9 What I attempt to do in the upcoming  
10 slides are to look at well, does the type of failure  
11 have a strong influence on the risk or do you just  
12 need failure, any sort of failure, or are they all  
13 equal?

14 (Slide change.)

15 DR. ESH: And this figure on Slide 10 is  
16 some information extracted from the DOE TSPA-SR median  
17 value file. And I think what you'll see in this  
18 presentation and maybe you also see in the future,  
19 that we're going to be doing more work analyzing and  
20 reviewing DOE and explaining how their model is  
21 working, why it's working, what issues we identify and  
22 those sorts of things. We have a number of activities  
23 that are on-going along those lines, for instance, I  
24 think Tim McCartin is leading an activity to produce  
25 a comparison of TPA code results to DOE's TSPA model

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 results and see how the various models compare and  
2 differ. I'm leading an effort to review DOE's TSPA-SR  
3 model and Goldsim to build up our capability and  
4 understanding of the Goldsim software and also to  
5 understand how their model is working and what it's  
6 doing.

7 This figure is basically -- the pink curve  
8 here is the crack area, so it's the total cumulative  
9 area from crack failures in a package. It starts at  
10 slightly less than 40,000 years. The blue curve is  
11 the cumulative patch failure area per package and the  
12 red curve is the technetium 99 dose.

13 Now what you see is that the cracks start  
14 earlier. They have a more gradual slope. The patches  
15 come in in this median value file at about slightly  
16 around 65,000 years. But if you look at the dose, it  
17 responds pretty directly. As soon as those patch  
18 failures start exceeding the crack failure area, the  
19 dose increases rapidly. And what this says is that at  
20 least at early times, the risk is proportional to  
21 surface area failed.

22 Now in DOE's model at about 65,000 years  
23 where there's only cracking existing for the median  
24 value file results, they have a dose of about .3  
25 millirem for technetium from 20 cracks per package.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now what I want to show is that okay, if  
2           the risk is proportional, the surface area failed,  
3           what else is important when you're trying to assess  
4           waste package failure?

5           And what we did was we looked at the  
6           diffusive risks from stress corrosion cracking, so  
7           right now in the TSPA-SR, the cracks only form in the  
8           end cap areas, the welded areas of the end caps and we  
9           did two models here. One, we did a conservative -- we  
10          should probably use pessimistic representation.  
11          Conservative is a difficult terminology, where we  
12          diffused through the end caps and what we did is we  
13          took the inventory of iodine technetium neptunium  
14          that's inside the package. We made it available for  
15          release. We put it at the opening of the crack.  
16          Diffused it through the end cap and then assumed a  
17          zero concentration boundary on the outside because of  
18          water flowing that could release it. If you did a  
19          model such as that, you'd get a result of about 300  
20          millirem per year from 300 cracks and a thousand  
21          packages, fairly large number.

22          But our concern was well, okay, is your  
23          conservatism influencing, greatly influencing your  
24          conclusions here? And would it cause you to judge the  
25          importance of a corrosion mechanism different than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 maybe what you should? So what we did is we said  
2 well, the fuel inside of the package, especially for  
3 the state when you have a package, it's only cracked.  
4 You get a water film on the inside of the package, but  
5 otherwise there's no inflow, there's no influx,  
6 outflux of moisture into the system.

7 The fuel that fails inside the package,  
8 the radionuclides have to diffuse from that fuel to  
9 the point where the cracks are in the lid. And that  
10 water film is very thin, or at least the information  
11 that we were able to get out of the literature  
12 suggests that it will be very thin.

13 When you take into account the diffusion  
14 through the water film to get to the end caps and then  
15 model it the same on the outside, and take no  
16 performance benefit from the rest of the repository so  
17 you neglect the unsaturated zone, saturated zone  
18 processes, but you still dilute it in the regulatory  
19 defined water volume, that reduces the dose to a  
20 fraction of a millirem. So my conclusion is that you  
21 have to be really careful and I think the Committee  
22 said something along these lines in one of their  
23 letters. You have to be really careful when you're  
24 using conservatism and from a regulator's standpoint,  
25 we have to be careful when we interpret the results of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 highly conservative models.

2 I guess what I'm trying to stress is that  
3 we, within performance assessment do a lot of things  
4 like this to try to understand the implications of  
5 that conservatism.

6 Now it's up to the Department of Energy to  
7 choose, if they want to use a conservative model they  
8 can use a conservative model and we have to review  
9 that conservative model, but we should understand the  
10 implications of the use of that conservative model if  
11 it creates other sorts of problems. And that's what  
12 I wanted to highlight is what we attempt to do.

13 So the failure mechanisms, whether it's  
14 cracks or patches or pits or whatever, it can be  
15 influenced by what you're doing elsewhere in the  
16 model. In this case, if you're doing something very  
17 conservative for the transport, or release and/or  
18 transport, then you may be somewhat misled about the  
19 importance of failure versus type of failure and let's  
20 see -- so you need to be cautious, especially when  
21 you're employing conservatism in the mass transfer  
22 representations. The waste package failure mechanisms  
23 that result in numerous small openings or a few  
24 catastrophic failures are not likely to be risk  
25 significant and I'll go through those in a little more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detail in upcoming slides.

2 From a PA standpoint, I'd say the staff  
3 are most concerned with mechanisms that may result in  
4 numerous, moderate to large openings that experience  
5 avective conditions. That's the real risk driver in  
6 this problem.

7 Now okay, based on what I said about  
8 failure types and how it affects risk, then  
9 performance assessment went through and we give our  
10 perspective on these issues that Dr. Ahn is going to  
11 cover in detail and these nine issues are subject  
12 areas where you could spend an hour or two hours on  
13 each one if you wanted to and so I want to try to give  
14 as much time for Tae and the Committee to evaluate  
15 these as you would like today.

16 (Slide change.)

17 DR. ESH: From a PA perspective, the  
18 environmental conditions, uniform corrosion,  
19 passivity, localized corrosion, materials aging, those  
20 are all things that together or in a synergism or by  
21 themselves could result in the numerous, reasonably  
22 sized openings. Now I say could here and what I think  
23 Tae is going to cover is that this could, should be a  
24 different sized font for each of these. It might be  
25 really big for one of them. It's more likely to occur

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and for some of the other ones it's less likely to  
2 occur.

3 And it's important to understand the  
4 consequence and identify the likelihood of this trans  
5 passivity localized corrosion phenomena.

6 I guess performance assessment also has  
7 some perspective on the environmental conditions  
8 because that is a particularly difficult area to  
9 evaluate the uncertainty. It comes from a lot of  
10 different sources and when you consider the chemical  
11 divide process, a small uncertainty upstream can be  
12 propagated into a big effect downstream. So it's  
13 really difficult to evaluate the uncertainty and the  
14 environmental conditions and I think for many of these  
15 -- or at least for some of these major corrosion  
16 mechanisms or processes, they're influenced strongly  
17 by environmental conditions and especially extreme  
18 environmental conditions. So it's important to do a  
19 strong job on the uncertainty evaluation for the  
20 environmental conditions.

21 Stress corrosion cracking is what I  
22 covered in Slide 11.

23 Now it looks like the frequency and the  
24 size of the openings are not likely to create a  
25 significant risk, and I use that term loosely, unless

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 combined with conservative release modeling. If you  
2 do conservative release modeling, then you can  
3 conclude that the stress corrosion cracks are more  
4 important than what they are.

5 Now I would note that the advective  
6 releases are not expected for the cracks, based on  
7 their size and the capillarity argument. Basically,  
8 the size of the crack is so small it acts like a pore  
9 and the capillarity pressure wants to hold water in it  
10 and you don't get enough of a driving force to move  
11 any moisture -- to effectively flow moisture through  
12 that crack.

13 Now, there is an uncertainty in the  
14 pessimistic side that maybe these cracks grow once  
15 they form -- they continue to get bigger, and that  
16 would influence the release. There's uncertainties on  
17 the optimistic side that the cracks can arrest. Right  
18 now the cracks, once they begin growing, they continue  
19 to grow, but I guess that's observed that many times  
20 these cracks arrest and they don't propagate the whole  
21 way through the surface. And also, the cracks can  
22 plug with corrosion products.

23 So any of these things that we're doing a  
24 perspective on now have an uncertainties associated  
25 with them. I think that Tae is going to cover a lot

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of those uncertainties in greater detail. But this  
2 stress corrosion cracking we would say is somewhat of  
3 a lower risk significance.

4 Drip shield performance, if we were purely  
5 running a code and looking at results and not doing  
6 any thinking, we would probably say is a lower risk  
7 significance. I think there's a back up slide, or a  
8 couple back up slides, one that DOE did, barrier  
9 degradation or subsystem degradation, and you can look  
10 at the difference between the drip shield one and the  
11 waste package one and say well, waste package isn't  
12 doing anything. But if you think about it, the waste  
13 package may be preventing rockfall damage or other  
14 mechanical damage to the waste package. And it could  
15 also be preventing aggressive chemical conditions for  
16 the waste package that would lead to some of these  
17 failures that we would judge as more risk significant.

18 So from a thought standpoint, you might  
19 conclude that the drip shield serves more of a role  
20 than what you would get from a quantitative  
21 standpoint. Now you could argue that well, if you put  
22 those things in your model, you should be able to do  
23 analysis that the function of the rockfalls or the  
24 aggressive chemical conditions, the function of the  
25 drip shield preventing those should show up in your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis. You should be able to do something, and I  
2 think that's probably true. You should be able to do  
3 something, that instead of just from a thought  
4 standpoint saying well, it could be important, from a  
5 more quantitative standpoint be able to show okay,  
6 here's why it would show up as important or more  
7 important.

8 Mechanical failure, our current analysis  
9 suggests that the combination and the likelihood and  
10 the consequences, or I should say DOE's analysis are  
11 a lower risk. The extent of the drift degradation and  
12 the resultant consequences need to be further analyzed  
13 however, so that rockfall is a lower risk  
14 significance, but the drift degradation could be  
15 anywhere from low to high depending on the extent and  
16 the likelihood. Now, in the TSPA-SR, they simulated  
17 very little drift degradation and in the TSPA-SR, if  
18 you just looked at those results, you would say it's  
19 a lower risk significance. But I guess there is a  
20 peer review panel that kind of expect significant  
21 drift degradation and also the NRC and CNWRA staff  
22 have a number of concerns about the uncertainty in  
23 that area.

24 Juvenile failures, you can look at the  
25 results on Slide 4 and 8 and you can see that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 frequency is not high enough to create a significant  
2 risk. It's a lower risk significant item. And  
3 criticality is complicated, it's coupled to a lot of  
4 things, it's related to the geochemistry inside the  
5 package and water flow. But current analyses suggests  
6 the likelihood is not large enough to create a  
7 significant risk. So it's a lower risk significance  
8 item.

9 Now, the Committee, I think, always asks,  
10 maybe you don't want to hear about it, but you always  
11 ask about risk informing. And this is my stab at  
12 giving a little performance assessment perspective on  
13 it. We have 42 agreements related to model  
14 abstraction, which is how you build models, treat  
15 uncertainty, the confidence in those models. It's  
16 TSPAI sub-issue 3. Many of those deal with  
17 uncertainty. Well, about 30 percent of them pertain  
18 to uniform corrosion, passivity, localized corrosion,  
19 and environmental conditions, the things that, we  
20 feel, are more risk significant from an uncertainty  
21 standpoint. So I can only say we're consistent.  
22 Maybe you could argue we're not still not risk  
23 informed. But at least we're consistent.

24 So in summary, waste package is an  
25 important barrier, but it can do some simple things

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and even more quantitative things, results which are  
2 shown in the back up slides that you can conclude the  
3 performance of other system components limit risks.  
4 You need to be really careful with the conservatism,  
5 because that greatly influences your interpretation of  
6 the problem and the work that you do.

7 I think the PA results and additional  
8 analyses condition our thinking, but we do a lot of  
9 thinking outside of our analyses. And we do lots of  
10 different analyses to get different perspectives.  
11 Depending on your analyses, you can have different  
12 views and you want to be careful about the conclusions  
13 that you make.

14 And my last bullet is the assigned  
15 relative risk importance to CLST issues is based on  
16 current understanding, so that's my caveat that  
17 [nothing], we can be wrong, and we'll talk to you  
18 about it in the future, I'm sure, if we end up being  
19 wrong about one of these things. So that's it.

20 VICE CHAIRMAN WYMER: Thank you. I had  
21 one question, David, on Slide 8, which deals with  
22 waste packages of barrier and you take inventory of  
23 one particular fuel waste package and you somehow  
24 relate that what the results of TPA 4.1. I can't  
25 quite make the logical connection. Is TPA 4.1 give

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you a thousand-fold lower result for waste package  
2 because you simply don't dump the entire inventory?

3 DR. ESH: That's what I guess I was trying  
4 to say. There are a lot of things that cause that  
5 risk to be lower than you would get if the waste  
6 package was the only thing. Waste form, which results  
7 in distributed release; cladding, which results in  
8 distributed release; the solubility limits, which  
9 changes the magnitude of the release, which I guess  
10 you could say distributes it. And then the whole  
11 transport processes through the UZ and the SC, that  
12 for readily transported species like the iodine  
13 technetium, might not have a huge influence from  
14 retardation. They still have dispersion and dilution  
15 during those transport processes.

16 There's a number of other things in this  
17 repository system that change those numbers. And  
18 that's what I wanted to say, is that if you're trying  
19 to make the argument, well, the waste package is the  
20 only thing, and that should be our complete emphasis,  
21 you're missing the story that this a system model and  
22 a lot of things contribute.

23 VICE CHAIRMAN WYMER: That's not exactly  
24 the message I got. The message I got was that don't  
25 take a simplistic approach.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. ESH: Also, I think the simplistic  
2 approaches can be used to -- I think they're useful  
3 when you're trying to get an unconfounded perspective  
4 about some of these simple processes. I think that's  
5 how we like to use them as they can go a long ways and  
6 they're pretty easy to understand.

7 VICE CHAIRMAN WYMER: Okay, any questions?  
8 Milton?

9 DR. LEVENSON: I just have one comment.  
10 I think if you sat in on any of the meetings of this  
11 Committee in the last year -- glad to see that your  
12 statement that be careful about the use of the word  
13 conservative, and don't overstate consequences,  
14 because it can mislead you badly about what's going  
15 on.

16 DR. ESH: You can imagine that if you did  
17 something really conservative on your model, and then  
18 you go away and forget about it. Or you say, well  
19 it's conservative, but you never look at it in more  
20 detail, it can be difficult to interpret your results  
21 than in a risk informed manner.

22 VICE CHAIRMAN WYMER: George.

23 CHAIRMAN HORNBERGER: Dave, in terms of  
24 CLST, currently is your view that the TSPA insights  
25 are similar, or essentially the same, as the TPA insights?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 insights?

2 DR. ESH: For a large part, I think. I  
3 think, because we don't perceive that we have such a  
4 pessimistic release model, we may have a greater  
5 tendency to -- we still believe CLST is very  
6 important, and it's partly because it's a system model  
7 and it's one of the first things in a sequence of  
8 things that operates. So when you see your results,  
9 if it's performing a big function that greatly  
10 influences your results.

11 I think we view the CLST as a very  
12 important issue. We also believe that NTPA, we have  
13 some work to do with representing some of these  
14 processes and uncertainties and that's ongoing in TPA  
15 5.0. We don't distribute our failures, for instance,  
16 in the sense that DOE does. We distribute our  
17 failures from realization to realization, but we don't  
18 distribute them within a realization. But I think, as  
19 Dick Codell talk to you in the past, we've done a lot  
20 of off-line analysis to look at the implications of if  
21 you distribute your failures within a realization,  
22 package to package, patch to patch, and what are the  
23 influences of those processes.

24 So I think there are, Tae can talk to it  
25 in more detail, because he has a lot of the details

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 even in back up slides, of what the TPA code is  
2 producing and you can compare that to what DOE's model  
3 is producing for various processes like uniform  
4 corrosion, for instance.

5 NTPA, we didn't have the stress corrosion  
6 cracking model, and I don't know if Chris Grossman is  
7 here, whether we're going to do it for TPA 5.0 or not,  
8 because it looks to us like only in special  
9 circumstances could you have a significant risk from  
10 it. In TPA 5.0 or in the TPA code, we originally had  
11 a diffusive release model, and then we took it out  
12 because it looked like we weren't getting any  
13 significant risks from the diffusive releases. Now we  
14 think we're going to put it back in just so we can  
15 have the flexibility to analyze these different cases  
16 if someone chooses to be conservative with release  
17 modeling for instance.

18 So I think in general, there aren't wide  
19 differences, but adding any sort of these phenomena  
20 with the detailed uncertainty is difficult in these  
21 models and it takes time. We try to do a lot of  
22 off-line analyses to look at the uncertainties rather  
23 than immediately, explicitly adding things into code.  
24 Whereas DOE may go right to the root of adding  
25 processes or phenomena directly into their performance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assessment model.

2 CHAIRMAN HORNBERGER: Let's see. The  
3 second question. Do you think that the work that  
4 you're doing, the approach that you're taking, taking  
5 will lend itself to assisting in a potential license  
6 application in the situation and we'll be  
7 hypothetical, where DOE has some of these things in it  
8 that are what we might call, I think your term, overly  
9 pessimistic, instead of conservative. And it can  
10 color the interpretation.

11 Do you think that your approach will allow  
12 you to sort of disentangle it and still make some  
13 risk-informed judgments?

14 Or, do you think it will be buried in the  
15 TSPA?

16 DR. ESH: I think it can be useful. I  
17 can't say whether it will be useful. It will depend  
18 on the specifics of their performance assessment,  
19 going forward.

20 But I think it's something you have to  
21 attempt, at least. You have to try to unravel what  
22 the effects of, say, the conservatism is so that you  
23 can try to make those risk-informed judgments. I  
24 don't know.

25 CHAIRMAN HORNBERGER: Again, probably an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 unfair question for you, perhaps. But do you think  
2 that in looking at the Yucca Mountain review plan that  
3 the acceptance criteria are such that you feel  
4 confident that you would be able to at least take the  
5 first steps to do the disentangling?

6 DR. ESH: Yes, I think -- I can't speak to  
7 the review plan directly. I think there's somebody  
8 probably here who could. But I can say that a lot of  
9 the work that we do, it would be difficult to like  
10 make an acceptance criteria or a review method to say  
11 okay, you do this or you do that. It's more of a  
12 philosophy of how do you handle this sort of problem  
13 and the sorts of issues that we are dealing with.

14 Maybe at a higher level, you should have  
15 some direct language that would speak to that, but  
16 it's really -- I mean their viewpoint is pretty  
17 extensive as it is and I think if you tried to put all  
18 of that in it directly it would be very cumbersome.

19 CHAIRMAN HORNBERGER: Thanks.

20 VICE CHAIRMAN WYMER: John?

21 MR. McCARTIN: Tim McCartin, NRC staff.  
22 In terms of the review plan, certainly the desire is  
23 that -- and we will understand DOE's performance  
24 assessment. As Dave indicated, how much detail you  
25 put in there, there's that sort of tug between too

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 much detail and conveying a message without having to  
2 reach 50 pages.

3 But without question, we have to  
4 understand DOE's models and understand their  
5 assumptions. And I think we will.

6 One of the things Dave did very  
7 effectively here is, try to put a quantitative value  
8 on a potentially pessimistic model for release. And  
9 he had a good way to quantitatively give a sense of  
10 gee, we think this is pessimistic. How much effect  
11 does it have? Will we have to quantitatively put a  
12 number on how pessimistic this is? I think for the  
13 key models, yes. But all of them, some things, well,  
14 if we feel they supported, -- this is conservative, we  
15 won't necessarily try to quantify everything. That  
16 might be a daunting task. But we certainly would have  
17 to understand, whether the information supports it  
18 being conservative.

19 MEMBER GARRICK: Dave, it seems as though  
20 you're taking steps toward something that we've been  
21 interested in commenting on for a long time and that  
22 is begin to decompose this problem into some first  
23 principles that are comprehensible. And the idea of  
24 looking at an individual waste package and the  
25 inventory that you have to worry about in that waste

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 package and the case, in your case here, technetium  
2 and iodine, but you could also add the only other  
3 things that we have to worry about such as the  
4 actinides, neptunium and plutonium.

5 I think this is very important that you  
6 kind of start out with something so basic as a waste  
7 package and what are the bad actors that we have to  
8 worry about, and then begin to put filters on those in  
9 terms of the waste package and then the natural  
10 setting that begin to communicate in a kind of a first  
11 principles way the activities and the barriers that  
12 this stuff goes through as a function of time and the  
13 effectiveness of each of those filters.

14 I just, I guess this is partly a  
15 compliment that this is the kind of the first time I  
16 began to see something that we've been alluding to for  
17 a long time to help the whole issue or risk  
18 communication of building a kind of a first  
19 principle's physics model. It would be very nice to  
20 see the same thing beyond the waste package in terms  
21 of the contribution from dispersion in different  
22 regions of the natural setting, the contribution of  
23 retardation and the effect of dilution and the effect  
24 of uptake to the point where we really go from  
25 rainfall, if you wish, to biological uptake.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           So I think this kind of thought process is  
2 very effective. I think the thing that you could  
3 almost imagine a schematic here, based on a source and  
4 these multiple barriers and the idea of tracing  
5 through these barriers, this limited number of  
6 radionuclides that you have to worry about. It isn't  
7 as if you have to worry about 51 actinides and 250  
8 fission products. We're only worried about three or  
9 four. So that's very positive and I would encourage  
10 you to continue to do this.

11           I think also it's very important to keep  
12 the focus on the whole notion of what is meant by  
13 risk. Risk is not conservative or non-conservative.  
14 Risk is risk. And so I think that when -- and I  
15 notice you're beginning to draw those kinds of  
16 distinctions. I think that the one thing that we want  
17 to always, it seems to me, start from is what we  
18 actually thing is the risk, rather than a conservative  
19 risk or a modified risk or a qualified risk of some  
20 sort. And go from there.

21           I think that the ability to begin to sort  
22 out where contribution is coming from in terms of  
23 performance is going to go a long ways toward  
24 reassuring everybody that there is performance role  
25 here for all facets of the repository and we need to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- we need to quantify that role and we need not to  
2 get ourselves in the position where we're necessarily  
3 conveying that one barrier is all we really need or  
4 whatever, but lay it out in terms of well, this is  
5 what the contribution to performance is from the  
6 various barriers.

7 So I think this is good stuff. As long as  
8 we don't lose sight of characterizing it in a simple  
9 form as possible and as long as we don't lose sight of  
10 what we mean by risk. I encourage us to continue.

11 DR. ESH: I think we have a tendency to  
12 want to impress you with our complexity and sometimes  
13 it can be problematic from a communications standpoint  
14 and it can be problematic from a human intellect  
15 standpoint of interpreting exactly what did I get and  
16 why?

17 So one of the functions that we have to do  
18 in performance assessment is evaluate the  
19 reasonableness of DOE's performance assessment model  
20 and I believe an easy way to do that is to do these  
21 sorts of simple calculations and see how the simple  
22 calculations compare to that complex model or how they  
23 differ and then you can start extracting, excuse me,  
24 why they differ.

25 MEMBER GARRICK: Yes, and I think that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can get to a point where you can answer the kind of  
2 questions that Ray asked about the difference between  
3 the two values on Slide 8 very easily, that this is a  
4 direct result of barrier D and the phenomena  
5 associated with barrier D that contributes the most is  
6 dispersion.

7 DR. ESH: Sure.

8 MEMBER GARRICK: And once you get to a  
9 point that you can begin to present the information in  
10 those terms, then I think it really begins to be a  
11 powerful way to communicate.

12 VICE CHAIRMAN WYMER: Any questions from  
13 the staff?

14 MR. CAMPBELL: This whole use of a  
15 diffusion model by DOE actually goes beyond the stress  
16 corrosion cracks. They actually use it for the  
17 patches that they model developing from general  
18 corrosion on the waste package. And in fact, even at  
19 later time frames, it is the major release mechanism  
20 for TSPA-SR. Eighty seven percent of the waste  
21 packages never see advective flow, never see flowing  
22 water. They just simply see essentially humidity in  
23 a water film.

24 And throughout TSPA-SR, DOE says they're  
25 modeling the flow or attempting to address the flow of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 water over a film. And I think what you guys have  
2 shown is their model, in fact, grossly overestimates  
3 the potential release, that as a potential release  
4 mechanism. We identified that in our own analyses  
5 that we did for waste package in near-field  
6 environment and it's in this big long report that was  
7 issued a year ago. The international peer review  
8 identified this as a problem. I think DOE has  
9 identified this as a potential problem.

10 Do we have any indication that they're  
11 actually going to do something about this? And maybe  
12 come up with a more realistic model for their source  
13 term release?

14 DR. ESH: I don't know. I know we've  
15 talked to them about it a number of times and I can't  
16 say what their plans are. I think they're certainly  
17 evaluating it.

18 MR. CAMPBELL: Are there -- and a second  
19 apart of that question, are there potentially negative  
20 impacts on the concept of a multiple barriers approach  
21 if, for example, they stick to a very conservative  
22 release model?

23 DR. ESH: I think so. I think you could  
24 short change yourself if you're doing something very  
25 conservative that influences your perspective of how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the overall system works.

2 For instance, if you had the -- say you  
3 had a failure mechanism that the end cap fell off the  
4 package and you had an opening. Diffusion doesn't  
5 occur through that whole geometric surface area. It  
6 occurs through the water films that will be contacting  
7 that circumference. So depending on what you do, you  
8 can get much different results. You just have to be  
9 careful about it.

10 Slide 22, by the way, is your test, if you  
11 want to look at that and try to explain what the three  
12 bumps are from.

13 So you can look at it and then talk to me.  
14 I'll tell you if you're right or not.

15 (Laughter.)

16 VICE CHAIRMAN WYMER: Are there any other  
17 comments, especially from over here on my right?  
18 Observations or questions?

19 Okay. Well, thank you, Dave.

20 MS. HANLON: Dr. Wymer?

21 VICE CHAIRMAN WYMER: That was Carol.

22 MS. HANLON: Hi, this is Carol Hanlon.  
23 I'd just like to respond to Andy. One of the things  
24 that we had noticed is that our models and our  
25 evaluations are higher and we are looking at that and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculating it and intend to correct it.

2 Abe was going to try and be here to today  
3 to speak to that point, but he's caught across town.  
4 But we are aware of those differences and looking to  
5 adjust them.

6 VICE CHAIRMAN WYMER: That was Carol  
7 Hanlon. Well, as we've seen the waste package is of  
8 importance and although not necessarily overriding  
9 importance, although it's front and center right now.

10 We're going to hear from Tae Ahn about the  
11 present status of issue resolution and risk assessment  
12 and waste package and drip shield performance.

13 DR. AHN: Thank you, Dr. Wymer. Dr. Esh  
14 introduced to you the importance of waste package risk  
15 domain. I would like to go over in detail all the  
16 failure modes of waste package and drip shields.

17 Many of the staff members of the NRC and  
18 the Center participated in the performance assessment  
19 of waste package and drip shield container and  
20 Container Life and Source Team, KTI is the lead KTI,  
21 led by Tammy Bloomer, Gustavo Gragnolino and Vijay  
22 Jain. And we also have participants from total System  
23 Performance Assessment Integration KTI, IDTME and  
24 Evaluation of Near-Field Environment KTI.

25 The purpose of this presentation is to go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 over the status of the issue of dilution of the oral  
2 agreement with Department of Energy and also some  
3 aspect of risk assessment in waste package and drip  
4 shield performance.

5 I would like to focus in two areas. The  
6 current status of safety demonstration and the status  
7 of technical basis. The safety demonstration is based  
8 on the best abstracted models based on the current  
9 knowledge in the medical manner and on the other end,  
10 the technical basis is the evidences and the data base  
11 to support the based current models.

12 The content includes basically  
13 environmental conditions and the various failure mode  
14 of the waste package and drip shield.

15 I will go over one by one as overall  
16 perspectives. The environmental conditions, we have  
17 issues of variations of chemistry in the repository as  
18 well as a simulated corrosion test solution. Also, it  
19 includes a chemistry from -- chemistry of the  
20 simulated repository solution. So we have three  
21 different chemistry we've discussed the variation  
22 among themselves.

23 The other area is temperature effect.  
24 Currently, the repository may go up to 106 degrees C  
25 in the high temperature operation. The normal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (unintelligible due to accent, hereinafter, UDTA)  
2 corrosion practices needed to be extended to a higher  
3 temperature about 100 degrees C.

4 Also, we have issues of coupled processes,  
5 thermal, hydrological, chemical and a couple of  
6 processes. In addition to that, we have mechanical  
7 processes involved. I will go over briefly that.

8 Also, this assessment involves various  
9 sciences. People are worried about very aggressive  
10 chemical conditions of very low probability. I will  
11 address those aspects as well.

12 The first failure mode of the waste  
13 package materials is uniform corrosion, which means  
14 waste package should corrode very uniformly and the  
15 probability of occurrence of uniform corrosion,  
16 uniform penetration is very high, like close to one.

17 Next failure mode is localized corrosion  
18 which is fast localized penetration such as peeling,  
19 crevice corrosion. This failure mode has lower  
20 probability of occurrence under the current Yucca  
21 Mountain conditions.

22 The next failure mode is stress corrosion  
23 cracking. This is a discrete failure compared with  
24 uniform corrosion, producing cracks assisted by both  
25 stress as well as chemistry. It has a lower

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 probability occurrence.

2 In the drip shields performance, we have  
3 all failure modes addressed in the waste package  
4 uniform penetration of higher probability of  
5 occurrence, a discrete failure of low probability of  
6 occurrence. I will go over more detail later.

7 Next failure mode is materials aging  
8 because we are talking about a time period of 10,000-  
9 year period, the microstructure or distribution of a  
10 chemistry may be altered which may lead to localized  
11 corrosion as addressed previously.

12 This material aging is considered to be a  
13 low probability occurrence because still the  
14 temperature is low enough compared with normal  
15 engineering practice where the material engineer aging  
16 is of a concern such as a temperature 1000 degrees C.

17 Next, the failure mode is a mechanical  
18 failure which is a discrete failure or a uniform  
19 deformation. One example is rockfall or degradation  
20 of drift which is considered to be a low probability  
21 of occurrence.

22 Juvenile failure, even with the quality  
23 assurance and the good design, still, we need to allow  
24 certain percentage of waste package to fail initially.  
25 Current data shows it has a low probability

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 occurrence.

2 The last one is criticality. Currently,  
3 DOE has taken an approach to assess the criticality  
4 using the probability screening. In other words,  
5 based on very low probability of waste package  
6 failure, criticality is considered to be screened out.  
7 Therefore, we need to address the criticality issue  
8 here with respect to waste package performance.

9 I will go over each failure mode and  
10 environmental conditions one by one. The first is  
11 environmental conditions. We have one CLST agreement,  
12 18 ENFE agreement and four TSPAI agreement with DOE.  
13 DOE needs to resolve all those agreements of [UDTA].

14 What we know about these environmental  
15 conditions, DOE tested the repository -- simulated  
16 repository chemistry at various temperatures up to --  
17 above the boiling point and also they established a  
18 long-term test at the facility LTF with various  
19 chemistry.

20 Currently, it appears that there is a  
21 consistency between the chemistry modeling and test,  
22 experimental test chemistry.

23 (Slide change.)

24 DR. AHN: Next slide shows a tabulated  
25 form. The first column is the ions of our interest

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with respect to corrosion. We analyzed all ions  
2 involved. However, I picked up only chloride,  
3 fluoride, carbonate, nitrate and sulfate which are  
4 influenced in the corrosion property.

5 Chloride is responsible for localized  
6 corrosion. Fluoride is similarly. Carbonate  
7 determines the pH of the solution. Nitrate and  
8 sulfate are more like inhibitors to prevent the  
9 corrosion.

10 The second column is evaporated synthetic  
11 J-13 well water as temperature goes up to temperature  
12 of 100 degrees C, dripping water will evaporate  
13 leaving the concentrated chemistry on the surface of  
14 waste package.

15 The third column is evaporated synthetic  
16 pore water to extend the analysis from the J-13 to  
17 pore water and the third column stand out J-13 well  
18 water at the higher temperature at 60 degrees and 90  
19 degrees and the rest of the three columns are  
20 chemistries used in the DOE's long-term testing  
21 facilities. One is simulated or concentrated water,  
22 simulated acidified water and simulated saturated  
23 water.

24 As you see here, for instance, the  
25 chloride, there are variations, but at least the test

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of conditions pick up the range of chemistry expected  
2 from the operated testings.

3 Likewise, fluoride carbonate and nitrate,  
4 sulfate were captured in the actual testings.  
5 Nonetheless, there are gaps there, variations there.  
6 DOE is giving effort to include other combination of  
7 chemistry in their potential static or short-term  
8 testing to have a whole range of chemistry.

9 Likewise, at the center, we do have  
10 confirmatory research, varying the chemistry by taking  
11 away or adding up chemistry from the pure solutions.

12 (Slide change.)

13 DR. AHN: This slide shows the temperature  
14 profile for two depository operating mode. Left one  
15 is low-temperature operating mode. As you see, the  
16 scale of time up to a million years. The maximum  
17 temperature you could see is only slightly above 80  
18 degrees C.

19 On the other hand, in the higher  
20 temperature mode, you see the temperature can go up to  
21 170 degrees C. In the normal practice of aqueous  
22 corrosion they really do not go temperature of 100  
23 degrees C. unless under the pressurized condition. We  
24 do not have pressurized conditions. Nonetheless, we  
25 are concerned about [UDTA] corrosion above 100 degrees

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 C, due to the so-called Deliquesence[UDTA] relative  
2 humidity.

3 In the presence of mixed salt, deposited  
4 under waste package and drip shield, the effective  
5 boiling point may go up because of the low vapor  
6 pressures, pressure in the presence of salt as well as  
7 capillary effect.

8 This is based conditions of temperature  
9 profile. DOE has chosen currently to go with high  
10 temperature mode. Therefore, we will discuss more  
11 extensively the waste package and drip shield behavior  
12 at temperature created in 100 degrees C.

13 Environmental conditions data. What kind  
14 of testing was done, especially at temperature 100  
15 degree C. DOE has limited data in autoclaves and with  
16 humid chambers above 100 degrees C. and up to 150  
17 degrees C. Some long-term current data from Germany  
18 tests of rock salts are available for Alloy C-4 and  
19 titanium 7 up to 200 degrees C over a decade because  
20 there are repositied rock salt . It's a more aggressive  
21 condition with respect to the Yucca Mountain  
22 repository. But the method of -- not very desirable,  
23 are not much incorporation of electro chemistry.  
24 Nonetheless, they are long term field data are very  
25 valuable. We are analyzing data.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Lately, the EPRI used some of these data  
2           for their performance assessment in Phase 6.  
3           Likewise, our center effort is to add assessing the  
4           high temperature affecting autoclave above 100 degrees  
5           C. as well.

6           As I mentioned, we needed in this area,  
7           environmental condition is more characterization of  
8           above the [UDTA] boiling point, also, in solution  
9           chemistry as well as corrosion performance both.

10          There are a number of issues. I cannot go  
11          over all details with you today. I have about 40 back  
12          up slides.

13                   (Laughter.)

14          I will not go over. I haven't made any  
15          copies for you, but if you like to, I can go -- for  
16          instance, how coupled processes affect the  
17          performance, how mixed salt affected the corrosion,  
18          what kind of chemical speciation at different  
19          temperature in turn effect the corrosion behavior;  
20          heavy metal impurity effect as raised by State of  
21          Nevada, for instance another one is aerosol chemistry.

22          In the presence of drip shield, you can  
23          see in any pure water on the surface of waste package  
24          because there will be no water drip. Then we don't  
25          have to worry about low pressure corrosion as stress

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 corrosion cracking. Nonetheless, if aerosol will be  
2 observed on the pure water and the surface waste  
3 package, we still need to consider the low pressure  
4 corrosion and the stress corrosion cracking in the  
5 presence of the drip shield. And the low pH and  
6 hydrogen peroxide condition. This is very aggressive  
7 condition. People are concerned with it. A low pH  
8 may be obtained from a radiolysis. Hydrogen peroxide  
9 and maybe obtained through radiolysis or from the  
10 structure and material in the drip to may dissolved to  
11 release ferric ions. Under this combined condition,  
12 waste packaging may be subjected to localized  
13 corrosion or lately the State of Nevada presented low  
14 pH conditions from the condensed water, but we need to  
15 discuss a lot about the subsequent offering with the  
16 geological material or [UDTA] or the waste package.

17 Also, the State of Nevada present a  
18 concern about geometric radio integrative result.  
19 Nitrate and sulfate may act as inhibitors. However,  
20 if the salt deposit differentially, in other words, at  
21 some point [UDTA] floride other point [UDTA] nitrate  
22 then at certain point the surface may see a worsening  
23 of the conditions. We need to take a look at that  
24 condition as well.

25 Another area is a comparability of waste

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 package with internal structure, inside waste package.  
2 For instance, nitrate is a benefit for a waste package  
3 performance. It's detrimental to internal structure,  
4 so we need to take a look at that.

5 We have many uncertainties here. Also  
6 from our a PA perspective, how those uncertainties  
7 propagate need to be considered as well.

8 If you have questions, I may go to the  
9 back up slides later.

10 The first failure mode is uniform  
11 corrosion. We have eight CLS7 and four TSPA1  
12 agreements with DOE in this area. I give you [UDTA]  
13 and I leave other topics for future discussion, unless  
14 you have questions, then I can go back to the back up  
15 slide.

16 The data shows the passive layer formed on  
17 the uniform corrosion. Seems to have integrity for a  
18 long period of time, based on current knowledge.  
19 Currently available data suggests that waste package  
20 of life time gradient of 10,000 years.

21 (Slide change.)

22 DR. AHN: Next slide shows this is  
23 fraction of penetration of waste package surface as a  
24 function of time. These data are from Department of  
25 Energy. These group of curves are from the data for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 various conditions. One single higher curve from the  
2 short-term test like six months and one year. DOE is  
3 currently planning to use 5-year data which is lower  
4 than 6 months or 2-year data. As you see for any  
5 case, within 10,000 years, no container failure is  
6 shown here.

7 The inference of analog studies suggests  
8 long-term passivity and consistent with model for  
9 [UDTA]. Lately the center issued very extensive  
10 review in the validation of analog studies. We do not  
11 have eject analogs with respect to materials and  
12 environment. If we could analyze interpret the  
13 observations made in the analogs with respect to  
14 current corrosion theory, then we may predict the  
15 future of material as well, In other words, validate  
16 more than the corrosion theory, is the main purpose of  
17 the study of analogs.

18 They covered not just the nickel [UDTA]  
19 for instance, not just nickel-based analog but other  
20 iron-based, other artifact meteorite, Indian pila or  
21 whatever is necessary to validate the modern corrosion  
22 theory. The theory analyzed [UDTA] as well to see  
23 similar perspective.

24 However, we still need more work. For  
25 instance, MIC, microbial induced-corrosion, DOE's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assessment have two sources, one from expert  
2 elicitation. There will be no MIC in the Yucca  
3 Mountain repository. In LTCTF at 60 degrees C. there  
4 wasn't any significant MIC means. Microbes, as  
5 opposed to alive at 60 degree C, but MIC attack means  
6 there appears to be no significant MIC.

7 Under the list of concerns, nitrate, an  
8 inhibitor may be consumed quickly by microbe in order  
9 to have better rationale, how this affects the  
10 performance. [UDTA] Center [UDTA] shows microbes in  
11 stuff from the Pena Blanca uranium deposit mine  
12 survived a temperature of 100 degrees C. We need to  
13 consider these kind of concerns.

14 Other issues in uniform corrosion included  
15 the effect of aggressive chemistry on the uniform code  
16 and rate, effect of temperature, especially above the  
17 groundwater boiling point. Some of these are already  
18 assessed by DOE, EPRI and the foreign country along  
19 with the Center. We reviewed all those data and  
20 analysis.

21 Also, there is a concern of sulfur  
22 segregation. That means sulphur can accumulate at  
23 interface within corrosion that exists in the passive  
24 filament metal that will lead to falling off of the  
25 passive film. It's a well-observed phenomenon in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 industry. This can be mitigated by proper design, DOE  
2 is conducting right now an accelerated testing.

3 Also, we have a concern about long-term  
4 corrosion potential rise observed in one of the tank  
5 DOE ATCTF. There is trying to interpret that is an  
6 artifact due to the release of ions from the tank  
7 itself. We'd like to see their basis for that.

8 (Slide change.)

9 DR. AHN: Now, next topic subject is  
10 localized corrosion. We have four CLST agreements in  
11 this area. Data based includes first LTCTF did not  
12 see any localized corrosion up to 95 degrees C. Lower  
13 risk significant is considered as Dave mentioned.  
14 This statement is somewhat consistent with NRC TPA  
15 exercises as well as EPRI analysis.

16 Other data available in localized  
17 corrosion is higher temperature effects in aggressive  
18 solution, tests performed by the Center, aggressive  
19 solution of pure sodium chloride at temperature close  
20 to 90 degrees C., Alloy C-22 was the subject of  
21 localized corrosion.

22 Also, if you have improper micro structure  
23 from welding, the material will be subjected to  
24 localized corrosion. Nonetheless, the Center added  
25 up inhibitors such as nitrate and sulphate to pure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sodium chloride and saw the dramatic increase of  
2 resistance to the alloy localized corrosion. There is  
3 some data of German tests. German repository is  
4 deducing, nonetheless, under the radiation conditions,  
5 we think the oxidized environment formed comparable  
6 with our repository.

7 At 100 radical hour, they did not see any  
8 localized corrosion for C-4. C-4 is a slightly less  
9 corrosion resistant to alloy 22. And DOE tested  
10 localized corrosion on heavy metal, low pH, high  
11 temperature conditions and the State of Nevada did  
12 under very aggressive conditions. Also lately, DOE's  
13 waste package panel considered the limited  
14 appropriation of local corrosion [UDTA] due to the  
15 limited supply of the oxidants. There is some evidence  
16 of localized corrosion as well, for instance pitting  
17 observed in ion artifact had a high chloride  
18 concentration which means, demonstrating a validity of  
19 localized modern corrosion theory.

20 Still, we need to learn more about in the  
21 localized corrosion. We suggest to fill in there a  
22 temperature above 100 degrees C in a wide range of  
23 ground water concentration, including the aggressive  
24 solutions.

25 Another area of work did include a simple

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 solution by adding more different species or taking  
2 away different species. Also, we'd like to see a  
3 better basis for DOE's critical potential for  
4 localized corrosion and NRC is taking the conservative  
5 side, but DOE's critical potential really does not  
6 tell a good electrochemical basis and we would like to  
7 see that.

8 (Slide change.)

9 DR. AHN: Next failure mode is stress  
10 corrosion cracking. We have two CLST agreements in  
11 this area. Again the data from DOE, the LTCTF results  
12 showed no SCC even on the double U-bend specimens.  
13 Double U-bend specimens means SCC tendency under  
14 aggressive conditions due to the aggressive solution  
15 including U-bend. You don't see any SCC indications.

16 As they showed here, the risk of curve,  
17 they assumed the SCC appears to be lower risk  
18 significant.

19 Other data available is DOE and GE showed  
20 the SCC under controlled conditions where they applied  
21 the potential with a very high straining. In the  
22 natural environment we may not have such conditions,  
23 however, the chemical fluctuations at some point may  
24 reach such conditions, therefore, we need to see more  
25 extensive data to make sure the repository will never

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reach such conditions.

2 Center did some conservative evaluations  
3 in severe environment and of magnesium chloride in  
4 1110 C and so the SCC. DOE has also a different  
5 approach to mitigate SCC by applying laser peening,  
6 the compressive stress to mitigate the stress  
7 corrosion and cracking.

8 Also, DOE is proposing to design the waste  
9 package to mitigate the rockfall stress in the elastic  
10 regime. This is a difficult task, so we'd like to see  
11 how that task is implemented. DOE also improved the  
12 cracked measurement to sensitivity, less than one  
13 micron so that they can predict the crack behavior for  
14 10,000 year properly.

15 The State of Nevada have heavy metal, low  
16 pH, high temperature condition testing. Some of DOE  
17 analogy produced very well. It's another concern.  
18 But again, those tests were done in a very severe  
19 environment for the purpose of extrapolating to really  
20 positive conditions. And the German tests also are  
21 available. Some of them are used by EPRI PA lately.  
22 I guess tests again is valuable because they did test  
23 up to 200 C.

24 Work needed: we'd like to suggest to fill  
25 in data at temperature above 100 degrees C and a wider

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 range of groundwater concentrations including the  
2 aggressive solutions. Other work needed area includes  
3 heavy metal impurity effect and the fluoride effects,  
4 DOE has a concern about this and pursuing to conduct  
5 tests.

6 (Slide change.)

7 DR. AHN: Next issue is a drip shield  
8 performance. Drip shield performance includes all the  
9 failure mechanisms of waste package itself, but I put  
10 together here. We have four CLST agreements and all  
11 our waste package agreements are relevant here.

12 The risk factor associated with drip  
13 shield includes uniform corrosion, hydride  
14 embrittlement which are not in the waste package  
15 performance; and stress corrosion cracking. Overall,  
16 risk is lower significant as Dave mentioned earlier.  
17 However, drip shield may mitigate the impact of  
18 rockfall.

19 What kind of data do we have? We have low  
20 corrosion uniform corrosion rates from LTCTF. There  
21 was a concern of fluoride-enhanced fast corrosion. In  
22 the DOE's LTCTF, DOE did not see fluoride-enhanced  
23 fast corrosion. Primarily due to the [UDTA] effect,  
24 such as the effect of nitrate and sulfate.

25 There appears to be that the fluoride

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 effects a lower risk, however, the Center did a test  
2 under more controlled system and pure sodium chloride  
3 solution, added a fluoride and added sulfate, nitrate  
4 gradually. They still saw the [UDTA] of uniform  
5 corrosion rate with the fluoride additions. So we  
6 need to clarify better why LTCTF did not see the  
7 fluoride effect, if fluoride uniform corrosion rate is  
8 increased a couple order of magnitude, the drip shield  
9 life will be reduced a couple of order of magnitude as  
10 well, like 100,000 years. So it's important to  
11 clarify that.

12 No drip shield localized corrosion was  
13 observed in LTCTF, also in German repository up to 200  
14 degrees C, under radiation condition. Although lately  
15 DOE saw stress corrosion cracking under the slowest  
16 hydrogen condition at 110 degrees C in [UDTA]  
17 solution, DOE raised a panel caution about this  
18 observation, probably we would like to see how this  
19 observation affected the overall risk of association  
20 [UDTA] of failure as well as waste package failure.

21 (Slide change.)

22 DR. AHN: Work needed -- we would like to  
23 suggest to confirm the lower risk significant with  
24 respect to hydride embrittlement. Hydride  
25 embrittlement is unique failure phenomenon in titanium

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 compared with C-22 because the hydrogen entry from the  
2 corrosion will not be fast. Also, the amount of  
3 hydrogen to form the hydrogen is a very large amount,  
4 the risk is considered to be of low significance.  
5 However, as I discussed, if fluoride accelerated the  
6 corrosion rate, then a hydrogen uptake will increase,  
7 so this is related concern. We need to see better  
8 rationale for that, including the height.

9 Also, critical hydrogen concentration to  
10 initiate the embrittlement is under debate by now. We  
11 have all literature from DOE and EPRI to establish our  
12 basis right now. Currently, this is an agreement with  
13 Department of Energy.

14 Again, it is difficult to obtain the  
15 rockfall stress in the elastic regime, so we'd like to  
16 see how DOE implements the proper design to avoid the  
17 larger stress applied.

18 (Slide change.)

19 DR. AHN: This is DOE's risk assessment  
20 drip shield, associated with drip shield performance.  
21 Here, the dose rate of millirem per year, this is  
22 time. As you see here for base case, degraded drip  
23 shield, enhanced drip shield. All cases show the dose  
24 rate is very low after 10,000 years.

25 (Slide change.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. AHN: Our next topic is thermal aging.  
2 We have six CLST agreements. We consider thermally  
3 driven long range ordering and the precipitations are  
4 unlikely under the repository conditions. This type  
5 of solid state base transformation may lead to  
6 localized corrosion and stress corrosion cracking. We  
7 do not think this is a likely phenomenon under  
8 repository condition, mainly due to a low temperature.

9 DOE is trying to collect some analog  
10 observation of the stability of basis from [UDTA].  
11 Again, we have specific agreements with DOE suggesting  
12 the measurement of factor to time for transformation  
13 at high temperature around 800 to 900 degrees C. They  
14 measured the transformation temperature under  
15 accelerated conditions, like at 800, 900 degrees C,  
16 extrapolated. If the measurement here are not  
17 accurate, the extrapolation consequently would not be  
18 accurate, so we'd like to see more accurate  
19 measurement here.

20 Other work needed include better initial  
21 sample characterizations. Again, they had to factor  
22 extrapolation of the aging in a long-term period and  
23 cooling rate effect. DOE is conducting right now the  
24 mark up testing to see this type of phenomena.

25 (Slide change.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. AHN: Mechanical failure included many  
2 more [UDTA]. We have 7 CLST agreements and 5 RDTME  
3 agreements and 2 TSPAII agreements. It is of concern  
4 right now as Dave mentioned. A current notion based  
5 on current understanding is low risk significant  
6 mainly due to the probability to occur. Even without  
7 waste package you expect a low dose. Then if you  
8 multiply the probability, you could expect a lower--.  
9 There is a sequence of events associated with drip  
10 collapse like drip collapse probability, rockfall  
11 probability, rock size distribution and so forth.  
12 It's all probabilistic. Nonetheless, we would like to  
13 suggest to evaluate drift degradation better, make  
14 sure there will not be high risk phenomena there.  
15 Other areas we would like to see better rationales:  
16 impact of loading from discrete rock blocks, static  
17 loads from rockfall, inducing the crib of a waste  
18 package of drip shield. Seismic ground motion.  
19 Again, it is probabilistic, but DOE needs to  
20 incorporate that. The corrosion process, as time goes  
21 on, the thickness of container and drip shield will be  
22 reduced, therefore, stress will be reduced as well.

23 Another area is whether the drip  
24 degradation at some point at the property of water  
25 seepage and temperature will change and temperature

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 may rise. Something like emplacement of backfill with  
2 the rocks. For instance, this is earlier DOE's  
3 analysis of backfill. We then without backfill mainly  
4 temperature will rise. The windows did not change  
5 much. We like to have a better assessment associated  
6 with drip degradation. This kind of curve will be  
7 valuable interpretation of the risk associated drip  
8 degradation.

9 (Slide change.)

10 DR. AHN: Next topic is juvenile failure.  
11 Again, we do not have any agreement with DOE on  
12 juvenile failure per se, however, we have agreement in  
13 the criticality with DOE which deals with juvenile  
14 failure.

15 What is the source of the juvenile  
16 failure? Those include detection limit of flaw size,  
17 initial flaw size; human error, stress corrosion  
18 cracking. Here, [UDTA] means only a period like 10  
19 years, 15 years, {UDTA} subsequently. Improper  
20 materials in welds, especially filler material;  
21 improper heat treatment; surface contamination;  
22 thermal output outside the expected range during the  
23 welding. All those will lead to juvenile failure.  
24 Right now DOE considered less than one waste package  
25 failure, but we are considering more than that, about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 30 waste packages initially.

2 Work needed in this area is detection  
3 limits. Current technology such as ultrasonics or  
4 x-ray has a certain limit of detecting the flaw size.  
5 We have better bases for that.

6 Also, all data bases used were from  
7 performance of steels, not specified in C-22. We have  
8 better rationale why those data are C-22 or titanium  
9 drip shield.

10 Last one is -- this is closed welding with  
11 remote control. All commercial data base are not from  
12 remote control, so they need to consider how this  
13 remote control or automatic control affect the  
14 juvenile failure rate. Otherwise, the control may  
15 reduce the juvenile failure rate or remote control may  
16 increase the juvenile failure rate. We'd like to see  
17 the [UDTA] for that. On a conservative basis, the  
18 NRC's component reevaluation uses about [UDTA] higher  
19 juvenile failure rate right now.

20 (Slide change.)

21 DR. AHN: Last one is criticality. We  
22 have seven CLST agreements. Criticality may be  
23 discussed separately in another meeting. The reason  
24 I have brought this one here is that criticality is  
25 planned to be screened out based on the long-term

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 waste package lifetime.

2 Screening, based on low waste package of  
3 probability is the key to the current criticality  
4 assessment.

5 Preliminary NRC's confirmative consequence  
6 assessment showed similar lower risk with steady-state  
7 and transient criticality.

8 We'd like to see though a better based for  
9 probability screening. They have already changed the  
10 position a few times. So in the beginning its entire  
11 waste package, 100 percent waste package integrity.  
12 Later on they change the probability of water infusion  
13 into failure container is a loss, assuming waste  
14 package failures. So we've like to see a good  
15 justification for all those scenarios.

16 (Slide change.)

17 DR. AHN: In conclusion, DOE assessed the  
18 environmental conditions of waste package and drip  
19 shield extensively at temperature below the  
20 groundwater boiling point. It is suggested that DOE  
21 fill in data at temperatures above the groundwater  
22 boiling point. Especially, aggressive chemical  
23 conditions need to be better characterized.

24 The uniform corrosion rates of waste  
25 package are extremely low. Analog evidence and models

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 provide an insight of long-term passivity. Again, it  
2 is suggested that DOE fill in data at higher  
3 temperatures and under aggressive chemicals condition.  
4 For example, uniform corrosion rate under crevice  
5 environments, these are to be characterized. We have  
6 one agreement with DOE in this area.

7 No localized corrosion and SCC were  
8 observed in DOE's LTCTF at temperatures below the  
9 groundwater boiling point. It is suggested DOE fill  
10 in data at higher temperatures and under aggressive  
11 chemical conditions. The assumed localized corrosion  
12 appears to be a lower risk significant. Actually, in  
13 my back up slide, we did a risk assessment using NRC's  
14 code assuming a stress corrosion cracking, assuming a  
15 localized corrosion and so forth. We did not see a  
16 significant effect there.

17 (Slide change.)

18 DR. AHN: The risk associated with drip  
19 shield failure is lower significant. It is suggested  
20 that DOE provide again proper design to mitigate  
21 inelastic rockfall effects which may cause the drip  
22 shield failure.

23 The current assessment of rockfall effects  
24 is suggested to include drift degradation, creep,  
25 impact, and corrosion processes. As Dave mentioned

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 earlier, this is an area we need to clarify for them.

2 Although the juvenile failure may be lower  
3 risk significant, better data bases are suggested for  
4 a detection limit of flaw size, remote control and  
5 materials specific performance.

6 The last one is the criticality, is lower  
7 risk significant. Nonetheless, it is suggested that  
8 DOE obtain a better basis for the probability  
9 screening.

10 Thank you.

11 VICE CHAIRMAN WYMER: Thank you very much.  
12 I had a couple of questions.

13 DR. AHN: Yes.

14 VICE CHAIRMAN WYMER: There's a lot of  
15 additional work in this area, ranges somewhere between  
16 very large and huge and I wondered what sort of  
17 screening criteria are you planning to use or would  
18 you suggest with respect to the -- which are more --  
19 which of these things are more important to carry out  
20 and on what time schedule based on a risk-informed way  
21 of evaluating?

22 DR. AHN: Yes. I didn't catch your  
23 question quite clearly.

24 VICE CHAIRMAN WYMER: There's a lot to do.  
25 How do you decide what to do first?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. AHN: They started with researching  
2 well water. Then later on pore water was introduced.  
3 However, because of the high temperature at the  
4 repository, they tested the chemical chemistry of the  
5 evaporated solutions which was shown in the beginning.  
6 And in the meantime, they simulated evaporated  
7 solution for corrosion testings in all the time to use  
8 in LTCTF. There is some consistency there with  
9 [UDTA]. Nonetheless, there are variations. Again,  
10 those -- with those solutions you do not see localized  
11 corrosion in SCC and SCTF up to 90 degrees C. And in  
12 terms of risk, there is no localized corrosion there  
13 and no cracks formed there, so risk was assessed based  
14 on uniform corrosion rate with those solutions.

15 For instance, in the Center's assessment  
16 was based on pure sodium chloride solution to raise  
17 the issues concerned on the aggressive conditions. So  
18 we did some risk assessment varying the chloride  
19 concentration from the J-13 to LTCTF concentration up  
20 to the [UDTA] limit. We saw some localized corrosion  
21 within 10,000 years, but still risk was very low. So  
22 in addition, DOE is doing testings in a combination of  
23 various chemical species. I don't think anybody can  
24 do a long-term testing for all permutations, but based  
25 on current corrosion theory, they selected LTCTF

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 chemistry as well as combination of key component in  
2 short-term testings.

3 VICE CHAIRMAN WYMER: I probably haven't  
4 phrased my question clearly enough. There's a lot yet  
5 to be done. DOE will come in with a license  
6 application and some of these questions you'll want  
7 the answers to in order to evaluate their license  
8 application. Some of the questions can wait while the  
9 licensing process is underway.

10 How will you decide what information DOE  
11 has to have at the time of their license application  
12 and how will you decide what is, which of -- and part  
13 of that, how are you to say which of these is most  
14 important and therefore should be done before the  
15 license application?

16 DR. AHN: I don't think I can answer your  
17 question on the basis of quantity, but I presented to  
18 you DOE has evidence of no stress corrosion cracking  
19 or localized corrosion from ATCTF. I have brought  
20 high temperature test results from Germany or Center,  
21 so what I would like to present today, the current  
22 status, what we know to close the old agreement by LA.  
23 The final decision will be made by Licensing Board  
24 whether there is sufficient information to the safety  
25 case.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 All we needed to do is bring about all the  
2 DOE's evidence, international committee evidence,  
3 Center's evaluation to the Licensing Board.

4 VICE CHAIRMAN WYMER: Okay, another  
5 question. I'm sure you remember a while back the  
6 consultants from Nevada made a big to do about the  
7 effects of mercury and lead.

8 DR. AHN: Yes, I addressed that.

9 VICE CHAIRMAN WYMER: And corrosions.

10 DR. AHN: Yes, high heavy metal impurity  
11 factor.

12 VICE CHAIRMAN WYMER: Where does that  
13 stand right now?

14 DR. AHN: Right now, Ron is here. As I  
15 understand correctly for localized corrosion, the  
16 heavy impurity effect was observed under very severe  
17 condition. The aim of the testing of the State of  
18 Nevada was to accelerate that.

19 However, in the stress corrosion cracking,  
20 as I understand correctly, the State of Nevada [UDTA]  
21 produced the early observation.

22 VICE CHAIRMAN WYMER: I see. One final  
23 question before I turn the rest of the Committee loose  
24 on you. With respect to criticality, that probably is  
25 a nonstarter for commercial fuel in a repository.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. AHN: Yes.

2 VICE CHAIRMAN WYMER: But there will be  
3 DOE spent fuel in there, some of which is very high  
4 enrichment stuff. Have you analyzed that?

5 DR. AHN: Yes. Right now they are focused  
6 -- Meraj is here, focusing on the -- moderator that  
7 water cannot get in, but you're right, actually,  
8 there's a concern about graphite, degrees of [UDTA]  
9 variant DOE fuel. Meraj will make a comment on that  
10 further.

11 MR. RAHIMI: Meraj Rahimi, NRC staff. I  
12 guess to answer -- provide a short answer. I mean DOE  
13 has submitted to us a topical report which outlines an  
14 entire methodology for analyzing looking at the  
15 potential for criticality. And your question about  
16 high enriched DOE-owned SNF, that's also the  
17 methodology applies to that waste form. Basically,  
18 DOE's approach is that probability of water getting  
19 into the waste package is low, so you need the water  
20 to get into the waste package, corrode the internal  
21 component that could [UDTA] controlled system for it  
22 to go -- to have the potential for criticality. So  
23 right now, DOE's approach is approaching from the  
24 probability point of view.

25 VICE CHAIRMAN WYMER: That's considered to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be a low probability by DOE also.

2 MR. RAHIMI: That's right. At this point,  
3 they said because of the long waste package life, the  
4 probability and of course, we are, the staff, is doing  
5 independent analysis. We're approaching from the  
6 consequence side of it.

7 VICE CHAIRMAN WYMER: Thank you.

8 MEMBER LEVENSON: But doesn't DOE also  
9 intend for all of the research reactor fuel which was  
10 highly enriched to dilute it before burying it, before  
11 sending it to the repository?

12 I think there's a program at Savannah  
13 River to dilute that so that the highly enriched  
14 research reactor fuel does not go into the repository  
15 as such.

16 VICE CHAIRMAN WYMER: Well, I was in a  
17 little study group a while back that looked  
18 specifically at this issue and they dilute some of it,  
19 that's true, but there are some very high enriched  
20 stuff that they're just going to package up and stick  
21 in there.

22 John?

23 MEMBER GARRICK: How much influence on  
24 what you do is the peer-review work that's been going  
25 on with respect to especially the waste package

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issues?

2 DR. AHN: I don't know what you mean  
3 "influence".

4 MEMBER GARRICK: Well, the peer-review  
5 study, for example, has suggested that certain  
6 materials not be used in the drip shield.

7 DR. AHN: Yes, I mentioned that.

8 MEMBER GARRICK: Yes. And I'm just  
9 curious, how much of what they have found correlates  
10 with the work that you're doing?

11 DR. AHN: Actually, I tried to put  
12 together not just DOE's Centers including peer-  
13 reviews' comments and NWTRB comment, TSPA  
14 International Review Committees. I put together all  
15 and one example is stress corrosion cracking of drip  
16 shield.

17 MEMBER GARRICK: Right.

18 DR. AHN: Which was raised by peer review  
19 group.

20 MEMBER GARRICK: Right.

21 DR. AHN: I mentioned that. I don't think  
22 anything new arrived there. I copied lots of those  
23 comments.

24 MEMBER GARRICK: Given the views of the  
25 peer- review group and this information about the drip

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shield, I would -- are questions beginning to be  
2 raised about the basic design and the basic need of  
3 the drip shield? In other words, do we need to spend  
4 that billion dollars?

5 DR. AHN: Well, again, our mission is not  
6 the cost analysis.

7 MEMBER GARRICK: I know it isn't, but it  
8 is performance. Your mission is to deal with the  
9 issue of performance and our interest is in the  
10 effectiveness of these various barriers with respect  
11 to safety and based on some of the material that you  
12 presented today and some of the material that's in the  
13 peer-review report, there's serious questions about  
14 the effectiveness of the drip shield.

15 DR. AHN: Yes, I agree.

16 MEMBER GARRICK: When do we get to a point  
17 that there's serious consideration of an alternative?

18 DR. AHN: Yes.

19 MEMBER GARRICK: Or different type of  
20 design or even an abandonment of the drip shield?

21 DR. AHN: Right, there are a couple of  
22 functions of drip shield that we are considering right  
23 now. It's a rock shield, one component.

24 MEMBER GARRICK: Yes.

25 DR. AHN: The other one is water drip --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER GARRICK: Water.

2 DR. AHN: If the aerosols are really  
3 benign, then the drip shields will play a very  
4 important role because it prevents the water drip not  
5 deposit in the salt and waste package, but if aerosol  
6 does, drip shield may be do anything. Again, there is  
7 a role of rock shielding there.

8 MS. BLOOMER: Hi. Can I take a stab at  
9 this? This is Tammy Bloomer. I'm the CLST Team Lead  
10 currently.

11 MEMBER GARRICK: Yes.

12 MS. BLOOMER: While DOE currently has the  
13 drip shield as part of what they're putting forward to  
14 us, they have indicated that they are not sure whether  
15 the drip shield will be there. We will continue to  
16 evaluate it while they have it there, so that we're up  
17 on top of it. They may propose another material which  
18 at that point we would take a look at, but -- or they  
19 may remove it all together and then we will have them  
20 reevaluate what that effect has on they've determined  
21 how the waste package reacts.

22 We are under the understanding that they  
23 may pull it out. If they do, that's what we're going  
24 to ask them to do and we have, as well, evaluated what  
25 the waste package may and may not do without the drip

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 shield based on the projected length of the drip  
2 shield as we have it now.

3 DR. AHN: There was also in the very  
4 beginning another motivation for putting titanium  
5 there.

6 MEMBER GARRICK: Yes.

7 DR. AHN: They chose entirely two  
8 different materials, C-22 and titanium in case liquid-  
9 based alloy [UDTA] work, then titanium will prevent  
10 the water intrusion. That's the original intent as  
11 well.

12 MEMBER GARRICK: Right, right.

13 VICE CHAIRMAN WYMER: George?

14 CHAIRMAN HORNBERGER: Yes. John asked my  
15 questions, but just as one quick follow-up, to phrase  
16 it a different way, if the drip shield were to go  
17 away, are you comfortable with the agreements that you  
18 have in place now to provide enough information on  
19 effects, potential effects of rockfall and things like  
20 that?

21 DR. AHN: Most of them, most of them, yes.

22 MEMBER GARRICK: Milt?

23 MEMBER LEVENSON: Yes. I have a rather  
24 basic question and that is in almost all cases, you've  
25 identified additional necessary information. How much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of those additional necessary information arise from  
2 a risk perspective as opposed to just filling out the  
3 scientific information because, for instance, Slides  
4 19 and 22 show that the performance is the same  
5 whether you have a base case, an enhanced drip shield  
6 or a degraded drip shield. If that's really the case,  
7 why do we need to collect more data of the drip  
8 shield? How much of this is scientific interest as  
9 opposed to risk --

10 DR. AHN: Right. In the very beginning --  
11 second slide.

12 Here I mentioned the objectives, the  
13 status of safety demonstration, status of technical  
14 basis. Safety demonstration was obtained based on the  
15 best models with the current understanding of science.  
16 That does not mean we do not have uncertainties.  
17 Therefore, we need to discuss basis. I don't think --  
18 you see, safety demonstration shows those figures.  
19 Still, we have good technical basis for that because  
20 those demonstrations were made on the best judgment  
21 with the current knowledge.

22 How much basis do we need? I don't now.  
23 Tim McCartin may address that issue. We have  
24 discussed that among ourselves several times.

25 DR. ESH: Well, this is Dave Esh. I have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a perspective on that. It's a good comment. I mean  
2 your curves are showing that if you degree or enhance  
3 that barrier it doesn't influence the system behavior  
4 that much, but you have to be careful because that's  
5 purely using the model that you developed and most of  
6 these uncertainties that they're talking about, you'd  
7 first have to evaluate whether that degradation or  
8 enhancement captured those uncertainties that Tae has  
9 talked about would be the first thing and I would say  
10 for the most part it probably didn't because if -- I  
11 don't know if this is true or not, but if the drip  
12 shield is preventing significant rockfall or drip  
13 collapse damage to the packages, that sequence of  
14 events isn't built into the model. So if you take out  
15 the drip shield completely, and you never change your  
16 rockfall model, you're not going to see an effect from  
17 that process.

18 The same thing would apply say if the drip  
19 shield was preventing aggressive chemical conditions  
20 that would result in localized corrosion of stress  
21 corrosion cracking much greater than considered now at  
22 early times. If those things aren't built into your  
23 model so that when you take out that barrier or  
24 degrade it, you're not going to see the effect in your  
25 model.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So your comment is a good one. I think to  
2 fully answer it, they would need to do some more work,  
3 not necessarily experimental work related to the drip  
4 shield, but more analysis, PA type work to be  
5 competent.

6           MEMBER LEVENSON: If I can summarize your  
7 answer, it's that you're not using risk insights to  
8 decide what additional information to get?

9           DR. ESH: Well, I think we do, but you  
10 have to be cautious. Yes, but that's an example of  
11 where you have to be cautious.

12           CHAIRMAN HORNBERGER: But I think you  
13 answered a different question. I think what -- Milt's  
14 question is why acquire more information on the drip  
15 shield itself, not on the waste package, not on an  
16 analysis of what happens if you take the drip shield  
17 out, but why require more information on corrosion of  
18 the drip shield if, in fact, it doesn't matter?

19           DR. ESH: But I think that question of  
20 whether it matters or not is influenced by the other  
21 things that you've put in the model. So those three  
22 curves that are close to each other, the degraded,  
23 enhanced and the base case, they may be much  
24 different, they may have a bigger spread between them,  
25 if you've added other things into the model that that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 barrier is influencing.

2 DR. AHN: Before Tim comments, let me add  
3 one more thing. In this safety there was [UDTA]. We  
4 incorporated uncertainties here quantitatively, if we  
5 know where; for instance, distribution of uniform  
6 corrosion rate, distribution of critical potential.  
7 We factored uncertainties here. What technical basis  
8 means supporting those observations, how much. He may  
9 address that issue.

10 MR. McCARTIN: Tim McCartin, NRC staff.  
11 I think Dave's correct in what he's saying. We have  
12 a very complex code and sometimes you do the  
13 calculations and you see something that lines up and  
14 gee, there's no effect here and the initial reaction  
15 is you don't need to do anything more. We are  
16 constantly looking at the risk impact of these things  
17 and making sure the code results are truly depicting  
18 a good representation of risk. That's one part of it.

19 The other part of it though and this gets  
20 to NRC's review of what DOE is doing and the rule  
21 looks at the capabilities of barriers and if the  
22 Department is coming and they have a drip shield that  
23 provides a capability for let's say no water will get  
24 on the waste package for say 5,000 years, that's a  
25 significant capability. We'll look at the -- what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they've claimed and whether there's sufficient  
2 information to support that claim. Because  
3 ultimately, we have to decide whether what they're  
4 saying is supported. Now whether that's risk  
5 significant or not, it may have a limited effect on  
6 dose with a waste package that lasts a very long time.  
7 But I would argue from a multiple barrier standpoint,  
8 if the drip shield can keep water off the waste  
9 package for 5,000 years, that's a capability and if  
10 they're going to take credit for that, it needs to be  
11 supported. So yes, we try to be as risk informed as  
12 we can. There are certain things that if you look  
13 strictly at dose and that's important, strictly at  
14 dose, may not be as risk-informed, but I think you do  
15 need to look at what is the capability of each of the  
16 barriers and in that sense the drip shield does  
17 provide something that does need to be supported.

18 MEMBER GARRICK: But the capability should  
19 be looked at in the context of the dose to the  
20 critical group. That should be the starting point --

21 MR. McCARTIN: Yes and no because I think  
22 the dose calculation can be very misleading sometimes  
23 in that regard and I would just point to that there  
24 have been claims that it's not a geologic repository.  
25 It's completely engineered and I think there are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 aspects that dose calculation, it's very easy to jump  
2 to the dose number. Sometimes it isn't necessarily as  
3 informative as other things and I'll point to there  
4 are certain nuclides that never get out. You never  
5 see a dose value from those nuclides.

6 One might argue, well, there's no risk  
7 contribution. Well, if you look at it, well, gee, the  
8 geology is causing delays later than a million years,  
9 potentially. And it's hard to get to that and I guess  
10 Dr. Garrick, you might say well, that is part of the  
11 risk and somehow you need to pull that out and I would  
12 agree, but it gets very difficult if you just look at  
13 the dose and I think the multiple barrier requirement  
14 is --

15 CHAIRMAN HORNBERGER: But again, not to --  
16 to go your example, the example you just used, Tim,  
17 given this calculation that you describe of  
18 retardation of nuclides that never appear for a  
19 million years, would you turn around and still ask the  
20 Department of Energy to provide more information on  
21 the performance of zeolites or the saturated zone  
22 because we just want to make sure that that barrier  
23 really is contributing in the way you think. It's a  
24 way of asking for more information, not evaluating the  
25 barrier.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. McCARTIN: Well, correct. But the  
2 question would be is if the Department has say  
3 retardation factors for americium and plutonium --

4 CHAIRMAN HORNBERGER: They're not the  
5 ones.

6 MR. McCARTIN: They would need to be  
7 supported, but so I think we would ask for the support  
8 for what they're claiming.

9 CHAIRMAN HORNBERGER: But your example was  
10 for radionuclides that never appear.

11 MR. McCARTIN: Right, well, those were --

12 CHAIRMAN HORNBERGER: Would you ask for  
13 more information on those?

14 MR. McCARTIN: We wouldn't ask for more.  
15 We would ask for the information to support what  
16 they're claiming.

17 The other problem with the dose thing, the  
18 drip shield is a prime example. If it keeps water off  
19 the waste package and if that was the only thing, if  
20 it's redundant with the waste package, one might argue  
21 it has no risk contribution and when you do the dose  
22 calculation, it's very difficult to show that. That's  
23 the part, at least I like in the rule that you have to  
24 talk to the capability of each of the barriers. And  
25 somehow that capability should be point to some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 ability to potentially affect risk.

2 MEMBER GARRICK: Yes, but again, what  
3 we've tried to stress is that the capability of the  
4 barriers is not in an abstract concept. It's the  
5 capability with respect to something.

6 MR. McCARTIN: Yes.

7 MEMBER GARRICK: We need to keep that in  
8 focus.

9 MEMBER LEVENSON: Let me expand, Tim, a  
10 little bit maybe my question because I understand what  
11 you're saying and generically I agree, but if I look  
12 at this and every single thing in here has a long list  
13 of more additional information, it seems to me the  
14 second question to ask is how many of those items of  
15 information are important to assess that particular  
16 issue? Is that really necessary to assess the  
17 corrosion or is it just to fill out the scientific  
18 background? An awful lot of information here that  
19 doesn't exist on anything else we do routinely. This  
20 is a pretty complete package. It's a shopping list.

21 MR. McCARTIN: Well, we certainly would  
22 like to think that all the agreements are tied to  
23 something that has a contribution to performance. And  
24 something that's necessary.

25 Having said that, there's no question that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this is a continual process of reevaluating whether  
2 some of the information is still necessary and it does  
3 evolve, but certainly when these things were  
4 requested, there was a sense that they had an effect.  
5 Could we be wrong in some areas? Absolutely. And  
6 that's --

7 MEMBER LEVENSON: Well, you have many,  
8 many more risk insights, both from your own work and  
9 DOE work and I think the question of when you're  
10 talking about Ray poses a question, there's no way all  
11 of this information is going to be accumulated.

12 And so to set priorities, I don't know how  
13 you do it other than risk insights, not necessarily  
14 just the computer TPA or TSPA, but other risk  
15 insights. It seems to me you have to introduce risk  
16 insights into this.

17 DR. AHN: Yes. Let me add one thing. Tim  
18 mentioned multiple barrier requirement and in case of  
19 other concern we may consider those lists.

20 As I mentioned to you, the safety  
21 demonstration is based on the current observation. I  
22 stressed for each subject what evidence we had to  
23 demonstrate the case, but there are more technical  
24 bases, how much do we need should be determined by the  
25 Licensing Board during the licensing period.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           What we are trying to do is to put  
2 together all those bases, evidences to support the  
3 current safety demonstrations.

4           VICE CHAIRMAN WYMER: Andy, what would you  
5 like to ask?

6           MR. CAMPBELL: So is it the opinion of the  
7 staff that all the information requested for and all  
8 the agreements is necessary prior to licensing or is  
9 there an attempt to reevaluate the information  
10 requests in some of the agreements in light of your  
11 risk analyses?

12          DR. AHN: We do. We interact with DOE  
13 more like weekly to pursue the closure of the oral  
14 agreement, going into detailed aspect of oral  
15 agreement. We are seeking a way to close all  
16 agreements by considering what are important factors  
17 of risk analysis.

18          MR. LESLIE: This is Brett Leslie from the  
19 NRC staff and I would kind of like to address two  
20 things that were actually in Andy's question. It's  
21 two-fold, which is performance confirmation or you  
22 know, is there information in the agreements that we  
23 expect to come after an initial license application?

24                   This is going to be a point of discussion  
25 at the upcoming technical exchange for the Fiscal Year

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 2003 agreements. I think we've gone through a thought  
2 exercise inside NRC and at the Center, looking at the  
3 their agreements and saying yes, look at the scope of  
4 what these things are saying, long term testing. Do  
5 we expect them to turn off the switches and shut down  
6 their experiments at the time of license application?  
7 That wasn't our intent. But regardless of what is  
8 requested in those agreements, there must be  
9 sufficient information at the time of initial license  
10 application on the particular area to make a decision.

11 So I think all the information we've  
12 requested, we believe is needed prior to license  
13 application in the agreements. Maybe not all the  
14 information because we anticipate performance  
15 confirmation testing.

16 The second one was really -- is the staff  
17 using risk information to tell DOE what they don't  
18 need to do? Okay. That's -- we -- management, NRC  
19 management is constantly telling DOE to use risk  
20 information, to make a case and say yes, we don't need  
21 to supply this information. We've been waiting for  
22 quite some time for the first analysis from DOE with  
23 that approach. We're ready to talk about it, but DOE  
24 has to come up and say here's the information or  
25 here's the reason why we don't need to do it. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not our purview to say well, just trust us and you  
2 don't need to do it. So part of that using the risk  
3 information and part of using, doing the risk insights  
4 analysis and doing some of these off-line calculations  
5 is so that when DOE comes in and say okay, for this  
6 agreement here's some additional sensitivity or  
7 calculations for why this information isn't really  
8 needed. We're in the position to say okay, yes, or  
9 no, have you considered this uncertainty when you've  
10 done your sensitivity analysis.

11 VICE CHAIRMAN WYMER: Thank you. That  
12 gets at my question very squarely.

13 MEMBER LEVENSON: But Brett, I have a  
14 little problem with that because generally the things  
15 that are in the agreements are because NRC asked for  
16 it and DOE submitted and agreed to submit it, to  
17 provide it. Now if the person who asked for it by  
18 subsequent risk insights and analysis decides it  
19 really wasn't required in the first place, I think you  
20 have an obligation to go back and say we really  
21 shouldn't have asked for that.

22 MS. BLOOMER: In fact, we have done that  
23 on occasion. We take a look at -- as Tae mentioned,  
24 we take a look at all of the agreements and we discuss  
25 them with DOE at regular intervals in the CLST team.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We have come to conclusions about some agreements that  
2 we feel are no longer necessary and therefore, we said  
3 this is now under a status of closed. And we've gone  
4 ahead and closed agreements, based on the fact that  
5 either DOE has provided us information or said that  
6 you know, this information probably isn't needed and  
7 we've agreed because we've done more testing that said  
8 you know, this information isn't needed.

9 If you look at the fluorine that people  
10 are talking about and how all of a sudden that that's  
11 an issue with the drip shield, if nobody asked about  
12 that question to begin with, everybody would assume  
13 the drip shield was going to last for the amount of  
14 time that DOE said it was going to last and that would  
15 have been the end of it.

16 We want technical basis to justify what  
17 they say. These issues that we've put in front of  
18 them have all been risk significant in the fact that  
19 we asked them the questions and we didn't just ask  
20 irrelevant questions. We've done testing. We've read  
21 about testing. We've found results that indicate this  
22 may not be the whole truth. Give us some background  
23 to help us see the whole truth and from that, these  
24 agreements have fallen out. When we find some other  
25 data that says we don't need that agreement any more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or we don't need all that data for that agreement any  
2 more, we discuss with DOE and we come to some  
3 understanding and we have done that as recently as  
4 today.

5 VICE CHAIRMAN WYMER: Thank you. That's  
6 very clear.

7 Are there other questions or comments?  
8 Mike?

9 MR. LEE: Yes, hi. I just want to take  
10 exception with a statement you made regarding the  
11 Licensing Board and none of us here, I think, can  
12 certainly speak to what the Licensing Board may or may  
13 not do, but in the first instance, DOE is obliged to  
14 demonstrate compliance with NRC's regulations and in  
15 doing so provide sufficient technical basis for that  
16 demonstration.

17 The staff and any potential licensing  
18 review would use its own independent judgment and  
19 render an appraisal or assessment as to whether or not  
20 there's sufficient information there, given  
21 uncertainties and state of knowledge to judge whether  
22 or not the regulations have been complied with.

23 The Licensing Board will take all of that  
24 information and then render its own independent  
25 decision, but I don't think they're going to be the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 arbiter as to whether or not DOE needs to provide more  
2 information or that there are technical cases --

3 DR. AHN: No, I didn't mean that. It's  
4 just where there's insufficient information.

5 MR. LEE: The first line of defense in all  
6 of this is the staff and they'll prepare a safety  
7 evaluation report which will evaluate DOE's compliance  
8 demonstrations and that, in turn will be use --

9 DR. AHN: Yes. Before that time, as Terry  
10 mentioned, we are going with DOE weekly to close most  
11 agreements.

12 MR. LEE: I understand that.

13 VICE CHAIRMAN WYMER: Are there other  
14 questions or comments?

15 MR. LEE: You might ask San Antonio.

16 VICE CHAIRMAN WYMER: Might ask what?

17 MR. LEE: San Antonio.

18 VICE CHAIRMAN WYMER: Hello, San Antonio,  
19 do you have any questions or comments?

20 UNIDENTIFIED SPEAKER: No, we don't have  
21 any questions.

22 VICE CHAIRMAN WYMER: Okay, thank you. I  
23 know you have prepared an excellent and very detailed  
24 comprehensive set of back up slides.

25 DR. AHN: Thank you very much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 (Laughter.)

2 VICE CHAIRMAN WYMER: Which I'd like to  
3 have a set of, if I may. If there's no more questions  
4 or comments, thank you for a very stimulating  
5 discussion.

6 CHAIRMAN HORNBERGER: Okay, so we are  
7 scheduled to have lunch from 1 to 2. We can  
8 definitely have it early.

9 Are there things that we need to discuss  
10 before we break for lunch? Or that you want to  
11 discuss.

12 I think we will not need the recorder  
13 after we close for lunch, we won't need the recorder  
14 any more.

15 Any follow-up discussion you want to have  
16 on what we just heard?

17 VICE CHAIRMAN WYMER: I don't think so.  
18 I think we do have to talk about writing a letter on  
19 this issue of waste package performance, but that's  
20 another, sort of another time.

21 CHAIRMAN HORNBERGER: Okay. Okay, nothing  
22 -- anything else that we need to discuss? Okay, we're  
23 going to break until 2 o'clock. Adjourned.

24 (Whereupon, at 12:25 p.m., the meeting was  
25 concluded.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

**CERTIFICATE**


This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: Advisory Committee on  
Nuclear Waste  
(135<sup>th</sup> Meeting)

Docket Number: N/A

Location: Rockville, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



---

Rebecca Davis  
Official Reporter  
Neal R. Gross & Co., Inc.