

RAS 4583

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Private Fuel Storage, LLC

Docket Number: 72-22-ISFSI; ASLBP No. 97-732-02-ISFSI

Location: Rockville, Maryland

Date: Friday, June 21, 2002

OFFICE OF THE SECRETARY
RULEMAKINGS AND
ADJUDICATIONS STAFF

2002 JUN 25 AM 10: 27

DOCKETED
USNRC

Work Order No.: NRC-428

Pages 11929-12036

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

Template = SECY-032

SECY-02

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

In the Matter of:)	
PRIVATE FUEL STORAGE, LLC,)	
(Independent Spent Fuel)	Docket No. 72-22
Storage Installation))	ASLBP No.
)	97-732-02-ISFSI
)	

ASLBP Hearing Room
 Third Floor
 Two White Flint North Building
 11545 Rockville Pike
 Rockville, Maryland

June 21, 2002

The above-entitled matter came on for hearing,
 pursuant to notice, at 8:00 a.m. before:

MICHAEL C. FARRAR, CHAIRMAN
 Administrative Judge
 U. S. Nuclear Regulatory Commission

DR. JERRY R. KLINE
 Administrative Judge
 U. S. Nuclear Regulatory Commission

DR. PETER S. LAM
 Administrative Judge
 U. S. Nuclear Regulatory Commission

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
 1323 RHODE ISLAND AVE., N.W.
 WASHINGTON, D.C. 20005-3701

A P P E A R A N C E S

FOR THE STATE OF UTAH:

Denise Chancellor, Esq.
Connie Nakahara, Esq.
Assistant Attorneys General
Office of the Attorney General
160 East 300 South, 5th Floor
P. O. Box 140873
Salt Lake City, Utah 84114

FOR PRIVATE FUEL STORAGE, LLC:

Paul Gaukler, Esq.
Blake Nelson, Esq.
Matias Travieso-Diaz, Esq.
SHAW PITTMAN
Attorneys at Law
2300 N Street, N.W.
Washington, D.C. 20037

FOR THE U.S. NUCLEAR REGULATORY COMMISSION:

Martin O'Neill, Esq.
Sherwin E. Turk, Esq.
Office of the General Counsel
Mail Stop - 0-15 B18
U. S. Nuclear Regulatory Commission
Washington, D.C. 20555

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:03 a.m.)

1
2
3 CHAIRMAN FARRAR: On the record. We're
4 here just after 8:00. Appreciate all counsel making
5 the effort to get here so we can start early and
6 finish early.

7 Ms. Chancellor, you had some options in
8 front of you last evening, and what have you decided?

9 MS. CHANCELLOR: Very short redirect with
10 Dr. Bartlett, and then Dr. Bartlett will come back,
11 and we're just finalizing written rebuttal or
12 surrebuttal to Mr. Trudeau's testimony, rebuttal
13 testimony. I haven't had a chance to read it yet, but
14 what we plan to do is put Dr. Bartlett on. Then go to
15 Mr. Trudeau, and then bring Dr. Bartlett back.

16 CHAIRMAN FARRAR: All right. That's fine.
17 And if I talk real slow like Mr. Travieso-Diaz, Dr.
18 Bartlett will be back in the witness box by the time
19 I finish this sentence.

20 MR. TRAVIESO-DIAZ: I think we averaged
21 out nicely. And Dr. Bartlett, once again, consider
22 yourself still under oath.

23 DR. BARTLETT: Yes, Your Honor.

24 CHAIRMAN FARRAR: Go ahead, Ms.
25 Chancellor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANCELLOR: Good morning, Dr.
2 Bartlett.

3 DR. BARTLETT: Good morning.

4 MS. CHANCELLOR: Last day of the week.

5 DR. BARTLETT: Last day of the week.

6 REDIRECT EXAMINATION

7 MS. CHANCELLOR: What is undrained shear
8 strength?

9 DR. BARTLETT: It is resistance to shear.
10 We usually use the term "undrained" because the soils
11 are being sheared so rapidly that any pore pressures
12 that are generated due to shear do not have time to
13 dissipate, so we call that an undrained condition.

14 MS. CHANCELLOR: How is -- how do you
15 sample and measure for undrained shear strength?

16 DR. BARTLETT: Well, there's different
17 types of tests that can be used to do undrained shear
18 strength. The particular type of test we're focusing
19 on for sliding resistance of the pads is a shear
20 direction that's parallel to the base of the pads.
21 And the type of test that we do for measuring that
22 potential failure mechanism is the direct shear test.

23 MS. CHANCELLOR: And how is it sampled?
24 How do you obtain a sample to conduct a direct shear
25 undrained shear strength test?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: As described yesterday,
2 that is considered to be an undisturbed sample, so one
3 would drill a bore hole and push a Shelby tube, three
4 inch diameter tube, approximately two feet long, and
5 this is pushed at the bottom of the pore hole, and a
6 sample is retrieved for testing.

7 MS. CHANCELLOR: So you've got this three
8 foot long tube with a sample in it?

9 DR. BARTLETT: Usually more, two, but it
10 could be three, but usually two foot long.

11 MS. CHANCELLOR: Two foot long tube.

12 DR. BARTLETT: It's a --

13 MS. CHANCELLOR: And then what do you do
14 with that tube sample once you get it to the lab?

15 DR. BARTLETT: It's taken to the lab and
16 either extruded, pushed out of the tube with some kind
17 of piston, or some labs just simply cut the tube open
18 so that you can see the soil. And then a lab
19 technician would look at it, select the portions of
20 the sample that he was going to test.

21 MS. CHANCELLOR: And at the PFS site, they
22 just used one of these Shelby tubes.

23 DR. BARTLETT: In the pad emplacement area
24 for the direct shear testing, yes, there was just one
25 tube that was used for the direct shear testing. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from that two foot long sample, three samples were
2 selected, approximately maybe one to two inches in
3 length for the direct shear testing.

4 MS. CHANCELLOR: So for the entire pad
5 emplacement area, they took a one to two inch sample
6 from this three foot Shelby tube from the one bore
7 hole?

8 DR. BARTLETT: Well, I think --

9 MR. TRAVIESO-DIAZ: Excuse me. You
10 mentioned --

11 MS. CHANCELLOR: Two foot.

12 MR. TRAVIESO-DIAZ: Okay.

13 MS. CHANCELLOR: Two foot.

14 DR. BARTLETT: The two foot sample was
15 obtained from the Shelby tube, and then it was opened
16 up, and the three sub-samples, if you will, were
17 selected from that for the direct shear testing. Each
18 of those were probably approximately two inches long.

19 MS. CHANCELLOR: And this is the sample C-
20 1 from -- do you remember what the sample number was?
21 It's U-1 from sample --

22 DR. BARTLETT: I don't, but I have it, I
23 think. That's why I scurried back to the room.

24 MR. TRAVIESO-DIAZ: To expedite --

25 MS. CHANCELLOR: Thank you, Mr. --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAVIESO-DIAZ: Would it be correct to
2 say sample U-1 from boring IDC-2?

3 DR. BARTLETT: That seems to be correct.

4 MS. CHANCELLOR: That's what I was trying
5 to say. Thank you. I got my Us and Cs mixed up.

6 Why is undrained shear strength testing,
7 why is that important for the PFS site?

8 DR. BARTLETT: The design philosophy is to
9 take the inertial forces caused by the movement of the
10 casks and pads, or their attempting to move, and
11 transfer those forces directly to the top of the
12 Bonneville clay via the cement-treated soil, so
13 ultimately the Applicant is relying upon the undrained
14 shear strength of the Bonneville clay to resist the
15 seismic motions.

16 MS. CHANCELLOR: So it's the shear
17 resistance that's going to --

18 DR. BARTLETT: Provides the resistance to
19 potential sliding of the pads, yes.

20 MS. CHANCELLOR: And what value did PFS
21 use for undrained shear strength in the pad
22 emplacement area?

23 DR. BARTLETT: The undrained shear
24 strength is somewhat a function also, because these
25 are unsaturated soils, of the normal stress or load

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that's applied, so first one has to calculate what is
2 the stress, the vertical stress at the base of the
3 pads. My recollection, that's approximately 2 KSF.
4 Then for this one sample that we're talking about, a
5 Mohr-Coulomb envelope was developed to describe the
6 shear strength resistance. And for a vertical stress
7 of approximately 2 KSF, as I recall, the shear
8 resistance is about 2.1 KSF, kips per square foot.

9 MS. CHANCELLOR: And are there any other
10 direct shear tests that PFS has done for the PFS site?

11 DR. BARTLETT: Not in the pad emplacement
12 area. There were two other Shelby tube samples that
13 were taken from the cannister transfer building, or at
14 least two other sets of tests that were done in the
15 cannister transfer building.

16 MS. CHANCELLOR: And what values do you
17 know that PFS obtained in the CTB area for the shear
18 strength?

19 DR. BARTLETT: Well, I think that may be
20 in my testimony. Give me a moment here. Okay. I'm
21 now referring to the SAR, and it was boring CTB-6,
22 sample U-3BB and C. And there was another set of
23 tests done on the sample - well, on the boring - CTB-
24 S, Sample U-1AA.

25 MS. CHANCELLOR: If you look at answer 28

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of your testimony, does that give any values there for
2 the CTB area?

3 DR. BARTLETT: I think those are probably
4 the same set of data. Let me look at that. I think
5 what this answer in 28 is trying to point out, is that
6 for a normal stress or vertical stress of
7 approximately 2 KSF, when one looks at the data from
8 the pad emplacement area, you see that the shear
9 resistance is about 2.1 KSF, as I've previously
10 stated.

11 For the same Bonneville layer in the CTB
12 area, at least one set of the tests show that for a
13 normal stress, again, of about 2 KSF, the undrained
14 shear strength is about 1.75 KSF, so it's less than
15 what's found in the pad emplacement area.

16 MS. CHANCELLOR: So is that part of the
17 reason why you believe additional direct shear tests
18 should be done at the PFS site?

19 DR. BARTLETT: Well, it's part of the
20 reason why I don't believe that the 2.1 KSF is truly
21 a lower bound of the undrained shear strength for the
22 Bonneville clays. Obviously, if there was a sample
23 taken from the same layer in the area of the CTB, and
24 it showed a lower undrained shear strength, it's
25 certainly easy to believe that the 2.1 KSF is not a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lower bound value that was used in the design of the
2 pads.

3 MS. CHANCELLOR: Do you recall questioning
4 by Mr. Travieso-Diaz with respect to questioning about
5 whether you could rely on the CPT data to backup the
6 shear strength results obtained in the lab?

7 DR. BARTLETT: Yes, I remember that.

8 MS. CHANCELLOR: And why can't you rely on
9 -- can you rely on CPT data to backup those lab tests?

10 DR. BARTLETT: Well, to estimate the
11 undrained shear strength from the CPT data, normally
12 one would have to develop a correlation. And what I
13 mean by a correlation is one would -- first, the CPT
14 and obtain its data, and then in relatively close
15 proximity go in and sample through that same zones,
16 and submit those tests for laboratory testing, so that
17 you have laboratory results that are direct
18 measurements of the undrained shear strength, and you
19 have the in situ CPT data that isn't a direct
20 measurement, and through a correlation, you can
21 develop what could be the potential undrained shear
22 strength. And to do that was this equation that I
23 discussed yesterday with the N sub K factors. And we
24 looked at the EPR, EPRI manual.

25 MS. CHANCELLOR: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: But that hasn't been done
2 for this site. There are no site-specific N sub K
3 factors that have been developed for these soils at
4 the PFS site.

5 MS. CHANCELLOR: Is it easy to obtain
6 these N sub K factors for the PFS site?

7 DR. BARTLETT: Yes, if one develops a
8 program like I described, where you have paired data,
9 where you have a CPT right adjacent to a bore hole,
10 and you've somewhat continuously sampled in the
11 adjacent bore hole, and developed a suite of tests,
12 you can correlate two data. You need a certain amount
13 of data to give the correlation some statistical
14 robustness.

15 MS. CHANCELLOR: So if PFS developed an --
16 had an appropriate program to develop this N sub K
17 factor, would that satisfy your concerns about the
18 direct shear strength test?

19 DR. BARTLETT: Certainly, if there was
20 more direct shear testing and it was correlated well
21 with the CPT data, then we could do like Dr. Ofoegbu,
22 I think, suggested and contain relatively continuous
23 measurements of the undrained shear strength
24 throughout the pad. Unfortunately, that site-specific
25 correlation doesn't exist for the PFS site.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANCELLOR: Thank you, Dr. Bartlett.
2 I have no further questions.

3 CHAIRMAN FARRAR: Any recross by the
4 Applicant?

5 MR. TRAVIESO-DIAZ: Yes. I think I have
6 just one question.

7 CHAIRMAN FARRAR: All right.

8 RECROSS EXAMINATION

9 MR. TRAVIESO-DIAZ: Would you take a look
10 at footnote 7 in your testimony? That is in your
11 answer to question 19.

12 DR. BARTLETT: Yes, I see that.

13 MR. TRAVIESO-DIAZ: You refer there -- we
14 were talking about those plots that you prepared
15 yesterday?

16 DR. BARTLETT: That's correct. The ones
17 that I traced over with the different color pens.

18 MR. TRAVIESO-DIAZ: Exactly. And you say
19 they were using data from Cone Tec. Are you referring
20 to --

21 DR. BARTLETT: The cone penetration report
22 that Cone Tec did for the PFS site.

23 MR. TRAVIESO-DIAZ: Talking about like a
24 four or five inch report that Cone Tec provided?

25 DR. BARTLETT: Yes. It's about that thick.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is my recollection, yes.

2 MR. TRAVIESO-DIAZ: Okay. And is it your
3 testimony that there is no NK data provided by Cone
4 Tec in that report?

5 DR. BARTLETT: Well, the NK data that Cone
6 Tec would provide would not be part of the -- for the
7 PFS site. It's probably some generic NK factor. I
8 have not seen these correlations specifically
9 developed for the PFS site.

10 MR. TRAVIESO-DIAZ: So if those
11 correlations for the PFS site existed, that would
12 satisfy your concern. Is that what you said, as far
13 as the ability to make a correlation between cone
14 penetration tip resistance measures, and shear
15 strength? I think that's what I heard you say in
16 response to Ms. Chancellor's questions.

17 DR. BARTLETT: I do not believe a test
18 program has been completed where there's been
19 continuous sampling of the Bonneville clays from site-
20 specific data to develop N sub K factors for the
21 direct shear mode of failure, not based on the few
22 tests that we have. There may be some attempt
23 somewhere to do that, but the data sufficiency isn't
24 enough to develop that correlation. And Cone Tec is
25 a vendor I'm well familiar with. We use them quite

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 often in Salt Lake City. I'm aware that they have
2 used their own N sub K factor. They may have
3 developed it somewhere, but I don't believe it's
4 necessarily specific for the PFS site, because of the
5 large variability in N sub K factors that I showed you
6 in the EPRI manual.

7 MR. TRAVIESO-DIAZ: Okay. Let me just
8 make sure I understand you, because it's early in the
9 morning and I might not be awake. I thought I heard
10 you say in response to Ms. Chancellor's question that
11 if a set of NK factors specific to the PFS site was
12 available, your concern would be satisfied as to not
13 being able to correlate --

14 DR. BARTLETT: No, I would like to review
15 that. I don't think that's been adequately done at
16 all.

17 MR. TRAVIESO-DIAZ: Okay. But my question
18 is a yes or no answer. Would you be satisfied --

19 MS. CHANCELLOR: Objection, Your Honor.

20 MR. TRAVIESO-DIAZ: Excuse me. If I can
21 finish my question first, please.

22 CHAIRMAN FARRAR: Wait. Wait. Talk to
23 me. Go ahead. Finish the question.

24 MR. TRAVIESO-DIAZ: My question is, is it
25 correct that it's site-specific data with respect to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NK were available for the PFS site, I believe you
2 testified that that would satisfy your concern as to
3 the ability to correlate cone penetration tip
4 resistance with shear strength. I believe you said
5 that a moment ago. I just want to make sure I
6 understood you correct.

7 DR. BARTLETT: I think I put several
8 qualifications on how I think the test program should
9 be done to develop that N sub K factor. That has not
10 been done at the site, so my answer is no.

11 MR. TRAVIESO-DIAZ: So seeing site-
12 specific data wouldn't be sufficient for you.

13 DR. BARTLETT: There is not enough site-
14 specific data to develop that correlation, and that is
15 my position, because we only have these few tests.
16 The statistically robustness of a correlation, even if
17 it did exist, would not be adequate to satisfy my
18 results, because we only have one set of tests from
19 the pad emplacement area, and two sets of tests from
20 the cannister transfer building. I cannot see how we
21 can develop a statistical correlation with that amount
22 of data. I'm aware of the data, and it's not
23 sufficient.

24 MR. TRAVIESO-DIAZ: I apologize. I thought
25 you said that you had a set of values of N sub K,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which is the factor that correlates the shear strength
2 of the soil to the cone penetration tip resistance,
3 that that would suffice for you to be able to be
4 satisfied that the ability to correlate had been
5 obtained.

6 DR. BARTLETT: That's a
7 mischaracterization of --

8 MS. CHANCELLOR: Objection, Your Honor;
9 asked and answered. Dr. Bartlett has put
10 qualifications on what he would consider acceptable
11 for the N sub K factor, and he's not willing to give
12 a yes/no answer, because he's got qualifications on
13 his response. And it doesn't matter how many
14 questions Mr. Travieso-Diaz asks him, he should still
15 be able to put those qualifications on because it's
16 not a yes/no answer.

17 MR. TRAVIESO-DIAZ: I'm sorry, but I
18 believe that when you asked him the question, he put
19 no qualifications, but I will just stop here.

20 CHAIRMAN FARRAR: All right.

21 MS. CHANCELLOR: I'd also request that if
22 PFS has any additional data that we don't have, that
23 we request a copy of that data.

24 MR. TRAVIESO-DIAZ: I believe the witness
25 testified that he has a book four inches thick.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANCELLOR: Right, but if there's
2 anything other than the Cone Tec data, then we would
3 request a copy of it.

4 MR. TRAVIESO-DIAZ: Well, if there is
5 anything other than Cone Tec data, we can discuss it.

6 CHAIRMAN FARRAR: Okay. Let me, for the
7 benefit of all the witnesses and counsel, reiterate
8 our prior rule, that counsel is entitled to ask for a
9 yes or no answer, but the witness is always free
10 either to say there is no yes or no answer, or to give
11 a yes or no, and then to explain it.

12 Mr. Travieso-Diaz, do you have any further
13 questions?

14 MR. TRAVIESO-DIAZ: No, I'm sorry. I
15 tried to say that I was finished. Maybe I didn't make
16 it clear.

17 CHAIRMAN FARRAR: Okay. Staff?

18 MR. O'NEILL: Yeah, a few quick questions,
19 Your Honor, if I may.

20 CHAIRMAN FARRAR: Yes.

21 MR. O'NEILL: Now, Dr. Bartlett, you would
22 agree that there's no such thing as a perfectly
23 undisturbed sample.

24 DR. BARTLETT: Oh, that's correct.

25 MR. O'NEILL: Correct?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: It's a figment of our
2 imagination.

3 MR. O'NEILL: Because even when you take
4 a Shelby tube sample, you're advancing that sample
5 with pressure. Right?

6 DR. BARTLETT: There's some compressions
7 in the sample, yes.

8 MR. O'NEILL: Some compression of the
9 sample. Would you agree that the actual extraction of
10 the sample and the handling could give you measured
11 values that -- shear strength, for instance, that are
12 actually less than those that exist in the field?

13 DR. BARTLETT: Sure. If the disturbance
14 is large, that could happen.

15 MR. O'NEILL: And would you agree that one
16 advantage of in situ tests is that they don't disturb
17 the samples, which are measuring or -- for instance,
18 a cone penetrometer test, or --

19 DR. BARTLETT: The cone penetrometer test
20 does disturb the sample, if you want to put it that
21 way, because it shears through the clay, but there are
22 some advantages because --

23 MR. O'NEILL: You would see less
24 disturbance.

25 DR. BARTLETT: Well, I think we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 confusing things. Disturbance is something we relate
2 to laboratory testing. What we get from something
3 like the cone penetrometer is some relative
4 measurement in this case of stiffness, which then we
5 have to correlate back to some kind of strength. And
6 the normal practice of doing this somewhat of a
7 coupled program where you do both in situ testing, and
8 laboratory testing.

9 MR. O'NEILL: Well, I understand this
10 relates to your concern with the correlation.

11 DR. BARTLETT: Correct.

12 MR. O'NEILL: I understand that. But you
13 would agree, as a general class --

14 DR. BARTLETT: Right.

15 MR. O'NEILL: That in situ tests entail --

16 COURT REPORTER: I need one person to --

17 MR. O'NEILL: Okay. Okay. Can I finish
18 my question, please.

19 DR. BARTLETT: Sure. Go ahead.

20 MR. O'NEILL: Yeah. You would agree that
21 as a general class of tests, that in situ tests entail
22 less disturbance, and that's one reason that they're
23 actually used in the field.

24 DR. BARTLETT: Well, again you used the
25 word "disturbance." And in situ test does disturb the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 soil. Pushing the cone penetrometer through the soil
2 disturbs it. It is a measurement of some physical
3 behavior of the soil, which has to be correlated back
4 to some engineering property. The advantage of in
5 situ testing is that you measure that property in
6 place at the stresses in place, so there's theoretical
7 advantages to laboratory testing. There's theoretical
8 advantages to in situ testing, but one never quite
9 gets what you exactly want through either mechanism,
10 so it takes kind of a comparison and combination of
11 both, and some judgment to apply those.

12 MR. O'NEILL: Well, I presume that --
13 well, again we're going to argue over the meaning of
14 disturbance, but you're not physically extracting a
15 sample in the case of the cone penetrometer test.

16 DR. BARTLETT: No, I'm not physically
17 extracting a sample, but the problem with in situ
18 testing is you're not directly measuring the shear
19 strength. You're indirectly measuring through
20 something else like, in this case stiffness, then has
21 to be correlated back to shear strength.

22 MR. O'NEILL: I think that's all I have
23 for now. Thanks.

24 CHAIRMAN FARRAR: Any redirect?

25 MS. CHANCELLOR: No, Your Honor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN FARRAR: And the Board has no
2 further questions. Then, Dr. Bartlett, you're
3 temporarily excused once again. Thank you.

4 Next step then was going to be rebuttal by
5 the company.

6 MR. TRAVIESO-DIAZ: Yes, if we could take
7 a very short break.

8 CHAIRMAN FARRAR: Oh, certainly.

9 MR. TRAVIESO-DIAZ: A very short recess,
10 five minutes or so.

11 CHAIRMAN FARRAR: Okay. It's almost half
12 past. Let's be back at 25 of.

13 MS. CHANCELLOR: Could we make that ten.
14 I'm still editing --

15 CHAIRMAN FARRAR: Fine.

16 MR. TRAVIESO-DIAZ: Ten is fine.

17 CHAIRMAN FARRAR: Then 20 of we'll be
18 back. Ms. Chancellor, is that enough? I mean, if you
19 need an extra five minutes --

20 MS. CHANCELLOR: I think I can do it in
21 ten, Your Honor.

22 CHAIRMAN FARRAR: Well, let's make it 15.
23 I'd rather -- I think a little progress now might save
24 us time later.

25 MR. TRAVIESO-DIAZ: And I think I'm going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to need additional time after Mr. Trudeau is finished
2 to review what we're going to get.

3 CHAIRMAN FARRAR: Okay.

4 MS. CHANCELLOR: Yeah. Are we off the
5 record?

6 CHAIRMAN FARRAR: Yes, now we are.

7 (Off the record 8:29:34 - 8:48:47 a.m.)

8 CHAIRMAN FARRAR: Mr. Travieso-Diaz, we'll
9 now have your rebuttal case. And you gave us, I guess
10 it was yesterday, pre-filed rebuttal.

11 MR. TRAVIESO-DIAZ: That is correct. May
12 I proceed with that?

13 CHAIRMAN FARRAR: Yes.

14 MR. TRAVIESO-DIAZ: Good morning, Mr.
15 Trudeau.

16 MR. TRUDEAU: Good morning.

17 CHAIRMAN FARRAR: Mr. Trudeau, you're
18 still under oath, of course.

19 MR. TRUDEAU: I understand, Your Honor.

20 DIRECT EXAMINATION

21 MR. TRAVIESO-DIAZ: Do you have before you
22 a document dated June 20, 2002, bearing the caption of
23 this proceeding, and entitled "Rebuttal Testimony of
24 Paul J. Trudeau, to testimony of State of Utah
25 witness, Dr. Steven F. Bartlett on Section C of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Unified Contention Utah L/QQ (soils
2 characterization)."

3 MR. TRUDEAU: Yes, I do.

4 MR. TRAVIESO-DIAZ: Did you prepare -- was
5 this a document prepared by you, or under your direct
6 supervision and control?

7 MR. TRUDEAU: Yes.

8 MR. TRAVIESO-DIAZ: Do you have any
9 corrections to make to it?

10 MR. TRUDEAU: No.

11 MR. TRAVIESO-DIAZ: As presented to us
12 today, is it true and correct to the best of your
13 information and belief?

14 MR. TRUDEAU: Yes.

15 MR. TRAVIESO-DIAZ: Do you adopt it as
16 your rebuttal testimony in this proceeding?

17 MR. TRUDEAU: Yes.

18 MR. TRAVIESO-DIAZ: I move that this
19 testimony be admitted -- bound to the record and
20 admitted into evidence.

21 MS. CHANCELLOR: No objection, Your Honor.
22 And Ms. Nakahara is handing out surreptitiously, the
23 surrebuttal by Dr. Bartlett, hot off the press.

24 CHAIRMAN FARRAR: All right.

25 MR. O'NEILL: Staff has no objections,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Your Honor.

2 MR. TRAVIESO-DIAZ: Mr. Chairman, I think
3 this may be a good -- an appropriate point to
4 introduce into evidence the exhibits that went with
5 this testimony, which are as follows. 233, which is
6 the foundation plot, 233A which is the same document
7 in color, 234 which is the complete text of Reg Guide
8 1.132, 235 which is Figure 2.619 for the SAR, and 236
9 which are excerpts of Dr. Bartlett's testimony. I
10 move that these be admitted into evidence.

11 MS. CHANCELLOR: I'd like one question,
12 Your Honor.

13 CHAIRMAN FARRAR: Go ahead.

14 MS. CHANCELLOR: You refer to 236, Dr.
15 Bartlett's deposition?

16 MR. TRAVIESO-DIAZ: Deposition testimony,
17 yes. November 17.

18 MS. CHANCELLOR: It's in the rebuttal,
19 because you didn't -- you asked no questions about
20 that document.

21 MR. TRAVIESO-DIAZ: It is referenced in
22 the rebuttal. Yes, that's true.

23 MS. CHANCELLOR: No objection, Your Honor.

24 CHAIRMAN FARRAR: All right. Any
25 objection from the Staff?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. O'NEILL: No objections, Your Honor.

2 CHAIRMAN FARRAR: All right. Then we'll
3 admit 233, 233A, and 234, 5 and 6.

4 MR. TRAVIESO-DIAZ: I'd also like to move
5 into evidence Exhibit 237, which was the stipulation
6 of the parties as to the text of these contentions.
7 This is not on the record.

8 MS. CHANCELLOR: No objection, Your Honor.

9 CHAIRMAN FARRAR: Staff?

10 MR. O'NEILL: No objection.

11 CHAIRMAN FARRAR: All right. Then that
12 will be admitted, and the rebuttal -- you had offered
13 the testimony.

14 MR. TRAVIESO-DIAZ: Yes. I have very
15 brief additional rebuttal based on the testimony that
16 DR. Bartlett just gave.

17 CHAIRMAN FARRAR: Right, but we will have
18 the reporter bind Mr. Trudeau's rebuttal testimony in
19 the record at this point, as if read.

20 (Insert pre-filed testimony of Mr. Peter Trudeau.)

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

June 20, 2002

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

Before the Atomic Safety and Licensing Board

In the Matter of)	
)	
PRIVATE FUEL STORAGE L.L.C.)	Docket No. 72-22
)	
(Private Fuel Storage Facility))	ASLBP No. 97-732-02-ISFSI

**REBUTTAL TESTIMONY OF PAUL J. TRUDEAU TO TESTIMONY
OF STATE OF UTAH WITNESS DR. STEPHEN F. BARTLETT ON SECTION C OF
UNIFIED CONTENTION UTAH L/QQ (SOILS CHARACTERIZATION)**

**A. Factors of Safety Sought to be Achieved in the Geotechnical Design of
the PFSF Foundations**

Q1. In his answer to question 13 in the "State of Utah Testimony of Dr. Steven F. Bartlett on Unified Contention Utah L/QQ (Soil Characterization)" ("Bartlett Direct Testimony"), Dr. Bartlett characterizes the PFSF as a large site with complex layering. Is that characterization accurate?

A1. No. PFS has made borings and performed cone penetration tests, and has taken soil samples and conducted laboratory tests, to characterize site soil conditions. All site investigations conducted by PFS have led to the determination that the site is remarkably uniform in the horizontal direction, that is, as one moves across the site. The site soils are layered vertically in the sense that there are a number of soil layers having distinct composition and physical characteristics, as is the case for most soil configurations. The overall layering arrangement (i.e., the types of soil, the general thickness and arrangement of soil layers, and the properties of the soil at each layer) are well-known and not "complex".

Q2. In his answer to question 15 of the Bartlett Direct Testimony, Dr. Bartlett states that the minimum factors of safety against sliding of the pads, bearing capacity failure of the pads, and sliding of the Canister Transfer Building ("CTB") are, respectively, 1.27, 1.17 and 1.26, and that as a result the soil's capacity to resist earthquake forces has only about 6 to 15 percent margin "above the value required to produce an acceptable factor of safety," from which Dr. Bartlett concludes that "variations or small decreases (about 6 to

15 percent) in the soil's strength below the values used in the design "could lead to potentially unsafe conditions." Is there any validity to Dr. Bartlett's argument?

A2. No. First, it must be understood that the minimum factors of safety calculated by PFS and quoted by Dr. Bartlett are factors of safety against the potential onset of the failure mechanism in question using very conservative assumptions. Thus, the minimum calculated factor of safety against sliding of the pads of 1.27 provides a margin against sliding of at least 27%. The minimum calculated factor of safety against bearing capacity failure of the pads of 1.17 provides a margin against failure of at least 17%. In addition, a factor of safety against sliding of the CTB of 1.26 provides a margin against sliding failure that is at least 26%. All of these margins are calculated using the peak force due to the design earthquake, which acts only for one brief instant in time; at all other times during the earthquake, the forces are much less than this peak value. Thus, the margin available at all other times during the earthquake will be much larger than these values, as evidenced by the factors of safety against sliding plotted versus time in PFS Exhibit WW. Even with these and other conservative assumptions, the reduction in minimum soil strength would have to be 27%, 17% and 26% before failure through one of these mechanisms became possible.

Dr. Bartlett states that a drop of 6 to 15 percent in soil strength (presumably, according to his analysis, reducing one of these factors of safety to 1.1) "can lead to potentially unsafe conditions." That is clearly incorrect. Even ignoring all the conservatisms that are built into the factor of safety estimates, a reduction in one of these calculated minimum factors of safety to 1.1 would still leave a 10% margin of safety against the failure mechanism in question, nowhere near the onset of a "potentially unsafe condition." Moreover, a reduction of a factor of safety to a value below 1.1 on account of a decrease in the calculated value of minimum shear strength would be the type of unanticipated occurrence against which factors of safety are provided.

Q3. What other conservatisms have been incorporated into the calculations of minimum factors of safety against sliding and bearing capacity failure such that there is additional margin against the possibility of failure of the pads or the CTB through one these failure mechanisms?

A3. The following are some of the main conservatisms that are built into the calculation of the minimum factor of safety (1.27) against sliding of the pads:

- PFS computed the FS against sliding using the strength of the weakest section of the Upper Lake Bonneville clay layer (also known as "Layer 2") even though soils directly under the cement-treated soil will in most cases be much stronger than those below them. The use of the weaker strength of the soil at the lower section of the layer is quite conservative because there is a stronger crust, approximately 2 to 3 ft thick, at the top of the Upper Lake Bonneville clay layer, upon which most of the pads and cement-treated soil will be founded. This stronger crust is evident in all of the foundation profiles, which are included in the PFSF Safety Analysis Report ("SAR") as Figure 2.6-5, Sheets 1 to 14. For example, referring to Foundation Profile 5-5' (SAR Figure 2.6-5 Sheet 7 of 14) (PFS Exh. 233), which is the profile running from west-to-east across the southern half of the PFSF pad emplacement area, the plots of the tip resistance data from the cone penetration tests ("CPTs") demonstrate that there is a stronger crust just below the eolian silt layer – at the top of the "silty clay/clayey silt" layer identified in the profile. (This silty clay/clayey silt layer is what is referred to as the Upper Lake Bonneville clay layer.) The undrained shear strength of these clayey soils is proportional to the tip resistance values measured in the CPTs. As shown in this figure (all other soil profiles are similar), the tip resistance values in the upper 2 to 3 ft of the Upper Lake Bonneville clay layer typically are more than twice as large as the tip resistance values measured for the soils at depths of approximately 5 to 10 ft below grade – the range of depths where the samples were obtained that were tested in the laboratory to measure the undrained strengths used in the sliding stability analyses. Therefore, giving due consideration to the fact that the strength of the soils (i.e., the stronger crust at the top of the Upper Lake Bonneville clay layer) directly beneath the cement-treated soil and pads will generally be at least twice that of the weaker underlying soils, it is reasonable to conclude that the factor of safety against sliding will be at least twice the minimum value shown above, or on the order of 2.5, without taking other conservatisms into account.
- The minimum FS against sliding of the pads was computed without taking into account the increase in strength of clayey soils that occurs under cyclic dynamic loadings. Taking credit for this well-known phenomenon would increase shear strength by at least 50%, thus increasing the minimum factor of safety against sliding to 1.9 (or a margin of or 90%), again without taking other conservatisms into account.
- The minimum FS was computed without taking into account the passive resistance of the soil cement around the pads. Taking credit for that passive resistance would increase the FS of the design base case from 1.27 to 3.3, without considering other conservatisms.
- All these increases in the minimum FS are independent of each other and, thus, their effects are cumulative. Combining their effect would lead to a minimum FS against sliding of the pads of at least 5.

Likewise, the minimum factor of safety against bearing capacity failure of the pads is 1.17. This minimum factor of safety was also computed using many conservative assumptions:

- PFS computed the minimum FS against bearing capacity failure using the strength of the weakest section of Layer 2, even though for bearing capacity computations the standard practice is to average the contributions of all soil layers over a depth equal to the shortest dimension of the foundation, or thirty feet in the case of the pads. However, as discussed above, the soils directly under the cement-treated soil layer will in most cases be much stronger than those below them, and the presence of a 1 to 2 ft thick layer of cement-treated soils directly beneath the pad will also increase the allowable bearing capacity of the underlying soils. In addition, the soils below the Upper Lake Bonneville clay layer (i.e., the layer labeled "clayey silt/silt & some sandy silt," as well as the underlying layer of "silty clay/clayey silt" shown in the foundation profiles) (see, e.g., PFS Exh. 233), which represent close to two-thirds of the profile and which are much stronger than the soils from the Upper Lake Bonneville clay layer, were conservatively also assumed to have the same strength as the weaker Upper Lake Bonneville clay layer. The increase in minimum FS to account for these effects would be more difficult to compute than in the case of the factor of safety against sliding, but it would nonetheless be quite significant.
- The minimum FS against bearing capacity failure of the pads was computed without taking into account the well-known 50% or greater increase in soil strength that occurs under cyclic dynamic loadings. Taking this increase into account would boost the FS against bearing capacity failure from 1.17 to 2.6.
- The minimum FS was computed using the extremely conservative assumption that 100% of the earthquake loads act in both horizontal directions at the same time. If load combinations allowed by ASCE 4-86 were used instead, this would increase the factor of safety against bearing capacity failure from 1.17 to 2.1.
- All these increases in the minimum FS are independent of each other; thus, their effects are cumulative. Combining these effects (without attempting to quantify the increase due to the strength of the soils which underlie the pad and the cement-treated soil) would lead to a minimum FS against bearing capacity failure of the pads of at least 3.6.

There are many other conservatisms built into the estimate of FS against sliding or bearing capacity which are more difficult to quantify, but which nonetheless further increase the real margin of safety. For example:

- Any measurement of the strength of soils that is obtained by performing laboratory tests on soil samples will, by necessity, disturb the samples to some

degree and result in a strength measurement that is less than the actual strength that the soils will exhibit in situ. Studies performed at MIT have demonstrated that carefully conducted unconsolidated undrained triaxial tests performed on high quality undisturbed samples of saturated clays yielded undrained shear strengths that ranged from 50% to 80% of field measured strengths.

- The minimum FS is applicable only during the brief period in which the earthquake reaches its peak magnitude. At all other times, there is considerable more margin available, as discussed above.

Because of the existence of these quantifiable and non-quantifiable conservatisms, the concern expressed by Dr. Bartlett about the potential effect of a reduction in minimum soil strength on the safety of the pads is unfounded.

Similar conservatisms exist with respect to the factor of safety against sliding failure of the CTB; thus the concerns about the potential effect of a reduction in minimum soil strength on the sliding stability of the CTB are also unfounded.

B. Spacing of Borings for Pad Emplacement Area

Q4. In answers 16 through 18 of the Bartlett Direct testimony, Dr. Bartlett alleges that the number of borings made by PFS for the pad emplacement area is insufficient because the borehole and cone penetration test spacing is approximately 221 feet apart instead of the 100 feet spacing recommended in Reg. Guide 1.132. Does the boring spacing cited by Dr. Bartlett constitute a deficiency in PFS's soils characterization program?

A4. No. No such deficiency exists. In the first place, as its title indicates, Reg. Guide 1.132, "Site Investigations for Foundations of Nuclear Power Plants" is a guidance document issued by the NRC Staff with respect to soils investigations for the foundations of nuclear power plants. It does not apply to Part 72 facilities such as the PFSF. Indeed, the NRC guidance document of Independent Spent Fuel Storage Installations ("ISFSIs"), NUREG-1567, does not specify any recommended boring spacing for ISFSIs.

In addition to not being applicable, Reg. Guide 1.132 need not be used for soils investigations for structures such as storage pads because they are significantly different than nuclear power plant structures in the following respects:

- Nuclear power plant buildings are typically large and heavily loaded structures. By comparison, the storage pads are relatively small and lightly loaded.

- Nuclear power plant structures, systems and components contain interconnected safety-related piping, electrical cable, conduit and other components which are often buried and which are sensitive to building movements. Therefore, the soils beneath nuclear power plant structures require detailed characterization of soil conditions. Storage pads are free-standing and do not include any buried components or safety-related connections to other structures.

Even if the guidance in Reg. Guide 1.132 were to apply, the guide makes it clear from the outset that its recommendations should be only considered guidance “and should be tempered with professional judgment. Alternative and special investigative procedures that have been derived in a professional manner will be considered equally applicable for conducting foundation investigations.” PFS Exh. 234 (Reg. Guide 1.132), at 1.132-1. PFS elected to follow the guidance in Reg. Guidance 1.132 with respect to the borings in the CTB because that building is somewhat analogous to a nuclear power plant structure. For the pads, however, PFS exercised professional judgment and developed a subsurface investigation program which combined the drilling of boreholes and the performance of cone penetrometer tests and geophysical testing to the extent warranted by site conditions and the size, loading, and isolation of the storage pads. The elements of the professional judgment that PFS exercised in implementing its boring program for the storage pads included:

- PFS conducted an initial set of borings in 1996 which served to establish that the soil properties were reasonably uniform across the pad emplacement area of the PFSF site.
- Based on these initial results, PFS determined that it was sufficient to drill boreholes in a uniform grid across the entire pad emplacement area, so that all sections of the area were covered. Such a grid was subject to supplementation with additional borings, should anomalous or irregular conditions be encountered, but no such conditions were identified.
- Standard penetration tests were conducted that provided estimates of soil strength and compressibility and allowed visual inspection of samples and index property testing of the samples in the laboratory. These inspections and tests confirmed that the subsoil characteristics are uniform and consistent across the pad emplacement area.
- As the borings were made, standard penetration tests were performed. The “blow count” values required to drive the standard split-spoon sampler into the soil at various depths were consistent across the pad emplacement area and

identified the Layer 2 soils as the critical layer with respect to the stability and settlement of the structures.

- Cone penetration tests performed subsequently yielded essentially the same value of tip resistance for comparable depths at various locations across the pad emplacement area, indicating that the stratigraphy across the site is uniform.
- Because no significant variations in soil conditions were encountered, the initial decision to provide a broad grid was retained. At the end, the borehole and CPT spacing of approximately 221 feet testified to by Dr. Bartlett was achieved and deemed sufficient to properly characterize the pad emplacement area.

In my opinion, the above described program would meet the intent of Reg. Guide 1.132 if the guide were applicable to the soils investigations at the PFSF.

Q5. Assuming the guidance in Reg. Guide 1.132 were applicable and the borings program implemented by PFS failed to satisfy it, what would be the safety significance of such a failure?

A5. There is no significance to having lower density of borings than called for in Reg. Guide 1.132 because the subsoil in the pad emplacement area is reasonably uniform across the area and its characteristics have been fully determined through the subsurface investigations conducted by PFS.

C. PFS's Soil Sampling Program

Q6. In his answer to question 18, Dr. Bartlett opines that the pad emplacement area has been "significantly undersampled" in terms of retrieving soil samples for testing, and asserts that "[t]his undersampling is even more acute when one considers that only nine boreholes (A1, B1, C1, A2, B2, C2, A3, B3 and C3) were drilled in or near the pad emplacement area for the purpose of retrieving samples for laboratory testing and analysis." Are Dr. Bartlett's assessments correct?

A6. No. Dr. Bartlett's opinion that the pad emplacement area has been significantly undersampled is incorrect. Moreover, the assertion that "only nine boreholes" were drilled in or near the pad emplacement area for the purpose of retrieving samples for laboratory testing is factually incorrect. PFS drilled a total of sixteen borings (the nine listed by Dr. Bartlett plus boreholes A4, B4, C4, D1, D2, D3 and D4) in or near the pad emplacement area and took soil samples from all sixteen boreholes for testing. In addition, PFS conducted continuous sampling of soil

properties in 37 CPT soundings within the pad emplacement area. See PFS Exh. 235 (SAR Fig. 2.6-19).

Q7. In answer to question 20 in the Bartlett Direct Testimony, Dr. Bartlett faults the PFS sampling program for the pad emplacement area for failing to comply with the guidance in Reg. Guide 1.132 that continuous sampling should be conducted in "critical layers," such as Layer 2. What is your response?

A7. I would again note that the guidance in Reg. Guide 1.132 does not apply to ISFSIs. In my opinion, continuous soil sampling is not required for the pad emplacement area because the pads are unlike the large, heavy nuclear power plant structures and have no safety-related connections.

Even if the guidance in Reg. Guide 1.132 were applicable, PFS's sampling program would be in compliance with that guidance for several reasons:

- PFS performed continuous sampling because it conducted 37 cone penetration tests in the pad emplacement area that sampled continuously the soil properties throughout Layer 2. See PFS Exh. 233 for examples of plots of the data collected continuously throughout the upper 25 to 30 ft. of the profile in the CPTs. Those CPT data confirm that there are no weak layers that have been missed by the soil sampling that was performed in the borings drilled in the pad emplacement area.
- PFS obtained sufficient number of disturbed and undisturbed samples of Layer 2 soils from the pad emplacement area to conduct laboratory tests that permitted a proper determination of the shear strength and other properties of the soils in this layer. In fact, five out of the nine pad emplacement area boreholes cited by Dr. Bartlett had undisturbed samples from Layer 2 soils taken for testing. See Table 1 of the Joint Direct Testimony of Paul Trudeau and Anwar E. Z. Wissa on Section C of Unified Contention Utah L/QQ ("Trudeau Direct Testimony"). These samples were taken in the borings, alternating with standard split-spoon samples as the boreholes were advanced, as recommended under Section 6, "Sampling", of Reg. Guide 1.132.

Q8. Dr. Bartlett claims in his answer to question 22 of the Bartlett Direct Testimony that the Layer 2 soils "have not been continuously sampled and characterized with depth," and that this incomplete characterization "adds additional uncertainty to the Applicant's estimate of the shear strength of this important layer." Do you agree with Dr. Bartlett's conclusions?

A8. No. First, for the reasons just stated, it is incorrect to assert that the Layer 2 soils have not been continuously sampled and characterized with depth. Second, the purpose of continuous sampling is, as indicated in Reg. Guide 1.132, to identify

“[r]elatively thin zones of weak or unstable soils [that] may be contained within more competent materials and may affect the engineering characteristics or behavior of the soil or rock.” PFS Exh. 234 at 1.132-5. If such zones existed within Layer 2, they would have been detected through changes in cone tip resistance measured in the CPT tests, which sampled Layer 2 continuously throughout the pad emplacement area. No such zones were identified in the extensive CPT tests, so there is no reason to believe that any exist. Therefore, continuous sampling in borings through Layer 2 of the pad emplacement area was not required. Finally, PFS performed continuous sampling of Layer 2 soils in boreholes in the CTB and did not identify any zones of weak or unstable soils, confirming that such zones do not exist in the areas of interest at the PFSF site.

D. PFS Soil Testing Program

- Q9.** Dr. Bartlett expresses the view, in answer to question 23 of the Bartlett Direct Testimony, that “[t]he most egregious weakness of the Applicant’s sampling program is the extreme undersampling that has been performed of the upper Lake Bonneville sediments.” The basis for such a harsh criticism is the assertion that PFS “has calculated the sliding resistance of the pads based on one set of direct shear tests obtained from borehole C-2 from a depth interval of 5.7 to 6 feet.” How do you respond to Dr. Bartlett’s criticism?
- A9.** Dr. Bartlett’s criticism is way off the mark. The sample from which the shear strength of the Upper Lake Bonneville clay layer was measured in direct shear tests had the highest void ratio and lowest density of any samples taken in pad emplacement area. (High void ratios and low densities are indicative of low shear strengths.) The sample was taken from the section of pad emplacement area that was expected, based on previous tests, to have weakest soils. Further, the sample was taken from the portion of the Upper Lake Bonneville clay layer known to have lowest strength (5 to 7 feet below surface). For all these reasons, the sample used to determine the shear strength value of the soil provided a minimum strength value for use in the sliding stability analyses of the soils in the pad emplacement area.
- Q10.** Dr. Bartlett expresses the view in answer 25 that the minimum shear strength value calculated by PFS “may be subject to severe bias and could potentially lead to overestimation of shear strength capacity available,” and did not account for the potential variation of shear strength properties of Layer 2 soils across the pad emplacement area. Is there merit to Dr. Bartlett’s view?

- A10.** No. As stated earlier, the Layer 2 soils are “monotonous” – that is, uniform – across the pad emplacement area, as Dr. Bartlett himself recognized in his November 17, 2000 deposition (“Bartlett November 2000 Deposition”), Tr. at 495. (See PFS Exh. 236). Because of this uniformity, the horizontal variations in shear strength across the Layer 2 soils in the pad emplacement area do not exist.
- Q11.** In answer 26 of the Bartlett Direct Testimony, Dr. Bartlett seeks to support his contention that there are potential variations in shear strength across the Layer 2 soils by citing a set of figures he prepared (State Exh. 99) in which he plotted measured cone penetration resistance tests results. He cited these plots as suggesting that there is a factor of 2 variation in cone penetration tip resistance, from which he infers that there may be a factor of 2 variation in shear strength across the pad emplacement area. What is your assessment of Dr. Bartlett’s analysis?

A11. There is no technical or factual basis for Dr. Bartlett’s analysis. First, contrary to his assertion, the correlation between cone tip resistance and the undrained shear strength of the soil is not as simple as Dr. Bartlett would have us believe. The relationship between the two parameters is complex, and involves a number of parameters which may be variable, even for a given soil type. Therefore, a constant or nearly constant shear strength may be accompanied by variations in cone tip resistance on account of variations in these other parameters. This matter was discussed at length in Dr. Bartlett’s deposition. See Bartlett November 2000 Deposition Tr. 471 - 496 (PFS Exh. 236).

Second, the plots prepared by Dr. Bartlett and included in State Exh. 99 are too crude and prepared in too unreliable a manner to convey any meaningful information. See PFS Exh. 236, Tr. at 474-75. The alleged factor of two variation in cone penetration tip resistance from one set of Layer 2 measurements to another can be accounted for by plotting errors, the width of the marker with which he traced the enlarged SAR plots, the enlargement process itself, and the scale of the plot, which is too compressed to provide any accurate readings. I do not believe that such plots would be considered acceptable in serious scientific circles.

Third, I interpret the CPT resistance plots presented in SAR Figure 2.6-5, Sheets 1 through 14 (from which Dr. Bartlett prepared State Exh. 99) in the totally opposite manner as he does. I view those plots as demonstrating remarkable

uniformity of properties of Upper Lake Bonneville clay soils across the pad emplacement area.

Finally, even if there were any locations in the pad emplacement area with soils that exhibited lower shear strength than the minimum value calculated PFS, the existence of such locations would be of no consequence because:

- Any lower values of shear strength would be localized effects.
- The actual shear strength of the soil under the cement-treated soil beneath a storage pad depends on the average strength of the soil in the area under the pad. It is extremely unlikely that the average shear strength of the soil in the 30' x 67' area under a pad would be less than minimum value measured by PFS, for the reasons stated above.
- Because of all the conservatism in the computation of the factor of safety against sliding to which I referred earlier, the actual FS would remain above the 1.1 guideline even if the shear strength value dropped significantly.

E. Concerns re Non-Performance of Cyclic Triaxial Tests

Q12. In his answer to question 30, Dr. Bartlett asserts that PFS should have performed strain-controlled cyclic triaxial tests to ensure that there was no significant degradation of shear strength at the soil strain (deformation) levels caused by the design earthquake. Is he right?

A12. PFS conducted stress-controlled cyclic triaxial tests to determine collapse potential of soil. The results of those tests are presented in Attachment 6 of Appendix 2A of the SAR, and are described in Section 2.6.4.7 of the SAR at pages 2.6-98 to 2.6-100. The results of the tests did not show any degradation of the shear strength of the samples throughout 500 cycles of loading at extremely high cyclic ratios. The resulting cyclic strains were very small, indicating essentially elastic response throughout the tests. For such low values of cyclic strain, Fig. 2 of the Makdisi and Seed treatise (State Exh. 102) shows that the ratio of shear strength after cyclic loading to the original strength is essentially 1.0, which indicates that there is no strength degradation for these soils due to the high levels of cyclic stress applied. Since the cyclic stresses applied during the tests (500 cycles) are greatly in excess of those that take place during the design basis earthquake for the PFSF (approximately 7 to 11 cycles), no significant degradation of shear strength is anticipated to take place, and strain-controlled cyclic triaxial tests are unnecessary.

F. Concern Over Non-Performance of Triaxial Extension Tests

Q13. In his response to question 32 of the Bartlett Direct Testimony, Dr. Bartlett asserts that triaxial extension tests, which measure the shear strength in extension of the soil, should have been performed by PFS but were not. What is your response?

A13. I responded to this claim in answer 29 of the Trudeau Direct Testimony, where I explained why those tests are not needed at the PFSF.

G. Strength of Soils in the CTB Area

Q14. In answer 29 of the Bartlett Direct Testimony, Dr. Bartlett alleges that PFS has used potentially unconservative estimates of the undrained shear strength in the dynamic bearing capacity analyses of the CTB because the strength was based on shear strengths measured in UU tests that were performed on samples obtained from borings drilled more than 1,000 ft away from the CTB. Is this a legitimate concern?

A14. No. As indicated on page 8 of S&W Calculation 05996.02-G(B)-13-6 (PFS Exh. VV):

“The undrained shear strengths measured in the triaxial tests are used for the dynamic bearing capacity analyses because the partially saturated, fine-grained soils will not drain completely during the rapid cycling of loadings associated with the design basis ground motion. As indicated in Figure 6, the undrained strength of the soils within ~10 ft of grade is assumed to be 2.2 ksf. This value is the lowest strength measured in the UU tests, which were performed at confining stresses of 1.3 ksf. This confining stress corresponds to the in situ vertical stress existing near the middle of the upper layer, prior to construction of these structures. It is much less than the final stresses that will exist under the cask storage pads and the Canister Transfer Building following completion of construction. Figure 6 illustrates that the undrained strength of these soils increase as the loadings of the structures are applied; therefore, 2.2 ksf is a very conservative value for use in the bearing capacity analyses of these structures.”

Figure 6 of PFS Exh. VV presents the results of all the triaxial tests that were performed on soil samples obtained at the PFSF site, including all those obtained from the CTB area. The curve shown in that figure provides a reasonable estimate of the strength to use in bearing capacity analyses based on the triaxial test results. Therefore, the undrained strength used in the bearing capacity

analyses of the CTB, although it equals the value measured for the UU test that was performed on Sample U-3D from Boring B-4, was developed based on the summary plot of all of the triaxial tests that were performed on samples of soils obtained from the PFS site – those in the pad emplacement area as well as those from the CTB area. As shown by the curve in Figure 6 on p. 57 of the G(B)-13-6 calculation, the value of 2.2 ksf used for the bearing capacity analyses is a reasonable lower-bound value based on the results of all of the triaxial tests that were performed by PFS. Moreover, the effective vertical stresses, σ_v , increase as one goes deeper in the profile, and the undrained shear strength increases as well. For example, as shown in Figure 6, at 7 ft below the CTB mat, σ_v equals 2.1 ksf and the undrained shear strength is ~3.3 ksf; therefore, it is very reasonable to have adjusted the undrained shear strength used in the bearing capacity analysis of the CTB to 3.18 ksf based on the strength increase noted at depth in the CPTs that were performed in the CTB area.

In any event, the minimum factor of safety against bearing capacity failure for the CTB calculated by PFS is 5.5. Even eliminating the adjustment factor that Dr. Bartlett finds inappropriate would result in a factor of safety against bearing capacity failure of approximately 3, which is still well above the 1.1 FS considered acceptable under NRC guidance for nuclear power plants. Therefore, the concern raised by Dr. Bartlett is both erroneous and inconsequential.

Q15. Does this conclude your testimony?

A15. Yes.

1 CHAIRMAN FARRAR: And go ahead, Mr. Diaz.

2 MR. TRAVIESO-DIAZ: I am distributing to
3 the court reporter, the Board and the parties, what I
4 would like to have marked as PFS Exhibit 238, and I
5 will describe it for the record as follows.

6 This exhibit consists of the cover page of
7 a document prepared by Cone Tec, Inc. of Salt Lake
8 City, dated May 1999 entitled, "Presentation of Cone
9 Penetration Testing Results of Soils at the Private
10 Fuel Storage Facility, Skull Valley, Utah. Report
11 number 05996.02-G(P030) Rev.1".

12 The second page of the exhibit is page 10
13 of that report. The third page of the exhibit is one
14 of the pages from the report from Appendix F, at page
15 F-63. And the last page of the exhibit is Figure 7
16 from Attachment C of Calculation 05996.2-GB4 Rev.9,
17 which is already in evidence as Applicant or PFS
18 Exhibit UU. And this is marked as PFS Exhibit 238.

19 CHAIRMAN FARRAR: All right. The reporter
20 will mark that for identification.

21 (PFS Exhibit 238 marked for identification.)

22 MR. TRAVIESO-DIAZ: Mr. Trudeau, would you
23 describe what the first three pages of this exhibit,
24 where they come from?

25 MR. TRUDEAU: Those are from Cone Tec's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report that Dr. Bartlett referred to earlier today,
2 the 1999 report of the cone penetration testing. I
3 have a copy of the whole report here.

4 MR. TRAVIESO-DIAZ: Yes. Would you show
5 it to the Board to verify what Dr. Bartlett's says,
6 that's four inches thick.

7 Could you please turn to the second page
8 of the exhibit, which is page 10 of the Cone Tec
9 report, and to the text underneath Table 2. Would you
10 explain to the Board what your understanding is of
11 what Cone Tec is doing or is telling us in that
12 paragraph?

13 MR. TRUDEAU: In this paragraph, Cone Tec
14 is reporting that they did exactly what Dr. Bartlett
15 suggested needs to be done to develop a site-specific
16 value of NK, for use in calculating the undrained
17 shear strength from the tip resistance values measured
18 at the site in the Bonneville clays.

19 I'd like to point out that Cone Tec is
20 based in Salt Lake City. They have experience working
21 with Bonneville clays. I had sent them the results of
22 our laboratory test results for this purpose, and they
23 have developed this value of 12.5 used to calculate
24 the undrained shear strength that they reported in
25 Appendix F of this report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAVIESO-DIAZ: And this would be the
2 same N sub K that Dr. Bartlett was referring, as
3 providing the correlation between cone penetration tip
4 resistance and undrained shear strength of the soil?

5 MR. TRUDEAU: That's correct. And as you
6 can see by that equation at the bottom of page 10,
7 that that's exactly the same equation that Dr.
8 Bartlett was suggesting is appropriate in his Exhibit
9 100.

10 MR. TRAVIESO-DIAZ: And the N sub K, the
11 average N sub K that Cone Tec came up with was 12.5?

12 MR. TRUDEAU: That is correct.

13 MR. TRAVIESO-DIAZ: All right. And that's
14 your understanding of the N sub K that Cone Tec used
15 throughout their report in reporting values?

16 MR. TRUDEAU: Of undrained shear strength,
17 that's correct.

18 MR. TRAVIESO-DIAZ: Let's move to the
19 third page of this exhibit. Again, my understanding
20 is that this is one of a number of pages in which Cone
21 Tec reports the results of its cone penetration tests?

22 MR. TRUDEAU: That is correct.

23 MR. TRAVIESO-DIAZ: Would you help us with
24 some of the information in this table. What does the
25 first column signify?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRUDEAU: That's the depth of the tip
2 at that particular interval.

3 MR. TRAVIESO-DIAZ: Okay. Moving down
4 near the bottom of the page, the line that has in the
5 first column, 4.43.

6 MR. TRUDEAU: Yes.

7 MR. TRAVIESO-DIAZ: Would that be the
8 depth at which this particular cone penetration
9 measurement was taken?

10 MR. TRUDEAU: Yes, it is.

11 MR. TRAVIESO-DIAZ: All right. Now tell
12 me what the ninth column, which is entitled, "E-
13 Stress" means.

14 MR. TRUDEAU: That is the effective stress
15 that is designed Sigma sub V in the equation on page
16 10, which is included as the second page of Exhibit
17 238.

18 MR. TRAVIESO-DIAZ: And tell me what does
19 TFS mean?

20 MR. TRUDEAU: That's tons per square foot.
21 Most of our work has been done in kips per square
22 foot, so to convert from tons per square foot here you
23 just multiply by two, two kips per ton.

24 MR. TRAVIESO-DIAZ: So I see that for the
25 same line that has a 4.42 depth, there is an effective

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stress of .21 tons per square foot?

2 MR. TRUDEAU: Correct.

3 MR. TRAVIESO-DIAZ: Now how would you
4 translate that to pounds per square foot?

5 MR. TRUDEAU: That would be double that to
6 get the kips per square foot, so it would be .42 kips
7 per square foot. If you wanted pounds, you'd multiply
8 that by 1,000. That would be 420.

9 MR. TRAVIESO-DIAZ: So this is 4.2 kips.

10 MR. TRUDEAU: No, .42 kips.

11 MR. TRAVIESO-DIAZ: I'm sorry, .42.

12 MR. TRUDEAU: Per square foot.

13 MR. TRAVIESO-DIAZ: All right. Now if you
14 would move to the next to the last column, "S sub U."
15 What is S sub U?

16 MR. TRUDEAU: S sub U is the undrained
17 shear strength values that Cone Tec calculated for
18 every interval that they made measurements at.

19 MR. TRAVIESO-DIAZ: Now for this same line
20 that was .67?

21 MR. TRUDEAU: .67 tons per square foot.

22 MR. TRAVIESO-DIAZ: And if I wanted to
23 convert that to kips, what would I have to do?

24 MR. TRUDEAU: You'd multiply that by 2, so
25 that would be around 1.34 kips per square foot.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAVIESO-DIAZ: Okay. Now this is the
2 value of undrained shear strength that was calculated
3 by Cone Tec for a depth of 4.43 feet?

4 MR. TRUDEAU: Yes, based on the measured
5 tip resistance value at that depth.

6 MR. TRAVIESO-DIAZ: And looking at -- and
7 you remember the testimony as to what the range of
8 depths of the upper Lake Bonneville clays is, three to
9 ten feet. Remember that?

10 MR. TRUDEAU: Yes.

11 MR. TRAVIESO-DIAZ: So if you take a look
12 at the values on this page on that range, would this
13 line that has the .67 undrained shear strength would
14 be the lowest reported on this page?

15 MR. TRUDEAU: I believe this is the lowest
16 value reported in the upper Bonneville clay in all of
17 the Cone Tec results. It's certainly the lowest in
18 this range here.

19 MR. TRAVIESO-DIAZ: Okay. Tell me now,
20 this doesn't include, of course, the effect of the
21 weight of the pad on the stress of the soil. Is that
22 right?

23 MR. TRUDEAU: That's correct. It's at the
24 effective stress of .21 tons --

25 MR. TRAVIESO-DIAZ: Okay. So you would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need to make, essentially, a correction to account for
2 the weight of the pad?

3 MR. TRUDEAU: If you were going to use
4 these values in the sliding stability analysis of the
5 pad. This is essentially the same thing that Dr.
6 Bartlett said this morning, that the strength is a
7 function of the stresses that are applied.

8 MR. TRAVIESO-DIAZ: Would you turn your
9 attention to the last page of this exhibit, please.

10 MR. TRUDEAU: Yes.

11 MR. TRAVIESO-DIAZ: Is this Figure 7 the
12 correlation that you generally drew based on your
13 shear tests between the undrained shear strength
14 between the stress and the undrained strength at
15 various points, taking into account the weight of the
16 pad?

17 MR. TRUDEAU: This page presents the
18 results of the direct shear tests that were performed
19 on Sample U-1C from boring C-2.

20 MR. TRAVIESO-DIAZ: And what would be the
21 value that represents your calculated undrained shear
22 stress for the actual situation that you would have at
23 PSF under the pad, taking into account the weight of
24 the pad, based on your laboratory measurements?

25 MR. TRUDEAU: You can see this near the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 middle of the chart where the Sigma V sub F at the
2 bottom of the cask storage pads is identified as
3 approximately 2 KSF. You go vertically up to the line
4 through the laboratory test results, as Dr. Bartlett
5 indicated earlier today, and read the undrained
6 strength off on the vertical axis as being 2.1 KSF.

7 MR. TRAVIESO-DIAZ: Now you testified a
8 moment ago that for this particular line that we're
9 looking at, the effective stress was .42?

10 MR. TRUDEAU: That is correct, so if you
11 do that same construction for the results from this
12 direct shear test, you can see that the undrained
13 strength should be around 1.4 KSF, versus the measured
14 value by Cone Tec of 1.34 KSF.

15 MR. TRAVIESO-DIAZ: Would you say --

16 MR. TRUDEAU: It doesn't get any better
17 than that in geotechnical engineering.

18 MR. TRAVIESO-DIAZ: Would you say that the
19 value, in fact, of undrained shear strength reported
20 for Cone Tec for this worst case is consistent with
21 the value that you expect that would actually exist
22 under the pad based on your lab measurements?

23 MR. TRUDEAU: That's exactly what I was
24 going to say.

25 MR. TRAVIESO-DIAZ: Well, I'm glad. This

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is all that I have in examination, rebuttal
2 examination. And I would like to move to admit
3 Exhibit 238 into evidence.

4 CHAIRMAN FARRAR: Any objection?

5 MS. CHANCELLOR: Yes, Your Honor. Could
6 I ask Mr. Trudeau a couple of questions?

7 CHAIRMAN FARRAR: Yes, certainly.

8 MS. CHANCELLOR: Mr. Trudeau, good
9 morning.

10 MR. TRUDEAU: Good morning.

11 MS. CHANCELLOR: This says -- the
12 document, the Cone Tec results, Exhibit -- the
13 excerpts, Exhibit 238, it states it's Revision 1?

14 MR. TRUDEAU: Correct.

15 MS. CHANCELLOR: That large thick book you
16 held up a moment ago, the four inch thick binder,
17 that's not Revision 1, is it?

18 MR. TRUDEAU: It included Revision 1,
19 which was a change to -- some of the dilatometer data,
20 I believe.

21 MS. CHANCELLOR: Do you recall whether the
22 State ever obtained a copy of Revision 1?

23 MR. TRAVIESO-DIAZ: Ms. Chancellor, I can
24 represent to you on the record that we did. We have
25 the cover letter to prove it, and I can prove it to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the State at the proper time. The answer is yes, you
2 have it.

3 MS. CHANCELLOR: That's fine, Your Honor.
4 No objection.

5 MR. O'NEILL: No objections from the
6 Staff.

7 MR. TRAVIESO-DIAZ: The witness is
8 available for examination.

9 CHAIRMAN FARRAR: And then Exhibit 238 for
10 identification will be admitted.

11 (Exhibit 238 received in evidence.)

12 CHAIRMAN FARRAR: Staff have any cross?

13 MR. O'NEILL: Just one quick
14 clarification, I think.

15 CROSS EXAMINATION

16 MR. O'NEILL: Mr. Trudeau, could you turn
17 to page 5 of your rebuttal testimony. You'll notice
18 near the top there's a bullet. Do you see that?

19 MR. TRUDEAU: Yes, I see that.

20 MR. O'NEILL: The sentence begins, "The
21 minimum FS".

22 MR. TRUDEAU: Yes, that's factor safety.

23 MR. O'NEILL: It says, "The minimum factor
24 safety is applicable only during the brief period in
25 which the earthquake reaches its peak magnitude." Are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you referring to the earthquake ground motion, when
2 the earthquake ground motion reaches its peak
3 magnitude?

4 MR. TRUDEAU: That's correct.

5 MR. O'NEILL: Okay. Thank you. That's
6 all I have.

7 CHAIRMAN FARRAR: Thank you, Mr. O'Neill.

8 JUDGE LAM: I'd like to ask a
9 clarification. Mr. Trudeau, I'm * in computing the
10 minimum factor of safety against sliding. Your very
11 initial calculation indicates a factor of safety of
12 1.27, a 27 percent margin, which was then opened to
13 criticism by Dr. Bartlett, saying 27 percent is not
14 sufficient because the shear strength could change by
15 a factor of 2.

16 Now my puzzlement comes from, subsequently
17 you indicate there are other mechanisms there against
18 sliding. For example, the passive resistance offered
19 by the soil cement around the pad. If that is,
20 indeed, a valid mechanism against sliding, why did you
21 not just take it into account at the very beginning?

22 MR. TRUDEAU: The point I was trying to
23 make was that we don't even need to take that into
24 account, and in so doing, we eliminate a lot of
25 concerns and questions about the quality required to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 construct that soil cement adjacent to the pad,
2 because it's not being relied upon to keep the pad
3 from sliding.

4 JUDGE LAM: Because Dr. Bartlett does have
5 a point, 27 percent may not be a great deal of margin,
6 and if the soil shear strength does in fact change by
7 a factor of 2, there goes your margin.

8 MR. TRUDEAU: The soil shear strength that
9 we're using is the lower bound strength. As I've just
10 indicated, based on the cone data, as well, we're
11 looking at the worst case on this site for the
12 developing the soil strength, so any variability in
13 the soil strength is going to lead to an increase in
14 the shear strength, in my estimation.

15 I'd like to also point out that the 1.27
16 is 15 percent above, as Dr. Bartlett has indicated,
17 the value that's accepted as being reasonable
18 according to NUREG 0800. It's -- NUREG 0800 for
19 nuclear power plants says that a factor safety of 1.1
20 is acceptable. It's found to be acceptable for
21 nuclear power plant structures, so these structures,
22 in my estimation, are less critical than nuclear power
23 plant structures because we don't have the safety-
24 related connections that are required at many of the
25 nuclear power plant structures, and lead to increased

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sensitivity to structural movements than are
2 applicable here.

3 JUDGE LAM: That I understand. My
4 question really is, if the soil cement is going to be
5 placed around the pad which, in fact, would have some
6 passive resistance.

7 MR. TRUDEAU: Yes, it would.

8 JUDGE LAM: But taking credit for that
9 would be a reasonable approach, and then if - assuming
10 your calculation is correct, then the factor of safety
11 would be over 3.

12 MR. TRUDEAU: That is correct.

13 JUDGE LAM: Well, then the dispute with
14 Dr. Bartlett would go away.

15 MR. TRUDEAU: Well, I believe he would
16 have some additional concerns about the soil cement,
17 so the -- I see Dr. Bartlett nodding vociferously in
18 the background here.

19 The 1.27 is based on what, as I've said,
20 I believe is a lower bound strength. It also does not
21 include the well-known phenomenon that Dr. Bartlett
22 agreed is existing for clay soils; that is, when they
23 are rapidly loaded, as they would be from an
24 earthquake because of the rapid cycling during the
25 earthquake, it's well-known that clay soils show an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 increase in strength due to that rapid loading. And
2 I believe that it would be a minimum of 50 percent for
3 these soils; whereas, in the literature, the strength
4 increase has been noted to be as high as 100 percent,
5 so I don't believe it's correct to assume that the
6 strength of this soil can be less than what we're
7 looking at here.

8 JUDGE LAM: So I think your approach,
9 assuming your assertions are correct, are
10 exceptionally conservative. You have no -- assuming,
11 I mean, your theory is correct, you have no physical
12 phenomena. You willingly and deliberately disregard
13 to come up with 1.27 factor of safety, two of which is
14 the passive resistance of the soil cement. Number
15 one, which is that. The second one is what you just
16 mentioned.

17 MR. TRUDEAU: That's correct. This is a
18 curse. I mean, this is the way that I've learned to
19 work within the nuclear power plant environment. You
20 don't work with statistical averages or means. You
21 work with the worst case, so that you can demonstrate
22 that even for the worst case scenario, you've got an
23 acceptable design.

24 JUDGE LAM: Thank you for your insight.

25 CHAIRMAN FARRAR: Ms. Chancellor and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 everyone, let's review the bidding here. Our closing
2 time in mind, how long do you think you'll need?

3 MS. CHANCELLOR: With Mr. Trudeau, 45
4 minutes.

5 CHAIRMAN FARRAR: OH, okay. And then
6 that's the end of the -- I mean, we'll have a little
7 bit of redirect and so forth, but that's the end of
8 the Applicant's rebuttal case.

9 MR. TRAVIESO-DIAZ: Subject to,
10 potentially, although I don't expect that we're going
11 to need to bring Mr. Trudeau back, based on where we
12 are now. But yes, it would be the end of the
13 rebuttal.

14 CHAIRMAN FARRAR: Okay. And does the
15 Staff have any -- planning any rebuttal case?

16 MR. O'NEILL: No, we haven't -- we're not
17 planning any rebuttal.

18 CHAIRMAN FARRAR: And so then, Ms.
19 Chancellor, when you finish this, we would have left
20 only the State's rebuttal with Dr. Bartlett.

21 MS. CHANCELLOR: Yes. And I've
22 distributed written rebuttal, and I'll have just a
23 couple of questions for Dr. Bartlett on the stand.

24 CHAIRMAN FARRAR: All right. So it looks
25 like we're in reasonably good shape to hit our target.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAVIESO-DIAZ: If I can be as bold as
2 to make a prediction, I think we will be finished
3 before lunch.

4 CHAIRMAN FARRAR: All right. Brandon,
5 would you let Judge Bollwerk know that, in terms of
6 the afternoon presentation. See if the person is
7 available at noon time.

8 Go ahead, Ms. Chancellor.

9 MS. CHANCELLOR: Your Honor, PFS Exhibit
10 238, asking questions about that exhibit is way beyond
11 my capability, and I would request that the Board make
12 a finding to allow Dr. Bartlett. He has -- he's
13 familiar with Cone Tec's cone penetrometer test
14 results. He's familiar with the NK factor, and he
15 will be expeditious in his questioning, so I would
16 request permission to allow Dr. Bartlett to question
17 Mr. Trudeau.

18 CHAIRMAN FARRAR: Right. Under the same
19 provision of the regulations that we've invoked
20 before, I think it's apparent from the proceedings
21 that Dr. Bartlett clearly meets all three of those
22 criteria, so if there's no objection, we would let him
23 proceed.

24 MR. TRAVIESO-DIAZ: I have no objection,
25 but I would like a clarification. Do you intend, Ms.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Chancellor, to ask questions of Mr. Trudeau on the
2 rest of his rebuttal?

3 MS. CHANCELLOR: Yes, I was just going to
4 mention that. I do have some questions, but not very
5 many, on the written rebuttal. But with permission,
6 if Dr. Bartlett could do his questioning first.

7 MR. TRAVIESO-DIAZ: I have no problem with
8 that.

9 CHAIRMAN FARRAR: Mr. O'Neill?

10 MR. O'NEILL: No problem. No objection.

11 CHAIRMAN FARRAR: All right. Go ahead,
12 Dr. Bartlett.

13 DR. BARTLETT: Thank you. Good morning,
14 Mr. Trudeau.

15 MR. TRUDEAU: Good morning, Dr. Bartlett.

16 DR. BARTLETT: At last we talk face-to-
17 face.

18 (Laughter)

19 MR. TRUDEAU: You're looking well.

20 MR. TRAVIESO-DIAZ: I don't like the sound
21 of this.

22 DR. BARTLETT: I just have a few questions
23 regarding how Cone Tec derived this NK factor. First,
24 I see these borings that are listed. Those are from
25 the PFS site. Correct?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRUDEAU: That is correct.

2 DR. BARTLETT: And there is a mention here
3 of a CU tri-axial test. Could you please explain what
4 that means?

5 MR. TRUDEAU: Those are the consolidated
6 undrained tri-axial tests that are reported in the
7 SAR, and described or interpreted in the Appendices of
8 the stability calculations.

9 DR. BARTLETT: And when it says "CU tri-
10 axial test", could you please explain whether that's
11 tri-axial compression or tri-axial extension?

12 MR. TRUDEAU: Those are compression tests.

13 DR. BARTLETT: Now the results that we've
14 seen from the pad emplacement area for the direct
15 shear test, could you explain which direction of shear
16 that is in relation to compression?

17 MR. TRUDEAU: That's horizontal.

18 DR. BARTLETT: And the compression test,
19 what is --

20 MR. TRUDEAU: That's vertical.

21 DR. BARTLETT: That's vertical. Are you
22 aware, or heard of the term "anisotropy"?

23 MR. TRUDEAU: Yes.

24 DR. BARTLETT: Do you know if the
25 Bonneville clays have any shear anisotropy?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRUDEAU: I've heard you testify that
2 they do, but I'd like to point out that the strength
3 that we're using for the tri-axial compression test
4 for this pad emplacement area is 2.2 KSF, and for the
5 horizontal direction from the direct shear test it's
6 2.1 KSF. That's not much anisotropy.

7 DR. BARTLETT: But that's based on one
8 sample from the pad emplacement area. Is that --

9 MR. TRUDEAU: For the direct shear test,
10 and several for the tri-axial test.

11 DR. BARTLETT: Do you know approximately,
12 when Cone Tec says it used the nearest CPT soundings,
13 how far apart they are from these borings in relative
14 terms?

15 MR. TRUDEAU: I haven't determined that,
16 no.

17 DR. BARTLETT: Are they within a few feet?

18 MR. TRUDEAU: Not a few feet.

19 DR. BARTLETT: A few tens of feet?

20 MR. TRUDEAU: No, probably hundred feet or
21 more. We can determine that from PFS Exhibit 235,
22 which is a copy of Figure 2.6-19 of the SAR. It's a
23 location plan that shows where the borings are with
24 respect to the cones. And looking at the scale here,
25 it appears that boring 1 near the northern end of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 site is within 100 feet of CPT 24. Boring 3, which is
2 south of that, is within 25 feet, I would guess, of
3 CPT 20. C-2 is, gain, within 100 feet of CPT 10, and
4 maybe 150 feet from CPT 11. CPT N is over in the
5 cannister transfer building. The borings are not
6 shown here for this figure, but they are included in
7 another SAR figure. Hold on. I'll just check that.

8 MR. TRAVIESO-DIAZ: Mr. Trudeau, I think
9 you may have misspoken. Take a look at the plot of
10 the cannister transfer building on Exhibit 235.
11 Doesn't that show you the locations of the cone
12 penetration tests and the borings?

13 MR. TRUDEAU: Oh. I'm sorry. That's
14 correct. I just knew we had a bigger scale figure in
15 the SAR. That's correct. CTB-N is north of CPT 37 by
16 probably 30 or 40 feet, by my guesstimate here. And
17 CTB-S is maybe 15 feet from CPT 38, so I guess I
18 misspoke earlier when I said they were hundreds of
19 feet. There are several that are within certainly
20 tens of feet.

21 DR. BARTLETT: I believe that's all I
22 have. Thank you.

23 CHAIRMAN FARRAR: Thank you, Dr. Bartlett.
24 Ms. Chancellor.

25 MS. CHANCELLOR: Back to our usual format,

1 Mr. Trudeau. In looking at your rebuttal testimony,
2 in a number of places it appears not to be new
3 testimony. For example, in answer 1, you basically
4 just reclaim that the soils are uniform across the
5 site. Correct? There's nothing new there that didn't
6 appear in your direct testimony, or come out during
7 examination of you?

8 MR. TRUDEAU: I believe the term "complex"
9 is new to us, I'd say, so that's why that was included
10 here.

11 MS. CHANCELLOR: Okay. And then with
12 respect to answer 3, where you refer to the sliding of
13 the pads, and also the bearing capacity failure. You
14 testified about what's called a crustal layer.
15 Correct? On the top of the Bonneville.

16 MR. TRUDEAU: Yes.

17 MS. CHANCELLOR: And the 50 percent credit
18 for direct shear under dynamic loadings, you had a
19 whole bunch of testimony on that in Section D.
20 Correct?

21 MR. TRUDEAU: The 50 percent has been
22 discussed earlier. That's correct.

23 MS. CHANCELLOR: And the passive
24 resistance of soil cement, that's come up numerous
25 times. Correct?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRUDEAU: Yes.

2 MS. CHANCELLOR: And if you look at the
3 bottom of page 4, where you refer to "disturbed
4 samples", "samples become disturbed when you collect
5 them." Do you see that?

6 MR. TRUDEAU: Yes. I think that's the
7 first time we've discussed that. On page 3, I guess
8 this is the first time we've discussed the stronger
9 crust at the top of the upper Bonneville clay.

10 MS. CHANCELLOR: Are you saying that
11 disturbed sampling is good, because you know you have
12 stronger soils than those measured in the lab?

13 MR. TRUDEAU: I'm saying that the
14 disturbance that -- that no matter how good you try to
15 be when you take an undisturbed sample, just the fact
16 that you've removed it from the ground, you've caused
17 some disturbance to it. That disturbance is not going
18 to lead to an increase in strength for these clay
19 soils.

20 MS. CHANCELLOR: So you think you can take
21 credit for that in claiming conservatism in your
22 results. Is that correct?

23 MR. TRUDEAU: Absolutely.

24 MS. CHANCELLOR: With respect to answer 9
25 on page 9, and this deals with the sample taken from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bore hole C-2, the one set of samples for the direct
2 shear test.

3 MR. TRUDEAU: Correct.

4 MS. CHANCELLOR: You state, "Dr.
5 Bartlett's criticism is way off the mark." That's
6 rather harsh. Is that your testimony?

7 MR. TRUDEAU: Yes.

8 MS. CHANCELLOR: The bottom line is
9 though, that you only took three samples from one bore
10 hole to get direct shear test for the entire pad
11 emplacement area, the construction of 500 pads at the
12 PSF site. Isn't that true?

13 MR. TRUDEAU: Yes, but as Dr. Ofoegbu
14 said --

15 MS. CHANCELLOR: Thank you.

16 MR. TRUDEAU: -- there's other data that
17 corroborates these results, including the tri-axial
18 test data, and the wealth of cone data that are
19 measured continuously through that layer.

20 MS. CHANCELLOR: Thank you.

21 MR. TRUDEAU: Over the entire pad
22 emplacement area.

23 MS. CHANCELLOR: Thank you, Mr. Trudeau.
24 I have no further questions, Your Honor.

25 CHAIRMAN FARRAR: Ms. Chancellor, unless

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 my watch stopped, that was -- that 45 minutes was done
2 in 10, and I --

3 MS. CHANCELLOR: I thought you were going
4 to cut me in half, Your Honor.

5 (Laughter)

6 CHAIRMAN FARRAR: The old budget game.

7 MS. CHANCELLOR: I am in Washington, Your
8 Honor.

9 CHAIRMAN FARRAR: Well, I was going to
10 say, I assume you don't do that with the governor.

11 (Laughter)

12 CHAIRMAN FARRAR: The Board has no
13 additional questions. Any redirect?

14 MR. TRAVIESO-DIAZ: I see no need for
15 redirect.

16 CHAIRMAN FARRAR: No need?

17 MR. TRAVIESO-DIAZ: No need for redirect.

18 CHAIRMAN FARRAR: All right. Staff?

19 MR. O'NEILL: No addition questions, Your
20 Honor.

21 CHAIRMAN FARRAR: All right. We're moving
22 right along, for which I commend everyone. Then, Mr.
23 Trudeau, you're at least momentarily excused again.
24 Thank you again.

25 MR. TRUDEAU: Thank you, Your Honor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN FARRAR: Mr. Travieso-Diaz, does
2 that conclude the rebuttal case?

3 MR. TRAVIESO-DIAZ: It does.

4 CHAIRMAN FARRAR: Okay. The Staff, I
5 think, had previously indicated that it had -- it did
6 not expect to have any rebuttal case.

7 MR. O'NEILL: No, Your Honor.

8 MS. CHANCELLOR: Your Honor, could I
9 request another break?

10 MR. TRAVIESO-DIAZ: I was going to do the
11 same thing.

12 CHAIRMAN FARRAR: So now, Ms. Chancellor,
13 you would be presenting Dr. Bartlett's surrebuttal,
14 which you've handed out to us earlier this morning.

15 MS. CHANCELLOR: That's correct, Your
16 Honor, and there will be some -- it's going to be a
17 bit of a mixed bag. There will be some direct
18 rebuttal testimony. There will be the written
19 surrebuttal, then there'll be some rebuttal,
20 surrebuttal based on PFS Exhibit 238.

21 CHAIRMAN FARRAR: But we'll do that all in
22 one package.

23 MS. CHANCELLOR: We could wrap all that
24 up, right.

25 CHAIRMAN FARRAR: Then how much -- take as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much time as you need now to get that organized. How
2 long do you think you'd like?

3 MS. CHANCELLOR: If we could have 15
4 minutes now, Your Honor, I think that once Dr.
5 Bartlett gets on the stand, we won't have very much.

6 CHAIRMAN FARRAR: All right. Then it's
7 just before 9:30. Let's be back at 9 --

8 MR. TRAVIESO-DIAZ: Mr. Chairman.

9 CHAIRMAN FARRAR: Yes.

10 MR. TRAVIESO-DIAZ: I need time also to
11 review the pre-filed that we just received. I think
12 15 minutes may be enough, but I haven't read it. I
13 can't -- would it be --

14 CHAIRMAN FARRAR: Let's do 20. I mean, I
15 think --

16 MR. TRAVIESO-DIAZ: That should be
17 sufficient.

18 CHAIRMAN FARRAR: Yeah. It's almost 9:30.
19 Let's be back at 10 of 10.

20 MR. TRAVIESO-DIAZ: Thank you very much.

21 (Off the record 9:29 - 9:51 a.m.)

22 CHAIRMAN FARRAR: Ms. Chancellor, have you
23 had sufficient time to get your thoughts in order?

24 MS. CHANCELLOR: Yes, sir, I have. Yes,
25 thank you, Your Honor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN FARRAR: Okay.

2 MS. CHANCELLOR: Dr. Bartlett, I believe
3 you're up again. Dr. Bartlett, did you take with you
4 your surrebuttal?

5 DR. BARTLETT: Yes, I have a copy.

6 MS. CHANCELLOR: Do you have in front of
7 you surrebuttal of Dr. Steven Bartlett to PFS witness,
8 Paul Trudeau's, rebuttal testimony on Section C of
9 Unified Contention Utah L/QQ, dated June 21, 2002." Do
10 you have that testimony in front of you?

11 DR. BARTLETT: Yes, I do.

12 MS. CHANCELLOR: Was this prepared by you
13 or under your direction and control?

14 DR. BARTLETT: Yes.

15 MS. CHANCELLOR: And do you adopt this as
16 your rebuttal testimony, as if read?

17 DR. BARTLETT: I do.

18 MS. CHANCELLOR: And the -- and just for
19 point of clarification, this was done in a little bit
20 of a rush. The R1/R2, as it states at the beginning
21 of this rebuttal testimony, are they the direct
22 responses to the numbering in Mr. Trudeau's rebuttal
23 testimony?

24 DR. BARTLETT: Yes, they correlate.

25 MS. CHANCELLOR: So there's no question

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and answer. There's just a direct response. Is that
2 correct?

3 DR. BARTLETT: That is correct.

4 CHAIRMAN FARRAR: So what he has in answer
5 number 3, you have R3, your response.

6 DR. BARTLETT: To those that are put forth
7 by Mr. Trudeau.

8 CHAIRMAN FARRAR: Fine.

9 MS. CHANCELLOR: If you look at the
10 introductory clause, Your Honor, it -- that's how we
11 tried to designate it.

12 CHAIRMAN FARRAR: Right. And that's fine.
13 I just wanted to make sure we were clear.

14 MS. CHANCELLOR: Your Honor, I request
15 that the testimony be bound into the record as if
16 read.

17 CHAIRMAN FARRAR: Any objection?

18 MR. TRAVIESO-DIAZ: No objections.

19 MR. O'NEILL: No objections.

20 CHAIRMAN FARRAR: All right. Then the
21 reporter will bind this testimony into the record at
22 this point, as if read.

23 (Insert pre-filed testimony of Dr. Steven Bartlett.)
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of:)	Docket No. 72-22-ISFSI
)	
PRIVATE FUEL STORAGE, LLC)	ASLBP No. 97-732-02-ISFSI
(Independent Spent Fuel)	
Storage Installation))	June 21, 2002

**SURREBUTTAL OF DR. STEVEN BARTLETT TO PFS WITNESS
PAUL TRUDEAU'S REBUTTAL TESTIMONY ON SECTION C OF
UNIFIED CONTENTION UTAH L/QQ**

This surrebuttal follows Mr. Paul Trudeau's testimony with "R" designating a response to the numbered question/answer in Mr. Trudeau's testimony.

- R1. An approximate 51-acre site is a large area. The cone penetrometer (CPT) data collected by PFS (Figures 2.6-5 sheets 1 through 14) show that at least 5 major layers exist in the upper 35 feet of the profile. These same plots also show significant variations of CPT tip stress within a given layer. The geological and environmental processes that formed the various soil layers are complex. I considered the soil layering at the PFS site to be relatively complex and variable.
- R2. Because of uncertainty in the analyses, the minimum acceptable factor of safety for determining adequacy is 1.1, not 1.0. The range in margins against the minimum acceptable factor of safety of 1.1 as quoted in my prefiled testimony in A15 are correct.

In paragraph 1 Mr. Trudeau also suggests, "All of these margins are calculated using the peak force due to the design earthquake, which acts only for one brief instant in time; at all other times during the earthquake, the forces are much less than this peak value."

My comment is simply this: that unfortunately during an earthquake you only get one chance at failure, and if you reach a failure state, you have not achieved an adequate factor of safety. This view is consistent with the state of practice of geotechnical earthquake engineering. The reason for this practice is that once the

failure state has been reached, “unacceptable” things can happen. (See A7- A9 in my pre-filed testimony.) For example, once a foundation system or soil has failed from the peak stress, it may be subjected to increased and unacceptable deformation from subsequent earthquake cycles because it has been weakened due to reaching the failure state.

R3. One should always balance the conservatism introduced into an analysis with the unconservatisms that are introduced. The unconservatisms and potential unconservatisms in analyses have been discussed by Dr. Ostadan, Dr. Kahn and myself in our prefiled testimony and will not be repeated here. I will briefly address the conservatism claimed by Mr. Trudeau according to the bullets given.

- Earthquake forces tend to find the weakest link in the system. Failure may simply occur below “the crust” that is being described here.
- What Mr. Trudeau is describing are called “strain-rate effects.” These effects do exist and have been measured. I was involved in the I-15 Reconstruction Project where a 30 percent increase in the peak undrained shear strength was used to account for strain-rate effects in the Bonneville clays. However, for this same project, we used a 15 percent reduction in peak undrained shear strength due to softening of the clay from cyclic loading. The net effect was a 15 percent increase in the undrained shear strength. Mr. Trudeau has claimed strain rate effects that are larger than suggested by my experience. If used in design, this effect should be demonstrated by site-specific testing of the Bonneville clays.
- Use of passive earth pressure “i.e., the buttress effect,” as an additional resisting force in the design of the pads and the CTB is controversial. This has been thoroughly discussed by the State’s witnesses regarding our concerns about potential cracking of the soil cement by curing, settlement, and seismic forces. Also, the increase potential for pad-to-pad interaction has not been addressed in the sliding calculations for the pads.
- The claimed minimum factor of safety of 5 against sliding of the pads has only been obtained by compounding conservatisms. This is not correct. Mr. Trudeau has not considered the unconservatism raised by the State’s witnesses.

Regarding bearing capacity failure of the pads:

- It appears that the calculated factor of safety of 1.17 against bearing

capacity failure is conservative for the design basis earthquake. The main reason is that the 100 percent of the peak ground acceleration was applied in both horizontal directions at the same time. ASCE 4-98 loading combinations can be used, which would increase the factor of safety. However, I have not reviewed the calculations which claim that this factor of safety would increase to 2.1; thus I cannot comment on the appropriateness of this factor of safety.

Regarding the minimum soil strength of the soil in the pad emplacement area and CTB:

- The concerns I expressed in my prefiled testimony regarding the undersampling of the upper Bonneville clay still remain. I believe that this layer has been grossly undersampled and potential variability has not been adequately described. The amount of direct shear testing is inadequate to describe the sliding resistance for the upper Bonneville clay at the PFS site.

R4 I understand Reg. Guide 1.132 is only guidance and not strictly applicable to ISFSIs. I also understand that judgment is required in designing a soil's investigation program. The CPT investigations performed by the Applicant were extremely useful in narrowing the focus of the investigations to critical layers such as the upper Bonneville clay. However, the Applicant has not performed continuous sampling of this critical layer as discussed in my testimony (see A.20 in prefiled testimony). Also, because of the large size of the pad emplacement area, I believe that this should be done at select locations based on a thorough review of the CPT data. Also, it is my judgment that the continuous borings should be conducted within a few feet of where CPT soundings were performed, so that results from the laboratory shear testing can be correlated with the CPT data.

R5 See response R4

R6 See response R4

R7 In my opinion, the CPT data does not meet the requirements of continuous sampling. The guidance given in Reg. Guide 1.132 are for boring, not CPT soundings. CPT soundings are an in-situ test and engineering properties can only be inferred from CPT data. In contrast, the use of borings allows undisturbed sampling of the soil and laboratory testing of shear strength.

R8 My concerns expressed in A22 remain.

- R9 My concerns expressed in A23 remain.
- R10 My concerns expressed in A24 remain. Mr. Trudeau notes that in my deposition that I have described the soils in Layer 2 as being "monotonous." This was a bad choice of words on my part, because it is not very precise. I did not imply that these soils are uniform as interpreted by Mr. Trudeau. There is variability, even within layer 2 (i.e., the upper Bonneville clays) that may be significant to the sliding resistance of the pads.
- R11 My view expressed in A26 of my testimony and discussed in more detail during my cross-examination has not changed. For the sample soil type, the CPT tip resistance is an indicator of the variation in shear strength. Variations in CPT resistance in the upper Bonneville Deposits (silty clay / clay silt layer in SAR fig 2.6-5, sheets 1-14) can vary by a factor of about 2. This can be verified or refuted directly by PFS. It has the CPT data and can perform the analysis. (I was not given the electronic data, but had to rely on hard copy plots of the CPT data for my preliminary assessment.)
- R12 My opinion has not changed. PFS has not performed strain controlled cyclic tests at the levels of strain expected underneath the pads for the design basis earthquake.
- R13 My opinion has not changed. These shear tests can and should be used for bearing capacity analyses for soils that are anisotropic, such as the Bonneville clays.
- R14 Mr. Trudeau's answer satisfactorily addresses this issue.

1 MS. CHANCELLOR: Your Honor, I'd like to
2 conduct some oral examination. The first -- I'll try
3 and identify in general what I'm -- because it may be
4 direct rebuttal or surrebuttal. The first set of
5 questions goes to PFS recent Exhibit 238, the cone
6 penetrometer testing done by Cone Tec, and Mr.
7 Trudeau's testimony on that issue. I guess the
8 rebuttal, or surrebuttal.

9 Dr. Bartlett, Mr. Trudeau mentioned
10 something about anisotropy. What does anisotropy
11 mean?

12 DR. BARTLETT: May I also have a copy of
13 my pre-filed testimony?

14 MS. CHANCELLOR: Oh, certainly.

15 DR. BARTLETT: I think it's back behind
16 there. Anisotropy means that the, in this case for
17 shear strength, the strength of the soil, and it's
18 shear resistant is dependent upon the mode or the
19 direction of shear. The Bonneville clays, as I
20 discussed yesterday, have this fabric to them, this
21 layering, this microfabric that we discussed where we
22 have alternating clays that were deposited during the
23 quiet time of the lake, and subsequently, more silty
24 materials deposited when there was a lot of runoff
25 going into the lake. And it gives this microfabric,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if one looks at it, it may be on the order of an inch
2 or so, or some of the layering may even be smaller
3 than that. So it's this fabric that creates the
4 anisotropy.

5 For example, if we are in a laboratory to
6 place the sampling tracks of compression, and tracks
7 of compression means where we put the vertical forces
8 in this direction, which is the vertical direction,
9 and push on the sample, it will reach a failure state
10 and shear planes develop at some angle to that
11 principal direction of stress, and it will exhibit one
12 strength.

13 If we take the sample in the laboratory
14 and put it in direct shear, and in direct shear the
15 principal shearing stresses are applied in the
16 horizontal direction so that we shear it in a pure
17 horizontal direction, then it will exhibit another
18 strength, and that's a function of this fabric of the
19 soil. Did I answer your question?

20 MS. CHANCELLOR: Why is anisotropy
21 important at the PFS site?

22 DR. BARTLETT: Because the Bonneville
23 clays at the PFS site have anisotropy.

24 MS. CHANCELLOR: And is the strength of
25 the soils greater in one direction than in the other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in shear --

2 DR. BARTLETT: Yes, as I explained, in
3 tri-axial compression, it has a higher strength
4 because the stress is being applied in the vertical
5 direction. It is -- the soil is weaker when we try to
6 shear it in the horizontal direction, so it has direct
7 applicability at the PFS site.

8 MS. CHANCELLOR: And does evidence of
9 anisotropy exist at the PFS site?

10 DR. BARTLETT: Yes, it does.

11 MS. CHANCELLOR: The NK factor developed
12 by Cone Tec, was it developed for tri-axial
13 compression?

14 DR. BARTLETT: Yes, it was.

15 MS. CHANCELLOR: Is it proper to use an NK
16 factor developed for tri-axial compression for the
17 direct shear mode of failure?

18 DR. BARTLETT: If one is concerned about
19 calculating the direct shear mode of failure, which is
20 the primary mode of failure underneath the pads in
21 sliding because it is an event where there is now
22 sliding in the horizontal direction, then it would be
23 improper to use an NK factor calculated for tri-axial
24 compression if we were to use it for the direct shear
25 mode of failure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANCELLOR: Because the tri-axial
2 compression --

3 DR. BARTLETT: Because of the differences
4 in the way that the stresses are applied, for tri-
5 axial compression the stresses are in this direction,
6 which causes --

7 MS. CHANCELLOR: This being?

8 DR. BARTLETT: This being the vertical
9 direction, which causes shearing at some angle that's
10 controlled by the strength of the material. Whereas,
11 for the pads, where we're analyzing for shearing in
12 the horizontal direction, then the direct shear mode
13 of failure is the proper mode of failure.

14 MS. CHANCELLOR: Is there enough data from
15 the PFS site to develop an NK factor for the direct
16 shear mode of failure of the pads?

17 DR. BARTLETT: No, there is not.

18 MS. CHANCELLOR: Please comment on Mr. --
19 do you recall Mr. Trudeau referring to a 2.2 KSF to
20 represent low shear strength value for the NK factor?

21 DR. BARTLETT: I recall that comment. The
22 Cone Tech report, as presented this morning, doesn't
23 really elaborate on what we heard from Mr. Trudeau, so
24 it's difficult to comment completely upon it, based on
25 we haven't seen the calculations and the data that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 support the NK factor developed by Cone Tec.

2 However, as I understand it, the attempt
3 was made to perhaps find the lowest tip resistance
4 zone in the Bonneville clay, and I don't know if that
5 was the lowest through the entire pad emplacement
6 area, and use a 2 KSF tri-axial compression test to
7 represent -- which was represented as the lowest
8 bounds for tri-axial compression data, to represent
9 that lowest tip zone in the Bonneville clay throughout
10 the entire pad emplacement area.

11 That still, in my view, is not adequate
12 because the direct shear mode will have, if we could
13 find that exact same zone in the Bonneville clay, will
14 still have a lower strength. And, in fact, to support
15 my view, if we look at the three samples that we have
16 where direct shear testing is done, the lowest direct
17 shear strength that we see is 1.75 KSF. And I would
18 argue that that may not really truly represented the
19 lowest undrained shear strength in direct shear for
20 the Bonneville clay because it's been extremely under-
21 sampled.

22 MS. CHANCELLOR: And the --

23 COURT REPORTER: Indirect shear?

24 DR. BARTLETT: Direct shear.

25 COURT REPORTER: Did you say indirect?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. BARTLETT: It's direct. Two words, in
2 direct.

3 MS. CHANCELLOR: And the direct shear
4 results of 1.75 KSF, was that from the CTB area?

5 DR. BARTLETT: That's my recollection.
6 And that, I think, is at a vertical stress of about 2
7 KSF, as I recall.

8 MS. CHANCELLOR: And, Dr. Bartlett, is it
9 appropriate to use -- do you recall Mr. Trudeau
10 talking about the CPT soundings and the spacing of
11 them?

12 DR. BARTLETT: Yes, I do.

13 MS. CHANCELLOR: Is it appropriate to use
14 bore holes and CPT soundings that are spaced tens, if
15 not hundreds of feet, apart to develop correlations?

16 DR. BARTLETT: In my view, it's not.
17 We've done this process before at Savannah River site
18 where horizontal variability of the soils was of great
19 interest to us, and we did a program where we had cone
20 penetrometer soundings to correlate back to laboratory
21 shear strength values.

22 In those cases, we did undisturbed
23 sampling of the soils of interest, and to correlate
24 the results back to the CPT data, our -- the adjacent
25 soundings were five, if no more than ten feet apart,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so we knew exactly - and surveyed in, I should add -
2 so we knew exactly that the interval where we saw in
3 the laboratory test and where we had derived the shear
4 strength, directly corresponded to a certain interval
5 within the CPT.

6 When you get bore holes and CPTs now that
7 are spaced tens, if not hundreds of feet apart, it
8 becomes virtually impossible to do that process, so
9 your correlation introduces extra uncertainty and
10 variability due to the fact that there is lateral
11 variation in the soil conditions from place to place.

12 MS. CHANCELLOR: Is it possible for PFS to
13 actually do these correlations now if they did more
14 work?

15 DR. BARTLETT: Sure. I think we discussed
16 this some time ago, about two years ago, about this
17 philosophy of doing paired sampling, and CPT testing.

18 MS. CHANCELLOR: I'd like to switch to, I
19 think this is direct rebuttal, Your Honor. No, I
20 guess it's surrebuttal.

21 Mr. Trudeau -- do you recall Mr. Trudeau
22 testing that resonance column tests can be
23 extrapolated to higher shear strain levels? In your
24 opinion, is that true?

25 DR. BARTLETT: No, the resonant column

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 test is a low strain dynamic test, and generally
2 thought that applicable to give low strain shear
3 moduli to shear strains no more than about .1 percent.
4 To get shear strain values at higher levels of strain,
5 requires some other type of test. Quite often, that
6 is done with a strain controlled cyclic tri-axial
7 test.

8 MS. CHANCELLOR: And these resonant column
9 tests, that comes from the Geomatrix data. Right?

10 DR. BARTLETT: No, Geomatrix --

11 MS. CHANCELLOR: Tests, I mean.

12 DR. BARTLETT: Geomatrix used the data.
13 The curves and the testing, I believe, was done by
14 Stone & Webster, so the resident column testing was
15 done, and then given -- the results of the testing was
16 given to Geomatrix to evaluate, to develop the shear
17 modulus and damping curves for the ground response
18 analysis.

19 MS. CHANCELLOR: Now PFS conducted stress
20 controlled tri-axial tests. Right?

21 DR. BARTLETT: They did.

22 MS. CHANCELLOR: Why do you say that Pfs
23 needs to conduct strain controlled tri-axial tests?

24 DR. BARTLETT: Well, if we look at the
25 levels of strain that developed in the stress

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 controlled tests, and I can't recall those. If you'll
2 give me a minute, I can refresh my memory.

3 MS. CHANCELLOR: Is it in the SAR or in
4 your testimony?

5 DR. BARTLETT: It's in the SAR, but not
6 going back to that data, I know that they certainly
7 didn't reach 1 percent strain, and so they didn't get
8 into the higher strain behavior of the Bonneville
9 clays.

10 MS. CHANCELLOR: Why are you so concerned
11 about the lack of testing at high strain levels in the
12 Bonneville clays?

13 DR. BARTLETT: There are two reasons these
14 data are needed. The first one uses the high strain
15 levels to complete the shear modulus and damping
16 curves for high strain levels up to about 1 percent,
17 so these data are useful in the analyses that
18 Geomatrix performed.

19 Geomatrix used the data that was from the
20 resonant column testing, and then the curves were
21 extrapolated out to higher strain levels. I don't
22 really think I have too much of an issue extrapolating
23 the shear modulus and damping curves to high strain
24 levels for the ground response analysis, because there
25 are other published curves upon which one can make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that extrapolation in a reasonable manner, and that's
2 not my issue of criticism. That's just a point that
3 -- that's one of the uses of these tests.

4 My concern is more from the shear strength
5 perspective. Again, we're using the Bonneville clays
6 to resist these strong ground motions, and we do not
7 really know the shear strains that will develop
8 underneath the pads due to the inertial loadings.
9 That has not been calculated by the Applicant. And
10 one would be prudent in devising a test program to do
11 a range of strains, particularly in the high strain
12 levels, to assure one's self that there isn't a marked
13 degradation of strength, and what is the proper
14 strength behavior up at these high strain levels. And
15 we do not know that from the testing that PFS has
16 performed.

17 MS. CHANCELLOR: Do you consider the lack
18 of test data for high strains in the upper Bonneville
19 clays to be a fundamental flaw in PFS' analysis?

20 DR. BARTLETT: Fundamental flaw may be too
21 severe.

22 MS. CHANCELLOR: So would they get above
23 an F, or they'd still get an I?

24 DR. BARTLETT: C minus. If one can be
25 assured that there is no marked decrease in shear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 strength at high levels of strain, if that is, in
2 fact, true, then the testing that PFS has done is
3 adequate, because the way that the analyses have been
4 done, the capacity of the Bonneville clay may not
5 decrease dramatically at high levels of strain.

6 However, if that's not true, if there is
7 for some reason, because either due to poor pressure
8 generation as we cycle these clays at very high levels
9 of strain, and cause their shear strength to degrade,
10 or if there is some cementation in the clays at high
11 strain levels that may be broken, and give the clay a
12 more brittle failure, then there's a change for
13 relatively severe degradation of strength at high
14 levels of strain. And it's difficult to say how that
15 may affect the sliding capacity of the pads, but I
16 don't think this has been fully evaluated.

17 MS. CHANCELLOR: And you believe it's not
18 difficult for PFS to --

19 DR. BARTLETT: No, these tests are
20 standardly done. In fact, we've recommended this for
21 quite some time.

22 MS. CHANCELLOR: And the last topic that
23 I have to ask you about is the use of passive
24 resistance by soil cement. Mr. Trudeau testified that
25 he didn't take credit for passive resistance of soil

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cement in the base case. Does this open a can of
2 worms if he --

3 DR. BARTLETT: This is extremely
4 controversial, and the reason is that first, we don't
5 know whether the soil cement will, indeed, provide the
6 passive resistance because of several of the factors
7 that we've discussed, which mainly go back to cracking
8 and the seismic performance. But also, if we think
9 about this quite simply, in the longitudinal
10 direction, if there's only five feet pads five feet
11 apart, and they're relying on passive resistance to
12 pick up capacity on one side, you have to ask your
13 simple question, where does that force go? And it may
14 be transferred to the adjacent pad, and so the fact
15 that you use passive resistance, to me, in a case
16 where we had pads only five feet apart, could imply
17 there's a very high chance that that passive
18 resistance being provided by the soil cement on one
19 side of one pad can be an active force acting on
20 another pad. And I think we've discussed at length
21 pad-to-pad interaction, and all of its potential
22 ramifications, so it is quite controversial.

23 MS. CHANCELLOR: But a real concern.
24 Correct?

25 DR. BARTLETT: A major concern.

1 MS. CHANCELLOR: I have no further
2 questions, Your Honor.

3 CHAIRMAN FARRAR: Thank you, Ms.
4 Chancellor. Mr. Travieso-Diaz.

5 MR. TRAVIESO-DIAZ: I have some partial
6 good news. We have no questions on the readings of
7 rebuttal, but I'd like to take a short break to confer
8 with my colleagues and Mr. Trudeau to see if the oral
9 surrebuttal that was just given requires additional
10 questioning, so I would again -- begging the Court's
11 indulgence, I would like to take a short break to make
12 that determination.

13 CHAIRMAN FARRAR: Okay. Let me get that
14 clear. No questions on the written.

15 MR. TRAVIESO-DIAZ: Nothing on the
16 written.

17 CHAIRMAN FARRAR: But perhaps on --

18 MR. TRAVIESO-DIAZ: But there has been
19 additional testimony now that I need to figure out
20 what kind of response, if any, it requires.

21 CHAIRMAN FARRAR: How long would you like?

22 MR. TRAVIESO-DIAZ: No more than 10, 15
23 minutes.

24 CHAIRMAN FARRAR: Okay. It's 12 -- let's
25 come back at 10:30. It's 12 after now. That should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 give you enough time.

2 MR. TRAVIESO-DIAZ: That should be
3 sufficient. Thank you very much.

4 CHAIRMAN FARRAR: And the Staff can use
5 the same time to get their thoughts in order.

6 JUDGE LAM: A quick question, Dr.
7 Bartlett. Now on the soil cement in the five feet
8 direction, the resistance against sliding has very
9 little to do with cracking, doesn't it? Even if there
10 were cracks, it doesn't matter, does it?

11 DR. BARTLETT: It depends on the angle of
12 the crack. If the angle of the crack becomes somewhat
13 subvertical, then you develop a shear plane where then
14 you no longer have any passive resistance. Think of
15 a pad here, potentially shear crack propagating up at
16 some angle, then you have a sliding plane, where as
17 that plug tries -- as the pad tries to push against
18 that triangular-shaped plug, there will be sliding
19 along that plane, so your passive resistance is gone.

20 JUDGE LAM: But I think we heard testimony
21 offered by the Applicant, the cracks would tend to be
22 vertical.

23 DR. BARTLETT: From the shrinkage case,
24 that's true. But we've always maintained that there's
25 -- because the pad, soil cement, cement-treated soil

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and Bonneville clays have all of these different
2 stiffnesses, there can be stress concentrations, and
3 I refer to them as kinematic and inertial
4 interactions, that could also lead to cracking
5 actually of the soil cement during the actual seismic
6 event.

7 Also, keep in mind that cracking -- let me
8 put it this way. You can also transfer forces between
9 one pad to another via the soil cement, even if there
10 isn't cracking, because the Bonneville clay is
11 relatively soft, so it can deform quite -- it can
12 deform considerably. Whereas, the soil cement is
13 very, very stiff, so I use the analogy that as we try
14 to push one pad towards another, and mobilize its
15 passive pressure, because of the soil cement strut
16 that's in-between, and its high modulus, it's going to
17 pick up the load quite rapidly.

18 JUDGE LAM: Which is a different issue.

19 DR. BARTLETT: Pardon?

20 JUDGE LAM: Which is a different issue.

21 DR. BARTLETT: Well, it's part of the
22 issue of pad-to-pad interaction.

23 JUDGE LAM: Right. My question was
24 focused on sliding.

25 DR. BARTLETT: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN FARRAR: Then it's 10:15. Let's
2 be back at 10:30.

3 (Off the record 10:15 - 10:40 a.m.)

4 CHAIRMAN FARRAR: All right. We're back on
5 the record at 10:40. Mr. Diaz.

6 MR. TRAVIESO-DIAZ: Yes. Dr. Bartlett, I
7 believe --

8 CHAIRMAN FARRAR: And on the record, you
9 think you'll need just a few minutes?

10 MR. TRAVIESO-DIAZ: I think so. I can
11 never promise, but that's my best guess.

12 CHAIRMAN FARRAR: Okay. Go ahead.

13 CROSS EXAMINATION

14 MR. TRAVIESO-DIAZ: Dr. Bartlett, I think
15 you testified both yesterday and today, that the PFS
16 is a lake site?

17 DR. BARTLETT: That PFS is a lake?

18 MR. TRAVIESO-DIAZ: A lake site. In other
19 words, geological standpoint, it's a --

20 DR. BARTLETT: The Bonneville clays are
21 lacustrine deposit, so there was an ancestral lake
22 that put them down.

23 MR. TRAVIESO-DIAZ: And you said earlier
24 they were deposited during a quiet time in the lake's
25 history?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: No. What I'm implying is
2 that the microfabric that we see in the Lake
3 Bonneville deposits has something to do with the
4 seasonal changes of input into the lake. During the
5 quiet times or during the winter, the more fine-
6 grained materials fall out from suspension and they're
7 deposited mainly as clays. During the spring events
8 when there's high runoff, or maybe years when there's
9 high storm events, then you may get a tendency of more
10 silty materials finding their way towards the more
11 central part of the valley.

12 MR. TRAVIESO-DIAZ: Isn't it true that
13 Savannah River is a marine environment?

14 DR. BARTLETT: Savannah River is a marine?

15 MR. TRAVIESO-DIAZ: Yes. That the
16 Savannah River site is a marine environment. It was
17 developed as a result of sea action?

18 DR. BARTLETT: No, not entirely. It's
19 coastal plain deposits.

20 MR. TRAVIESO-DIAZ: Okay. Thank you for
21 the correction.

22 Isn't it true that the coastal plain is
23 more subject to wave action and other factors that
24 introduce deposits?

25 DR. BARTLETT: Well, the deposits in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Savannah River are both subaqueous and marine, and
2 also terrestrial deposits, but I don't understand what
3 we're --

4 MR. TRAVIESO-DIAZ: Isn't it true that all
5 the factors being equal, a marine site would tend to
6 more heterogenous in terms of ecological composition
7 than a lake site?

8 MS. CHANCELLOR: Your Honor, is this --
9 I'm wondering if this is in the scope of --

10 MR. TRAVIESO-DIAZ: Oh, yes it is.

11 MS. CHANCELLOR: Okay.

12 MR. TRAVIESO-DIAZ: We're getting there.

13 CHAIRMAN FARRAR: We'll trust that we'll
14 see evidence of that.

15 DR. BARTLETT: Well, again, Savannah River
16 is not entirely marine. There's both marine and
17 terrestrial deposits there.

18 MR. TRAVIESO-DIAZ: You looked at the
19 soils at Savannah River, didn't you?

20 DR. BARTLETT: Yes, I did.

21 MR. TRAVIESO-DIAZ: Would you say that
22 they're more heterogenous than the soils at the PFS
23 site?

24 DR. BARTLETT: Some layers are, yes.
25 That's definitely true.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAVIESO-DIAZ: So when you said that
2 you needed to take cone penetrometer test results of
3 measurements close to bore holes at Savannah River,
4 wouldn't that be justified by the nature of the soils?

5 DR. BARTLETT: No. What we were concerned
6 about was not the marine sediments. Actually, it was
7 more in this case liquefaction and the density of
8 sands, so the reason for the closely spaced bore hole
9 and cone penetrometer data is because we were doing
10 piston sampling of the sands that were somewhat clay,
11 and trying to correlate the laboratory test obtained
12 from those piston samples back to the results that we
13 saw in the cone penetrometer, so site-specific
14 liquefaction curves could be developed.

15 MR. TRAVIESO-DIAZ: So it isn't really
16 fair to compare --

17 DR. BARTLETT: No, I think --

18 MR. TRAVIESO-DIAZ: -- the spacing at
19 Savannah River with respect to the PFS, is it?

20 DR. BARTLETT: My point is, is in any
21 layer where there's potential lateral variability,
22 it's wise to place the bore hole and the cone
23 penetrometer sounding immediately adjacent so that you
24 don't introduce any uncertainty in your correlations
25 due to distances of spacings in the lateral

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 variability, so that I would take that philosophy
2 regardless of where we're doing this.

3 MR. TRAVIESO-DIAZ: And, of course, that
4 would depend on how variable you think your site is.
5 Is that right?

6 DR. BARTLETT: No, not necessarily. I
7 think it's just important that when we're going to
8 correlate an in situ test with a laboratory test, that
9 the in situ test be conducted as closely as possible
10 to where the laboratory sample is taken. That's my
11 philosophy, regardless of the geological depositional
12 environment.

13 MR. TRAVIESO-DIAZ: Thank you. That's all
14 I have.

15 CHAIRMAN FARRAR: Thank you.

16 MR. O'NEILL: Just a quick question. I'm
17 sorry.

18 CHAIRMAN FARRAR: Yeah. How long --

19 MR. O'NEILL: Well, I would note that
20 right now I think I'm just going to have one quick
21 cross examination question. However, I think we've
22 perceived the need for some --

23 MR. TURK: It should be --

24 MR. O'NEILL: Okay. We may have a few --
25 we're going to have a few cross examination

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions, but I think we've also perceived the need
2 for some very short rebuttal testimony by Dr. Ofoegbu.
3 And I apologize. I recognize that you trying to
4 expedite this matter, but given the technical nature
5 of the issue, it may be the most appropriate means to
6 address it.

7 CHAIRMAN FARRAR: Okay. Go ahead.

8 MR. O'NEILL: Dr. Bartlett, you discussed
9 this issue of anisotropy.

10 DR. BARTLETT: Yes.

11 MR. O'NEILL: Are you postulating a
12 failure, a shear failure in a purely horizontal
13 direction?

14 DR. BARTLETT: Could you be more specific?
15 Are we talking about --

16 MR. O'NEILL: Parallel to the base of the
17 pad. I mean, you've discussed this mechanism of shear
18 failure - okay - that -- this is a case in point. Are
19 you saying that it could occur only horizontal
20 direction that is parallel to the base of the pad?

21 DR. BARTLETT: Well, that's not entirely
22 correct. To get a pad to slide, there'll have to be
23 some place where the sliding plain comes up somewhat
24 sub-horizontal so that you have some small component
25 of sliding that's occurring at a different angle. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the predominant failure mechanism would be sliding in
2 the horizontal direction, and that's consistent with
3 PFS' design philosophy.

4 MR. O'NEILL: But there would have to be
5 -- the failure has to exit at the ground surface at
6 some point, would it not?

7 DR. BARTLETT: Yes, it does.

8 MR. O'NEILL: Okay. And that would entail
9 failure at some angle.

10 DR. BARTLETT: Yes. I guess if you could
11 draw an idealized picture, you'd have some failure
12 plain going like this, and then at some place it would
13 have to go like this up to the surface.

14 CHAIRMAN FARRAR: You just waved your
15 arms --

16 DR. BARTLETT: Excuse me.

17 CHAIRMAN FARRAR: -- horizontally, like an
18 umpire giving a safe sign.

19 DR. BARTLETT: Yes. And then at some
20 point there would have to be some part of the failure
21 surface that would have to go somewhat sub-horizontal
22 or approaching vertical to reach the ground surface.

23 MR. TURK: Could we maybe just put on the
24 record that Dr. Bartlett was describing what you might
25 consider to be a horizontal plain.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: Right.

2 MR. TURK: With two -- I'm sorry, with a
3 diagonal plain reaching up at either end towards the
4 ground, so that we basically have something in the
5 shape of a V with a flat bottom, a wide V with a flat
6 bottom, perhaps?

7 DR. BARTLETT: Fair enough.

8 MR. O'NEILL: So you're not going to have
9 purely horizontal shear failure in the soil underneath
10 the --

11 DR. BARTLETT: No.

12 MR. O'NEILL: -- entire area of the pad.

13 DR. BARTLETT: The shear failure has to,
14 if you will, daylight somewhere and appear at the
15 surface. Does that help?

16 MR. TURK: Yes, it does.

17 DR. BARTLETT: In fact, Mr. O'Neill, if I
18 may help, I think there are some diagrams in my
19 testimony that talk about this, and that may be better
20 than my arm waving.

21 MR. TURK: Where in your testimony?

22 DR. BARTLETT: I know the -- I'm looking
23 at a diagram that shows potential failure modes
24 underneath different foundation systems. Yes, that's
25 it. Thank you. Figure 9 in Exhibit 103.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This isn't showing a pad. I don't see
2 really a pad foundation here, but it gives you an idea
3 of what potential shear failure planes develop, and
4 their angles.

5 MR. O'NEILL: This is State's Exhibit 103?

6 DR. BARTLETT: 103, Figure 9.

7 MR. O'NEILL: Are you looking at a
8 specific portion of that figure?

9 DR. BARTLETT: Well, I'm just -- in A, it
10 shows a shear failure under an embankment. B, for a
11 loaded wall. Now I see some things for piles. We
12 don't really have a pad foundation here in this
13 diagram, but I guess if you'd look somewhat the one
14 for E, the spread foundation, you see a circle that
15 shows a failure underneath the spread footing. The
16 pads would look somewhat similar to that, though I
17 would say that because the length of the pad dimension
18 compared to a spread footing, that the direct simple
19 shear or the horizontal portion would be considerably
20 longer in this case than what's shown here in this
21 figure. But it gives you an idea of these failure
22 mechanisms.

23 The loaded wall is not too bad of an
24 analogy. That may be a reasonable analogy, though the
25 wall in this case is vertical, but it has a fairly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 substantial horizontal part, and then goes
2 subvertical.

3 MR. O'NEILL: So there's really --

4 DR. BARTLETT: There's really no direct
5 analogy on this page, but it may help you
6 conceptualize that we have a fairly horizontal failure
7 plane, and then at some point it has to come to the
8 surface.

9 MR. O'NEILL: Dr. Ofoegbu seems to think
10 that Part E, the spread foundation, seems to be a
11 fairly direct analogy. Would you agree with that
12 assessment?

13 DR. BARTLETT: Well, the spread foundation
14 looks reasonably similar to what I expect. The only
15 issue I'd have with this particular case is that the
16 main stress that's causing the failure in this case is
17 a vertical stress. See that little arrow pointing
18 down at the footing, and it says "COMP". That means
19 that's a compressional stress that's causing this
20 failure. In the case for the pads, it wouldn't be
21 primarily a compressional stress. It would be a shear
22 stress in the horizontal direction, but -- so the
23 analogy is -- the size and what the failure plane
24 would look like might be somewhat familiar, but just
25 keep in mind that the directions which the stresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are causing the failure are different in the
2 spread footing case, versus what would cause failure
3 in the pads. Does that help?

4 MR. O'NEILL: Oh, yeah, that helps. But
5 by virtue of the fact that failure is going to have to
6 come to the surface at some point, you're going to get
7 an incline.

8 DR. BARTLETT: In geological terms, it has
9 to thrust upwards somewhere.

10 MR. O'NEILL: Yes. Thank you. Dr.
11 Bartlett, would you agree that when PFS did its CPT
12 work, it wasn't its direct intent to correlate the
13 data obtained from the CPT test directly with the bore
14 hole data, in terms of the correlation that you've
15 been speaking of. Correct?

16 DR. BARTLETT: That's my understanding.
17 The sampling for laboratory testing in the pad
18 emplacement area particularly was done fairly early on
19 in the program, before the CPT data were even
20 available. My understanding is the CPT data were
21 gathered to, as Mr. Trudeau explained, to gain more
22 information about the layering and the strength and
23 compressibility. And frankly, that data is
24 invaluable. It really helps us understand this site,
25 so I understand that the way the program progressed,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was no intention of trying to pair a CPT with an
2 adjacent bore hole. But it's just my recommendation,
3 if we're going to develop correlations, that that
4 proximity has to be fairly close to do correlations.

5 MR. O'NEILL: So that might explain why
6 they didn't --

7 DR. BARTLETT: No, I'm not criticizing the
8 fact -- I'm just pointing out that if we are to
9 correlate, this isn't the best scenario one would like
10 to see because of the way that the bore holes and the
11 CPT soundings are relatively far apart.

12 MR. O'NEILL: Dr. Bartlett, do you agree
13 that the layer identified by the CPT test as being the
14 weakest layer for engineering purposes, is that layer
15 1B soil?

16 DR. BARTLETT: Yes.

17 MR. O'NEILL: You do agree with that?

18 DR. BARTLETT: Yes, the upper Bonneville
19 clay.

20 MR. O'NEILL: Okay. Sorry for the delay
21 here.

22 DR. BARTLETT: No problem.

23 MR. O'NEILL: I'm discussing some issues
24 with my colleagues. With respect to spacings between
25 the CPT and the bore holes, again if you were to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conduct the type of correlation that you've been
2 discussing, you know, using actual lab samples, is
3 that largely a matter of engineering judgment?
4 There's no prescribed distances that you're aware of,
5 are there?

6 DR. BARTLETT: No, but the further the
7 distance you get, the more criticism one might receive
8 because of lateral variability, so my experience at
9 Savannah River, and also on the I-15 project, that
10 these bore holes where CPT data and laboratory
11 sampling were done, were five to no more than ten feet
12 apart, and surveyed in so that we had excellent
13 constraint, so that we could remove any uncertainty
14 and argument about that.

15 MS. CHANCELLOR: Just point of
16 clarification. When you said I-15, you mean
17 Interstate 15 in Salt Lake City?

18 DR. BARTLETT: I-15 reconstruction
19 project. That's correct.

20 MR. O'NEILL: But again, it would be
21 largely a site-specific determination. It would depend
22 on the site-specific properties. Right? I mean, are
23 you suggesting -- I recognize that as you move further
24 away, yes, you could potentially get more lateral
25 variation. But are you saying that ten -- five to ten

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 feet away is vastly superior to say twenty feet away
2 from the bore hole in all cases?

3 DR. BARTLETT: Yeah, you're again
4 introducing the judgment part of it. It is a function
5 of how laterally variable the soils are, but my
6 position is, is that they, at least from the cone
7 penetrometer data show variability and tip resistance
8 by roughly a factor of 2, so one should be careful in
9 going too far away.

10 MR. O'NEILL: And again, that's your
11 professional judgment.

12 DR. BARTLETT: Yes.

13 MR. O'NEILL: Your Honor, I think that
14 concludes Staff's cross. We would still request an
15 opportunity to put on some brief additional rebuttal
16 testimony.

17 CHAIRMAN FARRAR: All right. Let's first
18 see if the State has any redirect.

19 MS. CHANCELLOR: No, Your Honor.

20 CHAIRMAN FARRAR: Okay. Company?

21 MR. TRAVIESO-DIAZ: Nothing here.

22 CHAIRMAN FARRAR: Okay. Then, Dr.
23 Bartlett, thank you again for your testimony.

24 DR. BARTLETT: Thank you.

25 CHAIRMAN FARRAR: You're excused. Ms.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Chancellor, does the State have any more rebuttal
2 testimony?

3 MS. CHANCELLOR: Not unless something
4 comes up in Dr. Ofoegbu's testimony, we have nothing
5 further, Your Honor.

6 CHAIRMAN FARRAR: All right. Then the
7 Staff would --

8 MR. TURK: We may need a few more minutes
9 to get it ready. We need to make a copy of a
10 document. Also, may I ask if PFS intends to put any
11 further rebuttal on?

12 MR. TRAVIESO-DIAZ: As of now, no.

13 CHAIRMAN FARRAR: Okay. And then -- and
14 this is going to be something other than what Dr.
15 Ofoegbu has said before. In other words, if he said
16 it before, we don't need to hear it again.

17 MR. TURK: And we don't need to say it
18 again. No, this would be something that came up in
19 Dr. Bartlett's testimony. And we need to consult to
20 be sure that we're going to proceed with him.

21 CHAIRMAN FARRAR: Okay.

22 MR. TURK: Could we, perhaps, have 10 to
23 15 minutes, just to be safe.

24 CHAIRMAN FARRAR: It's just after 11.
25 Let's be back at 11:15.

1 (Off the record 11:01 - 11:19 a.m.)

2 CHAIRMAN FARRAR: Dr. Ofoegbu, you're --
3 consider yourself still under oath.

4 DR. OFOEGBU: Okay.

5 CHAIRMAN FARRAR: And let me mention at
6 least two things, the law of diminishing returns,
7 which we discussed a day or two ago. And two, the
8 fact that what's at stake here is the Applicant's
9 request for a license, and they're happy, so while we
10 understand the role of the Staff in these proceedings,
11 let's make sure it does not repeat anything, and that
12 it, in fact, is necessary. With those guidelines,
13 let's go ahead.

14 MR. TURK: Your Honor, our intent is,
15 again, one of presenting evidence relevant to Dr.
16 Bartlett's rebuttal in which, as you recall, he showed
17 with his arms this V with a flat bottom, and then he
18 pointed us to State Exhibit Number 103, with that
19 curve in it that we discussed. We're going to be
20 addressing just that one point. And our role in the
21 proceeding, as we understand it, is not to advance the
22 application of this project. Our role, rather, is to
23 present evidence to you to understand properly the
24 basis for the Staff's conclusions as to the adequacy
25 of the Soils Characterization Program that's been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performed by the Applicant.

2 CHAIRMAN FARRAR: Okay. Fair enough. Mr.
3 O'Neill, you.

4 MR. O'NEILL: Good morning, Dr. Ofoegbu.

5 DR. OFOEGBU: Good morning.

6 DIRECT EXAMINATION

7 MR. O'NEILL: You were present this
8 morning for Dr. Bartlett's testimony. Correct?

9 DR. OFOEGBU: That's correct.

10 MR. O'NEILL: And you listened or heard
11 his discussions of his concerns associated with
12 possible anisotropy effects in the soils at the PFS
13 site?

14 DR. OFOEGBU: Yes, I heard it.

15 MR. O'NEILL: One of the things we
16 discussed, was the orientation of the possible failure
17 plane that could occur at the site. Correct?

18 DR. OFOEGBU: Well, as he also testified,
19 the potential failure surface would have to daylight
20 at the ground surface. And for that to happen, at
21 least two portions of the failure surface will be
22 inclined. Do you need to hand out --

23 MR. O'NEILL: Yeah, that was my next
24 question. You prepared a diagram illustrating this
25 point, and I'm going to have Mr. Turk distribute this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 diagram. I'm going to have it marked for
2 identification as Staff's Exhibit ZZ.

3 (Staff's Exhibit ZZ marked for identification.)

4 MR. O'NEILL: Dr. Ofoegbu, this diagram
5 depicts three pads lying atop the ground surface.
6 Correct? Surrounded by a soil cement layer?

7 DR. OFOEGBU: Yes.

8 MR. O'NEILL: And underlain by a cement-
9 treated soil layer. Correct?

10 DR. OFOEGBU: Yes, that's correct.

11 MR. O'NEILL: And the underlain again by
12 the -- what you have referred to as the natural soils.
13 This would include the upper Bonneville clays at the
14 site.

15 DR. OFOEGBU: Yes. In fact, it is
16 Bonneville clay.

17 MR. O'NEILL: And the diagonal line in
18 this particular diagram that's directly below the
19 middle pad, that demonstrates, roughly speaking or
20 crudely speaking, the orientation of a possible
21 failure surface. Correct?

22 DR. OFOEGBU: Yes, that represents a
23 potential failure surface, the way you would have to
24 around the pad. This failure surface involves only
25 one pad. It could also involve multiple pads. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 orientation would be the same.

2 MR. O'NEILL: I meant to refer to the
3 dotted line directly below the middle pad. There's
4 another diagram, as well.

5 DR. OFOEGBU: Yes. That diagram is an
6 enlargement of the horizontal portion of that
7 potential for failure surface, based also on Dr.
8 Bartlett's testimony, which I believe is not in
9 dispute, that the soil consists of ten layers of clay.
10 The clay soil consists of ten layers.

11 MR. O'NEILL: Dr. Ofoegbu, okay.

12 MR. TURK: I'm sorry, Your Honor. I may
13 have misunderstood. I thought that the question had
14 to do with the diagonal line directly below the pad.
15 That's the arrow. That's not the exiting of the
16 force, as I understand it.

17 CHAIRMAN FARRAR: I understand that arrow
18 is -- you've got a circle around the horizontal line,
19 dotted line under the pad, and the arrow is just
20 pointing to a blow-up of what's inside the circle. Is
21 that correct?

22 DR. OFOEGBU: That is correct, yes.

23 CHAIRMAN FARRAR: Okay.

24 MR. TURK: So that the daylight that you
25 referred to, that's the diagonal lines to either side

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the central pad.

2 DR. OFOEGBU: Yes, the daylight is the
3 diagonal lines. Now in this --

4 MR. TURK: The path to daylight is
5 represented by that diagonal line.

6 DR. OFOEGBU: That's correct. Okay. In
7 the blow-up, I have two sets of lines. A set of
8 horizontal lines that represent the layering, the
9 micro layering, and then a thick line that cuts across
10 going diagonally and occasionally following a boundary
11 between layers, and occasionally following incline
12 through a layer. That would represent, in general, a
13 potential failure surface in that horizontal portion
14 shown in the diagram.

15 MR. O'NEILL: Dr. Ofoegbu, could you
16 explain the nature of the horizontal failure surface,
17 what soil properties might contribute to that?

18 DR. OFOEGBU: Okay. Now if failure is
19 occurring horizontally through a layer, then it's
20 going to use the horizontal strength of that layer.
21 If it is occurring diagonally, then it's going to use
22 whatever diagonal strength is, and all of each of
23 these strengths, for instance, the diagonal strength
24 will be -- correspond more to the strength measured in
25 a compression test. And the horizontal strength would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correspond more to the strength measured in a direct
2 shear test. Now the reason a potential failure
3 surface would zig-zag through is that natural failure
4 surfaces would try to find the weakest link. And even
5 the soils are treated as homogenous, but at this
6 level, at this micro level, or somewhat above the
7 micro level, they are actually heterogenous so that
8 the soil is going to find the weakest link. And that
9 would drive a potential for the failure surface to go
10 from one layer to another in a real case. And to do
11 that, it will have -- the resistance to failure then
12 would, in some cases, be the horizontal strength on
13 this side, and other cases, would be the inclined
14 strength of the soil.

15 MR. O'NEILL: So you're saying that the
16 shear strength of the soil is a function of -- or is
17 a resistance of the soil to sliding in a horizontal
18 direction a function then of different components of
19 shear strength? I mean, horizontal --

20 DR. OFOEGBU: Yes.

21 MR. O'NEILL: Could you describe those
22 specific components again?

23 DR. OFOEGBU: Well, the resistance to
24 sliding then along a potential surface will be
25 contributed in some portions of the surface by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 strength of the soil that could be measured in
2 confined compression. In another portion, it will be
3 represented by the strength of the soil measured in
4 tri-axial extension. In a different portion, it will
5 be represented by the strength of the soil measured in
6 direct shear, but in -- on the average, over the
7 entire failure surface then, the strength of soil
8 measured -- the undrained shear strength of the soil
9 measured from any of the -- using any of the available
10 methods gives a representation of the strength of the
11 soil along that failure surface.

12 Now the differences between the different
13 stresses, I mean the different strengths, would become
14 relevant if you are doing an analyses in which the
15 portions of the failure surface were like a finite
16 element analysis in which you model the -- what is
17 happening in each section of the failure surface.
18 Then those portions that are represented by tri-axial
19 extension phenomenon would require strength from a
20 tri-axial test. And those portions that are
21 represented with a compression phenomenon would have
22 to use strength from a compression test. The other
23 portions from -- that are represented by direct shear
24 phenomenon will have to use a direct shear test.

25 This is not the way foundations are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 designed. Often foundations are designed based on an
2 understanding of the failure surface bed, a
3 relationship between strengths and loading that have
4 been developed and documented in literature. And
5 these use undrained shear strength measured from -- I
6 mean, using cone penetrometer, or using confined
7 compression or direct shear.

8 MR. O'NEILL: So in your view, such tests
9 have been conducted by the Applicant for the soils at
10 issue to properly assess the shear strength of the
11 soils -- well, some of the -- you just mentioned a
12 number of tests. Correct?

13 DR. OFOEGBU: Yes.

14 MR. O'NEILL: And which of those tests
15 have been performed?

16 DR. OFOEGBU: Well, the Applicant
17 performed compression tests, direct shear tests, and
18 the in situ test using the cone penetrometer.

19 MR. O'NEILL: Well, in your view, the data
20 obtained from these different tests would adequately
21 account for the shear strength of these soils in the
22 horizontal, vertical, or inclined directions?

23 DR. OFOEGBU: I believe that the shear
24 strength determined by the Applicant will be suitable
25 for analyzing failure of anisotropy in this figure,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which I believe is the type of failure that might
2 occur if the conditions for failure were satisfied at
3 the facility.

4 MR. O'NEILL: Well, Dr. Ofoegbu, you
5 understood me to be referring to the undrained shear
6 strength. Correct?

7 DR. OFOEGBU: That is correct

8 MR. O'NEILL: And do any of the concerns
9 expressed by Dr. Bartlett concerning anisotropies in
10 the soil change your opinion?

11 DR. OFOEGBU: No, not at all. There are
12 two reasons for that. First of all, there is evidence
13 that the anisotropy actually does not exist. But
14 even if were to exist, it would not be of concern to
15 me because of the explanation provided in this figure.

16 MR. O'NEILL: All right. Thank you. I
17 think that's all I have. Your Honor, I'd like to
18 offer Staff's Exhibit ZZ for admission into evidence
19 at this time.

20 CHAIRMAN FARRAR: Any objection?

21 MR. TRAVIESO-DIAZ: No objection here.

22 MS. CHANCELLOR: Your Honor, could I ask
23 Dr. Ofoegbu just a couple of questions?

24 Dr. Ofoegbu, did you prepare this
25 document, Staff Exhibit ZZ?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OFOEGBU: Yes, I prepared it.

2 MS. CHANCELLOR: That's fine. No
3 objection, Your Honor.

4 CHAIRMAN FARRAR: All right. Then Staff
5 ZZ will be admitted.

6 (Staff Exhibit ZZ admitted in evidence.)

7 CHAIRMAN FARRAR. Any examination by the
8 Applicant?

9 MR. TRAVIESO-DIAZ: I have a couple of
10 questions --

11 CHAIRMAN FARRAR: Okay.

12 MR. TRAVIESO-DIAZ: -- to make sure I
13 understood what he said. Is it your testimony -- good
14 morning. Dr. Ofoegbu. Pardon me.

15 DR. OFOEGBU: Yes.

16 MR. TRAVIESO-DIAZ: Is it your testimony,
17 if I understand it, that even for a horizontal
18 failure, such as a sliding failure that we're talking
19 about here, the real behavior of the soil at the micro
20 level is a blend, if you will, of the compressive
21 shear resistance and the direct shear resistance of
22 the soil?

23 DR. OFOEGBU: That is correct. The only
24 amendment I'll make is when you say micro level.
25 Really what we're talking about is the level that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent with the thickness of those ten layers that
2 Dr. Bartlett referred.

3 MR. TRAVIESO-DIAZ: Okay. With that
4 correct, is my understanding --

5 DR. OFOEGBU: Yes.

6 MR. TRAVIESO-DIAZ: Okay. Now in that
7 case, wouldn't the use of only a direct shear stress
8 which has been testified by Dr. Bartlett is less than
9 the compressive shear strengths, wouldn't that be one
10 indication of the level of conservatism in the
11 analysis?

12 DR. OFOEGBU: I agree that it would be.

13 MR. TRAVIESO-DIAZ: And that's one that
14 has not been taken clearly by PFS?

15 DR. OFOEGBU: No, it hasn't been taken
16 credit for by PFS. Though the PFS -- I did indicate
17 that the difference between the direct shear, the
18 strength from direct shear and strength from confined
19 compression is really not significant.

20 MR. TRAVIESO-DIAZ: But to the extent
21 there is some difference, that would be one more
22 conservatism that exists, that has not been taken
23 credit for. Is that right?

24 DR. OFOEGBU: To that extent yeah, that is
25 correct.

1 MR. TRAVIESO-DIAZ: Thank you. That's all
2 I have.

3 CHAIRMAN FARRAR: Thank you, sir. Ms.
4 Chancellor.

5 MS. CHANCELLOR: Your Honor, could Dr.
6 Bartlett ask Dr. Ofoegbu a few questions that would be
7 very expedient, and he's prepared.

8 CHAIRMAN FARRAR: Certainly, and we'll
9 make -- repeat the same findings we made under the
10 regulation, but also if you'd counsel Dr. Bartlett
11 that we are really running up against diminishing
12 returns here.

13 DR. BARTLETT: Yes, Your Honor.

14 Dr. Ofoegbu, in your diagram that you drew
15 for us, is it my understanding then, you're not
16 precluding that the failure surface could go under two
17 pads, not just one pad?

18 DR. OFOEGBU: No, that's not precluded. It
19 could be under one pad. It could be two. It could be
20 any number.

21 DR. BARTLETT: Regarding the issue of
22 anisotropy, have you read Utah Exhibit 104, attached
23 to my testimony?

24 DR. OFOEGBU: Yes, I have. I've looked at
25 the drawings, and I'm familiar with that concept.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Actually, that was originally used by C.C. Ladd.

2 MR. TURK: I'm sorry. Could -- I think
3 there may be some confusion about which exhibit Dr.
4 Bartlett is referring to. Could you point to him
5 which exhibit?

6 DR. BARTLETT: 104.

7 MR. TURK: Do you have that with you?

8 DR. BARTLETT: I do.

9 MR. TURK: If you could give a copy to the
10 witness, if you're going to inquire about it.

11 DR. BARTLETT: Sure.

12 MR. TURK: It's my understanding, Dr.
13 Ofoegbu was referring to the drawings that we
14 discussed previously.

15 DR. OFOEGBU: Yeah, that's what I was
16 referring to.

17 MR. TURK: And that would be State Exhibit
18 103, not 104, which I believe Dr. Bartlett is
19 inquiring about now.

20 DR. OFOEGBU: Yes, I've read this.

21 DR. BARTLETT: Would you please read the
22 title of that report?

23 DR. OFOEGBU: Well, the title says -- when
24 I say title, I mean title on the front page.

25 DR. BARTLETT: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OFOEGBU: Because I'm not sure this is
2 the title of the report, but it says, "Design on
3 performance of the foundation stabilization treatments
4 for the reconstruction of Interstate 15 in Salt Lake
5 City, Utah."

6 DR. BARTLETT: And who are the primary
7 authors of this document?

8 DR. OFOEGBU: Steven Saye and C.C. Ladd.

9 DR. BARTLETT: Do you recognize the second
10 name?

11 DR. OFOEGBU: Yes. C.C. Ladd.

12 DR. BARTLETT: What is his area of
13 expertise?

14 DR. OFOEGBU: Geotechnical engineering.

15 DR. BARTLETT: Could you please turn to
16 Section 6. And near the bottom of this page, it
17 discusses shear. Can you see the place where it says,
18 "Shear in PSC, shear in DSS, and shear in PSE"?

19 DR. OFOEGBU: Yes.

20 DR. BARTLETT: Could you explain what PSC,
21 DSS and PSE means?

22 MR. TURK: I would object.

23 DR. OFOEGBU: Maybe you can explain --

24 MR. TURK: Your Honor, I would object
25 to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: I'll help the witness.

2 CHAIRMAN FARRAR: Wait, wait. Object on
3 what basis?

4 MR. TURK: The article provides the
5 acronyms, as well as explanation of the acronym. I
6 don't understand why we're asking the witness --

7 CHAIRMAN FARRAR: This is cross
8 examination of your witness. He can ask him anything
9 he wants.

10 DR. BARTLETT: Dr. Ofoegbu, those are
11 defined, just to help you out. I don't want to mean
12 -- to have this be a guessing game. If you look in the
13 paragraph that's just above those coefficients that
14 you see, it's defined in the first sentence there.

15 DR. OFOEGBU: Yes. Can I request
16 something also? Can you give me a copy of your
17 Exhibit 103, because those are related.

18 DR. BARTLETT: Sure.

19 DR. OFOEGBU: This is an application of
20 that concept.

21 DR. BARTLETT: Is it your understanding
22 looking at these abbreviations, PDS, DSS and PSE, that
23 they represent the same conditions that you referred
24 to in Exhibit 103?

25 DR. OFOEGBU: Well, they do, except that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PSE compression. Let us say that approximately that
2 is -- that can be PSE compression.

3 DR. BARTLETT: If you would look in the
4 second line of the paragraph - excuse me - the second
5 sentence, it explains the type of test that was
6 derived to get that compression test.

7 DR. OFOEGBU: Where?

8 DR. BARTLETT: Beginning with the, "C K
9 not U tri-axial compression". Do you see that?

10 DR. OFOEGBU: May I ask --

11 DR. BARTLETT: It's in the second line of
12 that Exhibit 104, excuse me.

13 MR. TURK: You're looking at the paragraph
14 directly above those three --

15 DR. BARTLETT: Coefficients, yes. And
16 it's --

17 MR. TURK: Okay.

18 DR. BARTLETT: Yeah, it's in the second
19 line, beginning of the second sentence.

20 DR. OFOEGBU: Okay.

21 MR. TRAVIESO-DIAZ: I'm still -- Dr.
22 Bartlett, could you give me the first word on the
23 line?

24 DR. BARTLETT: It's the sentence beginning
25 with, "These values were derived from."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OFOEGBU: Yes, I see that.

2 DR. BARTLETT: Is it your understanding
3 that they were derived from consolidated,
4 anisotropically consolidated undrained tri-axial
5 compression tests?

6 DR. OFOEGBU: Well, yeah, that is correct,
7 but it does depend on the value of K not, and I'm
8 hoping it's not one.

9 DR. BARTLETT: Fair enough. And also, the
10 DSS is direct simple shear. Is that your
11 understanding?

12 DR. OFOEGBU: That's what the document
13 says, yes.

14 DR. BARTLETT: So these coefficients that
15 we see on page 11, are they reflective of the
16 coefficients that should be applied for shear strength
17 for these different modes of failure?

18 DR. OFOEGBU: For this particular soil,
19 yes.

20 DR. BARTLETT: And is it your
21 understanding that this particular soil is the upper
22 Bonneville clay?

23 DR. OFOEGBU: Well, the upper Bonneville
24 clay at the location that he sampled. That's correct.

25 DR. BARTLETT: Fair enough. Is it your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understanding also that in the shear - excuse me - in
2 the pad sliding analysis that PFS has performed, the
3 resistance, shear resistance used for determining the
4 sliding -- the shear test - excuse me - used to
5 provide the sliding resistance was the direct shear
6 test?

7 D' OFOEGBU. Well, before I answer that
8 question, let me go back to the previous one, and take
9 it to State's Exhibit 103. The DSS would apply to the
10 conditions near the center of the curve. Let's look
11 at Case E, the curve under the shallow foundation. So
12 the DSS applies to the condition in the horizontal
13 portion of that curve. The portion marked DC would be
14 approximately the same as the DSE type of test. That
15 is the tri-axial compression condition. And then the
16 portion marked DE would be tri-axial extension
17 condition. If you apply this to my sketch, that is
18 Staff Exhibit ZZ, now just looking at the horizontal
19 portion of the failure surface, then each time there
20 is a downward incline, then that is the tri-axial
21 compression type property. Each time there is a
22 horizontal portion, that would be the direct shear
23 type property, and each time there is an upward
24 incline, that would be the tri-axial extension type
25 property, which goes to make my point, as a matter of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 fact, that in a composite failure surface, there are
2 contributions from each of these. And that's what
3 State's Exhibit 103 shows.

4 DR. BARTLETT: Fair enough. In the
5 analysis that PFS has performed for the sliding
6 stability of the pads, do you recall which particular
7 test they used to develop the sliding resistance?

8 DR. OFOEGBU: Okay. Recall that PFS
9 obtained undrained shear strength from several tests.
10 The test -- the direct shear test they performed was
11 only one of those tests, and what it showed is that
12 there were -- they have strength that is lower than
13 the strength -- slightly lower than the strength
14 measured in unconfined -- in confined compression, and
15 that it is a strength measured from the weakest part
16 of the soil profile, based on their CPT test data.
17 And this is their justification for using the direct
18 shear test results as a lower bound estimate on the
19 strength. And this is the reason that the analysis
20 staff accepted the analysis.

21 DR. BARTLETT: So your testimony is it was
22 the lower bound strength of the direct shear test that
23 was used for design?

24 DR. OFOEGBU: In the sliding analysis,
25 that's correct.

1 DR. BARTLETT: Thank you.

2 MS. CHANCELLOR: We have no further
3 questions, Your Honor. Could I retrieve my exhibits?

4 CHAIRMAN FARRAR: Yes.

5 MS. CHANCELLOR: Thank you.

6 MR. TRAVIESO-DIAZ: Excuse me, counselor.

7 MS. CHANCELLOR: Yes.

8 MR. TRAVIESO-DIAZ: I'm going to have a
9 question or two on that exhibit.

10 MS. CHANCELLOR: Oh, okay.

11 CHAIRMAN FARRAR: The Board has no
12 questions. Any Staff redirect?

13 MR. O'NEILL: No, Your Honor.

14 MR. TURK: No, Your Honor.

15 MR. TRAVIESO-DIAZ: I have two questions.

16 CHAIRMAN FARRAR: Go ahead.

17 RECROSS EXAMINATION

18 MR. TRAVIESO-DIAZ: Would you please turn
19 your attention to the first page of Exhibit 104, the
20 paper they were talking about?

21 DR. OFOEGBU: This one?

22 MR. TRAVIESO-DIAZ: Yes.

23 DR. OFOEGBU: Okay.

24 MR. TRAVIESO-DIAZ: Looking at the
25 abstract discussed there, doesn't that actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indicate that the soils that were used for these tests
2 were soils taken from the reconstruction project of I-
3 15, Salt Lake City, Utah, that Dr. Bartlett talked
4 about a minute ago?

5 DR. OFOEGBU: It will help if you can
6 direct us to where he said that.

7 MR. TRAVIESO-DIAZ: Second line of the
8 abstract, first page abstract, second line.

9 DR. OFOEGBU: Okay. Yes, that's what it
10 says.

11 MR. TRAVIESO-DIAZ: Are you aware that the
12 soils were -- the Lake Bonneville soils that exist in
13 the I-15 area are more saturated and softer than the
14 soils at this site?

15 DR. OFOEGBU: Yeah, I heard that in the
16 testimony, but I'm not personally aware of it.

17 MR. TRAVIESO-DIAZ: Assuming this were
18 true, would there be any relevance or learning that
19 you could learn from the PFS site from the tests
20 performed on I-15?

21 DR. OFOEGBU: Not directly, but I have to
22 point out that when you do undrained tests on
23 saturated soils, the result you get will give you
24 somewhat lower strength than if you did some undrained
25 test on unsaturated soil

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAVIESO-DIAZ: So when you -- I think
2 that's all I have.

3 DR. OFOEGBU: Okay.

4 MS. CHANCELLOR: No further questions,
5 Your Honor.

6 CHAIRMAN FARRAR: Okay. Thank you, Dr.
7 Ofoegbu. That then concludes at 11:50 a.m., the --
8 all of Section C. Am I correct?

9 MR. TRAVIESO-DIAZ: As far as we're
10 concerned, yes.

11 CHAIRMAN FARRAR: All right. So there's
12 nothing left on D, and nothing left on C.

13 MR. TRAVIESO-DIAZ: Again, that's correct.

14 MR. TURK: As far as we're concerned, yes,
15 Your Honor.

16 CHAIRMAN FARRAR: Okay. Ms. Chancellor,
17 that's correct, C and D are done?

18 MS. CHANCELLOR: C and D are done, Your
19 Honor, and --

20 CHAIRMAN FARRAR: Then we'll take up the
21 consequences issue under E, the seismic exemption on
22 Monday.

23 MS. CHANCELLOR: Right. And I just got a
24 note from Ms. Curran saying that today we're filing
25 some corrections to Dr. Resnikoff's testimony that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will be presented as part of that radiation dose
2 testimony.

3 CHAIRMAN FARRAR: All right.

4 MR. TURK: I have some preliminary
5 procedural things to mention, Your Honor.

6 CHAIRMAN FARRAR: Okay.

7 MR. TURK: Number one, I may have erred in
8 my numbering of Staff Exhibits. We -- this week we
9 introduced Staff Exhibits XX, YY, and ZZ. I can't
10 find that I ever introduced a WW, so I may have
11 omitted an exhibit number.

12 CHAIRMAN FARRAR: All right.

13 MR. TURK: I'll check that over the
14 weekend. If so, then I think we just should be aware
15 that that exhibit number has not been used.

16 CHAIRMAN FARRAR: All right.

17 MS. CHANCELLOR: WW?

18 MR. TURK: Yes.

19 MS. CHANCELLOR: We were looking
20 everywhere for it. Thank you.

21 MR. TURK: I think I spent more time
22 looking for it than you after I realized --

23 CHAIRMAN FARRAR: Well, you check your
24 records. We'll check our's, and we'll compare notes
25 on Monday.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TURK: Okay. Also, the Staff has some
2 minor corrections to Mr. Waters' testimony on
3 radiological doses. I have two copies with me. I'll
4 give a copy to Ms. Chancellor and Mr. Gaukler now.

5 CHAIRMAN FARRAR: Is that on our e-mail?

6 MR. TURK: I can e-mail it to you when I
7 go back to the office.

8 CHAIRMAN FARRAR: Okay.

9 MS. CHANCELLOR: What did you say,
10 Sherwin?

11 MR. TURK: Corrected testimony for Mr.
12 Waters.

13 MS. CHANCELLOR: Thank you.

14 CHAIRMAN FARRAR: All right. Then we will
15 see everyone at 10:00 on Monday morning. And each of
16 the -- no unfinished business today. Everyone is
17 excused, except those who will be attending the
18 presentation on the electronic information exchange,
19 for which we're pleased to have the gentleman who
20 knows more about it than other people here to make a
21 presentation.

22 JUDGE LAM: Is it reward or punishment?

23 CHAIRMAN FARRAR: Thank you all. Enjoy
24 the weekend.

25 (Off the record 11:51:02 a.m.)

CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:


Name of Proceeding: Private Fuel Storage, LLC

Docket Number: Docket No. 72-22-ISFSI

ASLBP No. 97-732-02-ISFSI

Location: Rockville, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.


John Mongoven
Official Reporter
Neal R. Gross & Co., Inc.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com