

NUCLEAR REGULATORY COMMISSION

Title: Commission Meeting with the Advisory
Committee on Reactor Safeguards (ACRS)

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, July 10, 2002

Work Order No.: NRC-n/a

Pages 1-66

UNITED STATES OF AMERICA
 NUCLEAR REGULATORY COMMISSION

+ + + + +

COMMISSION MEETING WITH THE ADVISORY COMMITTEE
 ON REACTOR SAFEGUARDS (ACRS)

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

WEDNESDAY, JULY 10, 2002

+ + + + +

The Commission met in open session, at 2:00 p.m., at the Nuclear Regulatory Commission, One White Flint North, Rockville, Maryland, the Honorable Richard A. Meserve, Chairman of the Commission, presiding.

COMMISSIONERS PRESENT:

| | |
|-------------------------|----------------------------|
| RICHARD A. MESERVE, | Chairman of the Commission |
| GRETA J. DICUS, | Member of the Commission |
| EDWARD McGAFFIGAN, JR., | Member of the Commission |
| JEFFREY S. MERRIFIELD, | Member of the Commission |

STAFF AND PRESENTERS:

| | |
|------------------------|---------------------------|
| GEORGE E. APOSTOLAKIS, | Chairman of the ACRS |
| MARIO V. BONACA, | Vice Chairman of the ACRS |
| THOMAS S. KRESS, | Member of the ACRS |
| DANA A. POWERS, | Member of the ACRS |
| WILLIAM J. SHACK, | Member of the ACRS |

(This transcript produced from electronic caption media and audio and video media provided by the Nuclear Regulatory Commission.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
 1323 RHODE ISLAND AVE., N.W.
 WASHINGTON, D.C. 20005-3701

C-O-N-T-E-N-T-S

INTRODUCTION:

Chairman Richard Meserve 3

OVERVIEW:

Dr. George E. Apostolakis 4

ADVANCED REACTORS:

Dr. Thomas.E. Kress 7

RISK-INFORMED SPECIAL TREATMENT REQUIREMENTS:

Dr. George E. Apostolakis 12

PRESSURIZED THERMAL SHOCK:

Mr. F. Peter Ford

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(2:05 P.M.)

1
2
3 CHAIRMAN MESERVE: Good afternoon. On
4 behalf of the Commission, I'd like to welcome the
5 Advisory Committee on Reactor Safeguards to the
6 meeting this afternoon, and to those of you in the
7 audience who are here to participate. The Commission
8 meets with the ACRS twice a year to discuss issues of
9 current interest. I think we last met in December.

10 We look forward today to discussing
11 license renewal and power uprates, advanced reactors,
12 the NRC's efforts to risk-inform the special treatment
13 requirements, and then finally the Office of
14 Research's program to re-evaluate the technical basis
15 for the NRC's rule governing pressurized thermal
16 shock.

17 I'm pleased to welcome all of you to join
18 with us this afternoon. ACRS plays a vital role in
19 providing the Commission candid, independent technical
20 assessments of our activities, and we always look
21 forward to discussing the things you bring to us with
22 you, so thank you very much.

23 Dr. Apostolakis, you may proceed.

24 DR. APOSTOLAKIS: Thank you, Mr. Chairman.
25 Good afternoon, Commissioners. We have three detailed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentations today on Advanced Reactors, Risk-
2 Informing Special Treatment Requirements and the
3 Pressurized Thermal Shock Evaluation Project, but
4 before we go to those, I will give a brief overview of
5 various activities that the Committee has undertaken
6 regarding Core Power Uprates, License Renewal
7 Activities, and I'll briefly talk about future
8 Committee activities.

9 Regarding Power Uprates, we have -- we are
10 only reviewing requests for Uprates that exceed 5
11 percent of the power rating. We have reviewed and
12 approved five requests, those shown on the slide. The
13 lead members are Dr. Wallis, Powers and Sieber on the
14 Committee.

15 We also reviewed the General Electric
16 Topical report on Constant Pressure Power Uprate,
17 which is the basis for how the boiling water reactor
18 operates. The Staff approved it, and we approved it.

19 We expect to review four or five
20 applications in the year 2003, and then another
21 certain number in the year 2004. And some of the
22 issues that the Committee has raised, we complained
23 about the adequacy of documentation in the Staff
24 Safety Evaluation reports. We are pleased to report
25 that the Staff has heard us and the documents that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've been receiving have been improving steadily.

2 We also expressed the need for a Staff
3 Guidance Document on future operate reviews, and
4 following an SRM from the Commission, the Staff is
5 developing a review standard which we will be briefed
6 on this week, in fact.

7 The Office of Reactor Regulation is
8 performing audits to confirm appropriate use of
9 approved methodology regarding the Core Reload Safety
10 Analysis, and the ACRS has no objection to that
11 practice.

12 We also identified the need for a Staff
13 audit of the calculations and detailed thermal
14 hydraulic models, and the Staff is considering to put
15 these into the review standard that is being
16 developed.

17 We have also said that if the review
18 identifies issues that would be relevant to the work
19 of inspector, perhaps high flow assisted corrosion
20 rates, then the inspector should be informed of these
21 findings. And regarding license renewal, this effort
22 is being lead by Dr. Bonaca, and we formed a second
23 sub-committee under the chairmanship of Mr. Leech. In
24 fact, they had their first meeting yesterday.

25 We have completed our review of Turkey

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Point, and also we have completed our reviews of at
2 least one plant on each vendor, and we have decided
3 not to issue interim letters routinely, but only as
4 needed from now on.

5 We are now reviewing the North Anna and
6 Surry applications, and in the fall we expect to
7 receive McGuire, and Catawba, and Peach Bottom and St.
8 Lucy applications. As I said earlier, we do have two
9 license renewal sub-committees to handle the load.

10 And regarding future Committee activities
11 we will, of course, keep reviewing documents from the
12 Staff that deal with risk-informed performance-based
13 regulations. We plan to continue our work on reactor
14 operations, especially the reactor oversight process.
15 We have made several comments, as you know, in the
16 past regarding the quality and effectiveness of the
17 process.

18 Mr. Sieber and I met with the Staff and
19 discussed several of these comments, and we are
20 beginning to approach agreement. We will issue a
21 safety research -- a report on safety research, with
22 the focus on advanced reactors. And we are also, of
23 course, interested in High-Burnup Fuels and MOX
24 facility.

25 We have a sub-committee on Safeguards and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Security. We had a meeting with the Staff for about
2 three hours last May, and we are now in the process of
3 scheduling another meeting for at least a day this
4 September. Fire protection is always something we're
5 interested in, reviewing transient and accident codes.
6 Human factors, there is a new plan from the Office of
7 Research that we plan to review in September.

8 Safety culture or Safety Conscious Work
9 Environment, there are all sorts of issues there. We
10 know the sensitivities involved as to how much the
11 Regulatory Agency can do in this area. On the other
12 hand, we had a major incident recently that perhaps
13 points to the need of somebody doing something about
14 safety culture, so the Committee is planning to think
15 about it, taking into account all these concerns.

16 In Naval Reactors, we have met with Naval
17 Reactor people twice, and we have another sub-
18 committee meeting scheduled for August, and we plan to
19 issue a letter in September. Now we can start the --
20 I assume we will handle it like last time. The first
21 briefing is on Advanced Reactors, by Dr. Kress.

22 DR. KRESS: Thank you, George. We do have
23 a Futures Reactor Sub-committee, which we formed just
24 so we could organize our activities in this area. And
25 the reason I'm giving the talk, at least one reason is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm the Sub-committee Chairman for the Future Reactor
2 Sub-committee.

3 The report today is mostly just a status
4 report on what our activities have been. We have been
5 quite active. We're trying to stay engaged with the
6 Staff so we can keep on top of what their issues are,
7 and then get our input. You know what most of these
8 activities have been, workshop on high temperature
9 gas-cooled reactor safety. It was the main topic
10 there on retreat. We sponsored our own workshop which
11 is somewhat unusual for ACRS, and I participated in
12 the briefing of the Commission on the gas-cooled
13 reactors.

14 In order to be sure we accommodate the
15 Staff's needs for our review, we're working with them
16 to develop an action plan for the ACRS participation.
17 We've just about finished that, and they will help us
18 keep things in order, keep organized, and keep engaged
19 with the Staff.

20 We recently, last June, heard the
21 discussion on the policy issues raised -- policy and
22 technical issues raised by the Staff Research, and
23 wrote a letter in June on that subject. And
24 basically, the letter doesn't say very much. We
25 agreed with the Staff on what they identified as two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over-arching policy issues, one of which was what do
2 they do about implementing what's -- the
3 "expectation", and that's in quotes, "that advanced
4 reactors will have enhanced margins of safety". Just
5 what does that mean?

6 We suggesting that another over-arching
7 policy issue that might be separated out included with
8 these two would be defense and depth, and how to deal
9 with it, particularly with respect to the gas-cooled
10 reactor concepts. And the other over-arching issue
11 was how does the NRC safety requirements compare and
12 fit in with the international safety requirements? We
13 really didn't think that was an over-arching issue,
14 but we thought it was worthwhile pursuing.

15 We suggested that it would not be
16 unreasonable for different countries to have different
17 safety standards, that there's no real reason that
18 they should be completely the same, because different
19 countries have different situations, different values,
20 different needs, so it's not unreasonable to think
21 they would have different safety standards.

22 At that meeting, also the Staff identified
23 technical issues that they thought were key, and we
24 agreed that these were key technical issues. We
25 didn't -- our letter is pretty silent on how to deal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with these because we hadn't -- have not yet debated
2 these issues, and arrived at positions. That's one of
3 the things we're doing internally in the Committee, is
4 trying to develop strawman positions on various
5 technical issues so that we can be prepared to give
6 you our best advice on those. We haven't reached that
7 stage yet on these, but we have been trying to decide
8 among ourselves what would be the major impediments in
9 the regulatory arena for Advanced Reactors.

10 In our briefing for the Commissioners on
11 gas-cooled reactors, I pointed out what I thought were
12 three major ones, and we'll present it on this slide.
13 We are engaged in continuous conversations with the
14 Staff on our feelings about how to deal with these,
15 and are beginning to arrive at positions that are
16 somewhat in line with those of the Staff. I think
17 we're pretty far apart on these issues right now.
18 We'll keep talking to them.

19 Currently, our priority is with AP1000, we
20 think that's the one we have to deal with first. We
21 don't see any show-stoppers there. We think AP1000 is
22 at least certifiable, and that the Staff has their
23 finger on all the issues associated with it, so we
24 don't really see any problem there, except getting the
25 reviews done, and taking care of it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are trying to develop an interim action
2 plan, schedule things like that Camden reactor, which
3 I think they've expressed interest in pre-
4 certification, as well as the ESBWR. We did not have
5 those in our original action plan because we didn't
6 realize they were coming on, but we're now working
7 those in.

8 We're trying to develop strawman positions
9 on what we think are the potential impediments, and
10 we're getting pretty far along the line with those, so
11 we can provide you with our advice.

12 That's it, George.

13 DR. APOSTOLAKIS: Thank you, Tom.

14 MALE SPEAKER: Mr. Chairman, just a little
15 bit out of order, but he said there are large
16 differences between them and the Staff on these
17 possible impediments, and I'm just interested in
18 knowing what those differences are.

19 DR. KRESS: They agree that these are
20 impediments. We don't differ in that. We disagree on
21 potential approaches to getting over these
22 impediments. I think the Staff is thinking in
23 structuralist lines, while we're thinking in
24 rationalist lines, and those are --

25 MALE SPEAKER: God help us.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Yeah, that's right. I
2 shouldn't say that as a blanket statement for our
3 Committee, because our Committee is split on those
4 issues. This should reflect only my own position on
5 that.

6 DR. APOSTOLAKIS: The first bullet I think
7 is relevant to my talk too, regarding the lack of high
8 level risk acceptance criteria other than core damage.
9 This is a continuing theme, and I'll come to it also
10 later, because that's also a difference.

11 CHAIRMAN MESERVE: I think we've heard
12 from you on that subject at the briefing, George.
13 That's all right.

14 DR. APOSTOLAKIS: Okay. Risk-informing
15 the special treatment requirements of 10 CFR Part 50.
16 The first slide shows the heart of the matter here,
17 which is the classification, categorization of the
18 system structures and components into four categories.
19 The columns are the traditional safety and non-safety
20 related categories, and the new information that comes
21 from PRA and the expert panels, is whether the SSC,
22 Safety Significant or not Safety Significant. And, of
23 course, we have RISC-1 through 4. The subject of
24 today's discussion is only the categorization scheme,
25 not the requirements of going to each box.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think it's worth reminding the
2 Commission that we wrote a letter about three years
3 ago on this subject, where we agreed first that safety
4 related and non-safety related categorization should
5 be maintained for a number of reasons. But we also
6 pointed out that importance measures have limitations.
7 In fact, I think that was the most mathematical report
8 you ever received from the ACRS. And these
9 limitations should, in fact, first have be studied by
10 the Office of Research. And second, they should be
11 communicated to the expert panel when they make their
12 decisions.

13 In the report we sent you last March, we
14 repeated our request that, or our desire that the
15 Integrated Decision-making Panel, the IDP, or the
16 Expert Panel, should be given explicit criteria how to
17 make decisions, and those should include some of the
18 limitations of the importance measures and the
19 uncertainties involved. And they should include risk
20 metrics out of CDF and LERF, such as late containment
21 failure and inadvertent radionuclide release.

22 Now why should they do? Well, because on
23 the next slide, we are speculating that if we do a
24 better job in the PRA, and we include those metrics,
25 then perhaps we will not need to debate what to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the RISC-3 components, and systems and structures
2 forever, because people will have better or a higher
3 degree of confidence in the categorization scheme.
4 And this is what I'm saying on slide 24.

5 We also recommended that materials
6 degradation should be considered by the panel. And in
7 addition to that, they should consider whether the SSC
8 acts as a barrier to fission product release, maybe
9 during severe accidents, or under normal condition as
10 the next slide says, and whether these SSC's relied
11 upon in emergency operating procedures. As you know,
12 the panel can always raise the significance of an SSC,
13 they can never lower it when they receive the
14 recommendation from the PRA.

15 Slide 27 deals with something that perhaps
16 the commission will hear us talk about again and again
17 because it comes up in many different contexts. This
18 has to do with the rigor that goes into the PRA and
19 the risk assessments. And we have two examples here.
20 One is the treatment of uncertainties which we believe
21 should be done according to state of the art
22 capabilities and the existing codes. It's a trivial
23 matter now to propagate uncertainty parameters. We
24 should be doing this rather than focus on modern
25 uncertainties, which are much more difficult. Also we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hear a lot about people are using approximate methods
2 of and why are they approximate, because everybody's
3 doing it. We would like to see some studies that
4 establish after a rigorous investigation that these
5 methods are indeed approximate and we all understand
6 when they apply and by how much they approximate the
7 real thing.

8 Now, why is this PRA rigor needed? Well,
9 in addition to helping build public confidence, which
10 is of course one of the strategic goals of the
11 commission, we have another benefit on the next page
12 because we know there are several groups within this
13 agency that still view PRA and risk informed
14 regulations with skepticism.

15 And we believe part of the reason why
16 there is this skepticism is because the PRA's don't
17 appear to be -- in some case, not always, some cases
18 -- rigorous and disciplined like any technical
19 endeavor. And the example is the last bullet here
20 where we saw in on of the recent documents relevant to
21 this option 2 from NEI, that there was absolutely no
22 mention of uncertainty analysis, however they
23 recommended some sensitivity studies at the end in
24 lieu of uncertainty analysis, and we just disagree
25 with that. We believe, as I said earlier, doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty analysis at the parameter level is
2 something that should be done routinely.

3 And another thing that does not help
4 building confidence is when we see the recommendation
5 on slide 29 where the issue really here is that we're
6 dealing with special treatment requirements whose
7 impact on the failure rates is not known. We don't
8 have models that would tell us that if I remove a
9 requirement, something happens to the failure rate.
10 So the way the first applicant, South Texas Project,
11 handled this was to increase all failure rates of all
12 components by a factor of ten and then look at the
13 impact on the CDF. They concluded that it was very
14 minimal and this committee went along.

15 I want to point out that one of the
16 reasons we went along at the time was that this
17 committee had been impressed with the PRA that the
18 South Texas folks had done. We thought it was a
19 state-of-the-art PRA and they deserved credit for it.
20 But then we received the NEI document a few months ago
21 and it says a factor of ten is too high. They don't
22 say that. They say without any justification that I
23 can recall, that now we should use factors from two to
24 five.

25 Now, this committee, again several years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ago recommended somebody should undertake an
2 investigation to understand the impact of these
3 special treatment requirements on the failure rates.
4 That was never done. That's why you have the
5 situation now where these factors appear to be
6 arbitrary. And it's up to the reviewer to say, yes,
7 this is reasonable or not. So that concludes my
8 presentation and the last presentation is by Dr. Ford
9 on PTS.

10 DR. FORD: Good afternoon. As you know
11 rule 10 C.F.R. 50-61 addresses phenomenon of a crack
12 being initiated on the inside of a radiated pressure
13 vessel, propagating, arresting, or going through the
14 wall and it gives certain screening criteria as to the
15 toughness of pressure vessel as to whether we can
16 mitigate that possibility. If a licensee can't meet
17 that criterion then he has got possibility of using
18 Reg Guide 1.154 to illustrate for his specific plant
19 that he will not rise above a frequency of a through-
20 wall crack of 5×10^{-6} . Now, that's the current
21 situation.

22 Now, as we look at how the technology has
23 developed over the last 20 years we've got a fair
24 amount of information to think that those screening
25 criteria might be overly conservative. And I have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 apologize for the first typographical error in the
2 slide because I give here a list of some of the
3 reasons for that believe that there is an over
4 conservatism. The first is that there are less
5 frequent thermal transients. The second reason is
6 that there is a better operator performance. We've
7 got tougher reactor vessel steels. We've got smaller
8 cracks.

9 And all of these lead to the possibility
10 that we may have an over conservatism in the current
11 rule. Therefore the research community has undertaken
12 the development of a methodology to define the
13 frequency of through wall contracting that is more
14 realistic given the new data, operating experience,
15 and other techniques that we have. And this is in
16 line with the risk informed regulatory basis that we
17 currently are trying to promulgate.

18 The approach is based on an integrated
19 approach using probabilistic risk assessments to assess
20 the frequency of operational events which could give
21 rise to pressure and temperature transients,
22 especially in the down comer region adjacent to the
23 pressure vessel wall. Thermal hydraulic analysis to
24 translate that pressure -- to define those temperature
25 and pressure variations, transients and to give rise

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to thermal stress in the pressure vessel wall, and
2 finally, a probabilistic fracture mechanics assessment
3 to quantify the likelihood of crack initiation
4 propagation arrest or propagation through the wall as
5 a function of operational parameters such as
6 radiation, transient, et cetera, fluid distribution,
7 which will give rise to thermal stress in addition to
8 the operational stress, the pressurization stress. So
9 if you take the thermal hydraulics input and the
10 probabilistic fracture mechanics then we'll get a
11 conditional probability of a through wall crack,
12 multiple that by the frequency of operational events
13 then you'll have the frequency of having a
14 through-wall crack.

15 This whole project has really impressed
16 us. It's multi-organizational, not only within NRC,
17 but without. It's multi-art. It is extremely well
18 organized and managed, and quite honest, it's a joy to
19 be studying it from our point of view.

20 Now the ACRS has been involved in this
21 since -- has had briefings since the year 2000. We've
22 issued letters to Dr. Travers, and earlier this year
23 we had a very full briefing from the Staff on this
24 issue, so obviously, this project has not finished.
25 It's ongoing, so this is really a progress report of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what we think about this very multi-dimensional
2 project.

3 The nice part of this is that it is being
4 applied or demonstrated on four plots, and the choice
5 of those four plots spans the reactor designers, and
6 therefore, reactor design, material, operational
7 conditions, and They span a range of estimated end-of-
8 life fracture toughness for the steel, so we can apply
9 this methodology, and we should see a rational change
10 in the predicted frequency of through wall cracking.
11 Now so far, we have been briefed just on Oconee Unit
12 1, so our comments are confined to that particular
13 reactor and predictions.

14 There are a number of parameters and
15 actions which can give rise, which can influence the
16 change in the frequency of through-wall cracking
17 according to the methodology as it is currently
18 developed. On this slide, I start to give some of
19 them, and it will be continued on the next slide. For
20 instance, there's more up-to-date PRA methodologies.
21 There's human reliability data from, for instance,
22 ATHENA. Because of computer power and PRA techniques
23 we have much more, wider analysis of all the operating
24 transients. For instance, for Oconee, nearly 200,000
25 transients have been evaluated and binned, and which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are then passed on to the thermal hydraulics group.

2 In the thermal hydraulics group, we are
3 now able to look at not just main steam line break,
4 which is the original event of concern for PTS. We
5 can look at other secondary side incidences, events,
6 steam generator tube rupture, and also primary side
7 events.

8 The other thing that has changed since the
9 1980s when the rule was originally promulgated is that
10 we have a much, far more in-depth fracture toughness
11 modeling capabilities using the Fava Code (phonetic)
12 developed at Oakridge National Labs, and that has been
13 updated to take into account radiation modeling, crack
14 arrest modeling, and take into account probabilistic
15 aspects of those physical phenomena.

16 We have data to show how flaws, in fact,
17 vary through the crack, and for the wall thickness.
18 We don't have surface defects, which has a big impact
19 on the fracture toughness evaluations. We have better
20 estimations of the spatial distribution of the fluency
21 through the bulb, and that has an affect on crack
22 arrest. And so we can look at all these parameters
23 which can change the frequency of through wall
24 cracking, and there are three which stand out as
25 having a major sensitivity on that frequency. First,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is the toughness model. The second one is the spatial
2 distribution of the fluency and flaws. And the final
3 one is human actions.

4 Now human actions especially have an
5 impact on which are the dominant operational sequences
6 which affect the through wall cracking frequency. No
7 longer is it believed that secondary side operational
8 events are dominant. It is now, we believe, at least
9 for Oconee, that is the primary. And for instance,
10 the safety release valve closure times, and that is
11 backed up by operator training, and evaluations of the
12 actual conditions, and in the Oconee operating staff.

13 Now needless to say, because of the depth
14 of this program, we've had a lot of questions. And
15 it's not because we don't believe the methodology.
16 It's just because it's, quite honestly, exciting.
17 There's a lot of technical things here which are
18 really interesting.

19 The three areas that most of our questions
20 have focused in on, one is the human performance.
21 Second one is the calibration of physical models,
22 which are having the biggest affect on the frequency
23 of through wall cracking.

24 For instance, the curbation of Relap-5
25 Code. We went out to Oregon State where They have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Apex Facility, which has been modified to take into
2 account PTS transients. Physical models or material
3 composition affects on irradiation hardening, and the
4 flow distributions. Needless to say, there's been a
5 lot of questions about the treatment of uncertainty,
6 both epistemic and the statistical treatments. But as
7 I stress, all these questions are not because we doubt
8 the fundamental goodness of this approach. It's just
9 that it is very exciting.

10 The work is ongoing. As I say, They have
11 completed Oconee-1, and they've still got to do Beaver
12 Valley, Palisades and Calvert Cliffs. And those are
13 going to be very interesting because They do have very
14 different end-of-life estimations or radiation
15 hardening. Question about external events.

16 Finally, we're looking primarily so far at
17 making the assumption that if you have a crack through
18 wall, there's enough kinetic energy in that crack to
19 have a big crack, and there would be a distinct
20 possibility, if not certainty, of core damage. The
21 question then is what the affect on containment
22 integrity, and the impact that that would have on LERF
23 and how that would be defined in terms of Source
24 Terms, et cetera. And what would, therefore, be an
25 acceptable frequency of through wall cracking. And we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have been involved in all these discussions, in fact,
2 just earlier this morning on that latter item about
3 what is an acceptable criterion for through wall
4 cracking.

5 The final graph or slide relates to
6 whether our conclusions are as we sent to Dr. Travers
7 in February. First of all, we find that the project
8 is extensive. It is technically sound, and
9 parenthetically, is exciting. We find the preliminary
10 results relating to Oconee are very significant, in
11 that They show that the frequency of through wall
12 cracking is an order of two magnitudes below that
13 which is currently defined by Reg Guide 1.154.

14 If that general behavior is shown with the
15 three extra reactors, Beaver Valley, Palisades and
16 Calvert Cliffs, then there's a sound rationale for
17 modifying the current 10 CFR 50-61. Thank you.

18 DR. APOSTOLAKIS: Thank you, Peter. Back
19 to you, Mr. Chairman.

20 CHAIRMAN MESERVE: As always, I'd like to
21 thank you very much for very helpful presentations
22 this afternoon. I think it's Commissioner Dicus'
23 opportunity to go first.

24 COMMISSIONER DICUS: Okay. Thank you.

25 CHAIRMAN MESERVE: We rotate the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 responsibility.

2 COMMISSIONER DICUS: To go first. One of
3 the things that we discuss with the Staff from time to
4 time in all aspects of what we do, especially when
5 we're doing something that we've done before and we're
6 doing more, and more and more of them, as in license
7 renewal, is to tell us what sort of efficiencies that
8 they're beginning to recognize, and how They can start
9 doing things better, faster, whatever, to recognize
10 those efficiencies. So my question to the ACRS, now
11 that you have reviewed several of these renewals and
12 the activities of the Staff, what efficiencies is the
13 ACRS recognizing in your activities?

14 DR. BONACA: That's an interesting
15 question, because recently we have been discussing
16 among ourselves what role we are going to play. In
17 the early time of license renewal, we were engaged on
18 the process. I mean, process affects scope, screening
19 and so on, and so therefore, it had a technical
20 significance. And I think the appropriate definition
21 of this process was important, and I think we
22 participated in it actively.

23 Right now we are involved in more
24 reviewing, the degree to which the Staff is going
25 through the steps of verification. And so we don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want to be just involving ourselves with purely, you
2 know, double checking because we cannot be as
3 efficient and effective as the Staff can be. They
4 have many more resources than we do.

5 In so far as our effectiveness, we have,
6 as you know, divided our sub-committee into two. We
7 are essentially spending pretty much the same amount
8 of time in review of the applications, and the SERs.
9 But also, we are now going to write an interim letter
10 which is time consuming for us, and we see as
11 unnecessary, unless there are some specific issues
12 that we're going to raise on the proposed, you know,
13 meeting at SER, and I think this is going to improve
14 our efficiency, in fact, and effectiveness in so far
15 as, for example, this meeting. We have reviewed the
16 North Anna and Surry application. We do not plan to
17 spend any time on the main meeting agenda to again
18 review this with the whole team. We just expect to
19 see the closure of the open items and then to review
20 them at that time.

21 We still have a role to play in some ways.
22 For example, we have seen some of the latest
23 applications to come with less detailed technical
24 information, and we have pointed this out, that it's
25 a concern for us when we cannot make a judgment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regarding margins, for example, from time limited
2 aging analysis. It is important that we have
3 sufficient information to be able to compare to
4 criteria, and to make a judgment on whether or not we
5 feel the margins are there or not. The tendency right
6 now is to go by a process which is so well established
7 that at times there isn't very much information, so
8 that's probably the role we can play at this stage.
9 Again, not one of repeating the same steps of the
10 Staff, but doing that kind of verification.

11 COMMISSIONER DICUS: I want to follow-up
12 on that, because this morning when we were hearing
13 from the Staff, there was a statement made, if I
14 recall correctly, that the applications are generally
15 getting better. And now you're somewhat, apparently,
16 concerned about the level of detail, so I need to just
17 be prepared a little better.

18 DR. BONACA: Yeah. First of all, the
19 latest application that we saw is very well structured
20 and organized. Clearly, They are following now a very
21 established process. The NEI Guidance is clear.
22 They're following the guidance, and the applications
23 are very easy to review. That application was
24 impressive.

25 On the other hand, information hasn't been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provided on the time limit of aging analysis in so far
2 as the results of the calculations. Okay. They have
3 said we performed the calculation of the PPS for this
4 plant at 60 years, and it meets the requirement, or
5 say meets the criteria period. So, therefore, the
6 application doesn't contain the information. The SER
7 does not discuss the difference between the value and
8 the limit. We have felt that the information should
9 be in the application, so to a very high degree, the
10 structure of the application is better, but there is
11 some elements that really have to be worked on, in so
12 far as the level of the information provided.

13 COMMISSIONER DICUS: And, obviously,
14 you're discussing this with the Staff.

15 DR. BONACA: Yes. In fact, we had a
16 meeting today at lunch time before this meeting to
17 point out that we would like to see more information,
18 and if the Staff needs our help to make sure that the
19 license is provided, we'll put it in a letter that we
20 would like to see some of these results in the
21 application.

22 COMMISSIONER DICUS: And the second part
23 of this question before I got sidetracked a little bit
24 on Part 1A-B or whatever, had to do then -- I was
25 curious as to whether or not you still thought you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 needed two sub-committees. And I think you've pretty
2 well said yes, you think you do at this stage.

3 DR. BONACA: Well, there are so many -- as
4 you can see, this year we have four applications
5 coming through between now and December, and They are
6 multiple plants. Just the number of plants involved
7 in all applications is already -- keeps us busy. So
8 if anyone of us will have to chair one of the sub-
9 committees, he will have no time to do anything else.
10 I mean, so that's why I think it's appropriate that we
11 have two sub-committees working on it.

12 In the future, we may review our
13 involvement. If it becomes something very well
14 organized, and issues not consistently repeated, et
15 cetera, we may not need full involvement of ACRS, but
16 we will provide that recommendation another time.

17 DR. APOSTOLAKIS: We will still write a
18 letter though.

19 DR. BONACA: We will. But I'm saying some
20 level of -- I'm only talking about in the future, we
21 could become as efficient as that, but I don't think
22 that probably we want to go that far.

23 COMMISSIONER DICUS: In slides 10 and 11,
24 you talk about the future Committee activities where
25 there are 10 items listed. As you went through these,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you spent a little more time on some of them, than the
2 other. Have you prioritized them, as obviously some
3 of these are going to take a greater percentage of
4 your time, or are you to that point yet?

5 DR. APOSTOLAKIS: No, I don't think so.
6 I don't think we've prioritized them. Some of them we
7 have taken the initiative, so obviously, we think
8 they're very important. But others --

9 COMMISSIONER DICUS: Which ones?

10 DR. APOSTOLAKIS: Others we have to
11 review. And it's --

12 COMMISSIONER DICUS: So at some point
13 though, you may prioritize them, or no?

14 DR. APOSTOLAKIS: I don't know what that
15 would mean though, to tell you the truth. I mean, if
16 the Staff is preparing something that will eventually
17 come to you, and we have to review it, we have to
18 review it.

19 COMMISSIONER DICUS: Okay.

20 DR. APOSTOLAKIS: We can't, you know, it's
21 low on our priority list.

22 COMMISSIONER DICUS: That's fair enough.
23 On risk-informing Part 50, some people say we're going
24 way too slow. Some people say we might be going too
25 fast some places or the other. Can you talk to me a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little bit about the rate? Are we where we should be,
2 or no, or?

3 DR. APOSTOLAKIS: Well, I think that the
4 reason we're not going very fast is that key groups
5 don't think that PRA is adding anything. And I -- and
6 it's related to some of the arguments that Dr. Kress
7 and I made earlier.

8 I think the state-of-the-art can give
9 PRAs, if they're submitted to us, and the various
10 documents if they're submitted to us, can raise their
11 rigor and discipline approach. Unfortunately, this is
12 not happening, and people don't realize that They may
13 get relief or, you know, avoid some requirement now,
14 but they'll pay the price later, when the Staff will
15 not believe them. So, you know, the late containment
16 failure is a good example, you know. We are told
17 stakeholders didn't want to hear about adding that as
18 another method. And if They win, then eventually
19 they'll pay the price somewhere else, because the
20 Staff will be concerned about it. Whether we put it
21 in the metric or not is a detail, but it seems to me
22 that if we raise that quality of the PRAs, then maybe
23 we will see better progress.

24 Now I'm not saying that that's the only
25 reason, but I think that's a major reason why we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slowed down, unless my colleagues want to add
2 something.

3 COMMISSIONER DICUS: They're awfully
4 quiet. The one final question, on slide 16, you talk
5 about the over-arching policy issues, and the
6 statement, "The Implementation of the Commission's
7 Expectations." Does the Commission need to be sure
8 that Staff together -- obviously, we need to be sure,
9 but do you think that the Commission should better
10 define, or needs to re-look at expectations to ensure
11 that the Staff, as well as the ACRS, knows exactly
12 what those expectations are?

13 DR. KRESS: Well, that was our feeling.
14 We didn't come to an agreement or a Committee position
15 on that, but our feeling was that that needs better
16 definition because you know that new plants are going
17 to come in at a much better safety status, based on
18 risk metrics.

19 The question involves whether or not a
20 plant could come in that's just as good as They
21 already are, but not much better. That doesn't meet
22 your expectation because you want the new plants to be
23 safer, more passive components, so the question is
24 what is the real expectation? Do They have to be --
25 how much safer do They have to be?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COMMISSIONER DICUS: Okay.

2 DR. KRESS: It may not be a problem
3 because the new plants designs that I've seen are
4 generally considerably safer in the sense of what we
5 know about the risk status. It's the intermediate
6 plants that give you some concern. I don't like to
7 name plants, but the AP1000. You know, it has a
8 better safety status, but it's not orders of magnitude
9 better.

10 It has much more reliance on passive
11 features than -- but there may be some question about
12 some of its defense in depth status, so it's those
13 issues that just how much better do we think these
14 plants ought to be. And the thinking is well, if you
15 have one or two plants, maybe it doesn't matter that
16 much. But if you're going to have a lot plants, then
17 maybe it does, and so I don't know how you address
18 that issue.

19 DR. POWERS: Commissioner Dicus, I can
20 report to you that at the recent ANS meeting, there
21 were a couple of panel sessions on discussing safety
22 of advanced reactors, and in both of those, the
23 question of what the Commission's expectations were
24 with regard to safety margins arose. And it was clear
25 that there were multiple interpretations of the words,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but the focus came down to is there -- does the
2 Commission have particular ideas in mind concerning
3 the relative balance between prevention and mitigation
4 when it asks for these improved margins. And that
5 speaks clearly to some of the design options that
6 people are pursuing in these advanced reactors.

7 Any clarification that you might offer
8 about it would certainly help the designers, in that
9 it's not so much the magnitude of additional safety.
10 I think most of the reactors are coming in with very
11 high safety goals, but They do that in an economic
12 sense that requires them to make some judgments about
13 the balance between mitigation and prevention.

14 And clearly, if you're the owner and buyer
15 of a plant, you want to put a lot of funds into
16 prevention, because you'd just as soon not lose your
17 plant. And if you do that at the expense of
18 mitigation, they're wondering if that is an option
19 that would be acceptable to the Commission. So to the
20 extent that the Commission can clarify things on that,
21 I think that would be a big help to designers, and
22 people evaluating the plants, of course.

23 COMMISSIONER DICUS: Okay. I guess we
24 have some marching orders then. Thank you, Mr.
25 Chairman.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MESERVE: Commissioner Diaz.

2 COMMISSIONER DIAZ: Thank you, Mr.
3 Chairman. As you see, I'm losing my voice, so you're
4 in good shape. Having said that, let me just make
5 first a comment that it seems like years keep going
6 by, and I keep fighting to try to get some consistency
7 in the way we address things. And I find myself with
8 the -- our ACRS and our PRA groups still putting in
9 the viewgraph Risk-informed Performance-Based. The
10 Commission keeps saying it's risk-informed and
11 performance-based. And we keep saying this, could you
12 pretty please? Because if you don't do it, see
13 everybody is going to say ahh, see ACRS has decided
14 it's Risk-Informed Performance-Basis. We might as
15 well get some consistency on that.

16 All right. Now let me continue on that
17 issue of the safety, because I think that's a
18 fundamental issue. And by the way, George, I don't
19 think, but I would agree with you that the discipline
20 and the rigorous, you know, approach to PRAs have a
21 lot to do with whether we are capable of developing a
22 risk-informed regime and the speed at what it goes,
23 and I think we are looking forward to the next few
24 months to see whether we can get some better standard.
25 But that is a crucial issue. There is no doubt it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Going back to the issue of the -- how safe
2 is safe. This is something that, of course, we
3 sometimes find that our hands are tied. We cannot
4 demand things that, you know, maybe in the law are
5 clearly said that, you know, once you have reasonable
6 assurance, and what has been established. And,
7 however, we did see with the certification of these
8 advanced reactors that They all came much better.
9 And, of course, the issue is do you set up the
10 standard at that level, do you set it below?

11 I don't think we have solved that issue,
12 and I think that that's -- if we're going to get new
13 orders in this country, I think that's one issue that
14 needs to be resolved. And I don't know how much you
15 guys have thought about it, but if there are any
16 leading thoughts on that matter, I certainly believe
17 it's time to put them on the table, because, you know,
18 I don't think we are clear. I am not clear in which
19 way we are going to go.

20 I think that we are accepting the fact
21 that they're better, and saying they're better. You
22 know, does that mean the margins are correct? Does
23 that mean people have been able to set them down and
24 quantify them, and put them in your -- you know, in
25 the proper risk metrics. And I think eventually, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 development of new reactor economy will have to have
2 risk metrics and economic metric, and I think it might
3 be worthwhile to do that. Have any thoughts on that
4 matter, additional thoughts?

5 DR. KRESS: We certainly have been
6 thinking of those issues. We really don't think you
7 have in the regulations a quantified level of safety
8 acceptance. You know, you have your adequate
9 protection but that's not really quantified.

10 The safety goals don't have the force of
11 regulation, except in a few minor places where They
12 show up in cost benefit regulatory analyses, and in
13 the Reg Guide 1.174-type places. It's used as
14 guidance, and it's beginning to show up in the
15 framework that's being developed for Risk-Informing
16 Part 50, but these are all guidance on how to craft
17 the regulations.

18 At one time, the ACRS suggested that there
19 ought to be a quantified acceptable risk level applied
20 to each plant, that that would give a coherence to the
21 whole system. And I think we still adhere to that
22 suggestion. And the question is, then what would that
23 be? Is it current safety goals? Is it some
24 quantification of adequate protection, which is
25 probably lower than the safety goals already, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're already -- your regulations already give you
2 license, I think, to have a quantified risk metrics
3 that's more than the safety goals, because I think
4 adequate protection is a lower level.

5 We still think there is some need to
6 define a set of risk acceptance metrics that covers
7 the full set of objectives you have, and those
8 objectives don't just include CDF and LERF, as we said
9 many times. It includes all levels of release,
10 ordinary releases. It includes land contamination.
11 And you're certainly concerned with total fatalities,
12 and with safety goals actually. And we think you need
13 a set of risk metrics that cover the whole shebang,
14 and we believe that those can be captured with the
15 frequency consequence concept which has been endorsed
16 by IAN, and we suggested it one time.

17 We think you should have a coherent,
18 consistent acceptance criteria in the frequency
19 consequence dimension that we do look for. You know,
20 the question is if that's just a concept, where do you
21 set the line? And that's a value judgment. That's
22 just how much risk is the country, the public willing
23 to accept for the benefits they get from nuclear. And
24 that's the thing you wrestle with with the safety
25 goals for -- you know, that's what we beat to death.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And there's no real way to arrive at
2 something like that without -- you can't take a poll
3 in the public and find out what risk they're willing
4 to accept. And we don't really know how to quantify
5 the full benefits of nuclear, so my suggestion was
6 that you start from the safety goals, and the prompt
7 fatality one is probably the most limiting one. But
8 in some cases, the land contamination is more severe.
9 And try to decide on what the cost of having -- if you
10 were to have an accident that met the prompt fatality
11 safety goal, what would that cost you? And the metric
12 that's in common with all of these things is money, so
13 frequency times consequence, where your consequence is
14 money, in a sense price, but it's a way to -- it's a
15 technical way to get coherence in there, is a concept
16 that would give coherence to the whole frequency
17 consequence range.

18 You may have to put in -- you may not want
19 the product to be constant knowing the whole frequency
20 range. You may want to put some risk aversion in, but
21 I think that's a way to start. And I would probably
22 start with the safety goals, but I would adjust them
23 a little bit by saying it must be met with some level
24 of confidence. And that works in your uncertainty
25 issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: I have a couple of
2 things.

3 DR. KRESS: Okay.

4 DR. APOSTOLAKIS: One is the adequate
5 protection determination is based on a lot of things.
6 Why should the risk-related acceptability
7 determination be based only on core damage frequency?
8 If you want to replace the system, you have to worry
9 in the risk arena about the things that we worry about
10 here. And definitely, we don't worry about core
11 damage only. We do worry about it, of course, but
12 that's not the only thing.

13 And the reactor oversight process has
14 demonstrated that very clearly, where we say there are
15 cornerstones, initiating events, and so on, that we do
16 worry as an agency about the frequency of initiators,
17 the unavailability, unreliability of mitigating
18 systems, and so on. So there is really a need to take
19 what the Staff and the Commission, of course, really
20 worries about in the traditional regulatory structure,
21 and see whether we can take that over to the risk
22 arena. And if we decide that some of it doesn't
23 belong there, then we'll make a conscious decision not
24 to transfer it there.

25 And the second point, I think Dr. Kress

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emphasized the need for acceptability criteria and how
2 to do that, but we cannot ignore the capability that
3 we have as an industry to quantify risks. And the
4 emphasis, I think, so far has been on quantifying
5 defense in depth measures. You have one out of three,
6 or one out of two. We know how to handle that.
7 Safety margins, we don't know how to do that.

8 I mean, we have some ideas, but has
9 anybody really tried to do it, and bring it, you know,
10 before the Staff, and scrutinize, you know, go through
11 the process? And I think until we do these things,
12 you know, there -- we limit ourselves to core damage
13 frequency and risk-informing the regulations, which
14 means now a lot of things to a lot of people. Not
15 always the right things, by the way.

16 COMMISSIONER DIAZ: Okay. Talking about
17 quantification on your slide 26, Dr. Apostolakis,
18 whether failure of SSC results in an inadvertent
19 radionuclide release.

20 DR. APOSTOLAKIS: Yes.

21 COMMISSIONER DIAZ: Could you quantify
22 that for me, any radionuclide release?

23 DR. APOSTOLAKIS: This relates to what I
24 just said, that you know, again licensing a plant, you
25 don't just worry about severe accidents. You just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't want releases, and I think Part 100 covers
2 those. So that what the point we're making here is
3 that when you do this categorization, you have to
4 worry about that too, because the categorization that
5 is based on importance measures, of course, relies on
6 your CDF and burn. This is the basis, and that's
7 really the point of this.

8 COMMISSIONER DIAZ: Yeah, but it should be
9 some quantity, don't you think? I mean, it could be
10 any small -- are you going to protect it?

11 DR. APOSTOLAKIS: The first question is,
12 let's agree to do it, and then we'll have to worry
13 about that. Not any, no, no.

14 DR. BONACA: I would like just to add one
15 thing. In part, I think what we have discussed here
16 is also tied to the issue of defense in depth. Okay?
17 I mean, the whole greater the protection, which is to
18 implement safeguards which are commensurate to the
19 frequency of initiators and the severity of the
20 consequence have an intent also of defense in depth,
21 because it puts -- and to some degree, to just ignore
22 the contribution of some of those components which do
23 not prevent core damage, but essentially provide some
24 level of protection, it's a concern.

25 COMMISSIONER McGAFFIGAN: I think the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Commissioner's point was you don't have to worry about
2 that. We want to worry about minimal, but not --

3 DR. KRESS: I think it was the frequency
4 consequence dimension.

5 DR. APOSTOLAKIS: Yes.

6 DR. KRESS: Because if it's a very high
7 frequency but a low consequence, you know, you want to
8 do it. But if it's not very frequent and a low
9 consequence, then you don't.

10 CHAIRMAN MESERVE: Commissioner
11 McGaffigan.

12 COMMISSIONER MCGAFFIGAN: Thank you, Mr.
13 Chairman. I think I've had more of the Commissioner
14 discussions with Staff -- not that the presentation
15 was bad, but I think the questions have been great.

16 I'm going to go back to Mr. Bonaca, and
17 your conversation with Commissioner Dicus. This
18 notion of getting information on the time limit and
19 aging analyses, I vaguely remember a letter to that
20 effect before that you guys wrote that there needed to
21 be more information in the license renewal
22 applications. I remember sort of asking a question at
23 one point, well gosh if the staff came back with their
24 lessons learned, should we require this. And you all
25 said no, no, no, we can work it out. And the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said no, no, no, we can work it out, but is my
2 recollection wrong?

3 That this issue of the amount of
4 information that you're getting about the results of
5 the time limit of aging analysis has been a couple
6 years now.

7 DR. BONACA: I think it was a broader
8 issue at the time as how much information that would
9 be in the application and that was being debated
10 because you may remember that the industry took the
11 position that They were taking credit for existing
12 programs, there should be no demonstration for those,
13 no information provided so it was broader in that
14 context. Now I think those issues are pretty much
15 resolved.

16 COMMISSIONER MCGAFFIGAN: So it's down to
17 the time limit and aging analysis results.

18 DR. BONACA: Well in my judgment it is.
19 You have a lot of other components for which you a
20 program where you inspect and your corrective action
21 program has to come in. But I think where you have a
22 component like a vessel that is supposed to be there
23 for the life of the plant and you do a calculation to
24 see how far you're going to get in 60 year, you would
25 like to know what kind of margin you have. Some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants have a lot of margin, some plants have very
2 little. I think it would be a good piece of
3 information to have.

4 COMMISSIONER MCGAFFIGAN: If you want to
5 send us a letter that basically says that you're going
6 to ask this question every time an application comes
7 across your desk people would probably speed to up the
8 process a little bit by including the information,
9 otherwise the 21 month goal for getting these things
10 reviewed could be at risk. I would think that might
11 clear a few minds and get you the information that you
12 need. So I'm all for that.

13 Dr. Apostolakis, you talk about quality of
14 PRA. And I'm with you. Commissioner Diaz,
15 Commissioner Dicus are all with you. We need to have
16 high quality PRAs, the Chairman I am sure, too. The
17 question is, are we headed toward a train wreck with
18 what is coming in?

19 I mean, you were quite critical of an NEI
20 document that's floating around. I don't know whether
21 the ASME proposal really deals with this uncertainty
22 analysis in a way that would make you comfortable.

23 Are we going to end up with something that
24 doesn't meet with what you think is needed in a way
25 of a high quality PRA for going forward.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: Well this committee
2 will object to any attempts of adopting documents,
3 whatever they're coming from, that are not technically
4 sound. But I think -- I don't know if it's going to
5 be a train wreck but I think the result is what was
6 pointed out earlier. People will not believe in it.
7 Our own people will not believe it. People in the
8 industry will not believe it. And the whole effort for
9 risk informed regulation will stop.

10 COMMISSIONER MCGAFFIGAN: We've been
11 going down this course of endorsing an ASME standard
12 that has been the result of intense negotiations
13 between the staff and the industry for a multiple
14 number of years with, I'm sure, numerous compromises
15 buried in the fine print. Should we have thought
16 about a different approach then just requiring a high
17 quality PRA as a prerequisite for at least -- I mean,
18 you know, at least for some, if you're going to do the
19 revised 50 blank, 50-69, whatever, you need a high-
20 quality PRA with the following characteristics?

21 DR. APOSTOLAKIS: I have great
22 difficulty understanding why the industry does not
23 have a good Level 2 PRA for every unit out there. I
24 just don't understand that, and I think I'm not alone
25 not understanding it. It's just beyond me. They have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 done the IPEs. They have done the IPEEEs, so a lot of
2 the work has already been done. We are told that they
3 have already upgraded a lot of the IPEs, so going to
4 a complete Level 2 PRA should not be that much of an
5 effort. And yet, every time we say, you know, do this
6 or do that, there is always resistance. That's beyond
7 me. I really don't understand that, Commissioner.

8 COMMISSIONER McGAFFIGAN: I may be
9 representing the lowest common denominator, rather
10 than --

11 DR. APOSTOLAKIS: It does not help at all.

12 COMMISSIONER McGAFFIGAN: But that gets --
13 the quality of the PRA issue gets to -- you know, if
14 you don't believe them, and I don't believe them, and
15 you all taught me to not believe the total numbers in
16 any of these PRAs, to believe, you know, the deltas
17 maybe, but not the totals. Is there a finite number
18 of decades required to get to the point where you
19 could use these frequency consequence curves in a way
20 that Dr. Kress was talking about earlier, and have
21 some faith in them?

22 DR. APOSTOLAKIS: It's not a matter of
23 using CDF or the frequency consequence covers. I
24 mean, if --

25 COMMISSIONER McGAFFIGAN: Yeah, but it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 garbage in, if the whole --

2 DR. APOSTOLAKIS: Yeah, that's right.
3 That's the issue.

4 COMMISSIONER MCGAFFIGAN: If you can't
5 believe the total numbers to within a factor of two,
6 or three, or ten, then what -- you have -- how does it
7 work? Are we starting to have quantitative arguing,
8 we've argued before, are quantitative risk metrics.

9 DR. KRESS: Well, the thrust of our
10 arguments is that along with completeness in the PRA
11 in terms of treating all modes and all events, you
12 need to have a pretty good handle on the uncertainty.
13 You have to do it. Now that gets you out of this
14 quandary of believing the bottom line numbers because
15 it tells you how good they are if your uncertainty
16 analysis is correct, or believable. And your
17 acceptance criteria should have some relationship to
18 that confidence level you put in the number, so that's
19 why we keep talking -- you can't just use a PRA and
20 get one number out of it. You have to have the
21 uncertainties in the distribution, and you have to
22 deal in uncertainty space in terms of confidence
23 levels. And we think that can get you out of that.

24 COMMISSIONER MCGAFFIGAN: So it's more
25 than a Level 2 PRA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Oh, yeah. I disagree with
2 George to some extent on that. I think you need to go
3 to Level 3s, but you know, there's disagreement in our
4 committee, but I think --

5 COMMISSIONER MCGAFFIGAN: No, I don't
6 think he disagrees with you about Level 3. He just
7 says he's just surprised that they don't at least have
8 Level 2s today.

9 DR. KRESS: The focus, in my mind, ought
10 to be on how do you do this quantification of
11 uncertainties. You know NUREG 150 was like two or
12 three root canals, and that dealt with the knowledge
13 uncertainties. We can do parameter uncertainties very
14 nicely, so I think we need to focus on how best to do
15 that, and how to incorporate that into the thinking
16 and into the PRAs. And you also have to talk about
17 how to deal with the completeness issue, because I
18 don't think we do very well with fire PRAs right now.
19 Pardon my Tennessee using of fire, but I think
20 Commissioner Dicus will probably understand that. You
21 know, that's my view.

22 COMMISSIONER MCGAFFIGAN: Okay. Let me
23 just ask a couple of more questions. On Power
24 Uprates, Gary Hollahan, I think, came this afternoon,
25 just in case I asked this question that I asked this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 morning. He's nodding his head. He told me that in
2 the elevator. Are you guys happy with where things
3 stand? You sent us a fairly strong letter in March
4 with regard to the need for continued research on
5 high-burnup fuel, particularly in the 55 gigawatt day
6 per -- 55 to 62 gigawatt day per metric ton heavy
7 metal, and you felt that they've been relying on
8 engineering judgment, and They were canceling the
9 program that was going to help them confirm their
10 engineering judgment. Is that -- and the Staff has
11 promised us, according to Mr. Hollahan this morning,
12 that there's a comprehensive effort underway to re-
13 look at the high-burnup research program, and give you
14 something along the lines of what you were asking for.
15 Is that in good shape?

16 DR. POWERS: Not in my estimation, it
17 isn't. The situation is that, and NRR has indicated
18 that no one has a user need for the research underway
19 in RES for looking at the performance of a high-burnup
20 fuel under design-basis accident conditions, and
21 severe accident conditions. We didn't quite
22 understand why They would do that, since that did seem
23 to be a crucial issue for a number of licensing
24 considerations. And we asked them for the
25 information. They have given us a briefing outlining

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some of their positions and thoughts on the subject
2 that only left us more confused, because They seem to
3 be adopting criteria that, at least on the face of it,
4 didn't seem to be what They wanted to adopt.

5 My understanding is that they're still
6 organizing among themselves where NRR stands with
7 respect to that research program. I am repeatedly
8 told that NRR is supportive of the research program,
9 but not to the extent that They would issue a user
10 need. I find that puzzling.

11 Now the question on high-burnup fuel,
12 where do we stand? And even beyond that, what do we
13 know about high-burnup fuel in some of the modern
14 clads for which we have no experimental data. And
15 their response under accident conditions, I believe
16 the research program is going well. I mean, it's a
17 difficult research program because these are
18 experiments that necessarily you have to have high-
19 burnup fuel, so you -- it takes a while to get the
20 fuel, and it's hard to deal with. But I think it's an
21 area that affects a large number of regulatory
22 processes.

23 We even saw one today in discussing Reg
24 Guide 1.174, that in fact, They have to introduce
25 caveats into their 1.174, alerting people to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 possibility that acceptance criteria might be changed
2 as a result of this research. So to argue that there
3 isn't a user need in NRR for the results of this
4 research is one that the Committee has asked for some
5 explanation of, and we have not gotten that
6 explanation yet.

7 COMMISSIONER McGAFFIGAN: I've got one
8 more. Actually, I have several more, doctor. I'll
9 limit it to one. Dr. Apostolakis, I thought you just
10 -- after, I think, you had gotten a briefing, an
11 initial briefing about the potential color of the
12 Davis-Besse event and, you know, which is the only
13 INES-3, I think, in any advanced country in the past
14 12 years, you know, in terms of how INES scores the
15 event. There are press reports that, you know, our
16 region are struggling. And I don't know no more than
17 the press reports in this instance as to how to color
18 the Davis-Besse event, and Mr. Lochbalm has written in
19 saying, you know, it would be incomprehensible to the
20 public if it's anything other than read. But the
21 Staff -- you know, you're Mr. Risk-Informed, you know,
22 is going through it and saying okay, the initiating
23 event, according to the press, the initiating event
24 probability is not high but, you know, this half-inch
25 layer of steel is fortuitously there, you know -- it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wasn't design for this event, this half-inch layer of
2 steel which is defense in -- you know, shows how much
3 defense in depth we have in some of these plants, more
4 than we even knew. You know, means that the
5 initiating event frequency is very, very low.
6 Therefore, you end up, you know, green, no color, or
7 something like that, following by the book. So I
8 think if you, as Dr. PRA, could you tell me, if you
9 were the person trying to analyze the Davis-Besse
10 event, what color you'd get to on your own -- you
11 know, whatever metrics you think should be the ones we
12 use in a risk-informed reactor oversight process.

13 DR. APOSTOLAKIS: Well, I -- let me tell
14 you, I don't know what color. I would definitely not
15 come up with green. And if somebody did that, I would
16 be very anxious to find out why.

17 COMMISSIONER McGAFFIGAN: Okay.

18 DR. APOSTOLAKIS: As you probably gathered
19 from the meeting I had with you, I was really shocked
20 by what happened.

21 COMMISSIONER McGAFFIGAN: But how do you
22 -- you know, the arithmetic may be forcing people into
23 green. What is wrong with the arithmetic? Is it a
24 flaw in our reactor oversight process or the STP
25 process where something that is obviously a fairly big

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deal by, you know, what do you call it, structuralist
2 criteria, you know, ends up among you rationalists as
3 maybe not that big a deal.

4 DR. APOSTOLAKIS: Well, first of all, I'm
5 not sure how rationalist I am any more.

6 (Laughter.)

7 COMMISSIONER McGAFFIGAN: This is music to
8 my ears, by the way.

9 DR. APOSTOLAKIS: Well, I'll tell you
10 first of all, if we -- indeed the approach we're using
11 now comes up with green, then there's something wrong
12 with the approach. We are not using the right
13 criteria. We're not using the right --

14 DR. POWERS: Well, I mean, I think it
15 should speak to the specifics of some of the areas
16 that we talked about even today, about where PRA needs
17 to evolve in order to properly deal with these things,
18 such as the -- more treatment of passive components,
19 the treatment of aging phenomena, treatment of
20 increased failure rates as a result of the higher
21 demand.

22 COMMISSIONER McGAFFIGAN: Yeah. I'll just
23 let the public -- this commissioner will also have a
24 hard time not understanding anything other than red
25 for the Davis-Besse event. I mean, we had read at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Indian Point, which was an INES-1 event, and which the
2 researchers come along afterwards and said, you know,
3 we're having a hard time, you know, finding any
4 conditional core damage frequency or whatever there,
5 and so a relatively straightforward tiny leak in a
6 steam generator generates a red, and here we have an
7 eight inch hole in the reactor vessel --

8 DR. APOSTOLAKIS: Unanalyzed.

9 COMMISSIONER McGAFFIGAN: Unanalyzed, and
10 it's coming up something other than red, but I --

11 DR. APOSTOLAKIS: All right. Let me give
12 you another idea we discussed this morning. I mean,
13 in the famous diagram of the integrated decision
14 making process where have the inputs defense in depth,
15 safety margins, little PRA here, monitoring, if the
16 idea of risk-informing the regulations is to
17 supplement risk information with other things, then
18 what Davis-Besse is telling us is there should be a
19 sixth box, safety conscious work environment. How
20 about that? Because that is a major, major, major
21 thing we need.

22 Now it's premature to speculate how we're
23 going to handle it, but we definitely have to do
24 something about it. And I don't think the solution is
25 only the traditional technological kind of solution.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COMMISSIONER McGAFFIGAN: Okay. Thank
2 you.

3 CHAIRMAN MESERVE: Dr. Kress, I know that
4 you -- ACRS has gotten into the advanced reactor
5 activities with a particular focus on gas reactors
6 because of the expectation that we would be seeing a
7 pebble bed module reactor that we would be working on.
8 As you know, that's sort of fallen away, at least for
9 the time being. And it appears that we may be flooded
10 with a gas reactor from General Atomics, but we --
11 certainly there's great interest in the ESBWR, and
12 now the SWR, and maybe even in advanced CANDU reactor,
13 so we're having some -- we're going to be seeing some
14 light wire reactor designs, or CANDU heavy wire
15 moderated, but light wire is the cooled.

16 Is our current regulatory system going to
17 be adequate for us to be able to handle those designs,
18 or do we -- I mean, you've had -- pressure you were
19 going forward because you thought in a major way we're
20 going to be dealing with gas reactors, and the
21 question I think with the business we have is changing
22 in this area. And I'm discouraged that we need to be
23 thinking about different ways to do our business, but
24 are we in quite as desperate a condition as we thought
25 we might be in having to deal with a gas reactor?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Most of these -- a lot of
2 reactors have a great deal in common with our current
3 reactors. They just do it better. And I think the
4 regulatory structure we have can deal with them very,
5 very efficiently, you know, with some tweaking and
6 modification, so I don't think you're in near as bad
7 shape as you would be for some of the gas cooled
8 concepts. And I think we need a lot of work for some
9 of the Gen IV concepts also. A lot of those radically
10 different.

11 I think we can handle the light wire
12 reactor concepts, and that includes the CANDU, as well
13 as the SPWR and the AP1000, and the -- now the one I
14 think may give us difficulty, and will probably
15 require a little more in the depth thinking about the
16 regulations is the IRIS concept.

17 CHAIRMAN MESERVE: The what?

18 DR. KRESS: IRIS. But I still think it
19 fits into the regulatory structure we now have, so I
20 really don't -- I think you need to supplement it with
21 risk thinking, but I think just using the structure we
22 now have, you could certify those.

23 The concept that you need to think about,
24 fitting it into the regulatory structure we now have,
25 is how do you define the design-basis accidents for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these particular concepts?

2 CHAIRMAN MESERVE: Well, you've listed
3 that.

4 DR. KRESS: Yeah, I talked about that
5 before, and I think that's the main thing pointed out
6 for those concepts.

7 CHAIRMAN MESERVE: Let me ask you a
8 question about that. And I think in slide 18, that
9 was one of the impediments, lack of criteria for
10 selecting design-basis accidents. And let me ask
11 something, may be, I admit, may be a stupid question
12 that may reflect my own ignorance. If, in fact, you
13 had the robust set of risk criteria, why do you need
14 design-basis accidents?

15 DR. KRESS: Well, that's a very good
16 question, I think, and I've asked myself that. It's
17 because design-basis accidents give the designer
18 something to design to, much better than -- say meet
19 these top level risk criteria. And it fits into the
20 current regulatory structure. The current regulatory
21 is basically design-basis, so if you want to fit it
22 into the current, you need them. Now the whole -- the
23 high level, the risk acceptance criteria, that might
24 come in, is they help you define what these design-
25 basis accidents need to be. You know, the Exxon

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 people suggested to cut off frequency. I don't think
2 that's acceptable. There's no technical basis to say
3 you cut off the frequency, the ones that are more
4 frequent than that will have lower design-basis and
5 lower severe accident. That needs a better technical
6 justification and you have to have a philosophy on
7 what your design-basis accidents do for you. What
8 they do for you is, if you haven't designed, you
9 haven't specified, and you meet the acceptance
10 criteria, which is another thing, you have to define
11 acceptance criteria. And these currently are things
12 like amount of hydrogen produced, and the peak clad
13 temperature. You have to decide what those are going
14 to be for some of the other concepts, but the
15 philosophy is that if you specify where the design-
16 basis accidents are, and how you meet by the general
17 design criteria, then you will accommodate clearly
18 things like diversity and redundancy, and the single
19 failure criteria. You will accommodate in its
20 provisions, but will also help accommodate the severe
21 accident. It will help accommodate them to the extent
22 that the whole system is rendered to an acceptable
23 level of risk. That's the philosophy, in my mind, of
24 design-basis accidents, so what I suggested was, okay.
25 You go ahead and pick a frequency. You have to have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enough of a design to be able to identify initiating
2 events, and the frequency. That's a tough job right
3 there, but you pick one, and then you make a design.
4 You adjust your design for those design-basis
5 accidents, specify just the way we do it now in a
6 deterministic way, and come up with a second level
7 design. And then you do the PRA with the uncertainty
8 analysis to see if you meet the risk criteria. If you
9 did, you selected a pretty good level. In fact, you
10 may have met the risk criteria so well, you may want
11 to up the frequency and cut off some of the design-
12 basis. If you didn't meet the risk criteria at the
13 right at the right confidence level you chose -- you
14 drop your frequency down. So in my mind, that's the
15 way you deal with it, and that's -- if you do it that
16 way, your design-basis accidents are going to be
17 design-specific. You're not going to be --

18 CHAIRMAN MESERVE: I think it raises a
19 question that the designer may want to have a design-
20 basis accident so he can figure out how to start. But
21 it isn't clear to me that we need to have that as the
22 foundation for our regulatory system. Let them start
23 wherever they want, so long as they can come in and we
24 have an appropriately rich set of criteria that they
25 satisfy, why do we need to build design-basis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accidents into our regulatory system?

2 DR. KRESS: Because it's already in the
3 regulatory system. That's the way we review them, and
4 it's the way --

5 DR. APOSTOLAKIS: I think the review also
6 is not just the design. I think the review will be
7 more efficient if you have design-basis accident.

8 DR. POWERS: I think it puts us in a trap,
9 and I don't know how often we have to learn this
10 lesson. The design-basis accidents give you a trap.
11 People design for the design-basis accidents that are
12 designing for risk. The sooner we can get rid of
13 these, the better off we're going to be. I mean, it's
14 the -- for these advanced concepts, it's just an
15 excellent chance for us to say look, what we're doing
16 is regulating risk, not regulating large breaks in
17 piping systems.

18 DR. APOSTOLAKIS: That sounds too good to
19 be true though.

20 (Laughter.)

21 DR. APOSTOLAKIS: You know, I would hate
22 to have to have to come to the NRC Staff and propose
23 building a big machine that costs \$5 billion, and be
24 at the mercy of a reviewer who will question my common
25 cost failure rates. I hate that, so I won't have as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much --

2 CHAIRMAN MESERVE: You won't have good
3 cost failure rates.

4 DR. APOSTOLAKIS: -- determinism as I can.
5 Now that determinism will be based on risk, so the
6 risk analysis will be done separately off-line. When
7 I have production and people review it, it has to be
8 based on deterministic criteria, as much as possible,
9 that have been derived from probabilistic
10 considerations. But I would not want to be at the
11 mercy of somebody who doesn't like my numbers.

12 CHAIRMAN MESERVE: This is from a guy who
13 is otherwise selling us PRAs and all of the --

14 DR. APOSTOLAKIS: No, no, no.

15 CHAIRMAN MESERVE: We're going to take
16 that title of Mr. PRA away from him.

17 COMMISSIONER DIAZ: I just woke up. Can
18 I --

19 (Laughter.)

20 CHAIRMAN MESERVE: I'd like to -- I think
21 we're -- this is an interesting subject, I think that
22 we'd like to pursue with you further. I'd like to
23 pursue the question, I think it was implicit in your
24 answer that you gave to Commissioner McGaffigan, in
25 that you have emphasized, George, in your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentation, your concerns about the not having
2 uncertainty analysis, and so forth, and the quality of
3 the PRAs. We have underway, have this effort now by
4 ASME to develop standards, and the Nuclear Society is
5 doing their little power shutdown standards for PRAs.
6 And the sense I got from your answer was that even
7 with those standards in place, you would not
8 necessarily have confidence that the PRAs consistent
9 low standards will be sufficient.

10 DR. APOSTOLAKIS: Right.

11 CHAIRMAN MESERVE: Is that where you think
12 we're ending up?

13 DR. APOSTOLAKIS: Yes.

14 CHAIRMAN MESERVE: Okay.

15 DR. APOSTOLAKIS: Because I think one of
16 the things that they tried to do in the ASME standard
17 is to speculate when you need uncertainty, and when
18 you don't, and so on. And I just don't agree with
19 that. And in fact, we wrote a very good letter
20 praising the ANS standard, or proposed standard on
21 external events because they paid so much attention to
22 uncertainty. And then we hear that the industry was
23 up in arms because we paid too much attention on
24 uncertainty. So I hasn't seen the final result now.
25 But I for one would disagree if they change. That

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't mean the committee will disagree.

2 I think where we ought to be by now after
3 all of these years, we should be doing parameter
4 uncertainty propagation and quantification routinely.
5 And we should be focusing on what is really important:
6 model uncertainty. That's what's killing PRA. Model
7 uncertainty. But if we don't even mention the word
8 uncertainty, why should we worry about model
9 uncertainty and if I raise the issue, they will tell
10 me, "well, how would you do it?" I don't know how I
11 would do it. That's why we have to think about it.

12 But if we still have to fight the battle over
13 parameter uncertainty that was done very well in the
14 the Reactor Safety Study, 1973, then of course we'll
15 never handle the really important issues acceptance
16 criteria, model uncertainty, and so on.

17 CHAIRMAN MESERVE: Any difference of view
18 on this issue?

19 DR. KRESS: I certainly agree with
20 George.

21 CHAIRMAN MESERVE: We're going to have
22 our work cut out for us. With regard to, Dr. Ford,
23 you emphasized that, I think your final slide, slide
24 38, that at least as to the Ocone analysis that the
25 PTS screening criterion was overly conservative by, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think, you said two orders of magnitude. Is there any
2 reason to believe that that's an outlier?

3 Or would you expect that this is what
4 you're going to with finding with these other ones?

5 Is there anything from the analysis that
6 could be undertaken from the Oconee case to say that
7 that's going to be anomalous in terms of the degree of
8 conservatism.

9 DR. FORD: I believe the Oconee plant is
10 the one with the current estimated end of life
11 toughness -- highest toughness of the four plants. So
12 it may well be an outlier. And this is why the
13 outcome from the next one, Beaver Valley, which I
14 believe is the one with the estimated lowest
15 toughness, the highest degree of irradiation
16 hardening, is going to be very interested. It would
17 tend to bracket what you'd might expect to find. This
18 is why in the discussion this morning, it was
19 emphasized by the staff that the original assertion
20 that the current rule was conservative. It was said
21 might be conservative. We might find a highly
22 irradiated one which in fact doesn't show the
23 conservatism in the frequency of through-wall
24 cracking. But it's certainly going in the right
25 direction.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MESERVE: All right. Well, I
2 would like to thank you. As always, this has been a
3 very illuminating afternoon for all of us. We very
4 much appreciate the hard work that you put in and we
5 greatly benefit from your advice. I would like to
6 thank you again for participating with us and
7 submitting your letters. With that, we're adjourned.

8 (Whereupon, the proceedings in the above-
9 entitled matter adjourned at 3:37 p.m.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701