

1
2 BEFORE THE UNITED STATES
3 NUCLEAR REGULATORY COMMISSION

4 IN RE THE MATTER OF:)
5)
6 Public Meeting Between the U.S.) Docket #50-346
7 Nuclear Regulatory Commission)
8 and FirstEnergy Regarding the)
9 Davis-Besse Nuclear Power Station)

10
11 NUCLEAR REGULATORY COMMISSION PUBLIC MEETING
12 August 15, 2002
13 1:00 o'clock P.M.

14 PROCEEDINGS HAD before the UNITED
15 STATES NUCLEAR REGULATORY COMMISSION, taken at the
16 United States Nuclear Regulatory Commission, Region
17 III, 801 Warrenville Road, Lisle, Illinois, before
18 Marlane K. Marshall, C.S.R., License #084-001134,
19 a Notary Public qualified and commissioned for the
20 State of Illinois.

21
22 PRESENT FOR THE NUCLEAR REGULATORY COMMISSION:

23 MR. JACK GROBE, Director, IMC 0350
24 Oversight Panel;

25 MR. JAMES DYER, Regional Administrator,
26 Region III;

27

1 PRESENT FOR THE NUCLEAR REGULATORY COMMISSION:
(continued)

2

MS. CHRISTINE LIPA, Chief, Branch 4,
Division of Reactor Projects;

3

4

MR. GEOFFREY WRIGHT, Project Engineer,
Branch 2 Division of Reactor
Projects;

5

6

MS. LAURA COLLINS, Project Engineer;

7

MR. JOHN JACOBSON, Team Member;

8

MR. SCOTT THOMAS, Senior Resident
Inspector;

9

10

MR. DOUGLAS SIMPKINS, Resident
Inspector.

11

PRESENT FOR THE LICENSEE:

12

MR. LEW W. MYERS, CEO, FENOC;

13

MR. STEVEN A. LOEHLEIN, P.E.,
Principal Staff Consultant,
FirstEnergy;

14

15

MR. MARIO P. DeSTEFANO, QA
Supervisor, FENOC;

16

17

MR. BOBBY G. VILLINES, Senior
Nuclear Engineer, FENOC;

18

19

MR. KEVIN A. SPENCER, Licensing
Specialist, FirstEnergy;

20

MR. STEVEN P. FRANTZ, Morgan Lewis;

21

MR. GERALD M. WOLF, Engineer -
Licensing, FENOC.

22

County Court Reporters
600 South County Farm Road, Suite 200
Wheaton, IL 60187
(630) 653-1622

1 PRESENT FOR THE LICENSEE: (continued)

2 MR. WILLIAM MUGGE, Manager, Nuclear
3 Training

4 MR. TODD SCHNEIDER, Manager of
5 Communications, FENOC.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

1 CHAIRMAN GROBE: Good afternoon. My name is
2 Jack Grobe. I am the chairman of the NRC's
3 oversight panel for the Davis-Besse facility. This
4 is a meeting of the NRC's oversight panel and
5 FirstEnergy Nuclear Operating Company regarding
6 activities at Davis-Besse. We particularly are
7 focusing on today a discussion of the organiza-
8 tional management and human performance issues that
9 resulted in the degradation in the reactor pressure
10 vessel head at Davis-Besse. I would like to
11 emphasize the importance of this meeting and this
12 discussion. Davis-Besse has undertaken a restart
13 activity that has many components to it, and we're
14 going to be talking about that a bit later. One of
15 the components is improving the organizational
16 effect of this area. Metals crack, boric acid is
17 corrosive. These are not new concepts in the
18 nuclear power industry. They're activities that
19 need to be identified, managed and resolved. In
20 fact, what caused the head degradation at Davis-
21 Besse was not corrosion or boric acid and cracking
22 materials. It was the fact that it was allowed to

1 go unfettered for years. And we're looking forward
2 to hearing the results of FirstEnergy's evaluation
3 as to why that occurred.

4 I am going to turn the beginning of the
5 meeting over to Christine Lipa. And Christine is
6 the chief of the Division of Reactor Projects,
7 Branch 4 in our Division of Reactor Projects here
8 in Region III. Christine is going to provide some
9 logistical discussion about how this meeting is
10 going to be set up and run today as well as she and
11 Scott Thomas, the senior resident inspector, will
12 provide some background information on the Davis-
13 Besse activities. So Christine?

14 MS. LIPA: Thank you, Jack. First of all
15 welcome to FirstEnergy and to members of the public.
16 And I am the branch chief here in Region III, and I
17 have overall responsibility for the NRC's inspection
18 program at Davis-Besse. We'll go through the rest
19 of the introductions in a few minutes. I want to
20 refer to the agenda that we have up on the screen
21 here, and it discusses the purpose of the meeting
22 and the first few items. Right now we are in

1 introduction and opening remarks. I wanted to talk
2 a little bit about protocol before we get started.
3 This meeting is open to the public, and the public
4 will have an opportunity before the end of the
5 meeting to ask questions of the NRC. This is
6 considered a Category 1 meeting in accordance with
7 the NRC's policy on conducting public meetings. In
8 addition to public access here in the Region III
9 office in Lisle, Illinois, we are also video
10 conferencing this meeting to our headquarters
11 office in Rockville, Maryland. At headquarters the
12 video conference is also open to the public. Also
13 we have arranged for one hundred phone lines for
14 participants to call in and listen to the meeting.
15 Before the meeting is adjourned, there will be
16 opportunities for members of the public at all
17 three spots, here in Lisle and headquarters and on
18 the phone lines, to ask questions. Due to the
19 various means of communication we're using today
20 through phone lines and video conferencing, it'll
21 be really important that all speakers use the
22 microphone when talking so that people can parti-

1 cipate on the phone lines. We're also having this
2 meeting transcribed today to maintain a record of
3 what we will be discussing, and the transcription
4 will be available on the web page several weeks
5 after today's meeting.

6 Also on the NRC's web page today and the
7 Davis-Besse web page we have the agendas and the
8 handouts. The NRC agenda that you see on the screen
9 here and then the handouts that the licensee brought
10 with them today, those are already available on the
11 NRC's web site for people who are calling in by
12 phone. Also at the back of the room and here are
13 the meeting feedback forms that you can fill out to
14 provide feedback to us on how the meeting goes with
15 respect to format or content or any other aspects
16 of the meeting because we would like to improve the
17 quality of our meetings if we can.

18 Let's start off with introductions. We
19 will start off at the table here, and then we will
20 go around the rest of the tables.

21 MR. THOMAS: This is Doug Simpkins. He is the
22 resident at Davis-Besse. I am Scott Thomas, senior

1 resident inspector.

2 MR. DYER: Jim Dyer, regional administrator,

3 Region III.

4 MR. JACOBSON: John Jacobson, panel member.

5 MS. COLLINS: Laura Collins, project engineer

6 for Davis-Besse.

7 MR. WRIGHT: Geoffrey Wright, team leader for

8 evaluating this particular area for the NRC.

9 MS. LIPA: Would you introduce yourselves?

10 MR. VILLINES: Bobby Villines.

11 MR. DeSTEFANO: Mario DeStefano.

12 MR. LOEHLEIN: Steve Loehlein.

13 MR. MYERS: Lew Myers, chief operating officer.

14 MR. SPENCER: Kevin Spencer.

15 MR. MUGGE: Bill Mugge.

16 MS. LIPA: Thank you.

17 MR. MYERS: We also have some staff here in

18 the back. Todd Schneider, manager of communications

19 for FENOC; Steve Frantz from Morgan Lewis; and

20 Jerry Wolf, Regulatory Affairs.

21 MS. LIPA: We also have a transcriber today,

22 Marlane Marshall. Welcome, Marlane. And also do

1 we have any representatives of public officials? I

2 know I saw Gere Witt.

3 MR. GERE WITT: Gere Witt, county

4 administrator, Ottawa County.

5 MS. LIPA: Welcome. Any other representatives

6 of public officials? Okay.

7 Now, next we will talk about a brief

8 summary of the major NRC activities related to

9 Davis-Besse since March, 2002. And if you will go

10 to slide 1, please? Okay. For background, this is

11 a summary of some of the major milestones beginning

12 with the March 6th date when the degradation was

13 first identified, and over the next few days

14 following March 6th the severity of the corrosion

15 was realized. On March 12th Region III sent an

16 AIT, which is an augmented inspection team, to the

17 site. That was a five-person team of inspectors

18 from the region, resident inspector and person from

19 NRC's Office of Research. On March 13 Region III

20 issued a confirmatory action letter to the licensee

21 describing our understanding of the specific actions

22 the licensee intended to take prior to restart.

1 And then on April 29th, 2002, the agency decided to
2 use an IMC 0350 oversight panel. We have been
3 having monthly public meetings with the licensee in
4 Oak Harbor, Ohio, and we will continue to do so
5 approximately once a month. Just for reference --
6 we discussed this in detail at the May public meeting
7 -- this supplies an overview of the goals of the
8 Manual Chapter 0350 panel. We will go through them
9 all in detail. Go to the next slide.

10 And this is a continuation of the goals
11 of our panel. And this is a listing of the NRC
12 members that comprise the IMC 0350 oversight panel.
13 You can see we have managers and staff from Region
14 III and from NRR on the panel.

15 Next I will turn it over to Scott Thomas.
16 He's the NRC senior resident inspector at Davis-Besse,
17 and he will summarize the degradation issue for you.

18 MR. THOMAS: Acknowledging the fact that there
19 may be members in the audience that have varying
20 levels of understanding of the issue, this is kind
21 of just a general description of power plant
22 operations and reactor vessel head construction.

1 A power plant is composed of a primary
2 loop and a secondary loop. The primary loop
3 contains high pressure, high temperature water
4 which transfers heat generated in the reactor to
5 the steam generators. This transfer of heat in the
6 steam generator causes feed water in the steam
7 generator to boil and produce steam. This steam
8 drives a turbine generator which generates
9 electricity. The steam that has passed through the
10 turbine is condensed and recycled back to the steam
11 generator as feed water to begin the cycle anew.

12 The containment structure basically
13 contains the primary loops in the reactor. It's
14 composed of an outer shield building which is
15 approximately two and a half feet of concrete --
16 excuse me -- rebar reinforced concrete, and the
17 containment itself which is an inch and a half
18 thick steel vessel that's within the shield
19 building. Next slide.

20 This is a diagram of the top of the
21 reactor. It shows the closure head itself which
22 is the domed part. It shows the nozzles which

1 penetrate the head. It shows the lower support
2 assembly which on top of the lower support assembly
3 is the insulation, the head insulation, and above
4 that is the service structure itself. Now, on the
5 lower support structure are the weep holes, which I
6 will go more into that in just a moment. Go to the
7 next slide.

8 This is a typical diagram of a control
9 rod drive nozzle. As you can see it penetrates the
10 reactor vessel head. In the upper portion is a
11 compression fitting, and down at the bottom is a
12 J weld which secures the nozzle to the head. Go to
13 the next one.

14 This is a picture of the top of the
15 reactor vessel head in the 2000 outage. A couple
16 things I would like to point out in this slide are
17 the bolts that hold the head to the vessel itself,
18 and you can also see the weep holes that I described
19 earlier. These are approximately 5 x 7-inch rect-
20 angles. And this was the area where the licensee
21 did their inspections and their cleaning. There
22 are a number of them around the periphery of the

1 head. What you see in red is a combination of
2 boric acid and baric oxide that originated from the
3 top of the vessel head. And that's all I have.

4 Oh, one more slide. I am sorry.

5 This is a depiction of the drawing of the
6 vessel head. You can see two nozzles and what's
7 left of a penetration. The area that Doug is point-
8 ing to right now is a depiction of the cavity
9 itself that was found on top of the reactor vessel
10 head. Basically that area right there is void; I
11 mean there is nothing there. And all that was left
12 at the bottom was the cladding on the inside of the
13 reactor vessel head. And I believe that's all.

14 MS. LIPA: Okay. Thank you, Scott. We're
15 ready next for Lew Myers if you would go ahead with
16 your presentation.

17 MR. MYERS: Thank you, Christine. My name is
18 Lew Myers. I am the FirstEnergy Nuclear Operating
19 Company chief operating officer. We're here today
20 to discuss the management and human performance
21 root causes and how we arrived at these root causes
22 if you will.

1 I guess the thought that I would have is
2 that as we discuss these issues and come to an
3 understanding of the management and its performance
4 issues, as an organization we are very humbled and,
5 in fact, embarrassed. I am personally embarrassed
6 about where we're at today, and I think the
7 depictions that are ahead indicate it all.

8 Our desired outcomes are we will talk
9 about the root causes. And let me summarize
10 those. They deal with management oversight. And
11 what we will tell you today is if you look back in
12 the history of our Davis-Besse plant, there has
13 been some very good performance and there has been
14 some good rigor. There has been some good manage-
15 ment oversight. And we can clearly document where
16 that started to deteriorate away.

17 The corrective action program is another
18 major issue. That's the lifeline of a management
19 program, to find and fix problems. And we
20 identified several performance problems in the
21 corrective action program where our corrective
22 actions did not elevate to the proper level. We

1 classify our CRs as we get them, and we did not
2 classify CRs properly nor did we perform the proper
3 safety analysis of CRs we discovered.

4 From a technical rigor standpoint over
5 the years we appeared to lose the processes or
6 programs or thought processes that drive you into
7 the 50.59 review or safety review process. So from
8 a technical rigor standpoint you see that we often
9 jump to the first conclusion, a conclusion that was
10 in many cases production orientated. And that rigor
11 of finding and fixing problems and not addressing
12 the hard issues that once again deteriorated away
13 over time well demonstrates from a program
14 compliance standpoint we did not implement our
15 program effectively. We did not have good
16 ownership nor was our program technically adequate.
17 It wasn't adequate to find and fix this problem,
18 let's understand that. It did meet the regulatory
19 requirements, and if used properly it should have
20 been able to fix this problem.

21 And finally the most important thing that
22 we want to talk about today is some of our key

1 corrective actions that we have been undertaking to
2 ensure that we can return the plant to service in
3 good material condition, and even then we can
4 operate the plant safely and reliably for the
5 long-term in a consistent manner.

6 I would like to take a moment to talk
7 about the original root cause. When we had the
8 event, we had the augmented inspection team come
9 in. And Steve Loehlein next to me chaired the
10 group of people that addressed a technical root
11 cause that indicated that we had not as management
12 effectively implemented our process and thus failed
13 to address plant problems as opportunities arose.
14 We had many opportunities to identify and fix this
15 problem over the years and failed to recognize
16 them. It was obvious that our processes if you
17 will were somewhat broken and that we had not
18 only -- when we had addressed problems we had not
19 addressed the root cause early at the very
20 beginning. So from a management standpoint we
21 recognize that we need to make some changes in our
22 management.

1 At that time my boss, Bob Saunders, the
2 chief operating officer, and Gary Leidich,
3 executive officer of FENOC, was our oversight
4 organization. And we promoted Bill Pearce to the
5 vice-president of Nuclear Oversight. And he meets
6 regularly with our board now, and that will
7 strengthen our oversight process. We completed the
8 technical root cause because we knew that in the
9 past we had overlooked issues that should have
10 found and fixed this problem. So we couldn't
11 depend on that same process solving the problem
12 again. So we waited. We addressed the technical
13 root cause. And then later on in the May timeframe
14 I was assigned as basically a full-time employee of
15 the Davis-Besse team for recovery. In the May
16 timeframe I appointed a root cause team that was
17 independent to go look at the management aspects of
18 this event, and that's what we're discussing now.
19 And that's the reason we waited so long. Really
20 the reason we didn't do both at the same time is we
21 knew that we couldn't depend on the management
22 organization getting at the root cause because they

1 hadn't in the past.

2 So we chaired that team. We asked our-
3 selves what kind of people we want on the team, the
4 competition if you will. We found that we used the
5 same leaders, Steve Loehlein next to me. Steve is
6 from our Beaver Valley plant trained in root cause
7 analysis who participated in a lot of the root
8 causes we have done there in a very good manner.
9 We wanted to get some people from our other plants,
10 the FENOC plants, to provide input so that we could
11 not only have an independent study, but we could
12 take these issues that we were finding back to our
13 other plants and make sure the same issues don't
14 exist. We have some oversight support on the team
15 to look at how our oversight failed. And then we
16 wanted to bring in some process people that are
17 recognized as industry experts. So we hired Conger
18 & Elsea who use a root cause method called MORT
19 which we will talk about later on. Then we wanted
20 to involve some of the Davis-Besse management and
21 people to ensure that we got good buy-in on these
22 issues that we would come up with. That's how we

1 formed the team that reported directly to me to

2 develop this root cause.

3 We also wanted to make sure we went down

4 the right track. So during the middle of the root

5 cause process we asked the Institute of Nuclear

6 Power Operation to have some other utilities come

7 in and evaluate the process that we were taking and

8 make sure that we were looking at things from a

9 broad perspective and the right depth. So we

10 brought people in from several other utilities.

11 Then at the end of the evaluation, the root cause

12 evaluation if you will, we brought in an organi-

13 zational effectiveness expert to help us decide

14 some of the corrective actions that we might take

15 as we moved forward. And then we staffed from the

16 Lincoln Company two full-time people that have

17 helped us develop and make sure that our corrective

18 actions are effective. And they're organizational

19 development consultants. They're on my staff now.

20 The team consisted of some really pretty

21 good people. We had Steve Loehlein once again from

22 Beaver Valley who was on the team. Bill Babiak

1 from Perry. He is a long-term root cause type
2 person from our Perry plant. Mario DeStefano is on
3 our team from Perry. Mario came to us -- He is a
4 root cause person from our quality group and was a
5 previous maintenance manager at one of our plants.
6 Randy Rossomme from our Beaver Valley plant, the
7 oversight agents. Lesley Wildfong was from the
8 management oversight process group, the MORT group
9 if you will. This is the group I was talking about.
10 They do instant investigations on all kinds of
11 industry events. So we wanted to bring in some
12 very high level technical experts, and we did that
13 there. Bill Mugge is from our Davis-Besse plant.
14 He's spent some time at INPO recently and came back
15 as their training manager. He is an employee there.
16 Joe Sturdavant is at our Davis-Besse plant also.
17 Bobby Villines is from Davis-Besse in the plant
18 engineering area. They're both more than qualified.
19 Dick Smith came in. Dick is a manager with Conger
20 & Elsea and has been involved with some major
21 events. And he came in and worked with the team
22 for a couple weeks. Then Dorian Conger and Ken

1 Elsea came in. They own the company. What they
2 did was make sure that we were analyzing things
3 correctly, putting them in the right baskets in the
4 trees, and just provide some general management
5 oversight to the team. And then Spyros Traiforos
6 who is a Ph.D. that we used to help us was an
7 experienced root cause Ph.D. in materials. A lot
8 of experience there. So we brought him in also.
9 So we think the team was a very credible team. And
10 it was the best team we could find to put together,
11 and we're very pleased with the qualifications of
12 people on the team.

13 That concludes my introduction. What I
14 would like to do now is turn it over to Steve
15 Loehlein. Steve is going to talk through the
16 process if you will that we went through. For
17 people that are not familiar -- and many people
18 here I know are -- we will go through the process,
19 and then we're going to go through the various root
20 causes and how we concluded the root causes were
21 valid, the basis for that. I will turn it over to
22 Steve.

1 MR. LOEHLEIN: Thank you. I want to make sure
2 that I have this -- Can everyone hear me fine with
3 the microphone?

4 MR. DYER: If you have got the bright green
5 light, you should be good to go.

6 MR. LOEHLEIN: How is that? I will be going
7 through a number of slides. I want to make sure --

8 AUDIENCE MEMBERS: If all the speakers could
9 do that, we'd appreciate it.

10 MR. LOEHLEIN: Okay. Again thank you, Lew.
11 And I would like to say a few things up front.
12 First on behalf of the team I want to recognize
13 them for the very difficult job this was for them.
14 We painstakingly reviewed many documents, a lot of
15 interviews to form the conclusions that we'll be
16 sharing with you today. We believe in the results
17 and we believe in the product, and we'd like to
18 share them with you. I think it would probably be
19 very positive for us if as I go through this
20 presentation that unless there is a point that I am
21 making that needs clarification, there's a few areas
22 in here where it'll be appropriate for me to stop

1 and ask for questions, but there's a certain flow
2 to this I would like to maintain. So if that's
3 agreeable with everyone, I will pause when I think
4 is a good place to interject questions. There will
5 be certain conclusionary points.

6 CHAIRMAN GROBE: Thanks, Steve.

7 MR. LOEHLEIN: We're now on slide number 9 for
8 whoever might be looking at this from a computer or
9 whatever. What we have shown on this slide is the
10 initial statement that was used in our team's
11 charter to focus our thoughts to. What we wanted
12 to know is we wanted to understand why over a
13 period of years Davis-Besse personnel failed to
14 identify corrosion of the reactor pressure vessel
15 head base metal. Now, this focused objective
16 resulted in an investigation that led to very broad
17 understandings of the issues, and that's what we'll
18 be sharing with you today.

19 Slide number 10. We thought we would
20 share with you right up front the overriding
21 management oversight root cause statement. As
22 stated there, there was a less than adequate

1 nuclear safety focus at the station. The focus
2 was on production established by management that
3 which combined with taking minimum actions to meet
4 regulatory requirements resulted in the acceptance
5 of degraded conditions. Now, before we get started
6 into all the supporting conclusions -- and there
7 are a number of them -- I think it's really
8 important that we understand the context of this
9 root cause statement.

10 First, a production focus has to be
11 understood as it relates to nuclear power. The
12 station is a production facility, and its desire to
13 produce power is an assumed priority for the business.
14 However, in nuclear power nuclear safety is the
15 primary objective of everyone involved with nuclear
16 power, and this takes precedence over the desire to
17 produce electricity. Now, in the past Davis-Besse
18 had -- We will show you in the late '80s and early
19 1990s the station had good production numbers and
20 still displayed the proper concern for nuclear
21 safety. But what our presentation is intended to
22 share with you is our conclusions regarding what

1 changed and when at the plant that allowed this
2 loss of safety focus.

3 Slide 11 is just a header slide. I will
4 tell you what we're going to be doing in terms of
5 presenting the process. I will be first discussing
6 how we developed our scope, how we obtained data,
7 how we performed our data analysis and then finally
8 formed our conclusions in each of the areas.

9 First in terms of scope development, we
10 had before us the results of the technical root
11 cause that were completed in April, and it provided
12 us with some very clear clues. One was that we had
13 errors that occurred over several years, that
14 program effectiveness in a couple of key areas
15 needed to be assessed, and that the potential for
16 boric acid to cause damage had been an issue for
17 this station in 1998 and 1999, the pressurizer
18 spray valve in particular, yet that event did not
19 result in corrective action that allowed the
20 station to identify this corrosion sooner.

21 Next slide please. We're now on slide
22 13. The techniques we used are recognized root

1 cause analysis techniques. We used causal factors
2 charting, we used hazard barrier analysis
3 techniques and also, as Lew mentioned before, the
4 management oversight and risk tree technique. This
5 is a very effective tool in evaluating management
6 performance in particular. Then the sections we
7 used from there are listed there. And these result
8 in recommendations for corrective actions.

9 In terms of data sources the technical
10 root cause analysis report was useful from a couple
11 of perspectives. One, it summarized lots of
12 information on the subject up until that point. It
13 also had a lot of reference information that was
14 readily available to us. The total number of inter-
15 views from which we were able to extract information
16 was over one hundred and twenty. Over the course
17 of the investigation we examined approximately
18 seven hundred documents. The data we examined took
19 us across more than twenty years. The event and
20 causal factors chart contains nearly a thousand
21 discrete items of information, and in full scale on
22 a CAD machine it prints out to 126 feet long. All

1 the references that were used and tied to the facts
2 are numbered and filed so we can tie -- from our
3 conclusions we can go back to the facts that
4 supported them and back to a file that shows us
5 where we got those facts.

6 The next slide, 15, is a cover sheet.
7 What I want to say is on slide 16 which talks about
8 the sequence that I will go through in our actual
9 data analysis.

10 CHAIRMAN GROBE: Steve, would this be an
11 appropriate time? It seems like a break where you
12 talked more about process and now you're --

13 MR. LOEHLEIN: Okay.

14 CHAIRMAN GROBE: I had two questions, actually
15 one question and then a request that you go into a
16 little bit more detail on one item. On page 10 you
17 said there was less than an adequate nuclear safety
18 focus and the focus was on production.

19 MR. LOEHLEIN: Yes.

20 CHAIRMAN GROBE: If you could include in your
21 dialogue that you're going to go through also your
22 thoughts on whether there was an inordinate focus

1 on dose minimization, I would appreciate that in
2 addition to nuclear production.

3 MR. LOEHLEIN: Yes, I can comment on that.
4 Surely.

5 CHAIRMAN GROBE: And the second thing if you
6 could do now, if you would talk just a bit more
7 about MORT and the MORT analysis approach? Folks
8 on this side of the table are quite familiar, but
9 many folks in the audience probably aren't.

10 MR. LOEHLEIN: Okay. The MORT technique --
11 And I am personally not an expert in it. I am an
12 expert in root cause. Not expert, but I am more
13 qualified in root cause techniques. MORT is
14 specifically geared toward management-type
15 investigations. We had four or five members on the
16 team that are qualified in it. But what it does is
17 it exams or it asks questions in a tree analysis
18 type of arrangement that takes you through a process
19 of asking questions about how is the process put
20 together, how does the organization use it. So it
21 takes you from cradle to grave, infancy to implemen-
22 tation on processes and personnel performance. So

1 there are areas that are dedicated to process,
2 there are areas that are dedicated to how people
3 make errors, and there are areas dedicated to how
4 management assesses risk. And those are the kinds
5 of areas that we targeted in this investigation.
6 And that's what I will be going through. Is that
7 an acceptable upper level discussion of how it's
8 arranged?

9 CHAIRMAN GROBE: Yes, that's fine. Are there
10 any other questions before Steve continues?

11 MR. DYER: Yes.

12 MR. LOEHLEIN: It's a tree and branch type of
13 thing. There's upper level questions. It'll ask --
14 For example, there's one on management policy where
15 it says management policy, the first thing is it
16 written, then how is it communicated and so forth.
17 So it goes down the branches and gets more detailed.
18 If you get through the process of answering these
19 questions that are on the branches of this tree,
20 it's like formulating where the breaks in these
21 branches are and, therefore, there is a failure in
22 the process.

1 MR. DYER: I have one question. In the scope
2 in your -- On page 12 you talk about the scope
3 development map. And you talk about -- the last
4 subject bullet or star there talks about the
5 potential boric acid that caused damage in 1998-'99
6 which is the timeframe with the spray valve RC 2
7 which we had some enforcement action on. Also
8 earlier in the year -- Earlier in the life -- I
9 think in the early '90s there was a boric acid
10 corrosion problem with the -- I believe it was the
11 high point vent to the steam generators. Did you
12 look at corrective actions from that also?

13 MR. LOEHLEIN: We took a look at how the
14 organization responded in several ways back in that
15 timeframe. I think it was 1992 the containment air
16 coolers had issues with boric acid accumulation.
17 And we will be talking about that contrasting with
18 how the organization reacted to that situation as
19 compared to how it reacted to situations in the
20 late '90s. We will be talking about that later in
21 the presentation.

22 MR. DYER: Okay. So that's sort of the before

1 and after then? Is that what you are telling me?

2 MR. LOEHLEIN: By comparison it shows how the
3 organization had an awareness and supported with
4 technical analyses and a sense for safety focus and
5 so forth at that time period in response to what
6 the plant indicated as compared to the difference
7 in how it was approached in the late '90s. So if
8 we don't answer that adequately at that time, then
9 we will talk to it more then.

10 MR. JACOBSON: I am curious. Touching on the
11 same thing that Jim just mentioned, there were
12 indications in documents that Davis-Besse was aware
13 of the potential for corrosion on the head weld
14 before 1998 and '99. I am wondering why you picked
15 that date here in your slide to say that, you know,
16 it was a potential from there.

17 MR. LOEHLEIN: The reason why it appears on
18 the slide -- And you will see when we get to the
19 timeline discussion. '98-'99 is only relevant to
20 the pressurizer spray valve RC 2. And the reason
21 it's relevant and the reason why we thought it was
22 so key here is because that event led to

1 enforcement actions and numerous corrective actions
2 on the part of this site. Yet immediately after it
3 occurred and after these corrective actions had
4 taken place, 12RFO occurred. And we saw the slide
5 with the boric acid on the head. So we said the
6 obvious question is how could the site have an
7 experience like this spray valve event and not have
8 made the connection to what was going on on the
9 reactor head. So that made that particular event
10 really important to understand why that was not
11 effective.

12 MR. DeSTEFANO: Plus we were using the
13 pressurizer spray valve event as a benchmark for
14 ourselves as a team. Because as you mentioned you
15 read that report, it's very obvious that that could
16 have -- the actions from that should have prevented
17 anything else and did not. So we used -- we made
18 sure we read that, understood it, found out why it
19 wasn't effective. So that we know we couldn't do
20 the same thing as far as actions go; we had to go
21 much further than that. So we also used that
22 document internally with a full understanding -- so

1 we had a full understanding of what happened there.

2 MR. JACOBSON: There is no implication here
3 then that you all were unaware that there was this
4 potential before '98.

5 MR. LOEHLEIN: That's correct.

6 MR. DeSTEFANO: That's correct.

7 MR. LOEHLEIN: That's a correct interpretation.

8 MR. MYERS: If you look at the report there is
9 a list, a couple pages of all the documents and
10 documents back out from the '80s to now.

11 MR. JACOBSON: Right.

12 CHAIRMAN GROBE: Okay, Steve.

13 MR. LOEHLEIN: Thank you. Going to now the
14 data analysis and end result section, we have got
15 this broken into five parts. And we decided to
16 present it this way because this is pretty much the
17 way the team evaluated these. It wasn't exactly in
18 this sequence -- there was some overlap -- but
19 pretty much this way. It started with the boric
20 acid corrosion control and in-service inspection
21 programs and assessment of those, went to how the
22 site handled technical information, the corrective

1 action program effectiveness, hazard assessment --
2 which in this case we'll talk about that 50.59
3 safety evaluation type of hazard assessment process
4 -- and then the management oversight and risk
5 assessment process.

6 So on slide 17 I think we're on now, the
7 way we evaluated the boric acid and in-service
8 inspection programs was to apply the hazard-barrier-
9 target analysis. We applied it to two refueling
10 outages, the 11RFO outage and the 12RFO one. So
11 that's 1998 and the year 2000. In it the model
12 assumed that the boric acid was the hazard and that
13 the reactor head was the target. And for those
14 that maybe aren't real familiar with how this is
15 done, you identify these barriers, and many of them
16 are procedure steps and things like that. But the
17 key ones that I think were worth mentioning here
18 are the design of the system, training that people
19 get, inspection for leaks and corrosion, cleaning,
20 and corrective actions. We looked at nearly fifty
21 in all barriers in the boric acid in-service
22 inspection programs.

1 For those two outages the conclusions
2 appear on the next slide which is 18. The first
3 statement I would like to make is that the boric
4 acid and ISI programs did not meet expected
5 standards. However, the process, we concluded, was
6 adequate to have prevented the damage to the head.
7 The key failed barrier was the failure to clean the
8 head. That failed barrier prevented us even from
9 analyzing what our behaviors would have been like
10 at the station if the head had been cleaned and we
11 would have been able to evaluate whether the nozzle
12 inspections were adequate and so forth. But a number
13 of barriers beyond there could not be evaluated.

14 Another thing that we concluded was that
15 the reactor head was not a focus in the process as
16 we would have expected in response or in the
17 aftermath of the issuance of Generic Letter 97-01.
18 Nonetheless, in closing we concluded that the
19 programs, had they been followed as required, they
20 would have been adequate to have prevented this
21 serious head damage. And I will say at this point
22 as we go through these conclusions on programs and

1 processes is that the processes themselves even if
2 they were not state of the art at that time were
3 adequate to have prevented the damage, but
4 implementation of them was less than adequate.

5 MR. MYERS: Again we are not saying that the
6 program or process met the requirements. We are
7 not saying that at all.

8 MR. LOEHLEIN: That's probably a good clarifier
9 here. As far as a rigorous root cause analysis
10 technique, the real measure for adequacy is not
11 whether it meets all requirements; it's whether it
12 would have succeeded in preventing the unintended
13 outcome, which in this case was the damage to the
14 head. And so if you purely apply the process,
15 that's the definition of adequacy and that's the
16 one we used. So you will see us comment today in
17 two ways. One, we will recognize that our
18 processes in some ways were not everything they
19 should be, but we may still have concluded had they
20 been followed as required they would have been
21 adequate to have prevented the event. If you don't
22 have any questions on this at this point, I will

1 move on to handling tech information.

2 Handling technical information is on
3 slide 19. We evaluated using the MORT technique.
4 Now, what this really examined is how is information
5 received and how is it processed and ultimately
6 incorporated into the site processes. And in this
7 case what we looked at was how the station performed
8 through the history of industry knowledge with boric
9 acid. So this took us back into the 1980s. And
10 really it was the reason why our earliest date
11 points on our causal factors chart went to the
12 1980s when issues on boric acid were first being
13 communicated of relevance.

14 The next slide shows our conclusions in
15 that regard. In this case also we concluded the
16 process itself for disseminating and incorporating
17 technical information was adequate; personnel
18 failed to correctly apply key industry information.
19 By way of example, really what we found is only
20 certain elements of the information would be
21 incorporated in the process. As an example, the
22 fact that dry boric acid on a hot component like a

1 reactor pressure vessel head would not by itself
2 cause corrosion was understood by the organization.
3 But the associated potential concern for corrosion
4 if boric acid was wetted from beneath was not
5 adequately captured. That concept was not captured
6 by the site.

7 Another key item was the heavy reliance
8 by the site on the fact that nozzle leakage was a
9 low probability for them as a reason to not be
10 concerned was also another key ingredient. Low
11 probability meant low concern.

12 The next thing we looked at was the
13 corrective action program. Again in this case a
14 primary evaluation tool was the MORT technique.
15 And we did use some change analysis with it as
16 well. In this case what we chose to do is break
17 the process up into steps that are clear. In a
18 corrective action program process what you have is
19 an initiation step by the person who identifies it,
20 there is an initial operability review done by the
21 control room, and then after that there is a review
22 by management for categorization. It's given an

1 initial category and gets another review for
2 categorization. From there it goes to someone who
3 works on it, determines the cause and corrective
4 actions to be taken for it. And then on the back
5 end of the thing is the process should provide a
6 means for trending and determining effectiveness.

7 Now, our primary focus for quite a few
8 condition reports, some of them are referred to as
9 potential conditions adverse to quality which is a
10 term that was used at the site before the MORT.
11 Now, the common term condition report is used
12 generically really for both types of forms. We
13 looked at the issues of boric acid on the head, the
14 containment air cooler cleaning frequency issues,
15 the plugging of the radiation monitor filters. We
16 looked at the panel handling of the pressurizer
17 spray valve, RC 2, and we looked at the reactor
18 coolant system unidentified leakage, those five
19 major areas for condition reports.

20 Slide 22. Once again the process was
21 found to be adequate to find and fix problems. In
22 all these cases there was an adequate number of

1 condition reports generated to have resolved these
2 issues. They were adequately identified and
3 documented as nonconforming conditions. However,
4 implementation was less than adequate. Personnel
5 at all levels did not effectively implement the
6 corrective action process. It started off at the
7 front end in which operability impact was under-
8 estimated. Categorization did not recognize the
9 significance adequately. The low categorization
10 lent support to shallow cause analyses. And the
11 corrective actions, therefore, tended to focus on
12 symptoms, cleaning, for example, of containment air
13 coolers rather than trying to eliminate the cause.
14 And trending of recurrent equipment problems was
15 not effective either.

16 MR. JACOBSON: Steve, before you go on to the
17 next evaluation, you mentioned that there was a
18 sense that this was a low probability. And I am
19 curious as to what did you find as the basis for
20 that feeling on site?

21 MR. LOEHLEIN: It was a reliance on analytical
22 support that the probability of a leak was low. In

1 our interviews and so forth that is the feedback
2 that was received. And the interview record is
3 that the probability of a leak was low because of
4 the plant's relative age.

5 MR. DeSTEFANO: More specifically it was known
6 and well documented -- I am including by Commission
7 documents -- that cracking will occur at some point
8 in time. So the industry documents specifically
9 done by the owners group for these design plants
10 went ahead and tried to specifically analyze when
11 cracking would occur, under what conditions, and
12 who was most susceptible to it. When the station
13 heard the good news piece being this is an age-
14 related item -- believed to be at the time -- and
15 the station is one of the younger ones, we will see
16 it elsewhere first. So the pressure on keeping the
17 attention on that was backed off waiting for other
18 folks to find it first.

19 MR. JACOBSON: This is a B&W report?

20 MR. DeSTEFANO: Correct.

21 MR. LOEHLEIN: Thank you, Mario, for that
22 clarification.

1 CHAIRMAN GROBE: I am not sure that completely
2 answers the question. The probability of most
3 untoward issues to occur is very low. I mean the
4 plants are designed well, they're maintained well.
5 So the probability of unlikely things that occur,
6 unacceptable things to happen, all unacceptable
7 things, is very low. There's got to be another
8 piece to that. It went beyond a recognition that
9 the probability is low to a level of it can't
10 happen, a complete denial because the evidence
11 was clear that there was something going on. And I
12 think you indicated that the corrective actions
13 from your RC 2 should have allowed the people to be
14 in a position to recognize that evidence and they
15 didn't. So they didn't have a recognition that it
16 was low. It seems like there was something more,
17 like a recognition that it's not going to happen,
18 it's zero.

19 MR. DeSTEFANO: We had evidence of both at the
20 station, Jack. From most interview data the
21 pervasive attitude was that it's not going to happen
22 here.

1 CHAIRMAN GROBE: Okay.

2 MR. DeSTEFANO: However, the folks who were
3 responsible for responding to condition reports
4 understood what was going on in the industry, and
5 they realized that the possibility of cracking is
6 there. However, it's okay for now to leave the
7 boric acid on the head because that's the context
8 where we were talking about the leakage underneath
9 the boric acid. And that was where the failure
10 was. They decided it was acceptable to leave the
11 boric acid there without proving that there was no
12 leakage at the time, instead relying on, well, it's
13 still early in this issue and we probably don't
14 have any leakage yet. So that's the context of how
15 that was justified.

16 MR. LOEHLEIN: I think the other piece of it
17 was this selective understanding of the technical
18 information that the hot head was going to mean it
19 would not result in corrosion anyway. That was the
20 other piece of it, I believe, Mario.

21 MR. JACOBSON: Was this consciously used then
22 to arrive at the position that you didn't have to

1 look, that you didn't have to look at the head, you
2 didn't have to inspect under the head? Was that a
3 key to concluding that?

4 MR. LOEHLEIN: You use the term consciously.
5 I mean in our type of investigation we really are
6 never in a position to judge peoples' motivations.
7 We certainly can tell by the end of this
8 investigation that -- and that's what we're leading
9 up to -- that the organization had a mind set of
10 supporting this production focus and what nuclear
11 safety meant to them in their minds. And if I was
12 going to characterize it collectively, it just was
13 a -- it was a culmination of factors. We see a
14 less than adequate rigor in assessing the technical
15 issue and so many other pieces that fit together
16 with not having the right nuclear safety focus.
17 Jack pointed out, sure, a lot of the nuclear safety
18 issues are low probability. That doesn't mean they
19 can't -- they aren't treated as real
20 possibilities. That's our job to do that.
21 Anything you can add to that, Mario?
22 MR. MYERS: I also think we wrote the safety

1 evaluation back in, I think, '88. Then 97-01 came
2 out. If you look at the documents that were signed
3 off, this is not a nonconformance or stuff like
4 that. It was never a recognition that there was a
5 commitment to 97-01 and the items in 97-01. It was
6 like it was not a regulatory requirement. And we
7 got to the point -- Meeting the regulatory require-
8 ments is okay. We got to the point where they were
9 justifying meeting the regulatory requirements not
10 realizing that it was a regulatory requirement.
11 These are things that -- I don't think we ever
12 recognized 97-01 as a regulatory requirement,
13 something we committed to and internalized. Is
14 that fair?

15 MR. LOEHLEIN: Yes.

16 MR. DeSTEFANO: It's also true with 88-05
17 also.

18 MR. DYER: Steve, I am having a problem. I
19 don't know if it's terminology or what. I don't
20 know that I really understand what you mean by
21 hazard assessment process.

22 MR. LOEHLEIN: We didn't get on that slide

1 very much yet. It's been up there, but we have
2 been kind of backpedaling here.

3 MR. DYER: I didn't know if you had gone to
4 that.

5 MR. LOEHLEIN: That will be our next slide. I
6 am doing a mental check. What slide are we on?
7 We're on 23, the hazard assessment process. I will
8 talk about that next.

9 CHAIRMAN GROBE: Any other questions? Okay.
10 Go ahead, Steve.

11 MR. LOEHLEIN: Okay. Now, the hazard assess-
12 ment process within MORT can be looked at from
13 personnel safety, and it can also be looked at from
14 other ways as we did in this case which is nuclear
15 safety. And our focus was really treatment,
16 10CFR50.59, a safety evaluation process which all
17 of us in the industry are aware of. This is what
18 we do to examine nuclear safety from the
19 perspective of how risks are analyzed for their
20 significance. So again in this case our focus was
21 on the 50.59 process in two ways. And that is the
22 process itself, and the other thing is how do you

1 know when you're supposed to begin that process.

2 MR. MYERS: I call this decisionmaking, you
3 know. When you have a problem and you get in the
4 50.59 process, are you meeting your licensing
5 basis, your design basis? You have to ask all
6 these questions to determine if you are. And it
7 seemed like we didn't even go to that process, you
8 know. We're not asking these questions. Rather
9 than doing that we were justifying why something
10 was operable. Is it nonconforming? We still are
11 meeting our license basis. Why is it operable
12 instead, you know? That's what this does,
13 decisionmaking. Is that fair?

14 MR. LOEHLEIN: Yes. What we did here we
15 looked back in time all the way back to the '80s
16 timeframe up until the late '90s and into the
17 current process. And we concluded that once again
18 the hazard analysis process itself, 50.59 if you
19 will, contained the necessary elements to ensure
20 that the design licensing basis was maintained.
21 What changed over time was the process described
22 and required for entering that evaluation process

1 became less restrictive over time. And Mario is
2 going to be able to expand on this some because he
3 investigated this, he and another guy in quite some
4 detail. But what we found was in the late '80s and
5 early '90s the recognition of the applicability of
6 the safety evaluation to issues like boric acid on
7 the head and so forth were recognized and the
8 process was entered, and these types of things were
9 treated as potential nuclear safety issues.

10 Whereas by the late 1990s -- and we will go into
11 the areas later, the issues with the containment
12 air coolers and radiation monitor filters and the
13 boric acid on the head -- the concept that the
14 safety evaluation process needed to be entered
15 wasn't even considered by the organization. Mario,
16 you want to say some things about that change in
17 time?

18 MR. DeSTEFANO: Yes. Basically the process
19 and the structure for performing safety analysis
20 has been present at the station constantly. And
21 then again it's one of those processes that if
22 applied would work. What we saw in our investi-

1 gation were several times -- One, for instance, in
2 1987 when after having some leakage of steam
3 generator penetrations -- I am sorry, pressurizer
4 penetrations, the plant manager specifically
5 requested an independent safety engineering group
6 to perform analysis of the effects of that kind of
7 leakage. So they went off and applied safety
8 analysis techniques to that issue. And there is a
9 good example of did the station understand that
10 boric acid issues were there early? Yes, because
11 they extensively referred to information known as
12 86-108 in that report and said basically they
13 didn't find any problems with the current conditions.
14 However, under even very hot metal conditions boric
15 acid -- severe boric acid corrosion could occur if
16 there is also an active leak underneath it or a
17 leak of sufficient quantity to where it cools the
18 base metal to the state where it becomes a very
19 aggressive corrosion rate.

20 Another example would be in 1991 there
21 was boric acid found on a reactor vessel head due
22 to control rod drive flange leakage. That was

1 identified using the corrective action process at
2 that time. They were the potential conditions
3 adverse to quality. That process had a waiting
4 factor system in it to where the analysis of the
5 issue itself was applied a rating based on its
6 significance right up front, and the higher the
7 rating the more stringent the evaluation and
8 analysis techniques that would be applied. And
9 that full condition report was, in our view, done
10 the way they all should be done. A 10CFR50.59
11 applicability review was performed, all questions
12 were no, so a safety analysis was not performed.
13 The item was determined to be rework. They removed
14 all the acid from the head, fixed the flange leaks
15 and started the unit back up leak free without any
16 boric acid or any conditions that hadn't been
17 evaluated.

18 Now, what happened, though, in the later
19 years, in the mid-'90s and 2000, you don't see that
20 occurring any more when a condition report identifies
21 leakage on a reactor vessel head. So that was the
22 stark contrast. And what we found is that even

1 though the base procedure for performing analysis
2 was still there, the procedures that fed into that
3 were no longer as explicit as they used to be. The
4 older procedures gave examples on when you would go
5 into safety analysis review. They didn't always
6 give you a list. They just gave you the types of
7 situations you might be in where you want to go
8 verify that your design analysis is still adequate,
9 that you are not giving someone an answer that's
10 contrary to your design basis. And in the later
11 years the procedures became less explicit, didn't
12 have examples, didn't have discussion on when you
13 would go out into the safety analysis base. And
14 then, interestingly enough, those other procedures
15 also had less review and approval signatures
16 associated with their processes. So less people
17 had the chance to be another barrier and ask folks
18 to go off and do more thorough analysis. So there
19 definitely were examples where the station
20 understood what was going on in the industry, they
21 were very active and interfacing with the owners
22 group associated with the concerns with both

1 primary water stress corrosion cracking and the
2 boric acid corrosion. However, when it came time
3 to analyze their own problems, that's when they
4 fell short.

5 MR. MYERS: Haven't we also found some cases
6 where -- At our Davis-Besse plant don't we have
7 some guidelines that are different than our other
8 plants?

9 MR. LOEHLEIN: There's an implementation guide
10 for that kind of a process, right. Bobby can
11 probably answer that more specifically coming from
12 Davis-Besse. But it's the guidelines talking about
13 implementing the corrective action program.

14 MR. VILLINES: Right. We do have a guideline
15 which implements the FENOC common process in
16 general, general portions of that. We're taking
17 some of the industry guidance and expanding upon
18 what's in the guideline to a large degree.

19 MR. LOEHLEIN: I think that's where we had the
20 concern about the categorization levels and so
21 forth. Particularly, I think, in effectiveness
22 reviews and in the equipment trending is where we

1 had issues with the guidance.

2 MR. VILLINES: Yes.

3 MR. MYERS: So we see issues that we think

4 we'd classify as more significant at our other

5 plants that were classified as conditions not

6 adverse to quality at our Davis-Besse plant.

7 CHAIRMAN GROBE: I am still struggling with

8 the connection between the safety evaluation

9 process and the 50.59, what you said, Lew, a few

10 minutes ago; and that is routine day-to-day

11 decisionmaking and how you approached that. Could

12 you help me understand the connection between 50.59

13 and decisionmaking on a day-to-day basis?

14 MR. DeSTEFANO: Well, you're going through the

15 same struggle that we did applying the MORT process.

16 Since the MORT process is very rigorous, we really

17 wanted to use its rigor to help us analyze as many

18 of these situations as we could. So the hazards

19 analysis branch of MORT was the closest technique

20 that we could find to really pushing the safety

21 review portion of this. And that's why, as Jim

22 pointed out, the terminology is a little rough.

1 But we're basically using some of the terminology
2 from MORT; however, rather than its original
3 intention which appears to me to be if you had an
4 industry accident, you are trying to figure out
5 what is the hazard. Maybe it's an oxygen deficient
6 atmosphere. The MORT wording fits perfectly to
7 that. In our case, though, the questions were
8 perfect for taking us down the road of safety
9 evaluation. So we utilized that branch of the
10 system. So that's why we're calling it hazard
11 analysis synonymous with safety analysis in 50.59.

12 MR. DYER: I guess in the way I understand it,
13 the way you are saying that it sounds to me like
14 this is understanding and using your licensing and
15 safety basis for your plant.

16 MR. MYERS: Yes.

17 MR. LOEHLEIN: Yes.

18 MR. DeSTEFANO: That's it.

19 MR. MYERS: That's it.

20 MR. DYER: The age old question we wrestled
21 with in the '90s was do licensees fully understand
22 what the licensing basis is for their plant.

1 MR. MYERS: What you see is we spent a great
2 deal of time where it appeared we really understood
3 that and you can see it in the quality of documents
4 that you reviewed. And then in the mid-'90s the
5 quality of those documents go from let's do a
6 safety evaluation to see if this is a problem to
7 justifying why the thing is operable. So you see
8 it's a very significant change in the level of
9 detail and understanding and your decisionmaking
10 process to get there.

11 MR. DeSTEFANO: I guess one of the most direct
12 examples is the -- I am trying to get my timing
13 correct here. I believe it was after Bulletin
14 97-01 when the -- No, it was earlier than that. I
15 can't remember the date. However, there was a
16 safety evaluation presented to the Commission on
17 behalf of the B&W owners group that the station
18 adopted. And basically it said in that safety
19 evaluation that the issue of cracking is not a
20 short-term issue and the visual inspection that is
21 required by Bulletin 88-05 would identify a
22 cracking if it did occur. Then when the station

1 found leakage and had boric acid on the vessel
2 head, a condition report response justified
3 operating with boric acid on the head and acid on
4 the head without performing an examination of
5 surfaces below it. That was obviously contrary to
6 the safety evaluation that had been submitted
7 previously. And no analysis or justification was
8 performed in the 50.59 space. It was just a
9 discussion in the condition report response that
10 said because of the high temperature it's okay to
11 leave the boric acid there. So that's an example.

12 MR. JACOBSON: This was a 1993 safety
13 evaluation, B&W?

14 MR. DeSTEFANO: I believe so. I think it was
15 early '90s.

16 MR. LOEHLEIN: And I think the condition
17 report you're referring to is a '96 timeframe.

18 MR. DeSTEFANO: Correct. 551, yes.

19 MR. JACOBSON: I think I heard you say that
20 you found a deterioration of your 50.59 process in
21 the mid-'90s. Did I hear you say that?

22 MR. LOEHLEIN: Not the process itself.

1 MR. DeSTEFANO: No, it was the procedures --
2 say the condition reporting procedures that would
3 tell you to go perform a 50.59 review. The
4 deterioration was in the condition reporting
5 procedure.

6 MR. LOEHLEIN: The entry dates to the process
7 that you rely on to apply. Once you were in the
8 process that was not really the problem.

9 MR. DYER: I guess following that same line of
10 reasoning I had a question regarding the overlap if
11 you would between handling the technical infor-
12 mation and then the hazard assessment process as it
13 would relate, say, to the 50.59 issue. And the
14 question I have is -- one is are you also saying
15 that you aren't -- that once you make a response
16 to, say, a piece of technical information or evaluate
17 a generic letter or an info notice or bulletin or
18 some sort of generic industry communication that
19 you don't keep track of it as to what you said
20 originally or whether or not you later on crossed
21 the threshold of the area of concern that's raised
22 in that technical information?

1 MR. DeSTEFANO: We found both cases. Obviously
2 the station has a tracking system for commitments,
3 and it's used. But we found some cases where
4 commitments were not entered into that system after
5 responding to bulletins. So yes, the information
6 that was documented previously was not bounced off
7 of what the current line of thinking would be.

8 MR. MYERS: We have a document we use at two
9 of our other plants called Tech 19. When we get
10 into if we classify a CR correctly to high level,
11 we go through a decisionmaking process that kicks
12 us out all these issues. The same document was not
13 used at Davis-Besse. And it drove us into doing a
14 more stringent safety analysis when we found this
15 problem. First, we would have had to classify it
16 properly. Second, we would have had to go through
17 the right questions and answers. It's just a check
18 sheet we use to make sure we go down the right
19 path, you know. We went just the opposite here.

20 CHAIRMAN GROBE: So you are not actually
21 talking about formally entering 50.59. What you're
22 talking about is in making decisions and evaluating

1 hazards, considering the types of issues that 50.59

2 would require of you?

3 MR. MYERS: Right.

4 MR. LOEHLEIN: That's it.

5 MR. MYERS: That's it.

6 CHAIRMAN GROBE: On all of these CRs or most

7 of them I would think the answers to the screening

8 questions for 50.59 would be no and that you

9 wouldn't do a safety evaluation.

10 MR. LOEHLEIN: Right.

11 CHAIRMAN GROBE: What you are saying is using

12 those concepts, whether or not the staff uses those

13 concepts in decisionmaking.

14 MR. MYERS: Right.

15 MR. LOEHLEIN: That's correct.

16 MS. LIPA: I guess I was thinking of it

17 differently. For that one example, the '96 CR, are

18 you saying that that B&W owners group became part

19 of your licensing basis and you later had a

20 condition that was different; it may have really

21 needed 50.59?

22 MR. DeSTEFANO: Well, let's see. It was not

1 directly referenced in the safety analysis report,
2 that response. It also wasn't placed in the
3 commitment tracking system. So it would not have
4 been considered design or licensing basis by the
5 reviewer. What we're saying is it certainly should
6 take the person down the path of evaluating what
7 the previous stance on these items are.

8 MS. LIPA: Okay. Thank you.

9 MR. LOEHLEIN: Okay? Now, Jack, I don't know
10 what you and your staff had in mind in terms of
11 potential break. But my sense is from putting this
12 together that going through the management oversight
13 and risk assessment part of this is going to take a
14 little bit of time. I would say my guess is twenty
15 minutes or so. And so if you want to take a break,
16 this might be the time if that's the kind of
17 timeframe we're talking about.

18 CHAIRMAN GROBE: Okay. Let's do that. Let's
19 take a break. Let's make it very short. Five
20 minutes?

21 (Following an interruption the
22 meeting was continued as follows:)

1 CHAIRMAN GROBE: Why don't we get started.

2 Okay, Steve, go ahead.

3 MR. LOEHLEIN: For everybody's interest we're

4 on slide 25. And we'll talk about data analysis.

5 We will take a minute to express the process we

6 used to ultimately understand the reason for the

7 errors in management oversight. And the way we

8 began our understanding of evaluating or under-

9 standing this started from the technical root cause

10 report. And that report identified plant conditions

11 that should have been signed as potential larger

12 problems. We have got them listed there. In that

13 original or technical root cause report -- it was

14 figure 26 -- it talked about reactor coolant system

15 unidentified leak rate, containment radiation

16 monitor filter plugging, frequency of containment

17 air cooler cleanings, and boric acid accumulations

18 on the head. And it showed in the timeline which

19 went from about 1995 to 2002 how those things were

20 going on. And what we did from that initial

21 understanding, we saw some patterns and we decided

22 to look at along with other things the pressurizer

1 spray valve we talked about, how that was handled
2 by the station prior to the time that the corrosion
3 of the fasteners was found and turned into an event.
4 We examined these issues as missed opportunities
5 from the perspective that they were performance --
6 human performance errors but at the management
7 level. We first started to examine these as task
8 performance errors.

9 Slide 26. Originally I put this slide in
10 ahead of the figure that was next. And having
11 thought about it, I really think it would be better
12 if we look at this after we look at the figure
13 which is on sheet number 27. In the room here we
14 have a large poster-sized hard copy of this. The
15 staff has 11 x 17s, and I think there were probably
16 some extra copies available to those in the room.
17 This will appear as part of the report on a small
18 sheet on 8 1/2 x 11. What I am going to do with
19 this, I am going to take a little bit of time and
20 describe to everyone how this is laid out. It's a
21 variation of that figure 26 that was in the
22 technical root cause report but in this case

1 provides some differences in information.

2 I would like to start with -- I have got

3 a pointer here. You won't be able to see it real

4 well on the overhead it looks like. But what this

5 is here for those that are looking at the camera --

6 because I don't think we can see this paper in the

7 corner here -- this is the timeline. These blue

8 lines come from the refueling or the operating

9 cycles at the bottom. At the top we have these

10 kind of blue-colored or turquoise-colored bars.

11 That is the time period. And then going back here,

12 this is about 1995 where it starts. And those are

13 quarters you see, you know, three months to a

14 quarter type of thing. And they're showing you the

15 RCS unidentified leak rate right there over that

16 time period. And you will see right here in the

17 1998 timeframe there was an increasing rate of the

18 unidentified leak rate. At that time -- you can't

19 read it there too well -- but there was a pressurizer

20 code safety valve that had a seat leak. And we'll

21 talk about what happened with that. The plant took

22 a midcycle out of its year, and thereafter the

1 unidentified leak rate did reduce significantly
2 but, as you can see, did not diminish to the point
3 of the low levels that were seen prior to that. As
4 we know now from the technical root cause, it was
5 in this timeframe that we now understand the
6 significant corrosion of the head was starting
7 which would have been consistent with an increasing
8 leak rate as well.

9 As you proceed down here these blocks
10 present information on how the station was dealing
11 with the unidentified leak rate. The yellow bands
12 there represent information that's again repeated
13 from a technical root cause. It talks about how
14 frequently we were changing the filters on the
15 radiation monitors to deal with the plugging from
16 boric acid and iron oxide. Below it right here are
17 blocks to describe what the station was doing in
18 response to it. Down here is the frequency of
19 containment air cooler cleanings that was occurring
20 mostly in 1999 and since. One of the patterns you
21 can pick up here is the frequency tends to just
22 disappear toward the end of the fuel cycle when

1 boric acid in the system is significantly diminish-
2 ing in concentration. And here's the blocks that
3 provide information on that. The green down here
4 did not in any way appear this way on the technical
5 root cause analysis of cause. It describes the
6 station's response to the pressurizer spray valve
7 problems. And then in these blocks here there's a
8 description of what was found on the reactor head
9 in each of the refueling nozzles. I will try to
10 add some understanding to this. These colored bars
11 down here, you will see the blocks up here for the
12 rad water filters have red bands around them, and
13 then the containment air coolers have blue or
14 purple. I don't know how you see it where you are
15 looking. And then the green down here, that shows
16 the time period over which the station was dealing
17 with these. And from this or this kind of
18 combination, this timeline, the thing that really
19 becomes clear is in this timeframe, the 1998, '99,
20 2000 timeframe, the unidentified leak rate was
21 really unexplainably high. We had these other
22 three things happening at the same time, and we had

1 12RFO, we had the significant buildup of boric acid
2 on the head that was inconsistent with the amount
3 of flange leakage that was experienced at the
4 plant. The CRDM flange leakage that was reported
5 was very minor, yet the amount of boric acid on the
6 head was significant. So it was at this point in
7 this evaluation that the team decided that
8 evaluating this as a task performance error on the
9 part of the organization was not going to be
10 fruitful by itself. Because really the question to
11 be asked here is in light of all of these concur-
12 rent circumstances, why didn't the organization
13 recognize the significance.

14 And now if we can back up just a minute
15 to slide 26, the thing we picked up from this
16 pattern-wise is now we listed twenty-two condition
17 reports. But it was twenty-two just from boric
18 acid on the head, containment air coolers and rad
19 monitor filters, just from those three things. We
20 actually had added to those the unidentified leak
21 rate issue and the RC 2 pressurizer spray valve.
22 In all of those this pattern is repeated. It's the

1 same one that we talked about in the corrective
2 action program. Operability and operational
3 impacts were underestimated, the categorization of
4 the condition reports was low, there were no root
5 causes really called for to be performed on these
6 issues and no collective significance recognized.
7 Some of the corrective actions were deferred or
8 they just treated the symptoms. And except for the
9 unidentified leak rate, there was no visible senior
10 management sponsorship of resolving it here. So
11 where this really sent us, what we said that we
12 really need to evaluate here is not peoples' errors
13 in performing tasks. This is really a question
14 of -- and now we will go to slide 28 -- it's a
15 question of risk management. This is a case where
16 the organization did not recognize the significance
17 of the plant condition.

18 So the concern here was why didn't we
19 recognize it. And the way we approached that is we
20 took the conclusions from the other sections that
21 you have heard about today, the technical information,
22 the way we used 50.59, corrective action program

1 and all those, fed that information into this,
2 added to it some additional MORT analysis that we
3 did in assessing management policies and incentives
4 and numerous interview insights that we got. We
5 put that all together and evaluated it under the
6 MORT section that's called risk assessment and
7 formed the following conclusions: At the beginning
8 of the mid-1990s the management focus became one of
9 production concerns. What we found was there was
10 a -- First of all, it was a single unit utility.
11 There was a belief that it was fighting for its
12 survival. Cost control became a big concern. At
13 this same time the rigor in assessing issues for
14 their potential impact on nuclear safety diminished.
15 There was a management team -- senior management
16 team in place at the time which developed a
17 philosophy that compliance meant safety. Head
18 issues, for example, were never resolved because
19 they were interpreted as not to be compliance
20 issues. Containment air coolers, the rad monitor
21 filters, the pressurizer spray valve, these
22 equipment problems were all managed rather than

1 resolved because requirements for operation could
2 be met by managing them rather than resolving them.
3 We had a management style in place that was less
4 directly involved and really relied on subordinates
5 to escalate concerns.

6 I guess I would like to take some time
7 now and describe some contrasts. In 1992 -- we
8 talked about this briefly earlier -- containment
9 air coolers were flooding. At that time one of the
10 issues that was identified was a leak on a head
11 vent line. There was extensive root cause done on
12 that, a good one. There were engineering reviews
13 done at the time that the containment air coolers
14 were flooding that went into significant detail
15 about the current conditions of lake temperature
16 and all the factors important for operations to
17 understand how to ensure that that system was
18 operable, how to keep it operable, and how to deal
19 with the situation so it could be fixed. When the
20 containment air cooler plugging situation occurred
21 in 1998, six years later, there was no new
22 engineering work applied to that. In fact, a

1 criteria that talked about what plenum pressure
2 would keep the system operable was just directly
3 applied with no question as to its applicability.
4 We also had interview information that told us how
5 differently the situation was handled in terms of
6 the approach to issues. We got a lot of anecdotal
7 stories from people saying that senior management
8 at the time in the early '90s if they heard about
9 boric acid on the head wouldn't talk about it, just
10 insisted it be cleaned off and done so
11 immediately. Contrast that to how this station
12 dealt with it in the late '90s. There was a
13 question about dose and how does dose factor into
14 this. What we found was this dose -- and I will
15 ask for help from my colleagues here if I don't
16 recall this correctly -- but the real -- the thing
17 that was unique about how dose, dose almost became
18 a production-related type of thing. Dose was
19 viewed as owned by the health physics department.
20 Health physics would allocate the amount of time to
21 do a certain job based on the goals for dose. And
22 it ended up being a situation where dose was another

1 indicator being managed. In fact, the containment
2 air coolers and the fact that they were plugging
3 were treated as an issue for this station from the
4 health physics perspective because the containment
5 entries and the cleaning was causing people to take
6 dose. And that was, we could tell, the most
7 important concern. We had to clean the coolers so
8 much so that the equipment was bought that would
9 allow them to clean it more quickly. I don't know
10 if that answers your questions about dose, but dose
11 itself was not -- beyond that kind of understanding
12 was not a player in the root cause for this event.
13 I forget who on the NRC -- Jack, you had a
14 question about dose?

15 MR. GROBE: Yes.

16 MR. LOEHLEIN: That was a perspective on dose.
17 You want us to comment beyond that?

18 CHAIRMAN GROBE: Let me just ask a question.
19 You indicated that dose became somewhat of a
20 production -- became a production-oriented concept.

21 MR. LOEHLEIN: For the people involved it was
22 their performance indicator. Mario says he can

1 help me out on that too.

2 MR. DeSTEFANO: That was definitely another
3 performance indicator. So that was our correlation
4 to production. The folks during an outage had a
5 goal, incentive goal that was associated with
6 minimizing their dose. So the RP tech in the field
7 can control the dose of the station by how much
8 time they allowed a person to be on the job. And
9 interviews that were conducted asked okay, if there
10 wasn't enough dose allowable to perform a function,
11 what happened next? Did the workers leave the
12 area, go and set up a recovery plan and reenter
13 with a new plan? And the answer that we received
14 was no, RP didn't hear about it. Nothing was
15 escalated through their chain of command to help
16 resolve any issues between what work had to get
17 done and how much dose was going to be -- how much
18 dose it would take to perform those functions. So
19 unfortunately control of dose became simply
20 associated with meeting a goal rather than
21 performing in the ALARA fashion to accomplish
22 performing a task that had to get done.

1 CHAIRMAN GROBE: So, in fact, dose became a
2 criteria for not completing a job.

3 MR. DeSTEFANO: Exactly.

4 MR. LOEHLEIN: It became a force where workers
5 needed to overcome it. Like in 12RFO, ultimately a
6 significant amount of dose was used in attempts to
7 clean the head. I think it was 1600 milligram was
8 the number and 280 or so man-hours involved in
9 attempting to clean the head. So when ultimately
10 the decision was made to do all that could be done,
11 dose was expended. But whoever had that job had to
12 overcome that barrier. What we saw was there
13 wasn't -- managing dose didn't appear to be a team
14 effort in trying to get the job done and minimize
15 dose at the same time. It was more a case where
16 dose was kind of a more direct goal and could to
17 some jobs represent a restriction to getting it
18 done. Is that clear?

19 MR. DeSTEFANO: A fair characterization.

20 MR. MYERS: At our other plants, you know, the
21 two I have been at, if you look at our dose during
22 an outage, we all have dose goals. But when we get

1 to 9% of, say, an estimated goal, we'll stop and
2 figure out if we didn't improve the dose some way
3 or reallocate dose somewhat, let's not do the job.
4 That's a little different mentality.

5 MR. DYER: Did you have the same mentality
6 also, say, with the outage schedule? If you had a
7 job that said clean the vessel head and it was
8 allotted, I don't know, 48 hours in the slot, at
9 the end of 48 hours if it wasn't done, was it --

10 MR. DeSTEFANO: We found that specific case in
11 one outage. And that was the outage where the
12 attempts were being made to clean the vessel head.
13 However, one of the major factors was it was time
14 to reinstall the vessel head, and also the folks
15 involved with the activity believed that they could
16 not successfully accomplish it with the equipment
17 they had on hand and had done enough for that
18 particular time period.

19 MR. LOEHLEIN: Yes. I really think that it
20 was two-fold.

21 MR. DeSTEFANO: It was a combination.

22 MR. LOEHLEIN: It wasn't just simply the dose

1 aspect. If you talk to people you will find there
2 was really no way else to do it at this point to
3 make it any better anyway. So in terms of their
4 preparation -- Some of these issues of outage
5 pressure may reflect more on outage preparation,
6 were the right contingencies in place to have taken
7 care of it rather than just at the time say well, I
8 am not getting enough time. So that type of issue
9 came up. People felt it from time to time. But in
10 terms of a direct impact, we found as much infor-
11 mation that told us that what preparations we made
12 and the tools that we had had been used to the
13 extent they could be, and so that was as far as it
14 went, that outage.

15 MR. MYERS: What we did find in the situation
16 at the beginning was we found the boron, went to
17 clean the head, we gave them some extra dose and
18 some extra time.

19 MR. LOEHLEIN: It was certainly in 12RFO. It
20 happened a number of times in 12.

21 MR. DYER: When a decision is made to leave
22 work undone -- this goes back to your hazard

1 analysis -- are the potential consequences of the
2 as-left condition evaluated whether or not it's
3 acceptable?

4 MR. LOEHLEIN: That was not done in this
5 case. No, that was not done.

6 MR. MYERS: That was not done.

7 MR. LOEHLEIN: The other thing we did in
8 evaluating this conclusion here was we took a look
9 at the management team in place at the time in the
10 late '90s and patterns in their beliefs about what
11 represented safety. And that's where we got a
12 clear message that things like the head issue would
13 have been dealt with from a mod perspective and so
14 forth had it been identified as a compliance issue.
15 And we see that pattern in the belief structure of
16 the management team that, you know, compliance equals
17 safety. And it was compliance as they understood
18 it. And that's part of the loss of safety focus.
19 Nuclear safety goes beyond just what the picture is
20 of compliance. I think all of us in the industry
21 know that.

22 MR. MYERS: We have some fans. They are for

1 containment. They didn't work. So we did an
2 engineering evaluation to find out why we didn't
3 need it rather than repair it, you know? So you're
4 just eating up your margin. We repair it today and
5 put a new motor on them and put them back in service.
6 It was like can we justify we don't need them. And
7 the analysis, we do an analysis, that's fine. So
8 we lost margin there. We met the requirements.

9 MR. LOEHLEIN: So the results of this pattern
10 or this change in focus show on slide 30. We found
11 cases where the plant was restarted to run for
12 extended periods with some degraded components.
13 The ones that are obvious are the pressurizer spray
14 valve RC 2 which the plant decided to run it,
15 manage that leak, do a little repair. Then the
16 containment air coolers were plugging. That was
17 tolerated until they had been cleaned seventeen
18 times at the same time that a high unidentified
19 leak rate was tolerated and turned out to be near
20 the tech spec limit, .8 gallons per minute. So
21 plant behaviors represent this production focus and
22 this loss of safety focus.

1 We also found through a lot of interviews
2 that personnel performed with the philosophy that
3 issues were not considered serious unless they were
4 proven to be serious. That really wasn't the
5 standard for getting a high category assigned to a
6 condition report. Just the concern alone was not
7 enough to get a high category. People felt that
8 you had to demonstrate a direct impact to plant
9 safety, and this contributed to the low
10 categorization.

11 And finally while this was going on --
12 And the rigor I have described earlier, rigor in
13 some of the important processes was declining at
14 the same time. While all this was going on the
15 threat of a crack, a nozzle leak and potential for
16 corrosion to the reactor head itself was increasing.
17 The plant was aging, the nozzles were becoming from
18 a probability standpoint more and more likely to
19 have this problem. So those things crossed in
20 time. We see the end result is the corrosion to
21 the reactor head.

22 So that really completes the data analysis

1 and the conclusions from the data that I was to
2 present today. What I was going to move on to now,
3 Jack, is the actual root cause and contributing
4 cause statements that we developed.

5 MR. DYER: Steve, I guess that last bullet
6 that you talked about, rigor in processes decline
7 at the same time that the threat of head damage
8 increased, are you referring to the -- I mean
9 physically the age of the plant was getting worse.
10 Also there's becoming a greater and greater body of
11 industry information that's saying it's a problem.

12 MR. LOEHLEIN: That's true. But as we pointed
13 out, the failings here were that information was
14 selectively interpreted. So the threats were not
15 incorporated in a way that the organization was
16 able to use them. The rigor in processes declined
17 we talked about were varying types. In some cases
18 we talked about recognizing the entry in the
19 processes that are to evaluate nuclear safety
20 declined. But it was also true that the plant's
21 own rigor in implementing processes was declining,
22 weaknesses in following processes as they were

1 written was declining. And it came back to the
2 station taking on a less than adequate focus on
3 nuclear safety and doing what's necessary
4 apparently to run the plant.

5 MR. MYERS: So the piece of equipment was
6 degraded. As long as it met the minimum
7 operability requirements and didn't affect
8 production, it was okay. Is that fair?

9 MR. LOEHLEIN: I am sorry?

10 MR. MYERS: The piece of equipment was
11 degraded. As long as it met the operability
12 requirement we could justify that and didn't affect
13 production.

14 MR. LOEHLEIN: If it could be kept operable
15 within how compliance was interpreted and it could
16 be managed from a maintenance standpoint, it was
17 accepted. That's the fact here.

18 CHAIRMAN GROBE: Back on slide 29 you have a
19 comment rigor in assessing issues for their
20 potential impact on nuclear safety diminished and
21 then taking minimum actions to meet regulatory
22 requirements was interpreted to be adequate for

1 nuclear safety. But you said earlier that had you
2 implemented -- even though the boric acid corrosion
3 control procedure could have been better, had you
4 implemented it the way it was written, it would
5 have been sufficient.

6 MR. LOEHLEIN: Right.

7 CHAIRMAN GROBE: So you didn't comply with the
8 regulatory requirements to implement your procedures.
9 I think I heard, Lew, you just said that you were
10 taking the minimum actions to meet operability
11 requirements.

12 MR. MYERS: Right.

13 CHAIRMAN GROBE: But that didn't include
14 necessarily complying with your station procedures.

15 MR. MYERS: All of these are true.

16 MR. LOEHLEIN: Right. And taking the minimum
17 actions -- and I think I used the words earlier --
18 as that was believed or interpreted. For example,
19 it was believed that boric acid on the head was not
20 a compliance issue. Yet if you look at the actual
21 process that was in place, it required that boric
22 acid be removed and understanding the source of

1 leakage had to be determined. So once again it
2 wasn't viewed as a compliance issue, but certainly
3 compliance with the process should have been an
4 issue.

5 CHAIRMAN GROBE: And why wasn't it viewed as a
6 compliance issue?

7 MR. LOEHLEIN: Focus was wrong is what we
8 concluded. In other words, they did not recognize
9 it because their focus was on compliance just meant
10 that it was operable because we understand why it's
11 not a threat. So there's a real loss in understand-
12 ing how to apply those processes that are designed
13 to keep you on the straight and narrow.

14 MR. MYERS: For example, we documented that
15 the boron on the head since it was not -- it was
16 dry, it wouldn't deteriorate the head was not a
17 nonconformance.

18 MR. LOEHLEIN: Correct.

19 MR. MYERS: It was not a nonconformance.
20 Clearly if you go back and look at 97-01, you
21 haven't met the requirements.

22 MR. LOEHLEIN: That was the misstep. The

1 misstep is we stated it was not a nonconforming
2 issue, yet it was not recognized as that and it
3 was accepted. The condition should have been
4 supported by an evaluation as to why that still met
5 the requirements, and it wasn't done. And that
6 goes back to what I said earlier. We found we
7 really couldn't evaluate task performance errors
8 because it wasn't so much people were doing tasks
9 wrong as they weren't recognizing what was in front
10 of them. They weren't recognizing the risk. It
11 goes back to the focus, the loss of a safety
12 focus. And we did find that as evidenced by the
13 site participating in the corrective action program
14 that that pattern, that lack of recognition
15 extended to all levels of the organization. So it
16 was a site approach thing.

17 MS. LIPA: I have a question on that. I was
18 thinking about if there was less emphasis on repair-
19 ing items if you could justify operability. I
20 would think this might show up in this increasing
21 maintenance backlog or closing CRs too early. Did
22 you see any trends there?

1 MR. LOEHLEIN: Well, you know, this was a
2 pretty big investigation. Some of the trails we
3 couldn't expand on maybe to the extent that you're
4 questioning. But we did see some of that. We saw
5 cases where condition reports were counting on other
6 condition reports to answer a piece of the puzzle.
7 But when we went there, the other condition report
8 really wasn't covering that issue. So some deadends
9 there. So going back to cause analysis, there were
10 things, sometimes just facts stated that there must
11 be a leak in containment somewhere and that's the
12 cause for this, and then that's all that was said
13 about it. So we did see cases of superficial
14 review. As far as backlogs go and the impact to
15 backlogs, we didn't attempt to assess that.

16 MR. DYER: Let me ask on page 29 and on page
17 30 also in connecting the dots if you would or the
18 bullets. In particular it talks about -- the one
19 subbullet where it talks about taking minimum
20 actions to meet regulatory requirements was
21 determined to be adequate for nuclear safety adding
22 that at that time -- second bullet -- where

1 personnel performed with a philosophy that issues
2 were not serious unless they were proven to be. If
3 I connect the dots on that I come up with a solution
4 or a conclusion that says that your safety
5 threshold was geared towards unless the NRC drives
6 the issue, it's not going to be addressed by the
7 plant. I would like a comment on that.

8 MR. LOEHLEIN: Well, I would say that there
9 were a few times -- in the information we have a
10 few times where that perspective was seen by
11 certain people is that that's the way they looked
12 at it in some cases. They didn't believe that it
13 was a real technical issue. Their understanding of
14 it was flawed. Their opinion was well, if it
15 becomes regulatory driven we'll have to deal with
16 it, otherwise we won't. There was some of that.
17 But the real issue in terms of the philosophy of
18 proving the category was this became important even
19 from a standpoint of the performance indicators for
20 the station that looks at the effectiveness of the
21 corrective action program.

22 The corrective action program performance

1 indicators look at a couple things. One is it looks
2 at initiation. And it found, I think, the same
3 thing we found. Despite what some people think
4 about initiation, we saw plenty of condition
5 reports initiated. So we didn't see problems with
6 the organization identifying the issue. But the
7 rest of the things are looked at and the indicators
8 rely on the categorization being correct. Because
9 it talks about looking at the upper level condition
10 reports and seeing that they're handled properly.
11 So if they're categorized too low, the performance
12 indicator won't see them. And that's one of the
13 things we're recommending come out of this, that
14 the performance indicators, the things we measure
15 need to look at that to be able to tell whether the
16 organization is properly interpreting the potential
17 for a nuclear safety issue, not just a proven
18 nuclear safety issue.

19 CHAIRMAN GROBE: Okay.

20 MR. LOEHLEIN: So slide 31 is a restatement of
21 the management oversight root cause statement made
22 at the beginning when we talked about less than

1 adequate nuclear safety focus. The important thing
2 here is this combination of it wasn't just the
3 production focus. Production we understand. If
4 anything is assumed in the power business is people
5 would like to produce power. So the desire to
6 produce power is not an issue by itself. What is
7 important is combined with trying to meet minimum
8 actions for nuclear safety is a root cause here.

9 The root cause under the corrective
10 action program has a number of subbullets. The
11 overall root cause is that there was inadequate
12 implementation of the corrective action program.
13 The corrective action program required higher
14 categorization in some of these cases because they
15 were repeat events and so forth and that did not
16 happen, and some of the other things that are
17 listed there, addressing symptoms rather than
18 causes, categorization we talked about, we had less
19 than adequate cause determinations, less than
20 adequate corrective actions and poor equipment
21 trending.

22 Under technical rigor -- And, by the

1 way, these are under the four areas we mentioned at
2 the very beginning.

3 CHAIRMAN GROBE: Steve, part of the corrective
4 action program is identifying issues.

5 MR. LOEHLEIN: Right.

6 CHAIRMAN GROBE: After the 2000 outage, was it
7 identified that there were corrosion products in a
8 CR flowing out of the weep holes?

9 MR. LOEHLEIN: When you say after --

10 CHAIRMAN GROBE: During the outage?

11 MR. MUGGE: Yes.

12 MR. LOEHLEIN: Yes, there were condition
13 reports.

14 MR. MUGGE: 00-1037 documented that.

15 MR. LOEHLEIN: What didn't happen with that is
16 there was no evaluation or any follow-up evaluation
17 saying anything about the acceptability of that or
18 resolving it. I think the only plant response,
19 Bill, was that, right?

20 MR. MUGGE: Right.

21 MR. LOEHLEIN: It was identified on a condition
22 report.

1 MR. MYERS: As a matter of fact, there it is.

2 MR. LOEHLEIN: It's even on this chart here if

3 you go back to whatever figure that was. What

4 sheet is it?

5 MR. DeSTEFANO: 27.

6 MR. LOEHLEIN: 27? In this light I can't see

7 it on this small one.

8 MR. MYERS: It's this one here.

9 MR. LOEHLEIN: CR 00-1037.

10 CHAIRMAN GROBE: Okay.

11 MR. LOEHLEIN: We're on slide 33, root cause,

12 technical rigor. Here the root cause was failure

13 to integrate and apply key industry information

14 specifically as it relates to the boric acid

15 corrosion control program and to compare new

16 information to baseline information that came in.

17 This is a reference to examples like Generic Letter

18 97-01.

19 The root cause under program compliance,

20 some steps in the boric acid corrosion control

21 procedure were not followed. Some specific

22 important examples were that we did not remove the

1 boric acid from the head. The station did not
2 inspect the areas under the boric acid and did not
3 perform technical analysis or safety evaluations to
4 support decisions to leave boric acid on the head.

5 We had two contributing causes that we
6 show on slide 35. Some decisions were made without
7 considering the need for a safety analysis. Really
8 throughout the development of the conditions as we
9 talked about them there were no safety evaluations
10 conducted or even considered necessary except there
11 were those done for the temporary modifications
12 that were done in supporting treating symptoms that
13 appear on sheet 27. That's when we brought high
14 efficiency air filters in the containment. That
15 was an attempt to deal with the iron oxide in the
16 atmosphere. That temporary modification is also
17 the one that bypassed the iodine cartridges because
18 of the problems with boric acid containment in the
19 atmosphere. Those both did receive treatment under
20 the 50.59 process.

21 The other contributing cause is the
22 corrective action program, we stated here, was not

1 state of the art. It really doesn't meet, in our
2 minds, industry standards particularly on the back
3 end in terms of equipment trending or repeat
4 equipment problems.

5 MS. LIPA: I have a question for you. You
6 will probably get into this later in corrective
7 actions. If your corrective action program is
8 common for all three plants, have you done an
9 assessment of the Davis-Besse implementation?

10 MR. LOEHLEIN: Yes, there is a nuclear
11 operating procedure FENOC-level procedure that
12 requires effectiveness in that area. It does right
13 now provide a lot of leeway for each individual
14 site to decide how it's going to do that. And at
15 Davis-Besse it does appear as though it's largely
16 nonexistent. Right, Bobby, the equipment trending?

17 MR. VILLINES: Yes.

18 MR. LOEHLEIN: And that's not the case at the
19 other stations. But yes, we are as part of this
20 considering under all common processes those things
21 that may affect the other stations. You want to
22 comment on that?

1 MR. DeSTEFANO: As part of the program
2 evaluations that are occurring right now the
3 corrective action program evaluation was performed
4 by all three stations at the same time. So the
5 knowledge level, the current status of the program
6 and where it should be has already been obtained by
7 all three stations.

8 MR. MYERS: Let me tell you this too: I
9 believe as I sit here today there's going to be
10 some enhancements that we will make to the function
11 of that process at all three sites. We already are
12 using that model. You have probably seen that
13 before at two of our sites. We will start using it
14 at Davis-Besse as well. But in our corrective
15 action process we will probably go back and do
16 enhancements to our programs.

17 CHAIRMAN GROBE: I think, Steve, at this point
18 that you have got some other key observations
19 you're going to go into. But you have summarized
20 the process that you have gone through, the
21 conclusions in each of the areas that you came to,
22 and then on pages 31 through 35 summarized what you

1 believe are the root causes and contributing causes.
2 Quite frankly, you have presented an extraordinary
3 amount of information. And I am sitting here in my
4 mind trying to walk through all of the various
5 performance deficiencies that I am aware of and
6 trying to see where they fit into these root causes
7 and whether this is complete. And that's the kind
8 of analysis we're not going to be able to do today
9 but we're going to have to do over the next several
10 weeks to be able to evaluate this and conclude, in
11 fact, that your root cause is comprehensive and
12 adequate.

13 MR. LOEHLEIN: And in the report we do the
14 best job we could at trying to lay this picture out
15 so that it can be interpreted in exactly the way
16 you're stating, Jack, so that there are a lot more
17 of the facts presented. And we try to do it in
18 such a way that the conclusions can be followed
19 clearly. And we do expect that's exactly what you
20 will do is you will examine this.

21 CHAIRMAN GROBE: Has this report been
22 submitted on the docket?

1 MR. LOEHLEIN: It's approved on site.

2 MR. MYERS: It's approved on site, but we sent
3 it to you by letter.

4 MR. LOEHLEIN: Yesterday we were preparing the
5 letter.

6 CHAIRMAN GROBE: So we can expect that next
7 week?

8 MR. MYERS: Right. We can give you a copy of
9 it today if you want it.

10 CHAIRMAN GROBE: That would be great. Okay.
11 Any other questions on the root cause or
12 contributing cause before Steve goes on to other
13 key observations?

14 MR. LOEHLEIN: The next two slides provide
15 observations. Observations are things that we felt
16 were important to mention in the report, but they
17 did not tie directly to the damage occurring to the
18 head and it going unnoticed.

19 There are some design aspects. Certainly
20 alloy 600 is something that deserves mention. And
21 the gasket design in the CRDM flanges which has
22 been a problem for this plant historically now has

1 apparently been resolved. One of the items was
2 training was not provided to individuals performing
3 inspections for boric acid. It was not considered
4 a contributing cause because, once again, the
5 knowledge of the personnel involved in our judgment
6 was adequate to recognize the significance of the
7 boric acid that was found. Another observation was
8 inspection activities and corrective actions were
9 not coordinated through the boric acid corrosion
10 control coordinator. This was really just another
11 failing of the process, was not critical in the
12 outcome but is an observation. The boric acid
13 corrosion control procedure did not specifically
14 reference the nozzles as one of the probable
15 locations of leakage. And that has been captured
16 as part of our response to the Generic Letter
17 97-01.

18 Slide 37. The condition reports
19 associated with the boric acid issue tended to stay
20 unresolved until significant degradation occurred.
21 That's the pattern that was observed with the
22 pressurizer spray valve and again with the head.

1 The next bullet mentions we found there was little
2 evidence of quality assurance's involvement and
3 that their documented findings were mixed quality.
4 What happened here is that the company decided a
5 while back now to do a separate root cause
6 investigation of quality assurance's lack of
7 effective impact on the outcome. And that root
8 cause is ongoing right now. I think it is nearing
9 completion.

10 The next two bullets talk about things we
11 found in terms of the monetary incentive program
12 and the way it rewards senior levels and written
13 policies and their treatment of safety. We really
14 didn't find a tie-in with these to the way and the
15 reasons why people made decisions. Particularly in
16 the monetary incentive program the changes to that
17 had been pretty recent. But in order for the plant
18 to move toward a proper safety focus, we felt the
19 need to point these out because they need to
20 deliver the right safety message both in terms of
21 incentive and in terms of policy. So we put them
22 in the report as something that needs to be looked

1 at.

2 CHAIRMAN GROBE: Steve, when you say fairly
3 recent, what timeframe are you talking about?

4 MR. LOEHLEIN: In the mid-'90s the incentive
5 program was -- A consistent level of safety got
6 treatment that was pretty consistent through the
7 organization up in terms of management. And then
8 as we went to the late '90s two shifts occurred.
9 Top level management started to get rewarded more
10 for production. And not only that but that became
11 more askew with lower levels. I believe even to
12 this day for the lower levels of the organization
13 the majority of the incentive still is based on
14 safety but not at the top level of the
15 organization. So that disconnect there does not
16 support good alignment in the organization going
17 forward. So the report recommends that the company
18 look at that.

19 MR. MYERS: And that was not, you know, a
20 deliberate management change. What happened is the
21 companies changed during that time. And when the
22 companies change, incentive programs change, right?

1 I mean it's just a different incentive program than
2 we used to have. I don't think it changed my
3 behavior whatsoever. But the factors are a little
4 different. They're very strong at the bottom,
5 probably not as strong at the top. That's
6 something we will go look at. But, you know, I
7 have been involved in that program now for several
8 years, and I don't think it's had anything to do
9 with my decisionmaking. But you contend -- you
10 think it's okay at the the bottom levels, though,
11 right?

12 MR. LOEHLEIN: Right.

13 MR. DYER: At what time did this change? When
14 it was turned over to FENOC or when FENOC was
15 formed?

16 MR. MYERS: We went to FirstEnergy probably in
17 '97. The incentive programs are a little different.
18 Never really thought much about it to be real honest
19 with you. So, you know, I don't think it's a
20 contributor, but it might be something that we can
21 do to help. We're going to go back and look at that.

22 CHAIRMAN GROBE: The top level management

1 incentive programs are consistent across the three
2 sites?

3 MR. MYERS: Yes.

4 MR. LOEHLEIN: Yes, they are.

5 Another thing that struck the team as we
6 went through this was that operations had minimal
7 involvement in resolution of these issues. Their
8 participation is pretty much evident on the
9 condition report process when they do an assessment
10 on the impact to the station, and then pretty much
11 we didn't find them visible. There is a condition
12 report that is separately considering this as a
13 root cause being done on that particular thing in
14 the station as well, the lack of operations'
15 involvement.

16 And finally in terms of observations we
17 had management had minimal entries into the
18 containment. We looked at 1998, the 11RFO. It had
19 improved some in 2000, 12RFO. But we do believe
20 that the management involvement in the containment
21 during outages is something that should be improved.

22 CHAIRMAN GROBE: Within this context you use

1 the word management. Are you referring to first
2 line supervisors?

3 MR. LOEHLEIN: We're talking really managers
4 and above.

5 CHAIRMAN GROBE: So that would be director
6 level in your organization?

7 MR. LOEHLEIN: We have managers and directors
8 and VP. I mean I work for Lew at Beaver Valley,
9 and I can tell you what the expectation has been
10 there. As manager over there I am in containment
11 several times at least myself. And our job is to
12 force standards and to make sure that we don't have
13 people unaware of where they are in containment and
14 a whole host of other things that we do.

15 MR. MYERS: I just believe that if we would
16 have had a little bit more management involvement,
17 if we would have seen the pictures of the head that
18 you showed a while ago or reviewed the videotapes,
19 that our decisions would have been the same as they
20 were in many cases on these corrective actions.

21 MR. DYER: I would like to go back to slide
22 37. You kind of brushed over the QA role in this.

1 And said you have a separate recall looking at the
2 value added by QA. On a broader scale what about
3 independent oversight in general? And I mean you
4 have got the line management, and certainly that's
5 where your focus has been. Did you look at --
6 When you have got -- I think somebody brought it up
7 earlier -- ISIs, obviously I would say the role of
8 QA, the off-site review committees, anybody in the
9 industry, peer reviews things like that, were there
10 indications coming in from them?

11 MR. MYERS: We have gone back and we have
12 looked at the QA process. You know, I have
13 personally reviewed some of the documents that QA
14 had produced on the corrective action process.
15 They told us that our root causes were not very
16 good -- in 1999 I believe it was -- and that we had
17 a lot of repeat situations and we weren't
18 trending. As a senior team we didn't do much with
19 that. They also indicated that the head was
20 cleaned and thorough in 2000. It was obvious that
21 the QA person never really went down at the head.
22 So there are some issues there we're dealing with.

1 Same kind of thing, involvement and really
2 validation and oversight. So there's some issues
3 in the quality area that we have had to address,
4 and Bill's addressing those now.

5 MR. LOEHLEIN: I think you're talking about
6 the company's nuclear review board. You did look
7 at that too.

8 MR. MYERS: We had Darrell Eisenhut come in
9 and perform an assessment of that board. We will
10 probably make some changes there. What's really
11 interesting there is the board meets routinely.
12 This is not uncommon. But typically we don't have
13 the board meet at the plant or involved at the
14 plant when you're using certain programs; for
15 example, boron inspection programs. All these
16 programs you don't bring the board in because
17 you're too busy with outage, right? What we're
18 thinking about is that would probably be a good
19 time to bring some of the board members in and let
20 them perform an assessment of the implementation
21 of some of our programs. And I don't think too
22 many people probably are doing that. That's

1 something we're evaluating now.

2 MR. DYER: How about ISEG and their role in
3 looking at trends?

4 MR. MYERS: We don't have an ISEG.

5 MR. DYER: I thought earlier you did.

6 MR. LOEHLEIN: That was in 1987, I think. In
7 years gone by there was an ISEG. There is not one
8 currently.

9 MR. DeSTEFANO: Also basically ISEG really had
10 a few shots from what we saw during this time
11 period on these specific subjects. They had a few
12 chances to have an impact on what was going on.
13 And again in the earlier years they did that. And
14 in the mid-'90s to late '90s actually their reviews
15 concurred with what the station was doing. So it
16 was not effective.

17 Just prior to 12RFO fueling outages, one
18 example specifically, ISEG was asked about delaying,
19 whether or not the decision to delay modification
20 to the service structure was acceptable. At the
21 time the proposal was to delay it to 14RFO. And
22 they came back and asked -- You could tell they

1 felt uneasy about it. They asked are you sure you
2 can't get it in 12 or 13 but ended up concurring
3 with the fact that the modification didn't have to
4 be done right now.

5 CHAIRMAN GROBE: So even ISEG had a production
6 focus.

7 MR. DeSTEFANO: With the instance that we saw,
8 yes. But they didn't pop up in our documents too
9 often.

10 CHAIRMAN GROBE: I apologize. We're using an
11 acronym here. ISEG is the independent safety
12 engineering group. And the key word there is
13 independent.

14 MR. MYERS: Right.

15 CHAIRMAN GROBE: I guess the next key word is
16 safety.

17 MR. MYERS: Yes. One of the things that as
18 ISEG went away at our other plant, what we did to
19 improve that we thought was even better was the
20 engineering oversight review board. Documents
21 coming out of engineering, make sure they were very
22 good. So when we were making the improvements in

1 the '96 timeframe at our other plants, that board
2 was a real strong part of those improvements and
3 the quality of our documents coming out of
4 engineering. But that board was never implemented
5 over there at the Davis-Besse plant until recently.
6 We have it at both our Perry and our Beaver Valley
7 plant now. This was the first time we installed it
8 over there.

9 CHAIRMAN GROBE: Any other questions before we
10 go on? Okay.

11 MR. LOEHLEIN: At this point I would like to
12 conclude and turn it over now to Lew Myers who will
13 talk about the corrective actions.

14 MR. MYERS: Thank you. When we had this event
15 initially, somewhere in the May timeframe we decided
16 to look at the events that are broad based, and we
17 created the building blocks for a return of service
18 plan to address systems, programs and organizations
19 to support safe and reliable operations. Specifi-
20 cally we created a system health assurance plan
21 that looks at a rigorous approach to system review
22 similar to what has improved our performance at our

1 Beaver Valley station and late issue reviews and
2 system reviews. We have implemented that now at
3 our Davis-Besse plant, and we're walking down
4 systems with operators, SROs, we're walking down
5 with system mechanics, engineers and managers, you
6 know? And what we're seeing is good teamwork
7 beginning to develop there. And we're finding
8 things, basic things. What I will tell you again
9 later on is that program will probably -- that
10 program will become part of our normal process.
11 It's something we should be doing routinely all the
12 time. And we didn't have the procedure in place or
13 a process in place to ensure that we were getting
14 consistent engineering reviews of our system, so we
15 will put that into our normal processes as we go
16 forward.

17 The management and human performance
18 excellence plan was put in place to ensure a
19 sustained safety focus. The first thing that we
20 have done there is we created a new FENOC organiza-
21 tion with more oversight and created my job as
22 chief operating officer. Bill Pearce has

1 tremendous operational experience. And some of
2 these issues that we're seeing with corrective
3 actions quality were probably not fully implemented.
4 That would be at a higher level now. So we will
5 see that they get implemented. We're rebaselining
6 our standards and scheduling management observations
7 now to make sure there are managers in the field
8 looking at stuff, activities that are going on.

9 The program compliance plan ensures
10 programs that we have meet industry standards,
11 that they have good procedures, we have got good
12 ownership and we have got good implementation.
13 Guess what? That's another program that we're
14 using as part of the building blocks that we'll
15 continue to use in the future. In fact, we will
16 probably take that program -- the system program
17 at our Beaver Valley and Perry plant, we're going
18 to take that over to all three of our plants now.
19 So that turned out to be a very good program. So
20 these building blocks have been key, I think,
21 already in returning the health and safety focus of
22 our programs and systems at our Davis-Besse plant.

1 One of the things if you recall we did
2 early on -- We have six building blocks: Reactor
3 head resolution plan, program compliance plan, the
4 containment health assurance plan, system health
5 assurance plan, restart test plan and the
6 management and human performance excellence plan.
7 All that reports up to an independent restart
8 overview panel that reports to Bob Saunders, Gary
9 Leidich and myself. That panel consists of
10 industry experts, the chairman, Buzz Cairns, Lou
11 Storz who was there in the early '90s, Joe Callan,
12 Chris Bakken from the D.C. Cook plant, and then
13 Gere Witt from the community and Jack Martin are
14 all on that panel. So we think that's a really
15 top-notch panel.

16 What I want to tell this group here is
17 it's our intention -- we will not -- until we feel
18 these knowledge blocks are all in place to give us
19 sustained performance, we won't even recommend to
20 you that we be allowed to start up. So we are
21 looking for this team to tell us that they're
22 comfortable. That's what we're using them for.

1 The first area we talked about is a
2 nuclear safety focus. We have already taken some
3 pretty -- We didn't sit back and wait for this we
4 saw some of these indications up front. We created
5 this new senior management team at the upper
6 levels, I myself and Bill Pearce, to give us more
7 corporate oversight. But we also brought in a new
8 senior team at the plant, proven aggressive
9 managers, good performance. Randy Fast, our
10 previous plant manager, has been the plant manager
11 now at Davis-Besse. He came from Beaver Valley and
12 before that South Texas. Good, strong leadership
13 qualities. Bob Schrauder from our Perry plant, we
14 brought him in. So we believe that this management
15 team that we have in place now will drive the high
16 standards we're looking for.

17 Implement the management and human
18 performance excellence plan. We talked about
19 supervisors and managers at Davis-Besse a while
20 ago. We have a program called leadership in action
21 that we use to develop for succession planning of
22 our future supervisors and leaders. We are going

1 back and looking at that program. Are there some
2 key elements missing? Maybe we will make some
3 changes to that. Like in decisionmaking but in
4 general, you know, it appears to me more than
5 anything that that plan has not really been
6 involved in our Davis-Besse plant -- that program
7 hasn't. We have a bunch of people qualified but --
8 For instance, at our Perry plant we just completed
9 a recall of all the supervisors. We were talking
10 about five classes at our Beaver Valley plant.
11 Last year at our Davis-Besse plant we didn't teach
12 any. So we have got a bunch of people through
13 initially but just sort of put on the shelf, it
14 appears.

15 One of the things we're getting ready to
16 do is a case study. When you talk about case
17 studies you think we're going to come out and tell
18 everybody what happened. That is not the intent of
19 this program. The intent of this program is we're
20 going to go through the timeline that we have on
21 this event with each group, okay, and then we're
22 going to go through the root causes and how that

1 group could have affected the root causes. So
2 we're customizing it to a particular group. Then
3 we're going back and looking at the standards.
4 Each group has standards, you know, at our plants.
5 We're finding those standards are really fairly
6 good and consistent, but we have lost them. So
7 we're going to rebaseline those standards. At the
8 end of that training session -- that case study
9 we're going to give a test. We're going to make
10 sure that you understand the requirements, and then
11 we will move forward from there. That's where we
12 are heading on this case study. Not only that you
13 understand this event but you understand the
14 requirements. And we will move forward. We
15 already have new standards of implementation in our
16 engineering group that we're pleased with.

17 CHAIRMAN GROBE: Before you go on -- I
18 apologize for interrupting -- but you can do this
19 case study and rebaseline standards and do a test
20 and people can answer the test correctly and
21 successfully. But until you assess people to those
22 standards, I am very concerned about this incentive

1 program and the disconnect between the various
2 levels in the organization.

3 MR. MYERS: We understand that. If you look
4 at all the standards, we have some management
5 models that we use very similar to Exelon. We are
6 looking at some of the Exelon and other utilities.
7 Right now we are looking at the attributes that we
8 have versus the attributes they have. In some
9 cases we find ours are better; other cases not as
10 good. We will baseline every one of our
11 supervisors and managers to the right standards.
12 That's what ownership, for instance, is supposed to
13 do. So once we establish that you understand, we
14 will be monitoring how effectively you implement
15 those standards through the ownership for
16 excellence program and a management observation
17 program. You caused me to lose my place. Let me
18 keep going.

19 After we do that, Jack, we have a program
20 that I think Christine knows about that we use both
21 at Perry and at Beaver Valley. It's the management
22 observation program, a computerized program where

1 you can trend observations. And we don't use that
2 program at Davis-Besse. We're bringing it over to
3 Davis-Besse now. It's got these key attributes
4 built into it. If we schedule management
5 observations with supervisors like we're going to
6 and we collect this data, we can tell how effective
7 the supervisors are being at implementing the
8 standards that we expect in the field, you know.
9 And we're going to implement that program more
10 strongly here than we have at any of our other
11 plants. We're going to schedule managers here. So
12 that's the intention at the Davis-Besse plant.

13 We have already completed the safety
14 conscious work environment survey and assessment.
15 You know, as you might expect how the plant is,
16 this was a very proud bunch of people. I meet with
17 them. And I'm going to talk about my four Cs. I
18 do four Cs meetings. I have a contractor talk.
19 The organizational effectiveness person brings in a
20 group of people. And what we do is about twenty at
21 a time. The idea is there the contractor -- they
22 can talk to this person in confidence. So when I

1 see the question I don't know who it came from.
2 Then we go in and -- I get all the questions, and
3 we go in and try to answer the questions and then
4 feed that back in our newsletters and stuff. We
5 have started that meeting now. And it just amazes
6 me the people at Davis-Besse, they will tell you
7 they know the standards, they know that the
8 management hasn't been as strong as it used to be.
9 I am not even going to tell you some of the things
10 they tell me here. But it's really interesting the
11 feedback that I get there. And I do believe that
12 we're beginning to see some good ownership of this
13 problem. And they're also beginning to see those
14 management walk-downs and management in the field
15 and system walk-downs being effective. So we will
16 continue those things.

17 And then finally I told you earlier the
18 ownership for excellence program evaluates our
19 managers and directors. And we will get all this
20 done, and then we will have them evaluate the first
21 line supervisors using the management observation
22 program.

1 The next thing we talk about here is
2 corrective action. I told you that we just finished
3 -- we're finishing as we speak review of the
4 corrective action program. We have been very proud
5 at all of our plants of our corrective action
6 program. In fact, we think that -- my belief is at
7 our other two plants we have really taken that on
8 and made a lot of progress fixing problems through
9 corrective action. We have seen some real enhance-
10 ments now that we can make to that program, and we
11 will go back and look at this review and try to
12 make some changes to the program. Overall, though,
13 I go back and say again a lot of problems we saw at
14 Davis-Besse are just implementation problems, the
15 right criteria for a CR that's written by an
16 employee and then taking that CR seriously and
17 doing root causes or apparent causes or quality
18 reviews.

19 How do you measure the effectiveness of a
20 corrective action program? What I am accustomed to
21 is we have a corrective action review board. And
22 right now we have that being chaired by the plant

1 manager. It should always be chaired by a director.
2 That was not the case before. It didn't have
3 performance indicators, and we were not looking at
4 anything except higher level root causes. We
5 weren't looking at apparent causes. One of the
6 things we will do is we will go down and we will
7 get this board to start looking at lower level
8 stuff to make sure that that's properly classified.
9 So I think we do that at Beaver Valley already,
10 don't we?

11 MR. LOEHLEIN: Of course. I haven't been on
12 it for a while. I used to be on it. I have been
13 at Davis-Besse for six months. Lew, you know where
14 I have been for six months. But when I
15 participated in a corrective action review board at
16 Beaver Valley, our standard was to look at a lot of
17 lower level condition reports for determination,
18 not just high level stuff.

19 MR. MYERS: In our engineering reports we're
20 going to improve our trending of equipment failures.
21 And then finally we're going to be performing --
22 Bill Pearce is going to be performing routine

1 assessments now to make sure that we're properly
2 classified, CRs as they're written, and doing the
3 right type of assessment.

4 CHAIRMAN GROBE: What you just described,
5 Steve, is that proceduralized either in a self-
6 assessment procedure or in the corrective action
7 review board charter?

8 MR. LOEHLEIN: I think it goes back to the
9 fact that we have upper level standards in the
10 sites. What we need to work on and what we have
11 in this program compliance plan is each site has
12 taken what you might call a different level of
13 rigor in how they're going to approach the
14 corrective action review board. I know when I was
15 on it at Beaver Valley and in my maintenance
16 superintendent role that we met every week, and we
17 went over quite a number of condition reports and
18 at what level we looked at them. When I got to
19 look at this at Davis-Besse, I found out their
20 pattern really was to meet once a -- I think once
21 a month and look at primarily higher level things.
22 So the company or the FENOC-level common process

1 procedure allowed probably too much flexibility in
2 how that board operated at each plant because we
3 had different standards for what we looked at. And
4 that's the point of getting all three sites
5 together in reviewing this and getting us all on
6 the same page.

7 MR. MYERS: Now that I am chief operating
8 officer I can fix some of these inconsistencies.
9 What I am accustomed to more is that our senior
10 management team reviews all the Category 1 CRs and
11 all the corrective actions. That's done at a much
12 lower level at Davis-Besse. And since that's done
13 on a lower level, the apparent causes stuff aren't
14 getting reviewed at all. We're going to strengthen
15 those types of things.

16 MR. WRIGHT: May I ask one question? When you
17 say you're rebaselining and going to go back and
18 look at what the practices are at the different
19 facilities and implementing the program where there
20 was a lot of a flexibility within the program, is
21 the result coming out of that going to be a
22 consensus of where we should be, or is that going

1 to be looking at what is the most conservative
2 approach that one of our three sites have taken and
3 go with that until shown otherwise that that is too
4 conservative or you don't need to be that way?

5 MR. MYERS: We're a little better than that.
6 This team we brought in, this latent issues review,
7 is a very broad-based team, and they're making
8 specific recommendations and improvements to our
9 corrective action program. We'll probably take a
10 lot of those improvements -- maybe not every one --
11 and make them a part. So I think the approach
12 we're taking is a little stronger than that. We
13 have really got a good team looking at the
14 corrective action programs at Davis-Besse. I have
15 already seen some very eye-opening flexibilities,
16 you know. So we will take those issues and tackle
17 them. Does that answer your question?

18 MR. WRIGHT: It says that you are looking at
19 it in a different way. We'll have to wait to see
20 what the results are.

21 MR. MYERS: Okay. Where was I? Page 43.
22 Another thing that we have to make sure that we

1 address is that repeat conditions are treated as
2 significant conditions. If we see repeat
3 conditions, we're going to strengthen our program
4 and make sure we elevate those. That's not as
5 clear as it should be now. We're going back now as
6 we go through the system and the program reviews
7 and looking at some longstanding problems that we
8 had at the plants and seeing if they should be
9 elevated to significant issues. We're quality
10 reviewing that and doing our system reviews and
11 program reviews. That's ongoing.

12 One of the things that we don't do is we
13 don't require -- we haven't required root cause
14 type training for apparent causes. And we could
15 probably really improve our program a lot if we did
16 that. We're going to do some type of root cause
17 training for those people that are doing apparent
18 causes. It has not been a requirement at all in
19 our program. That came out of these reviews I was
20 telling you about, the latent issues reviews.
21 That's better than reviewing any of our sites. I
22 would call that improvement overall.

1 We're going to define and implement the
2 required training. We're going to develop a
3 training program that defines and implements the
4 training consistently across our sites for root
5 cause. That's not very clear either. So we have
6 got some people that use Kepnor-Trego and we use
7 MORT. We're going to have maybe a variety of
8 techniques to make sure we have that variety of
9 techniques at each one of our sites.

10 And then finally -- I pretty well talked
11 about everything -- implement an effective site-
12 wide equipment trending program. I think there's
13 some real improvements we can do. We have a
14 quarterly report from engineering on the trending
15 of our systems. But because we haven't done a good
16 job at saying here's how we walk-down our system,
17 here are system health reports, I think we're
18 getting not consistent messages from our system
19 engineers. We're going to go back and strengthen
20 the way that we look at our systems making sure
21 that we're looking at trending, for instance --
22 that might be an issue we're looking at -- and make

1 sure we have specific criteria for the systems
2 engineers to use. They don't have that criteria.
3 Remember I told you a while ago we did not have a
4 walk-down procedure for systems? We need to
5 strengthen those things. We will do that.
6 Under technical rigor, you know, I talked
7 about rebaseline the standards and expectations for
8 each FENOC group. We're doing that as we speak.
9 Establish an engineering assessment board to
10 reinforce standards. We have established a very
11 good engineering assessment board. We're figuring
12 out how to make that a permanent part of the way we
13 do business as we speak. So that we have got some
14 ideas in mind of putting a permanent manager there
15 that's just in charge of the engineer assessment
16 board. So we're going to really strengthen that
17 board and bring it over to the Davis-Besse plant
18 and probably make it better than the ones that we
19 have at the other two plants as a matter of fact.
20 So I am looking forward to that.
21 We have already approved a procedure --
22 What we found at Davis-Besse is we have a business

1 plan that talks about the hierarchy of documents
2 and our priorities. And our priorities at FENOC --
3 and you need to listen to this clearly -- is safety
4 first, people second, reliability third and cost
5 fourth. That's our priorities. And that's been
6 pretty consistent over the years since I have been
7 at FENOC. And what we find at Davis-Besse that I
8 am not used to is a bunch of policies and documents
9 that are not in line with the way we do business.
10 It's almost like they figured out a way to maintain
11 status quo over the years. So I am going back and
12 revisiting those policies and documents. And what
13 we did the other day is we approved a new nuclear
14 operating procedure that -- We never had anything
15 that clearly defined the hierarchy of documents.
16 And what you will see now is we have a policy at
17 one of our plants different than our FENOC policy,
18 and it's going to have to come to the senior teams
19 at FENOC to get approved. So we have got to make
20 sure that we don't have these documents out there
21 that don't get the same priorities that we have as
22 an organization. We found some of that. It's

1 there and alive, some older documents, sending the
2 wrong message to our employees.

3 I told you that we're going to make
4 permanent in our processes the system walk-downs.
5 That program has been -- Through experience we
6 found out we didn't really even understand the
7 bounds of the program for the system engineers. We
8 have got that all scoped out. And we're not
9 walking down systems. And what we're finding is
10 that we're not using it at any of our plants.
11 We're walking down systems with multi-discipline
12 teams of SROs, maintenance, managers and the system
13 engineer, and we're finding some really interesting
14 things. And we don't have that at any of our
15 plants, and we probably -- we're going to go fix
16 this process so it's consistent across all of our
17 plants.

18 And then the program reviews I talked
19 about a while ago you will find very enlightening
20 also.

21 Procedure compliance. Procedure
22 compliance is something that I have been talking

1 about since I have been in nuclear power it seems
2 like. You know, we're going to come out of this --
3 we're committed to coming out of this restart with
4 what we think is the best boric acid program in the
5 country. We should have that after this. And we
6 have gone back now and taken our procedures and
7 turned them into nuclear operating systems at our
8 two sites that use boron. We have a nuclear
9 operating standard now, and it fully meets 99-0701
10 I guarantee because I reviewed it myself.

11 We're going to go back and reinforce the
12 standards and expectations for procedure compliance
13 throughout the sites and the need for proper
14 work-practice rigor. Some of the things we have
15 seen here and some of the work orders we have
16 signed off and the amount of information that's in
17 those work orders we need to improve more at our
18 Davis-Besse plant. This was the same problem we
19 had at our other PWR a few years ago where we
20 didn't have much rigor in our work orders and rigor
21 in our process. And we have improved that. We
22 need to strengthen it here also.

1 I told you about the management obser-
2 vation program. We're going to implement the same
3 observation program we have at our other plants.
4 It's a computerized program. Was the prejob brief
5 good, were the parts there, was the contingency
6 planning good, was the right safety culture there.
7 There's attributes for all those things. And was
8 the procedure usage proper too. We're going to
9 implement that program at our Davis-Besse plant
10 where we already have it at our other two. I have
11 gone back and reviewed based on this event all the
12 stuff in the program, and the program looks pretty
13 healthy to me from what I have seen. I did that a
14 couple weeks ago. And then we're going to start
15 scheduling with a weekly schedule managers to be
16 in the field with the supervisor and document our
17 performance. We think that will help our safety
18 culture. Once again I believe if we had had more
19 management involvement in the field and higher
20 standards, we wouldn't be here today. Somewhere we
21 lost that, and we're regaining it now.

22 And once again at our morning meetings

1 we're stressing procedure compliance pretty much
2 daily and weekly, and we're looking for CRs as an
3 indication of procedure compliance issues every
4 day. We're trying to focus on that.

5 CHAIRMAN GROBE: Before you go on -- I
6 apologize for interrupting. Before you go on to 46,
7 you say reinforce standards and expectations for
8 procedure compliance and the need for work-practice
9 rigor. The root cause focus on page 34 focuses
10 only on boric acid control. What is your sense of
11 the extent or condition of this procedural
12 compliance question?

13 MR. MYERS: Widespread.

14 CHAIRMAN GROBE: Operations, health physics,
15 maintenance?

16 MR. MYERS: Yes.

17 CHAIRMAN GROBE: Okay.

18 MR. MYERS: We have seen our operability
19 reviews have been a little lax. That's the reason
20 I brought Mike Ross in at the system right now to
21 really focus on operations, make sure we have the
22 high standards. When we saw this in root cause, we

1 started looking across the board. We see it

2 elsewhere also.

3 CHAIRMAN GROBE: Okay.

4 MR. MYERS: Once again we talked about the

5 hazard analysis. I had trouble with this too,

6 Jack. But what I call it is decisionmaking. And

7 we use this document called Tech 19 that incorpor-

8 ates some of the INPO philosophy, industry

9 philosophy on decisionmaking. It also is a tool

10 we use when we have equipment problems to sit down

11 and -- The first thing before we go to work is we

12 sit down and we go through this to make sure we're

13 asking all the tough questions. Do we meet our

14 licensing basis? Do we need to go into 50.59?

15 That process is not in effect here. That program

16 is not in effect at our Davis-Besse plant. That's

17 another item right now that we haven't yet turned

18 into nuclear operating procedure. We need to

19 implement that program at Davis-Besse.

20 And once again I put here that we're

21 doing corrective action benchmarking. I think the

22 benchmarking we have got is we have got a ton of

1 people in the plant right now from other utilities
2 that are pretty much industry experts that are
3 doing that latent issues review of our correction
4 action process. That's really been an eye-opening
5 experience. And we will continue to go out there
6 to Morgan Price and some other plants after that.
7 We will be making some changes to our corrective
8 action program. I could give you some specific
9 changes if you want them, but we need to make some
10 changes there.

11 I told you a while ago that the new
12 reactor pressure vessel head is on site. We're
13 looking at the design -- that's one of the
14 corrective actions -- and making sure that that
15 head is ready to be installed. A boric acid corro-
16 sion control program is being designed to include
17 control of our drive nozzles like they should.
18 We developed a training program already on the
19 boric acid monitoring. You know, if we would have
20 used our -- We found out as we were going through
21 the inspections that we were qualifying people as
22 VT-2 exam. What we should have been doing is what

1 do we want them to be able to do and developing a
2 training program for that specific talent. And we
3 have developed that program now, and it looks pretty
4 good. We have got people out doing walk-downs, and
5 training appears to be very thorough. So we're
6 happy with that. But making sure people are
7 properly trained on the boric acid procedures is
8 very important. And once again our intention is to
9 come out of this issue being one of the industry
10 leads in boric acid.

11 Some of the problems that we found as we
12 were going through this issue too is you find
13 corrective actions in the boric acid group that
14 were left for a couple years without resolving. So
15 timely corrective action is something we're going
16 to address also.

17 And then we talked about the realignment
18 of the incentive program. We'll talk to FirstEnergy
19 about that. We're going to look at possibly some
20 changes there.

21 And then finally I told you a while ago
22 that we found the policies that were different

1 somewhat at Davis-Besse that we have at FirstEnergy.
2 Well, we're going to strengthen those policies, you
3 know. Operations' involvement is very important
4 and a management presence in the field is very
5 important. And we're going to -- Bob Saunders, I
6 know, right now is looking at a policy for FENOC
7 that he's going to put out addressing his expect-
8 tations for a nuclear safety culture. So that's
9 something we didn't have in place. We're going to
10 make that very clear to make sure nothing disagrees
11 with that. I don't think it was as clear as it
12 could have been.

13 I told you a while ago we made several
14 changes across the site already. We created Bill
15 Pearce's job, the ex-plant manager from Beaver
16 Valley station. Strong operational focus. He's
17 now the vice-president of oversight. He reports to
18 the president, and he also reports directly to the
19 board. The chief operating officer. They made me
20 the chief operating officer. Then we brought in
21 Gary Leidich. Those were all, I think, positive
22 moves that allow us to have more oversight. We

1 brought in Mike Ross to strengthen our operations
2 group on operability concerns. There were a lot of
3 issues here that we saw in this event where ops was
4 really not very existent in asking hard questions
5 when we wrote the CRs. So we're going to fix that.
6 We have a new plant manager, Randy Fast. We think
7 he has a strong maintenance and operations
8 background, and we think he'll add the right safety
9 focus to the plant. Mike Stevens now is the
10 director of maintenance. Mike came to us from -- he
11 worked in energy at Exelon, and he's been with us a
12 couple years as a maintenance director there. Bob
13 Schrauder we brought over from Perry. He used to
14 be the plant manager at Perry and is a proven
15 leader with our organization. And finally Jim
16 Powers was the engineering director at Perry, and
17 he's over with us at Davis-Besse now as the
18 engineering director. We think that he has the
19 right standards and will help us drive this new
20 safety culture in the plant. So we have made a lot
21 of changes already, I guess, is the message.
22 CHAIRMAN GROBE: Lew, you have Randy Fast as a

1 light blue. When did he come to the organization?

2 MR. MUGGE: He started in January of this

3 year. I think the graphic is wrong.

4 CHAIRMAN GROBE: Just prior to the outage?

5 MR. MYERS: Just prior to the outage, yes.

6 CHAIRMAN GROBE: So he's a dark blue.

7 MR. MYERS: Randy Fast experienced some of the

8 South Texas plant. That was a pretty interesting

9 turnaround. And also he went to the Beaver Valley

10 plant and performed well down there. He was our

11 maintenance director there, so we brought him over

12 as plant manager here. We believe that's a good

13 move for us.

14 MR. THOMAS: Before you do your summary, can I

15 ask a question?

16 MR. MYERS: Yes, sir.

17 MR. THOMAS: First is will all people who are

18 tasked with classifying reports and apparent cause

19 evaluations be trained?

20 MR. MYERS: That's our intent.

21 MR. THOMAS: Second question is two of the

22 root causes you presented require significant

1 process changes by your staff; namely, addressing
2 symptoms rather than causes and lack of adequate
3 technical rigor. Could you comment briefly on
4 specifically what's being done to accomplish this
5 process?

6 CHAIRMAN GROBE: Let me broaden that just a
7 little bit. I really appreciate that. You
8 embarked on a multifaceted program -- return to
9 service program.

10 MR. MYERS: Right.

11 CHAIRMAN GROBE: And you embarked on that
12 program with a variety of people, some from your
13 organization, some from outside your organization.
14 One of the first areas that we inspected was
15 activities that you were accomplishing in the
16 containment area and found some inadequacies in the
17 qualification of the people doing inspections,
18 inadequacies in the training of the people and your
19 training programs, and then went into the field and
20 found some observations that we were able to make
21 that your staff had looked at the same equipment
22 and did not make. And I think that goes right to

1 the question that was just asked a moment ago.
2 Since then you have completely redone the training
3 program, brought in a bushel basket of new
4 inspectors, and trained them to your standards and
5 you are reperforming those inspections in contain-
6 ment. What are you doing to make sure that all of
7 the people that are implementing this restart
8 program -- and they have been working on this for a
9 couple months now -- have the standards and expect-
10 tations that you expect and are not continuing to
11 operate with the same focus of technical rigor and
12 standards that existed prior to the outage? Is
13 this the same question you asked?

14 MR. THOMAS: Pretty much.

15 MR. MYERS: I will tell you we don't have that
16 fixed. We're working on that, but we don't have it
17 fixed. I think the first thing that's helping drive
18 that as we speak now is the engineering assessment
19 board looking at the products coming out of engineer-
20 ing. That's a very strong board. And once again
21 we intend to keep that as a permanent part of our
22 process. That ensures that the documents coming

1 out of engineering have got the right rigor. And
2 we'll monitor -- We have got performance indicators
3 and things that are rejected, things that we're
4 having to add a few comments to and stuff like that
5 so we can monitor the quality of the information
6 coming out of there.

7 Another key element that I think is good
8 management has been our corrective action review
9 board. The corrective action review board at our
10 other plants looks at a lot of lower level items,
11 conditions with apparent causes. And we give
12 feedback directly to the managers and directors,
13 and we monitor how many are rejected by that
14 board. So we're driving the right standards down
15 to the group by name. And we have strengthened
16 that here already.

17 There are some things that we need to do
18 yet in understanding the ownership for excellence
19 program as part of our leadership in action. It
20 doesn't appear to be effectively used at our
21 Davis-Besse plant. And also I would tell you that
22 there is some -- probably some new sections we need

1 to add to that training to make sure that our
2 supervisors and managers are meeting the right
3 standards of quality, you know. So I don't think
4 there is an easy answer to what you just asked, but
5 once again our leadership in action program is
6 designed to develop the right type of supervisors
7 and managers to produce the quality that we're
8 looking for. And I don't think that's been
9 implemented over there at Davis-Besse. I don't
10 know if I answered your question or not.

11 CHAIRMAN GROBE: I think you have answered my
12 question it's a work in progress. The problem is
13 that we are going to need to be able to make a
14 decision, and you're going to need to be able to
15 make a decision that the plant is in a condition
16 that's adequate for restart at whatever point in
17 time you get to that decision point.

18 At our last public meeting at Oak Harbor,
19 one of the items I asked -- I asked two items I
20 hope we're going to be covering next Tuesday at our
21 next public meeting at Oak Harbor. One of those
22 was to get greater clarity on these various boards

1 that you have, independent assessment boards, and
2 what influence they have from people that are not
3 part of the old Davis-Besse culture and what kind
4 of things they're finding. And then secondly the
5 exact same question with Bill Pearce's organiza-
6 tion.

7 MR. MYERS: Bill will be speaking at that
8 meeting.

9 CHAIRMAN GROBE: Okay.

10 MR. MYERS: And I can tell you our rejection
11 rate right now in our board's pretty high. Pretty
12 high.

13 CHAIRMAN GROBE: Okay. On this graphic I
14 think we have established if you make Randy dark
15 blue that everybody from the director level up is
16 new to their position. And I think four of those
17 people -- three of them are new to FirstEnergy.
18 Mike Ross is new to FirstEnergy, Randy and Mike
19 Stevens are new to FirstEnergy. Is that correct?

20 MR. MYERS: No, I don't think that's correct.
21 Randy has been with FirstEnergy for about two to
22 three years.

1 CHAIRMAN GROBE: Who has?

2 MR. MYERS: Randy. He was at Beaver Valley
3 before.

4 CHAIRMAN GROBE: Oh, okay.

5 MR. MYERS: Mike Stevens we hired at Perry
6 initially. They have been here for a while.

7 CHAIRMAN GROBE: So everybody above that line
8 is new to Davis-Besse, and one of them, Mike Ross,
9 is new to FirstEnergy.

10 MR. MYERS: And the maintenance manager also
11 is new to FirstEnergy.

12 CHAIRMAN GROBE: Okay.

13 MR. MUGGE: Peter Roberts.

14 CHAIRMAN GROBE: I wanted to get a better
15 understanding of new to position below that line.
16 How many of those folks below that line that are
17 new to their position came from outside of the
18 Davis-Besse organization?

19 MR. MYERS: Bob Peters came from Salem. Pete
20 Roberts -- I am sorry -- he came from Salem. Robert
21 Pell, he came up from South Texas as the ops
22 manager, and we combined chemistry and HP. He was

1 the chemistry and HP manager at South Texas. He is
2 now the chemistry and HP manager. He has been here
3 for a year or so. But he's from outside our
4 organization. And then I can't read the others.

5 MR. MUGGE: Dave Nelson came from Tennessee
6 Valley.

7 MR. MYERS: Okay, yes. Pat McCloskey was from
8 the organization. John Grabnar was from Perry.

9 MR. DeSTEFANO: Roder is from Davis-Besse.

10 MR. MYERS: Roder is from Davis-Besse.

11 CHAIRMAN GROBE: Okay. So only a couple of
12 the dark blue below the director line are actually
13 reassignments within Davis-Besse.

14 MR. MYERS: That's right.

15 CHAIRMAN GROBE: Okay. And the ones that
16 aren't new to their position, did you do some sort
17 of evaluation to determine that that's an adequate
18 alignment?

19 MR. MYERS: We haven't done that yet. We will.
20 One of the things I said is we're going to reassess --
21 we're going to assess the directors and managers to
22 their position, each and every one of them.

1 CHAIRMAN GROBE: And that'll be done prior to
2 restart?

3 MR. MYERS: Yes.

4 CHAIRMAN GROBE: Other questions?

5 MS. LIPA: Yes, I had a question. We talked
6 earlier that you were planning to submit your report
7 this week or next week.

8 MR. MYERS: Right.

9 MS. LIPA: One of the things that I was
10 wondering is whether there will be in that
11 submittal a correlation between the root causes you
12 have described here and the corrective actions so
13 we could see how it matches up.

14 MR. MYERS: Yes.

15 MS. LIPA: Also if it's clear from the submittal
16 which ones will be corrected before restart.

17 MR. MYERS: No. First answer is yes, second
18 answer is no.

19 MS. LIPA: How do we determine your plans
20 before restart?

21 MR. MYERS: The corrective actions we will
22 take before restart will feed into our 0350 process

1 and be identified in the restart.

2 MS. LIPA: Restart action plan?

3 MR. MYERS: If you look back and look at our
4 drawing with the 0350 process, there are some items
5 that are management items, some will be part of
6 0350, and some will not be part of 0350. And we
7 identify those as just restart items. So they will
8 be documented as a corrective action for restart.

9 MS. LIPA: Okay.

10 CHAIRMAN GROBE: You're talking about the
11 center building block, the restart action plan?

12 MR. MYERS: Right.

13 CHAIRMAN GROBE: So they'll get screened
14 through the criteria in that?

15 MR. MYERS: Yes.

16 MS. LIPA: So we'll have to look at that
17 separately after this report is sent to us.

18 MR. MYERS: Yes.

19 MS. LIPA: Okay.

20 MR. MYERS: It should be pretty easy.

21 MR. WRIGHT: Following on with that thought,
22 the effectiveness, you know. What criteria you're

1 going to use to judge that it's effective enough at
2 some point to say that you can restart, is that
3 part of in some way a trending or looking at that?
4 That's part of the restart action plan assessment?
5 MR. MYERS: You know, we just finished this
6 report this week, but we have already developed
7 some performance indicators that we're using. And
8 we have sent those to you to look at the health of
9 our products and our programs. So, for example, as
10 we go through the program reviews, if we find
11 something in our level one screening that we're
12 doing that doesn't have good ownership and doesn't
13 meet the requirements or that implementation looks
14 for, then that program will require latent issues
15 review. And we would either make a determination
16 through that restart review it's something that we
17 can change now and fix it or is it something that
18 we have to do before start-up. So each one of the
19 programs will get that type of screening. So we're
20 trying to use that process we're talking about in
21 everything we do so it's consistent. Did I answer
22 your question there?

1 MR. WRIGHT: Partly anyways. I guess I am
2 looking at it saying that works well for things
3 that you identify that you have to do, you know,
4 change this, fix this, do this. I guess the second
5 half -- and maybe you answered it and I didn't
6 understand -- was once you fix this and do that and
7 adjust this, how do you know that that now is
8 giving you back what you want?

9 MR. MYERS: For example, let's talk about our
10 engineering assessment board. We have got like
11 four performance indicators where everything on
12 there we look at, we grade it and we monitor that.
13 In our 0350 process we would expect to have some
14 criteria that says that we feel that the perform-
15 ance -- the engineering product we're seeing is
16 adequate before we'd recommend restart. And that
17 would be part of that process. So for every item
18 that goes in there, we monitor it. So if ten items
19 come in, three of them are set, you know, four of
20 them require minor adjustments and five of them or
21 something may be rejected. So we'll know all that.
22 So when we get to the performance, looks like it's

1 good, of the engineering products coming out, then

2 we'll be able to tell you we're ready to restart.

3 That would be a criteria in our building blocks.

4 MR. DYER: Lew, what is your criteria to make

5 sure the engineering oversight board has the right

6 set of values and thresholds in the conduct of

7 their business?

8 MR. MYERS: What we did for that criteria is

9 we gave them a charter they're using, and the

10 charter is pretty specific. And we brought in the

11 people we brought in from outside, looked at their

12 resumes and qualifications extremely well. Most of

13 them if I gave the list of names I think you would

14 probably know them. Good strong people on that

15 board.

16 With that, in summary I would like to

17 finish by saying our CEO of FirstEnergy is Pete

18 Berg, and he sort of set the standards in every

19 meeting we have been in so far in returning

20 Davis-Besse back to service in a safe and reliable

21 manner and doing the job right the first time. I

22 guess what I would say again today is we think this

1 root cause is pretty thorough, we worked hard on
2 it, we're proud of it. And we know we have got a
3 lot of work to do, but we're committed to meeting
4 that challenge. Thank you.

5 CHAIRMAN GROBE: Any others? Anybody? I have
6 some thoughts I would like to share. Before I do
7 that, the NRC staff in headquarters, I would be
8 interested in whether or not there are any
9 questions from the NRC staff in our headquarters
10 offices.

11 MR. RICHARD JURGAN: There's one. I am Rich
12 Jurgan, NRC inspector with fuel cycles. I just
13 wanted to know -- One of the possible contributing
14 causes to a situation like this could be lack of
15 communications either between departments or up and
16 down the management chain. I am dealing with a
17 plant that has a safety-conscious work environment
18 issue, so I am kind of attuned to those communica-
19 tions issues. In this analysis did you specifically
20 look at that, or were you able to come up with
21 conclusions as to the state of interdepartmental
22 and vertical communications at the plant if there

1 were any weaknesses or maybe strengths?

2 MR. LOEHLEIN: I will answer that based on my
3 understanding, and I will get some help from the
4 other members of the team that are here if I need
5 it. I think that I would say about our investiga-
6 tion that we were able to assess certain things
7 real well from what was there in the way of the
8 record both in interviews and in things like
9 condition reports. Some of the things we couldn't
10 assess as well are in areas like communication, and
11 it's because of the way the organization failed in
12 other ways. The condition report process told us
13 that every level of the organization was involved.
14 There were lots of them. Different levels of the
15 organization, different departments all had a crack
16 at a number of these issues. So in terms of
17 communication among them we have seen those cases.
18 Whether or not that was a factor or not would be
19 less critical because they all had a part in it.
20 We make a point in the report of how many super-
21 visors, how many individuals, how many people in
22 different management were involved in these

1 different condition reports. So from that
2 perspective we knew lots of people were involved.
3 But the communication links themselves, I don't
4 think we really have a lot to say about it. Mario,
5 do you have anything to add in the way of clarity?

6 MR. DeSTEFANO: I would echo that up and down
7 the organization the right people got involved and
8 were participants in the decisionmaking. The
9 weaknesses that we did see in the few instances
10 that we got a chance to see it was between depart-
11 ments. That's the only place we saw weaknesses
12 with communication.

13 MR. LOEHLEIN: Right. Maybe really along with
14 that where you would expect a department to seek
15 help from someone else. Because it goes back to
16 the safety culture. If you are in an area that you
17 don't think you know everything about this, you
18 want people to question well, can I answer this, do
19 I understand it enough to write what the cause
20 analysis is or should I seek help from others. We
21 didn't see that tendency in the people that
22 participated in these issues.

1 MR. JURGAN: Thank you.

2 MR. MYERS: I can tell you more information.

3 The employees will tell you that over the years the
4 teamwork between departments has diminished and
5 they have become somewhat isolated.

6 MR. LOEHLEIN: Silo.

7 MR. MYERS: Silo is a good word. You hear
8 that from some of the feedbacks you are getting on
9 walk-downs and the four C meetings I have.

10 CHAIRMAN GROBE: Bill, do you or any of the
11 staff at headquarters have a question?

12 MR. WILLIAM DEAN: Yes, this is Bill Dean and
13 Anthony Mendiola here at headquarters. I had one
14 question. And that relates back to an earlier
15 slide where you talked about a safety-conscious
16 work environment survey. And then the discussion
17 took us somewhere else and we never really came
18 back to that. Are there any results or
19 observations regarding what that survey told you?

20 MR. MYERS: Yes. Okay. We looked at the
21 survey. And if you look we did a survey in 2000,
22 early 2000 and, I think, one in 1999, I think, was

1 the time. And the survey from 1999 to 2000 showed
2 improved performance in all areas. The survey we
3 recently did shows declining performance in all
4 areas back to the 1999 timeframe. And so, you
5 know, it's at a level that, you know, I would say
6 I would call a concern. So we're really trying to
7 address that survey in many of our meetings and to
8 our employees, that they have the right to come
9 forward with issues and not be fearful. The survey
10 we just did, we just got the results back this past
11 week. But we had an all hands meeting yesterday
12 where we specifically talked about the results of
13 it to all of our employees, about that survey and
14 their rights as employees. So with the site being
15 shut down, I would say that our employees are, you
16 know -- The employees there are very educated,
17 they have had good performance in the past at the
18 plant, the plant ran well for a long time. And
19 they're somewhat in shock since this happened. And
20 whenever the plant is shut down and all the stuff
21 that's going on, morale tends to decrease. So what
22 we've got to do is try to keep that morale up and

1 as an organization open up an open door type policy.

2 We're really stressing that as we sit here today.

3 We have seen some decline in performance back to

4 the 1999 timeframe.

5 CHAIRMAN GROBE: Bill, other questions?

6 MR. DEAN: Yes. Thanks, Lew. I just have one

7 comment and I think Tony has a question. And

8 certainly we'll be interested in hearing -- I know

9 some of the questions that came from some of the

10 regional staff and managers there at the end, I

11 think, kind of got around this issue, but the

12 recognition that it takes time to inculcate, enhance

13 standards and expectations of the organization.

14 And certainly we're going to be interested as to

15 the 0350 panel getting a good sense in terms of how

16 you attempt to assess and monitor progress. We

17 heard some discussion about performance indicators

18 and other things. But I think there are some ways

19 you need to measure that and also a sense of what

20 is the threshold that you expect to reach that

21 tells you when you are where you want to be. So

22 those are things that we will want to discuss at

1 the 0350 panel next week, not necessarily here

2 today.

3 MR. MYERS: Okay.

4 MR. ANTHONY MENDIOLA: My question probably is

5 a little more of a comment. But it regards the

6 earlier part of your presentation which talked

7 about your root causes and your conclusions which

8 rather simplistically stated that your procedures

9 and your processes for dealing with certain aspects

10 of this were adequate or were functional but for

11 whatever reason did not give you the proper response

12 or certain aspects failed and led eventually to the

13 situation that you're in now. The only quick

14 conclusion that I can make from that is the human

15 side of that in that the staff that was responsible

16 for carrying out that process or carrying out that

17 procedure was either inadequate either in resources,

18 staffing or training in order to complete these

19 processes that you discussed. Taking it a little

20 further along to your corrective action program, my

21 concern then becomes whether or not your resources,

22 your staff resources are adequate enough to implement

1 the, I guess, two dozen or so new programs and new
2 procedures that you have outlined to accomplish, if
3 you will, the higher standards that you're setting
4 for yourselves. And I guess my question quite
5 simply then is if you could address whether you
6 believe you have enough staff resources and
7 training and expertise at the staff level in order
8 to accomplish all those plans that you have.

9 MR. MYERS: You know, we benchmark our
10 resources consistently across the industry. All of
11 our plants are high on resources. So we have quite
12 a bit of resources at our sites, all three sites.
13 With all this going on right now no one could have
14 enough resources, so we have supplemented with
15 contractors. And at the present time there's about
16 1600 people on site. So there's a lot of resources
17 on site now that's helping us get through this.

18 The head issue, we had contracted the
19 head inspection out to a contractor, Framatome, and
20 we had an engineer assigned to it. We had the
21 resources that we needed to do a head inspection.
22 That is not the problem. In fact, at one of our

1 other plants we had done two recent head inspections
2 and, I think, done those fairly adequately. So I
3 don't think it was a resource concern; I think it
4 was more of a standards concern and a compliance
5 concern.

6 MR. LOEHLEIN: I feel compelled to comment too
7 on the resource issue because I think some people
8 think it's self-evident. Yet in all of our
9 investigation the resource issue almost never came
10 up in any kind of direct sense. And we talked about
11 it as a team when we were making our -- concluding
12 and doing our conclusions. If resources had been
13 the issue we would have expected the condition
14 reports and so forth to have had the right
15 categorizations, the right priorities and so forth,
16 and the organization would not have gotten to them
17 meantime because of a resource issue. Yet that's
18 not what we saw. What we saw from the outset was
19 an undertreatment if you will of the conditions
20 which means that even before maybe resources are
21 even considered the things are not approached from
22 the standpoint that they may be concerns. So that's

1 why you will see nothing in the report concerning
2 resources because there just are no facts in
3 anything we found that could tie resources as an
4 issue to what happened with the reactor head.

5 CHAIRMAN GROBE: Okay, thanks. Bill or Tony,
6 any other questions? I will take that as a no.

7 I have a couple of thoughts to share with
8 you just from the standpoint of -- I am sorry,
9 Bill or Tony, did you have another question?

10 MR. DEAN: No, we're done. It's just the
11 challenge of moving electrons through 1,000 miles
12 or so causes some delay. Thank you.

13 CHAIRMAN GROBE: Okay. Thank you. I am
14 confident you're up to it, Bill. I wanted to share
15 with you where we are and what my expectation is
16 for the activities that are under the direction of
17 the panel. Obviously we can't inspect until you
18 move along with completion of activities. And with
19 the completion of this root cause report we have
20 just begun our activities to inspect this in this
21 case. Geoff Wright is here today at the table.
22 He's the team leader for this area of inspection,

1 and he was on site last week beginning to under-
2 stand the landscape and the details and the data
3 that's available and plan his inspection. My
4 expectation is that our inspection in each of the
5 building block areas will have a number of phases
6 to it. The first phase is evaluation of what
7 caused the problem at Davis-Besse and then a look
8 in that building block area as to whether the
9 building block plan addresses those root causes,
10 evaluation of the adequacy of the building block,
11 observation of your staff implementation of the
12 activities under that building block, and then
13 conduct of independent inspection by NRC staff to
14 confirm the quality and depth of the work that your
15 staff is performing. We have already, as I said,
16 begun that in the containment health area because
17 you're well along in that area. You've had some
18 problems. You're reperforming those inspections,
19 and we will be following you in that regard. And
20 we're just beginning in the other areas, systems
21 health, program health and various other areas.
22 This component will also contain a different ent

1 piece because here we're dealing with organi-
2 zational effectiveness of human performance. It's
3 difficult to take measurements. I am not aware of
4 a tool to measure safety focus, engineering tools.
5 So it's going to involve also some
6 structure, interview of staff at various levels in
7 the organization to get a sense of the effective-
8 ness of your corrective actions as well as a key
9 focus on the validity of your performance
10 indicators in this area and monitoring of those
11 performance indicators. My experience in the past
12 with situations like this is this is the most
13 complicated and difficult area to get your arms
14 around. And that probably explains why this root
15 cause is coming in in August and the other one came
16 in in April. And secondly that it's one of the
17 most challenging to make movement in the organiza-
18 tion onto the new standards that you expect. And
19 this is the most important aspect of root cause
20 inspection. So it's going to be a very strong
21 focus of the panel and the inspection activities
22 that the panel is directing, and I expect it to be

1 a significant challenge for your organization. So
2 with that, Jim, do you have any comments that you
3 wanted to make?

4 MR. DYER: Yes, I do. You know, I guess I am
5 struck by the presentation today and certainly look
6 forward to getting the written report. But I
7 started back as Scott Thomas, senior resident
8 inspector, went through the -- took us back to when
9 this all started with the AIT and that. And it
10 reminded me, you know, the outcome of this was an
11 unacceptable reduction in the margin of safety of
12 one of your principal safety barriers. Just
13 absolutely unacceptable. And the goal of the
14 restart efforts that you are doing now and the goal
15 of our oversight is this cannot happen again; not
16 with the vessel, not with any of the systems. And
17 I was thinking back. And, Lew, you used a couple
18 terms that struck me, you know, in terms of the
19 site has a lot of pride, you know. And it struck
20 me that in this case it may be that the pride went
21 beyond pride; it went into arrogance --

22 MR. MYERS: Yes.

1 MR. DYER: -- and isolationism. I think you
2 used the term a silo effect. Then you used the
3 term -- I think you said that you were humble, and
4 that struck me. I think you might be beyond humble.
5 I think it's into a humiliation type timeframe right
6 now. Being humble in this business isn't bad, you
7 know. It's that humility to go out and listen to
8 the input from the rest of FENOC, to listen to the
9 input from the industry, from the NRC and, you
10 know, really focus on trying to find the problems
11 before they find you that is critical to good
12 performance. And so maintaining that humble
13 outlook, I think we're going to be critical going
14 forward.

15 But that isolationism, as I look through
16 it the way you describe it here today, you know, in
17 not only line management but all your independent
18 oversight plus the outside QA oversight and the
19 industry, you know, it just didn't take. All these
20 problems -- This problem on the vessel head
21 bypassed all those. And it also struck me, you
22 know, as I connected the dots, the thing that

1 appears to me was that the NRC seemed to be driving,
2 you know, the Davis-Besse response to a lot of
3 issues, what your perceived regulatory risk was as
4 opposed to an independent set of values and that.
5 And, you know, we're also doing our own lessons
6 learned review. And certainly one of the things
7 that you wind up with is from a period of about
8 1997 to 2000 Davis-Besse was not that inspected.
9 With the other issues that we had in Region III and
10 the plants that we were focused on, you know, we
11 did not provide the -- we provided the minimal
12 amount of inspection that was allowed by our
13 program at the Davis-Besse facility. And, you
14 know, as a result of that I think the quality
15 degraded, the effort there. And now you are in a
16 position where you have got to have these building
17 blocks and go back and reboot your program if you
18 would and essentially rebuild it as it comes up.
19 And, you know, the one thing that strikes
20 me in your presentation -- You talked around it.
21 You know, the building blocks are one thing. But I
22 think you need a good foundation and having the

1 right safety values and where you're bringing in a
2 lot of new people and starting to listen to the
3 industry and that. And you can't ever let yourself
4 get into the position where you're relying on us
5 and the amount of inspection that we do to set
6 those values. When that happens you end up in a
7 corrective action program like you're in right now
8 under 0350. And that's particularly tough because
9 we are going to focus on going back to the
10 fundamentals, back to the basics. We're going to
11 inspect in detail every one of your building blocks
12 and your corrective action programs. And Jack and
13 the team have put together a restart inspection
14 plan. As you heard, Geoff Wright's one of the team
15 leaders and that we're starting to put together our
16 strategies. But we are going to focus on making
17 sure that you have implemented your building blocks
18 to get the expected results that you are looking
19 for and that we expect. And you cannot be basing
20 your get well program on what you expect the NRC to
21 inspect. Because if that happens it's going to be
22 a long, painful restart process. Because

1 historically I can tell you having been through
2 about a half dozen of these restarts is the utility
3 needs to get out ahead of us and needs to set their
4 own standards, and those standards need to be
5 higher than our expectations when we go in to
6 inspect.

7 I think it's going to be quite a
8 challenging period for both you and us in achieving
9 inspections. And I just think that we need to keep
10 the communication -- I think the 0350 process has
11 laid good groundwork for your start-up activities
12 and our inspection plans. And this is a key. This
13 root cause assessment you did is a key component of
14 that. And as Jack said, it's the one that's going
15 to need to be corrected to make sure you stay on an
16 improving trend after restart too.

17 CHAIRMAN GROBE: Okay. With that the business
18 portion of the meeting is adjourned.

19 MR. MYERS: Could I ask one other question?

20 CHAIRMAN GROBE: Sure.

21 MR. MYERS: We have got some employees here
22 from Davis-Besse. Do you have any comments

1 concerning the statements?

2 MR. MUGGE: Yes, I would say just one. And
3 that is regarding the comments that you just made,
4 when we shifted focus down to doing the minimum
5 that was required, we gave away that margin; we
6 gave away the margin to safety. And we didn't have
7 an appreciation for that, and that's unacceptable.
8 So I agree with your comment. And I think the
9 ramification is that we need to turn that around
10 much earlier than coming down where we have been
11 with the enforcement.

12 MR. MYERS: Do you have anything?

13 MR. SPENCER: No.

14 MR. MYERS: Okay. Thank you.

15 CHAIRMAN GROBE: Okay. Anything else, sir?

16 MR. MYERS: No.

17 CHAIRMAN GROBE: Okay. Thank you. The agenda
18 has a break at this point in time. But recognizing
19 that it's already 5:20 and we probably have a
20 number of people from the eastern time zone -- it's
21 6:20 in their time zone -- I would suggest that we
22 just go ahead and move right into questions from the

1 public. This portion of the meeting is intended to
2 provide the opportunity to members of the public
3 who are attending this meeting to ask questions of
4 the NRC staff and provide input to the NRC staff.

5 So what I propose we do is -- We have three sort
6 of venues of questions, opportunities for
7 questions. Do we need to set something up?

8 MS. LIPA: A microphone.

9 CHAIRMAN GROBE: Don't anybody move. Don't
10 get out of your chairs. We're going to do a couple
11 of logistical things making sure the microphones
12 are turned on and things of that nature. Go ahead
13 and take care of that. While Cheryl's doing that,
14 why don't I just describe how I want to proceed
15 with the questioning process. As I mentioned we
16 have three venues for questions. We have folks
17 here in the Lisle, Illinois office; we have folks
18 in the headquarters offices in Rockville, Maryland;
19 and then we have folks that are on a telephone
20 bridge link who may also have questions. What I
21 would like to do is proceed in that order. Anyone
22 that has -- a member of the public who wants to ask

1 a question here in Lisle could go first. And
2 approach the microphone and ask your question, and
3 we will answer it as best we can. And then we will
4 proceed to headquarters and then to the telephone
5 bridge. And before folks leave I would also like
6 to remind you once again of our feedback forms.
7 We're always looking for feedback on the quality of
8 our meetings. So please make sure that you take
9 the opportunity to fill out that form. It doesn't
10 require a stamp. You can mail it back. It can be
11 anonymous. You can provide us constructive
12 feedback, and if you feel so inclined you can also
13 compliment various aspects of these meetings. That
14 would also be appreciated. But please anybody here
15 in Region III if you have a question or a comment,
16 please approach the microphone. I think we have
17 one representative of public officials here and
18 that was Gere Witt. Gere just stepped out? He had
19 a plane. I know that. Unfortunately he is not
20 here. Members of the public here in the Chicago
21 area, if you have any comments please approach the
22 microphone or questions. Please, sir. Identify

1 yourself and go ahead.

2 MR. ROBERT ZAMENSKI: Bob Zamenski, and I live
3 in close proximity to the plant. But I also work
4 at a nuclear facility across the way. And I am
5 here mostly for lessons learned so I can carry them
6 back to our organization. 90% or maybe 100% of
7 what we talked about today transcends boric acid
8 and goes into stuff that applies to PWRs. I was
9 wondering if the NRC is planning on -- after their
10 reviews are completed and Davis-Besse is back on
11 line if you are going to plan on issuing a bulletin
12 or information notice on the soft issues that we
13 talked about today.

14 CHAIRMAN GROBE: That's an excellent question.
15 I don't believe anything of that nature was
16 contemplated right now. All of the documents that
17 we have are available on our web site, and there's
18 a very well-organized set of links to various
19 documents. And when we receive this document, that
20 will likewise be available to anybody in the
21 industry or the public on our web site. We'll take
22 that under consideration that that could be a

1 possibility. We appreciate the comment.

2 MR. MYERS: I can add some information if you
3 would like. This is strictly from an industry
4 standpoint. We met with Institute of Nuclear Power
5 Operations a couple weeks ago. It is our intention
6 to have a group of utility meetings, not public
7 meetings, utility meetings to talk about this event
8 in great detail and the lessons learned for all the
9 utilities. So we talked to them about having four
10 different meetings in different parts of the United
11 States to ensure that, you know, every lesson
12 learned we can give you we do give you. So that's
13 our intent right now.

14 CHAIRMAN GROBE: Okay. Very good. I
15 appreciate that. Another question?

16 MR. ZAMENSKI: One other question, Jack. I
17 was wondering why the '92 event where we had base
18 metal wastage at the steam metal generator at
19 Davis-Besse was not included in any correspondence
20 from the NRC. I went back to 1980 and reviewed all
21 your bulletins and information notices and generic
22 letters and couldn't find anything on that

1 particular event.

2 CHAIRMAN GROBE: I don't know that all
3 occurrences of boric acid corrosion at every
4 nuclear power plant in the United States have been
5 captured in an info notice. I would suspect it
6 certainly hasn't. But I believe that if you go
7 back and review Davis-Besse inspection reports,
8 you will find that that issue was discussed in
9 inspection reports for Davis-Besse.

10 MR. ZAMENSKI: Okay. Thank you.

11 CHAIRMAN GROBE: Okay. Thank you. Any other
12 members of the public here in Lisle have a question
13 or comment?

14 THE OPERATOR: This is the IO operator. Would
15 it be possible to repeat the questions being asked
16 for the audio participants?

17 CHAIRMAN GROBE: Okay, I will do that. Thank
18 you. Good suggestion. Bill, why don't we go to
19 Rockville, Maryland and see if any members of the
20 public there would like to approach the microphone
21 and ask a question.

22 MR. DAVID LOCHBAUM: Dave Lochbaum of the

1 Union of Concerned Scientists. I have a couple of
2 observations on the observations that the root
3 cause team put out.

4 On slide 36 of the presentation one of
5 the key observations was training was not provided
6 to individuals performing inspections for boric
7 acid, end quote. In our June letter to the lessons
8 learned task force and the 0350 panel we had
9 pointed out that the NRC's September of 1989
10 inspection following up the bulletin on the boric
11 acid corrosion program identified the lack of
12 training, and it designated it as unacceptable in
13 the report that was sent out to FirstEnergy in
14 early 1990. So it looks like that was a problem
15 both on the company's and the NRC's side of the
16 house in not having corrected that problem even
17 though it was identified quite some time ago.

18 The second comment is an observation on
19 the following slide, slide 37, that's been
20 discussed at some length today. It's the monetary
21 incentive program rewards production more than
22 safety at senior levels. With that in mind -- And

1 we're not by any means suggesting advocating those
2 programs are bad or inherently evil or anything
3 like that. But it looks like the NRC should learn
4 from this and look at when they do AITs or possibly
5 do the inspection manual verification of the
6 performance indicators that they be aware of bonus
7 plans or incentives to see if there might be a
8 potential bias or potential bias in the decision-
9 making process. Again hopefully that would always
10 verify that there wasn't one, but it looks like we
11 know that some plants have gone to providing
12 incentives linked directly to performance indicators.
13 So it looks like the NRC needs to be in awareness
14 of that and factors that go into the incentive
15 program.

16 CHAIRMAN GROBE: Jim, David raised two
17 questions. And the first one had to do with the
18 feedback that was provided from a team of folks
19 from the NRC that went out and examined -- after
20 Generic Letter 88-05 examined the program put in
21 place at Davis-Besse. One correction I think to
22 Mr. Lochbaum's characterization, the team concluded

1 there were some weaknesses in the area of training
2 and that is correct. And I think it's a correct
3 observation that that condition was also an
4 observation here in the root cause. Does Davis-
5 Besse have any appreciation of whether there was a
6 corrective action taken back in the early '90s and
7 then it atrophied, or was that something that was
8 never responded to?

9 MR. DeSTEFANO: The audit report that
10 Mr. Lochbaum is referring to had those two recom-
11 mendations in it, and they were geared towards
12 operations staff and the engineering staff who
13 performed boric acid inspections. And what we
14 found in our investigation was that no follow-up
15 action for those two recommendations had been taken
16 and there were no action items in the tracking
17 system for that. So during our recent investigation
18 a condition report has been issued to follow up on
19 that exact issue.

20 CHAIRMAN GROBE: Okay. Very good. Thank you.
21 And the second comment that David made concerned
22 performance indicators and the structure of the

1 reactor oversight process. And we will make sure
2 that the Division of Inspection Program Management
3 gets that information. Okay. Jim Riccio, do you
4 have a comment?

5 MR. JAMES RICCIO: Just a couple of comments.
6 I guess more directed towards the NRC. NRC has
7 placed significant staff effort into several
8 programs over the last several years that seem not
9 to have had an effect at Davis-Besse, the 50.59 RF
10 letters that went out in regards to understanding
11 that your design basis is maintained. NRC also put
12 a lot of effort into ensuring that the the industry
13 understood the process for 50.59 evaluations. Both
14 instances seem at Davis-Besse not to have really
15 sunken in. And it's a question both to the
16 industry and the licensee. What needs to be done
17 to assure that the design basis is maintained and
18 understood, and what's to give the public any
19 confidence that not only the industry but also the
20 licensee has taken steps to improve its processes
21 to ensure that it doesn't get caught with its pants
22 down again?

1 CHAIRMAN GROBE: Thanks, Jim. The focus of
2 the discussion here today, I believe, on 50.59 and
3 safety evaluations was primarily focused on the
4 kinds of questions that are considered in the
5 context of decisionmaking. You make a decision not
6 within the context of a loss of control of the
7 design basis or the licensing basis of the plant.
8 But I understand your question and appreciate it,
9 and I will consider it in how we structure the
10 inspections we do at Davis-Besse.

11 Any other questions from headquarters?

12 MR. DEAN: Nothing else from here, Jack.

13 CHAIRMAN GROBE: Okay. Operator on the
14 telephone bridge, could you facilitate questions
15 from folks that are on the telephone lines?

16 THE OPERATOR: Our first question comes from
17 Paul Gunter. You may ask your question.

18 MR. PAUL GUNTER: Hi, Jack. This is Paul
19 Gunter with Nuclear Information and Resource
20 Service. Can you hear me?

21 CHAIRMAN GROBE: Absolutely.

22 MR. GUNTER: My comment has to do with the

1 remark that opened the presentation. And I too was
2 struck by FirstEnergy's humbled position. Recog-
3 nizing their devotion to production as part of the
4 root cause, I was struck by something a little more
5 fundamental and as disturbing if not more. And it
6 has to do with slide 22 where in the root cause
7 conclusion, the first bullet, Davis-Besse
8 adequately identified and documented nonconforming
9 conditions. I have to take issue with that. And
10 there are numerous examples, but I would like to
11 follow one thread that begins with a condition --
12 actually with a work order that was issued on April
13 25th, 2000, with regard to the large boron
14 accumulation noted on top of the reactor vessel
15 head.

16 The work order clearly identifies that
17 the program is required due to degradation of the
18 control rod drive mechanism nozzle caused by
19 primary water stress corrosion. And in order to
20 perform the required inspections, it says here the
21 the nozzles as well as the penetrations must be
22 free of boron deposits. Once the head is free from

1 boron, new boron deposits may be easily noted and
2 remedial actions taken. The work order then goes
3 on to provide a handwritten note that says work
4 performed without deviations, and it's signed and
5 dated. That was in April of 2000. Then on October
6 3rd in a telcon with staff, FENOC identifies that
7 100% inspection of the head was conducted. Then on
8 October 11th, 2001, in a briefing by senior manage-
9 ment of -- well, a management team from FirstEnergy
10 in briefing the Commission's technical assistants
11 provided testimony that all CRDM decipher were
12 verified to be free from characteristic boron
13 deposits using video recordings from the previous
14 two refueling outages. So, you know, clearly the
15 most fundamental and most disturbing question about
16 this is the veracity of the document trail here
17 provided by FirstEnergy. And I don't see that
18 identified in the root cause analysis. Actually it
19 contravenes what Davis-Besse has identified as
20 adequately identifying and documenting noncon-
21 forming conditions.

22 More specifically the concern is with

1 the accuracy of the analysis and the document trail
2 here. And it seems to raise the question about
3 FirstEnergy's devotion to telling the truth. And I
4 don't see that as addressed in this root cause. But
5 it seems to be much more fundamental in light of
6 the admissions of the devotion to production that
7 we need to address the devotion to tell the -- to
8 accurately tell the condition of the plant
9 particularly in reports to the Commission. And I
10 think that this is a piece that is not provided in
11 this root cause and that must be brought about to
12 some degree to be addressed in order for there to
13 be any public confidence in both FirstEnergy's
14 past, present and future reporting and the NRC's
15 ability to decipher that the company's reporting
16 to it is either accurate or a truthful admission to
17 the actual condition of the plant. And I am
18 wondering how we can -- how the NRC plans to
19 identify this very fundamental problem that's
20 currently not identified in the root cause.

21 CHAIRMAN GROBE: Paul, that's an excellent
22 question. And it's an area that I had intended to

1 focus on and had not. I appreciate your question.
2 Steve, during the AIT inspection as well as during
3 the AIT follow-up inspection which was just exited
4 last Friday, we identified some questions regarding
5 the accuracy of information contained in internal
6 documents as well as documents to the NRC. And did
7 you evaluate during your root cause evaluation what
8 role that may have played in the effectiveness of
9 the organization?

10 MR. LOEHLEIN: Well, I think I would like to
11 probably straighten a few things out in terms of
12 accuracy and how they're portrayed as well as root
13 cause goes. For example, the condition report
14 that's identified from the year 2000, in terms of
15 root cause we know quite clearly damage to the head
16 was well underway by the year 2000. And we
17 established that back in April already that this is
18 a 4- to 6-year issue. In terms of root cause the
19 failures had already occurred.

20 In terms of truthfulness in the root cause
21 investigations, how this happened and how the organi-
22 zation failed to recognize the significance of

1 issues, we investigate records and we look at
2 information as regards interviews. If during that
3 investigation we find facts that can't line up or
4 whatever, we discount them. And if at any time we
5 believe somebody may be not truthful, it's our job
6 to turn that over to security. We do not have the
7 right to investigate whether we think somebody is
8 truthful or is not truthful. That's not the kind
9 of thing we investigate.

10 CHAIRMAN GROBE: I wasn't focusing on motive;
11 I was simply focusing on accuracy of records. Let
12 me put it in a more specific context. For example,
13 during the year 2000 after the outage there was a
14 continuation of air cooler cleanings and rad element
15 filter replacements. Did the information which
16 indicated that the head had been cleaned, inspected
17 and no anomalies noted, did that factor into the
18 follow-up to the containment air cooler cleanings
19 and the rad element filter replacements in a sense
20 that it may have led people to different outcomes
21 in their thinking about those issues? Did you look
22 at the impact of inaccurate information?

1 MR. LOEHLEIN: I don't know if I am following
2 your question correctly. I won't put words in your
3 mouth, but it sounds like you're asking that in light
4 of what was said or documented, did that cause the
5 organization to respond.

6 CHAIRMAN GROBE: Differently.

7 MR. LOEHLEIN: Differently. You could ask the
8 other members of the team. I personally -- From
9 the information we had discussed as a team, I don't
10 think so. The mind set that was in place prior to
11 12RFO continued to be in place after 12RFO. The
12 leakage was coming from the flange both before and
13 after the outage. As a matter of fact, there was a
14 lot of -- among the staff they felt strongly it was
15 coming from a particular flange, D11 it would have
16 been. Because as it turned out, they weren't so
17 sure that had been assembled adequately and maybe
18 that was a source of the leak.

19 CHAIRMAN GROBE: Okay.

20 MR. LOEHLEIN: So that while that piece of
21 evidence is there that asks the question as to
22 whether that accurately reflected things and

1 whether people may have been misled, I didn't see
2 any change in the pattern of the thinking before
3 and after 12RFO and before and after those
4 documents were in place. Mario, do you have any
5 other insight?

6 MR. DeSTEFANO: At no time did we see any
7 indication that the troubleshooting associated with
8 the rad elements or the containment air coolers had
9 taken the path they did because of assumptions on
10 the reactor vessel head other than the leakage is
11 coming from flanges. No, we did not see any
12 indications that they stopped short because of
13 inaccurate information. Additionally, we did
14 during our very interviews probe any areas where we
15 felt that documentation had not lined up or we saw
16 a conflict between documents of the same author and
17 included those type of responses in our conclusions
18 or, like Steve said, disregarded information that
19 we had. Because we had plenty of sources. This
20 investigation did not rely on any small number of
21 documents or personnel. It was that deep. And we
22 had so many documented cases where there wasn't one

1 that would break the back of this investigation.

2 MR. MYERS: We did have another investigation,
3 a different type of investigation or look at some
4 of the documents on the legal side of the house
5 that had been submitted. You brought some of those
6 issues up, the AIT exit. We know about the work
7 order that was signed out. We know about some of
8 the conflicts in the presentation that we have
9 seen. Some of them indicate that the head wasn't
10 fully inspected; some of them indicate that it
11 was. So we know about some of those conflicts.
12 And we have separate investigations going on just
13 for that purpose. So it's not something we're
14 ignoring either.

15 CHAIRMAN GROBE: Okay. I think I understand
16 the answer to the question. Jim, did you have
17 something?

18 MR. DYER: Yes. This is Jim Dyer. And I
19 guess let me understand -- I am asking Jack Grobe
20 as much as anybody. And this gets closer to Paul
21 Gunter's question as to where we are in the process
22 of addressing these issues.

1 First of all we did an AIT follow-up
2 inspection which really went to characterize our
3 fact-finding from the AIT in regulatory space, and
4 we had an exit last week at the site and we're
5 going to plan to review that. Is that this Tuesday,
6 or is that going to be discussed at the 0350
7 meeting?

8 CHAIRMAN GROBE: Yes.

9 MR. DYER: Now, that particular exit identifies
10 potential violations.

11 MR. MYERS: That's correct.

12 MR. DYER: And Paul's question got to whether
13 or not you're telling the truth, I guess was the
14 term that he used, in that. And at this stage of
15 our inspection process we identified some instances
16 of inaccurate information.

17 MR. MYERS: Correct.

18 MR. DYER: At this stage by the NRC we have
19 not characterized whether there was any kind of
20 motive to it if you would. It's more just the fact
21 it is an inaccurate statement, and that is a
22 violation of regulations. Whether or not it's

1 truthful or not really gets to the nature of the
2 violations and things that we have to look at, and
3 I am sure we'll dialogue some more.

4 As far as the intent and that we do have
5 ongoing investigations from our side of the house
6 that are ongoing that will look into other allega-
7 tions that we have or possibilities that there was
8 a deliberate or willful violation of the regulations.

9 At this stage what we have done is identified a
10 number of violations of regulations. And those --
11 Again I don't want to get ahead of ourselves, but
12 those will be discussed, I believe, next week.

13 CHAIRMAN GROBE: Yes, that's correct. We will
14 provide a broad discussion of the results of the
15 AIT follow-up inspection at the public 0350 meeting
16 next Tuesday. And I appreciate Paul's question
17 also. And we'll evaluate and we have heard the
18 licensee's position that inaccurate information
19 didn't play a role in this issue. And that will be
20 part of what we evaluate during our inspection in
21 this building block area.

22 Are there any other questions from the

1 phone lines, Operator?

2 THE OPERATOR: The next question is from

3 Michael Keegan. You may ask your question.

4 MR. MICHAEL KEEGAN: Michael Keegan, Coalition

5 For A Nuclear-Free Great Lakes. I heard the folks

6 from FirstEnergy, especially the culture of

7 production over safety, and then they went on to

8 discuss that they have done some walk-downs of

9 other systems. The hole in the reactor was beyond

10 the maximum credible accident scenario, was never

11 considered. With all the other systems I am very

12 concerned about the status of those systems. And I

13 am very interested in what kind of oversight the

14 NRC is going to provide to those systems prior to

15 allowing a restart.

16 CHAIRMAN GROBE: I think I can answer that,

17 the licensee has developed a restart program that

18 includes an evaluation of systems, evaluation of

19 all equipment inside containment. Pursuant to our

20 reaction letter they're evaluating the remainder of

21 the primary coolant system pressure boundary. So

22 the licensee has undertaken a fairly comprehensive

1 evaluation of hardware at the plant. And we are
2 structuring our inspections focusing in the same
3 way the licensee is focusing their activities. And
4 we will have an inspection of the systems reviews
5 that they're doing as well as we already have an
6 ongoing inspection of the equipment inside
7 containment. And those inspections will be
8 documented and the results of those inspections
9 will be considered by the oversight panel, the
10 NRC's oversight panel for Davis-Besse. And the
11 oversight panel when it feels that issues have been
12 sufficiently evaluated will make a recommendation
13 to senior NRC management with respect to restart.
14 Are there other questions on the phone lines,
15 Operator?

16 THE OPERATOR: Our last question comes from
17 Karen Schafer. You may ask your question.

18 MS. KAREN SCHAFER: Can you hear me?

19 MR. GROBE: Could you speak up, please?

20 MS. SCHAFER: Sure. Hope you can hear me.

21 CHAIRMAN GROBE: That's fine.

22 MS. SCHAFER: I had a couple of quick questions.

1 I heard from the discussion today this will take
2 some time for the NRC to accept all of the infor-
3 mation on the management performance root cause
4 analysis as done by the company. But I wonder if
5 we could hear a little bit of initial response. Is
6 the NRC oversight team satisfied with the
7 sufficient provingness of the analysis so far?

8 CHAIRMAN GROBE: I can't speak for all the
9 members of the panel. I will ask them to provide
10 any additional insight. The report I see that is
11 sitting over next to Lew Myers is well over an inch
12 thick. And we have already gone through in
13 two and a half hours or three hours an extraordinary
14 amount of detail. The presentation appears to cover
15 many of the areas that I was focusing on. But the
16 details of the assessment and the alignment of the
17 root causes with the specific issues that we have
18 identified during our inspections is yet to be
19 completed. So I would hesitate to make any broad
20 statements on adequacy or confidence, I think, was
21 the word you used. But it appears that the plan
22 once we receive it and have an opportunity to

1 evaluate it covers all of the areas that I was
2 focusing on. Are there other members of the panel
3 that have comments?

4 MS. LIPA: I agree.

5 CHAIRMAN GROBE: Bill Dean, do you have any
6 thought or comment from headquarters? Did you have
7 any comment? Bill, I can see your mouth moving.
8 Bill, we can't hear you. We still can't hear you.
9 How are you at sign language?

10 MR. DEAN: Okay. Obviously we're having
11 technical difficulties here.

12 CHAIRMAN GROBE: We have you now.

13 MR. DEAN: Okay. No, the only point I was
14 going to make, Jack, was I thought what the
15 licensee presented was fairly candid and fairly
16 broad reaching in a lot of areas. I am really
17 looking forward to actually getting through the
18 report and getting into some of the details to, you
19 know, have a full -- I guess a full understanding
20 of the breadth of how extensive it is.

21 CHAIRMAN GROBE: Okay. Very good. Thank you.

22 MS. SCHAFER: Thank you. Could I ask my other

1 question?

2 MS. LIPA: Yes, go ahead.

3 MS. SCHAFER: Thank you. The other question I

4 have is simply this: Mr. Myers alluded to a

5 management incentive program that came in sometime

6 in the '90s that may have had something to do with

7 the abandonment of safety over a culture of power.

8 I wonder if the NRC plans to ask more questions

9 about that or we'll hear about that at future

10 meetings.

11 MR. MYERS: That's not what I said.

12 CHAIRMAN GROBE: Go ahead, Lew.

13 MR. MYERS: That's not what I indicated, I

14 don't think. You know, we managers have always had

15 incentive programs. A new company was formed in

16 the '97 timeframe, and the incentives changed

17 somewhat. I can't really sit here today and tell

18 you exactly what changed. But it's a bigger

19 company and there's some more corporate goals that

20 we didn't have before probably. I have been an

21 executive with Centerior Energy since '96 and then

22 with FirstEnergy since they were formed. And I can

1 tell you from my perspective the decisionmaking
2 process that I have made over the years when it
3 comes to nuclear safety has not been affected by
4 the incentive program. It gets down to an
5 integrity issue. As I commented again, this is
6 just -- where we're at today is a technical
7 embarrassment. I don't know if people heard that
8 or not. But it's just a technical embarrassment
9 and just not a place we want to be or I ever want
10 to be again.

11 MS. SCHAFER: Thank you for the clarification.

12 CHAIRMAN GROBE: Are there any other questions
13 on the phone lines, Operator?

14 THE OPERATOR: We do have one more question
15 from John Mengles. You may ask your question.

16 MR. JOHN MENGLES: Hi, Jack. This question is
17 really more for Jim Dyer. Jim, I think you
18 mentioned that there was something going on with
19 the NRC regional office between 1997 and 2000 that
20 affected the amount of inspection or the quality of
21 inspection maybe that you were able to do at
22 Davis-Besse. Could you elaborate on that, please?

1 MR. DYER: Certainly. From 1997 through
2 actually about 2001 there were a number of plants
3 which we characterized as problem plants or watch
4 list plants here in the region. Davis-Besse was
5 not one of them. This was a time period where we
6 had a number of -- I can think of, I think, Point
7 Beach was a plant that we were following under the
8 0350 process. The Clinton power station was one we
9 were following under the 0350 process. LaSalle,
10 Quad Cities, Dresden were all plants that we were
11 following under the Manual Chapter 0350 process.
12 As a result those plants were receiving an
13 extraordinary amount of our attention. Also D.C.
14 Cook. And because we were focusing on them, a lot
15 of the other plants within the region were getting
16 what I would call the minimum program. Davis-Besse
17 was one of those plants. And as a result we did
18 the minimum inspection program at that time -- that
19 was referred to as the core inspection program --
20 at the Davis-Besse facility in order to support a
21 lot of the inspection activities at these other
22 sites that I referred to. And so that's the nature

1 of my comment earlier.

2 MS. SCHAFER: Thank you.

3 CHAIRMAN GROBE: Operator, any other questions

4 on the phones?

5 THE OPERATOR: At this time there are no

6 further questions.

7 CHAIRMAN GROBE: Okay. With that we are

8 adjourned. A couple of reminders. Folks that

9 picked up visitor badges to be up here, make sure

10 you turn those badges in. Please pick up a copy of

11 our feedback form and fill it out and provide us

12 any of your thoughts on how we can improve our

13 meetings. And finally thank you very much to

14 FirstEnergy for your comprehensive presentation.

15 We're already passed the operator leaving the

16 switchboard downstairs. So if you have a badge,

17 turn it in to Christine, and we'll make sure it's

18 taken care of. Thank you very much.

19 (Which were all the proceedings

20 had at the public meeting of the

21 above-entitled cause.)

22

1 STATE OF ILLINOIS)
) SS.
2 COUNTY OF C O O K)

3

4

5 I, MARLANE K. MARSHALL, C.S.R., a
6 Notary Public duly qualified and commissioned for
7 the State of Illinois, County of Cook, do hereby
8 certify that I reported in shorthand the
9 proceedings had and testimony taken at the hearing
10 of the above-entitled cause, and that the foregoing
11 transcript is a true, correct, and complete report
12 of the entire testimony so taken at the time and
13 place hereinabove set forth.

14

15

16 MARLANE K. MARSHALL
 Notary Public
17 CSR License #084-001134

18

19 My commission expires:
February 23, 2004.

20

21

22

