

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

DOCKETED
USNRC

October 10, 2002 (11:46AM)

OFFICE OF SECRETARY
RULEMAKINGS AND
ADJUDICATIONS STAFF

Title: Private Fuel Storage, LLC

Docket Number: 72-22-ISFSI; ASLBP No. 97-732-02-ISFSI

Location: Rockville, Maryland

Date: Thursday, June 27, 2002

Work Order No.: NRC-428

Pages 12767-12989

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

In the Matter of:)
PRIVATE FUEL STORAGE, LLC,) Docket No. 72-22
(Independent Spent Fuel) ASLBP No.
Storage Installation) 97-732-02-ISFSI
)

ASLBP Hearing Room
Third Floor
Two White Flint North Building
11545 Rockville Pike
Rockville, Maryland

June 27, 2002

The above-entitled matter came on for hearing,
pursuant to notice, at 9:00 a.m. before:

MICHAEL C. FARRAR, CHAIRMAN
Administrative Judge
U. S. Nuclear Regulatory Commission

DR. JERRY R. KLINE
Administrative Judge
U. S. Nuclear Regulatory Commission

DR. PETER S. LAM
Administrative Judge
U. S. Nuclear Regulatory Commission

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D.C. 20005-3701

A P P E A R A N C E S

FOR THE STATE OF UTAH:

Denise Chancellor, Esq.
Connie Nakahara, Esq.
Assistant Attorneys General
Office of the Attorney General
160 East 300 South, 5th Floor
P. O. Box 140873
Salt Lake City, Utah 84114

FOR PRIVATE FUEL STORAGE, LLC:

Paul Gaukler, Esq.
Blake Nelson, Esq.
Matias Travieso-Diaz, Esq.
SHAW PITTMAN
Attorneys at Law
2300 N Street, N.W.
Washington, D.C. 20037

FOR THE U.S. NUCLEAR REGULATORY COMMISSION:

Martin O'Neill, Esq.
Sherwin E. Turk, Esq.
Office of the General Counsel
Mail Stop - 0-15 B18
U. S. Nuclear Regulatory Commission
Washington, D.C. 20555

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C. 20005-3701

C-O-N-T-E-N-T-S

WITNESS DIRECT CROSS REDIRECT RECROSS

STEVEN BARTLETT

By Ms. Nakahara

12771

12943

12976 (Rebuttal)

By Mr. Gaukler

12778

By Mr. Turk

12877

C. ALLIN CORNELL

(Prefiled Testimony on page 12951)

By Mr. Gaukler

12950

By Ms. Nakahara

12967

12974

By Mr. Turk

12969

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

E X H I B I T S

| <u>NUMBER</u> | <u>DESCRIPTION</u> | <u>MARK</u> | <u>RECD</u> |
|---------------|---|-------------|-------------|
| <u>State</u> | | | |
| 129 | Cornell Declaration | 12777 | 12778 |
| 130 | Cornell Deposition | 12777 | 12778 |
| 131 | Sigh and Soler Depositions | 12777 | 12778 |
| 132 | Natural Phenomena, Hazards Design and Evaluation Criteria for DOE | 12777 | 12778 |
| 133 | (Withdrawn) | | |
| <u>PFS</u> | | | |
| 244 | Bartlett Deposition | 12788 | 12876 |
| <u>Staff</u> | | | |
| 64 | Section 3.8.4 NUREG 0800 | 12902 | 12904 |

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE , N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(9:10 a.m.)

CHAIRMAN FARRAR: On the record. It is 10 after 9, we've been waiting for other counsel for the Applicant, who are on their way, they may have gotten caught up in security problems.

So with Mr. Nelson here we will start, get Dr. Bartlett's testimony introduced, and so forth, and by then we hope the Counsel responsible for this aspect of the case will have shown up.

Go ahead, Ms. Chancellor. Ms. Nakahara.

MS. NAKAHARA: Thank you, Your Honor.

DIRECT EXAMINATION

BY MS. NAKAHARA:

Q Good morning, Dr. Bartlett.

A Good morning.

Q Do you have, before you, your testimony entitled State of Utah, Testimony of Dr. Steven Bartlett on Unified Contention Utah L/QQ part E, dated June 5th, 2002?

A I do.

Q And did you make modifications to this testimony reflected as of June 5th, 2002?

A Yes, there are some strike outs.

Q And is this based on the recent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N W

WASHINGTON, D C 20005-3701

1 unavailability of Dr. Ostadan?

2 A That is correct.

3 Q Was this testimony prepared by you, or
4 under your direction?

5 A Yes.

6 Q Including the revisions of June 5th, 2002?

7 A Yes.

8 MS. NAKAHARA: Your Honor, I would move to
9 bind this into the record as if read.

10 CHAIRMAN FARRAR: All right.

11 THE WITNESS: I have a couple of
12 corrections.

13 CHAIRMAN FARRAR: Before you do that, for
14 some reason our new versions didn't make it from Salt
15 Lake, so we are operating on the April 1st version,
16 which had the Bartlett/Ostadan.

17 MS. CHANCELLOR: I'll run and make three
18 copies.

19 CHAIRMAN FARRAR: While you are doing
20 that, let me just ask --

21 MR. GAUKLER: I have three copies here.

22 MR. TURK: We will need some for the
23 Reporter, also.

24 MS. CHANCELLOR: The Reporter has copies.

25 CHAIRMAN FARRAR: While you are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C 20005-3701

1 distributing those, Dr. Bartlett, this is essentially
2 -- what you are offering today is essentially the same
3 as the April 1st, you've just stricken out references?

4 THE WITNESS: There are some parts that
5 are stricken out, and then some of these paragraphs
6 were jointly authored by myself and Dr. Ostadan.

7 CHAIRMAN FARRAR: But the substance is
8 still the same, you just, in effect, stricken
9 references to Dr. Ostadan?

10 THE WITNESS: Yes, there is one question
11 in Answer 29 that was completely stricken.

12 CHAIRMAN FARRAR: Okay. We now have the
13 new version in front of us. And before you make the
14 additional changes, let the record reflect that Mr.
15 Gaukler, and Mr. Travieso-Diaz have shown up.

16 And, gentlemen, we weren't going to do
17 anything without you, we were just going to get the
18 testimony into the record, so we would be ready to go.

19 MR. TRAVIESO-DIAZ: Thank you, Mr.
20 Chairman. I don't want to sound like I'm whining, but
21 security again got the better of us. We were down
22 there, and there was nobody to bring us up, so we
23 waited fruitlessly for about ten minutes.

24 CHAIRMAN FARRAR: Very well.

25 MR. GAUKLER: I would add that that is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 first time this happened.

2 CHAIRMAN FARRAR: Yes, actually it has
3 worked as well as we had hoped, given all the
4 circumstances, this is the only time, I guess we can
5 consider that good news.

6 Dr. Bartlett, you were going to tell us
7 the additional changes?

8 THE WITNESS: Yes, there are still a
9 couple of corrections even to the June 5th copy of
10 this document.

11 CHAIRMAN FARRAR: Okay.

12 THE WITNESS: On page 5, in the third
13 paragraph, beginning with the DBE, it references DOE
14 standard. That standard is DOE standard 1021-93, not
15 1020.

16 CHAIRMAN FARRAR: All right.

17 THE WITNESS: On page 9, in the first
18 paragraph, second line, it states: For PC3 structure
19 system components, performance goal is 10 the minus 4,
20 that should be 1 times 10 to the minus 4th.

21 CHAIRMAN FARRAR: Okay.

22 MR. GAUKLER: What line, again?

23 THE WITNESS: It is the second line, and
24 it says: For PC3 SSC, the performance goal is 10 to
25 the minus 4th, it should be 1 times 10 to the minus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 4th.

2 And also in that same paragraph, for the
3 second to the last line in that paragraph, that 10 to
4 the minus 4th should be changed to 1 times 10 to the
5 minus 4th.

6 CHAIRMAN FARRAR: I see some later
7 references to the same DOE standards, so all of those
8 should be --

9 THE WITNESS: No, most of this document
10 refers to DOE standard 1020, and that is correct.

11 CHAIRMAN FARRAR: Okay.

12 THE WITNESS: There is one place where,
13 actually, the structure systems and components are
14 categorized, and the document where you categorize the
15 structure systems and components is DOE standard 1021,
16 not 1020.

17 But most of the other, all these other
18 references to DOE standard 1020 are correct.

19 CHAIRMAN FARRAR: All right, fine, thank
20 you. Then with those --

21 THE WITNESS: That is all.

22 CHAIRMAN FARRAR: -- changes, is there any
23 objection to the testimony?

24 MR. GAUKLER: No objection, Your Honor.

25 MR. TURK: No, Your Honor.

1 CHAIRMAN FARRAR: All right, then, the
2 proposed testimony entitled State of Utah Testimony of
3 Dr. Steven Bartlett on Unified Contention Utah L/QQ
4 part E, lack of design conservatism dated June 5th,
5 2002, will be bound into the record at this point, as
6 if read.

7 (The testimony of Dr. Bartlett is to be bound
8 into the record at this point.)

9 CHAIRMAN FARRAR: Ms. Nakahara, did you
10 have any other examination?

11 MS. NAKAHARA: I have four exhibits, Your
12 Honor.

13 CHAIRMAN FARRAR: All right.

14 MS. NAKAHARA: Attached to Dr. Bartlett's
15 testimony. State exhibit 129, which are portions of
16 the declaration of C. Allen Cornell, dated November
17 9th, 2001, includes the first page, page 11, 12, and
18 13 through 16, and page 27 and attachment A.

19 State's exhibit --

20 CHAIRMAN FARRAR: And that is 4 page
21 attachment with references?

22 MS. NAKAHARA: Yes.

23 CHAIRMAN FARRAR: Okay.

24 MS. NAKAHARA: State exhibit 130, which
25 are portions of Dr. C. Allen Cornell's deposition,

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

| | | |
|---------------------------|---|--|
| In the Matter of: |) | Docket No. 72-22-ISFSI |
| |) | |
| PRIVATE FUEL STORAGE, LLC |) | ASLBP No. 97-732-02-ISFSI |
| (Independent Spent Fuel |) | |
| Storage Installation) |) | April 1, 2002 <u>June 5, 2002</u> |

STATE OF UTAH TESTIMONY OF
DR. STEVEN BARTLETT ~~AND R. FARHANG OSTADAN~~
ON UNIFIED CONTENTION UTAH L/QQ, PART E
(Lack of Design Conservatism)

I. Purpose of Testimony.

Q. 1: Dr. Bartlett, please state your name for the record.

A. 1: (SFB) My name is Dr. Steven F. Bartlett.

~~Q. 2: Dr. Ostadan, please state your name for the record.~~

~~A. 2: (FO) My name is Dr. Farhang Ostadan.~~

Q. 3: What is the issue that you are testifying on?

A. 3: (SFB, FO) PFS's request to the NRC to be exempted from existing regulations relating to selection of the design basis earthquake.

Q. 4: What is your understanding of the basis for PFS's request?

A. 4: (SFB, FO) PFS has requested an exemption from the seismic requirements put forth in 10 CFR § 72.102(f)(1) that requires the design basis earthquake ("DBE") be equivalent to the deterministic or maximum credible earthquake. Instead, PFS has proposed the adoption of a significantly lower DBE ground motion that has a mean annual probability of exceedance of 5×10^{-4} (i.e., 2,000-year return period). Central to PFS's argument for the adoption of the 2,000-year DBE is its position that additional

conservatisms are built into NRC standard review plans ("SRP") and these conservatisms justify the use of a lower DBE ground motion. However, NRC standard review plans do not address seismic design criteria applicable to PFS's unconventional design features (e.g., unanchored casks undergoing "controlled" sliding resting on a shallowly embedded foundations, buttressed by soil cement and subjected to high levels of strong ground motion).

Q. 5: What is the purpose of your testimony?

A. 5: ~~(SFB, FO)~~ ~~In our testimony~~ Testimony on dynamic analysis, by Dr. Farhang Ostadan and Dr. Steven Bartlett, filed concurrently, we shows that the proposed foundation and unanchored cask designs have many unconservative assumptions, incomplete analysis, which make PFS's claim of "additional conservatisms" baseless. In this testimony we I show that PFS has not demonstrated acceptable performance of the structure/foundation/soil system for the proposed 2,000-year DBE and cannot claim "additional conservatisms" exist in the seismic design.

In this testimony we I will explain the basis for ~~each of our~~ my individual professional ~~opinions~~ opinion that the appropriate design earthquake must be inextricably linked to the performance of structures, systems and components important to safety ("SSCs") at the PFS facility. The key in selecting a design earthquake is to conservatively evaluate the performance of the SSC subjected to the design basis ground motion. This evaluation cannot be made absent consideration of the collective experience gained from previous design and performance of other SSCs subject to similar seismic loading. ~~We I~~ will describe how PFS has failed to conservatively and adequately evaluate the performance of the SSCs under a 2,000-year DBE. In ~~our~~ my opinion, a standard based on a 2,000 year DBE cannot be supported.

~~Q. 6: Do you consider it necessary to testify together?~~

~~A. 6: (SFB, FO) Yes. We each have different individual expertise that complements the other's expertise. As a result we each will bring a perspective from our my unique engineering disciplines that we believe will aid the Licensing Board in determining this issue. Although we bring differing expertise to this issue, our my individual opinions are in agreement as to~~

Q.6: What are the requisite factors in determining a safe design earthquake for the PFS facility?

A. 6: ~~We both agree that a~~ A design earthquake cannot be designated without considering the seismic performance of specific SSCs at the PFS facility and where

applicable, the appropriate risk reduction factor. ~~Therefore, we are testifying as a panel to make our my testimony more cohesive and easier to understand.~~

(SFB) In adequately analyzing the seismic performance and selection of a DBE, my contribution to this hearing is from the perspective of how, based on PFS's design, the capacity of the soil and foundations will withstand a 2,000-year DBE. Also, because I have applied DOE Standard 1020 ("DOE-STD-1020") and am familiar with its philosophy, I will present testimony on the concepts embedded in DOE-STD-1020.

(FO) ~~Similarly, the expertise that I bring to this hearing relates to the loads from structures during a 2,000-year DBE that will be transferred to the foundations and soil. I have also applied DOE-STD-1020 in seismic analysis and will also offer some testimony on the application of the DOE standard.~~

II. Qualifications and Background.

Q. 7: Dr. Bartlett, have you previously provided your qualifications with respect to pre-filed testimony in support of this contention?

A. 7: Yes. Please refer to my testimony on Soils Characterization and my curriculum vitae included as State's Exh. 92. In that testimony and also in my testimony on Dynamic Analysis, I discuss my involvement in assisting the State in the PFS proceeding. Especially relevant to this testimony is my professional experience at the Savannah River Site ("SRS"), in which I applied DOE-STD-1020 to seismic performance of DOE Category 3 and Category 4 nuclear facilities. While at SRS, I was part of a multi-disciplinary team responsible for the seismic qualification and upgrade of several facilities, which included: In-Tank Precipitation Facility (ITP), H-Tank Farm (High Level Waste Tank Farm), and the Defense Waste Processing Facility (DWPF) High Level Waste Vitrification Building. The goal of these qualifications was an assessment of each facility to see if it met the seismic performance goals given in DOE Standard 1020. I primarily oversaw the geotechnical assessment and calculations for the foundations of these structures.

~~**Q. 8: Dr. Ostadan, have you previously provided your qualifications with respect to pre-filed testimony in support of this contention?**~~

~~**A. 8:** Yes. Please refer to testimony I filed on Dynamic Analysis and my curriculum vitae included as State's Exh. 110. I have also applied DOE-STD-1020 standards and guidance to the foundations of nuclear structures, including at the Savannah River Site where I joined Dr. Bartlett on a multi-disciplinary team.~~

III. The 2,000-Year Design Basis Earthquake is Inconsistent with Other Design and Construction Standards.

Q. 9: Is the requested standard of a 2,000-year design basis earthquake consistent with nuclear facility design standards established by non-NRC agencies or entities?

A. 9: ~~(SFB, FO)~~ No. The U. S. Department of Energy ("DOE") published DOE Standard 1020, *Natural Phenomena Hazards Design and Evaluation Criteria for Department of Energy Facilities* ("DOE-STD-1020") in which DOE establishes design standards and guidance for nuclear facilities. In August 2001, DOE released draft DOE-STD-1020-2001, which requires a 2,500-year return period ground motion for performance category 3 ("PC3") SSCs. See State's Exh. 126, DOE-STD-1020-01, at C-6.

~~(FO)~~ The current seismic hazard maps, such as those published by U.S. Geological Survey and the National Earthquake Hazard Reduction Program (NEHRP), have also adopted a 2,500-year motion for design use. Also, the most recent design codes such as those adopted or considered by the International Building Code ~~and American Association of State Highway and Transportation Officials~~, requires a 2,500-year motion for design. Based on the direction of other prominent agencies and organizations in the field of seismic design, it is my opinion that DOE will require a 2,500-year ground motion standard in the final DOE-STD-1020-01.

~~(SFB)~~ The Utah Department of Transportation currently requires all interstate highway bridges to be designed to levels of strong ground motion that exceed the proposed design basis ground motion at the PFS site. The design basis ground motions are based on a uniform hazard spectrum with spectral values that have a 2 percent probability of exceedance in 50 years. This is equivalent to an average return period of 2,500-years.

~~(SFB, FO)~~ In ~~our~~ my opinion, PFS's reliance on a 2,000-year DBE is not consistent with safety and engineering standards established for DOE nuclear facilities, or even the general standard for buildings and highways.

IV. Factors Affecting Selection of Design Earthquake.

Q. 10: Does the selection of the design basis earthquake relate at all to the performance of specific SSCs?

A. 10: ~~(SFB, FO)~~ Yes. When selecting a design basis earthquake, one must

consider the critical nature of the facility, its intended performance during the earthquake and any applicable codes and standards. For example, DOE-STD-1020 applies a graded approach where seismic performance goals are set according to the type of facility. DOE-STD-1021 gives the methods for classifying the facility into specific performance categories. There are ~~five~~ four possible performance categories, PC 1-~~0~~ through PC 4, with PC 4 being the highest category and is reserved for the most critical or sensitive facilities.

For each performance category, seismic performance goals are defined in terms of a permissible annual probability of unacceptable performance P_F (e.g, a permissible failure frequency limit). DOE-STD-1020 requires that seismically induced unacceptable performance should have an annual probability less than or approximately equal to these goals. Thus, to meet the requirements of DOE-STD-1020, one must ultimately demonstrate that the facility can meet the seismic performance goal.

[1021]

The DBE¹⁰²¹ used to evaluate a structure for a given performance category is also set by DOE-STD-~~1020~~-93. The DBE is defined at specified seismic hazard exceedance probability P_H and the SSC is designed or evaluated for the prescribed DBE using adequately conservative deterministic acceptance criteria. To be adequately conservative, the acceptance criteria must introduce an additional reduction in the risk of unacceptable performance below the annual risk of exceeding the DBE. This is known as a risk reduction ratio or risk reduction factor.

Q. 11: What is a risk reduction ratio?

A. 11: (SFB) A risk reduction ratio is a measure of the conservatism incorporated into the design of an SSC. DOE-STD-1020 requires that the risk reduction ratio must be sufficiently large to show that the target performance goals are achieved. The risk reduction ratio, R_R , in terms of probability is formally defined as:

$$R_R = \frac{P_H}{P_F}$$

where P_H is the seismic hazard exceedance probability and P_F is permissible annual probability of unacceptable performance. DOE requires minimum risk reduction ratios of 5 and 10 for PC3 and PC4 SSCs, respectively. DOE-1020-94, Table C-3 at C-5.

Q. 12: Please explain PFS's various estimations of ground motions?

A. 12: (SFB) At the time PFS requested its exemption, PFS estimated the 84th percentile peak ground accelerations at the site were 0.72 g in the horizontal direction and 0.80 g in the vertical direction. In 2001, PFS's revised 84th percentile peak ground acceleration shows 1.15 g in the horizontal direction and 1.17 g in the vertical direction. See Geomatrix, *Update of Deterministic Ground Motion Assessment*, Rev. 1, April 2001 at 3. The 2001 revised peak ground accelerations for a 2,000-year return period are now 0.711 g in the horizontal direction and 0.695 g in the vertical direction. SAR at 2.6-107, Rev. 22.

Q. 13: What effect does the design basis earthquake seismic exemption request have on the performance and evaluation of PFS's design?

A. 13: (SFB) Now that the NRC Staff has consented to the seismic exemption request filed by PFS, this constitutes a substantial reduction in the seismic demand used by the design standard. By using a less severe 2,000-year DBE, instead of using a deterministic DBE (maximum credible earthquake) or a 10,000-year DBE, PFS has apparently adopted the design philosophy contained in DOE-STD-1020. Inherent in demonstrating acceptable performance by this standard is the consideration of the conservatism in the design and if the appropriate risk reduction ratio has been achieved by the design for the DBE.

Q. 14: How does the unconventional nature of PFS's design and PFS's failure to follow all applicable guidance of DOE-STD-1020 relate to the selection of a design basis earthquake?

A. 14: (SFB, FO) There is no precedent or direct experience upon which PFS can rely to support its unconventional design using cement treated soil to support the CTB or unanchored storage casks subjected to controlled sliding under high levels of seismic loading.

Furthermore, the seismic analysis becomes more critical now that the design margins or conservatism are substantially reduced. The facility is designed to the 2,000-year DBE ground motion of 0.711 g in the horizontal direction and 0.695 g in the vertical direction. These ground motions are significantly less than the 84th percentile peak ground acceleration of 1.15 g in the horizontal direction and 1.17 g in the vertical direction. Also, it is difficult to determine the seismic performance of SSCs without fragility curves because PFS's design features (e.g., unanchored casks supported by cement treated soil in a high seismic area) are unique and there is no existing data on how the SSCs will perform.

Q. 15: Briefly describe how PFS supports the notion that a 2,000 year design earthquake is adequate in this case?

A. 15: (SFB) A central theory in PFS's justification for the use of 2,000-year motion is PFS's analogy to the performance goals of SSCs and risk reduction ratios in DOE-STD-1020 and NUREG/CR-6728, *Technical Basis for Revision of Regulatory Guidance on Design Ground Motions: Hazard- and Risk-consistent Ground Motion Spectra Guidelines* (October 2001), and reliance on claimed conservatism built into NRC review plans. Applicant's Motion for Summary Disposition of Part B of Contention Utah L (November 2001) ("PFS SD Motion"), Declaration of Dr. C. Allin Cornell¹ at ¶¶ 20-25. PFS generally surmises that a 2,000-year DBE is warranted because "[t]ypical SSCs in nuclear facilities, such as the PFSF, that are designed to satisfy the US NRC Standard Review Plan structural and mechanical criteria have been found to have a mean component failure return period 5 to 20 times or more greater than the mean return period of the design-basis ground motion" and that the "storage-casks and safety-related structures" could withstand "the loadings resulting from an even more severe earthquake without failure." Applicant's Objections and Response to State of Utah's Eleventh Set of Discovery Requests Directed to the Applicant dated October 2, 2001 at 15. PFS's response to Utah's discovery in October 2001 is the first mention that PFS has made to its theory relating performance goals of SSCs to risk reduction ratios in DOE Standard 1020. See id.

The only other apparent justification is PFS's incorporation by reference and adoption of the bases asserted by the NRC Staff in its Safety Evaluation Report ("SER") issued September 29, 2000. Applicant's Response to Eleventh Set at 13. One of NRC Staff's five bases to justify the 2,000-year DBE is DOE-STD-1020-94 which established a 2,000-year DBE. SER (September 29, 2000) at 2-42. The NRC Staff's consent to a 2,000-year DBE in the SER did not consider the substantially greater PFS site ground motions determined in April 2001. In December 2001, the Staff issued a Supplemental SER (December 2001) in which it retained the DOE justification. See Supplemental SER at 2-51; Consolidated SER dated March 2002, at 2-51.

I am unaware of any other justification. In PFS's original request for an exemption from the regulations to allow a 1,000-year DBE, PFS principally relied upon the Staff's proposed rulemaking plan, SECY-98-126. PFS Exemption Request at 4-5. See *Request for Exemption to 10 CFR 72.102(f)(1) Seismic Design Requirement* dated April 2, 1999. PFS later revised its seismic analyses from considering a 1,000-year to a 2,000-year DBE,

¹ Excerpts from Declaration of Dr. C. Allin Cornell (Nov. 9, 2001) included as State's Exhibit 129.

apparently in response to a request by Staff that PFS "should consider" a 2,000-year DBE. See PFS Commitment Resolution Letter #14 dated August 6, 1999.

Q. 16: In this case, is DOE Standard 1020 an appropriate standard to use in the selection of a safe design earthquake?

A. 16: (SFB,FØ) Yes. DOE-STD-1020 establishes design and engineering standards for nuclear facilities, including dry spent fuel storage facilities. DOE-STD-1020 and its companion documents have a carefully ~~proscribed~~ prescribed methodology to safely design nuclear facilities. Moreover, prior to adoption, DOE-STD-1020 was subject to extensive peer review from an array of technical experts such as seismologist, geotechnical experts, engineers, and risk experts. Thus, DOE-STD-1020 would provide appropriate guidance. The important point is: all applicable design and analysis aspects established in DOE-STD-1020 must be considered together. It is highly inappropriate to refer to a design basis earthquake without considering the probability of failure of the SSCs and the appropriate risk reduction ratio. The way in which PFS selectively relies on some aspects of DOE-STD-1020 and ignores other aspects does not constitute a rational approach.

Q. 17: Please describe how the design earthquake, and probability of failure of SSCs, and the risk reduction ratio are intertwined in the design and analysis philosophy encompassed in DOE Standard 1020.

A.17: (SFB) DOE-STD-1020 first requires that the SSC be categorized according to DOE-STD-1021, and performance goals are established based on the hazard classification. DOE-STD-1020 gives the design and evaluation criteria that control the level of conservatism introduced in the design/evaluation process. These criteria ensure that the level of conservatism and rigor in the design/ evaluation process is appropriate for the category of the facility. DOE-STD-1020 requires the selection of a target performance goal for the SSC and sufficient evaluations that document the SSC will indeed meet the performance goal for the DBE. The performance goals used in DOE-STD-1020 are probabilistic thresholds, where the probability of unacceptable performance or failure of an SSC is expressed in terms of a mean annual probability of exceedance. Unacceptable performance is considered to be damage to the SCC beyond which hazardous material confinement and safety-related functions are impaired. Design considerations for these categories are to limit SSC damage so that hazardous materials can be controlled and confined, occupants are protected, and functioning of the SSC is not interrupted. Thus, the selection of the DBE ground motion is explicitly coupled with a thorough evaluation of the fragility of or damage to the SSC.

In selecting the performance goals for an SSC, DOE-STD-1020 adopted a graded

approach for SSCs. Based on this approach, the performance goal of the SSC is selected. For PC3 SSCs, the performance goal is 10^{-4} . The key for this selection is the fragility curve for the SSCs. By evaluating the fragility curve for the SSCs and recognizing the detail design and ductility of the SSC under earthquake loading and using data from other experiences, a risk reduction factor of 4 has been adopted for PC3 SSCs. Therefore, to meet the performance goal of 10^{-4} , the DOE-STD-1020-2001 recommends a 2,500-year return earthquake for PC3 SSCs.

$[1 \times 10^{-4}]$

$[1 \times 10^{-4}]$

A probabilistic method to determine if a performance goal has been met for a particular SSC is to develop a fragility curve for each SSC. A fragility curve expresses the expected damage or unacceptable performance of an SSC as a function of the amplitude of strong ground motion. Once a fragility curve has been established for a particular SSC, the probability of unacceptable performance can be calculated for all levels of strong ground motion, even for levels beyond those incurred by the DBE.

The determination of fragility as expressed as a fragility curve allows the assessment of the conservatism of the design for multiple levels of ground motion. The calculation and application of a fragility curve are necessary to determine if an SSC has met a desired performance goal for all levels of strong ground motion. A fragility curve in combination with the seismic hazard curve yields the probability of failure of the SSC and this probability is compared with the probabilistic target performance goal for the SSC to determine if the performance is adequate.

DOE-STD-1020 also discusses the use of risk reduction ratios based on deterministic criteria to determine if the SSC performance goal has been met. Sometimes SSCs are evaluated according to deterministic methods, which are found in applicable codes and standards. When deterministic criteria are used, the basic principle embedded in DOE-STD-1020 is to ensure that the target performance goals are met when the minimum ten percent probability of failure corresponds to 1.5 times the seismic scale factor times the DBE.

Q. 18: To determine the appropriate design earthquake, what primary SSCs at the PFS facility must undergo an adequate seismic analysis?

A. 18: (SFB, FØ) The SSCs of concern for seismic analysis at the proposed PFS facility, are the CTB and certain components therein, the storage pads, and the HI-STORM 100 cask system. In its request for the seismic exemption, PFS has not discussed the fragility and seismic performance of the foundation of the CTB and the foundation of the storage pads. This is a glaring omission. For example, an evaluation of whether the crane in the CTB will perform under seismic loads is pointless if the CTB foundation fails under those seismic loads.

~~Our~~ My individual opinion is that PFS still has not adequately addressed all necessary factors in determining the seismic performance of the SSCs.

V. PFS Fails to Demonstrate the Seismic Performance of the SSCs Are Adequate to Accommodate a 2,000-year Design Basis Earthquake.

Q. 19: In your opinion, has PFS demonstrated that the probability of failure of SSCs are is appropriate for PFS's desired design basis earthquake?

A. 19: ~~(SFB, FØ)~~ No. In accordance with DOE-STD-1020, the design and evaluation criteria for a critical facility, such as an ISFSI, must consider the level of conservatism or lack of conservatism introduced in the design/evaluation process by the DBE. Such an evaluation must be based on the performance of the facility under the proposed earthquake loading. For the reasons previously discussed, in ~~our~~ my opinion, PFS's choice of a DBE cannot be segregated from the critical issues throughout the unified contention, including sections C and D. The assumptions underlying the design of the PFS facility and quantitative analyses thereof are central to whether there is conservatism in PFS's design. In ~~our~~ my opinion, PFS's attempt to justify a 2,000-year DBE by claiming conservatism in its design cannot be judged without evaluating these claims against the unconservatism of PFS's design, such as the use of unrealistic assumptions, omissions and gross generalizations to show that certain SSCs at PFS will adequately perform given a 2,000-year DBE.

Q. 20: **Is Are PFS's seismic design and analysis conservative?**

A. 20: ~~(SFB)~~ No. The PFS design and analysis are not conservative. It is unprecedented to design unanchored dry storage casks for a seismically active area with such intense strong ground motions similar to those at the PFS facility. PFS's claim that the casks will only slide in a "controlled" manner atop the pads may not be correct. ~~contradicts general engineering principles~~. The lack of conservatism in its analysis is further compounded when PFS uses its claim of "controlled" cask sliding to reduce the seismic loadings to the pad foundations.

~~(SFB, FØ)~~ PFS failed to demonstrate that adequate conservatism has been applied in the seismic design of foundations for the storage pads and CTB and to the seismic stability of the pads and HI-STORM 100 storage casks for the proposed DE. As ~~we~~ detailed in ~~our~~ the Dynamic Analysis testimony, there are numerous unconservative assumptions, oversights in PFS's design calculations. The lack of conservatism in the design and the inadequacy of the seismic analysis are important in determining the appropriate DBE. Rather than duplicate ~~our~~ those opinions here, ~~we~~ I refer the Licensing Board to ~~our~~ the Dynamic Analysis testimony and to the Cask Stability testimony, which

are being filed concurrently.

Q. 21: Please restate the purpose of a fragility curve and whether PFS has developed any?

A. 21: (SFB, FO) A fragility curve expressed the expected damage or unacceptable performance of an SSC as a function of the amplitude of strong ground motion. PFS has not produced any fragility curve for the casks, the storage pads, or the CTB foundation.

(SFB) In addition, PFS has not developed fragility curves for the HI-STORM 100 cask system relating to excessive movement and collision of the casks, tipover of the casks, excessive uplift and separation of the casks from the pad, or the consequence of such unstable cask and pad conditions. PFS's DBE witness, Dr. Cornell, had no knowledge of any fragility curves for the HI-STORM 100 cask system, the storage pad, or the CTB at the PFS facility. State's Exhibit 130, Cornell Tr. at 49. In fact, PFS's witness responsible for the seismic stability evaluations of the storage casks was unfamiliar with a fragility curve or its purpose. See State's Exhibit 131, Singh/Soler 2001 Tr. at 63.

Q. 22: Has PFS used SSC specific analysis other than a fragility curve to demonstrate performance goals have been satisfied?

A. 22: (SFB, FO) No. PFS has not demonstrated that the storage pad and CTB foundation meet the performance goals required in DOE-STD-1020. PFS has failed to show that the SSCs can meet a target performance goal of 1×10^{-4} for the associated 2,000-year annual return period under DOE-STD-1020-94.

Q. 23: Is it possible to select the DBE without evaluating the probability of seismic failure of each SSC at the PFS facility?

A. 23: (SFB) No. As we I testified, a DBE is meaningless when selected without considering the probability of seismic failure and applicable risk reduction ratios.

Q. 24: What is a "failure" of an SSC?

A. 24: (SFB) We I agree with PFS's definition of a failure "as exceeding a behavior limit state that may preclude the SSC from fulfilling its intended function." State's Exhibit 129, Cornell Dec. at 14. Based on this definition, a reduction of a storage cask's ability to shield radiation, thereby causing an increase in dosage, would be a failure of the HI-STORM 100 cask. Dr. Marvin Resnikoff calculated an increase in radiation dose in the event of cask tipover. See Resnikoff Testimony at A. 23. In addition, Dr.

Mohsin Khan and Dr. Ostadan concluded that the Holtec seismic analysis is not conservative and the results are inconclusive without analysis, test data, and other validation. See Khan and Ostadan Cask Stability Testimony at Answers 26-36, 38. Dr. Khan also determined that the HI-STORM 100 may in fact tipover when subject to 2,000-year DBE at the PFS site. These issues are detailed in the Joint Testimony of Dr. Mohsin Khan and Dr. Farhang Ostadan with Respect to Contention Utah L/QQ - Cask Stability. Again to eliminate duplication, we I refer the Licensing Board to that testimony here which demonstrates that PFS has failed to demonstrate that the HI-STORM 100 cask will not tip over when subject to a 2,000-year DBE.

Q. 25: Does DOE-STD-1020 address acceptance performance criteria for foundations?

A. 25: (SFB) DOE-STD-1020 recognizes that specific acceptance criteria for foundations have not been developed. It states that the intent of DOE-STD-1020 must still be met for some system components for overturning or sliding of foundations. State's Exhibit 132, DOE-STD-1020-94 at 2-24. This intent is that "there should be less than 10 percent probability of unacceptable performance at input ground motion defined by a scale factor [SF] of 1.5SF times the DE." *Id.* PFS has not made this calculation nor demonstrated that the intent of DOE-STD-1020 has been met for the foundation systems of the storage pads and CTB.

Q. 26: When analyzing seismic performance, how do you account for nonlinear behavior?

A. 26: (SFB) For soil sites, like the PFS site, because the slope of the hazard curve can be impacted by the soil nonlinear behavior, NUREG/CR-6728 recommends to establish the slope of the hazard curve by including the nonlinear soil effects for determination of the seismic scale factor. This concept is applicable to any nonlinear behavior such as cask sliding on the pads since the response is nonlinear and is effectively based on performance design and cannot be extrapolated from the response at lower level ground motions. PFS has not considered these nonlinear effects, nor has it calculated the seismic scale factor, SF, based on considerations of the slope of the hazard curve.

VI. Performance Goals Are Not Clearly Inherent in ISFSI and Cask Standard Review Plans.

Q. 27: Do you agree with PFS that performance goals are "inherent" in the NRC Standard Review Plan design standards?

A. 27: (SFB) No. In an attempt to demonstrate that performance goals are

unnecessary, PFS claims that NRC SRPs have equivalent or greater risk reduction ratios as those stated in DOE-STD-1020-94 for performance category 3 and 4 facilities. State's Exh. 129, Cornell Dec. ¶ 25. Thus, surmises PFS, risk reduction factors of approximately 5 to 20 can then be claimed for the PFS SSCs. Id.

PFS's asserted risk reduction ratios of 5 to 20 for PFS SSCs are unsubstantiated. NRC SRP requirements do not address the seismic performance requirements of unanchored casks supported by shallowly embedded pad foundations which are buttressed by cement-treated soil and subject to high levels of strong ground motion. The proposed PFS design has unique seismic interface and foundation issues and must be analyzed accordingly.

PFS itself only claims that the SRPs for nuclear power plants ("NPP") are equivalent or greater than DOE-STD-1020 design criteria. State's Exh. 129, Cornell Dec. ¶ 25. The HI-STORM 100 cask system is not designed to SRPs governing NPPs but to NUREG-1536, Standard Review Plan for Dry Cask Storage Systems. The CTB must be designed according to NUREG-1567, Standard Review Plan for Spent Fuel Dry Storage Facilities. PFS has not shown that the SRPs for dry cask storage systems and ISFSIs provide an equivalent or greater level of conservatism than that claimed for the NPP SRPs.

NRC Staff and PFS claim that the potential consequences of seismic failure of ISFSIs are much less severe than those of NPPs. *See, e.g.* State's Exh. 129, Cornell Dec. ¶ 16. PFS and the Staff further claim that ISFSI facilities are less vulnerable to earthquake-initiated accidents than NPP. *See Id.* ¶ 17. Thus, the SRPs in NUREG 1536 and 1567 may already incorporate less conservatism than NPP SRPs. Additionally, the dry cask storage system SRP design standards are based on the assumption that the design earthquake is equivalent to the safe shutdown or deterministic earthquake used for nuclear facilities, under 10 CFR Part 50. NUREG 1536 at 2-10, NUREG-1567 at 7-20, 7-54. In sum, SRPs for dry storage cask systems and ISFSIs may already incorporate less design conservatism than NPP SRPs. It is not good engineering practice to rely on presumed conservatism or risk reduction ratios to account for unanalyzed conditions and to assume, without any attempt to validate, that design criteria set for ISFSIs and casks will be encompassed by those standards developed for NPPs. This type of process is particularly troubling in this specific case given the substantially lower standard of a 2,000-year DBE and the unconventional plan to store unanchored casks in a highly seismic area supported by cement treated soil.

NUREG 1536 requires the applicant to demonstrate that the dry cask system will not tipover or drop as a result of a credible natural phenomenon event, such as an earthquake. NUREG 1536 at 3-6. As discussed in detail in the Joint Testimony of Dr.

Mohsin Khan and Dr. Farhang Ostadan Regarding Contention Utah L/QQ, Part D - (Cask Stability), the HI-STORM 100 cask may tipover if subject to the ground accelerations for a 2,000-year earthquake. Thus, even if the SRPs for NUREG-1536 result in design criteria that are equal or more conservative than posed in DOE-STD-1020, PFS has not shown that the HI-STORM 100 cask system even meets the NUREG-1536 SRPs under the ground motions for a 2,000-year DBE at the PFS site.

Q. 28: Are you familiar with Dr. Cornell's statement supporting PFS's Motion for Summary Disposition that Chapter 7 of the recently released NUREG/CR-6728, generally supports that NRC standard review plans provide equal or greater levels of conservatism than DOE-STD-1020.

A. 28: (SFO) Yes.

~~Q. 29: Do the fragility curves presented in NUREG/CR-6728 include an analysis of unanchored casks in a high seismic area with equivalent or greater ground motions than the 2,000-year DBE at the PFS site?~~

~~A. 29: (SFO) No. PFS witness, Dr. Cornell, claims that NUREG/CR-6728, *Technical Basis for Revision of Regulatory Guidance on Design Ground Motions: Hazard and Risk-consistent Ground Motion Spectra Guidelines* (October 2001), provides a "quantitative finding that the [risk reduction ratio] levels for typical systems, structures, and components designed to NRC SRPs are in the range 5 to 20 or greater" (or in the range of the DOE-STD-1020-94 risk reduction ratios). See State's Exh. 129, Cornell Dec. at ¶ 25. To support his claim, Dr. Cornell compares the risk reduction factors for NPP SSCs using both the NRC SRPs and DOE-STD-1020-94. See in general *id.*, Attachment A, State's Exh. 129. However, in Attachment A, Dr. Cornell relies upon "numerous engineering evaluations of safety margins and 'fragility curves' of SSCs." *Id.* at 3. NUREG/CR-6728, Chapter 7 contains fragility curves for a variety of NPP sites. See NUREG/CR-6728 at 7-10 to 7-15. The fragility curves used in NUREG/CR-6728 are obtained from *Basis for Seismic Provisions of DOE-STD-1020*, R.P. Kennedy and S.A. Short (1994). NUREG/CR-6728 at 7-5. It is important to note that the only site with similar peak ground accelerations to the PFS site is the California site located near Santa Maria, i.e., Diablo Canyon. *Id.* at 7-11, 7-22. In 1994, when Kennedy and Short published the fragility curves, Diablo Canyon did not have any dry storage casks, let alone unanchored dry storage casks. See State's Exhibit 133, portions of the letter accompanying the Diablo Canyon Independent Spent Fuel Storage Installation License Application dated December 21, 2001. The Kennedy and Short fragility curves relied upon in NUREG/CR-6728 could not have included unanchored dry storage casks, and Dr. Cornell's attempt to correlate NUREG/CR-6728 to DOE-STD-1020-94 risk reduction ratios in his Declaration, Attachment A, fails with respect to HI-STORM 100 casks at the~~

PFS facility.

~~— In general, the Kennedy and Short fragility curves do not apply to SSCs such as storage casks sliding on the pads to maintain stability and control for excessive movement and tipping. The fragility curve pertains to inherent strength and ductility of the member and the design code upon which the component was designed. The fragility curve as it pertains to controlled and stable movement of the casks on the pads has not been developed by PFS, nor any appropriate design code.~~

~~— In our opinion, it is inappropriate to apply generalized risk reduction ratios deemed appropriate for NPPs to the proposed storage pad, unanchored IH-STORM 100 cask, and the CTB. The basis for selecting appropriate risk reduction factors can only adequately be conducted by evaluating a thorough uncertainty analysis of the fragility of each SSC at the PFS site, as outlined in DOE-STD-1020.~~

Q. 30: Please summarize your opinion.

A. 30: (SFB,FΘ) In summary, PFS has not met the intent and requirements of DOE-STD-1020. It is impossible to assess the fragility for the storage pads, storage casks, and the CTB and their foundations because of many errors, omissions and unconservative assumptions in PFS's evaluations. PFS has not demonstrated that the performance goal for the PFS facility has been met. Without this demonstration, the selection of the proposed 2,000-year DBE is not founded on a proper technical basis and is basically arbitrary.

Q. 31: Does this conclude your testimony?

A. 31: Yes.

1 taken November 1st, 2001. The cover page, and page
2 49.

3 State's exhibit 131, which are portions of
4 Dr. Krishna P. Singh, and Dr. Alan Soler's deposition,
5 taken November 15, 2001, which includes the cover
6 page, and page 63.

7 State's exhibit 132, which are portions,
8 one page of the Natural Phenomena, Hazards Design and
9 Evaluation Criteria for the Department of Energy
10 Facilities, January -- I think that is our stamp on
11 it, but the date. Number DE96006649, and page 2-24.

12 And we are withdrawing pre-filed exhibit,
13 State's exhibit 133, which was cited in the paragraph
14 that was deleted.

15 CHAIRMAN FARRAR: All right.

16 (Whereupon, the above-
17 referenced to documents were
18 marked as State Exhibit Nos.
19 129-132 for identification.)

20 MS. NAKAHARA: And I offer these into the
21 record, Your Honor.

22 CHAIRMAN FARRAR: Any objections to any of
23 them?

24 MR. GAUKLER: No objection, Your Honor.

25 CHAIRMAN FARRAR: Mr. Turk?

1 MR. TURK: These are State's Exhibits 129-
2 132?

3 CHAIRMAN FARRAR: Right.

4 MR. TURK: I have no objection to them.

5 CHAIRMAN FARRAR: Then those four exhibits
6 will be admitted, and the record will reflect that
7 pre-numbered exhibit 133 is not being officially
8 marked for identification, or offered.

9 MS. NAKAHARA: And Dr. Bartlett is
10 available for cross examination, Your Honor.

11 CROSS EXAMINATION

12 BY MR. GAUKLER:

13 Q Good morning, Dr. Bartlett.

14 A Good morning, Mr. Gaukler.

15 Q How are you doing this morning?

16 A Fine. Well rested.

17 Q You've had a long haul, but we are close
18 to the end.

19 A We are close to the end.

20 Q I think everybody is happy for that.

21 CHAIRMAN FARRAR: Thank you, Mr. Gaukler,
22 for making the Board's first speech that we are, in
23 fact, close to the end. I hope everyone will bear
24 that in mind.

25 BY MR. GAUKLER:

1 Q Now, you've been here for much of the
2 Proceeding, and you've read all the pre-filed
3 testimony that goes to the concerns discussed in your
4 pre-filed direct testimony?

5 A Yes, I've read those of Dr. Cornell's.

6 Q And you've -- I take it you've reviewed
7 the Hearing transcripts as well, of the relevant
8 portions, or you were at the hearing?

9 A I was through parts of, I believe, for
10 most of Dr. Cornell's testimony. I wasn't present for
11 all of Dr. Arabasz' testimony.

12 Q Okay. I notice that you made some
13 substantive changes in your testimony that was just
14 introduced, from the prefiled testimony.

15 And I was wondering if there are any
16 additional changes that you think should be made to
17 your pre-filed testimony, given the evidence put into
18 the record so far in this Hearing?

19 A Well, we struck, completely, question and
20 answer 29.

21 Q And other than that are there any other
22 changes you believe that are warranted, based on the
23 evidence that you've heard in this Proceeding to date?

24 A No, not that I can recall.

25 Q So you are comfortable with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

1 correctness of your testimony as it currently stands?

2 A Yes.

3 Q In question and answer 4 of your
4 testimony, you make reference to what you consider
5 beyond conventional design features of the PSF
6 facility?

7 A Yes.

8 Q And there are some other places in your
9 testimony, this testimony that you similarly make
10 references to what you consider to be unconventional
11 design features of the PFS, correct?

12 A That is correct.

13 Q Now, we've sat through a lot of testimony
14 on Section D, I don't want to repeat anything. But
15 all this stuff we previously covered with respect to
16 section D, is that correct?

17 A D and C, because we discussed soil cement
18 as a buttressing in C.

19 Q So there is nothing else, in addition,
20 that we need to cover here, to address those points,
21 I take it then?

22 A No, they are encompassed in C and D.

23 Q I will not go into those areas again. In
24 question and answer 5, you refer to your and Dr.
25 Osadan's testimony on dynamic analysis with respect to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 Section D, correct?

2 A Yes, I think when we refer to dynamic
3 analysis that would encompass pretty much D.

4 Q And I take it, again, it would be fair to
5 say that the substantive concerns that you have
6 regarding the PFS site, are laid out in your and Dr.
7 Osadan's testimony on section D, that is identified in
8 answer 5, is that correct?

9 A Yes. I would add that also Dr. Kahn, I
10 think talked about some of those potential
11 unconservatisms also.

12 Q And, again, I take it you don't raise any
13 new substantive concerns with respect to the design of
14 the PFS in this testimony here?

15 A No.

16 Q So, again, that is something we don't need
17 to go into, we've covered that at length before,
18 correct? Substantive concerns.

19 A Yes. At least the concerns about the
20 unconservatisms in the design, and the assumptions
21 that were made.

22 Q Okay. And that includes the assumptions
23 in the dynamic analysis as well, correct?

24 A Correct.

25 Q Now, in this testimony you are looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 issue of conservatism in the design, correct?

2 A That is correct. Whether there is
3 additional conservatism in the design beyond the 2000
4 year design basis earthquake.

5 Q And I recognize, I could draw a
6 distinction, your understanding of conservatism in the
7 context of your testimony on section E, versus the
8 statements you made in the context on section D, on
9 conservative assumptions and analysis.

10 Would it be fair to say that in section D
11 your testimony on conservative assumptions and
12 analysis is related to the NRC's design basis
13 regulatory framework?

14 A I'm not sure I quite understand the
15 question.

16 Q Is it fair to say that in section D your
17 testimony, to the extent you reference the
18 unconservative nature of PFS' design, is in
19 relationship to the, what you understand the NRC
20 requirements to be for design for a design basis
21 earthquake?

22 A Our review in section D was looking at the
23 methods, and the methodologies in the specific
24 calculations that were supporting the factors of
25 safety that the Applicant were trying to achieve,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

(202) 234-4433

(202) 234-4433

1 outlined in NUREG 0800, section 3.8.5.

2 And we felt that there were omissions,
3 unconservative assumptions, and errors found in those
4 calculations that the Applicant had not demonstrated
5 adequate factors of safety against sliding,
6 overturning, and bearing capacity.

7 Q And the factors of safety that you are
8 referring to, in that instance, were the factors of
9 safety, recommended factors of safety set forth in the
10 Nuclear Regulatory Commission Staff review plan of
11 1.1, correct, for example?

12 A That I'm -- not being completely familiar
13 with that standard review, then I can't say to the
14 section. But it was the design acceptance criteria
15 put forth by the Applicant.

16 Q And you didn't consider, in the context of
17 your testimony in section D, you didn't talk about
18 conservatisms that may be imbedded in the standards,
19 or acceptance criteria themselves, did you?

20 A Well, it was my understanding there is
21 only very few design acceptance criteria for
22 foundations. Most of the codes and standards, I think
23 you may be referring to, are more structural
24 mechanical codes, not codes for foundation design.

25 CHAIRMAN FARRAR: Mr. Gaukler, hold on a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 second. At the beginning you asked Dr. Bartlett
2 whether he was offering anything new in this testimony
3 on section D.

4 MR. GAUKLER: Right.

5 CHAIRMAN FARRAR: And he said no. And now
6 the last several questions you are talking to him
7 about section D, and so we are wondering what we are
8 doing here?

9 MR. GAUKLER: Let me ask a more direct
10 question, I think that might be better.

11 CHAIRMAN FARRAR: Okay.

12 BY MR. GAUKLER:

13 Q Isn't it true that the conservatisms that
14 Dr. Cornell is discussing in his testimony on section
15 E, these conservatisms built into the acceptance
16 criteria themselves --

17 A For nuclear power plants I question
18 whether some of those codes and standards exactly
19 apply to this specific facility.

20 Q But just in concept, okay?

21 A Yes, I understand in concept that if one
22 would design according to those acceptance criteria,
23 that there is extra margins built in design
24 conservatisms that give you a higher margin than just
25 by meeting the bare minimum acceptance, if that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 what you are saying.

2 Q And that is, really, the subject of your
3 testimony here, at least in theory?

4 A Well, I guess the main point I'm trying to
5 make out, because this is a unique facility, with an
6 anchored cask sitting atop pads, buttressed by soil
7 cement, and subject to hydro motions, that those codes
8 and standards that are used in the design of nuclear
9 power plants aren't specifically applicable to this
10 system, and that the only really acceptance criterion
11 that one can find in the regulatory guidance for
12 design of foundations is a minimum acceptable factor
13 of safety.

14 Q Now, first of all, how familiar are you
15 with the acceptance criteria in the nuclear power
16 plants, in the Staff's review plan for the nuclear
17 power plants?

18 A Those are, generally, structural
19 mechanical codes, so I'm not very familiar with those.

20 Q And you are not a structural mechanic?

21 A No, I'm not a structural mechanical
22 engineer.

23 Q And your expertise is limited to
24 geotechnical soils issues?

25 A And foundations.

1 Q And foundations. But would it be fair to
2 say that opinions that you render in this testimony
3 would be limited to conservatisms for foundations?

4 A In the foundation design, yes, and how
5 that may affect the cask sliding.

6 Q And so you are not, you don't have any --
7 you are not opining any opinion with respect to the
8 conservatisms that may be inherent in the structural
9 design of the canister transfer building, or the
10 struts, or the cranes, inside the canister transfer
11 building, is that correct?

12 A That is correct.

13 Q And you are also not opining on any
14 conservatism that may exist with respect to the design
15 of the casks and struts?

16 A Just this cask, because the structural
17 design, no.

18 Q Such as, for example, whether the cask
19 will tip over?

20 A Well, again, whether the cask tips over or
21 not, I don't consider that a structural issue. I
22 wouldn't opine upon what is the consequences of tip
23 over to the structural integrity of the cask..

24 But I do have some opinions about how the
25 foundation may affect the cask sliding and tipover

1 analysis.

2 Q So you wouldn't have any opinion about the
3 conservatisms embodied into the cask, and the
4 canister, in a tipover event, correct? Assuming the
5 casks were to tip over, you would have no opinion
6 about the conservatisms?

7 A Well, there is one area that we have
8 discussed at length, and it has to do with the modulus
9 that was used in the cask tipover analysis for the
10 cement treated soil. I think I would opine on that,
11 because that is where the foundation issues do impact
12 an accident scenario, and the calculations done for
13 that accident scenario.

14 Q With respect to the actual conservatisms
15 built into the structures themselves, in terms of --

16 A I would not.

17 Q So another way to look at it, you can't
18 opine on the consequences of a cask tipping over,
19 correct?

20 A The structural response of the casks, and
21 the potential, or lack of confinement due to a tipover
22 scenario, no, I wouldn't opine on that.

23 MR. GAUKLER: I'd like to hand out a
24 document and have it marked as PSF Exhibit 244.

25 CHAIRMAN FARRAR: Did you say 244?

1 MR. GAUKLER: I believe that's correct,
2 Your Honor.

3 (Whereupon, PSF Exhibit 244
4 marked for identification.)

5 MR. GAUKLER: I'm handing this out now,
6 Dr. Bartlett. These are excerpts from the deposition
7 that you and I had, if you recall, November 2nd, 2001
8 with respect to what was then Section B of Utah L. Do
9 you remember that deposition?

10 DR. BARTLETT: Not all the details, but I
11 remember the deposition.

12 MR. GAUKLER: You remember there was one
13 deposition.

14 DR. BARTLETT: I do remember a deposition.

15 MR. GAUKLER: Okay. Just keep this handy,
16 because I'm going to be referring to this as we talk
17 about your experience at the deposition.

18 DR. BARTLETT: Yes.

19 MR. GAUKLER: Now your testimony focuses
20 on the application of DOE Standard 1020 in the context
21 of the PFS proceeding. Correct?

22 DR. BARTLETT: The application of, I think
23 the concepts in PFS, I mean in DOE Standard 1020.

24 MR. GAUKLER: Right. The application --

25 DR. BARTLETT: Not the strict application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 of DOE Standard 1020 to this facility, because it's
2 not an applicable standard.

3 MR. GAUKLER: And thus, for example, Dr.
4 Cornell refers to DOE Standard 1020 as an analogy in
5 his testimony.

6 DR. BARTLETT: Right. So we can use it as
7 an analogy and look at some of its philosophy, and
8 some of --

9 MR. GAUKLER: The same way you're
10 referring to it in your testimony.

11 DR. BARTLETT: I think that's the general
12 intent, yes. I didn't mean to impose a requirement
13 that PFS must meet this document, because it's not an
14 applicable standard.

15 MR. GAUKLER: Very good. In your
16 testimony, you're claiming to have some experience
17 relating to the application of DOE 1020?

18 DR. BARTLETT: Yes, that's correct.

19 MR. GAUKLER: And I take it the -- your
20 experience was related to evaluating risk reduction
21 factors and the application of DOE 1020 in so far as
22 soil-design issues were involved?

23 DR. BARTLETT: Soil and foundation issues,
24 yes.

25 MR. GAUKLER: Soil and foundation issues?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: Yes.

2 MR. GAUKLER: It was limited to those type
3 of issues, the application of DOE --

4 DR. BARTLETT: Yes, the specific projects
5 that I worked on. One of the main mechanisms of
6 failure of the structure system component was
7 potential failure of the foundation systems.

8 MR. GAUKLER: And if I understand your
9 testimony, you worked on -- you utilized DOE 1020 in
10 your work for the Department of Energy at Savannah
11 River.

12 DR. BARTLETT: That's correct.

13 MR. GAUKLER: And that was approximately
14 1991 through 1995?

15 DR. BARTLETT: That's correct.

16 MR. GAUKLER: And did you do any work with
17 DOE 1020 prior to your employment with the Department
18 of Energy?

19 DR. BARTLETT: No, I had not.

20 MR. GAUKLER: And I take it that
21 subsequent to your employment with the Department of
22 Energy, you have not worked with DOE 1020, except in
23 the context of this case here.

24 DR. BARTLETT: That's correct.

25 MR. GAUKLER: And would it be fair to say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C 20005-3701

1 that you do not consider yourself an expert in the
2 application of the DOE 1020 concepts or philosophies.
3 Is that --

4 DR. BARTLETT: I wouldn't characterize
5 myself as an expert. I was just a practicing engineer
6 trying to meet its intent.

7 MR. GAUKLER: And, in fact, if you recall
8 when I asked you at your deposition in 2001, whether
9 you intended to testify -- give testimony with respect
10 to DOE 1020, you responded that you did not expect to
11 give testimony with respect to DOE 1020?

12 DR. BARTLETT: I can't remember the
13 context of the question.

14 MR. GAUKLER: Well, look on page 74 of
15 the --

16 DR. BARTLETT: Page 74?

17 MR. GAUKLER: That's where it is. You
18 looked at question and answer that begins on line 7.

19 DR. BARTLETT: Oh, I think at the time,
20 Dr. Ostadan was present on the team. Dr. Ostadan has
21 even more extensive uses of DOE Standard 1020 than I
22 do because of his more involvement with DOE
23 facilities. I have limited to two or three facilities
24 where he's done several, so I was deferring to him and
25 his opinion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GAUKLER: So in other words, you're
2 something like a second string quarterback --

3 DR. BARTLETT: I --

4 MR. GAUKLER: That's fair enough.

5 DR. BARTLETT: I would much prefer if Dr.
6 Ostadan would be here today than myself.

7 MR. GAUKLER: Now to discuss further your
8 testimony at Savannah River, in your experience at
9 Savannah River, you were not designing an ISFSI or
10 another existing facility, or another facility.
11 Correct?

12 DR. BARTLETT: They were not ISFSIs.
13 These were waste storage and handling facilities, but
14 they were not ISFSIs.

15 MR. GAUKLER: And also, these were
16 facilities already constructed?

17 DR. BARTLETT: All right. Back up. We did
18 a little bit of design for spent fuel pool one time,
19 but most of them were either facilities associated
20 with the Defense Waste Processing Facility in some of
21 the tanks that were upstream of that facility.

22 MR. GAUKLER: And these were by and large
23 already constructed facilities?

24 DR. BARTLETT: Yes. At least the storage
25 tanks and the Defense Waste Processing Facility had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 already been constructed, so it was a review of the
2 design and seismic qualification of existing
3 facilities. Though we did once in a while review new
4 facilities also.

5 MR. GAUKLER: What version of DOE 1020
6 were you using at Savannah River? Do you recall?

7 DR. BARTLETT: I have it right here. Let
8 me check it. I think it's dated. It's the 1994
9 version, DOE Standard 1020-94.

10 MR. GAUKLER: And when did that standard
11 first come out? Do you know? 1994, or did it come
12 out earlier?

13 DR. BARTLETT: I don't know when its
14 drafts were released, frankly. The final publication
15 was obviously 1994.

16 MR. GAUKLER: Okay. That's okay. It's
17 not a big deal.

18 DR. BARTLETT: But we were using the
19 concepts in it before then, as I recall. We had this
20 risk-graded approach and target performance goals
21 already established for certain facilities that we
22 were meeting.

23 MR. GAUKLER: And in your testimony today,
24 you discussed the concept of fragility curves in the
25 concept -- in the context of DOE 1020.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 DR. BARTLETT: Yes.

2 MR. GAUKLER: All right. And is it your
3 understanding that fragility curve is a curve that
4 shows failure of a structure or component as a
5 function of earthquake strength or design-basis ground
6 motion strength?

7 DR. BARTLETT: Yes. My understand of
8 fragility curves, it could be a probability of failure
9 or expected damage to a structure, or facility as a
10 function of some earthquake measure, generally
11 amplitude of motion is quite often used.

12 MR. GAUKLER: So it shows --

13 DR. BARTLETT: Amplitude or intensity.

14 MR. GAUKLER: So it shows the likelihood
15 or probability of failure at different earthquake
16 strengths.

17 DR. BARTLETT: Correct. Yes, that's a
18 gross characterization of it, but it's approximately
19 correct.

20 MR. GAUKLER: Very simple for us here.

21 DR. BARTLETT: I think that's fine for our
22 purposes.

23 MR. GAUKLER: Okay. Now at Savannah
24 River, if I understand it correctly, you never
25 developed or calculated any fragility curves. Is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct?

2 DR. BARTLETT: Yes, we did.

3 MR. GAUKLER: You did?

4 DR. BARTLETT: Yes, we did.

5 MR. GAUKLER: Were you responsible for

6 determining whether the performance goal thresholds

7 were met at Savannah River?

8 DR. BARTLETT: Yes, we were.

9 CHAIRMAN FARRAR: You were?

10 DR. BARTLETT: When I say yes, I --

11 remember the team at Savannah River was a multi-

12 disciplinary team, and I want to not be too bold to

13 say that I did. It was a group of people involved in

14 these calculations.

15 MR. GAUKLER: Did you, yourself, develop

16 any fragility curves?

17 DR. BARTLETT: I did for one facility. I

18 developed a settlement hazard fragility curve,

19 liquefaction settlement hazard fragility curve.

20 MR. GAUKLER: And that was with respect to

21 then foundations, I take it?

22 DR. BARTLETT: Yeah. As I recall, it was

23 probably for the H-Tank Farm area, the high level tank

24 farm area.

25 MR. GAUKLER: And is that the only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fragility curve that you developed, that you recall?

2 DR. BARTLETT: There was another one, and
3 I'm not sure if it went all the way to a fragility
4 curve, but I do recall calculating a probability of
5 failure for a suite of different earthquakes for a
6 spent fuel pool. And I think the postulated mechanism
7 was liquefaction, settlement and potential cracking of
8 the spent fuel pool, and how long would it take for
9 the water to essentially leave the pool.

10 I've also done some fragility curve
11 calculations for the Department -- for the Utah
12 Department of Transportation for seismic retrofitting
13 of bridges.

14 MR. GAUKLER: That's outside the context
15 of --

16 DR. BARTLETT: That's outside of DOE
17 context, yes.

18 MR. GAUKLER: And these all were related
19 to foundation designs?

20 DR. BARTLETT: No. Actually, the one for
21 the -- well, at Savannah River, that's correct. Most
22 of these were postulated foundation or soil failure
23 mechanisms, and how they would impact the facility.
24 For the case of the Utah Department of Transportation,
25 no, these were structural fragility curves for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

1 response of the structure, not the foundations. I
2 didn't actually calculate the fragility curves. I
3 just used fragility curves that had been published.

4 MR. GAUKLER: That's with respect to --

5 DR. BARTLETT: For the Department of
6 Transportation for Utah.

7 MR. GAUKLER: Okay. So you used existing
8 fragility --

9 DR. BARTLETT: We used existing fragility
10 curves. We had a couple of experts modify them for
11 what would be the expected performance for a bridge
12 retrofit, and we ran curves, we ran analyses with
13 retrofitted and non-retrofitted bridges. They were
14 risk assessments.

15 MR. GAUKLER: So it would be fair to say
16 you haven't developed fragility curves yourself for
17 structures.

18 DR. BARTLETT: For structures, no, I would
19 not do that.

20 MR. GAUKLER: Now you were here, well not
21 here, but you were at the hearing in Salt Lake City
22 when I was asking questions of Dr. Arabasz. I believe
23 you were there at that point in time, at least part of
24 the time. Let me rephrase the question to ask it --

25 DR. BARTLETT: Yeah, because I did miss

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 much of his testimony. I only was there for about a
2 half a day of Dr. Arabasz' testimony, and I'm trying
3 to remember at what stage I came in. I believe it was
4 right at the end. It was mostly with Mr. Turk and his
5 testimony that I heard Dr. Arabasz.

6 MR. GAUKLER: Were you at the beginning of
7 Dr. Arabasz' testimony back on May 17th? Yes, May 17th
8 is the date. Do you recall that?

9 DR. BARTLETT: No, I don't believe I was
10 there that day.

11 MR. GAUKLER: Did you review the -- have
12 you reviewed the testimony of Dr. Arabasz that he
13 provided in this proceeding?

14 DR. BARTLETT: No, not in its entirety.

15 MR. GAUKLER: Are you aware that Dr.
16 Arabasz in his testimony agreed that DOE Category PC-3
17 is the appropriate category for ISFSIs, such as the
18 PFSF?

19 DR. BARTLETT: I believe State Counsel
20 informed me of that, that he had said that in his
21 deposition, or his testimony. Excuse me.

22 MR. GAUKLER: And you don't have -- you
23 have no reason to disagree with that judgment, I take
24 it.

25 DR. BARTLETT: I have no reason to agree

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or disagree.

2 MR. GAUKLER: I take it you are aware from
3 your work with DOE 1020 that the performance goal
4 using DOE concepts for PC Category 3 facility would be
5 one times ten to the minus four?

6 DR. BARTLETT: Yes, that's my
7 understanding.

8 MR. GAUKLER: And the one times ten to the
9 minus four represents the probability of
10 unsatisfactory performance under earthquake
11 conditions. Correct?

12 DR. BARTLETT: Of a structure, system and
13 component. That's correct.

14 MR. GAUKLER: And what actually
15 constitutes failure of the structure, system or
16 component would depend upon that structure, system or
17 component. Right?

18 DR. BARTLETT: What constitutes failure is
19 a function of what its safety related function is.

20 MR. GAUKLER: And would it be fair to say
21 that the ultimate theory that we're talking about here
22 with respect to the PFSF is to protect public health
23 and safety from radiation that might emanate from the
24 PFS site in the event of an earthquake?

25 DR. BARTLETT: I think -- at least my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understanding of what constitutes failure at the PFS
2 facility is in my testimony.

3 MR. GAUKLER: Do you want to take a look
4 at that?

5 DR. BARTLETT: Let me see if I can find
6 that.

7 MR. GAUKLER: I think it was towards the
8 end of your testimony.

9 DR. BARTLETT: I think there's two places
10 that --

11 JUDGE LAM: Try question 24.

12 DR. BARTLETT: That may help. Thank you,
13 Judge Lam. Yes. In this case, I guess the ultimate
14 consequence would be the loss of the cask from
15 performance safety intent and function, and that's of
16 containment, so any loss of containment.

17 MR. GAUKLER: Are you referring to
18 question and answer 24?

19 DR. BARTLETT: Yes, that's --

20 MR. GAUKLER: Okay. And, therefore, I
21 take it you would agree that whether failure exists or
22 doesn't exist comes down to really whether the
23 radiation dose limits for the NRC would be exceeded in
24 earthquake -- under earthquake conditions. Would that
25 be a fair understanding of your concept of failure as

1 it would apply here?

2 DR. BARTLETT: Frankly, I guess I can't
3 fully agree with that. My experience with DOE
4 Standard 1020 was one of loss of containment. I don't
5 recall when we were planning at Savannah River going
6 through dose calculations and its consequences. To
7 us, loss of containment was the ultimate governing
8 scenario, not a dose calculation that followed.
9 That's my recollection of how we were using it at
10 Savannah River.

11 MR. GAUKLER: And loss of containment,
12 you're referring the escape of radioactivity.

13 DR. BARTLETT: Correct. The cases as we
14 were looking at were mainly tanks, and it would be any
15 breach or damage to the tank due to settlement and the
16 loss of containment. And we were trying to show that
17 there was an acceptable -- well, the probability of
18 that event of actually breaching the tanks where they
19 could loss containment was one times ten to the minus
20 four or less, and that's my recollection, so I don't
21 recall dose calculations and consequences, and trying
22 to show that we had met some acceptable dose limits
23 with one times ten to the minus four. That's my
24 recollections of how we were using it at that time.

25 MR. GAUKLER: But it would be true if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D.C. 20005-3701

1 showed no breach of containment, you would --

2 DR. BARTLETT: By de facto, you wouldn't
3 do the dose calculations.

4 MR. GAUKLER: You wouldn't need it by de
5 facto.

6 DR. BARTLETT: Yeah, that's -- by de facto
7 you wouldn't do those calculations, so I'm not sure I
8 can say that my experience goes to a place where the
9 ultimate goal is showing an acceptable dose.

10 MR. GAUKLER: That's --

11 DR. BARTLETT: Right. And I can actually
12 read you one sentence in DOE Standard 1020 that talks
13 about this. Unfortunately, it doesn't elaborate too
14 much, but it doesn't imply that you have to actually
15 go to the dose calculations, that once a structure
16 system component has lost its safety -- cannot perform
17 its safety related function, then that's determined to
18 be the terminal event that we're looking at.

19 MR. GAUKLER: In any event, just to go
20 back to your definition of failure as set forth in 24,
21 failure to meet, for example, a factor of 1.1 against
22 sliding would not be failure as you define it in
23 question and answer 24.

24 DR. BARTLETT: No, it would not be
25 failure, but it would be part of a chain of events

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 that one would have to analyze to determine whether
2 the ultimate failure mechanism had been -- or the
3 ultimate performance goal had been met. But I'm not
4 implying that they have to have a one times ten to the
5 minus four probability against foundation failure.

6 MR. GAUKLER: Okay. And so, that --

7 DR. BARTLETT: It would be part of the
8 chain one would go through if you're doing
9 probabalistic calculations. It would be an extra
10 probability of failure of the foundations, what is it?
11 And then one would complete the probability chain with
12 what would be the extra prob -- what would be the
13 probability of failure given that the foundations were
14 now sliding or overturning, or whatever the mechanism
15 we're postulating.

16 MR. GAUKLER: Next step, given the fact
17 that the foundations were sliding -- what's the chance
18 of probability of the cask having some --

19 DR. BARTLETT: Tip-over. Right.

20 MR. GAUKLER: Tip-over.

21 DR. BARTLETT: And the loss of
22 confinement, yes. Those calculations, by the way, are
23 difficult to do, and a lot of DOE Standard 1020 is
24 based more on deterministic techniques, not
25 probabalistic techniques.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GAUKLER: Now if I understand your
2 testimony, you would generally agree that DOE 1020
3 gives appropriate guidance or insights in terms --

4 DR. BARTLETT: It's a good framework.
5 It's a regulatory framework. It's been peer reviewed,
6 and it's being applied by the Department of Energy, so
7 I consider it a reasonable framework to try this risk
8 rated approach.

9 MR. GAUKLER: Now the -- under this DOE
10 1020 approach, it basically comprises two factors, if
11 you will. There's the design-basis earthquake, and
12 then there's the conservatisms inherent in the
13 acceptance criteria.

14 DR. BARTLETT: Right. There's the mean
15 annual probability of exceedance of the design-basis
16 earthquake, and then there's additional conservatism
17 or probabilities of failure that their margin is
18 beyond the design-basis earthquake.

19 MR. GAUKLER: And this is formally
20 referred to in the DOE Standard 1020 as risk reduction
21 factors. Correct?

22 DR. BARTLETT: That is correct.

23 MR. GAUKLER: And this is what Dr. Cornell
24 and Dr. Arabasz have referred to as the two-handed
25 approach? I don't know if you've heard that or not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: I wasn't present at that
2 testimony, but I think I understand the analogy. We
3 have to consider the earthquake and what it's
4 probability is. And then we also have to consider
5 given the earthquake, what is the probability of
6 failure from that event, so you need to consider the
7 conservatisms in the design that are inherent there,
8 plus the conservatisms in the earthquake. So if
9 that's the two-handed approach that we've been
10 discussing, I think I'm familiar with it.

11 MR. GAUKLER: Okay. And so basically you
12 need to take into account both in terms of determining
13 whether a particular design-basis earthquake is
14 acceptable.

15 DR. BARTLETT: You must take into
16 consideration both to see if the target performance
17 goal has been met. That is correct.

18 MR. GAUKLER: And I'd like to have you
19 turn to question and answer number 9 of your
20 testimony. Now based on what you just said, that you
21 need to consider both the design-basis earthquake and
22 risk reduction factor of conservatism of design, how
23 do you square your answer in number 9 to that, because
24 there it looks to me like you're just saying just
25 because the PFS design-basis earthquake is 2000 in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE , N.W
WASHINGTON, D.C. 20005-3701

1 this -- 2000 and 2,500 used in other contexts, PFS'
2 design-basis earthquake is inadequate?

3 DR. BARTLETT: Well, I'm not sure if
4 that's what I'm trying to say.

5 MR. GAUKLER: That's why I was asking.
6 Could you tell me that -- did I read that wrong?

7 DR. BARTLETT: So we're looking at the
8 answer 17.

9 MR. GAUKLER: Answer number 9.

10 DR. BARTLETT: Answer number 9. Excuse me.
11 I went to page 9. Maybe that's why I wasn't quite
12 understanding you.

13 MR. GAUKLER: That's okay. Same question
14 with respect to answer number 9.

15 DR. BARTLETT: I think the first paragraph
16 is just pointing out that DOE looks like they're
17 revising their design-basis earthquake to a 2500 year
18 return period, instead of a 2000 year return period.
19 I don't see any really great news in that, other than
20 a slightly more conservative earthquake. It's my
21 understanding the intent maybe there is to be more
22 consistent with the National Hazard Maps that are
23 coming out.

24 MR. GAUKLER: And, in fact, when they
25 modified DOE 1020 to go to the 2500 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: Right.

2 MR. GAUKLER: -- design-basis earthquakes,
3 they changed the risk reduction factor?

4 DR. BARTLETT: My understanding is it's
5 gone from five to four, so the terminal probability of
6 performance goal really doesn't change, so I don't --

7 MR. GAUKLER: Basically, no never mind
8 then, as far as we're concerned.

9 DR. BARTLETT: So I don't see any news
10 there. Now let me see what I'm saying in the second
11 paragraph. It's just a recognition that a lot of the
12 building codes are now going to a 2500 year motion as
13 a basis of their design. And in the third paragraph,
14 I'm pointing out that in Utah, the Department of
15 Transportation has selected a design-basis earthquake
16 that's more conservative than the AASHTO, which is the
17 American Association of State Highways and
18 Transportation Officials' guidance or requirements. I
19 guess I shouldn't say guidance, they're actual
20 requirements. And they've gone to a 2500 year return
21 period event for design of their interstate bridges.
22 So I'm just pointing out several agencies are seeming
23 to settle on this 2500 year return period event. And
24 when we first saw some of the Applicant's
25 justifications of going to a 2000 year return period

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE, N W

WASHINGTON, D. C. 20005-3701

1 event, there wasn't this two-handed approach. It was
2 just kind of a one-handed approach talking about the
3 design-basis earthquake, but neglecting to discuss the
4 inherent conservatisms that must be there to meet a
5 performance goal. Later on when Dr. Cornell joined
6 the team, we saw that the discussion now being more
7 fleshed out.

8 MR. GAUKLER: Now at this point in time
9 when you -- well, focusing on the last paragraph.

10 DR. BARTLETT: Okay.

11 MR. GAUKLER: Just the last paragraph, now
12 isn't that last paragraph stating that PFS' reliance
13 on a 2000 year design-basis earthquake is not
14 consistent with standards established for -- general
15 standards for buildings and highways?

16 DR. BARTLETT: Right. I'm just trying to
17 point out that these different organizations and
18 agencies have adopted a higher design-basis earthquake
19 than the 2000 year event.

20 MR. GAUKLER: Well, it's not appropriate
21 to say solely on that basis that --

22 COURT REPORTER: Excuse me, Mr. Gaukler.
23 You're breaking up.

24 MR. GAUKLER: It's not appropriate to say
25 on that basis that PFS' -- solely on that basis, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 PFS' use of a 2000 year design-basis earthquake is
2 inappropriate. Right?

3 DR. BARTLETT: No. We have to use a two-
4 handed approach. My concern when this was written,
5 and somewhat before I think Dr. Cornell joined the
6 team, that there was too much of a one-handed approach
7 just looking at the earthquake without considering the
8 conservatisms that were required.

9 MR. GAUKLER: Now this testimony was
10 initially written and filed April 1st. Correct?

11 DR. BARTLETT: Correct.

12 MR. GAUKLER: Of 2002. Correct?

13 DR. BARTLETT: Right.

14 MR. GAUKLER: And Dr. Cornell had provided
15 a lengthy declaration in November, 2001, had he not,
16 setting forth, essentially, the two-handed approach.
17 Correct?

18 DR. BARTLETT: I do recall in his
19 testimony discussion of risk reduction factors in the
20 beginning of a suggestion that facilities designed to
21 nuclear power plant standards had inherent in them
22 risk reduction factors. I believe from 5 to 20 was
23 stated. I think we took a little bit of exception,
24 saying that this isn't a standard design, and this
25 isn't a nuclear power plant. And it was, in our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 opinion, a little bit of a leap to use standards and
2 codes for nuclear power plants specifically for this
3 ISFSI, and that it should be based on site-specific
4 evaluations, and not relying on general codes and
5 standards, because this facility has a lot of
6 foundation issues, and how the foundation performs
7 affects cask stability. Is that fair?

8 MR. GAUKLER: I will get to that in a
9 second.

10 DR. BARTLETT: Okay.

11 MR. GAUKLER: But Dr. Cornell has set
12 forth the two-handed approach in the November, 2001
13 declaration. And, in fact, you referred various
14 places in your testimony --

15 DR. BARTLETT: He began to introduce it.
16 It was more fleshed out in his pre-filed testimony for
17 this hearing, but it was beginning to be introduced.
18 Yes.

19 MR. GAUKLER: Now would it be fair to say
20 that this last paragraph just slipped through the
21 cracks inadvertently, and really shouldn't be there.
22 It's not appropriate to be there?

23 DR. BARTLETT: I think if -- once we
24 recognize that we do need this two-handed approach,
25 that this paragraph is more historical. There was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concerns earlier on in the process where we didn't see
2 a discussion by the Applicant about this two-handed
3 approach, but I think certainly now recognized with
4 Dr. Cornell's testimony, that there is an attempt to
5 discuss this two-handed approach, and justify the
6 design basis, not only just on the design-basis
7 earthquake, but also on the conservatisms in the
8 design.

9 MR. GAUKLER: I'd like to turn now to
10 question and answer number 11, which gets into this
11 idea of the risk reduction factor, and the margins,
12 beyond design-basis margins and body, and codes and
13 standards. First of all, have you ever calculated or
14 determined a risk reduction factor?

15 DR. BARTLETT: I guess indirectly, sure,
16 through fragility curves.

17 MR. GAUKLER: And that's for --

18 DR. BARTLETT: Fragility curve could be
19 viewed as a suite of risk reduction factors for
20 various levels of earthquake motion.

21 MR. GAUKLER: Now I'd like to have you
22 turn to what's been marked as PFS Exhibit 244. Look
23 at the question and the answer on pages 15 and 16.
24 First of all, on page 15, middle of the page, there
25 you say you have not done any fragility curves in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 sense of a structural fragility.

2 DR. BARTLETT: That's correct.

3 MR. GAUKLER: Which you would readily
4 agree with. Correct?

5 DR. BARTLETT: Yes, I have not calculated
6 structural fragility curves. Our fragility curves
7 were for liquefaction and settlement.

8 MR. GAUKLER: And then you go down and
9 talk about -- the bottom of -- in question and answer
10 on the bottom of page 15, top of page 16, about
11 getting into risk reduction factors for soils, and
12 soil-type of issues.

13 DR. BARTLETT: Yes.

14 MR. GAUKLER: And you basically, if I
15 understand correctly, you basically say that -- there
16 that you really don't know how one would apply risk
17 reduction factor with respect to soil.

18 DR. BARTLETT: Yeah. It's a little bit
19 difficult for soils and foundation issues, because we
20 don't have -- risk reduction factors are really
21 deterministically done, and there are extra
22 conservatisms and margins inherent in structural
23 mechanical codes, which generally don't apply to
24 foundation systems. And just to help you with this
25 maybe a little bit, why I'm making these statements is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 -- if I may turn to DOE Standard 1020-94, here's what
2 it says about foundations. And it's on page 2-24.
3 And it refers to equation 2-7, which is on the
4 previous page. 2-7 would be on page 2-23, and we
5 could talk about that if you want, but it says:

6 "Equation 2-7 is useful in developing
7 alternative evaluation acceptance criteria, which are
8 also based on target performance goals, such as in
9 elastic seismic response analysis. To evaluate items
10 for which specific acceptance are not yet developed,
11 such as overturning or sliding of foundations, or some
12 systems and components, this basic intention must be
13 met."

14 And it's the intention outlined in
15 Equation 2-7. So quite often, we find ourselves, at
16 least for foundations and geotechnical engineers, we
17 can't really rely solely on risk reduction factors
18 because we don't have that body of code. Much of our
19 discipline is more judgment-based. And, in fact, at
20 Savannah River, because we didn't have really risk
21 reduction factors calculated for foundations, we went
22 to a purely probabalistic technique, and developed
23 fragility curves, so I hope that explains what I'm
24 trying to say. General structure -- general
25 acceptance criteria are sometimes not available for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 foundations, and the appropriate risk reduction
2 factors.

3 MR. GAUKLER: Let's just focus briefly on
4 risk reduction factors in a general concept. If you
5 understand Dr. Cornell's testimony, for typical
6 nuclear power plant components, there's a -- for
7 typical nuclear power plant components designed to the
8 NRC Standard Review Plan, there is a risk reduction
9 factor of a range of 5 to 20. Is that your
10 understanding?

11 DR. BARTLETT: That's my understanding for
12 structural mechanical design. That's correct.

13 MR. GAUKLER: And you have no basis to
14 take issue with that.

15 DR. BARTLETT: I do not.

16 MR. GAUKLER: And you further understand,
17 do you not, that the determination of those risk
18 reduction factors has evolved over time through
19 numerous seismic probability risk assessments of
20 existing nuclear power plants.

21 DR. BARTLETT: I'm sure it's evolved
22 through probabalistic seismic risk assessments, and
23 probably also evaluation of facilities and design
24 under real earthquake conditions, so I imagine there's
25 quite a lengthy process that has gone through to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 derive those risk reduction factors for structural
2 mechanical design. Yes.

3 MR. GAUKLER: And you would also agree,
4 would you not, that there are foundations in nuclear
5 power plant, and foundation issues that would be
6 related and evaluated with evaluating the seismic
7 performance of nuclear power plants --

8 DR. BARTLETT: Well, the only --

9 MR. GAUKLER: -- in seismic probability
10 risk assessments?

11 DR. BARTLETT: They're really not
12 applicable codes and standards in that sense for
13 foundation design. Mainly, there is one criterion
14 which is a factor of safety, that a facility must
15 demonstrate against the safe-shutdown earthquake for
16 that facility, so there's not really in the same sense
17 that you're talking about, there's only an acceptance
18 criterion, but not codes and standards, at least that
19 look at the foundation issues for sliding and
20 overturning.

21 MR. GAUKLER: But I was looking at -- I
22 was going to the question of conservatisms in the
23 acceptance criteria, whether they be acceptance
24 criteria in codes or standards, or the Acceptance
25 Criteria 1.1 with respect to sliding and overturning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that you just referred to.

2 Wouldn't -- do you know whether or not the
3 seismic probability risk assessments for nuclear power
4 plants would include evaluations of foundation safety
5 with respect to acceptance criteria of that sort?

6 DR. BARTLETT: I wouldn't believe they do
7 it for sliding and overturning mechanisms. No.

8 MR. GAUKLER: You don't think that --

9 DR. BARTLETT: It's generally thought that
10 at least if you meet the requirements for nuclear
11 power plants of a factor of safety 1.1 against the
12 safe-shutdown earthquake, that sliding and overturning
13 issues don't enter into the evaluation. But I would
14 -- I have not seen any calculations looking at sliding
15 and overturning as mechanisms, and still trying to
16 demonstrate adequate performance for a presumed
17 sliding condition. We just don't try to reach that
18 condition. It's a limiting condition to us.

19 MR. GAUKLER: So are you saying that the
20 seismic probability risk assessments for nuclear power
21 plants were not have considered foundation issues,
22 such as sliding and overturning, things of that sort?

23 DR. BARTLETT: I'd be surprised that, you
24 know, that they looked at those failure mechanisms.

25 MR. GAUKLER: I take it you don't know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 yourself whether they did or not. Is that --

2 DR. BARTLETT: Well, my experience in DOE
3 is that we had no acceptance -- well, we had no codes
4 and standards. We -- as I just read you, there was no
5 acceptance criteria for those, so one would have to
6 develop your own acceptance criteria for the
7 foundations and their performance.

8 MR. GAUKLER: But you, yourself, don't
9 know what was looked at with respect to the seismic
10 PRAs done for nuclear power plants --

11 DR. BARTLETT: No, I --

12 MR. GAUKLER: -- from which the 5 to 20
13 factor was developed by Dr. Cornell, do you?

14 DR. BARTLETT: Whether it included
15 mechanisms of sliding, and overturning, and bearing
16 capacity in those evaluations, no, I can't explicitly
17 say that it did or did not, because I wasn't part of
18 those evaluations.

19 MR. GAUKLER: You also raised -- well,
20 first of all, do you understand that the risk
21 reduction factors of 5 to -- strike that.

22 Do you understand that the conservatisms
23 embodied in the Nuclear Regulatory Standard Review
24 Plan for typical nuclear power plant components is the
25 same or greater than the risk reduction factor applied

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D.C. 20005-3701

1 by DOE with respect to Pc-4 categories?

2 DR. BARTLETT: I cannot really comment on
3 that. I'm not sure.

4 MR. GAUKLER: You have no opinion one way
5 or the other, or knowledge.

6 DR. BARTLETT: No.

7 MR. GAUKLER: Okay. Now you have referred
8 to, in several of your answers this morning, and you
9 also discussed in, I believe, question and answer 27
10 of your testimony, this concept of whether the 5 to 20
11 factor, risk reduction factor that exists for typical
12 nuclear power plant components can be applied to
13 ISFSIs. Is that correct? If you'd look at --

14 DR. BARTLETT: Yes. It's particularly the
15 -- I believe the next to the last paragraph that
16 begins to discuss whether the same level of
17 conservatism is in the NUREGS that govern ISFSI
18 design, versus those of nuclear power plants.

19 MR. GAUKLER: And I believe at the end of
20 the third paragraph, specifically state that, "PFS has
21 not shown that the Standard Review Plans for dry cask
22 storage systems and ISFSIs provided an equivalent or
23 greater level of conservatism than that claimed for
24 nuclear power plant SRPs." Right?

25 DR. BARTLETT: Yes, I recall that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C 20005-3701

1 statement.

2 MR. GAUKLER: And then you will say down
3 a little bit further in the middle of the next
4 paragraph. "In sum, SRPs for dry cask storage system
5 and ISFSIs may already incorporate less design
6 conservatism than NPP SRPs." Correct?

7 DR. BARTLETT: That's correct.

8 MR. GAUKLER: Now what struck me in that
9 particular sentence was your use of the word "may".
10 I take it you don't know, as a fact of the matter,
11 whether they do or don't.

12 DR. BARTLETT: Well, I only have one
13 specific example, maybe to give you about that "may"
14 that's being referred to there. For example, if we go
15 to the acceptance criteria for foundation systems for
16 nuclear power plants, which is in NUREG 0800, Section
17 3.8.4 and 3.8.5.

18 MR. GAUKLER: Mention those again, please.

19 DR. BARTLETT: They are in NUREG 0800. I
20 think the structural acceptance criteria are found in
21 Section 3.8.5, and I think to look at the design
22 loadings and cases, you need to refer to 3.8.4. But
23 the -- that document spells out acceptable factors of
24 safety against sliding and overturning for the design-
25 basis earthquake as 1.1.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We've also -- it doesn't mention bearing
2 capacity, but the Applicant has accepted also 1.1 as
3 a factor of safety against bearing capacity, and we
4 have not taken any issue with that. But just recall
5 that if one was designing according to NUREG 0800,
6 Section 3.8.5, that the design-basis earthquake that
7 one would use in evaluating the factors of safety
8 against sliding and overturning would be the safe-
9 shutdown earthquake for a nuclear power plant. ISFSIs
10 are not governed by -- are not designed, at least my
11 understanding of the seismic exemption is that they're
12 not going to be designed to a safe-shutdown earthquake
13 for a nuclear power plant. They're being designed for
14 an earthquake that has a 2000 year return period
15 event, so already, even if you meet the factor of
16 safety of 1.1 for a 2000 year return period event
17 doesn't imply that you're going to meet it for safe-
18 shutdown earthquake for a nuclear power plant. So
19 there's already some unconservatism introduced just in
20 the simple factor of safety.

21 MR. GAUKLER: Aren't you really confusing
22 the concept of risk reduction factor with respect to
23 the performance objective, interrelating the --

24 DR. BARTLETT: No, I don't think so. A
25 nuclear power plant, if one was to apply the risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

(202) 234-4433

(202) 234-4433

1 reduction factors of 5 to 20 and say that they are
2 valid, you would have to recognize that the factor of
3 safety against sliding and overturning done for a
4 nuclear power plant would meet a factor of safety
5 against sliding and overturning of 1.1 for the safe-
6 shutdown earthquake for a nuclear power plant.

7 MR. GAUKLER: And the safe-shutdown
8 earthquake for a nuclear power plant is the design-
9 basis earthquake for the nuclear power plant.
10 Correct?

11 DR. BARTLETT: That is correct.

12 MR. GAUKLER: And here we're just applying
13 the 1.1?

14 DR. BARTLETT: To a different earthquake.

15 MR. GAUKLER: To a different earthquake.
16 That is the design-basis earthquake.

17 DR. BARTLETT: But the margins against
18 failure are different because we're using a lower
19 standard earthquake.

20 MR. GAUKLER: But isn't that the whole
21 issue here in terms of what earthquake should be used?
22 And in that context, you've already said that it was
23 a two-handed approach. One, you would look at the
24 earthquake itself. And the second, you look at the
25 conservatisms inherent in the codes and standards.

1 And you -- right now, I thought we were talking about
2 the risk reduction factor, or the conservatisms in the
3 codes and standards. And my sense is, in your last
4 couple of answers, you've gone back to say it's less
5 conservative because the design-basis earthquake is
6 less conservative. Is that what I understand you to
7 say?

8 DR. BARTLETT: I'm saying if one is to
9 infer that the risk reduction factors that have been
10 developed for nuclear power plants are directly
11 applicable to ISFSI, I would have to take exception
12 with that, because the risk reduction factors for
13 nuclear power plants are based on meeting and
14 acceptable factor of safety against sliding and
15 overturning for a safe-shutdown earthquake for the
16 design of a nuclear power plant.

17 The Applicant here, in this case, is
18 trying to use that same factor of safety for a less
19 severe earthquake, so I'm not sure those risk
20 reduction factors strictly apply here.

21 MR. GAUKLER: And I guess my point is,
22 aren't you interchanging the two -- in the two-handed
23 approach, aren't you now mixing the two together,
24 because --

25 DR. BARTLETT: I don't believe I'm mixing

1 them. I'm telling you that the factor of safety that
2 one chooses is a function of the design-basis
3 earthquake. When you use a less severe design-basis
4 earthquake, even if you meet the same factor of
5 safety, you have less margin in your design. It's just
6 that simple, because factor of safety is based on both
7 the capacity and demand. And if you reduce the
8 demand, but keep the factor of safety the same, you
9 don't have the same margin.

10 MR. GAUKLER: But that -- don't those
11 things go to the performance, ultimate performance
12 that you reach. Correct? And it's a reachable
13 performance objective for ISFSIs than nuclear power
14 plants, is what it comes down to. And that, at least
15 according to Dr. Arabasz, is acceptable.

16 DR. BARTLETT: I'm not sure I understood
17 what that was being discussed there, but the fact is
18 that when you look at those risk reduction factors for
19 nuclear power plants, they've based on a certain
20 design-basis earthquake. And the factor of safety is
21 a function of the design-basis earthquake. And even
22 for an ISFSI, if you meet the same factor of safety,
23 but you're doing it for a lower design-basis
24 earthquake, there's already some inherent margin in
25 the design that has left, because you're using a less

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 severe event, so I can't see how we can say, at least
2 for foundation design, that these risk reduction
3 factors developed for nuclear power plants are
4 strictly applicable to ISFSIs, at least from the
5 foundation perspective.

6 MR. GAUKLER: And as I hear it, all your
7 discussion right now has been limited to foundations.
8 Correct? Even your previous --

9 DR. BARTLETT: That is correct. I will
10 not say those statements about structural mechanical
11 design.

12 MR. GAUKLER: Okay. And you -- now in
13 terms of the comparison of the SRPs for ISFSIs versus
14 the SRPs in nuclear power plants, you make reference
15 that the ISFSIs SRPs may differ in terms of
16 conservatisms than the nuclear power plants SRPs. You
17 have not made an evaluation of the two, have you?

18 DR. BARTLETT: No, it was just a concern.
19 Whether -- not knowing those codes completely, had we
20 already removed some of the conservatism in design to
21 the ISFSIs and their appropriate reg guides, versus
22 nuclear power plants, because I just expressed one
23 concern in terms of factor of safety in design. And
24 so, I -- you know, it was a concern whether we had
25 already removed some conservatisms with the ISFSI

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NUREGs.

2 MR. GAUKLER: Now you've read Dr.
3 Cornell's --

4 DR. BARTLETT: I have.

5 MR. GAUKLER: And you've read in there, I
6 take it, that he looked at the SRPs for ISFSIs, and
7 compared it to the SRPs for nuclear power plants. Do
8 you remember that?

9 DR. BARTLETT: Yes, I do.

10 MR. GAUKLER: And do you recall that he
11 concluded based upon that evaluation that the levels
12 of conservatisms are the same with respect to the SRPs
13 for nuclear power plants, and those for ISFSIs?

14 DR. BARTLETT: I do recall that, yes.

15 MR. GAUKLER: And you have no basis to
16 disagree with that, I take it?

17 DR. BARTLETT: I do on the foundations
18 issues that we've just discussed. I'm not sure that
19 they're the same levels of conservatism based on the
20 foundation design.

21 MR. GAUKLER: And on the foundation
22 design, you have no basis to disagree with Dr. Cornell
23 concludes in his testimony. Is that a fair statement?

24 DR. BARTLETT: Yes, because I'm not a
25 structural or mechanical engineer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

1 MR. GAUKLER: This might be a good time to
2 take a break, Your Honor.

3 CHAIRMAN FARRAR: Before we do that, let
4 me ask you how you're doing in terms of time.

5 MR. GAUKLER: I expect to be done this
6 morning.

7 CHAIRMAN FARRAR: This morning means noon.

8 MR. GAUKLER: I think that's correct.

9 CHAIRMAN FARRAR: Okay.

10 MR. GAUKLER: I have something -- maybe I
11 may have to review my things over noon. I may have a
12 few follow-up after lunch, but I'm more than halfway
13 through.

14 CHAIRMAN FARRAR: Mr. Turk, is some of
15 your plan being covered by the Company?

16 MR. TURK: Yes. My own estimate would be
17 two hours with bounded, probably more going to be on
18 the order of an hour and a half, or less.

19 CHAIRMAN FARRAR: All right. So if --

20 MR. TURK: I'll know more as the morning
21 progresses.

22 CHAIRMAN FARRAR: If we finish -- Ms.
23 Chancellor or Ms. Nakahara, you were hoping to finish
24 by what time tomorrow?

25 MS. NAKAHARA: Noon. With Dr. Cornell's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D C. 20005-3701

1 rebuttal testimony also.

2 CHAIRMAN FARRAR: Right. Do we have to
3 finish Dr. Bartlett before -- how much progress do we
4 have to make on Dr. Cornell today to finish by noon
5 tomorrow?

6 MR. GAUKLER: I'm going to hand out now
7 rebuttal testimony for Dr. Cornell with respect to the
8 testimony of DR. Arabasz. I've already given the
9 State a draft yesterday so they could start talking
10 with DR. Arabasz.

11 In addition, we will probably have some
12 rebuttal from Dr. Cornell with respect to Dr.
13 Bartlett, but I can't say that until after I get done
14 with cross examination. It depends upon the answers
15 I get in cross.

16 CHAIRMAN FARRAR: Well, do we need --

17 MR. GAUKLER: But whatever rebuttal I have
18 with respect to Dr. Cornell and Dr. Bartlett will not
19 be very long. It would be -- the oral questions and
20 answers would be less than a half hour, I'm sure.

21 CHAIRMAN FARRAR: If the State received
22 Dr. Cornell's rebuttal yesterday, have you had time to
23 do enough analysis of it to predict how long you need
24 on cross examination?

25 MS. CHANCELLOR: No rebuttal, Your Honor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We don't -- one thing we can say is that we don't
2 expect to call Dr. Arabasz back to rebut the
3 surrebuttal of Dr. Cornell's rebuttal.

4 CHAIRMAN FARRAR: Well, then if we started
5 Dr. Cornell tomorrow, would we finish him by noon, or
6 do we have to get him on the stand this afternoon?

7 MR. GAUKLER: I think we could easily
8 finish by noon.

9 MS. NAKAHARA: That's assuming that
10 there's only a half an hour rebuttal testimony.

11 MR. GAUKLER: And I say that's a -- I view
12 that as a maximum. I think it would be less than
13 that.

14 CHAIRMAN FARRAR: Maybe what we should do
15 is plan to have Dr. Cornell deliver his rebuttal
16 today. That gives the State overnight to think about
17 -- have him do all his rebuttal.

18 MR. GAUKLER: One thing I would want to
19 review and think about what Dr. Bartlett has said in
20 terms of developing -- to what extent I need rebuttal.
21 I could -- I wouldn't mind giving what I have ready to
22 go, but it's conceivable I may have several questions
23 more in the morning. I don't expect much, if
24 anything.

25 MS. CHANCELLOR: Are you going to do any

1 written rebuttal with respect to Dr. Bartlett?

2 MR. GAUKLER: I thought about that, but
3 when I looked through what Dr. Bartlett has stated, I
4 didn't have anything that I wanted to rebut based upon
5 the written testimony, so in terms of his written
6 testimony as of right now, there was no really written
7 rebuttal, and therefore, I didn't prepare any, because
8 it really depends on cross examination.

9 MS. CHANCELLOR: So your rebuttal would
10 just be to the questions that come out during
11 testimony.

12 MR. GAUKLER: Basically, yes.

13 MS. CHANCELLOR: Okay.

14 MS. NAKAHARA: This presumes the Staff is
15 not putting on any rebuttal to Dr. Bartlett.

16 MR. TURK: We haven't discussed that among
17 ourselves yet, but at this point, I don't personally
18 anticipate putting on rebuttal to Dr. Bartlett.

19 CHAIRMAN FARRAR: Why don't we see if we
20 can't get Dr. Cornell on the stand by 4:00 today, and
21 that way the State gets -- we have to decide who gets
22 overnight to prepare. And given the relative
23 resources and the home court advantage which the State
24 enjoyed out there, but you all enjoy here, I'd like to
25 get Dr. Cornell on, both as a matter of timing, and to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE, N W

WASHINGTON, D.C. 20005-3701

1 make sure the State had a chance to prepare its cross,
2 which would make that go faster.

3 MR. GAUKLER: And I'm sure that just
4 taking a 15, 20 minute break, or some appropriate
5 break would be sufficient for us. Yes, Your Honor.

6 CHAIRMAN FARRAR: Okay.

7 MR. GAUKLER: We'll get done with Dr.
8 Bartlett about that time.

9 MR. TRAVIESO-DIAZ: I would also note that
10 Dr. Cornell's written rebuttal is very short.

11 CHAIRMAN FARRAR: Right. Five pages.
12 Yeah. A little over four. All right.

13 (Off the record 10:32:21 - 10:52:41 a.m.)

14 CHAIRMAN FARRAR: We're reminded that
15 today is the day the cafeteria breaks down, I think
16 for an awards ceremony. It shuts at 1:00, but they
17 start breaking it down at 12:30, so we will adjourn at
18 noon, so everyone can get lunch without having to go
19 out of the building.

20 Go ahead, Mr. Gaukler. How much time do
21 you think you will need?

22 MR. GAUKLER: I would say less than an
23 hour.

24 CHAIRMAN FARRAR: Oh, good.

25 MR. GAUKLER: I may need to take a break

1 to talk with Dr. Cornell on a couple of subjects yet
2 in that time.

3 CHAIRMAN FARRAR: All right, that would be
4 excellent.

5 MR. TURK: And if he does that, would he
6 qualify for one of the awards today.

7 CHAIRMAN FARRAR: We will put his name in
8 and see what happens.

9 (Laughter.)

10 MR. TRAVIESO-DIAZ: Please have mine.

11 (Laughter.)

12 MS. NAKAHARA: Is it a monetary award?

13 (Laughter.)

14 MR. GAUKLER: Dr. Bartlett, I would like
15 to go back to what we were talking about, briefly
16 about the effect of margins with respect to
17 foundations for SRPs for nuclear power plants and for
18 ISFSIs, okay?

19 DR. BARTLETT: Yes.

20 MR. GAUKLER: Now, first of all, isn't it
21 true that the overall risk that you're trying to
22 achieve with an ISFSI is lower -- higher than that for
23 a nuclear power plant using the risk-rated approach?

24 DR. BARTLETT: One would allow a higher
25 probability of failure for an ISFSI versus a nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

1 power plant.

2 MR. GAUKLER: So you would agree --

3 DR. BARTLETT: If you would consider DOE
4 as a framework, yes, there are different performance
5 goals for PC Category 4 versus PC Category 3.

6 MR. GAUKLER: Using the risk-rated
7 approach?

8 DR. BARTLETT: Yes.

9 MR. GAUKLER: Now when using this two-
10 handed approach, and for ISFSIs you can have a higher
11 level of risk than for nuclear power plants, when you
12 reduce or lower the design basis earthquake, you will
13 come out with some, assuming you keep the
14 conservatisms the same, you will come out with some
15 higher risks than you would have for a nuclear power
16 plant?

17 DR. BARTLETT: Could you define what you
18 mean "keeping the conservatisms the same," the factor
19 of safety --

20 MR. GAUKLER: The factor of safety the
21 same, yes, the risk reduction factor.

22 DR. BARTLETT: Now, excuse me, please ask
23 the question again.

24 MR. GAUKLER: Okay. Assuming you hold the
25 risk reduction factor the same you have for nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 power plants, but you reduce the design basis
2 earthquake, you are, in effect, allowing or providing
3 for a higher risk at that point in time, assuming that
4 would be the basis for your ISFSI design, correct?

5 DR. BARTLETT: If we talk about a risk
6 reduction factor related to factor of safety, I'm not
7 sure we can make a fair comparison because risk
8 reduction factors are inherent margins in the design
9 -- a factor safety expresses a margin in a design.

10 MR. GAUKLER: Well, let's assume at this
11 point we keep the risk reduction factor the same.

12 DR. BARTLETT: To me, that just said I
13 kept the factor of safety, the margin in the factor of
14 a safety the same. I'm just having a hard time
15 relating risk reduction factors to factors of safety.

16 MR. GAUKLER: Now let's go back, just
17 using the two-handed approach --

18 DR. BARTLETT: Okay.

19 MR. GAUKLER: -- you can increase the
20 allowable risk by two methods. Either you could allow
21 a lower design basis earthquake or you could reduce
22 the risk reduction factor. Either way, using this
23 two-handed approach, you would be allowing a higher
24 risk for ISFSIs compared to nuclear power plants?

25 DR. BARTLETT: Sure. We talked about an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C. 20005-3701

1 example of maybe the DOE Standard 1020-94 which uses
2 a 2,000-year design basis earthquake and risk
3 reduction factor of five versus a 2,500-year return
4 period that's now in the new DOE standard and a risk
5 reduction factor of four, but you achieve the same
6 target performance goal.

7 MR. GAUKLER: Right.

8 DR. BARTLETT: I understand that.

9 MR. GAUKLER: Okay. So I guess my basic
10 question that I was asking about before, which I was
11 having a problem understanding is, assuming that I
12 just take and change my design basis earthquake --

13 DR. BARTLETT: Okay, your factor of safety
14 will change. Okay.

15 MR. GAUKLER: And factor of safety will
16 stay the same, assuming --

17 DR. BARTLETT: No, it won't. It will
18 change. Factor of safety is a function demand divided
19 -- capacity divided by demand. So by changing the
20 demand, you change the factor of safety.

21 CHAIRMAN FARRAR: Mr. Gaukler, let me ask
22 a question over here. It seems at this stage of the
23 proceeding what you're talking about is a truism. I
24 mean I don't that your asking the witness about it --
25 in other words, we understand at this point the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 relationships you're talking about. I don't know what
2 this question -- everyone's struggling with the way
3 this is framed, and I don't know that we're --

4 JUDGE LAM: Where are you going, Mr.
5 Gaukler?

6 CHAIRMAN FARRAR: Yes, where is this
7 going?

8 MR. GAUKLER: Yes, my understanding is
9 that if you decrease the design basis earthquake, you
10 can adjust the overall risk performance two ways,
11 either by adjusting the design basis earthquake or the
12 risk reduction factor.

13 CHAIRMAN FARRAR: I would think everyone
14 in the room has that understanding So I don't know
15 why we need to belabor it through a witness.

16 MR. GAUKLER: The only reason I was
17 getting to it was he was claiming that the risk
18 reduction factors in SRPs for ISFSIs are less than the
19 risk reduction factors for nuclear power plants with
20 respect to foundation. That's what I was driving at.

21 DR. BARTLETT: May I help?

22 CHAIRMAN FARRAR: Yes.

23 MR. GAUKLER: Yes.

24 DR. BARTLETT: The factor of safety is
25 just simply a ratio of capacity divided by demand. If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you keep your capacity the same but change the demand,
2 change the earthquake, the design basis earthquake,
3 the factor safety changes. It's just a simple ratio.
4 I'm not sure I can relate this back to risk reduction
5 factors, but I'm just pointing that when one designs
6 for a nuclear power plant, and looking at it from a
7 factor of safety viewpoint, one would determine the
8 capacity of the system and divide it by the demand,
9 which would be the design basis earthquake for a
10 nuclear power plant, and calculate a factor of safety.

11 However, if one goes to design of an
12 ISFSI, let's select maybe a 2,000-year return period,
13 the demand is less, and the factor of safety that one
14 would calculate would be higher. It's simple capacity
15 demand concepts.

16 MR. GAUKLER: On this concept that you're
17 talking about, if you reduce the design basis
18 earthquake capacity, and you kept the same capacity,
19 the factor of safety would increase.

20 DR. BARTLETT: If you decrease the demand,
21 the factor of safety would increase. A nuclear power
22 plant is designed to have a factor of safety of 1.1
23 against a design basis earthquake or, say, a shutdown
24 earthquake for a nuclear power plant.

25 MR. GAUKLER: If I understand what you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saying, it is that --

2 DR. BARTLETT: Here's the important point.
3 The Applicant has done all its design basis
4 calculations not using a design basis earthquake for
5 a nuclear power plant. It has used a 2,000-year
6 return period event and tried to demonstrate that they
7 have a factor of safety of 1.1, but the margins in
8 that philosophy is different and less than if we were
9 to design it for a nuclear power plant, because of the
10 fact that you've accepted a lower design basis
11 earthquake, kept the factor of safety the same, and
12 let's say you were at 1.2; you don't have the same
13 margins as you would if you were designing for a safe
14 shutdown earthquake. It's because you've changed --
15 you're designing to a less severe event.

16 It's very clear to me, if you accept 1.1
17 and say an Applicant met 1.1 for a 2,000-year return
18 period event and demonstrated they had 1.1 with a
19 little bit of margin, they certainly couldn't claim
20 that they had a 1.1 margin against failure for, say,
21 a 10,000-year return period event because the demand
22 is much higher.

23 So factor of safety expresses the capacity
24 demand ratios, but it's dependent on both sides. You
25 have to consider the two-handed approach. But nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C 20005-3701

(202) 234-4433

(202) 234-4433

1 power plants are designed for a factor of safety of
2 1.1 for a safe shutdown earthquake for a nuclear power
3 plant. This ISFSI we're talking about is not being
4 designed for a safe shutdown earthquake. It's being
5 designed to a lesser event, but still trying to
6 demonstrate a minimum factor of safety of 1.1.

7 MR. GAUKLER: I guess my simple point is
8 that, would you agree with me, then, that with respect
9 to the margins, and with respect to the ISFSI
10 earthquake, using the same margin 1.1 --

11 DR. BARTLETT: Doesn't --

12 MR. GAUKLER: -- results in the same
13 factor of safety --

14 DR. BARTLETT: No, it doesn't give the
15 same -- it doesn't give you the same conservatism.

16 MR. GAUKLER: -- insofar as the design
17 basis earthquake -- let me complete my question, okay?

18 DR. BARTLETT: Sure.

19 MR. GAUKLER: This will probably be the
20 last one because I think we've probably beat this
21 horse enough after this. If I use the factor of 1.1,
22 and not taking into account the other conservatisms,
23 just the 1.1 --

24 DR. BARTLETT: Okay, for an ISFSI now?

25 MR. GAUKLER: ISFSI, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: Okay.

2 MR. GAUKLER: Uh-hum, with my lower design
3 basis earthquake, okay?

4 DR. BARTLETT: Okay.

5 MR. GAUKLER: And so my demand is lower
6 than for a nuclear power plant.

7 DR. BARTLETT: Correct.

8 MR. GAUKLER: And I design my ISFSI for a
9 factor of safety, using the same factor of safety, 1.1
10 --

11 DR. BARTLETT: Okay.

12 MR. GAUKLER: Don't I have the same factor
13 of safety in both instances with respect to the
14 nuclear power plant and the -- let me complete my
15 question -- the nuclear power plant and the ISFSI with
16 respect to the respective earthquakes? In other
17 words, the ISFSI has a factor of safety with respect
18 to its earthquake in this example of .1, and the
19 reactor has a factor of safety with respect to its
20 design basis earthquake of .1.

21 DR. BARTLETT: Right.

22 MR. GAUKLER: Therefore, the factor of
23 safety, by adjusting both the capacity and the demand,
24 basically remains the same, correct?

25 DR. BARTLETT: No, they don't have the

1 same margins. One is designed to a less conservative
2 earthquake, so it has lesser margins actually, real
3 margins.

4 MR. GAUKLER: But in terms of proportional
5 margins they're the same, correct?

6 DR. BARTLETT: Well, I don't understand
7 why we want to talk about proportional margins. I
8 mean --

9 MR. GAUKLER: We're talking about
10 proportional risk as well. Would you agree with me
11 that the proportional margins are the same?

12 DR. BARTLETT: Yes, but I don't understand
13 how it's germane -- go ahead.

14 MR. GAUKLER: Okay, we can argue the
15 germaneness then.

16 Since we're talking about margins in the
17 context of foundations, I would just like to hand out
18 courtesy copies of Mr. Trudeau's rebuttal testimony
19 with respect to falls.

20 In this testimony Mr. Trudeau sets forth
21 what he believes are various conservatisms in his
22 calculation of the safety factor, factor of safety,
23 with respect to sliding and bearing capacity back to
24 the design of the pads, correct?

25 DR. BARTLETT: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

1 MR. GAUKLER: Now I know you don't agree
2 necessarily with all the conservatisms that are
3 referred to by Mr. Trudeau here. You've agreed with
4 some, disagreed with others?

5 DR. BARTLETT: That's correct.

6 MR. GAUKLER: But would you agree that,
7 assuming that Mr. Trudeau is correct, that he, in
8 effect, has shown sufficient conservatism such that
9 ISFSI or the pad would be protected, say, for example,
10 against sliding in a 10,000-year earthquake?

11 DR. BARTLETT: No, he has not.

12 MR. GAUKLER: You don't think he has?

13 DR. BARTLETT: No, he's not evaluated a
14 10,000-year return period earthquake. He's only
15 evaluated a 2,000-year return period.

16 MR. GAUKLER: You're claiming that the
17 margins here do not?

18 DR. BARTLETT: No, I don't think any
19 justification -- it's hard to linearly interpolate a
20 design that's based on a 2,000-year return period and
21 try to figure out what it would do for a 10,000-year
22 return period event. We have not seen any
23 calculations for a 10,000-year return period event.
24 So I just cannot really comment.

25 The Applicant's calculations for the

1 sliding, overturning, and bearing capacity of the pads
2 in the canister transfer building have been based on
3 a 2,000-year period event. It's quite a leap of faith
4 to try to extrapolate that to a 10,000-year period,
5 return period.

6 MR. GAUKLER: Now with respect to the cask
7 stability analysis done by Holtec, they've used a
8 10,000-year event with respect to that, correct?

9 DR. BARTLETT: I'm familiar that they have
10 done calculations for that, yes.

11 MR. GAUKLER: Assuming, hypothetically,
12 that Holtec's simulations were correct, that would
13 show the capability to meet, survive a 10,000-year
14 earthquake, isn't that correct? We have no basis to
15 disagree with that conclusion?

16 DR. BARTLETT: I have a lot of basis to
17 disagree with Holtec's calculations but I don't know
18 if we want to get into them.

19 MR. GAUKLER: Assuming, hypothetically,
20 that the calculation is correct -- it's a
21 hypothetical.

22 DR. BARTLETT: Well, a lot of our concerns
23 with Holtec's calculations are not so much what they
24 did, but what they didn't do and what they didn't
25 analyze for.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C. 20005-3701

1 MR. GAUKLER: Assuming the results of
2 Holtec's calculations are correct --

3 DR. BARTLETT: I can't assume about
4 omissions.

5 MR. GAUKLER: You can't assume about what?

6 DR. BARTLETT: I can't assume about
7 omissions. A lot of our points that we make about
8 Holtec's calculations are conditions and things that
9 they didn't analyze for.

10 MR. GAUKLER: Assuming that the results of
11 Holtec's calculations are correct, hypothetically --

12 DR. BARTLETT: How do I assume about an
13 admission that has never been calculated?

14 MR. GAUKLER: I'm asking you a
15 hypothetical question.

16 CHAIRMAN FARRAR: Dr. Bartlett, he's
17 entitled to ask a hypothetical. No matter how out of
18 keeping with reality you think the hypothetical may
19 be, this is a legitimate technique in the legal field.

20 DR. BARTLETT: Sure.

21 CHAIRMAN FARRAR: If he says, "Assume
22 this. What's the conclusion?", you can give an answer
23 that gives away the conclusion, but if your other
24 evidence shows you don't agree with the hypothesis,
25 then your answer doesn't harm your client's interest.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So listen to his hypothetical, if you would, and
2 answer it on that basis.

3 DR. BARTLETT: Sure.

4 CHAIRMAN FARRAR: Go ahead and ask it
5 again, Mr. Gaukler.

6 MR. GAUKLER: Assuming that the results of
7 Holtec's evaluation of the 10,000-year earthquake are
8 correct, will show no tipover of the casks, doesn't
9 that show the capability of meeting a performance
10 objective and meeting the goal of surviving a 10,000-
11 year earthquake?

12 DR. BARTLETT: No, because Holtec's
13 calculations they put thus far to us have not looked
14 at sliding, overturning, and bearing capacity failure
15 of the foundations, the results of those failures on
16 the stability of the casks for a 10,000-year return
17 period event. So that I can't make assumptions about
18 calculations that haven't been performed.

19 MR. GAUKLER: Well, assume that there is
20 no overturning, assume that there is no sliding of the
21 pad, and assuming the results of Holtec's calculations
22 are correct, what is your answer then?

23 DR. BARTLETT: If there is no failure of
24 the foundation systems in those modes, I'm not sure I
25 can fully render an opinion then. I know Dr. Kahn

1 raised other issues that deal more with the analyses
2 themselves, but if Holtec had done those analyses
3 correctly and all of Dr. Kahn's concerns are resolved,
4 then I guess in your hypothetical sense then I would
5 have to -- I don't know what I'm supposed to agree to,
6 but --

7 MR. GAUKLER: In the hypothetical sense
8 that the cask would survive a 10,000-year earthquake
9 without tipping over.

10 DR. BARTLETT: If Dr. Kahn's issues are
11 resolved and there are no foundation stability issues
12 of how it may impact cask sliding, yes, I would agree.

13 MR. GAUKLER: Thank you, Dr. Bartlett.

14 JUDGE LAM: Dr. Bartlett, when you talk
15 about foundation failure, what type of failure do you
16 have in mind?

17 DR. BARTLETT: Probably the one that's of
18 greatest concern right now is sliding. When we look
19 at potential sliding that now may be on the order of
20 inches, maybe six inches or so, we believe that that
21 large amount of sliding definitely causes severe pad-
22 to-pad interaction. We haven't really seen an
23 evaluation of that severity of sliding. I think most
24 of the calculations that we have seen thus far really
25 don't capture the sliding mechanism, and even Holtec's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 most recent calculations, I think they only allowed a
2 .6-inch gap to occur. We would believe that, if
3 sliding does occur, that the gapping could be much
4 larger than that. It's really an uncontrolled
5 condition. I don't think I've seen any models that
6 really capture what sliding could do in relation to
7 cask stability.

8 JUDGE LAM: So you are not referring to
9 the ground opens up and the pad will collapse?

10 DR. BARTLETT: No, it's transfer of
11 unaccounted for inertial forces due to the sliding.
12 Now in the case of bearing capacity, it's of lesser
13 concern because it doesn't seem to be quite -- the
14 bearing capacity analysis the Applicant has done for
15 the 2,000-year return period, as I said in my
16 surrebuttal, seems to be adequately conservative. But
17 we haven't looked at design calculations for the
18 10,000-year return period.

19 So I'm not saying that there is bearing
20 capacity failure for the 10,000-year return period,
21 but there's a point where it could be possible. That
22 would cause now the beginnings of pad rotation. We
23 haven't seen any analyses that really look at pad
24 rotation issues.

25 Also, I don't think that there will be

1 overturning of a pad foundation, even for a 10,000-
2 year return period, but, however, we can now start to
3 get uplift and rocking components, as that tries to
4 overturn but can't completely overturn. So when we
5 look at the 10,000-year -- or beyond design basis
6 events, there's no calculations that really discuss
7 this foundation behavior and how it impacts the cask
8 sliding.

9 JUDGE LAM: Thank you.

10 MR. GAUKLER: Just a couple of quick
11 questions. In terms of the soil foundation of the
12 10,000-year earthquake --

13 DR. BARTLETT: Yes.

14 MR. GAUKLER: -- in their analyses Holtec
15 took into account the soil parameters for the 10,000-
16 year earthquake, correct?

17 DR. BARTLETT: The dynamic properties, I
18 think they're trying to capture the response. They're
19 not looking at failure mechanisms from a strength
20 perspective: What happens if we exceed some yield
21 strength of the soil or soil cement, and what's the
22 consequences of failure on the dynamic response of the
23 system? I don't think that's what Holtec was
24 capturing.

25 MR. GAUKLER: But they did include the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE, N W

WASHINGTON, D C 20005-3701

1 dynamic properties of the soil --

2 DR. BARTLETT: The dynamic properties, I
3 believe they probably used strain-compatible
4 properties for the appropriate level of earthquake,
5 which means the strains and damping will be larger for
6 the 10,000-year return period.

7 MR. GAUKLER: Now you also were mentioning
8 the concern that Holtec hadn't evaluated sliding of
9 the pads. I don't want to go into this greatly, but
10 I thought you were criticizing Dr. Luk because he had
11 allowed sliding in the pads, and, in effect, by doing
12 that reduced the dynamic motion of the cask.

13 DR. BARTLETT: My concern with Dr. Luk's
14 analyses is that the model may tend to allow sliding
15 to occur more early than it may in actuality do.
16 That's as far as I could really go because I think
17 that the amount cohesion at the interfaces had not
18 been properly accounted for in the model. I think
19 that's a fair characterization of my concerns with Dr.
20 Luk's reports, maybe on the properties they used in
21 the model.

22 MR. GAUKLER: He overemphasized sliding,
23 as far as you saw?

24 DR. BARTLETT: My tendency was just to
25 think that that could happen, just because the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cohesion hadn't been taken into account.

2 MR. GAUKLER: Let's go back to the subject
3 of this testimony. With respect to -- you talked
4 about the pads now foundation, what you consider to be
5 potential foundation failures of the past. I take it
6 you really don't have any concerns with respect to
7 catastrophic potential failures of the foundations for
8 the canister transfer building, isn't that correct?

9 DR. BARTLETT: Well, we've talked about
10 sliding. We still think sliding is a potential
11 problem with the canister transfer building.

12 MR. GAUKLER: But there's really no
13 potential health and safety consequence from sliding
14 that you could determine, correct? I believe you
15 covered this at length in the Section D testimony?

16 DR. BARTLETT: Yes, and I can't remember
17 what I said in D. I guess we'll refer back to what we
18 said. I think we expressed the concern that the
19 canister transfer building may slide. I've heard Dr.
20 Ostadan worried about how that sliding may crack the
21 foundation, crack maybe the walls, maybe they would
22 have to be jacked back up to be plumb. I'm not sure
23 what we opined on regarding radiological consequences.

24 MR. GAUKLER: Whatever you opined back
25 then would --

1 DR. BARTLETT: I still opine back to what
2 I said --

3 (Laughter.)

4 MR. GAUKLER: Whatever you opined then
5 you'll opine the same here then, roughly?

6 DR. BARTLETT: It's been three weeks; it's
7 getting very distant in my memory.

8 MR. GAUKLER: Very good. Then we won't go
9 over that more then.

10 I would like to turn to your Question and
11 Answer 15 very quickly.

12 DR. BARTLETT: Excuse me. Which question
13 was that again?

14 MR. GAUKLER: Question and Answer 15.

15 DR. BARTLETT: Okay.

16 MR. GAUKLER: There you claim that the
17 only justification set forth for the use of the design
18 basis earthquake of 2,000 is that typical nuclear
19 power plants components would have a factor of safety
20 of 5 to 20?

21 DR. BARTLETT: No, not a factor of safety;
22 a risk reduction --

23 MR. GAUKLER: Excuse me. Risk reduction
24 factor.

25 DR. BARTLETT: That's true.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GAUKLER: Now you read Dr. Cornell's
2 testimony in this proceeding, correct?

3 DR. BARTLETT: Yes, I have.

4 MR. GAUKLER: You would acknowledge that
5 he includes as well during his testimony analyses that
6 Holtec has done with respect to the 10,000-year
7 earthquake which go beyond just relying upon the five
8 to twenty factor of typical nuclear power plant
9 components?

10 DR. BARTLETT: Well, my understanding of
11 Dr. Cornell's testimony is that he's not basing his
12 opinion on the risk reduction factors for nuclear
13 power plants, but he's now basing it more on the site-
14 specific analyses that have been done by Holtec and
15 others, Mr. Ebbeson and Mr. Trudeau.

16 MR. GAUKLER: So his testimony is based
17 upon both the five to twenty factor, as he discusses,
18 as well as site-specific analysis, correct?

19 DR. BARTLETT: Yes, and I express my
20 concern about applying risk reduction factors for
21 nuclear power plants that have safe shutdown
22 earthquake for an ISFSI. I think we have just
23 discussed that at length. I would take exception that
24 the site-specific calculations performed by the
25 Applicant demonstrate that there's risk reduction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 factors of five to twenty for this facility.

2 MR. GAUKLER: But, in any event, your
3 statement that there's no other justification, other
4 than the five to twenty, is no longer correct?

5 DR. BARTLETT: It's been modified by Dr.
6 Cornell's most recent testimony, that's correct.

7 MR. GAUKLER: You also claim, I think, in
8 Question and Answer 27 that PFS needs to develop
9 fragility curves, is that correct?

10 DR. BARTLETT: Well, fragility curves
11 would be a probablistic method of doing it, or
12 demonstrating that there is an adequate risk reduction
13 factor for the design basis earthquake I guess would
14 be an alternative approach.

15 MR. GAUKLER: So, for example, assuming
16 again that Holtec's analysis hypothetically is correct
17 that we just went through, that would establish what
18 you're trying -- that would establish the performance
19 objective, and there would be no need at that point to
20 develop a fragility curve, going back to that
21 hypothetical that we discussed, is that correct?

22 DR. BARTLETT: Since it's one point on a
23 fragility curve, and I guess short of the system
24 having some kind of brittle behavior where it changes
25 dramatically its response someplace in between, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

(202) 234-4433

(202) 234-4433

1 guess you could just be satisfied in showing that you
2 met the performance goal for one design basis
3 earthquake. But, again, my issues with Holtec is not
4 so much what they did, but what they didn't do.

5 MR. GAUKLER: I understand. It's just a
6 hypothetical we're talking about.

7 DR. BARTLETT: Okay.

8 MR. GAUKLER: I was just trying to focus
9 on the need for, or the potential need for, a
10 fragility curve --

11 DR. BARTLETT: No, and I think even Dr.
12 Cornell talks about this in his testimony, that short
13 of any brittle behavior in the system, if you could
14 show that you met the performance goal at a certain
15 design basis earthquake, and the risk reduction
16 factors you had were adequate, there's not necessarily
17 a need to develop a full fragility curve.

18 I'm not sure I can preclude brittle
19 behavior in this case with the soil cement, but it's
20 hard to say. There might be some place in between
21 where the soil cement bonds break and we do have a
22 market change in response of the system dynamically.
23 So there is a potential for at least brittle failure
24 of the foundation system.

25 MR. GAUKLER: But you don't have any idea

1 about --

2 DR. BARTLETT: I don't know where that
3 begins, no. I know the Applicant's calculations have
4 tried to demonstrate that there will not be any
5 brittle failure of the soil cement and the cement-
6 treated soil for the design basis earthquake. They
7 have not done any evaluations of potential brittle
8 failure of the soil cement and cement-treated soil for
9 beyond design basis earthquake events.

10 MR. GAUKLER: May I take a few minutes,
11 say five minutes, to review my notes and talk to
12 people?

13 CHAIRMAN FARRAR: Is five enough or should
14 we --

15 MR. GAUKLER: Make it 10. I think I'm
16 basically done. I just want to make sure.

17 CHAIRMAN FARRAR: All right, it's 26
18 after; we'll be back at 25 of.

19 (Whereupon, the foregoing matter went off
20 the record at 11:25 a.m. and went back on the record
21 at 11:38 a.m.)

22 MR. GAUKLER: I have a few short
23 questions.

24 CHAIRMAN FARRAR: All right.

25 MR. GAUKLER: I would like to have you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at Question and Answer 26 of your prefiled
2 testimony. There you say, because the scope of the
3 hazard curve can be impacted by soil non-linear
4 behavior, NUREG /CR 6728 recommends to establish the
5 scope of the hazard curve by including the non-linear
6 soil effects for determination of the seismic scale
7 factor?

8 DR. BARTLETT: Yes.

9 MR. GAUKLER: I take it, based on our
10 previous discussion, that Holtec, when it took the
11 10,000-year point off the hazard curve and used the
12 soil properties for the 10,000-year situation -- just
13 a second. Because Holtec used the 10,000-year
14 earthquake and you had soil properties, this concern
15 here would not relate to Holtec's analysis with
16 respect to the 10,000-year earthquake, isn't that
17 correct?

18 Just, again, putting aside all your other

19 --

20 DR. BARTLETT: Yes, I can't because that's
21 Dr. Ostadan's area of expertise in soil dynamics and
22 non-linearity effects, and I can't really say whether
23 it is this concern has disappeared in those analyses
24 done by Holtec for the 10,000-year return period.

25 MR. GAUKLER: But the hazard curve again

1 refers to whether -- the way I interpret that
2 question, you had a concern, in terms of what you
3 expressed with respect to soils, that you had taken a
4 point at 2,000 years and then you have some margins,
5 and you're trying to extrapolate up the hazard curve
6 to the 10,000-year point to see whether or not you
7 have sufficient --

8 DR. BARTLETT: And I think it is just
9 bringing in the point that when you do that
10 extrapolation that it has to take into consideration
11 the effect of soil non-linearity on the slope of the
12 hazard curve.

13 MR. GAUKLER: And, therefore, when Holtec,
14 in fact, goes in, it doesn't do the extrapolation from
15 2,000 to 10,000; it goes and uses the actual design
16 basis ground motions as developed by Geomatrix, using
17 the shaped analysis, et cetera --

18 DR. BARTLETT: Right, and then, again,
19 tries to incorporate the non-linearity effects for the
20 10,000-year event in the soils. Again, not being
21 completely familiar with that analysis, I can't say
22 whether this has completely disappeared.

23 MR. GAUKLER: Your best belief is that --

24 DR. BARTLETT: I just don't really don't
25 know exactly how the non-linear effects of the soils

1 were incorporated in that 10,000-year return period.

2 MR. GAUKLER: You have no basis to say
3 that would be a problem with respect to the Holtec
4 analysis? What basis would you have to say that would
5 be a problem with respect to Holtec's analysis of the
6 10,000-year earthquake, using the soil properties for
7 the 10,000-year earthquake?

8 DR. BARTLETT: I guess I could put it this
9 way: If Holtec properly accounted for the non-linear
10 effects of the soils for the 10,000-year return period
11 event, then I think this would disappear. But, again,
12 not being intimately familiar with those calculations,
13 I can't say whether I believe they have or haven't.

14 MR. GAUKLER: Okay. So you have no basis
15 to say that they have not --

16 CHAIRMAN FARRAR: Well, you asked that and
17 he answered it.

18 DR. BARTLETT: That's the best I can do,
19 Mr. Gaukler.

20 MR. GAUKLER: Going on to one other
21 question in terms of the conservatisms that may or may
22 not exist at 2,000-year earthquake, which is a 10,000-
23 year earthquake --

24 DR. BARTLETT: Okay.

25 MR. GAUKLER: -- isn't it true that, with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D C 20005-3701

1 respect to the -- one of the conservatisms that I
2 think both you and Mr. Trudeau have agreed upon that
3 exist with respect to the sliding analysis and the
4 bearing capacity analysis is that the dynamic shear
5 strength of the soil be greater than the static shear
6 strength of the soil, which was used by Mr. Trudeau in
7 his --

8 DR. BARTLETT: Yes, we agree upon the
9 effect; we disagree on the magnitude.

10 MR. GAUKLER: Right, you disagree upon the
11 magnitude.

12 DR. BARTLETT: Yes.

13 MR. GAUKLER: My question here -- I don't
14 want to get into disagreement on the magnitude -- I
15 guess my point, my question is, doesn't that same
16 conservatism exist with respect, would exist with
17 respect to analysis, stability analysis, at the
18 10,000-year earthquake level?

19 DR. BARTLETT: The effect would still be
20 there.

21 MR. GAUKLER: Okay. Might it be more?

22 DR. BARTLETT: No. The strain rate
23 effects between the two events are probably not that
24 different.

25 MR. GAUKLER: Okay, so basically the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C 20005-3701

1 then?

2 DR. BARTLETT: Yes, that's correct, it
3 would be the same.

4 MR. GAUKLER: I have no further questions.

5 DR. BARTLETT: It would not increase.

6 MR. GAUKLER: I have no further questions.

7 CHAIRMAN FARRAR: Thank you, Mr. Gaukler.

8 Let's use the remaining time before lunch
9 to ask a few of the Board's questions. I have one,
10 Dr. Bartlett.

11 In reading your testimony, it's clear to
12 me you don't like the 2,000-year earthquake. You
13 reason by analogy that it ought to be at least 2,500,
14 but I'm not sure that you are urging the 10,000-year
15 earthquake on us as opposed to something that's 2,500
16 or greater.

17 If you were writing our decision, what
18 return period earthquake would you put in? Or did I
19 miss something in your testimony where --

20 DR. BARTLETT: No, I think the bulk of the
21 testimony was saying that the ultimate goal -- and I
22 think this is where you see agreement -- is that we
23 should set a performance goal, a risk-based
24 performance goal, and then through this two-handed
25 approach, demonstrate that the performance goal has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been met. At least that's the way I have done it in
2 the Department of Energy.

3 Setting the level of earthquake, we
4 believe at least for the 2,000-year return period
5 event, that even the design, particularly for sliding,
6 is still marginal, if not that the Applicant hasn't
7 demonstrated an adequate factor of safety. So
8 certainly I would like to see a design basis
9 earthquake above 2,000. Whether 2,500 years is really
10 adequately conservative or not I don't know. I would
11 suspect that the 2,500-year return period would be
12 somewhat higher, but not significantly higher.

13 I do understand that in a risk-rated
14 approach that the 10,000-year event may be somewhat
15 extreme. I guess my best guess is somewhere between
16 2,500 and 10,000 years, but it's difficult to put a
17 number on it.

18 I believe that if a higher design basis
19 earthquake was used, that there would be some
20 significant redesign of the facility to meet those
21 demands placed on it.

22 CHAIRMAN FARRAR: Okay. Dr. Kline has
23 some questions.

24 JUDGE KLINE: Yes, I would like to back up
25 now and take a more global view of the case as it sort

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of unfolded before us. So I'm not going to be
2 interested in a lot of empirical ratios or comparisons
3 to nuclear power plants and safety factors, and all
4 that material, not because it's unimportant, but
5 because we've gone over it.

6 If I am looking just -- I'm going to base
7 some of my questions on your Question and Answer.16
8 and 17. It has to do with your view that it's
9 inappropriate to refer the design basis earthquake
10 without considering the probability of failure of
11 components and all. Is it fair -- I mean, the
12 impression of a novice in this business is that there
13 really is no purpose for even selecting or even
14 considering a design basis earthquake other than to
15 guide the design and construction of the components,
16 is there?

17 DR. BARTLETT: That's its primary purpose.

18 JUDGE KLINE: Yes, of course.

19 DR. BARTLETT: It becomes the design basis
20 so that everything -- it becomes a standard
21 essentially in the design.

22 JUDGE KLINE: So the design, the so-called
23 two-handed approach is not really a dichotomy. It's,
24 in fact, linked. On the one hand, we get some sort of
25 rough idea of what the earthquake is likely to be, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 then, on the other hand, we design against it.

2 DR. BARTLETT: Correct.

3 JUDGE KLINE: Isn't it true we could get
4 all the seismic safety we wanted without even thinking
5 about design basis earthquakes? We could just design
6 everything to the standards of Ft. Knox?

7 DR. BARTLETT: That would be correct.

8 JUDGE KLINE: Yes. Okay. So that really
9 a large part of this analysis is not even safety-
10 related, in my view. The fact is that Applicants and
11 the regulated community are simply resistant
12 economically to overdesigning or designing too much
13 conservatism into their facilities? Isn't that a fair
14 assessment?

15 DR. BARTLETT: Well, certainly designing
16 to a higher design basis ground motion does impose
17 economic penalties. So when you consider economics,
18 there's obviously some thing that you go behind, do
19 that you -- for example, for a building, you don't
20 want to design it as Ft. Knox; you just don't want it
21 to collapse and kill occupants.

22 JUDGE KLINE: Yes.

23 DR. BARTLETT: So there's an economic
24 tradeoff, yes.

25 JUDGE KLINE: So there is, in a sense, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tension. On the one hand, we don't want to get too
2 low --

3 DR. BARTLETT: Right.

4 JUDGE KLINE: -- for safety reasons. On
5 the other hand, we don't want to get too high --

6 DR. BARTLETT: Correct.

7 JUDGE KLINE: -- to just drive up the
8 cost?

9 DR. BARTLETT: Those are usually social,
10 political, economic decisions that are sometimes even
11 --

12 JUDGE KLINE: Right, but they're embedded
13 in this case, too, aren't they?

14 DR. BARTLETT: Yes.

15 JUDGE KLINE: All right. Now it appears
16 to me, having taken account of the record generated
17 here, that this is a very uncertain business, that
18 this is not precise science. Do I have a wrong
19 impression?

20 DR. BARTLETT: No, you have a very correct
21 impression.

22 JUDGE KLINE: All right. So what good
23 does it do, and why should we agonize over selecting
24 a design basis earthquake in the first place, other
25 than to get it into the ball park? I mean, why should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C 20005-3701

1 we worry about the nuances of it? Because, you know,
2 if we get it into the ball park and we're roughly
3 2,000 years, and then overdesign to that standard
4 anyway, why haven't we done all we really can do
5 respecting safety?

6 DR. BARTLETT: Well, again, I think the
7 general sense of your question is correct. I think
8 the concern we're evaluating is not only just the
9 margins, but the basic design philosophy of unanchored
10 casks setting on pads.

11 JUDGE KLINE: Yes, I understand that.

12 DR. BARTLETT: That's troublesome to me as
13 an engineer, when I could design redundancy in a
14 system, and I wouldn't say design it as Ft. Knox, but
15 at least put in some reasonable measures that would
16 give it quite large capacity.

17 JUDGE KLINE: Well, it appears to me that
18 we have strained mightily here and haven't improved
19 our resolution any. It's like zooming in on a digital
20 picture; all it does is pixelize, and you don't get
21 any added resolution. It just seems to me that having
22 gone beyond the first approximations here, we haven't
23 gotten any more out of it, that we deal with imprecise
24 analyses. Straining harder doesn't improve the
25 resolution. We're still dealing with subjective

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 materials. We are dealing with comparisons, say, with
2 nuclear power plants, which themselves were licensed
3 under a subjective standard. It doesn't seem to me
4 that we make any progress.

5 I am saying the issue of what design basis
6 earthquake you use really isn't embedded in the laws
7 of nature anywhere. It is just eventually somebody is
8 going to make a subjective decision. Is there any
9 other way to go about this?

10 DR. BARTLETT: Well, I think the one of
11 design precedence.

12 JUDGE KLINE: Okay.

13 DR. BARTLETT: When we have structures
14 that we've actually designed and we've actually seen
15 them perform through earthquakes, and we've seen them
16 perform satisfactorily, we feel confident in the
17 design. A lot of the issues that we are doing really
18 do become minute because we have a design. We've seen
19 it perform, and we know it's adequate.

20 I think the reason we're going through all
21 these gyrations is because of the somewhat
22 unconventional design that's put in front of us.
23 We're now faced with having to rely on analyses and
24 judgments that are imprecise.

25 JUDGE KLINE: But here's where we need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 some help in how you get by that hurdle because every
2 structure was at one point in its lifetime novel.

3 DR. BARTLETT: That's correct.

4 JUDGE KLINE: So somehow designers and
5 engineers and all these people face these problems
6 earlier, and somehow they get over it, and eventually
7 authorize building a building or building a bridge or
8 building a nuclear power plant. They all got over
9 these dilemmas somehow.

10 DR. BARTLETT: Yes, through their
11 experience.

12 JUDGE KLINE: And they were all uncertain
13 and at the time they did it, they didn't have any
14 precedent either, or they had less than we do now. So
15 is there any objective process we can apply here that
16 says, yes, we understand that we don't have a facility
17 just like this, but, nevertheless, we have to find a
18 way to get over that hurdle? If we're not going to
19 build to the standards of Ft. Knox, what do you
20 suggest we do?

21 DR. BARTLETT: We can do some simple
22 things.

23 JUDGE KLINE: All right.

24 DR. BARTLETT: Anchorage doesn't seem to
25 be too far out of the realm of our knowledge and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understanding, and certainly we've discussed that
2 anchorage has some penalties. It transfers more
3 inertial forces to the foundations, and one would have
4 to account for the foundation design. There's designs
5 that will work at this facility.

6 JUDGE KLINE: Yes, okay.

7 DR. BARTLETT: My general concern here is
8 that we may be trying to do a design that's somewhat
9 economical, but less safe.

10 JUDGE KLINE: Yes, okay. Then let's
11 broaden the concept of the two-handed approach again
12 --

13 DR. BARTLETT: Okay.

14 JUDGE KLINE: -- and coin another phrase,
15 which I would call, "the overall system performance."
16 It appears now from the record we have here that at
17 least the PFS case is that this system could have
18 localized failures in it and still work, in the sense
19 that the overall objective is not to get a release of
20 radionuclides. So we could have, we could tolerate
21 foundation failure. We can tolerate casks moving and
22 sliding. We can tolerate casks bumping into one
23 another. We can tolerate casks tipping. Overall, the
24 system, still nobody has shown us anything that
25 suggests that the system performance overall, taking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 that global look, no one shows us that we have a
2 failure.

3 So the issue is, if you want to put these
4 casks on pilings, we have to show some flaw as to why
5 this system is likely to fail without them overall, I
6 mean as a system. I need your comment on that.

7 DR. BARTLETT: Well, from the foundations,
8 we think that foundation stability can lead to cask
9 collisions and tipover.

10 JUDGE KLINE: Well, we understand. Let us
11 assume that that's true.

12 DR. BARTLETT: I'll assume that's true.

13 JUDGE KLINE: Is a possibility of failure
14 defined as breach of containment? You know, we have
15 a fair amount of redundancy in the plan as it is
16 provided to us.

17 DR. BARTLETT: Right. By this, I recall
18 Mr. Guttman talking about this, and it seemed to me
19 that at this point the NRC staff had taken the
20 position that what they wanted to achieve from the
21 design, as spelled out in the NUREGs, was to not have
22 collision and tipover, and they hadn't yet evaluated
23 a design that really allowed tipover.

24 JUDGE KLINE: Look --

25 DR. BARTLETT: I guess I'm struggling,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 too, because I don't know, not knowing how these casks
2 perform in a tipover analysis, it doesn't to me that,
3 if they do tip over, that there isn't going to be some
4 kind of release.

5 JUDGE KLINE: Well, we understand that no
6 competent engineer is going to go out and design these
7 things to tip over.

8 DR. BARTLETT: That's correct.

9 JUDGE KLINE: The issue is contingency.
10 All of the analysis that's been provided to us says
11 they're not going to tip over. The Board has a
12 legitimate interest in asking, okay, what if it's
13 wrong? What if, in spite of our best analysis, what
14 if it does tip over? Then we find, well, there's
15 still more redundancy or there's alleged to be more
16 redundancy. We're giving you an opportunity now to
17 rebut it, when it says, well, if it tips over, the
18 multipurpose cask doesn't breach. Well, we don't have
19 any -- so even though we don't design these things to
20 fail, we don't design these things to go wrong, and if
21 continue the inquiry, what happens, in spite of our
22 best efforts, they do go wrong; we still have
23 redundancy.

24 So we have to know where the weak point is
25 that undermines this application. Here we speak now

1 -- you know, we're late in the game. We have a
2 record. We have judicial knowledge of seismicity that
3 we didn't have six weeks ago. So now we have to be
4 more sophisticated, I think, than we were when we were
5 innocent, when we started out.

6 So we really want to pin you down now and
7 say, "What's wrong with this in terms of the overall
8 likelihood of system failure, looking at that
9 endpoint," and not intermediate failures and not
10 comparisons to power plants, and any of the other
11 stuff that tries to capture empirical experience. But
12 just tell us where there is a breach in redundancy or
13 something to give us a handle here.

14 DR. BARTLETT: I have not been involved in
15 any calculations to show, upon tipover, what would be
16 the results to structural integrity of the casks.

17 JUDGE KLINE: All right.

18 DR. BARTLETT: However, we have discussed
19 at length that in the drop tipover analysis that's
20 been performed by Holtec it made some assumptions:
21 First, that the cement-treated soil had a certain
22 modulus. Also, that upon -- the tipover event
23 postulated that it would be, the cask would be perched
24 on its edge with zero angular velocity. During an
25 earthquake that's not true. If we go to tipover, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

(202) 234-4433

(202) 234-4433

1 have some angular velocity.

2 So some of the assumptions made in the
3 drop tipover analysis could be invalidated, first, of
4 the soil cement or soils are too stiff, and those
5 analyses have been performed properly, we could exceed
6 this 45 G minimum -- or maximum, the acceleration
7 posed by that analysis, and also an earthquake tipover
8 event certainly would violate this starting at zero
9 angular velocity at the point of impinging tipover.

10 So if an earthquake causes a cask to tip
11 over, it seems to me that we could violate this 45 G
12 maximum de-acceleration. The effects to the
13 structural integrity and the loss of containment and
14 increased dosage releases, I just can't really comment
15 on. I think it's a possibility that could happen, but
16 whether we have a factor of two or a redundancy of two
17 against that or five, I don't know.

18 JUDGE KLINE: But what you can do then is
19 raise the issue of perhaps uncertainty --

20 DR. BARTLETT: Tipover seems a
21 possibility.

22 JUDGE KLINE: I mean that there's some
23 still remaining some unresolved uncertainty in the
24 overall analysis.

25 DR. BARTLETT: Right, and from my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 philosophy, why do we go through all this difficulty
2 chain with all of its uncertainties in that? Why
3 don't we just do some simple things to preclude it
4 from happening?

5 JUDGE KLINE: All right. All right.
6 Thank you.

7 JUDGE LAM: Well, after Judge Kline's
8 exhaustive questioning, there ain't much left here.

9 (Laughter.)

10 I only have one or two questions for you,
11 Dr. Bartlett. In response to Judge Kline's questions,
12 you had offered some ideas as to how these designs
13 could be improved.

14 DR. BARTLETT: That's correct.

15 JUDGE LAM: But let me ask you a related
16 question.

17 CHAIRMAN FARRAR: Hold on. Off the
18 record.

19 (Whereupon, the foregoing matter went off
20 the record briefly and went back on the record.)

21 CHAIRMAN FARRAR: Okay, back on the
22 record.

23 JUDGE LAM: The question is, what is wrong
24 with the Applicant's design? Can you summarize for
25 us?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C 20005-3701

1 MR. TURK: May I ask for just a moment to
2 let the announcement finish? It's hard to hear.

3 (Pause.)

4 DR. BARTLETT: The use of sliding as an
5 energy dissipation mechanism to reduce the inertial
6 forces to the foundations, and the assumption that
7 that sliding will be relatively limited and controlled
8 is quite a novel approach. Generally, when one
9 approaches these situations, anchorage is suggested.
10 Then the use of cement-treated soil and soil cement
11 for shallow embedded foundation to try to also prevent
12 sliding of the foundation system and the consequences
13 from its foundation.

14 Those are quite novel, and there are other
15 systems that would take a more robust approach to the
16 problem and give you much more capacity than what's
17 being used in this design. Frankly, this seems like
18 a very economical design, but maybe not a safe design.

19 JUDGE LAM: And?

20 DR. BARTLETT: Certainly if the casks were
21 anchored and the foundation systems were designed to
22 be more robust, I wouldn't be here before you today.

23 JUDGE LAM: Uh-huh, so anchoring of the
24 casks would solve --

25 DR. BARTLETT: It would solve the issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D C 20005-3701

1 of sliding of the casks. Obviously, it would be much
2 more -- they can't tip over or slide if the anchorage
3 system is designed properly. There's a penalty we've
4 talked about before, that that increases the forces
5 now that the foundation has to resist because it is a
6 more complete transfer of earthquake energy now to the
7 foundations because sliding is precluded. Overturning
8 now can occur because we have a firm connection
9 between the casks and the pads. So it does now
10 involve a somewhat redesign of the foundation system
11 beyond what the Applicant's proposed.

12 JUDGE LAM: Okay. In your prefiled
13 testimony, you indicate the lack of fragility curve is
14 a glaring omission. In response to Mr. Gaukler's
15 question, you further indicated perhaps the
16 performance of risk reduction ratios and performance
17 goals would be an acceptable alternative. Do I
18 understand that correctly?

19 DR. BARTLETT: I think where I would like
20 to put my position is, if one, for example, designed
21 for a 10,000-year return period event and showed that
22 the foundations had an adequate factor safety of 1.1
23 against sliding, then you don't need to develop a
24 fragility curve. You have one point on the fragility
25 curve. You've shown that you have selected a very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C 20005-3701

1 conservative design basis earthquake, and your
2 potential for failure is at least one or less. So
3 that defines one point on the fragility curve.

4 If that has, indeed, been met for this
5 facility, you do not need to develop a fragility curve
6 for a suite of different earthquakes and a different
7 response. But the point that I am trying to make is
8 I don't think that particular point on the fragility
9 curve has been defined because the applicant has not
10 put forth foundations to do any calculations for a
11 10,000-year return period event or a deterministic
12 84th percentile event. We only have design
13 calculations for the foundations for the design basis
14 earthquakes. So I don't know how we get from a 2,000-
15 year return period to a 10,000-year return period and
16 say that the foundations are still stable.

17 JUDGE LAM: Thank you for the
18 clarification, Dr. Bartlett.

19 CHAIRMAN FARRAR: Okay, it's a little
20 after five after. I encourage all to get to the
21 cafeteria promptly.

22 Mr. Turk, would it help you to have a
23 little longer lunch, given the Board's questions and
24 these answers, to sharpen up your cross?

25 MR. TURK: 1:15?

1 CHAIRMAN FARRAR: Yes, let's be back at
2 1:15.

3 (Whereupon, the foregoing matter went off
4 the record for lunch at 12:06 p.m. and went back on
5 the record at 1:19 p.m.)

6 CHAIRMAN FARRAR: Mr. Gaukler?

7 MR. GAUKLER: One housekeeping matter, I
8 would like to move for the admission of PFS Exhibit
9 244, the excerpts from the deposition of Dr. Bartlett.

10 CHAIRMAN FARRAR: Okay, any objection? As
11 I remember, that was a several-page deposition,
12 excerpts, and did you only ask him about one question?

13 MR. GAUKLER: There was two or three
14 questions I referred to in there.

15 MS. NAKAHARA: No objection, Your Honor.

16 CHAIRMAN FARRAR: Staff?

17 MR. TURK: No objection.

18 CHAIRMAN FARRAR: All right, then PFS
19 Exhibit 244 will be admitted.

20 [Whereupon, the above-referred-
21 to document marked as PFS
22 Exhibit 244 for identification
23 was received in evidence.]

24 CHAIRMAN FARRAR: Mr. Turk?

25 MR. TURK: Yes?

1 CHAIRMAN FARRAR: What time are we going
2 to get Dr. Cornell on the stand?

3 MR. TURK: I will have a better feel after
4 the first hour. There will be more than about an
5 hour.

6 CHAIRMAN FARRAR: Okay.

7 MR. TURK: My estimate is roughly an hour
8 and a half to two, as I stated before. If I can get
9 done quicker, I will.

10 CHAIRMAN FARRAR: Okay, thank you. Go
11 ahead.

12 MR. TURK: So that would mean that we
13 could get to Dr. Cornell roughly 3:30, 4:00.

14 CHAIRMAN FARRAR: Okay.

15 MR. TURK: Well, I should say I don't know
16 how much redirect there is.

17 MS. NAKAHARA: We have very little right
18 now.

19 CHAIRMAN FARRAR: Okay, let's get started.

20 CROSS EXAMINATION BY MR. TURK

21 MR. TURK: Dr. Bartlett, a large part of
22 your testimony on Subpart E of this contention
23 references the DOE Standard 1020. Is it fair to say
24 that is one of the principal issues that you raise in
25 your testimony on Part E?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: The issue I think we're
2 trying to raise in using DOE Standard 1020 as an
3 analogy is that there is this two-handed approach that
4 is required, that it is not adequate simply to
5 consider design basis earthquake without considering
6 the conservatisms in the design.

7 MR. TURK: Okay, and my question to you
8 is, in fact, that's one of the major themes of your
9 testimony. For example, if you look at your testimony
10 with me, I will show you how it is mentioned
11 repeatedly. It is mentioned at the top of page 3, as
12 part of Answer 6. It is mentioned in Answer 7. It is
13 mentioned in Answer 9.

14 MS. NAKAHARA: Could you go just a little
15 slower so he can look it up, please?

16 MR. TURK: Sure. Do you want me to start
17 back at the beginning?

18 With respect to DOE 1020 --

19 DR. BARTLETT: That's correct.

20 MR. TURK: Let me see if I can just go
21 through the different references that I noted. I see
22 it at the top of page 3, as part of Answer 6. Do you
23 see it there?

24 DR. BARTLETT: Yes.

25 MR. TURK: And then again in Answer 7 it

1 is mentioned?

2 DR. BARTLETT: Yes.

3 MR. TURK: Answer 8 has been stricken, but
4 it was there, but it's out and now it's still in
5 Answer 9? Do you see it there?

6 DR. BARTLETT: Yes.

7 MR. TURK: Do you see it in Answer 10 on
8 page 5?

9 DR. BARTLETT: Yes.

10 MR. TURK: Again, Answer 11?

11 DR. BARTLETT: Excuse me. We are in --

12 MR. TURK: I'm sorry?

13 DR. BARTLETT: Yes, it is in Answer 10,
14 that's correct.

15 MR. TURK: It's in Answer 10; it's also in
16 Answer 11?

17 DR. BARTLETT: That's correct.

18 MR. TURK: I see it as well in Answer 13.

19 DR. BARTLETT: That's correct.

20 MR. TURK: I don't notice it in Answer 14
21 specifically, but then, again, I see it in Answer 15.

22 DR. BARTLETT: That's correct.

23 MR. TURK: It's in Answer 16?

24 DR. BARTLETT: That's correct.

25 MR. TURK: Answer 17?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: That's correct.

2 MR. TURK: I don't see it specifically in
3 Answer 18, but the concepts are mentioned. For
4 instance, you indicate, "PFS has not discussed the
5 fragility and seismic performance of the foundation of
6 the CTB and the foundation of the storage pads," and
7 you describe that as a glaring omission.

8 DR. BARTLETT: Yes, fragility concepts are
9 not unique to DOE Standard 1020, however.

10 MR. TURK: Okay, but you do reference
11 fragility standard with respect to 1020 as well in
12 your testimony? In Answer 17, for example? At the
13 top of page 9, you talk about the DOE 1020 Standard
14 for PC-3 facilities --

15 DR. BARTLETT: Correct.

16 MR. TURK: -- and use of fragility curves?
17 See it where you're talking about 1020, and then you
18 state, "By evaluating the fragility curve for the SSCs
19 and recognizing the detailed design and ductility," et
20 cetera --

21 DR. BARTLETT: Correct.

22 MR. TURK: You say that the risk reduction
23 factor of four has been adopted for PC-3 SSCs?

24 DR. BARTLETT: Correct.

25 MR. TURK: That's a reference to the DOE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

1 Standard 1020?

2 DR. BARTLETT: That's correct.

3 MR. TURK: Okay. Again, Answer 19
4 mentions 1020?

5 DR. BARTLETT: That's correct.

6 MR. TURK: I see it as well in Answer --
7 well, again, 21 mentions fragility curves, and then
8 Question 22 specifically references 1020. Do you see
9 it there?

10 DR. BARTLETT: I see 21. I see the
11 mention of fragility curves, and then what --

12 MR. TURK: I don't see it specifically
13 mentioned in 21.

14 DR. BARTLETT: Right.

15 MR. TURK: I only see a reference to
16 fragility curves.

17 DR. BARTLETT: Yes. I'm just pointing out
18 that fragility curves is not a concept unique to 1020.
19 It's a general concept.

20 MR. TURK: Okay. Also, Question 22, your
21 response to that mentions the 1020 Standard?

22 DR. BARTLETT: Correct.

23 MR. TURK: I see it also in Answer 25.

24 DR. BARTLETT: That's correct.

25 MR. TURK: I see it in Answer 27.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., NW
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: That's correct.

2 MR. TURK: The top of page 13 and then
3 later on there's some further discussion of it?

4 DR. BARTLETT: That's correct.

5 MR. TURK: For instance, at the bottom of
6 the answer on page 14 it appears. Then again I see it
7 in Answer 30.

8 DR. BARTLETT: The bottom of page 14,
9 Answer 29 has been stricken.

10 MR. TURK: I'm sorry, I was talking about
11 the bottom of Answer 27 that appears at the top of
12 page 14.

13 DR. BARTLETT: Oh, okay.

14 MR. TURK: That's the second place I saw
15 it in that answer.

16 DR. BARTLETT: Okay.

17 MR. TURK: Actually, Question 28 asks you
18 if you're familiar with various statements, including
19 the relevance of DOE Standard 1020, and you answered
20 yes. So, again, in 28 the DOE Standard 1020 is
21 referred to.

22 DR. BARTLETT: In the question, yes.

23 MR. TURK: And your response to that
24 question acknowledges something with respect to that
25 standard?

1 DR. BARTLETT: Yes.

2 MR. TURK: And then, again, Answer 30?

3 DR. BARTLETT: Yes.

4 MR. TURK: So it's fair to say that the
5 DOE Standard 1020 is a significant factor underlying
6 your testimony on Part E of the contention?

7 DR. BARTLETT: It's the framework.

8 MR. TURK: In discussing the DOE Standard
9 1020, I notice that you referred to it specifically in
10 two places as DOE Standard 1020-01. For instance,
11 Answer 9 --

12 DR. BARTLETT: Un-hum.

13 MR. TURK: -- refers to the 2001 edition
14 of that standard, correct?

15 DR. BARTLETT: Yes.

16 MR. TURK: And, again, that's in the first
17 paragraph. In the second paragraph you indicate,
18 quote, "It's my opinion that DOE will require a 2,500-
19 year ground motion standard in the final DOE Standard
20 1020-01."

21 DR. BARTLETT: Yes, that's correct.

22 MR. TURK: Are you familiar with whether
23 DOE has issued a final standard yet?

24 DR. BARTLETT: I believe they have, but
25 I'm not sure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TURK: The last version of the DOE
2 standard, then, that you're familiar with is the 2001
3 version?

4 DR. BARTLETT: Yes, I believe I had a
5 draft of that version.

6 MR. TURK: I would like to show you a
7 document -- I only have one copy. I'll read the title
8 into the record and ask you if this is the document to
9 which you refer in Answer 9.

10 For the record, it's a document entitled,
11 "DOE Standard - Natural Phenomena Hazards Design and
12 Evaluation Criteria for Department of Energy
13 Facilities, Issued by the U.S. Department of Energy."
14 In the upper righthand corner it indicates that the
15 numerical designation of the document is, quote,
16 "DOE-STD-1020-Year Proposed." It indicates that it is
17 superseding DOE Standard 1020-94 of April 1994.

18 I would like to show you this document and
19 ask if this is the document that you are referring to
20 when you refer to DOE Standard 1020-01.

21 DR. BARTLETT: This is the final of the
22 draft that I'm referring to in paragraph 1 of Answer
23 9. I had available a draft document of what you just
24 handed me.

25 MR. TURK: And in Answer 9, where you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 indicate that you believe, in your opinion, that DOE
2 will require a 2,500-year ground motion standard,
3 you're not aware of whether they've actually done that
4 yet?

5 DR. BARTLETT: I believe they have, but
6 I'm not certain. It was in the draft document. My
7 understanding, it hasn't changed.

8 MR. TURK: Let me show you this document
9 again. You don't have a copy of this with you?

10 DR. BARTLETT: I do not.

11 MR. TURK: Okay.

12 DR. BARTLETT: I have the '94 version.

13 MR. TURK: You refer specifically in your
14 answer to page C-6.

15 DR. BARTLETT: Correct, that would be of
16 the draft.

17 MR. TURK: Okay, I would like to show you
18 the document again, and perhaps the pagination has
19 changed. I would ask you to look at page C-6 and C-7
20 of this document and indicate to me where you see the
21 proposal of a 2,500-year earthquake ground motion.

22 Maybe I'll check to see if we brought our
23 copy.

24 (Pause.)

25 DR. BARTLETT: I'm finished.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TURK: Could you point to where you
2 see in that document the 2,500-year return period
3 ground motion mentioned?

4 DR. BARTLETT: It's in Table C-3 under
5 Performance Category 3, the seismic hazard exceedance
6 probability piece of H, listed as four times ten to
7 the minus four. If you take the inverse of that, you
8 will see it's a 2,500-year return period.

9 MR. TURK: And earlier today you indicated
10 your belief that the establishment of a 2,500-year
11 ground motion for a design earthquake for a PC-3
12 category would be slightly more conservative, I
13 believe was your term, than the prior standard of a
14 2,000-year earthquake.

15 (Pause for interruption by PA
16 announcement.)

17 MR. TURK: Do you need the question
18 repeated?

19 DR. BARTLETT: Yes, please.

20 MR. TURK: Madam Reporter, could you just
21 reread the question?

22 May we go off the record for a moment?

23 (Whereupon, the foregoing matter went off
24 the record at 1:35 p.m., during which time the pending
25 question was played back by the court reporter, and

1 went back on the record at 1:37 p.m.)

2 CHAIRMAN FARRAR: Back on the record.

3 MR. TURK: I apologize for that confusion.

4 DR. BARTLETT: No problem.

5 The purpose of Answer 9 is to point out,
6 if one uses a one-handed approach and only considers
7 the design basis earthquake and not the inherent
8 conservatisms that are based in that earthquake, then
9 the adoption of a 2,500-year return period earthquake
10 would be slightly more conservative than the 2,000-
11 year return period.

12 MR. TURK: Incidentally, the 2,000-year
13 earthquake standard, that's what had been contained in
14 the 1994 version of the DOE standard, correct?

15 DR. BARTLETT: That is correct.

16 MR. TURK: And that would be found in
17 Table C-3 at page C-5 of the '94 version, revised as
18 of January '96. Do you have that document with you?

19 DR. BARTLETT: I do.

20 MR. TURK: And that's correct, that's
21 where the five times ten to the minus four --

22 DR. BARTLETT: Yes, or 2,000-year return
23 period is found.

24 MR. TURK: Okay, and that's for PC
25 Category 3, seismic hazard exceedance probability PH

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C. 20005-3701

1 of five times ten to the minus four?

2 DR. BARTLETT: That's correct.

3 MR. TURK: Okay. Could I ask you to
4 explain something. If you have that document with
5 you, if you would, please turn to page 2-24 of the
6 1994 standard, as revised through January 1996.

7 DR. BARTLETT: Okay.

8 MR. TURK: And you'll see a Table 2-5.

9 DR. BARTLETT: I do.

10 MR. TURK: If you go down the lefthand
11 column to, I believe, the eighth line, which is
12 entitled, "Scale Factors," do you see that?

13 DR. BARTLETT: Yes.

14 MR. TURK: And you see that for PC
15 Category 1 and 2 it states, quote, "Not used"?

16 DR. BARTLETT: Yes, there's no scale
17 factors.

18 MR. TURK: For PC Category 3 it states,
19 "SF equals 1.0"?

20 DR. BARTLETT: Yes.

21 MR. TURK: And then for PC Category 4 it
22 states, "SF equals 1.25"?

23 DR. BARTLETT: Yes.

24 MR. TURK: Could you explain your
25 understanding of what the scale factor is?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BARTLETT: They're defined on page
2 2-23 under the heading 2.4.3. Do you want me to just
3 go ahead and read that?

4 MR. TURK: Yes, please.

5 DR. BARTLETT: "The basic contention of
6 the deterministic seismic evaluations and acceptance
7 criteria defined in Section 2.3 is to achieve less
8 than a 10 percent probability of unacceptable
9 performance for a structure system or component
10 subjected to a scale of design evaluation basis
11 earthquake, SDBE, as defined by SDBE equals 1.5 times
12 SF, for the scale factor, times the DBE, where SF is
13 the appropriate seismic scale factor from Equation
14 2-2. The seismic evaluation acceptance criteria
15 presented in this section have an intentional and
16 controlled conservatism such that the target
17 performance goals are achieved. The amount of
18 intentional conservatism has been evaluated in
19 Reference 2-11 such that there should be less than a
20 10 percent probability of unacceptable performance at
21 input ground motions, as defined by this scale factor
22 of 1.5 SF times the DBE."

23 And my understanding, the scale factor for
24 PC-3 is 1.0. The scale factor for PC-4 is 1.25. So
25 the design basis earthquake is scaled up slightly for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D C 20005-3701

1 PC-4 over P-3.

2 MR. TURK: Does that essentially mean
3 that, once you define a design basis earthquake or
4 PC-3, that you have no change in scaling factor, that
5 in effect the SDBE, which is the scale design
6 evaluation basis earthquake, it would simply be equal
7 to the design basis earthquake?

8 DR. BARTLETT: No, that's not correct.

9 MR. TURK: Okay.

10 DR. BARTLETT: The scale design basis
11 evaluation earthquake is 1.5 times the scale factor.
12 For PC-3 that is one, but the scale design basis
13 evaluation earthquake for PC-3 would still be 1.5
14 times the DBE, and you must show that the particular
15 structure system and component for that scaled design
16 basis evaluation earthquake has a less than 10 percent
17 probability of failure for the scale design basis
18 earthquake.

19 MR. TURK: In using the term "scaled
20 design basis earthquake"--

21 DR. BARTLETT: Correct.

22 MR. TURK: -- is what DOE is stating here
23 is that is the design at which you would build a DOE
24 facility, would be equivalent to 1.5 times whatever
25 the scaling factor is, times the design basis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 earthquake?

2 DR. BARTLETT: This section puts forth the
3 intentions, as it's headed, "The Basic Intention of
4 Dynamic Analysis Based on Deterministic Seismic
5 Evaluation and Acceptance Criteria." For cases where
6 you may not have specific acceptance criteria, it says
7 that, to meet the intent of DOE Standard 1020, you
8 must scale the design basis earthquake, and it is
9 termed the SDBE, and that must be scaled by a factor
10 of 1. times an additional scale factor which for PC-4
11 is 1.25, for PC-3 it's 1.0 times the design basis
12 earthquake, and the design basis earthquake for PC-3
13 would be a 2,000-year return period event.

14 MR. TURK: And what's the net effect,
15 then, when --

16 DR. BARTLETT: Your scale design basis
17 earthquake, if we were doing this for a 2,000-year
18 return period event, the evaluation design earthquake
19 -- the scale design evaluation basis earthquake would
20 be 1.5 times larger than the DBE unscaled.

21 MR. TURK: And that's in the 1994 standard
22 as revised through January 1996?

23 DR. BARTLETT: Yes, I'm not sure of the
24 last revision date on the 1994, but I am using a 1994
25 version of the standard.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TURK: You still have a copy, do you
2 not -- do you have my copy of the proposed revision --

3 DR. BARTLETT: I do.

4 MR. TURK: -- the document that's
5 entitled, "DOE Standard 1020-Year-Proposed"?

6 DR. BARTLETT: I do.

7 MR. TURK: Incidentally, the document says
8 "Year Proposed." You simply equated that to state
9 that was --

10 DR. BARTLETT: That was just my guess it
11 was going to be adopted in 2001, but --

12 MR. TURK: You're not aware of any
13 document that bears the caption, "DOE Standard
14 1020-2001"?

15 DR. BARTLETT: No, that's correct.

16 MR. TURK: Okay. Could you see if that
17 same discussion in Section 2.4.3 appears in your
18 proposed IE, what you're calling the 2001 document?

19 And may I approach the witness since we
20 only have the one copy?

21 CHAIRMAN FARRAR: Go ahead.

22 DR. BARTLETT: Yes, I found it. It's
23 Equation 2-7 on page 2-23.

24 MR. TURK: And do you see, essentially,
25 the same formula there, the SDBE equals 1.5 times the

1 scaling factor, times the design basis earthquake?

2 DR. BARTLETT: That is correct.

3 MR. TURK: Okay.

4 DR. BARTLETT: Though I haven't verified
5 to make sure that the scale factors between the two
6 documents are the same.

7 MR. TURK: Why don't we do that just so
8 there's no confusion?

9 DR. BARTLETT: We could do that. It
10 should be only a minute.

11 MR. TURK: And in this regard, I will hand
12 the Year Proposed document again and ask you to turn
13 to page 2-25, where Table 2-5 appears.

14 DR. BARTLETT: Yes, I see those.

15 MR. TURK: And are the scaling factors the
16 same in that document?

17 DR. BARTLETT: They are.

18 MR. TURK: And that would mean the scaling
19 factor for PC-3 is 1.0?

20 DR. BARTLETT: That is correct.

21 MR. TURK: And for PC-4, 1.25?

22 DR. BARTLETT: That is correct.

23 MR. TURK: I would like to show you one
24 other document and ask if you've seen this before.
25 For the record, I am going to show you a document

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C 20005-3701

1 which bears the same textual title as the others, but
2 it now has the designation as DOE Standard-1020-2002,
3 dated January 2002. Have you seen that document
4 before?

5 DR. BARTLETT: No, I have not.

6 MR. TURK: Would you accept my
7 representation that that is the final DOE standard
8 that has been issued in January 2002?

9 DR. BARTLETT: Yes, it shows it
10 superseding DOE Standard 1020-94.

11 MR. TURK: Thank you.

12 DR. BARTLETT: So this seems to be a final
13 document.

14 MR. TURK: Okay. If you would, let's turn
15 to the same discussion that we looked at in the prior
16 documents. First of all, let me ask you to look at
17 page C-6, and do you see there Table C-3, entitled,
18 "Seismic Performance Goals and Specified Seismic
19 Hazard Probabilities"?

20 DR. BARTLETT: I do.

21 MR. TURK: And for PC Category 3 it shows
22 that the seismic hazard exceedance probability, or PH,
23 is four times ten to the minus four?

24 DR. BARTLETT: Yes.

25 MR. TURK: And that would be consistent

1 with your understanding that they would be using a
2 2,500-year return period?

3 DR. BARTLETT: That's correct.

4 MR. TURK: I would ask you also now to
5 turn to one other page, and that is page 2-26 on which
6 Table 2-5 appears entitled, "Summary of Earthquake
7 Evaluation Provisions." And is this the comparable --
8 this is comparable to the tables we discussed in the
9 two prior documents, correct?

10 DR. BARTLETT: That's correct.

11 MR. TURK: For the scale factors, it
12 indicates that Performance Category PC-1 and PC-2,
13 again, there's no scale factor used?

14 DR. BARTLETT: Correct. That's correct.

15 MR. TURK: And do you see that for PC
16 Category 3 they now use a scale factor of 0.9?

17 DR. BARTLETT: Yes, because the design
18 basis earthquake went from 2,000- to 2,500-year return
19 period. So they have adjusted the scale factor.

20 MR. TURK: So, in effect, by shifting to
21 the 2,500-year return period, they have pretty much
22 kept the design standard to be the same?

23 DR. BARTLETT: That's my understanding.

24 MR. TURK: Okay. Just I would note, and
25 I think you can confirm, that was not reflected in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 your testimony?

2 DR. BARTLETT: No, I didn't have that
3 document available when I prepared this testimony.

4 MR. TURK: As I was listening to Mr.
5 Gaukler's cross examination today, I have to admit I
6 was confused, and I wasn't sure what caused my
7 confusion. When he was examining you with respect to
8 whether using the same guidance document, NUREG 0800,
9 Section 3.8.5, whether if PFS uses that same guidance
10 document, wouldn't they, in effect, be maintaining the
11 same level of conservatism, and your response was, no,
12 because the -- as I understand your response, the
13 demand has been reduced because the earthquake is
14 smaller?

15 DR. BARTLETT: Correct.

16 MR. TURK: And it seemed to me that what
17 you were assuming is that, after the Applicant
18 performs that analysis and chooses or establishes
19 whatever standard for design that they have
20 established, that there would subsequent to that be a
21 reduction from the 10,000-year earthquake down to the
22 2,000-year earthquake. Is that your understanding of
23 the process?

24 DR. BARTLETT: What I'm trying to explain
25 is the Applicant, in its calculations for sliding and

1 bearing capacity and overturning, adopted the factor
2 safety of 1.1, which is outlined in NUREG 0800,
3 Section 3.8.5. However, the earthquake they used in
4 calculating that factor of safety was the 2,000-year
5 return period event, not a 10,000-year return period
6 event. Hence, the design margins are different.

7 MR. TURK: But isn't that, in effect, the
8 equivalent of going from the 10,000 or deterministic
9 earthquake down to the 2,000-year earthquake? Isn't
10 that, in effect, what DOE does separately, as let's do
11 this reduction from the one times ten to the minus
12 four earthquake down to either a four or a five times
13 ten to the minus four, that's done by PFS here --

14 DR. BARTLETT: But I don't think we can
15 equate --

16 MR. TURK: -- ab initio.

17 DR. BARTLETT: I understand the line of
18 direction of questioning, but I don't think we can
19 strictly relate factor to safety back to risk
20 reduction ratios, which are really a probabilistic
21 concept. We can't, at least in my mind's eye, do
22 that.

23 MR. TURK: Okay. Let me see if I can
24 explore this a little bit with you. You specifically
25 referenced two regulatory or guidance documents. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

(202) 234-4433

(202) 234-4433

1 mentioned Section 3.8.5 --

2 DR. BARTLETT: Correct.

3 MR. TURK: -- and Section 3.8.4 --

4 DR. BARTLETT: Correct.

5 MR. TURK: -- of NUREG 0800. If the
6 Applicant follows Reg. Guide -- I'm sorry -- NUREG
7 0800, Section 3.8.5 -- I see Mr. Delligatti is
8 confirming I'm saying it correctly -- then, in effect,
9 they would be applying the same regulatory guidance in
10 development of their design and in their analyses as
11 if they were building a nuclear power plant?

12 DR. BARTLETT: Correct, if they did that
13 for a safe shutdown earthquake for a nuclear power
14 plant.

15 MR. TURK: Okay. And you recognize that
16 Section 3.8.5 specifically references various codes
17 and standards? Do you want me to show you the
18 document?

19 DR. BARTLETT: They probably may deal with
20 structural design of the foundations, but --

21 MR. TURK: I would ask you to look at
22 Staff Exhibit EE. Do you have a copy there? This is
23 Section 3.8.5.

24 DR. BARTLETT: Okay, I have 3.8.5.

25 MR. TURK: If you would, for example, turn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the end of that section, there's a list of
2 references. This is Roman numeral VI entitled,
3 "References," and one of the references, the very
4 first one, is ACI-349, "Code Requirements for Nuclear
5 Safety-Related Concrete Structures" --

6 DR. BARTLETT: That's correct.

7 MR. TURK: -- by the American Concrete
8 Institute?

9 DR. BARTLETT: That's correct.

10 MR. TURK: And PFS, in effect, by
11 following Reg. Guide 3.8.5, would be following the
12 standards established in the ACI document, correct?

13 DR. BARTLETT: For the structural design
14 of the foundations, yes.

15 MR. TURK: All right. And the same thing,
16 just for example, the very last one mentioned is
17 Regulatory Guide 1.142, "Safety-Related Concrete
18 Structures for Nuclear Power Plants."

19 DR. BARTLETT: Yes.

20 MR. TURK: That specifically referenced --
21 so, in effect, to whatever extent those apply to the
22 design of a foundation or to the concrete structure,
23 PFS would be following those standards and codes?

24 DR. BARTLETT: Yes, for the structural
25 design of the foundations, that's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C. 20005-3701