

1 MEMBER WALLIS: Does the fact that you've
2 got 700 RAIs, does that mean that there are lots of
3 these changes?

4 MR. BURKHART: I wouldn't say a lot of
5 changes. I would again put it in perspective with how
6 many RAIs we issued for the AP600.

7 MEMBER WALLIS: Yeah, but how did you get
8 so many RAIs if these are very similar plants,
9 designed on a similar basis, similar codes, similar
10 database.

11 MR. BURKHART: Right. I mean, many things
12 shook out because of the changes. As you can imagine,
13 there are a lot of topics that were covered in the
14 RAIs, and you know, concerning a larger containment,
15 larger structures. The seismic analysis comes into
16 play there.

17 So there are a lot of issues that just
18 because of the larger plant bring some things into
19 question, may not invalidate our evaluation, but we
20 need to ask certain questions.

21 And as you can imagine, there were quite
22 a few technical topics, and now the next slide may --
23 numbers don't say everything, but it tells you a
24 little bit.

25 MS. GAMBERONI: Larry, if I could add,

1 this is Marsha Gamberoni of NRR also.

2 A few of the RAIs or really more than a
3 few of the RAIs, too, were based on some of the issues
4 that have occurred in the industry in the last three
5 years that needed to be addressed. Davis-Besse steam
6 generator issues, other technical issues that we have
7 more information on and we want to know how they're
8 addressing those issues.

9 MR. BURKHART: That's true.

10 Here's a breakdown. When we issued the
11 RAIs, we tried to categorize them just for tracking
12 purposes and grouping purposes, and you can see where
13 you could argue some of our focus is: reactor
14 systems, reliability and risk assessment.

15 But, again, the technical issues vary all
16 over the place, and the purpose of this presentation
17 really isn't to get into the technical part of this.
18 We will be engaging you on issue specific items in the
19 subcommittee meetings and in the full committee
20 meetings, but this just gives you an idea of how the
21 breakdown was.

22 VICE-CHAIRMAN BONACA: I see a lot of
23 questions in the reactor systems, auxiliary systems.
24 Is the plant significantly different as laid out and
25 most of our systemics?

1 MR. BURKHART: Not significantly
2 significant, but as an example, probably 20 of these
3 questions deal with the liquid entrainment issue,
4 again, various topics. I would not characterize it as
5 significantly different, no.

6 But, again, the exchanges bring into
7 question some of the evaluation we've done, and we
8 need to do a thorough evaluation.

9 So let's move on. So my assessment of the
10 most significant issues at this time, you've heard it
11 again and again: the liquid entrainment issue, which
12 we are going to resolve.

13 And I think the last bullet there is what
14 we really need to answer. How well do we need to
15 understand the phenomenon versus its safety
16 significance, and we are in the process of evaluating
17 that. We will discuss that with you at some
18 subcommittee meetings and full committee meetings.

19 MEMBER WALLIS: I thought Westinghouse was
20 actually going to make this issue go away by showing
21 that it didn't really make much difference.

22 MR. BURKHART: Right. They say it's not
23 safety significance, correct. We just need to
24 evaluate that.

25 And I've mentioned this issue also,

1 determining what the new security requirements will
2 be, if any. Once that's determined, completing the
3 AP1000 review, and to get that, we're narrowing down
4 the schedule on that and hopefully it will support our
5 schedule.

6 And that is my presentation, and again,
7 the purpose of this discussion was to give
8 Westinghouse the opportunity to provide their
9 discussion of the AP1000 design.

10 So at this time if there are no questions,
11 I would like to turn it over to Mike Corletti of
12 Westinghouse to discuss the AP1000 design.

13 MEMBER KRESS: Were any of your RAIs --
14 you asked about the containment cooling, external.
15 Were any of the RAIs about the external cooling?

16 MR. BURKHART: Of the containment?

17 MEMBER KRESS: Yes.

18 MR. BURKHART: Yes, I believe so.

19 MEMBER WALLIS: How rapidly is Mike going
20 to speak?

21 MR. CORLETTI: Pretty fast.

22 MEMBER WALLIS: You have a whole book of
23 slides

24 MR. CORLETTI: Just for the introduction,
25 we're here today. My name is Mike Corletti. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the AP1000 project team. I can introduce some of
2 the members of our team that are here today.

3 We have Ed Cummins, who is the Director of
4 AP600 and AP1000 project.

5 We have Bill Brown, who's responsible for
6 our testing and analysis area, who seems to have left
7 the building.

8 (Laughter.)

9 MR. CORLETTI: Here he comes. Bill Brown,
10 who is responsible for testing and analysis.

11 We have Terry Schulz, who is responsible
12 for system design.

13 And we have Selim Sancaktar, who is
14 responsible for the PRA.

15 Today one of the purposes is we would like
16 to give you really an overview of our AP1000 design
17 certification review plan, and so I'm going to spend
18 about 25 minutes on that to let you know what we've
19 accomplished, what we accomplished in the
20 precertification review and what we're doing as far as
21 design certification, and some of our expectations on
22 goals and what we're trying to accomplish.

23 And then we are going to have a talk on an
24 overview of the plant design by Terry Schultz for
25 about 50 minutes, and by 3:30 I think we're done.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We'll have maybe a half hour from Selim Sancaktar and
2 an overview of our PRA. I think that adds up to two
3 hours. So I'm going to shave off a few minutes just
4 to end at 3:30.

5 Really I'd like to have about 15 minutes
6 at the end of the meeting to go over with you to talk
7 about future interactions and what you see as
8 necessary because we are headed for a draft safety
9 evaluation report in June. One of the things Larry
10 didn't say, but it's our objective to have no open
11 items for the draft safety evaluation report.

12 We are trying to be very responsive in our
13 RAIs to have a target to close the issues by the draft
14 safety evaluation report. That's our goal. I think
15 that right now, I think NRC wrote us a letter back,
16 which is right on the mark that said it was too early
17 at this point in time to change the schedule, but
18 let's stick to the next objective of that, which is
19 right now December 2nd, answering all of the RAIs, and
20 that's where we are.

21 So I think at the end of this meeting
22 we're not looking for a letter from ACRS. We're
23 looking for maybe some interactions on some future
24 interactions that you would like.

25 As a way of just -- I know some of you are

1 new to this committee since we received AP600 design
2 certification. So I'd just like to start with the
3 AP600 background just to give you some background.

4 AP600 is a standard plant which we
5 received design certification in 1999. The technical
6 review lasted from 1992 to about 1998, September of
7 1998, when we received our final design approval.

8 AP600, Terry is going to talk about the
9 design features, but it was a 600 megawatt plant with
10 passive safety features. It is the entire plant. It
11 was not an NSSS, but it was an entire plant design,
12 included the nuclear island and the turbine island.

13 With design certification, you heard a lot
14 this morning about the early site permits. We have
15 sit interfaces that are identified in our design
16 certification that we use as our assumptions, and I
17 think you hear about how those fit into the COL
18 process.

19 We have quite a significant design effort
20 with standardization. It requires a lot more of the
21 engineering to be completed up front. For AP600,
22 about 60 to 70 percent of the design was completed at
23 the time of design certification. That was funded by
24 both Westinghouse, U.S. utilities, Department of
25 Energy, EPRI.

1 The total investment in AP600 by the
2 industry is roughly \$400 million, roughly \$200 in
3 first of a kind engineering and roughly \$200 million
4 in design and design certification of the licensing.

5 As I said, we had quite a significant
6 review by the NRC and the ACRS, and quite a lot of
7 years. A significant amount of testing. You know, we
8 talked a lot yesterday about research and testing.
9 The testing that we did in AP600 included separate
10 effects tests, integral system performance tests,
11 containment tests, component tests, quite a
12 significant investment. Roughly a \$40 million test
13 program to support AP600.

14 And here are some of the gory details in
15 regards to RAIs and meetings and ACRS meetings and
16 what have you. The last bullet, AP600 was designed as
17 a utility requirements document, and that served as a
18 bid spec. as they talked as far as the new plants and
19 for advanced plants.

20 High level key differences going from
21 AP600 to AP1000, it's exactly the same, except for
22 it's an 80 percent upgrade. So obviously it's not
23 exactly the same, but we have increased the core
24 length in a number of assemblies. Terry is going to
25 talk to you about this in more detail.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But a key, I guess, to remember and I
2 think you'll see it in Terry's presentation, our NSSS
3 components are -- a big emphasis of the URD was
4 proving this NSSS components, and you'll see we tried
5 to stay within that provenness concept for AP1000.

6 Things like the reactor vessels in
7 operation today; the core, the fuel is in operation
8 today. The steam generators are very close to units
9 that are built and operating today.

10 Canned motor pumps, we'll talk about that.
11 That is a larger canned motor pump than we had for
12 AP600.

13 MEMBER KRESS: Have you built and tested
14 those?

15 MR. CORLETTI: No, we have not. We
16 haven't built and tested pumps of that size.

17 MEMBER KRESS: But you will?

18 MR. CORLETTI: Our plan for COL would be
19 to do a prototype. So the first plant deployment, we
20 would build a prototype pump.

21 MEMBER KRESS: Well, canned motor pumps
22 work pretty well.

23 MR. CORLETTI: Yeah.

24 MEMBER KRESS: A lot of people have used
25 them. They've been around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CORLETTI: When we talked to our
2 designers at the Electromechanical Division, yes.
3 When we started with AP600, we had the largest one
4 that they had built.

5 They have since been making bigger and
6 bigger pumps, not quite this size, but larger pumps,
7 and they are very, very good, reliable pumps.

8 Increased containment height. Increase
9 the capacity of safety systems. Terry showed you a
10 little bit of some of the safety analysis results, but
11 really I think we're not going to get into too much of
12 the details. I think we'll probably leave most of the
13 details of that to a future subcommittee.

14 But we did increase the capacity of the
15 safety systems to accommodate the safety margins.

16 MEMBER KRESS: They made some changes to
17 the core, too?

18 MR. CORLETTI: To the core?

19 MEMBER KRESS: Yes.

20 MR. CORLETTI: Yes.

21 MEMBER KRESS: They made longer and longer
22 fuel --

23 MR. CORLETTI: Yeah, we went with 14 foot
24 fuel assemblies, which South Texas type fuel. It's
25 also Doel and Tihange, two of our plants in Belgium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that use this.

2 MEMBER KRESS: Had already used that.

3 MR. CORLETTI: Yes. And because AP600 was
4 already a 1,000 megawatt reactor vessel, it was able
5 to accommodate the additional fuel assemblies.

6 MEMBER KRESS: Did you have to up the
7 enrichment any?

8 MR. CORLETTI: The enrichment is -- the
9 power density, the kilowatts per foot is increased.

10 MEMBER KRESS: Increased?

11 MR. CORLETTI: Yes.

12 MEMBER ROSEN: Are you talking about 18
13 month cycles?

14 MR. CORLETTI: Our base is 18 month
15 refueling cycle. You can go longer. The economics
16 does not necessarily favor going to 24 months. When
17 we did our economic evaluation to 18 months was
18 optimum as far as fuel costs.

19 The key bullet there at the bottom is
20 retained AP600 nuclear island footprint. The key to
21 us, the reason was we had a significant investment in
22 the nuclear island design. As I said, 200 million in
23 first of a kind engineering was one of the drivers
24 that we believed we could bring AP1000 to be ready
25 sooner and really use the basis of the AP600 was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C. 20005-3701

1 keeping the nuclear island footprint the same.

2 And there you see with the exception of
3 the steam generators being a little bit larger from
4 this view, you can see that it --

5 MEMBER WALLIS: The only thing that I can
6 see different is the size of the steam generator.

7 MR. CORLETTI: That's right.

8 MEMBER WALLIS: The only thing I can see
9 different. Is that right?

10 MR. CORLETTI: From this view, I think
11 that's right.

12 VICE-CHAIRMAN BONACA: It's a taller
13 vessel.

14 MR. CORLETTI: The vessel is the same
15 diameter, but it is longer. So you don't see it in
16 this view.

17 MEMBER KRESS: What does the blue signify?
18 Is that water?

19 MR. CORLETTI: No, it was just what the
20 CAD system printed it out.

21 MEMBER LEITCH: Grading.

22 MR. CORLETTI: Yes. That's what that's
23 showing, is the grading.

24 MEMBER KRESS: The grading.

25 MR. CORLETTI: Just the difference here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C. 20005-3701

1 You can see it a little more pronounced here between
2 the AP600 and the AP1000. The containment is taller.
3 No, we're not eliminating the containment despite the
4 risk informed approach we heard about yesterday.

5 I wouldn't mind reducing the design
6 pressure, but for another day, I think.

7 MEMBER ROSEN: What makes the containment
8 taller?

9 MR. CORLETTI: We did tend to size it for
10 the larger massed energy releases associated with a
11 steam line break and --

12 MEMBER ROSEN: So that free volume
13 concern.

14 MR. CORLETTI: Right. And in accordance
15 with the URD, we have to design for steam generator
16 replacement in a single component. So that helps make
17 that a lot easier.

18 We didn't try to show that we could do it
19 with the shorter containment, but that is another
20 driver in the height of the containment.

21 MEMBER ROSEN: Does the equipment hatch
22 allow for removal directly without --

23 MR. CORLETTI: Not on AP1000. AP600 we
24 did, but AP1000, with this steam generator so large,
25 we could not do that with the equipment. So we would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have to make a cut in the containment.

2 Our studies that we've performed would
3 show that you would take it up through the roof.

4 MEMBER KRESS: Is that shell around it
5 removable?

6 MR. CORLETTI: I'm sorry?

7 MEMBER KRESS: Because of the concrete,
8 the natural cooling shell.

9 MR. CORLETTI: This is open here. So it
10 would allow for the removal of the steam generators.

11 MEMBER KRESS: Oh, that's open?

12 MR. CORLETTI: Yes.

13 MEMBER KRESS: You come right up through
14 there.

15 MR. CORLETTI: Right.

16 MEMBER KRESS: I see. You wouldn't have
17 to take that --

18 MEMBER WALLIS: It's open in the middle.

19 MR. CORLETTI: Yeah. You would have to do
20 a lot of --

21 MEMBER KRESS: Yeah, okay.

22 MEMBER SIEBER: Can you get a reactor
23 vessel header or O ring through your equipment hatch?

24 MR. CORLETTI: I don't think so. I don't
25 think the head. I don't think we could on AP600

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 either or could we have. I don't think so.

2 MEMBER ROSEN: Would you have to cut any
3 concrete around the steam generators to get them out?

4 MR. CORLETTI: Not the steam generators.
5 I don't -- Ed, do you want to?

6 MR. CUMMINS: No. This is Ed Cummins.

7 The steam generators are liftable by the
8 polar crane with enhanced actual crane rig, and then
9 you need a heavy lift crane to lift it from the crane
10 rails up through the center of the existing opening.
11 There's a concrete shield thing that you see on the
12 bottom there, but that could be removable. It has no
13 structural importance. It's only a radiation shield
14 plate.

15 MEMBER ROSEN: Could you point that out,
16 that feature?

17 MR. CORLETTI: I think he's talking --
18 right here, Ed?

19 MR. CUMMINS: Yes. This is a concrete
20 shield plate.

21 MR. CORLETTI: Shield plate.

22 MR. CUMMINS: It also handles rain and
23 other things. You have to cut the steel containment
24 vessel here.

25 MEMBER WALLIS: If you touch the screen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with a marker which is open, it takes another month
2 for certification.

3 (Laughter.)

4 MEMBER ROSEN: No, you actually have
5 bought the screen if you --

6 (Laughter.)

7 MEMBER KRESS: I don't know of anybody who
8 would do such a thing.

9 MEMBER ROSEN: The Kress memorial smudge
10 has been repaired, and we don't want another one.

11 MR. CORLETTI: This slide here just really
12 shows you this phased approach to licensing AP1000.
13 I think you heard a little bit about this yesterday,
14 too on these precertification, prelicensing reviews.

15 We started, I think, our first discussions
16 with NRC April 2000, and so that was when we started
17 discussions on the precertification review.

18 We finished that in March. I think we
19 received a letter from the ACRS. We received a letter
20 from the staff and also a SECY in regards to the DAC
21 issue, and we are now in this Phase 3 here which we
22 have called the design certification review, and I'll
23 talk a little bit about the results of that precert.,
24 precertification review.

25 But just to give you -- I believe you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our entire application. I think we provided it to the
2 ACRS in a CD version. Our application includes our
3 design control document; the Tier I information, which
4 is the inspections, tests, analysis, acceptance
5 criteria.

6 The purpose of these is when you built the
7 plant, these are the tests and evaluations, analysis
8 that must be done to confirm that the plant that was
9 built is the same as the plant that was certified.

10 MEMBER KRESS: Are those pretty much the
11 same as the --

12 MR. CORLETTI: They are the same, except
13 for the exception of the acceptance value.

14 MEMBER KRESS: Okay, yeah.

15 MR. CORLETTI: So we are following
16 essentially the same path. I mean, there may be one
17 or two modifications, but it took a lot of sweat
18 between us and the staff and the industry to decide
19 what were those things that we would -- what these
20 were, and we'd rather not go there, to come up with a
21 new list for this plant.

22 MEMBER KRESS: I understand, yes.

23 MR. CORLETTI: Also, we have essentially
24 the contents of a standard safety analysis report
25 similar to an FSAR. It includes the tech specs, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it includes a summary of the PRA, but the full PRA is
2 provided with our application, and we've also
3 submitted about 20 topical reports all told in various
4 subjects dealing with entrainment or QA plan and the
5 whole gamut that really fill out the rest of our
6 application.

7 I think some of our strategy or the way
8 we're approaching certification, we are really trying
9 to follow the policy issues that were established in
10 the AP600 review.

11 We also made this claim when we started,
12 that 80 percent of the DCD is the same. I think Dana
13 said, yeah, but the tough 20 percent is what's
14 different, but it doesn't really matter if it's 80
15 percent, 75 percent. I think the message is that a
16 large part of our application is really based on
17 AP600, and I think to focus the differences or
18 highlight the differences, we provided this red line
19 strike-out version of our DCD that showed changed
20 pages.

21 I'm sorry. It changes to AP600 in red and
22 strike-outs so that the staff could focus where the
23 differences were, and they found them all and asked us
24 all the questions about what the differences were.
25 But it was a way, I think, to maybe make the review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 more efficient, is to try to highlight those changes,
2 too with that.

3 MEMBER WALLIS: That's a pretty big
4 reactor, that AP10000 you've got there.

5 MR. CORLETTI: Did I get it wrong? No,
6 no, no.

7 MEMBER WALLIS: In the blue.

8 MR. CORLETTI: Oh. Well, that's our next
9 upgrading.

10 MEMBER KRESS: It's ten of them on the
11 side.

12 MR. CORLETTI: I got it right three out of
13 four times, Dr. Wallis.

14 And I think just the -- and I think maybe
15 a note on these RAIs maybe now. I think you said why
16 did we have 700. I think many of the RAIs are the
17 same questions as we received on AP600, but perhaps
18 how we -- you know, it wasn't apparent in our DCD or
19 in our PRA -- why the answer was still the same, and
20 I think there's a bit of some of the answers to
21 questions are important, but don't work their way into
22 the DCD, but are referenced in the FSER.

23 So in order for this -- I think the staff
24 is looking at the FSER. What were the safety claims?
25 What were the safety basis for AP600? And they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 making sure that all of those are still the same.

2 I think a lot of the RAIs are in that
3 category as well.

4 Just a slide on the results of the
5 precertification review. We were looking at the
6 application of DAC, the piping, seismic and structural
7 areas. I think we agreed that we would use the DAC
8 approach for piping. I believe the ACRS spoke --

9 MEMBER KRESS: Yes, we wrote a letter on
10 that.

11 MR. CORLETTI: Wrote a letter on that.

12 In the area of structural design, we're
13 not following the DAC approach, but we are performing
14 the structural design of the nuclear island critical
15 sections that were performed for AP600.

16 In addition, the important issue is the
17 issue of the applicability of our tests and analysis
18 codes that were approved for AP600. Were they
19 applicable for AP1000?

20 I think the staff agreed that, yes, they
21 were applicable. They have --

22 MEMBER KRESS: That was based on redoing
23 the PIRT and showing --

24 MR. CORLETTI: Right. The PIRT and the
25 scaling report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: And the scaling.

2 MR. CORLETTI: That's right.

3 MEMBER KRESS: Yeah. We looked at that
4 also.

5 MR. CORLETTI: Yes, you did. You reviewed
6 that as part of the precertification review, and I
7 think your letter addressed that. I think essentially
8 your letter endorsed probably the conclusion of our
9 reports and the staff's findings.

10 MEMBER KRESS: Yeah, i think we did. I
11 remember.

12 MR. CORLETTI: The one issue is on
13 entrainment, the treatment of entrainment.

14 MEMBER KRESS: yes.

15 MR. CORLETTI: And that is an issue that
16 I think we're still working on. I guess the --

17 MEMBER KRESS: Are you involved in the
18 Oregon State test or is that strictly NRC's?

19 MR. CORLETTI: No, we are. There are two
20 test programs out at Oregon State. There was the Apex
21 facility, which was used for AP600, and we did our
22 scaling studies during a precertification review that
23 showed those tests were applicable.

24 But as a follow-on, Oregon State was
25 successful in getting a NERI program through DOE to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 AP1000 tests.

2 MEMBER KRESS: Oh, yes.

3 MR. CORLETTI: So we've been cooperating
4 with Dr. Reas in Oregon State on that, and in fact, we
5 are I would say more than cooperating, but, yes, we
6 are cooperating. We have provided then AP1000 design
7 information. We're working on the scaling because
8 it's an important set of tests.

9 Because the AP600 tests were scaled
10 sufficiently to AP1000, we don't see the need to redo
11 code validation based on those results, but we do
12 believe that it will be useful for the staff as
13 confirmatory analysis.

14 I know one of the elements of approval for
15 AP600 was the confirmatory analysis that the staff
16 did. I think this will provide the staff with the
17 needed information.

18 MEMBER KRESS: What is the status of those
19 tests? Will they be done in '03?

20 MR. CORLETTI: Well, in my understanding
21 there's going to be a readiness review in December,
22 and then following that they're ready to start testing
23 shortly thereafter.

24 There is another facility that is the at
25 last facility at OSU. It's sponsored by research.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Westinghouse has not been using that test facility as
2 far as did not use it for AP600.

3 MEMBER KRESS: That was the one that was
4 entrainment, wasn't it?

5 MR. CORLETTI: That's right. And I think
6 we have some RAIs on that, and we owe some answers on
7 that. I think that the issue of entrainment we should
8 probably take up at a future subcommittee meeting.

9 MEMBER WALLIS: I think the key question
10 with these OSU tests is not when they start, but when
11 they're finished and when they're analyzed, and will
12 they be analyzed in time to have any influence on the
13 decisions made here.

14 MR. CORLETTI: As I said, because of the
15 results of the precertification review, based on the
16 scaling we did, we do not believe we need to rely on
17 those for code validations.

18 MEMBER WALLIS: But they might have some
19 surprises.

20 MR. CORLETTI: I think that will be the
21 reason the staff will use as far as confirmatory.

22 MEMBER WALLIS: They will be done in time
23 to have some influence?

24 MR. CUMMINS: This is Ed Cummins.

25 I think Westinghouse would say that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 already agreed that we didn't need test. "We" as the
2 staff, the ACRS, the NRC and Westinghouse agreed we
3 didn't have to do test in order to validate the codes
4 for the AP1000.

5 We would claim we do not need those tests
6 for our certification. I believe the tests, however,
7 will be done before the certifications issue.

8 MR. CORLETTI: Yes.

9 MEMBER WALLIS: So we will be able to see
10 the results of those tests before we're asked to make
11 decisions on this today?

12 MR. CUMMINS: Well, we'd say you already
13 agreed you didn't need the results of those tests.

14 MR. CORLETTI: Right.

15 MR. CUMMINS: I mean, you have to be
16 careful --

17 MEMBER WALLIS: Well, it's not clear that
18 every member of the committee had that point of view.

19 (Laughter.)

20 MR. CUMMINS: I think so, yes.

21 MR. BURKHART: This is Larry Burkhardt.

22 I would say while the user need that we
23 sent to Reactor Systems did not request testing to
24 resolve the issue, however, I think -- and Steve
25 Bajorek is the person to talk to the schedule -- I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think if we have the information, we will look at it
2 and incorporate it as we can.

3 Steve, do you have any more?

4 MEMBER WALLIS: It seems like a practical
5 approach though. I mean if it's there, it should be
6 used.

7 MR. BAJOREK: This is Steve Bajorek from
8 Research.

9 We've been keeping a close eye on the
10 facility modifications in the schedule at OSU. It
11 looks as though they're going to be ready to start
12 their hot testing in December and have the first sets
13 of results early in 2003.

14 That's within I guess I would call the
15 critical period where we're going to be answering the
16 RAIs, trying to resolve some of the critical issues.
17 So I think that the important part of the data is
18 going to be there.

19 You know, I've encouraged Jose, the DVI
20 line break should be one of the first ones done, and
21 if that's in the schedule and moved up, I think we'll
22 have it.

23 MR. CORLETTI: I think it is important to
24 remember the results of the precertification review in
25 regards to scaling. Now, how we've chosen to address

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it because we couldn't rely on the test really to make
2 our application, and we've provided COBRA/TRAC, WCAP
3 topical report where we do the detailed modeling of
4 the area in question during entrainment, many
5 sensitivity studies and nodding studies, trying to see
6 what the sensitivity, the plant performance is to this
7 phenomenon.

8 And I think the staff has asked us RAIs on
9 that topical, and we're providing the answers to
10 those.

11 It is our position that we believe that
12 the information -- that the studies that we've
13 performed show the overall sensitivity to this is very
14 small, and I think we need to resolve it.

15 We have a technical difference right now.
16 It is an open item.

17 MEMBER WALLIS: Hot leg entrainment, I can
18 sort of see why. Once the hot leg is dry, it doesn't
19 matter, and you're not going to drop the level below
20 that, but the entrainment from the core itself, if
21 it's very easy to entrain liquid and sweep it away, I
22 would think they would have to have an effect on the
23 dryout, on the core.

24 MR. CORLETTI: It has an effect on the
25 phenomena. It's a matter of does it -- there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 variations in the magnitude of that. It makes a
2 difference in your overall system performance.

3 MEMBER WALLIS: Well, clearly if it's big
4 enough, it must.

5 MR. CORLETTI: I think the part of the
6 equation that we tend to forget is the injection flow
7 that's feeding this reactor vessel in this passive
8 plant. If you look at it as a pot of water boiling,
9 sure, entrainment is going to be large. If you
10 remember that we have a 500,000 gallon tank of water
11 feeding the nozzle, it's quite easy to see that
12 variations will not make a big difference.

13 MEMBER WALLIS: So maybe you can make a
14 bounding calculation which is convincing.

15 MR. CORLETTI: And we try to do that in
16 our WCAP.

17 MR. BURKHART: Yes, and this is Larry
18 Burkhart.

19 And I guess what we could say is we are
20 looking at all information available, including
21 Westinghouse's RAI responses and any available test
22 information.

23 MR. CORLETTI: I think probably, unless
24 you're disagreeing with it, I think this is probably
25 the level of this meeting, but I do agree we need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 probably get into some of the --

2 MEMBER KRESS: Yeah, these are some of the
3 things we'll follow up on in additional meetings.

4 MR. CORLETTI: In regard to the safety
5 analysis codes, also from the precertification review
6 there were several I'd call them open items from the
7 precert. review. I think the staff said, "We believe
8 you need to show this to demonstrate issues with each
9 of the codes."

10 We've provided those either in our
11 analysis that we've presented in our DCD or in follow-
12 up RAIs, the answers to our follow-up RAIs dealing
13 with each of the codes that were reviewed as part of
14 the precert. review.

15 Okay. I think this is an important
16 scheduled. Well, not this one.

17 This is just a summary -- I'm sorry -- of
18 the history. I think Larry covered it in regards to
19 the numbers of RAIs. Seven hundred were received, and
20 440 is the number I have, not 439. So I'm not sure of
21 that.

22 MR. BURKHART: I'll double check that.

23 MR. CORLETTI: We lost one.

24 (Laughter.)

25 MR. CORLETTI: We've also had design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information. We've provided the detailed design
2 information, engineering drawings of our design for
3 the staff. They're doing the confirmatory analysis.

4 We had two sessions, one with the full
5 staff, with the reviewers reviewing the AP600 where we
6 went over our full application, and one full day on
7 the PRA.

8 I would encourage if you don't have those
9 presentation packages that you get a copy of those.
10 They're fairly comprehensive.

11 I'll work with Ed to make sure everyone
12 has a copy of those presentation packages because I
13 think in preparation for the subcommittee meetings, I
14 think you'll find it useful to kind of highlight some
15 of the differences also.

16 In addition, we have more information
17 today that we can cover, but our plan is to let you
18 take that back and review it so that when we come to
19 the subcommittee meetings, we can get into the details
20 where you'd like.

21 This next slide is a fairly important one.
22 It's talking about scheduling, and as Larry said, we
23 have an agreed upon schedule, June 16th actually, for
24 the draft safety evaluation report. It is our goal;
25 we're trying to do everything in our power to have no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 open items in that draft safety evaluation report, to
2 provide sufficient information to the staff so that
3 they can resolve any issues of safety that they need
4 to.

5 I think as we see it, the most important
6 thing is we have to provide our responses by December
7 2nd. There will be audits, I believe, the first
8 quarter of 2003, but in addition, I think the staff
9 has agreed that in February they would let us know
10 what are potential open items.

11 And what this means is which of our RAIs
12 perhaps did not sufficiently resolve any issues. So
13 which of our RAIs remain open?

14 So we're hoping that if we can have an
15 opportunity to have additional interactions, that
16 potentially we could meet to improve our schedule.

17 This I'd say is our official schedule, and
18 that's our target. I think our message is if we want
19 to improve the schedule, if we don't have a target,
20 we're not going to get there. But I think this
21 committee needs to at least be prepared; we would like
22 this committee to be prepared that in the July time
23 frame, if we're able to resolve the issues, that we
24 can also resolve any issues that you would have in
25 that time frame.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But I think we need to think about; I'd
2 like us to think about that as far as planning our
3 subcommittee meetings over the next six, seven months.

4 That's all I have. I think I come back to
5 this at the end. I think clearly, treatment of
6 entrainment is an issue that we're going to just have
7 to talk to you all about. I think the PRA is one that
8 I know you've expressed interest in having
9 subcommittee meetings, and perhaps I'd like to hear
10 from you at the end of our presentation in regards to
11 what other topics you might want to hear.

12 With that I'll turn it --

13 MEMBER WALLIS: Are we going to talk about
14 the PRA today?

15 MR. CORLETTI: We have a summary
16 discussion of the PRA, time remaining, of about 30
17 minutes. I'm not sure, maybe 20 minutes of the PRA,
18 but it will be a summary of what we've presented.

19 MEMBER WALLIS: If there will be some
20 mention of it, we can ask questions.

21 MR. CORLETTI: Yes.

22 MEMBER WALLIS: Okay.

23 MR. CORLETTI: Okay. With that, I'm going
24 to turn it over to Terry.

25 MR. SCHULTZ: Okay. Good afternoon. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will continue talking here, and I'm Terry Schultz, and
2 I'm working the systems design area.

3 And we'll try to walk you through a quick
4 overview of the AP1000 design. The list of key design
5 features is exactly the same as it was for AP600.

6 Mike mentioned it's an overall plant
7 design. Use of proven power producing components is
8 a key objective for us and our utility partners.
9 Simplified loops with can motor pumps, simplified
10 passive safety systems with an objective to increase
11 safety margins, for example, no pool uncover on small
12 LOCAs, and to address up front design features to
13 adjust severe accidents.

14 Going along with the simplification theme,
15 to also work on the nonsafety systems; microprocessor
16 based digital INC system; along with their compact
17 control room; an integrated optimized plant
18 arrangement, thinking about construction in terms of
19 constructability, operation, maintenance, safety,
20 cost. All is together.

21 And let's see. Extensive use of
22 modularization of the plant. That was something that
23 has been considered from the beginning of the design,
24 in sizing and arranging components, as well as just
25 thinking of how you put them in the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The next overhead Mike has actually
2 already shown you, and added the key differences. So
3 I'm actually just going to pass by this. Mike has
4 already talked about the increased size core. At this
5 level of detail, and I'll be touching on each of these
6 in some more detail as we proceed here.

7 Okay. Here now you can see a comparison
8 of some key reactor parameters, comparing a
9 Doel/Tihange, three plants. These are three loop
10 Westinghouse plants that have essentially the same
11 reactor vessel diameter and length, the same number of
12 fuel assemblies as AP1000 has, the same fuel assembly
13 type, the same fuel length, 14 feet.

14 You can see here the power density.
15 AP1000 is higher than AP600, as well as Doel and
16 Tihange. We have operating plants that are now in
17 this power density range, and in the near future we
18 expect plants to actually be going slightly above
19 this.

20 We have increased the number of control
21 rods, and we've maintained the use of gray rods. So
22 for load follow we don't have to move boron around,
23 just like AP600.

24 You could see here the total vessel flow
25 has been substantially increased. Of course, this

1 takes bigger reactor coolant pumps and all. I'll talk
2 about those.

3 Here you see the total steam generator
4 surface area. This is of all the generators in the
5 plant. So we have substantially increased the heat
6 transfer area. The pressurizer has also been
7 upscaled.

8 MEMBER ROSEN: It's curious to me that
9 you've used all Doel IV and Dihange as a comparison.
10 Why wouldn't you use STP, South Texas?

11 MR. SCHULTZ: This uses the same fuel as
12 South Texas. Okay?

13 MEMBER ROSEN: Yeah.

14 MR. SCHULTZ: It's closer in terms of the
15 reactor vessel sizes, the same diameter. In fact, all
16 three plants here have the same reactor vessel
17 diameter. So it's closer in terms of total power
18 output and reactor vessel diameter.

19 MEMBER ROSEN: To Doel and Tihange?

20 MR. SCHULTZ: Doel and Tihange, yes.

21 MEMBER ROSEN: South Texas is actually
22 bigger.

23 MR. SCHULTZ: It's a four loop plant.
24 It's basically --

25 MEMBER ROSEN: Twelve, fifty. "

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHULTZ: -- the same rating per steam
2 generator as Doel and Tihange, but it's got one more
3 generator.

4 We have increased Tihange slightly from
5 AP600, but it's still well below operating plants that
6 we have out there.

7 Here you can see the basic loop
8 arrangement, and it's exactly the same as AP600, two
9 steam generators, four cold legs, four reactor coolant
10 pump, can motor pumps. The loop arrangement is
11 identical, the same size pipes, the same one weld per
12 pipe or -- excuse me -- two welds per pipe, one in
13 either end. So there's no welding of elbows to
14 straight pieces and that kind of thing.

15 A large surge line. The surge line is
16 actually the same diameter on both AP600 and AP1000.
17 AP600 had a surge line that was basically dictated by
18 the use of ADS valves on top of the pressurizer. We
19 have not changed the size of those ADS valves on
20 AP1000.

21 We've significantly increased the size of
22 the fourth stage, which connect directly to the hot
23 legs, but we haven't changed the size of the ADS-1, 2,
24 and 3 on top of the pressurizer. I'll talk a little
25 bit more about that when we talk about the passive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 systems.

2 But as a result, the surge line we've kept
3 identical to AP600. I've already talked about the
4 fuel internals reactor vessel, the use of same fuel as
5 Duoel, Tihange, and South Texas. There is no bottom
6 on instrumentation. This is the same AP600, AP1000
7 which is different than typical Westinghouse plant
8 where you have fixed in core instrumentation that
9 comes in through the top now. So our bottom is
10 completely clean.

11 This simplifies plant arrangement, and
12 facilitates the in vessel retention capabilities of
13 the plant.

14 MEMBER ROSEN: How about refueling? Is
15 there a rapid refuel package?

16 MR. SCHULTZ: Not like South Texas, no.
17 No, South Texas has some very unique features in terms
18 of being able to take the head off very quickly. We
19 have done a lot of optimization of refueling outage
20 planning with utilities, but we have not put in some
21 of the very special features.

22 We have some enhanced shutdown
23 purification capabilities relative to operating
24 plants, and we have a relatively short, maybe 17 day
25 fueling outage type plan.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 South Texas originally was designed for
2 even shorter than that.

3 Steam generators are larger. The same
4 basic design features as AP 600 in terms of materials,
5 tube support, all those features. The size is bounded
6 by Westinghouse-Combustion Engineering steam generator
7 sizes, and Westinghouse has actually built some ANO
8 replacement generators which I'll show you later, that
9 are almost the same size as what we're building here.

10 So even though these are bigger than a
11 typical Westinghouse steam generator that we've used
12 in the past, it's within our current experience base.

13 And motor pumps are a very important part
14 of the plant design. They are larger than AP600.
15 However, there is a large experience base with them.
16 Mike talked a little bit about where we are relative
17 to that experience base, and again, I'll talk a little
18 bit more about that.

19 The loop arrangement is the same. We have
20 significantly reduced the number of welds in the loop
21 and supports. The pressurizer is also larger.

22 MEMBER WALLIS: Why is the pressurizer
23 larger?

24 MR. SCHULTZ: We have taken as a design
25 objective, first of all, not to require pressurizer

1 power operated relief valves. So we want to be able
2 to ride out anticipated transience without lifting the
3 safety valves, which requires a certain size
4 pressurizer. It also generally gives us a little more
5 forgiving plant design in terms of upset transient
6 type conditions without tripping your reactor and that
7 kind of thing.

8 As I mentioned, the same 17 by 17 fuel.
9 There are 12 more fuel assemblies in AP600, and
10 they're basically put on the flats, three here or
11 three here, and so on. And that's just like was done
12 for the typical three loop Westinghouse plants.

13 The fuel is two feet longer, and that is
14 identical to what we've done in Doel and Tihange and
15 South Texas. I've talked about that.

16 One thing I haven't mentioned is the core
17 is what we call a little boron core design. Basically
18 at the beginning of life the boron concentration will
19 be maybe 1000 ppm instead of 1200 or more.

20 This buys us a margin in performance
21 capability improvement relative to ATWS and boron
22 dilution.

23 MEMBER ROSEN: Do you have a positive
24 moderator temperature coefficient of reactivity at any
25 time during the cycle?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHULTZ: No. No, we don't. It's
2 always doing an equilibrium core cycle. It's always
3 negative sufficiently to allow a ride-out of an ATWS
4 transient even at the beginning of life.

5 The first core cycle was negative
6 throughout the core cycle, but the very beginning of
7 the first core cycle we can't really ride out an ATWS
8 transient, but it's still negative.

9 MEMBER ROSEN: But your control rods --

10 MEMBER WALLIS: It's insufficient. You
11 need some boron as well.

12 MR. CORLETTI: Well --

13 MEMBER WALLIS: To control reactivity?

14 MR. CORLETTI: We move boron around to
15 handle burn-up. So at the beginning of life --

16 MEMBER WALLIS: You have to have some
17 boron at the beginning of life.

18 MR. SCHULTZ: Yes. In the first core
19 cycle, because of the nature of that, we have some
20 more burnable poisons in there, and the moderator
21 coefficient isn't as negative at the beginning of that
22 cycle as it is in subsequent cycles.

23 So this is a safety improvement. It helps
24 us also in the PRA when you look at the contribution
25 of --

1 MEMBER ROSEN: What's the EUR requirement?

2 MR. SCHULTZ: European Utility
3 Requirements. So the European utilities have put
4 together requirements like the U.S. utilities, but
5 they have their own spin on things, and one of them
6 was to require a low boron core design. So we had
7 some experience in working with them on a passive
8 plant like AP600 in Europe, and we decided to adopt
9 this core design for AP1000.

10 We've had some increased shutdown margins
11 versus AP600. I've mentioned gray rods and 18 month
12 cycle.

13 Again, the reactor vessel, the same
14 diameter as AP600 and our typical three loop plants.
15 The vessel is about 20 inches longer in length, not
16 two foot longer in length. We saved a little bit of
17 vessel length by shortening the gas point or the fuel
18 assemblies.

19 Let me mention the radial reflector. The
20 AP600 had in the core barrel region an almost solid
21 stainless steel blocks with some cooling holes drilled
22 through them that operates as a radial reflector that
23 improved the fuel economy and also reduced effluence
24 on the vessel.

25 When we put the extra 12 fuel assemblies

1 into AP1000 in those flat areas, it really thinned out
2 where the reflector was in those spots, and it raised
3 doubts in our minds about the ability to have a
4 reliable, robust reflector design.

5 So we ended up adopting a Westinghouse CE
6 type shroud design, core shroud design. This is an
7 all welded design that is used in the typical
8 Combustion Engineering type plant.

9 So we have adopted that type of a baffle
10 area design for AP1000.

11 MEMBER ROSEN: And that's different from
12 AP600?

13 MR. SCHULTZ: Yeah. AP600 had a radial
14 reflector which was a massive stainless steel blocks
15 that made up that area. That was different than a
16 typical westinghouse plant that had the barrel baffle
17 formers with all of the bolts to hold it together.

18 And here you can see a picture of an
19 actual core shroud design that was built for one of
20 the Korean plants. This was actually very similar
21 size in terms of diameter to the what we would use for
22 AP1000, and here's pretty much the story that I just
23 told you.

24 This will increase the fluence in the
25 vessel somewhat, but with the modern material we have,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there is no concern with being able to have a 60 year
2 vessel life. So even though the fluence is somewhat
3 higher for AP1000, we still comfortably can meet the
4 60 year life of the vessel.

5 MEMBER ROSEN: What do you say is the life
6 of the steam generators?

7 MR. SCHULTZ: They are designed for the
8 life of the plant. However, we also design so that we
9 can replace them without -- you know, Ed Cummins was
10 talking about how we can take them out as one piece
11 through the containment.

12 Steam generator performance has
13 dramatically improved over what we had in the past.
14 So we're seeing a lot fewer tubes being plugged. So
15 with the design features that we have now, the life of
16 the steam generators are significantly increasing from
17 what we've had in the past.

18 Whether we'll make 40 or 60 years we don't
19 know.

20 MEMBER SHACK: Is the shroud a replaceable
21 component?

22 MR. SCHULTZ: It's not welded in. It is
23 welded together as one piece. Okay?

24 MR. CUMMINS: The internals in total are
25 replaceable. The shroud is part of the internals.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SCHULTZ: The shroud is part of the
2 internals, and it can be replaced as a single piece.
3 So it's welded together, but it can still be removed
4 from the reactor vessel.

5 DR. FORD: With 316L presumably?

6 MEMBER WALLIS: Why does it look like
7 that? Why isn't it just a continuous --

8 MR. SCHULTZ: I don't know what the
9 material.

10 DR. FORD: Presumably.

11 MR. SCHULTZ: Yes.

12 MEMBER WALLIS: Why is it not a continuous
13 cylinder? Why does it have this strange structure
14 with --

15 MR. SCHULTZ: Well, it has to form the
16 flats that the fuel assemblies stick up against.
17 Okay? So it forms the region between where the fuel
18 assemblies go. So what you're seeing on the outside
19 there, these funny angle pieces are the outsides of
20 the pieces where the fuel assemblies go.

21 This whole piece sits inside the core
22 barrel. So that forms the nice, smooth, downcomer
23 region.

24 MEMBER WALLIS: And then you have these
25 sort of belts around it, which hold it together?

1 MR. SCHULTZ: That's part of the
2 structural.

3 MEMBER WALLIS: Why don't you have them
4 all the way around it? Why do you have spaces?

5 MR. SCHULTZ: In between here?

6 MEMBER WALLIS: Yes.

7 MR. SCHULTZ: It's not needed from a
8 structural point of view.

9 MEMBER WALLIS: It would help your fluence
10 presumably to have some more stuff there.

11 MR. SCHULTZ: It might. We actually
12 thickened some of the steel up here for the IDR story,
13 but I don't think we made this continuous.

14 DR. FORD: More welds. There are an awful
15 lot of welds there.

16 MR. SCHULTZ: Yes.

17 MR. CUMMINS: This is Ed Cummins.

18 It's mostly one bent plate. They bend the
19 plate in all those directions. It's one bent plate
20 all the way around, and then they weld it once, and
21 then they weld these reinforcement things. There are
22 also some vertical reinforcement things.

23 DR. FORD: So it's not a welded --

24 MR. SCHULTZ: No, no. It's a vent plate.

25 DR. FORD: That's good news.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: There's something for
2 cooling or something. There seemed to be some cooling
3 passages or something in it.

4 MR. SCHULTZ: Well, certainly cooling
5 water goes --

6 MEMBER WALLIS: Yes, if you look at it,
7 there's some structure below those belts that looks
8 like a coolant passage going underneath the belt there
9 or something.

10 MR. SCHULTZ: Under here?

11 MEMBER WALLIS: No, no, go up there. No,
12 go down about four -- there, those things, yes.

13 MR. SCHULTZ: Yes, that's total axial flow
14 up in this region.

15 Okay. I mentioned the steam generators
16 are larger, basically using AP600, delta 75 design
17 features; also the experience that Westinghouse CES
18 had with larger steam generators.

19 Here you can see the two ANO steam
20 generators at Westinghouse, Pittsburgh actually built
21 for one of the Combustion Engineering plants.

22 We will, of course, have the reactor
23 coolant pumps connected into the channel head, like
24 AP600 was designed. You can see the pumps here from
25 a bottom view.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D C 20005-3701

1 The larger steam generator facilitates
2 connecting those pumps. AP600 we actually had
3 enlarged the channel head a bit so that we could get
4 the pumps connected to it. With this bigger steam
5 generator, they fit very easily.

6 MEMBER SHACK: So this is a quatrefoil
7 rather than egg crate?

8 MR. SCHULTZ: Yes, yes. It's a quatrefoil
9 Westinghouse tube support technology.

10 MEMBER WALLIS: Your feedwater ring has J
11 tubes or something on it, does it?

12 MR. SCHULTZ: Yes. They don't show up in
13 this.

14 MEMBER WALLIS: Well, they show up on one
15 side, yeah.

16 MR. SCHULTZ: Yes, right, right, but this
17 arrangement is a typical modern Westinghouse raised
18 feedwater ring with J tube connections on top of it.

19 There is a separate lower power aux
20 feedwater, start-up feedwater connection from the main
21 feedwater.

22 MEMBER ROSEN: And these are like the
23 South Texas replacement steam generators?

24 MR. SCHULTZ: Yes.

25 MEMBER ROSEN: Delta 75, that's the same?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N W
WASHINGTON, D C 20005-3701

1 MR. SCHULTZ: Yes. The technology in
2 terms of the tube materials, tube support, channel
3 head, the moisture separators are all the same
4 technology. There are just more tubes here.

5 MEMBER SHACK: Are these 11/16 or some
6 strange dimension?

7 MR. SCHULTZ: I believe so, yes.

8 PARTICIPANT: I think the area is.

9 MR. SCHULTZ: Yeah, you get lots of
10 surface area.

11 Reactor coolant pumps, we've had to make
12 some changes here. I'll touch on the next slide, the
13 actual flow power requirement changes. This is
14 basically going through some of the major advantages
15 in terms of no shaft seals, therefore no seal
16 failures; wire lubricated bearings, no oil. That's a
17 fire hazard we've eliminated.

18 We have significantly increased the
19 flywheel inertia relative to AP600. The loss of flow
20 transient, we've picked up margin versus AP600, and
21 I'll show you later on how much of that has happened.

22 One thing we did do is we added a
23 frequency control for the reactor coolant pumps. This
24 will only be used during shutdown cold type operation
25 conditions because that is limiting in terms of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pump power. When you're pumping cold water, it's more
2 dense. It takes more power to do that, and in a
3 typical PWR, that controls how big the motor has to be
4 in the pump.

5 So by slowing the motor down somewhat in
6 cold conditions, we don't have to make the motor quite
7 as big, and that was a benefit for the can motor pump
8 design.

9 MEMBER ROSEN: How do you switch to normal
10 frequency?

11 MR. SCHULTZ: Well, you have a frequency
12 control that you bypass during power operation. So it
13 cannot malfunction and somehow slow the pump down
14 during a power operation.

15 MEMBER ROSEN: Now you're in refueling and
16 operating at a lower speed, and you -- do you start
17 the refueling operation? You're in low speed, but
18 then at some point you're ready to go back into
19 service.

20 So take me through the transition. What
21 do you do, shut the pumps off and then turn them on at
22 a higher speed?

23 MR. CUMMINS: This is Ed Cummins.

24 No. It's very similar to parallel link to
25 electrical buses. The variable speed drive runs at 60

1 hertz, and you synchronize it with your normal 60
2 hertz,. and you parallel and trip the variable speed
3 drive.

4 So you do not turn the pump off in
5 between.

6 MEMBER ROSEN: Did you analyze the
7 accident of the device not getting it synchronized
8 correctly? What happens there?

9 MR. CUMMINS: Well, that accident happens
10 any time anybody parallel any bus, like when you test
11 the diesels, for example.

12 MEMBER ROSEN: Yeah. What do you do
13 there?

14 MR. CUMMINS: So when that happens, you
15 have to replace the breakers because they all burn up
16 or whatever. They're ruined. So the parallel linked
17 breakers are breakers that you can buy and replace.
18 This should not be a problem for power plant people.

19 MR. SCHULTZ: And it's only --

20 MR. CUMMINS: It'd done on every shutdown,
21 let's say.

22 MR. SCHULTZ: But it's done after you've
23 shut the reactor down or with the reactor shutdown.
24 So it's not a nuclear accident type concern.

25 MR. CUMMINS: Yeah, the variable speed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 drive is only used when the scram breakers are open.

2 MEMBER ROSEN: I'm just having you talk me
3 through what happens, is you at some point during the
4 start-up switch to normal 60 hertz.

5 MR. SCHULTZ: Yes.

6 MR. CUMMINS: When the reactor coolant
7 temperature got 500 degrees or 450 degrees.

8 MR. SCHULTZ: Something relatively hot.

9 MEMBER RANSOM: What kind of bearings are
10 used? Are these rolling contact bearings or are these
11 sleeve?

12 MR. SCHULTZ: No. They're water
13 lubricated bearings because the water in a can motor
14 pump extends down into where the motor area is, and
15 the bearings are a sleeve water film type bearing.

16 MEMBER RANSOM: Just a sleeve bearing the,
17 huh?

18 MR. SCHULTZ: Yes.

19 MEMBER RANSOM: Is just the rotor canned
20 or is the entire secondary fuel canned also?

21 MR. CUMMINS: This is Ed Cummins.

22 Both the starter and the rotor are
23 canned,

24 MEMBER RANSOM: The what?

25 MR. CUMMINS: Both the starter and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rotor are canned. Water runs in between the two.

2 MEMBER WALLIS: Do you have any idea if
3 there's a mechanical efficiency of this pump?

4 MR. SCHULTZ: Of the motor?

5 MEMBER WALLIS: The pump, the hydraulic
6 efficiency.

7 MR. SCHULTZ: The hydraulic efficiency of
8 this pump, we actually changed the pump arrangements.
9 It's an axial --

10 PARTICIPANT: Radial.

11 MR. SCHULTZ: Radial.

12 MEMBER WALLIS: There's not much of a
13 diffuser on there, is there?

14 MR. SCHULTZ: This one is a littler more
15 efficient than the AP600 was. We also don't have to
16 have different rotations on the motors and pump. I
17 don't know what the efficiency is. It's very high.

18 MR. CUMMINS: I think it's 85. It's quite
19 good hydraulic efficiency, though the canned motors
20 themselves are poor relative to other motors in
21 efficiency. So they're also sort of in the 80s and
22 they should be in the 90s for a normal motor.

23 MEMBER WALLIS: So it's important to cool
24 them then, isn't it?

25 MR. CUMMINS: Well, it is important to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cool them. I think really this maybe is a tradeoff in
2 the economics. The real issue is that power that you
3 use to run your reactor coolant pump you can't sell
4 and so -- but certainly the utilities, at the time of
5 the utility requirements document, were weighing
6 reliability over efficiency.

7 MR. SCHULTZ: And less maintenance. These
8 pumps require very little maintenance.

9 Here you see a few more of the parameter.

10 MEMBER ROSEN: Well, you say very little
11 maintenance. Do you say that the life of the motor is
12 more than ten years?

13 MR. SCHULTZ: Oh, yes.

14 MR. CUMMINS: I think the issue is the
15 inspection/maintenance time. I think that is 12 years
16 between maintenance or inspection on the average,
17 which is --

18 MEMBER ROSEN: A little bit longer.

19 MR. CUMMINS: Yes.

20 MEMBER ROSEN: Normal, ten.

21 MR. CUMMINS: Yeah.

22 MEMBER RANSOM: What are the minor
23 connections on the motor up between the motor and the
24 pump on the previous slide?

25 MR. SCHULTZ: There were cooling water

1 connections. There's two areas of cooling in the
2 pump... One of them is in the -- to remove heat that's
3 generated from the motor, and this is also a thermal
4 barrier up here to keep the -- this is the flywheel
5 area. So we have a thermal barrier. We have to keep
6 heat from soaking down into the top part of the pump.

7 So these connections are for cooling
8 water.

9 MEMBER RANSOM: And that has no connection
10 to the primary water, I guess.

11 MR. SCHULTZ: That's right. That's right.
12 So separate inside of like a tubing, heat exchanger
13 kind of --

14 MEMBER ROSEN: That's component cooling
15 water?

16 MR. SCHULTZ: Yes.

17 And here you see the major parameters in
18 the pump, and we've increased the design flow, the
19 design head, and most of that head is due to the
20 longer fuel that we have to push the flow through, but
21 we also did not increase the hot leg/cold leg pipe
22 sizes.

23 The rotating inertia you can see here went
24 up by more than a factor of three, and that was done
25 intentional. It keeps the D&B correlation for this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 plant in the more traditional area where we have good
2 data and have had very little uncertainty, whereas
3 AP600, with the smaller inertia was dropping down to
4 flow rates that were relatively low, and we had to use
5 D&B correlations that had more uncertainty in them.
6 So we've ended up with a benefit in AP1000 for loss of
7 flow accidents.

8 It does take more power to run this pump.

9 MR. CORLETTI: Terry, I'm going to give
10 you until five minutes after three.

11 MR. SCHULTZ: Okay.

12 MR. CORLETTI: Just to gauge your slides.

13 Thanks.

14 MR. SCHULTZ: Okay.

15 MR. CORLETTI: Unless we can have more
16 time, but I think we have more things to get to today.

17 MR. SCHULTZ: Let me basically skip this.
18 This is pressurizer. We just increased the length to
19 get more volume.

20 Height is relatively cheap in inside
21 containment and had little impact on the design. This
22 is a little system sketch of the reactor coolant
23 system. It's identical to AP600 with a couple of
24 minor pipe size changes through passive or HR, and the
25 ADS Stage 4 gets bigger.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ADS Stages 1, 2 and 3, which are connected
2 to the pressurizer, are exactly the same size as
3 AP600. We've found from our testing and analysis that
4 ADS Stage 1, 2, and 3 are not so important, especially
5 when you want to get low pressure injection from IRWST
6 and long term cooling from the containment. The Stage
7 4 is the dominant flow path. So we concentrated our
8 efforts in design to make those bigger for AP1000.
9 And I'll talk more about that.

10 Okay. I'd like to now move on to talk
11 about passive systems. The design approach, safety
12 approach is exactly the same as AP600. We're using
13 passive systems as a, quote, unquote, where we have
14 one time alignment of valves. No support system is
15 required after the actuation, no AC power, cooling
16 water, HVAC type systems required. They're greatly
17 simplified in terms of what actions, activities are
18 needed to keep the plant safe.

19 A greatly reduced dependency on operators.

20 MEMBER WALLIS: There's more dependency on
21 predicting it right because your pumps aren't forcing
22 the flow. It sort of happened by nature.

23 MR. SCHULTZ: Yes. Yes, that's -- once
24 you do get that understanding though, you end up with
25 a plant that has a lot less equipment to maintain, but

1 you do have to be able to analyze properly how the
2 systems do work, yes.

3 We still have active, non-safety related
4 systems. Reactor make-up, start-up feedwater. We
5 have two diesels in the plant. They're non-safety
6 shutdown cooling systems just like AP600. They're not
7 required to mitigate design basis accidents.

8 Passive safety features, these are treated
9 with the full treatment in terms of design, QA, ASME
10 codes, single failure for design basis accidents. We
11 consider they are the primary defense in the PRA. So
12 in some cases we have introduced diversity of valves,
13 extra redundancy of valves to improve the PRA results.

14 Typically we have a very low dependency on
15 operator actions. Once you turn these systems on,
16 they can just keep running.

17 MEMBER WALLIS: But you don't put model
18 uncertainty into your PRA?

19 MR. SCHULTZ: That's a different kind of
20 a question Selim will actually --

21 MEMBER WALLIS: We heard yesterday that
22 for passive plants it's more important.

23 MR. SCHULTZ: You're talking about thermal
24 hydraulic uncertainty as opposed to equipment
25 uncertainty.

1 MEMBER WALLIS: Yes.

2 MR. SCHULTZ: I would say equipment
3 uncertainty --

4 MEMBER WALLIS: Not being quite sure what
5 happens, yes.

6 MR. SCHULTZ: Yeah, we have much less
7 uncertainty in equipment.

8 MEMBER WALLIS: Yes.

9 MR. SCHULTZ: We may have more uncertainty
10 in thermal hydraulic predictions, and we have bounded
11 that with thermal hydraulic analysis.

12 The general arrangement of the passive
13 systems is identical between AP600 and AP1000. We
14 have the same number of tags, basically the same
15 number of valves. We, of course, did increase the
16 capacity of the passive safety features. Core power
17 went up about 76 percent, and here you can see some of
18 the increases in capacity.

19 The passive OHR, which is very much
20 related to your moving core power and transience was
21 almost exactly, not quite, but almost exactly
22 increased to match the power levels.

23 Core make-up takes were not increased as
24 much. We learned from our testing and analysis that
25 we had margin in the sizing of the core make-up tanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 When we originally sized them, we didn't understand
2 AP600 as well as we do now. So we were able to
3 increase the core make-up tanks less than the core
4 power increase and still maintain good safety margins.

5 Where we really concentrated our efforts
6 are in the low pressure IRWST injection and
7 containment recirc. Those are the areas where we're
8 most sensitive to low DPs in operation of the plant.
9 So we increase those capacities more than the power
10 increase in order to provide some additional margin
11 for AP1000.

12 And you can see especially in containment
13 recirculation we've really gained something there.

14 MEMBER WALLIS: Now, your accumulators are
15 the same.

16 MR. SCHULTZ: Accumulators are the same.

17 MEMBER WALLIS: They did not increase
18 their size.

19 MR. SCHULTZ: That is true. They have the
20 same injection flow rate capability and size.

21 MEMBER WALLIS: But compared with the
22 volume of the core, they contribute less; the volume
23 of the vessel, they would contribute less in the make
24 --

25 MR. SCHULTZ: They get water to the core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 When we originally sized them, we didn't understand
2 AP600 as well as we do now. So we were able to
3 increase the core make-up tanks less than the core
4 power increase and still maintain good safety margins.

5 Where we really concentrated our efforts
6 are in the low pressure IRWST injection and
7 containment recirc. Those are the areas where we're
8 most sensitive to low DPs in operation of the plant.
9 So we increase those capacities more than the power
10 increase in order to provide some additional margin
11 for AP1000.

12 And you can see especially in containment
13 recirculation we've really gained something there.

14 MEMBER WALLIS: Now, your accumulators are
15 the same.

16 MR. SCHULTZ: Accumulators are the same.

17 MEMBER WALLIS: They did not increase
18 their size.

19 MR. SCHULTZ: That is true. They have the
20 same injection flow rate capability and size.

21 MEMBER WALLIS: But compared with the
22 volume of the core, they contribute less; the volume
23 of the vessel, they would contribute less in the make
24 --

25 MR. SCHULTZ: They get water to the core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 at the same time. Okay? Because the downcomer lower
2 plenum is exactly the same. It is a bit longer. It
3 takes a little longer to fill --

4 MEMBER WALLIS: But the break flow rate is
5 the same. So they're making it up at the same rate.

6 MR. SCHULTZ: Yes, and we do end up with
7 higher peak clad temperatures. They're more like
8 current operating plants than AP600 which had very,
9 very low large break LOCA peak temperatures.

10 For small break LOCA, we've maintained the
11 AP600 capabilities in terms of no core uncover for
12 accidents that are up to DBI line break, which is a
13 challenging event because it breaks off half of our
14 injection capability.

15 We've also maintained that no operator
16 action is required for steam generators to rupture,
17 which is a very unique, good capability for AP600 and
18 AP1000.

19 MEMBER RANSOM: Early in the AP600 there
20 was some concern about the PRHR heat transfer
21 capability due to the fact that it's a natural
22 circulation loop and two bundle. What was done to
23 resolve that? And especially the code modeling, I
24 guess, there was a lot of concerns about how to model
25 the flow through that heat exchanger.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SCHULTZ: I think the nature of the
2 concern, as I understand it, was was our test data
3 sufficient to justify the correlations we used in our
4 computer codes. For AP600 we did some sensitivity
5 studies where we reduced the amount of passive RHR
6 capability arbitrarily.

7 We also did some predictions of what heat
8 transfer you would get in ROSA, which Westinghouse-NRC
9 testing in ROSA, and we were able to predict that
10 testing very well.

11 So the combination of those things, in
12 particular, the predicting of the ROSA testing
13 convinced ourselves and the staff that our correlation
14 for heat transfer of the passive RHR were good and
15 accurate.

16 MEMBER RANSOM: What do you use for those
17 accident analyses? Is that COBRA/TRAC that --

18 MR. SCHULTZ: No, it's LOFTRAN.

19 MEMBER RANSOM: LOFTRAN?

20 MR. SCHULTZ: LOFTRAN, our typical, the
21 normal transient type.

22 MEMBER RANSOM: And there you have models
23 for those heat exchangers?

24 MR. SCHULTZ: Yes, that were specifically
25 programmed, coded to match the test data that we got

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C. 20005-3701

1 on the passive RHR.

2 Let's see. We've got about five or six
3 more minutes here.

4 PARTICIPANT: Seven.

5 MR. SCHULTZ: Seven? Thank you.

6 (Laughter.)

7 MR. SCHULTZ: In order to get the
8 increased capacity of the passive RHR, what we did we
9 used the same elevation. The heat exchanger is
10 located in the refueling water storage tank, and we
11 didn't move it. So we really had to keep the heat
12 exchanger in the same place.

13 We did increase the size of the pipes to
14 14 inches, and that reduced the pressure drop through
15 the heat exchanger. We added a few more tubes, and we
16 increased the horizontal section length of the tube.
17 So we got more surface area in the heat exchanger, and
18 that's what we did to increase the capacity of the
19 heat exchanger.

20 Let me skip the next slide. It basically
21 just shows you where the heat exchanger goes inside
22 containment, and this shows you a couple of the plots
23 out of the Chapter 15 accident analysis. This is for
24 loss of main feedwater accident, and the way we model
25 this is reactor coolant pumps keep going, and you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 see the small delta T and the temperatures, until the
2 temperature gets down to a trip point for the reactor
3 coolant pumps, which is an excessive cool down kind of
4 safeguards.

5 And at that point in time, the reactor
6 coolant pumps trip, and the passive RHR then
7 transitions from a forced flow. As long as the
8 reactor coolant pumps are running, the flow through
9 the heat exchanger is forced by the pressure of the
10 pumps. When the pumps stop, then the heat exchanger
11 transitions to a natural circulation mode of
12 operation. The delta Ts between hot leg and cold leg
13 increase, but you can see the margin between the
14 saturation temperature up here and the hot leg and
15 cold leg temperatures is significant.

16 This is in the order of 140 degrees
17 Fahrenheit. AP600 was a little bit more, maybe 170
18 degrees. Typical operating plants are a few degrees.
19 So both AP600 and AP600 had substantially more margin
20 in terms of subcooling than operating plants.

21 In this accident, the pressurizer
22 approaches being full, but stays below filling. So
23 you don't get over filling of the pressurizer.

24 Let me move on to LOCA protection. There
25 was a slide on tube rupture which basically just

1 showed you that we automatically terminate the tube
2 rupture, and a key feature of that is the passive RHR
3 heat exchanger. That can cool the primary site down
4 to less than secondary site conditions.

5 Passive safety injection capabilities,
6 again, same configuration, numbers of tanks, valves as
7 AP600. We have changed some capacities of pipes and
8 tanks that the cumulator didn't change. We didn't
9 change it in terms of pipe sizes.

10 The core make-up tank, we increased the
11 volume 25 percent. We got 25 percent more flow by
12 increasing the orifice, opening the orifice up a bit.
13 We didn't have to change the pipe size.

14 The IRWST injection lines went from six
15 inches to eight inches, and so did the recir lines.
16 They were six inches and now they're eight inches. So
17 that increased our capabilities of injection.

18 ADS Stage 4 increased to 14 inches to give
19 us substantially more fourth stage capability, which
20 is a key to the low pressure injection.

21 I've already talked about the accumulator
22 and how we didn't change that and we get higher peak
23 clad temperatures, but they're similar to operating
24 plant.

25 Core make-up tanks. Let's move on to

1 IRWST injection. Using the same boundary conditions
2 in terms of water in the tank, which we did, by the
3 way, increase slightly by reducing the uncertainty in
4 measuring the water during normal operation.

5 We had about a foot error tolerance in
6 there because we were using just wide range tank level
7 monitoring. Now we added some small, and we were able
8 to eliminate level errors, and we could raise the
9 normal water level and IRWST some, and that gave us a
10 little bit more head for initial injection.

11 That combined with the bigger pipes
12 substantially increases injection capability.

13 MEMBER WALLIS: What's your worst pipe
14 size break for PCT?

15 MR. SCHULTZ: Well, for large break LOCA,
16 a double ended cold leg.

17 MEMBER WALLIS: Does that give you the
18 highest PCT?L

19 MR. SCHULTZ: Yes.

20 MEMBER WALLIS: So the largest break is
21 the worst.

22 MR. CORLETTI: Yes, the large break, large
23 double ended cold leg break.

24 MR. SCHULTZ: Cold leg. Now, hot leg
25 breaks are a less severe, of course, but the cold leg

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is the worst, yes.

2 ADS-1, 2 and 3, as I mentioned, was not
3 changed. This helps us in the design point of view
4 because the design of the valves and piping on top of
5 the pressurizer was a very complicated, tricky design.
6 Also, you don't have to change the sparger design, and
7 the IRWST loads on the tank due to the initial opening
8 of the ADS valves, and it also isn't really necessary
9 for the safety of the plant.

10 MEMBER WALLIS: So that piping layout is
11 Westinghouse specified. It's not something some
12 architect engineer can change from plant to plant.

13 MR. SCHULTZ: That's right. As Mike
14 mentioned, we have a total plant design; includes pipe
15 routing. Something like that is very important.

16 MEMBER WALLIS: That's a real advantage.

17 MR. SCHULTZ: Yes, yes. It clearly
18 reduces both yours and our work to make the plant safe
19 and good.

20 Stage 4, we still use the squib valves to
21 initiate the Stage 4. There's four of them, two on
22 each hot leg. The pipe size of both the squib valves
23 and the common pipe has been increased.

24 Critical flow area goes up about 76
25 percent, and the subcritical flow goes up about 93

1 percent.

2 MEMBER ROSEN: Is that something people
3 have experience with, big valves like that, 14 inch
4 valves, squib type?

5 MR. SCHULTZ: Squib valves are --
6 basically every one that you buy is custom designed.
7 So it's not like you go to Edwards and you buy a motor
8 operated gate valve, and they have a catalogue of
9 standard valves.

10 They've built a valve this big, but not
11 necessarily this high, pressure combination. They
12 built a valve that's basically the same size as AP600
13 as a prototype; actually did it for General Electric
14 in your SBWR design.

15 We're using the same design configuration,
16 but it's being scaled up from the ten inch to the 14
17 inch. So this will be a new valve design, and it will
18 be a little bit larger than what they built before.

19 MEMBER ROSEN: Clearly a lot of detailed
20 testing to do yet on that valve off location?

21 MR. SCHULTZ: There is detailed design and
22 testing will have to be done for the first plant. The
23 valve is very simple. So it greatly reduces the
24 amount of testing that needs to be done to verify that
25 it works, but some testing will be needed, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The next couple of slides show you some of
2 the short term cooling -- oh, gee. Mike is going to
3 cut me off here.

4 MR. CORLETTI: I would think, Terry, you'd
5 want to get probably the one on containment and then
6 show them your Slide 53 on safety margins.

7 MR. SCHULTZ: Okay.

8 MR. CORLETTI: It would be pretty
9 important.

10 MEMBER WALLIS: I guess these wiggles we
11 see here are evidence of the balance between gravity
12 and other effects and some kind of a cyclic nature
13 that has to be produced as well? The spikes, 150
14 seconds.

15 MR. SCHULTZ: Yes, this is a capability of
16 where you get some injection. You get increased
17 steaming. The pressure goes up. Injection slows
18 down.

19 MEMBER WALLIS: That's the purpose of the
20 critical thermal hydraulics person to say, "Did you
21 get that right?"

22 MR. SCHULTZ: Yes. That's something you
23 can --

24 MEMBER WALLIS: We can look at that later.

25 MR. SCHULTZ: Yes. Okay. Passive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 containment cooling. Mike talked about the volume and
2 design pressure was increased. Here you see main
3 steam line break and a double ended loca result. The
4 main steam line break has a higher peak pressure. We
5 have big steam generators in here, and there's just
6 two of them. So if you break the steam line, it's
7 challenging.

8 However, the steam line break is not
9 really sensitive to the passive containment cooling.
10 Basically a volume and a little bit of passive heat
11 sinks and that turns the accident around.

12 The LOCA is more limiting in terms of
13 passive containment cooling operation, and generally
14 the margins for AP1000 are a little bit bigger than
15 they were for AP600 using the same analysis approach.

16 MR. CORLETTI: Terry, could you just show
17 Slide 51 just to show them the system?

18 Sorry for jumping you on this. The one
19 right before that.

20 MR. SCHULTZ: The cross-section that Mike
21 showed of the containment has the water cooling tank.
22 It's located -- supported by the shield building. We
23 have now three different valves any one of which can
24 initiate the drain-down. AP600 had two, had two air
25 operated valves, which we still have.

1 We added a third valve here, which is a
2 motor operative valve to get some diversity from a PRA
3 point of view.

4 MEMBER WALLIS: You'd better show the
5 water actually running down the containment. It seems
6 to just go into a little trough.

7 MR. SCHULTZ: It goes into a bucket which
8 provides some initial direction of the flow equally
9 around the containment. So it spills over the side
10 and enters from --

11 MEMBER WALLIS: If that bucket were tilted
12 in a seismic event, it would only flow down one side?

13 MR. CORLETTI: I don't know how it could
14 tilt. The whole plant would have to tilt, which I
15 don't think is -- and still, the --

16 MEMBER WALLIS: Flow distribution is
17 always a problem with these kinds of thing to make
18 sure that it doesn't just go down one side.

19 MR. SCHULTZ: We have weirs to collect and
20 redistribute the water around the containment in the
21 upper regions here.

22 MEMBER POWERS: The Chairman of this
23 subcommittee is an extremely suspicious person.

24 (Laughter.)

25 MEMBER POWERS: And he flat doesn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe all of these arrows and stuff like that, and
2 he's asked me to look into this in great detail
3 because he doesn't. He's very suspicious.

4 And I've been having a devil of a time
5 finding your analysis of this flow. Can you help me
6 find that?

7 MR. SCHULTZ: The analysis of the flow.

8 MEMBER POWERS: The air flow.

9 MR. SCHULTZ: There was testing done on
10 AP600 on the flow distribution. We did a pie section,
11 full size section of the containment up in Pittsburgh,
12 Walt's Mill, where we simulated the plate
13 maldistribution and stuff along the plates.

14 MEMBER POWERS: What the Chairman of this
15 subcommittee is worried about is the air flow.

16 MR. SCHULTZ: The air flow. Okay. I
17 thought you were talking about water flow.

18 MEMBER POWERS: No.

19 MR. SCHULTZ: Okay.

20 MEMBER KRESS: Well, the Chairman was
21 worried about that, too.

22 MEMBER POWERS: But he kind of believes in
23 gravity.

24 MEMBER WALLIS: Well, if the water is cold
25 enough, the air might go the other way.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHULTZ: I don't know how the air
2 could go the other way. There is a baffle that goes
3 down to basically where the heated part of the
4 containment could be. So if the air heat in here, it
5 seems like it's got to go up and then draw air in from
6 the inlet area down here.

7 MEMBER POWERS: You surely have frictions
8 and inlet coefficients and things like that --

9 MR. SCHULTZ: Yes.

10 MEMBER POWERS: -- some place.

11 MR. SCHULTZ: Yes.

12 MEMBER POWERS: Where is all of that
13 stuff?

14 MR. SCHULTZ: It's in our calculation.

15 MEMBER POWERS: Where are you
16 calculations?

17 MR. SCHULTZ: In Pittsburgh.

18 MR. CORLETTI: No, no, no. This is Mike
19 Corletti.

20 Probably the best thing to look at from an
21 AP1000 specific document would be our GOTHIC -- two
22 volume GOTHIC WCAP, which ties together the testing
23 that was done to our analysis code and goes into all
24 of the gory details of that.

25 That's one of our topicals that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 submitted for AP1000, but backing that up is the slew
2 of tests that we did for AP600, and we've really used
3 the same methods and analysis that we did for 600.MR.
4 SCHULTZ: One of those tests was the air flow test.

5 MR. CORLETTI: Yeah.

6 MR. SCHULTZ: To quantify the inlet, the
7 turning losses. We actually have a device in here to
8 try to minimize the losses down there which we
9 designed and tested, supported the AP600.

10 MR. CORLETTI: Right. Dr. Powers, I'll
11 get you or I'll work with the APR staff to make sure
12 you have a copy of that, the AP1000 document.

13 MEMBER POWERS: I can't find anything.

14 MR. CORLETTI: On the AP1000 GOTHIC
15 analysis?

16 MEMBER WALLIS: Did you do the air and the
17 water together?

18 MR. CORLETTI: I'll get you all things
19 containment, AP1000. I mean, we have a slew of
20 reports.

21 MEMBER WALLIS: Together? Because water
22 affects the air, doesn't it?

23 MR. SCHULTZ: We've done some separate
24 tests.

25 MR. CORLETTI: Terry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 MEMBER KRESS: You know, you were asking
2 what some of the additional interactions might be, and
3 on my list is, one, to look at containment cooling and
4 the calculations. So that may be a separate
5 subcommittee.

6 MR. BROWN: Dr. Wallis, Bill Brown.

7 We have back in Westinghouse also at the
8 Science Technology Center -- we did an eight scale
9 test of both water with air with the baffle. That is,
10 in fact, still physically up there if you ever want to
11 look at it, sitting rusting in the back parking lot
12 somewhere. It's still sitting back there, and it's
13 actually plexiglass. You can look through it.

14 Anyway, we do have test reports on that
15 that we could point you toward.

16 MEMBER WALLIS: It would be interesting to
17 see that, yes. Please make a note of it.

18 MR. SCHULTZ: The final slide I guess I
19 will show here is a summary of safety margins. I
20 talked about DNB margin and how AP1000 has actually
21 increased over AP600 mainly due to a larger flywheel
22 in the reactor coolant pump feed line break, and
23 transient subcooling margins are not quite as good as
24 AP600, but substantially better than operating plants.

25 We talked about tube rupture and no

1 operator actions; small LOCA, basically the same as
2 AP600 in terms of no core uncover.

3 Large break LOCA we have increased into
4 the realm of operating plants.

5 MEMBER RANSOM: How does this plant handle
6 ATWS?

7 MR. SCHULTZ: Very well.

8 (Laughter.)

9 MR. SCHULTZ: I mentioned the low boron
10 core.

11 MEMBER RANSOM: Pardon?

12 MR. SCHULTZ: I mentioned low boron core
13 earlier in my discussion. What that means is that
14 throughout an equilibrium core cycle, moderator
15 temperature coefficient is low enough so that we can
16 ride out an ATWS transience 100 percent of the time
17 without exceeding the pressure limits in the reactor.

18 MEMBER RANSOM: So you don't vent the
19 pressurizer?

20 MR. SCHULTZ: Oh, yes, yes. No, no, no,
21 the emergency stress limit. So we go up to 3100 psi.
22 Safety valves do open.

23 We also have a diverse trip of the rods,
24 which we wouldn't -- I'm not even taking credit for in
25 that transience. So if the rods go in, the safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 valves won't open or they'll open briefly and reclose.

2 But even if the diverse rod trip doesn't
3 work, then we can still write out the transient 100
4 percent of the time.

5 MEMBER RANSOM: Is that a feed and bleed
6 type of operation, where you bleed the system and then
7 feed more?

8 MR. SCHULTZ: Well, in the short term,
9 passive OHR gets turned on by the diverse activation
10 system. We trip the valves to the turbine. That
11 maintains a heat sync as we transition from full power
12 down to some low power.

13 We get a substantial heat up, swelling,
14 and we do relieve some water and steam out of the
15 safety valves, but then that stops. Core make-up
16 tanks can come in and provide make-up without
17 actuating ADS and borate the plant and eventually shut
18 the reactor down.

19 MEMBER RANSOM: It's basically heating up
20 the moderator that shuts it down.

21 MR. SCHULTZ: That's right. Typical BWR,
22 Westinghouse BWR response.

23 MEMBER RANSOM: The question I had is:
24 what have you done to eliminate the Davis-Besse type
25 of problem with stress corrosion cracking, nozzle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 cracking, and corrosion in general?

2 MR. SCHULTZ: Basically not use Inconel
3 600 there.

4 MEMBER SHACK: That's a good start.

5 MEMBER RANSOM: Are these more
6 inspectable? You know, one of the problems with
7 Davis-Besse is they didn't inspect what was going on
8 on the upper head.

9 MR. SCHULTZ: Well, there's certainly some
10 things that can be done from an operations point of
11 view to minimize the chance of that reoccurring in any
12 plant. I don't know that we're any more --

13 MR. CUMMINS: No, it's not any more
14 inspectable.

15 MR. SCHULTZ: Yeah.

16 MR. CUMMINS: It might even be a little
17 more difficult because you have the end course
18 (phonetic) there, too, from the top.

19 MR. CORLETTI: I believe that was the
20 subject of an RAI, too.

21 MEMBER SHACK: Is your insulation glued on
22 then?

23 MR. SCHULTZ: No.

24 MR. CUMMINS: No. Ed Cummins.

25 We have an integrated head package. The

1 insulation is on the outside of a steel frame
2 basically. So it's a more modern, like modern, South
3 Texas sort of heads.

4 MEMBER SIEBER: The canned motor pump
5 should help you detect leakage a little better.

6 MR. CORLETTI: The next presenter is Dr.
7 Selim Sancaktar. He's going to talk about the PRA.

8 And I wanted maybe five minutes to wrap up
9 at the end. How long can we give?

10 DR. SANCAKTAR: Yeah, how many minutes do
11 I have?

12 MEMBER KRESS: Well, we have another item
13 on the agenda, and it depends on how long those people
14 are willing to stay and talk to us.

15 MR. CORLETTI: Yeah, I was asking for
16 maybe 15 minutes for Selim. Is that okay?

17 MEMBER KRESS: That seems reasonable.

18 MR. CORLETTI: Okay. Thank you.

19 DR. SANCAKTAR: Okay. One of the
20 interesting things that we had when the AP1000 PRA
21 started was where do we start, you know. What's the
22 initial conditions?

23 I mean, one can go to one extreme and say
24 let's assume there was nothing before; I'm starting
25 with a clean slate, and the other extreme is to rubber

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 stamp the previous design, both of which would
2 obviously not be suspect to one side or the other of
3 the fence.

4 So we had to find a way to approach this,
5 and I think we did a -- personally, I believe that we
6 did a pretty decent job of it, and we tried to
7 identify differences clearly not only in the design
8 components. You know, it's not a surface thing, but
9 also the implication on the success criteria, and some
10 of the implications are actually reflected here.

11 There are very subtle things that kind of
12 show themselves slowly as we looked into it. One that
13 Terry mentioned was if you notice we had to add
14 another valve, the PCS, passive containment cooling,
15 because AP600 was pretty much sufficient with air
16 cooling.

17 Now, it's not really enough. The air
18 cooling alone, we don't really do it. We need the --
19 it would do it for a while, but not all the way
20 through three days. So you need to increase the
21 reliability of the PCS.

22 It turned out that although this is just
23 a tank with two valves, it's sort of a complicated
24 system. Common cause of the two AOVs to open was a
25 major problem at least in a numerical sense, is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reliability problem.

2 So we have to introduce a third, very
3 simple change, a third line with an MOV, which is
4 different from AOV, and it was orders of magnitude.
5 You know, it didn't give us like three orders of
6 magnitude or anything like that, but gave us a little
7 bit more so that we could use it.

8 So other examples of it varies here and
9 there, and hopefully in the next presentation maybe I
10 can show you a few more details that you may find
11 interesting.

12 I'll try to find some interesting slides
13 here for some conclusions because this is all
14 basically stuff that can be read at your convenience.

15 Well, I would probably jump to -- let's
16 see. I want to say one thing about large LOCA, then
17 maybe show you some other core damage results.

18 Something interesting happened here. As
19 Terry mentioned and you have observed, accumulator
20 sizes did not go up in this plant for whatever
21 reasons. Terry can go into it if you want to. So if
22 you think of it from a PRA side, you know, suppose
23 somebody comes to you as a designer and says, "Shall
24 I or shall I not increase the accumulator size?" from
25 a PRA point of view, from a risk point of view, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 does that mean really?

2 In this --

3 MEMBER WALLIS: It's a good way for making
4 a decision.

5 DR. SANCAKTAR: Yes. This is, I think, an
6 excellent example. It also shows you -- you can look
7 at it as a good example of PRA or a bad example of
8 PRA, depending upon what your points of view, and I'll
9 point out both of them because it's kind of obvious
10 it's transparent. You'll catch onto it anyway in a
11 matter of time.

12 (Laughter.)

13 DR. SANCAKTAR: If you look at AP600, the
14 initiating event frequency was ten to the minus four.
15 That was a WASH 1400 legacy kind of number, and then
16 NRC itself has sponsored recently in 1999 time frame
17 or so studies where we have five times ten to the
18 minus six random failure of our really large pipe, and
19 this kind of a number, five times ten to the minus
20 six, was reported there.

21 So almost ten years after the AP600,
22 initial AP600 analysis, we are nearing formation that
23 says large LOCA is not -- this random break of
24 pipes -- is not really such a big deal. So then what
25 is the accumulator success criteria?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

1 You can either keep it the same size; then
2 you need both accumulators. You need two of two
3 accumulators for success, whereas in AP600 one was
4 enough. So either you retain the size, you take a
5 penalty in --

6 MEMBER KRESS: Now, success in this --

7 DR. SANCAKTAR: -- in this sequence.

8 MEMBER KRESS: Success in this sense is
9 defined as keeping the core covered? No?

10 MR. CORLETTI: No, it would be peak clad
11 temperature less than 2200.

12 DR. SANCAKTAR: So either you can say,
13 "Okay. I'll take a punishment here," which we did,
14 which we couldn't if this was ten to the minus four,
15 and we had a sensitivity analysis in the study that
16 shows it. You know, this is open.

17 So or you can say, "Okay. I'm going to
18 change the design slightly, make the accumulators
19 larger, and this number will improve and become ten to
20 the minus nine or whatever," you know, because it will
21 be one out two accumulators.

22 So this is a deliberate decision on our
23 part, and it's transparent, and it's part of the
24 insights of the PRA and the interaction between PRA
25 and the design.

1 MEMBER WALLIS: Well, maybe in a logical
2 world the PRA should help drive the design.

3 MR. CORLETTI: Well, on AP600 we did seven
4 PRAs where we used PRA as a design tool. The eighth
5 PRA is on the AP1000. So it has been a natural use as
6 a design tool for the entire project.

7 DR. SANCAKTAR: Here are some typical
8 numbers for some missions of certain systems. I group
9 them by decades so that you can see like 20 minus
10 sixth and seventh level is here. So you can look here
11 and say does this really make sense, you know.

12 Something up here should -- like we
13 shouldn't say CCVS up here somewhere or we shouldn't
14 have a passive system that is liable with these down
15 here. That's so something is wrong. Either it's a
16 mistake or it's a bad design.

17 So you can look at this as some way of
18 trying to understand what did we really use, but when
19 you look at a bird's eye view, does this make sense?

20 CHAIRMAN APOSTOLAKIS: Now, you know we're
21 going to have a subcommittee meeting on the PRA.

22 DR. SANCAKTAR: Yes, a much longer
23 meeting.

24 CHAIRMAN APOSTOLAKIS: A much longer.

25 MEMBER ROSEN: More than seven minutes.

1 (Laughter.)

2 CHAIRMAN APOSTOLAKIS: And you will give
3 us, or maybe you have already given us, a document
4 that explains how these numbers were derived.

5 DR. SANCAKTAR: Yes. These are like a
6 fault tree. Basically these are fault tree results.

7 CHAIRMAN APOSTOLAKIS: Let me understand
8 the PMS. What is PMS?

9 DR. SANCAKTAR: PMS is the plant
10 protection system starting from --

11 CHAIRMAN APOSTOLAKIS: Plant protection
12 system? Why is it MS?

13 MR. CORLETTI: Protection and safety
14 monitoring system. In the AP1000 project, we have
15 hundreds of systems with three lettered designators,
16 and all of them end in S. so we're down to two
17 letters. So we are challenged sometimes to come up
18 acronyms.

19 CHAIRMAN APOSTOLAKIS: So this consists of
20 what?

21 DR. SANCAKTAR: It starts from the sensors
22 themselves, takes you to the processors, then to the
23 safety systems they actuate, and it stops just before
24 it gets to its safety system. So it includes the
25 sensor, sensor, common cause, processors, cabinets,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 software failure, this and that.

2 MR. CORLETTI: It is all safety related
3 INC. So our safety related INC system is the PMS.
4 Our control system --

5 CHAIRMAN APOSTOLAKIS: And this is
6 digital, right?

7 MR. CORLETTI: Yes, digital, and our
8 control system is PLS, and our diverse actuation
9 system is DAS. So those are the three major INC
10 systems.

11 CHAIRMAN APOSTOLAKIS: Now, on Slide 78 --

12 DR. SANCAKTAR: Yes, it is a huge number.

13 CHAIRMAN APOSTOLAKIS: Yeah, I mean, I
14 wonder -- this is raw, isn't it?

15 DR. SANCAKTAR: Yeah.

16 CHAIRMAN APOSTOLAKIS: This is the risk
17 achievement worth.

18 DR. SANCAKTAR: Basically if you fail
19 the --

20 CHAIRMAN APOSTOLAKIS: Sixty-five thousand
21 eight hundred and seventy-eight, what does that tell
22 us?

23 DR. SANCAKTAR: That tells us that if this
24 system fails, you cannot deal with LOCAs and so on.
25 You can only handle transience and other things by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 using non-safety systems, and that's all it says. You
2 have very simplistic sense because we are taking --

3 CHAIRMAN APOSTOLAKIS: But you see --

4 DR. SANCAKTAR: -- codes for PSM, DAS and
5 PLS.

6 CHAIRMAN APOSTOLAKIS: You still have a
7 frequency of about one in 100 --

8 DR. SANCAKTAR: Yeah.

9 CHAIRMAN APOSTOLAKIS: -- that you may
10 have core damage.

11 DR. SANCAKTAR: Yeah. So this is the sum
12 of all LOCAs and stuff that has steam line breaks and
13 so on that --

14 MEMBER ROSEN: So because of the
15 importance of this system, you want to make sure it's
16 highly reliable.

17 DR. SANCAKTAR: Yeah, and that's why we
18 have DAS and also --

19 CHAIRMAN APOSTOLAKIS: But this does not
20 include DAS.

21 DR. SANCAKTAR: No, it doesn't.

22 CHAIRMAN APOSTOLAKIS: No, it does not.
23 Well, I guess the thought that came to my mind when I
24 saw this number is that we keep saying in risk
25 informed system we should maintain the defense in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE, N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 depth philosophy.

2 So I'm wondering now if I have a row of
3 65,000, am I maintaining the defense in depth
4 philosophy?

5 DR. SANCAKTAR: There is still DAS in
6 there.

7 CHAIRMAN APOSTOLAKIS: But DAS is
8 something else.

9 DR. SANCAKTAR: DAS will allow you to
10 manually actuate some of the selected set of safety
11 systems.

12 CHAIRMAN APOSTOLAKIS: Well, I don't know.
13 Is anybody else bothered by it, 66,000 raw?

14 MEMBER ROSEN: Well, if you look at the
15 SSPS --

16 CHAIRMAN APOSTOLAKIS: Would it be a Risk
17 1 category?

18 MEMBER ROSEN: Oh, yes. Oh, yes, but it
19 would be highly reliable, highly redundant, but if you
20 assume these highly reliable, highly redundant systems
21 fail, you're going to get risk achievement where it's
22 likely.

23 MR. CORLETTI: There's no --

24 MEMBER SHACK: -- the vessel.

25 CHAIRMAN APOSTOLAKIS: No, the vessel is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out.

2 MR. CUMMINS: Yeah, this system is for
3 four train, completely independent train, four
4 divisions with four actuations just like you have in
5 modern INC systems. So with most --

6 DR. SANCAKTAR: I know what's bothering
7 you. Let me answer that, if you don't mind. I know
8 what's bothering you. I understand that.

9 MEMBER ROSEN: You think you so.

10 DR. SANCAKTAR: The DAS -- no -- yes.
11 Actually DAS -- I bet I do.

12 MEMBER ROSEN: Yeah, yeah.

13 DR. SANCAKTAR: I believe that this does
14 not reflect DAS.

15 CHAIRMAN APOSTOLAKIS: No, it does not
16 because --

17 DR. SANCAKTAR: I think these numbers
18 should be better.

19 CHAIRMAN APOSTOLAKIS: -- PMS is
20 different, right?

21 DR. SANCAKTAR: The reason why it doesn't
22 is we also kill the sensors. See, sensors are in this
23 same, and they feed different -- like they also feed
24 DAS and other things. So this is actually killing not
25 only the cabinets, but like it's not only taking out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the brain of a person, but taking off his sensing
2 devices and so on. So he --

3 CHAIRMAN APOSTOLAKIS: That would be
4 terrible to do that to a guy and he doesn't have
5 brains.

6 DR. SANCAKTAR: So actually if we just
7 took out the electrical part, just the processing
8 part, the sensors theoretically can process the DAS
9 and --

10 CHAIRMAN APOSTOLAKIS: So when we have the
11 subcommittee meeting maybe we can spend some time on
12 this.

13 DR. SANCAKTAR: Yes.

14 CHAIRMAN APOSTOLAKIS: What is the
15 philosophical indication of a raw of 66,000? It is
16 something that I shouldn't even calculate because it
17 reflects the failure of a highly redundant one out of
18 four system?

19 MEMBER ROSEN: That's probably the answer
20 with that.

21 MEMBER ROSEN: No, I think you should
22 calculate everything. You shouldn't be afraid of a
23 number, George.

24 (Laughter.)

25 CHAIRMAN APOSTOLAKIS: I don't know what

1 integrated decision making process has maintained
2 defense in depth philosophy. As far as I'm concerned,
3 I'm not maintaining it here.

4 DR. SANCAKTAR: But you are actually to
5 some degree.

6 CHAIRMAN APOSTOLAKIS: Well, see, that's
7 what I'm saying. Maybe it's a meaningless thing to
8 calculate.

9 MEMBER KRESS: I think so.

10 MEMBER SHACK: We could raise the core
11 damage frequency.

12 CHAIRMAN APOSTOLAKIS: But it will be
13 smaller.

14 MEMBER ROSEN: I think it's the property
15 of the way that raw is defined.

16 CHAIRMAN APOSTOLAKIS: Well, anyway, I
17 intend to --

18 MEMBER KRESS: It's a subject worth
19 thinking about.

20 CHAIRMAN APOSTOLAKIS: -- to understand it
21 a little better.

22 MEMBER ROSEN: You guarantee the failure
23 of a system that you have spent enormous amounts of
24 time and money guaranteeing the success of, and then
25 you calculate what its raw is. Well, obviously, if

1 you were successful, making it highly reliable and
2 highly redundant, it will come out 65,000 or more.
3 That's a test of how good you were in designing this
4 highly reliable, highly redundant --

5 CHAIRMAN APOSTOLAKIS: The system is
6 digital.

7 MEMBER ROSEN: It better come out high
8 like that.

9 CHAIRMAN APOSTOLAKIS: Yeah, we really
10 don't have very good methods for assessing the
11 reliability of digital systems.

12 MEMBER ROSEN: That's another subject.

13 CHAIRMAN APOSTOLAKIS: It's related.

14 DR. SANCAKTAR: If you do this to a
15 current plant, I mean, if you find the equivalent of
16 this in a current plant and take it out, you'll get
17 10,000 or whatever it is. It's ten to the minus five,
18 for example, core damage. It's going to go to one
19 basically because there is nothing left. I mean even
20 aux feed won't work.

21 So what? I'm just telling you what it is
22 basically.

23 CHAIRMAN APOSTOLAKIS: Well, the whole
24 point of calculating these importance measures is to
25 tell you what it is and maybe do something about it or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 think about it.

2 DR. SANCAKTAR: Yeah, but remember --

3 CHAIRMAN APOSTOLAKIS: I'm not prepared
4 yet, but I'm just telling you that this is something
5 that may --

6 MEMBER WALLIS: But, George, if you made
7 it more reliable maybe this number would be even
8 bigger.

9 PARTICIPANT: That's right.

10 (Laughter.)

11 MEMBER RANSOM: Well, it seems like what
12 you really need to know is what is the probability
13 that --

14 CHAIRMAN APOSTOLAKIS: No, there are two
15 answers to this. First of all, do you believe that
16 it's so reliable sine it's not a standard system that
17 we have methods for, and second -- let's see. What on
18 earth was the second one? Oh, the difference in depth
19 again. Is it something that we take seriously or not?

20 Anyway, let --

21 DR. SANCAKTAR: But, again, let me
22 emphasize one point, which I didn't decide before.
23 This is not only the record part. This is also the
24 sensors and everything.

25 CHAIRMAN APOSTOLAKIS: Yeah.

1 DR. SANCAKTAR: So it is inadvertently
2 discrediting DAS, which shouldn't really because I
3 cannot imagine a situation where all of the sensors
4 and all of the electrical stuff and everything is
5 suddenly gone. You can say, okay, all of the cabinets
6 are gone, but software --

7 CHAIRMAN APOSTOLAKIS: But that's why I'm
8 saying, Selim, that maybe it's a meaningless thing to
9 calculate. So let's think about it.

10 DR. SANCAKTAR: That's possible.

11 CHAIRMAN APOSTOLAKIS: Because you can say
12 arbitrarily what if I lose 80 percent of my systems.
13 What is the role?

14 DR. SANCAKTAR: Also --

15 CHAIRMAN APOSTOLAKIS: Well, I don't want
16 to report it then if it's meaningless.

17 DR. SANCAKTAR: It's the same number as or
18 similar number as in AP600. I mean, it's not the
19 first time you are seeing it.

20 CHAIRMAN APOSTOLAKIS: Yeah. Well, if you
21 look at the conventional plants now, do you see
22 numbers like this?

23 MR. SCHULTZ: Higher.

24 CHAIRMAN APOSTOLAKIS: Higher?

25 MEMBER SHACK: No, because the CDF isn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as small.

2 CHAIRMAN APOSTOLAKIS: These are relative
3 things.

4 DR. SANCAKTAR: If you have a plant times
5 ten to the minus five in a conventional --

6 CHAIRMAN APOSTOLAKIS: I don't recall any
7 role that was in the 60,000.

8 DR. SANCAKTAR: You're going to get what,
9 50,000 or whatever the number is

10 MEMBER ROSEN: Yeah, but no one system
11 does that. The answer is to your question I've never
12 seen a number that high, but I've seen multi-
13 thousands.

14 VICE-CHAIRMAN BONACA: Yeah, and I haven't
15 seen the RPS ranked either.

16 DR. SANCAKTAR: After a few thousand, but
17 they're all the same.

18 CHAIRMAN APOSTOLAKIS: Anyway, you know,
19 these are suggestions for discussions in general.

20 DR. SANCAKTAR: Okay. I guess I overran
21 my time, but --

22 CHAIRMAN APOSTOLAKIS: Yes, you did.

23 DR. SANCAKTAR: -- here is --

24 CHAIRMAN APOSTOLAKIS: Oh, no, I'm sorry.
25 I'm not chairing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 DR. SANCAKTAR: But here is the summary.
3 We'll pick it up next time from where --

4 CHAIRMAN APOSTOLAKIS: The other thing
5 though, again, two points for January.

6 DR. SANCAKTAR: Yes.

7 CHAIRMAN APOSTOLAKIS: Why are all of your
8 numbers here point values?

9 DR. SANCAKTAR: Which ones?

10 CHAIRMAN APOSTOLAKIS: You know, you're
11 saying that the CMT valve signal failure probability,
12 5.7, ten to the minus seven. With a number like that,
13 it would be interesting to see what kind of
14 uncertainty we have.

15 DR. SANCAKTAR: Okay. Let me make sure.
16 Are you looking at page 73?

17 CHAIRMAN APOSTOLAKIS: Seventy-three, yes.

18 DR. SANCAKTAR: Okay. Would you say it
19 one more time?

20 CHAIRMAN APOSTOLAKIS: The very first
21 entry.

22 DR. SANCAKTAR: Yeah.

23 CHAIRMAN APOSTOLAKIS: CMT valve signal.

24 DR. SANCAKTAR: Five, point, seven
25 minus --

1 CHAIRMAN APOSTOLAKIS: Yeah. I mean, how
2 uncertain are you about it? This is a passive system,
3 is it not? No.

4 DR. SANCAKTAR: It's not a system. It's
5 just a valve signal.

6 CHAIRMAN APOSTOLAKIS: It's a valve.

7 DR. SANCAKTAR: The system itself is
8 further down, core make-up tanks --

9 CHAIRMAN APOSTOLAKIS: Where is that?
10 Core make-up tanks is ten to the minus four.

11 DR. SANCAKTAR: Yes, core make-up take
12 system is 1.1 minus four.

13 CHAIRMAN APOSTOLAKIS: Yeah.

14 DR. SANCAKTAR: This is just a signal.

15 CHAIRMAN APOSTOLAKIS: Right.

16 DR. SANCAKTAR: One train, it's qualified.

17 CHAIRMAN APOSTOLAKIS: Ten to the minus
18 four came from where?

19 DR. SANCAKTAR: From the whole system,
20 multiple valves failing and this and that.

21 CHAIRMAN APOSTOLAKIS: Not physical
22 failure of the tank.

23 DR. SANCAKTAR: Right, right. This first
24 number you're seeing is one train. Just what's the
25 probability of failing only one train.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER SIEBER: One device, you mean.

2 DR. SANCAKTAR: One device by auto and --
3 both auto and the manual fail. It's insignificantly
4 small. However, the system failure which is further
5 down is CMT, is like --

6 MEMBER SIEBER: Has a lot of other
7 contributors.

8 DR. SANCAKTAR: Right. It's here.

9 CHAIRMAN APOSTOLAKIS: So what does it
10 mean? Yeah, I know what it is.

11 DR. SANCAKTAR: Yeah. This number, if you
12 remove the manual, drops to ten to the minus, say,
13 five just for the sake of argument.

14 CHAIRMAN APOSTOLAKIS: Yes.

15 DR. SANCAKTAR: If you remove DAS, it will
16 go down to ten to the minus four, and so on.

17 CHAIRMAN APOSTOLAKIS: Now, Selim, on page
18 80, you go to overkill, page 80, Slide 80. Show 80,
19 80, eight, zero.

20 DR. SANCAKTAR: Oh, eight, zero.

21 CHAIRMAN APOSTOLAKIS: You know what's
22 coming.

23 (Laughter.)

24 CHAIRMAN APOSTOLAKIS: How did you use the
25 cyrtosis in your design?

1 DR. SANCAKTAR: Just like everybody else.

2 CHAIRMAN APOSTOLAKIS: This is critical,
3 386?

4 DR. SANCAKTAR: We use it just like
5 everybody else.

6 CHAIRMAN APOSTOLAKIS: Now, you will
7 explain to us in January why you have that little bump
8 there?

9 DR. SANCAKTAR: This bump?

10 CHAIRMAN APOSTOLAKIS: Yeah.

11 DR. SANCAKTAR: I'm sure we --

12 CHAIRMAN APOSTOLAKIS: No, no, the other
13 one.

14 DR. SANCAKTAR: Oh, this?

15 CHAIRMAN APOSTOLAKIS: The second one.

16 DR. SANCAKTAR: This bump?

17 CHAIRMAN APOSTOLAKIS: Yes.

18 DR. SANCAKTAR: I'm sure we can.

19 CHAIRMAN APOSTOLAKIS: Okay.

20 DR. SANCAKTAR: If you really want to.

21 CHAIRMAN APOSTOLAKIS: All right.
22 Skewness, 16. Wow.

23 DR. SANCAKTAR: But you should realize
24 that this did almost nothing to anything. I mean --

25 CHAIRMAN APOSTOLAKIS: No, I want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand where it comes from.

2 DR. SANCAKTAR: Oh, that I can explain.

3 CHAIRMAN APOSTOLAKIS: Usually you see a
4 uni-model distribution.

5 DR. SANCAKTAR: Well, what does it do to
6 anything? I don't know. I don't know the criteria on
7 use of uncertainty, other than gives you some whatever
8 confidence you live with. Okay? Anything else?

9 CHAIRMAN APOSTOLAKIS: It's currently fun.

10 DR. SANCAKTAR: It's my intention, is to
11 make it fun.

12 CHAIRMAN APOSTOLAKIS: Well, it's
13 wonderful.

14 (Laughter.)

15 MEMBER ROSEN: No one would do this if it
16 wasn't fun.

17 MR. CORLETTI: I think, George, just for
18 your benefit, this is the schedule that we went over
19 in my introduction to try to orient this committee to
20 understand that perhaps in June, it's our goal in June
21 that we have a DSER from staff that has zero open
22 items, which means we've resolved everything, but in
23 which case, if that is the case, we're going to be
24 looking for ACRS to write a letter, if we can get to
25 that point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 In any event, I think we all know we have
2 to get engaged now, and I think we're talking about a
3 PRA subcommittee in January, which sounds very good.

4 CHAIRMAN APOSTOLAKIS: Good.

5 MEMBER ROSEN: The staff gave you 7,000
6 questions you say?

7 MR. CORLETTI: Seven --

8 MEMBER ROSEN: The ACRS subcommittee would
9 give you how many?

10 MR. CORLETTI: Seven hundred.

11 (Laughter.)

12 MR. CORLETTI: You don't get to write
13 RAIs, do you?

14 MEMBER WALLIS: On Slide 80, it says
15 number of errors, zero, but I think the scale is ten
16 to the minus seven or something. It's not quite the
17 same as minus six. It gives a different answer. It
18 should be a minus ten to the minus seven scale, ten
19 minus seven.

20 MR. CORLETTI: I think I would like to
21 turn it over to you for discussion on some of the
22 other -- I know we're going to have a subcommittee on
23 thermal hydraulic issues. I think I heard
24 containment. It sounds like we at least need part of
25 a meeting to talk about containment for AP1000.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Do you all have other items?

2 MEMBER ROSEN: There is an ACRS PR
3 operations subcommittee, and I don't know what they
4 would all say, but as one member, I would be
5 interested in hearing about refueling and the risk of
6 refueling and how refueling is done.

7 Is it different than what we --

8 MR. CORLETTI: Well, I know we have
9 actually planned a very detailed 17 day refueling
10 outage plan that we did for AP600 that really applies
11 to AP1000.

12 Ed, do you want to speak to --

13 MR. CUMMINS: No, I think his question is
14 what is the refueling design, and the refueling design
15 is the same as any PWR. We have manipulator cranes to
16 take fuel elements out, put them in the carrier, carry
17 them to the fuel building, turn them up, and put them
18 in the fuel racks.

19 So the refueling design is essentially the
20 same as any Westinghouse PWR.

21 MEMBER ROSEN: It's just not apparent to
22 me from looking at these cartoons what the canal
23 configurations are and the up-enders and all of that
24 stuff.

25 MR. CORLETTI: Right.

1 MEMBER ROSEN: It's also not apparent to
2 me whether you do -- you know, how you handle the top
3 head with the upper head mounted instrumentation.

4 MR. CORLETTI: Okay. Yeah.

5 MEMBER ROSEN: You know, the other thing
6 is when you get done teaching me how to do this in
7 this AP1000, can you tell me something about the risk
8 of shutdown?

9 MR. CORLETTI: Yes. As part of the PRA,
10 we have done a shutdown PRA risk assessment. We will
11 talk about that probably with the PRA or we can do it
12 as part of Shutdown 2 in addition.

13 I don't know. Are you on the PRA
14 subcommittee?

15 MEMBER ROSEN: Oh, yeah.

16 MR. CORLETTI: Okay. So I think that will
17 be probably the best time for that.

18 MEMBER SIEBER: I think in the operations
19 area another thing we might want to look at is the
20 man-machine interface in the design of the control
21 system, including the features, diversity, redundancy,
22 separation.

23 I notice you have slides in here that
24 describe that, but I think we should know more detail
25 because I think it's an important facet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Which subcommittees
2 besides the --

3 MEMBER KRESS: Well, we have an AP1000
4 subcommittee, and we will probably handle all of these
5 others, and maybe we'll combine subcommittee meetings,
6 but I have a list of things, too, that we'll want to
7 review the Ohio State stuff, and I don't know if
8 that's yours or the staff's. That may be just the
9 staff. I don't know.

10 But we'll review that, and that will be a
11 combined thermal hydraulics subcommittee, and we'll
12 want to look, of course, very closely at your SER when
13 it comes out, and that will be an extensive, couple of
14 day review type subcommittee where we'll look at all
15 of your calculations, using codes to meet the design
16 basis accidents.

17 MR. CORLETTI: You'd like to do that as
18 part of the review of the DSER?

19 MEMBER KRESS: I think so.

20 MR. CORLETTI: Okay.

21 MEMBER KRESS: It could be we might want
22 to do that sooner. I would want to talk that over
23 with the thermal hydraulics people because it's
24 supposed to --

25 MR. CORLETTI: It's part of the thermal --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yeah, because our analysis is done. So we could
2 present.

3 MEMBER KRESS: We may want to have a
4 separate thermal hydraulics subcommittee just to look
5 at that, and of course, we're going to review the PRA
6 coming up pretty soon.

7 As I mentioned over there, I think
8 somewhere maybe as part of the thermal hydraulics
9 subcommittee we will look at the containment cooling
10 aspects.

11 MR. CORLETTI: As part of the thermal
12 hydraulics?

13 MEMBER KRESS: Yeah, somewhere as part of
14 the thermal hydraulics. That's really what I have on
15 my list right now. It includes the issue of
16 entrainment in there somewhere.

17 DR. FORD: But you know, on the materials
18 side, there's a whole slew of RAIs on material. From
19 my personal viewpoint, I'd like to review with you
20 what John said.

21 MR. CORLETTI: Is that --

22 DR. FORD: Six, ninety, why using 690.
23 What's your --

24 MEMBER KRESS: I've been assuming we'll
25 consider those RAIs as part of review of the SER.

1 MR. CORLETTI: Yes. I think what would be
2 best is I'll be able in December 3rd to collect them
3 all and put them on a disk. Then we'll have all of
4 the questions and the answers, and we can make that
5 available to the ACRS as well so that you can see it
6 in one place.

7 And they're grouped by material. You
8 know, they're grouped by subject, if you will.

9 MEMBER KRESS: You might want to know that
10 we told the commissioners that our priority would be
11 to accommodate the review of the AP1000. So we'll fit
12 whatever reviews we think we need or the staff thinks
13 we need or we think we need; we'll try to schedule
14 them and get them in in this time frame you're talking
15 about.

16 MR. SCHULTZ: Well, that's great. We
17 appreciate that.

18 MEMBER LEITCH: I was not on the ACRS when
19 the AP600 was reviewed, and I'd like to go deeper into
20 systems. I don't know that we need everybody to do
21 that, but I for one would like to. And I was
22 wondering if you had any suggestions about what would
23 be the best way to do that.

24 MEMBER KRESS: Yeah, I think when we do
25 this thermal hydraulic subcommittee review of how the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant responds to the various design basis accidents,
2 you get a lot of system information out of that and
3 how the passive cooling systems work particularly, and
4 so that's very useful, I think.

5 MEMBER LEITCH: But my point is a lot of
6 what, you know -- like today, it seems to be based on,
7 well, this is the delta between 600 and 1000, that's
8 fine if you have a good, solid understanding of 600.
9 I for one do not.

10 MR. CORLETTI: Well, one thought I had,
11 would it be possible to have something in Pittsburgh
12 for several of you, whoever would like to come, as far
13 as a one-day --

14 MEMBER LEITCH: Tutorial?

15 MR. CORLETTI: -- tutorial?

16 MEMBER KRESS: That might be a good idea.

17 MEMBER LEITCH: I would be very interested
18 in that.

19 MEMBER KRESS: Yeah, we'll let Bill Shack
20 be the director of that meeting.

21 MEMBER SIEBER: Well, I can't go. It's
22 too far for me.

23 (Laughter.)

24 MR. CORLETTI: Perhaps we take one day or
25 two days, you know, whatever to accommodate, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something like that would give you a good background,
2 for those that especially weren't in --

3 CHAIRMAN APOSTOLAKIS: Yeah, as part of
4 the planning and procedures subcommittee discussions -
5 - that's tomorrow -- we'll discuss the review of PRA.
6 We can expand the discussion, talk about other reviews
7 and perhaps the location of these reviews.

8 For example, Graham, you are down to
9 review some of the systems in the PRAs. So that's
10 part of your concern.

11 MEMBER LEITCH: Right.

12 CHAIRMAN APOSTOLAKIS: So I think this is
13 an internal committee matter, but thank you for the
14 invitation. That may be, in fact, something that we
15 want to do.

16 MR. CORLETTI: Okay.

17 MEMBER KRESS: I think we're basically
18 through, aren't we?

19 MR. CORLETTI: Yeah, I think so. Thank
20 you.

21 MEMBER KRESS: Thank you very much. Good
22 day.

23 MR. CORLETTI: Thank you.

24 CHAIRMAN APOSTOLAKIS: Thank you very
25 much.

1 We'll be back at 4:05.

2 (Whereupon, the foregoing matter went off
3 the record at 3:52 p.m. and went back on
4 the record at 3:52 p.m.)

5 MR. CORLETTI: On December the 5th,
6 Westinghouse will be making a demonstration to members
7 of NRC, the Executive Committee, showing them our 3D
8 virtual construction model.

9 MEMBER KRESS: Is that going to be here?

10 MR. CORLETTI: It's going to be here. I
11 know you're in session. I think it's arranged at one
12 o'clock. And maybe on lunch break you could come and
13 you could see it. It's an interesting --

14 CHAIRMAN APOSTOLAKIS: How long is it?

15 MR. CORLETTI: We can tailor it. I'm not
16 clear on that. I think it might be a one hour session
17 or something like that, but --

18 CHAIRMAN APOSTOLAKIS: We can try to put
19 it as part of our agenda.

20 MR. CORLETTI: And it will show you our 36
21 month construction schedule in 3D.

22 CHAIRMAN APOSTOLAKIS: Wonderful. I'd
23 like to see that.

24 MR. CORLETTI: I think it would be
25 interesting, and it's going to be here. So --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Okay.

2 MR. CORLETTI: Okay.

3 CHAIRMAN APOSTOLAKIS: Four, ten.

4 (Whereupon, the foregoing matter went off
5 the record at 3:53 p.m. and went back on
6 the record at 4:13 p.m.)

7 CHAIRMAN APOSTOLAKIS: Okay. The next
8 item is risk informed improvements to standard
9 technical specification. Mr. Rosen is the cognizant
10 member.

11 MEMBER ROSEN: Yes. I will introduce Bill
12 Beckner, who is going to tell us about the staff's
13 efforts to monitor and manage risk informed
14 improvements to standard technical specifications.

15 DR. BECKNER: Okay. I'm going to give a
16 very brief introduction from back here.

17 I'm Bill Beckner, Program Director of the
18 Operating Reactor Improvements Program.

19 We last talked to the full committee back
20 in July as part of the PRA implementation plan, and we
21 got a lot of interest in the risk management tech
22 specs and were successful in that area and were
23 invited or we invited ourselves back to let you hear
24 more.

25 Because of that, we talked to the

1 subcommittees last week. What our objection today is,
2 I think, we're going to start out by trying to give
3 you feedback on what we heard to make sure that we
4 heard you right and no misunderstandings, and then, of
5 course, we'll try to go through the presentation again
6 to let those of you who were not present in the
7 subcommittee enter into some discussions.

8 The only other thing I wanted to point out
9 is that we only have really a staff presentation, but
10 this has been an effort where we've worked very
11 closely with industry and other stakeholders, and Biff
12 Bradley is here from NEI, and he will be glad to
13 answer any questions from an industry perspective.

14 So with that, let me just introduce a few
15 people. My boss, Frank Gillespie, is here. He is
16 just in from the field. That's why he's got a sweater
17 on. He can tell you exactly how Ginna is implementing
18 the maintenance rule.

19 CHAIRMAN APOSTOLAKIS: Now it's on the
20 record.1

21 DR. BECKNER: And Chris Grimes is leading
22 up our PRA coherence efforts, and he'll help. So
23 these are the non-speakers, the people who are really
24 going to do the work.

25 CHAIRMAN APOSTOLAKIS: PRA coherence

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efforts?

2 DR. BECKNER: Yes.

3 CHAIRMAN APOSTOLAKIS: Very good.

4 MEMBER SIEBER: Long overdue.

5 CHAIRMAN APOSTOLAKIS: What is that?

6 MEMBER SIEBER: We're losing a battery.

7 DR. BECKNER: Okay. The real workers are
8 at the table, and my section chief, Bob Dennig, Tech
9 Spec Section, will give the presentation, and he'll
10 introduce his capable assistants.

11 CHAIRMAN APOSTOLAKIS: And you will tell
12 us who they are?

13 MR. DENNIG: I will do that, right.

14 I'm Bob Dennig, section chief in Tech Spec
15 Section. I work for Dr. Beckner.

16 I've got Bob Tjader, a senior engineer in
17 Tech Spec Section, and Nick Saltos is senior engineer
18 in Risk and Reliability in NRR.

19 As Bill said, in order to frame today's
20 discussion, and begging the indulgence of the folks
21 who didn't sit through the whole presentation last
22 week, just to give you some sense of what we thought
23 we heard and have this in mind as we go through this,
24 the three major points from my notes as I summarized
25 them -- and, folks, please help out if there's some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 elucidation on this -- the first point was that we
2 talked about a graded approach in this risk informing
3 technical specifications as far as the use of reliance
4 on PRA or the PRA capability.

5 And to give you a sense of what that means
6 is on one end, in order to justify some of these
7 changes that are risk informed, we rely on generic
8 analysis performed by owners' groups. That generic
9 analysis can be qualitative or quantitative.

10 On the other end, we are relying on
11 licensee's capability, the degree to which they have
12 implemented (a) (4) in the most sophisticated way, with
13 a highly developed PRA, integrated that PRA into their
14 operations, maintenance, and planning. That's on the
15 other end of the spectrum.

16 And what we heard was there's concern
17 about we get this right and that the capability that
18 plants get in their technical specifications is
19 commensurate, appropriately commensurate with the
20 degree that we're relying on a generic analysis or
21 their plant specific capability.

22 In the latter case, where we're actually
23 turning over some decision making, live, real time
24 decision making, to licensees that would normally
25 occur in like a NOED process, so we heard that, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 think we're doing it appropriately. We certainly hope
2 we're doing it appropriately, and you've reemphasized
3 that point to us.

4 Now, that was a point that we heard the
5 last time we briefed the subcommittees back April of
6 2000, this same point.

7 MEMBER ROSEN: Well, I wasn't on it in
8 April of 2000, but I agree wholeheartedly in what they
9 said in April of 2000. That was my exact complaint
10 last week, was that there should be no free lunch, no
11 free rides. If you want sophisticated, on line
12 relief, you just don't do it with eight and a half by
13 11 inch piece of white paper or table.

14 MR. DENNIG: The second point was the
15 concern about -- and it's a horse race -- but to guard
16 against abuse, gaming of the system. How do we have
17 some feedback about how people are behaving under
18 changes through tech specs that are in some sense a
19 revolutionary departure from past perspectives.

20 For example, a missed surveillance, that
21 was a litmus test of your entire operational
22 capability at one point, and now we say, well, if you
23 miss the surveillance, we'll let you manage the risk.

24 How would we be aware of whether or not
25 people were behaving the way we suppose they would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 when they're given that flexibility?

2 VICE-CHAIRMAN BONACA: Well, you know,
3 just for clarification, the concern was now we use the
4 corrective action program, and the reason, to plan to
5 track this. Today if you miss a surveillance of the
6 plant, that's a big thing and people take it very
7 seriously. The question is: will they take it
8 seriously when they just -- you know, if there is no
9 oversight?

10 And the important thing is to make sure
11 that they keep taking it seriously. So although they
12 have relief from tech specs to go up to the next
13 surveillance, still it's not going to happen with more
14 and more frequency because it is becoming unimportant.

15 MR. DENNIG: Right, and the refinement of
16 that that we heard was perhaps a sense that we had
17 enough built in where we could pick this up at a
18 specific plant, but the concern was, well, how would
19 we integrate that across plants. How would we get a
20 sense of whether or not in some overall sense there
21 were more of these things happening?

22 And I think that's something that we have
23 to think about. How are we going to do that?

24 MEMBER ROSEN: Yeah, we need some
25 suggestions like maybe the resident inspectors in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their reports could give you a summary of when they
2 actually use those flexibilities.

3 MR. DENNIG: So that's some feedback and
4 something we're going to have to go meditate on.

5 And then lastly, that we consider how
6 these initiatives interact. The specific example, and
7 again, I beg the indulgence of the folks that weren't
8 here the last time, we have an initiative. The number
9 is three, where you have mode flexibility to go up in
10 mode with inoperable equipment as long as you're going
11 to comply with the time limits in the mode you're
12 going to for that inoperability.

13 We have another initiative, the most
14 ambitious initiative that involves extending the time.
15 So the question is, the obvious question is: well,
16 can I go up in mode and extend the time?

17 And the answer is I think the industry
18 envisions that they would have that flexibility. The
19 final word on that is not here because we haven't done
20 four yet. We have not done the one where you can
21 using your capability make decisions about extending
22 at completion time within the context of the plant
23 configuration.

24 But, yes, that's a good point, and that is
25 something that we have kept in mind, and you've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reinforced to us. So we heard that.

2 Next slide, please.

3 We understand the necessity of staying in
4 touch and proposing an opportune time to come back
5 again and talk with you, and on first reflection, we
6 feel that we've got some things that are supposed to
7 happen here shortly that have been in process for some
8 time, Initiative 4b, which I mentioned; flexible
9 completion times, which is the one that has the most
10 reliance on the licensee's capability.

11 We should be seeing some guidance that's
12 been drafted by the industry, and also I believe we
13 may get a proposal or a draft amendment, something
14 that look like an amendment, but that's a pre-
15 amendment proposal for a pilot for this initiative.

16 And I think it would be appropriate at
17 that time, once we have that in hand, and we're
18 looking at it to come back and share that with you and
19 get your views and reflections and reactions to what's
20 on the table for that. So that would be something for
21 you to consider.

22 And next slide, please.

23 MEMBER LEITCH: Does that pilot just apply
24 to Initiative 4b or might it include the whole range?

25 MR. DENNIG: We have asked. We have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suggested that if possible, we would have a pilot that
2 would integrate all of the initiatives. We will
3 attempt to do that. We would like to do that on an
4 improved tech spec plant, an ITS plant, if possible.

5 That may not be the first pilot that we
6 get. That's been our dialogue with the industry.
7 That's been our suggestion and our desire.

8 The development slide just was meant to
9 show that we've been at this for some time. This
10 slide is important, I think, more for other folks than
11 for you folks, and that the notion of risk informing
12 tech specs goes way back. We can trace the
13 development of some of these initiatives back into the
14 early '80s.

15 And in a sense, what we're doing today is
16 following through on some thoughts that were
17 engendered back when the PRA capability was not as
18 well developed as it is today, and we've just taken
19 advantage of those developments as they've progressed.

20 The key point here is that we play off of
21 50.65(a)(4). That's a key development in this area,
22 and in fact, its implementation came at a point after
23 the risk management tech specs were first
24 conceptualized, but it gives us the risk engine, if
25 you will, the risk program at the site to use for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 configuration risk management purposes, to whatever
2 degree, to look across equipments, to do that
3 integrated look that tech specs don't do currently.

4 And so that's what we springboard off of.
5 That thing is running in the background all the time.
6 We take advantage of the fact that that exists, and
7 that's kind of like an engine that makes this thing
8 go.

9 Some high level principles. I've
10 mentioned the second point, the graded approach to
11 crediting PRA, and that's another way of saying that
12 it's crediting the way they've implemented the
13 50.60(a)(4) program.

14 We are cognizant of the need to be
15 coherent with other risk informed development. There
16 is an initiative I'll talk about, Initiative 8, where
17 we talk about risk significance of equipment, and we
18 want that notion to align with how that's being
19 determined in other places, such as in special
20 treatment rulemaking.

21 We also want to have ourselves aligned in
22 the area of PRA technical adequacy with whatever comes
23 out of, for example, the draft reg guide on PRA
24 technical adequacy that's now out for review and
25 potential piloting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We may pilot that along with our
2 Initiative 4 pilot, and a point that we heard from the
3 ACRS, again, the last time that we were here was the
4 need to involve a broad range of people in this
5 activity and keep them apprised of what we're doing.

6 In particular, I would point out that we
7 are working with the Equipment and Human Performance
8 Branch in the area of the maintenance rule, and
9 through them, there have been briefings in the regions
10 on the subject, such as Initiative 2, which has been
11 approved and licensees are adopting, which is the
12 missed surveillance provision, allowance.

13 They have included a discussion of how
14 that is to be interpreted and what it means and what
15 we're looking for in their discussions on 50.65(a)(4)
16 when they've gone out to the regions.

17 Next slide, please.

18 I'll go through these fairly quickly.
19 Initiative 1, in shorthand term, is end state, and the
20 essence of it is that tech specs always were
21 formulated to drive the cold shutdown, and that is not
22 always the best thing to do. So this is a provision
23 to stand hot shot down for the purposes of performing
24 the repairs rather than to go cold.

25 And here's this rated approach thing. CE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Owners Group and BWR Owners Group's generic analysis
2 underlies this initiative, and we've reviewed that
3 particular. Dr. Saltos has been involved in that
4 review.

5 At the present time we've done the safety
6 evaluation, which is like step one of what happens to
7 implement this. Step two means that the findings of
8 the safety evaluation have to be translated into tech
9 spec mark-ups to implement this thing in current tech
10 spec structure, and that's where we are now, is either
11 looking at that translation for the CE Owners Group or
12 awaiting that translation for the BWR Owners Group.

13 CHAIRMAN APOSTOLAKIS: I understand we
14 don't have the generic analysis that the owners
15 groups.

16 MR. TJADER: No, you don't have the
17 Initiative 1 generic analysis. I wasn't -- what was
18 provided was Initiative 2 analysis and what was
19 approved and Initiative 3, what is proposed and what
20 was issued in the Federal Register notice.

21 MR. DENNIG: But we can if you wanted
22 that; we could give you that.

23 CHAIRMAN APOSTOLAKIS: If you could send
24 them to Ms. Weston.

25 MR. DENNIG: Okay. We will provide that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to yo.

2 CHAIRMAN APOSTOLAKIS: Sure. Thank you.

3 MR. DENNIG: Initiative 2, missed
4 surveillance actions. Modification of SR 3.0.3. It
5 used to say if you missed the surveillance, we'll give
6 you 24 hours to make it up, and that was what 87-09
7 allowed.

8 And we've extended that to allow the
9 licensee to manage the risk of when they make up that
10 missed surveillance up to one surveillance interval,
11 and I've kind of given the highlights of the risk
12 management basis, the risk informed basis for granting
13 that allowance.

14 One frequent use, the likelihood that th
15 equipment is operable, that's what the history has
16 shown, that you miss a surveillance. When you go do
17 the surveillance, it generally works okay or the
18 surveillance was performed incompletely, and when you
19 complete the surveillance, it works out okay.

20 There's a commitment to enter missed
21 surveillance and a corrective action program, and then
22 one manages the risk of delaying the surveillance as
23 an extension of your (a) (4) program.

24 And to date 47 plants have adopted that.
25 We've granted amendments to 47 plants, and there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 21 in the pipeline.

2 Initiative 3, mode, flexibility. Again,
3 this is an extension --

4 MEMBER LEITCH: Once again though with
5 this issue, as with most of these, but I just want to
6 make sure I have them straight, is that the risk
7 analysis is not a blanket risk analysis that's done in
8 advance, but at the time; is that correct?

9 In other words, when you miss this
10 surveillance, then you take a look at what are the
11 risk consequences of having missed that surveillance.

12 MR. DENNIG: Right.

13 MEMBER LEITCH: For that particular
14 situation.

15 MR. DENNIG: Yes.

16 MEMBER LEITCH: So you may not always be
17 allowed to go on more surveillance in the hole.

18 MR. DENNIG: That's correct.

19 MEMBER LEITCH: It could be that you
20 conclude that --

21 MR. DENNIG: It's up to.

22 MEMBER LEITCH: Yeah, it's up to one
23 surveillance.

24 MR. DENNIG: Yes, sir.

25 MEMBER LEITCH: You may conclude that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well, this is a pretty high risk situation. If this
2 piece of equipment is bad, we're going to have to do
3 that surveillance now.

4 MR. DENNIG: Yes, sir.

5 MEMBER LEITCH: Okay.

6 MR. DENNIG: It's not an automatic.

7 MR. GILLESPIE: Well, Bob, isn't it graded
8 when they put it in the (a) (4) program? Under (a) (4),
9 there's four categories, if you would, of actions, and
10 so it's not an on-off switch that you do the
11 surveillance. It talks about operator cognizance
12 going down to positive compensatory actions being
13 allowed, which may not be doing the surveillance.

14 MEMBER LEITCH: Okay.

15 MR. GILLESPIE: So there's a span. It's
16 kind of graded on what your grade comes out. So it's
17 not an on-off switch. So there is a gradation
18 actually built into the (a) (4) process.

19 MR. DENNIG: But you do have to do the
20 surveillance at the first reasonable opportunity not
21 to exceed the backstop is the one more interval. Now,
22 depending on where the numbers come out, where the
23 analysis comes out, you can do compensatory actions.
24 You can manage the risk in the same way that you
25 manage risk of doing maintenance in general under

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (a) (4) until such time as you make up that
2 surveillance.

3 Initiative 3, mode flexibility. This is
4 an extension of an allowance that was risk provided in
5 generic Letter 87-09. What that generic letter
6 allowed was for mode transition up in power in those
7 situations where you could remain indefinitely in the
8 higher mode. There was no time limit after you made
9 that transition.

10 What we do is we allow the transition,
11 relying on the compliance with tech spec actions and
12 time limits in the higher mode. We have based this on
13 a generic risk analysis that rules out some
14 transitions as inappropriate across the board, and
15 infrequent use. Plants generally store it up twice a
16 year now that it would be transitioning through lower
17 modes and coming up in power.

18 MEMBER ROSEN: This is another one of
19 those that we haven't seen, this generic risk analysis

20 MR. DENNIG: You were provided, I think --
21 we did send this out.

22 MR. TJADER: We provided the safety
23 evaluation, but we didn't provide the analysis from
24 the industry. Well, no, the justification was
25 provided with the proposed tech spec change.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DENNIG: I thought we provided -- each
2 owners group put together a generic analysis, and I
3 thought that what we --

4 MEMBER ROSEN: We get a lot of paper, Bob.
5 It's possible, but I don't remember.

6 MR. TJADER: Yes, you were provided each
7 of the owners groups' analysis.

8 MR. DENNIG: You have their generic
9 analysis somewhere and the safety evaluation that we
10 had out for public comment. So if you don't have
11 that, we'd be glad --

12 MR. TJADER: They do. They do.

13 MR. DENNIG: Okay, and we're in the midst
14 of resolving public comments that we got when we
15 published the SE in the Federal Register in August.

16 MEMBER LEITCH: Here, again, this is one
17 of these that has the potential for abuse. The spirit
18 of the law here is infrequent, an evolving situation.
19 It's not to have an outage plan that says, "Well,
20 we're going to get the" --

21 MR. DENNIG: Exactly.

22 MEMBER LEITCH: -- "the RHR pump back
23 three days from now. So" --

24 MR. DENNIG: Exactly.

25 PARTICIPANT: "We'll start up without it."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER LEITCH: Right. So it's one that
2 requires monitoring to be sure that we're not falling
3 into a pattern of abuse.

4 MR. DENNIG: Right.

5 MEMBER ROSEN: Yeah. Now, you have
6 monitoring, and let's assume you do. You put into
7 place a good monitoring. So you are made aware of a
8 pattern of abuse.

9 Do you have the regulatory tools to stop
10 it?

11 MR. DENNIG: I think that factors through
12 the oversight of the (a) (4) program in compliance with
13 the intent of the bases that go with the spec.

14 MEMBER ROSEN: So you're saying that
15 through (a) (4) --

16 DR. BECKNER: I think yes and no. There's
17 a couple of things. First of all, if they were
18 routinely going up and not getting stuff repaired with
19 an AOT coming down, that would certainly look and
20 adverse consequences on the performance indicators,
21 and certainly it would impact their equipment
22 availabilities and reliabilities. It would be out of
23 service.

24 The no part is, yeah, they can still game
25 the system. They can game existing tech specs. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talked about should they be scheduling this. I think
2 not. I don't think there's anything to prevent it,
3 just like there's nothing to prevent them from
4 scheduling back-to-back AOTs. It's just something
5 that right now that's one advantage of (a) (4), is that
6 helps a little bit in that area, but the tech specs
7 really never do a very good job of that. You can
8 still game them.

9 MR. GILLESPIE: Bob, could you -- I think
10 it might help because one of the comments here was
11 start-up -- could you go through the mode changes that
12 you feel would be allowed and the ones that wouldn't
13 be allowed?

14 For example, going four to five.

15 DR. BECKNER: In other words, would you
16 sum up with diesels out or not? That's for example.

17 MR. TJADER: Diesel generators are one of
18 the higher risk systems, and, no, you wouldn't and you
19 wouldn't -- there's generally three high risk systems
20 in which mode transitions can occur if they're out,
21 and that's diesel generators, RHR, and L, but before
22 you do any transitions that are permitted, the risk
23 assessment must be done prior to that for the current
24 plant configuration.

25 MR. DENNIG: Those are the real low modes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that Bob is talking about. There are -- and this is
2 in the Federal Register notice and the safety
3 evaluation also in the owners group submittals.

4 HPSI transition going from two to one,
5 which is like going from start-up to power operation
6 in a BWR, is ruled out. High pressure core spray,
7 similarly. RCIC, similarly. Isolation condensers,
8 similarly. Bob mentioned emergency shutdown AC power
9 supplies. That's across the board.

10 MEMBER ROSEN: Aux feedwater?

11 MR. DENNIG: Let's see. Aux feedwater.
12 No transitions in the mode 43201. L-top Bob mentioned
13 and five of four. Emergency diesels, this is PWR
14 54321. That's all of them.

15 Pie head safety injection system,
16 Westinghouse, no -- not permitted to enter Mode 4.

17 MR. GILLESPIE: Bob, you don't have to --
18 I just wanted to give people a sense that a lot of
19 thought had gone into the boundary conditions. It's
20 not quite as blanket as the viewgraph would kind of
21 lead you to believe.

22 MR. DENNIG: Okay.

23 MEMBER LEITCH: So these things that you
24 mentioned are prohibited across the board regardless
25 of the risk implications.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DENNIG: Yes. That's hard wired into
2 the specification.

3 MEMBER LEITCH: So even a plant -- I'm
4 familiar with a plant that has four diesels per unit.

5 MR. DENNIG: Yes.

6 MEMBER LEITCH: But still you need all
7 four diesels regardless of the consequences.

8 MR. DENNIG: Yes. It was a generic
9 analysis, and any licensee is permitted certainly to
10 come in and add to their justification for this
11 adoption and say, "Hey, we have this situation. We've
12 analyzed this situation. We think we should have the
13 flexibility to make a mode change under these
14 circumstances," and then we'll look at that on a plant
15 specific, case-by-case basis.

16 But the enveloping analysis ruled these
17 things out, and by way of a tie-in into the issue of
18 capability versus, you know, the plant's ability to
19 demonstrate their risk analysis capability, originally
20 the concept was that plants would be able to somehow,
21 based on their own local analysis justify changes in
22 mode for these higher risks, what we term higher risk
23 transition systems.

24 And we were not comfortable at this point
25 in time with the plant specific capabilities in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 general, and so we kind of took that off the table and
2 said for now as far as the generic change is
3 concerned, we're going to stick with what the generic
4 analysis shows. We're not going to rely on plant
5 specific capability.

6 MR. TJADER: In issue four, the table
7 listing those high risk systems are in the owners
8 groups' analysis, which I've provided to you.

9 MR. DENNIG: And it's repeated in the
10 Federal Register notice.

11 Okay. This is the initiative that I
12 suggested earlier we come back and get you involved in
13 at the front end. The concept basically is you're
14 familiar with the way tech specs are structured. You
15 generally have a fixed completion time for a given
16 plant state, loss of capability, loss of a train, 72
17 hours or whatever.

18 This concept basically has that time and
19 place. The plant keeps that as a planning time or
20 time to complete the actions within, and then would
21 have the flexibility based on a risk analysis,
22 configuration risk management approach to go beyond
23 that nominal time up to a fixed backstop time that is
24 put in place as a under no circumstance, no matter
25 what your risk analysis shows, you may not go beyond

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 this time.

2 It's under development. We should be
3 seeing the guidance document industry has been working
4 on in December. It includes requirements for PRA
5 technical adequacy, a real time quantitative
6 capability, and we're asking that the configuration
7 and cumulative risk metrics, the kinds of things that
8 are included in (a)(4) guidance in terms of the
9 immediate risk impact and some cumulative tracking of
10 integrated risk impact, those also be included in --
11 be four feedback loop in this case for oversight of
12 this kind of a process. So that would be part of it.

13 Five.

14 MEMBER LEITCH: You earlier referred to
15 4b. What would you define as (b)?

16 MR. DENNIG: This is 4b.

17 MEMBER LEITCH: This is 4b?

18 MR. DENNIG: Four (a) is the garden
19 variety completion time extension that we've been
20 doing for some time, and a lot of plants have -- I'm
21 sorry.

22 You know you've been doing this too long
23 when you say the number and that's all you need to
24 know.

25 MEMBER ROSEN: It's like the old joke

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about the old joke.

2 MR. DENNIG: Okay. Initiative five,
3 relocation of surveillance test intervals. The
4 concept here is that tech specs have surveillance
5 tests; that the requirement to perform the test and
6 the nature of the test, the extent as described in the
7 tech specs remain, and the frequency, how often one
8 does it, becomes a variable, if you will, that is
9 determined by a licensee program where we have
10 reviewed the methods for calculating those intervals,
11 changing those intervals, and then that program is
12 referenced in the appropriate section of the technical
13 specifications to the level of detail that we feel
14 necessary to pin down that program.

15 So, again, the frequency of performance
16 surveillance interval, the tech specs would say in
17 accordance with the licensee's program described in
18 Section 5. There's a Section 5 program that spells
19 out some of the details of what this program is, and
20 then the licensee has a methodology that they can use
21 to change those intervals.

22 This is in development, and this is behind
23 four. This is not going to come -- I don't believe --
24 it's not going to come to a point where we might sit
25 down with you and discuss this before four would, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this possibly would be another candidate for
2 discussion once we've gotten the specific concept from
3 the industry.

4 MEMBER LEITCH: There may be a sort of
5 second order effect that we might have to consider
6 here. I think there is a grace period in the
7 frequency with which you do tech specs that's 25
8 percent of the --

9 MEMBER SIEBER: Specified interval.

10 MEMBER LEITCH: -- specified interval.
11 Now, if we're changing specified interval, does that
12 also go back and affect grace period?

13 MR. DENNIG: Sure. It's certainly
14 something that needs to be considered, sure.

15 MEMBER LEITCH: Yeah. I mean, it's sort
16 of a second order effect, but it's just maybe a source
17 of some confusion.

18 MR. TJADER: The grade period may become
19 irrelevant with the methodology.

20 MEMBER LEITCH: Exactly, yeah, yeah.

21 MR. DENNIG: Okay. Initiative six, this
22 is to date an effort that's pretty much the CE Owners
23 Group effort. It involves risk informing the standard
24 shutdown track for loss of function within an LCO. A
25 lot of times specs will direct you to go to LCO 3.0.3,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and that has a within one hour commence an orderly
2 shutdown; for PWR in seven hours be in Mode 3; and
3 then 37 hours be in Mode 5.

4 The CE Owners Group has looked at their
5 standard specifications and the functions covered in
6 specific LCOs and made an argument using a
7 quantitative bounding risk analysis that Nick is
8 looking at currently to adjust those times based on
9 the specific equipment that's inoperable and, again,
10 looking at that equipment inoperability in the context
11 of the rest of the configuration of the plant.

12 And I don't -- did we send that over?

13 MS. WESTON: Actually I only have the
14 analysis for 356 and your Federal Register notice for
15 358. I'm sorry. Yeah, 358 and 359. That's all that
16 I have.

17 MR. DENNIG: Okay. What I suggest that we
18 do is as a follow-up we'll get with Ms. Weston, and we
19 will provide whatever supporting material, you know,
20 she deems that you folks all want to see at this point
21 in time.

22 CHAIRMAN APOSTOLAKIS: That would be very
23 useful to me.

24 MR. DENNIG: So, you know, we'd be glad to
25 do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Initiative seven, this is an initiative
2 called risk informing support equipment impact. What
3 we mean specifically is support equipment or design
4 features outside of technical specifications.

5 There is a consequence of tech spec
6 structure through the operability definition wherein
7 something that is impacted by doing maintenance, such
8 as a barrier that is not covered in tech specs, leads
9 you to declare something that's in tech specs
10 inoperable, meaning that you have to enter the
11 completion time for that supported piece of equipment.

12 Those completion times that are in specs
13 are in there for everything that could possibly
14 require that equipment to operate, and the times are
15 in some cases shorter than what might be appropriate
16 where one has just removed a barrier that protects
17 against a flood.

18 Nonetheless, you immediately go into a 72
19 hour completion time. So the objective of this
20 initiative is to find a way to risk inform, if you
21 will, the treatment of features that are outside of
22 specs and their impact on operability.

23 And this one is kind of quirky because
24 it's tied into the way tech specs work and the logic
25 of tech specs. It's of great industry to the industry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 because of trying to integrate this into overall risk
2 management of maintenance.

3 Finally, initiative eight, risk informing
4 the tech spec scope. This one has two parts, and I
5 did write down both parts.

6 One thing that's under discussion is to
7 allow relocation of LCOs not meeting any 50.36
8 criteria, including the criterion of risk
9 significance. There is some argument that there are
10 features that are in technical specifications that
11 under the current regime, under the current criteria,
12 which include design basis criteria, in addition to a
13 risk criteria, that that could be taken out because
14 they're not risk significant, whatever that may turn
15 out to be.

16 The features that were retained in
17 standard tech specs in the late '80s when we looked at
18 applying LCO criteria were RCIC, an isolation
19 condenser, residual heat removal, standby liquid
20 control, recirc pump trip.

21 Also, there's remote shutdown
22 instrumentation, is in some specs or is in specs based
23 on risk.

24 Is there anything else? No.

25 So some of the interest groups want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 revisit whether these things are risk significant or
2 not or could, be relocated from specifications.

3 The broader goal of initiative eight is in
4 B, limit the scope of technical specifications to risk
5 significant SSCs. That notion, that idea was brought
6 up and discussed back when these LCO criteria were
7 being generated. It was suggested that -- I'll read
8 criterion four, which is the risk informed one.

9 Structure system or component which
10 operating experience or probabilistic risk assessment
11 is shown to be significant to public health and
12 safety. That's number four in addition to three other
13 ones that relate to detecting leaks, design features
14 or process variables that are assumptions in a design
15 basis analysis, and then equipment there, part of
16 primary success path for mitigation.

17 There was a suggestion at the time that
18 criterion four should be the only criterion. Why
19 should we have anything in technical specifications
20 that wasn't risk significant? And the Commission
21 deemed at that time that that was a premature way to
22 go, but we would continue to think about that.

23 So now we're being asked to think about
24 that in earnest. That would require a rulemaking to
25 establish that as the sole criterion. So that's down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the road some ways.

2 But there is a nexus to current activity
3 in things like 50.69. You know, how are we using PRA
4 to be an equipment? What's risk significant
5 equipment? You wouldn't want to have conflicts
6 between the logic being used there about what was --
7 how things were being treated and what was significant
8 from a risk standpoint and what we were saying needed
9 to be included in technical specifications based on
10 its risk significance, but again, that's somewhere
11 down the line.

12 MEMBER ROSEN: Where does defense in depth
13 and margin fit into that discussion?

14 MR. DENNIG: Where does defense in depth
15 and margin fit into that discussion? It would have to
16 be fit into that discussion somehow.

17 (Laughter.)

18 MR. DENNIG: I mean, we have to deal with
19 what those concepts mean under this kind of a
20 structure.

21 MEMBER ROSEN: I just -- yeah.

22 DR. BECKNER: I think that's probably the
23 reason why the Commission left the first three
24 criteria in, and that's still a question that we're
25 struggling with in risk informing regulations, and I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guess it's appropriate we continue to struggle with
2 it.

3 And I see Mr. Coherence here wants to say
4 something.

5 MR. GRIMES: My name is Chris Grimes.

6 As Bill has so aptly anointed me Director
7 of Coherence, as part of developing a plan where we
8 could bring the guidance for PRA quality and the
9 guidance for categorization and the other aspects of
10 risk informed initiatives and performance based
11 regulatory improvements, we've talked about how we can
12 fit into the margins management and the assessment of
13 what features constitute defense in depth and have
14 measures for those things.

15 And so I think as Bob pointed out, we're
16 closer now than we were ten years ago when we talked
17 about risk informing for tech specs, but I don't think
18 that the categorization process in 50.69 is enough of
19 a definition of limiting conditions for operation for
20 licensing purposes.

21 And so we would have to explore that
22 further in terms of how do we want to risk inform the
23 definition of limiting conditions for operation in
24 order to bring the categorization process, which is
25 driven more by function than margins issues.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I've just made a very short story long
2 by trying to surround it.

3 CHAIRMAN APOSTOLAKIS: How do you define
4 margin in this context?

5 MR. GRIMES: Well, the way that tech specs
6 treats margins is that any uncertainty is guarded
7 against. Limiting conditions for operation are
8 defined conservatively to avoid eating into margins
9 and to take prompt and --

10 CHAIRMAN APOSTOLAKIS: What is a margin?
11 Because we saw two definitions in the context of the
12 principal for developing performance based regulation.

13 MR. DENNIG: We noted that comment.

14 CHAIRMAN APOSTOLAKIS: I know people are
15 using the word, but apparently there is not a unique
16 definition.

17 MR. DENNIG: I could be wrong, but I think
18 in the tech spec context the way things are set up
19 now, we have the magic phrase of the margins as
20 described in the bases is one of the phrases that
21 occurs in this area, and generally in the bases what
22 you talk about --

23 CHAIRMAN APOSTOLAKIS: You mean the
24 licenses.

25 MR. DENNIG: -- are redundancies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: No, no, bases to the tech
2 specs.

3 MR. DENNIG: As described in the bases,
4 capital B.

5 CHAIRMAN APOSTOLAKIS: Yeah, yeah.

6 MR. DENNIG: And generally what those
7 discussions deal with are single failure defense.
8 With one train you still have the capability, and so
9 on and so forth. It's at that kind of a level.

10 MEMBER SIEBER: There are no that I can
11 recall numerical margins, parameter margins.

12 MS. WESTON: You have a comment?

13 MR. BRADLEY: Can I make a comment?

14 MEMBER SIEBER: Yes, sir.

15 MR. BRADLEY: Biff Bradley; NEI.

16 Tech specs do define safety limits, and
17 they also have limiting safety system settings that
18 provide margins to those limits such that when you set
19 the set points and the instruments, et cetera, in the
20 tech specs, you do have margin to the safety limits.

21 And the work we have underway to risk
22 inform and to change the scope of tech specs is not
23 intended to change those. We're not looking to change
24 the safety limits or reduce the margin between the
25 LSSS and the safety limit as part of our work.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I do think that the scoping criteria of
2 5069, as you're aware from having reviewed that
3 guidance, do to some degree address defense in depth.
4 It is an area where we do have an explicit section of
5 that guidance trying to -- you know, it's always a
6 difficult concept.

7 But we do look at that, and I think within
8 the constraints of what we're talking about here,
9 which is really just looking at the scope of equipment
10 within tech specs, that I believe the 50.69 guidance
11 is applicable, and of course, we'll have to make that
12 case, but I don't see that there's a major disconnect
13 between the approach we're using in 50.69, including
14 how we treat defense in depth, and you've got to bear
15 in mind we're not changing the safety limits or the
16 limiting safety systems.

17 MEMBER SIEBER: Let me clarify something
18 on what you said. The difference between the set
19 point and the safety limit is when you reach the set
20 point you're in a transient, and that parameter
21 continues to go, and at the set point trips a device
22 or actuates something at that point in time; you won't
23 get to the safety limit, and that's what that margin
24 is for, is to accommodate the effect of the transient.

25 That is not calculational margin or margin

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's added on because of uncertainty and interpreter
2 test data like the final acceptance criteria, peak
3 clad temperature or anything of that nature.

4 And so margin is used in many different
5 senses, in many different places, and I think you have
6 to be careful. You can't use margin from the
7 standpoint that it's a single entity that applies to
8 everything because it's used differently for different
9 concepts.

10 CHAIRMAN APOSTOLAKIS: Here in general it
11 means the interval between some limit and --

12 MEMBER SIEBER: Well, that's the way it's
13 used when you look at the safety limits and the set
14 points, but from the set points or the tech spec
15 standpoint, the definition that it supposedly
16 described in the bases is, to my knowledge or my
17 memory, the ruling definition.

18 On the other hand, when you read the
19 bases, there's not much in there about margin.

20 MR. DENNIG: In the instrumentation margin
21 I think you're right.

22 DR. BECKNER: Yeah, but I think as Biff
23 said, tech specs -- there's instrumentation margin,
24 and the other thing is basically equipment, and the
25 first three criteria deal with margin in the sense

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that they basically require equipment that was assumed
2 in the design basis analyses.

3 And if you have that equipment available,
4 then you, in theory, retain whatever margin happened
5 to be in that design basis analyses, and that's how I
6 think by relaxing the first three criteria you may be
7 relaxing margin, but you don't know that for sure.

8 MEMBER SIEBER: Well, there is another way
9 to look at it. There is a design basis analysis that
10 gives you a number of figures of merit. Then there's
11 a best estimate calculation that goes beyond that that
12 gives you another bunch of different figures of merit.

13 Some people consider the difference
14 between design basis and the best estimate as the
15 margin that's available and the conservatism that's
16 built into the design basis analysis.

17 And so all of this leads to tremendous
18 confusion because there are different ways the term is
19 used. And I think if you're going to try to exploit
20 margin and understand it, we ought to really have a
21 bunch of new definitions for what it is we're talking
22 about.

23 MR. GRIMES: I agree. As a matter of
24 fact, I think these are all very good points because
25 that is the nature of the complexity of the problem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for instrumentation margin has a specific definition
2 and a practice, and the IEEE standards explain how
3 that works, and the staff has dealt with that and the
4 practice of enforcing limiting safety system settings.

5 But as you point out, there are also
6 margins associated with capabilities, and, for
7 example, in the leakage limits in the technical
8 specifications, the limiting conditions for operation
9 establish certain action points when leakages get to
10 certain values because of margins associated with leak
11 before break design capabilities, and that's a
12 different kind of margin.

13 And then there's yet another margin that's
14 associated with my favorite example of margin
15 management confusion, and that is the operability of
16 a battery system because in the tech specs, we try to
17 treat it as a black and white condition, but in the
18 practices that we try to refer to in the IEEE
19 standards, batteries can be operable, but going down
20 or they can be inoperable but on their way up, and
21 where are you in your technical specifications?

22 You're playing in the margins, and so the
23 time that it takes to fix things now becomes very
24 difficult to articulate.

25 So I do think that one of the first steps

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we've defined for coherence activities is that we
2 need to set out a glossary of terms --

3 MEMBER SIEBER: Agreed.

4 MR. GRIMES: -- in order to be able to
5 communicate what things we're trying to do, and I
6 think margins and defense in depth requires some very
7 careful language and very careful term definitions.

8 CHAIRMAN APOSTOLAKIS: But you can also
9 have a definition of margins that include the defense
10 in depth. For example, the core damage frequency is
11 a measure of margin. Ten to the minus four, yeah,
12 why not?

13 Reaching that state, the probability of
14 going to that state, and I can call that margin.
15 Before I get into trouble --

16 MEMBER WALLIS: I thought it was
17 probability.

18 MEMBER SIEBER: But that adds an
19 additional level of complexity to an already complex
20 problem to me.

21 CHAIRMAN APOSTOLAKIS: Right, right. I
22 know.

23 MEMBER SIEBER: I mean, it doesn't clarify
24 anything. It just makes it worse.

25 CHAIRMAN APOSTOLAKIS: When people in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 general, say, complain that risk informing the
2 regulations erodes the margins, what do they mean?
3 They don't mean the set point. They mean something
4 bigger.

5 MEMBER SIEBER: Well, that's why it's such
6 a good term to use because nobody knows what you're --

7 (Laughter.)

8 MEMBER ROSEN: I withdraw my earlier hasty
9 comments about defense in depth.

10 CHAIRMAN APOSTOLAKIS: Since we have Mr.
11 Bradley here, what is the motivation behind all of
12 this? I mean, are these things that you want to
13 change in a new sense or why is the industry bringing
14 up these?

15 MR. BRADLEY: Well, since we're in the
16 term of coherence here, we had -- 50.65(a)(4) was put
17 into place in November of 2000, and so we now have
18 essentially dual regulation for plant configuration
19 control. We have the deterministic tech specs, and we
20 have the risk informed 50.65(a)(4).

21 Now, oftentimes these can conflict, and so
22 the plants are having to meet two regulations that can
23 give you conflicting results, and we're trying to
24 resolve those and come up with a single system of
25 configuration management.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that the net result of this
2 will be some, you know, draconian change in the way we
3 do this. We're not going to see -- I mean, we've
4 already even under the current system been able to get
5 the plant availabilities pretty high, and I don't see
6 that there's a tremendous amount more to be gained by
7 this, but I'd say it's beyond a nuisance. I think
8 we're really just trying to have a regulatory system
9 that makes sense and that doesn't create a lot of day-
10 to-day headaches trying to reconcile these two
11 different insights that come out of these programs.

12 MEMBER LEITCH: There's also some big
13 economic considerations, too. I mean, perhaps you're
14 approaching an asymptote as far as the availability of
15 the plant is concerned, but you know, if you're
16 sitting, waiting to be able to start up the plant
17 based on diesel that suddenly become unavailable or
18 perhaps the diesel is not a good example, but one of
19 these less risk significant systems, and you know, the
20 part is on the airplane and it's coming in, but by the
21 time you get the part and check it out and install it,
22 you've wasted 24 hours and you're sitting there with
23 the plant shut down while maybe you could be running.

24 MEMBER SIEBER: Well --

25 MEMBER LEITCH: That's an important

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 factor. The other thing is some of these surveillance
2 tests, there haven't been many occasions, but there
3 have been some occasions when, oops, a surveillance
4 test was missed, and the only way to do this
5 particular surveillance is with the plant off line.
6 So you have to take the plant off line to do a
7 surveillance test.

8 Now, that's a million dollars down the
9 drain in one shot.

10 MEMBER SIEBER: Well, it's even worse than
11 that. Three, oh, three says that if you end up in an
12 LCO where you're not permitted to operate in a certain
13 mode, you've got to shut down the plant, which adds a
14 transient to the plant, and we counted all of those
15 transients because once you cool down, you're changing
16 all of the stresses in the reactor vessel by using
17 bunches of chemicals, and you just aren't doing the
18 plant any good at all.

19 And if it's not risk significant, why
20 would you put the plant there?

21 On the other hand, the other side of it is
22 that human beings are human beings, and occasionally
23 they'll miss a surveillance or a technician will miss
24 a step, and all of a sudden he gets into an, oh, heck,
25 situation so to speak, and they would like to have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way out of that.

2 Now, whether they could go on, not catch
3 a notice of violation or what have you and, you know,
4 just keep sailing away, and there's two sides to that,
5 but I worry most about having to shut down from a risk
6 standpoint, unnecessarily hard on the plant.

7 MEMBER WALLIS: I think the clearest
8 example is where the tech specs force you to do
9 something which actually leads to more risk and
10 integration.

11 MEMBER SIEBER: Well, it's allowing more
12 risk, but it's --

13 MEMBER WALLIS: Well, it probably does
14 lead to more integrated risk in some cases than
15 following one of these initiatives.

16 MEMBER SIEBER: Sometimes going through
17 the transience of shutting down and starting up
18 involve more risk than just operating.

19 MEMBER ROSEN: Well, this is the one
20 example of Gulf being forced to go to Mode 4, which
21 takes out your auxiliary feedwater pump and now you
22 don't have reactor steam pressure to provide
23 feedwater.

24 In the case where you have problems with
25 the feedwater system, that's not what you want to do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 You want to stay in Mode 3 so that you can provide
2 both steam pressure to the auxiliary feedwater system.

3 So there's an example of what you just
4 were talking about.

5 MR. DENNIG: Okay. That concludes our
6 prepared or unprepared --

7 MEMBER SIEBER: I guess there's all of
8 these reasons why this is bad news to provide the tech
9 specs as the motivation for going to a risk informed
10 tech spec system, but I think you have to do it
11 carefully. I sort of conclude that what the staff is
12 doing is pretty careful.

13 MEMBER ROSEN: Now, are we asked for a
14 letter here? We're not asked for a letter.

15 CHAIRMAN APOSTOLAKIS: Yeah, what is the
16 request?

17 MEMBER ROSEN: Yeah, we are asked for a
18 letter, but we're not asked for a letter. The bottom
19 line is there was a little bit of confusion there.
20 You're not asked for a letter.

21 Do you want to talk to that?

22 CHAIRMAN APOSTOLAKIS: Are you asking for
23 a letter?

24 MEMBER ROSEN: Bill Beckner.

25 DR. BECKNER: We're not asking for a

1 letter at this time. What we would propose, I think,
2 Bob in his second slide, is when we have something
3 concrete for us both to review our initiative 4, which
4 is probably going to be maybe a submittal maybe
5 towards the end of the year, and I'm not sure when the
6 review would go.

7 But when we have something concrete, then
8 I think it would be appropriate for a letter at that
9 time. So right now no letter. Next meeting probably
10 we would --

11 CHAIRMAN APOSTOLAKIS: You can send us all
12 the supporting documents you can send us right now so
13 we can start preparing ourselves for this happy
14 occasion.

15 DR. BECKNER: Sure, yes.

16 CHAIRMAN APOSTOLAKIS: Okay.

17 MEMBER SIEBER: I guess it's worth stating
18 though even though we don't right a letter that I
19 think I personally think as one member that the staff
20 is on the right track here.

21 CHAIRMAN APOSTOLAKIS: Mr. Chairman?

22 MEMBER ROSEN: Well, I turn it back to
23 you.

24 CHAIRMAN APOSTOLAKIS: Thank you,
25 gentlemen.

1 Nobody seems to be willing to move. You
2 didn't expect me to thank you?

3 (Laughter.)

4 CHAIRMAN APOSTOLAKIS: You seem to be
5 startled.

6 MR. DENNIG: It's like, well, you're going
7 to give me a shot. "Well, Doctor, is it over?"

8 (Laughter.)

9 MR. DENNIG: Thank you.

10 CHAIRMAN APOSTOLAKIS: Okay. The next
11 item is a report by Mr. Leitch --

12 MEMBER LEITCH: Yes, sir.

13 CHAIRMAN APOSTOLAKIS: -- on recent
14 operating events, but we will not do this right away.
15 In fact, well, we're only ten minutes behind schedule.
16 That's wonderful. A report regarding recent operating
17 events, and we'll do that in about 13 minutes.

18 And I don't think we need the
19 transcription anymore.

20 (Whereupon, at 5:14 p.m., the meeting in
21 the above-entitled matter was adjourned.)

22

23

24

25

CERTIFICATE

This is to certify that the attached proceedings
before the United States Nuclear Regulatory Commission
in the matter of:

Name of Proceeding: 497th Advisory Committee on
Reactor Safeguards

Docket Number: N/A

Location: Rockville, Maryland

were held as herein appears, and that this is the
original transcript thereof for the file of the United
States Nuclear Regulatory Commission taken by me and,
thereafter reduced to typewriting by me or under the
direction of the court reporting company, and that the
transcript is a true and accurate record of the
foregoing proceedings.

1s/ Rebecca Davis
Rebecca Davis
Official Reporter
Neal R. Gross & Co., Inc.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N W
WASHINGTON, D C. 20005-3701

(202) 234-4433

www.nealrgross.com