	166
1	Some of the milestones in the review, very
2	quickly: We received the code and the documentation
3	in August of 2001, just a little over a year ago. We
4	have gone through the initial presentations to the
5	Thermal Hydraulic Subcommittee. We have asked for
6	additional information, and we have presented the
7	draft SER to the Thermal Hydraulic Subcommittee a
8	month ago.
9	MEMBER SIEBER: Which one is that, the
10	first one or the second one? I've got two different
11	ones.
12	MR. LANDRY: The second draft SER.
13	MEMBER SIEBER: Okay.
14	MR. LANDRY: We've gone through a couple
15	of iterations. What we have tried to do, in the first
16	drafting of the SER, we tried to go through and just
17	document what we had done in the review and then
18	realized that, well, we didn't like that format; we
19	didn't like all the material that we had in there.
20	So we went back and restructured the SER
21	to follow in the CSAU format. Much the same as what
22	Larry O'Dell just presented in the way the code work
23	is structured, we went back and restructured the SER,
24	all the steps of the SER, of the CSAU methodology.
25	The SER gives an overview of the PIRT
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N.W.         (202) 234-4433       WASHINGTON, D C. 20005-3701       www.nealrgross.com

structure. We give an overview of the thermal hydraulic phenomena. We went into more depth in the thermal hydraulic phenomena than in some of the other areas because we had a number of questions and a number of areas of concern in reviewing the thermal hydraulics.

7 We have included an overview of some of 8 the selected assessments that were performed. We gave 9 an overview of code examination which the staff has 10 performed and some of the parametric studies which the 11 staff has performed in review of this code. We gave 12 an overview of the uncertainty methodology and some of 13 the conclusions.

The part that has been presented by Framatome presents the phenomena by transient phases. Now the PIRT part is pretty much the CSAU-presented PIRT in NUREG/CR-5249, with the exception that they have filled the gaps that were in that generic PIRT that was prepared for the NUREG report.

They have included a hot rod and a hot bundle in their model. They have also used a realistic linear heat generation rate rather than a very low peak linear heat generation rate, as was used in the NUREG report. They have used a frozen code version, as was described this morning.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

looked at, we found basically to be pretty good. We zeroed in very hard on the dispersed flow film boiling modeling, the reflood heat transfer modeling, because in the large-break LOCA the driving phenomena occur in the reflood.

In that review we took some disagreement with Framatome over the use of the Forslund-Rohsenow correlation. We have had disagreements with them over whether this is a wet contact, dry contact model; what is the nature of the model.

We basically came down to the point of 12 agreeing to disagree. Because we went through the 13 review and had Framatome take their worse case and 14 specify from that worse case when the T-wall is 15 greater than T-min, they would multiply the Forslund-16 Rohsenow correlation by zero, take it out of the 17 When that was done, we found that the evaluation. 18 calculation had no effect on PCT. Forslund-Rohsenow 19 was not being invoked; it would have no effect on PCT. 20 Where it did have an effect was later in 21 the quenching period. The temperature that was 22 calculated going down towards the quench stayed 23

24 anywhere from 5 to 10 to 18 degrees above the 25 temperature that would be predicted using Forslund-

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

1	169
1	Rohsenow, and the time to quench was extended.
2	So we stepped back and said, okay, as far
3	as PCT is concerned, whether you're using Forslund-
4	Rohsenow or not, whether it is right or not is
5	irrelevant because you are getting the same PCT.
6	MEMBER WALLIS: It seems to me some other
7	issues could be resolved the same way, the agreement
8	to do sensitivity studies around those issues.
9	MR. LANDRY: That's right. I am going to
10	get to another one of those in just a few minutes.
11	I would say that the issue over Forslund-
12	Rohsenow really deals with the nature of the model,
13	the correlation. It is a correlation developed for
14	liquid nitrogen being injected into a tube. We are
15	talking about putting water into a bundle.
16	There is a research program underway right
17	now up at Penn State, which the Thermal Hydraulic
18	Subcommittee heard about when we talked about the
19	draft SER last month, which would be using water in a
20	bundle. That would produce data that would supposedly
21	be much more accurate and much more representative of
22	the phenomena one would expect to see in dispersed
23	flow film boiling in a bundle.
24	The model which Framatome has chosen, used
25	for decay heat is the ANS 1979 model. They have not
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N.W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

gone to the full statistical decay heat modeling.

1

2

3

4

5

6

7

8

The assessment matrix which has been provided by the applicant includes separate effects and integral tests in their assessment. They did use a lot of the latest information, the information coming out of the 2D/3D program. This is information that was considered when NUREG/CR-5249 was put together.

When we did our review, we did a lot of 9 spot-checking of the assessments, but we went in and 10 looked at the results that were presented for the 11 We felt 2D/3D and, in particular UPTF, very hard. 12 13 that since this is full-scale and far more representative than some of the smaller-scale tests, 14 we made a very hard review of what was done by the 15 applicant in their assessment against the 2D/3D 16 17 results.

spot-checking of the coding. 18 We did 19 Specifically, this is an issue which the Thermal Hydraulic Subcommittee has been after us on for some 20 21 time, where we went into the actual source code itself, looked at the lines of the coding and said, do 22 lines of coding match what is in the 23 these documentation? 24

We found that there were just differences.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W WASHINGTON, D.C 20005-3701

(202) 234-4433

25

Well, when we started looking at what was in the code, 1 we said, okay, what is in the code is right, but what 2 is in the documentation hasn't been recorded exactly 3 right. This is one of the things that Jim Mallay was 4 talking about, that they are going back and looking at 5 the documentation and working on improving the 6 documentation for the code. 7 The staff ran a number of parametric 8

9 studies. We looked at a few of the phenomena that 10 were identified as unimportant phenomena that would be 11 imported. Some of the things that we found, when we 12 looked at phenomena such as the post-D&B forced flow 13 heat transfer, virtually unimportant. When we looked 14 at the effect of viscosity, of water viscosity, it was 15 of very little importance.

MEMBER WALLIS: Ralph, this is taking their code? MR. LANDRY: Using their code.

19MEMBER WALLIS:Their input and20everything?

MR. LANDRY: Their input.

22 MEMBER WALLIS: Did you use an approved

23 platform?

(202) 234-4433

21

24

25

MR. LANDRY: We used an HP.

(Laughter.)

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE , N.W
WASHINGTON, D.C 20005-3701

	172
1	They haven't certified our platform, but
2	it is the same compiler and the same operating system
3	that they use.
4	MEMBER WALLIS: Was this a platform which
5	had previously been approved by the NRC for use for
6	this purpose?
7	MR. LANDRY: We don't always QA our work.
8	MEMBER WALLIS: Are you going to give me
9	a yes-or-no answer?
10	MR. LANDRY: We were using what is the
11	same, what we understand to be the same platform, the
12	same compiler, the same operating system that
13	Framatome was using.
14	MEMBER WALLIS: But you ran that code,
15	which is something we have been encouraging you to
16	do
17	MR. LANDRY: It was their code.
18	MEMBER WALLIS: and you've wanted to
19	do. That is a step forward.
20	MR. LANDRY: Right.
21	MEMBER WALLIS: You did not run your own
22	code for purposes of an audit or a check or
23	MR. LANDRY: No.
24	MEMBER WALLIS: an independent
25	verification?
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www nealrgross com

	173
1	MR. LANDRY: We are still taking baby
2	steps along the way.
3	MEMBER WALLIS: Well, running your own
4	code is going to happen before too long, I hope.
5	MR. LANDRY: It's going to, and I will get
6	to that in just a minute.
7	But that gets to be very difficult to do
8	because our code has very significant modeling
9	differences. The RELAP5 mod 3.3, whatever it is, the
10	latest, 3.3.3, or whatever the latest version is, has
11	significantly different modeling in the reflood
12	package. There's quite a few differences versus this
13	code.
14	MEMBER WALLIS: Maybe that's a good reason
15	for running it
16	MR. LANDRY: We will be getting to that
17	MEMBER WALLIS: And if you get the same
18	answer, then that would give you some confidence that
19	different modeling doesn't give you a different
20	answer.
21	MR. LANDRY: We're moving into that
22	direction now.
23	MEMBER WALLIS: I think that is something
24	that would really help the public confidence, if they
25	could say, yes, he's run all these vendor codes to
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C 20005-3701 www.nealrgross.com

	174
1	you, but now you've done something independent
2	yourselves and it gives the same answer. Therefore,
3	you have real confidence in it.
4	MEMBER LEITCH: Could you explain what the
5	three curves are? What's the heavier curve versus the
6	two lighter curves?
7	MR. LANDRY: That's what I'm trying to get
8	to.
9	MEMBER LEITCH: Okay.
10	(Laughter.)
11	MR. LANDRY: We took the three-loop
12	Westinghouse plant, that which Framatome supplied to
13	us, and looked at the effect of wall drag, multiplying
14	wall drag to increase the rod rate, which, in effect,
15	as you increase rod rate, you retard reflood.
16	What we found was, where we had taken the
17	viscosity term, where we had taken the heat transfer
18	term, and multiplied those by two, five, and ten, we
19	found almost no difference in the base curve. When we
20	went into the wall drag model and increased wall drag,
21	we found that the dark curve is the base case where
22	wall drag is multiplied by one. When we increased the
23	wall drag by two, we got a slightly higher PCT and a
24	slightly later quench. Of course, you are delaying
25	reflood; you would expect that.

**NEAL R. GROSS** 

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. WASHINGTON, D C 20005-3701

(202) 234-4433

	175
1	When we multiplied wall drag by ten, we
2	got a totally different transient. So that said to us
3	wall drag is a very important phenomena. It gets back
4	to, yes, reflood is a very important phenomena, which
5	we had expected.
6	MEMBER WALLIS: Would that be acceptable,
7	that sort of comparison? Just on the basis of PCT, it
8	doesn't make all that much difference?
9	MR. LANDRY: It doesn't make all that much
10	difference on PCT, but the occurrence of PCT is
11	significantly different.
12	MEMBER WALLIS: It is quite different,
13	yes. It is qualitatively different in several ways.
14	So that would not be an acceptable prediction if that
15	were in comparison with data?
16	MR. LANDRY: Right.
17	We have taken these analyses a little bit
18	further, and this is brand-new. This was just done
19	the end of last week.
20	We decided to look at the effect of
21	momentum, since momentum keeps coming up as a
22	question. We went into the code and simply put a
23	multiplier on the virtual mass term, so that we would
24	increase the momentum through the virtual mass. By
25	increasing by a factor of ten, you see only a slight
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

176 the PCT and in heat in momentum, 1 difference transfer --2 Well, virtual massing MEMBER WALLIS: 3 increases the coupling between the phases. So in big 4 mass they tend to move together а 5 virtual as homogeneous mixture. 6 MR. LANDRY: Right, and we are making a 7 much more homogeneous mixture. 8 MEMBER WALLIS: It doesn't really change 9 10 the momentum. MR. LANDRY: That's right. 11 It changes the coupling MEMBER WALLIS: 12 between the phases. 13 MR. LANDRY: Right. 14 So this is just a first shot at trying to 15 see what the effect of momentum was. 16 MEMBER WALLIS: It shows that when a 17 question about, say, virtual mass is raised 18 coefficient, which is not known very well for these 19 systems, you can run a test and see if it matters? 20 MR. LANDRY: Right. 21 MEMBER WALLIS: It seems very appropriate. 22 I said before when you MR. LANDRY: 23 asked --24 MEMBER WALLIS: Excuse me. What did you 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N.W. www nealrgross com (202) 234-4433 WASHINGTON, D.C. 20005-3701

	177
1	put in for the density in the virtual mass term?
2	MR. LANDRY: We kept it the same.
3	MEMBER WALLIS: They have a density which
4	is the mixture density or it should be the continuous
5	phase, which could be off by a factor of 50 or
6	something?
7	MR. LANDRY: We left all that the same.
8	We wanted to make as few changes as possible. This
9	was only a first shot. We did this with the FLECHT
10	SEASET test, then decided, well, that wasn't a good
11	test to look at because it was a forced or fixed
12	reflood rate. So if you change momentum, what are you
13	doing with a fixed reflood rate? You're not making
14	any change. So we went into the three-loop plant and
15	made the change.
16	Our next step, since this is a large-break
17	LOCA in a large plant, we want to go back and look at
18	what is the effect if we get into a system that has
19	much lower driving heads, such as a passive system.
20	MEMBER WALLIS: You made it ten times
21	bigger? You made the coefficient of area mass ten
22	times bigger than assumed by Framatome? You didn't
23	make it ten times smaller as well?
24	MR. LANDRY: No. We're running out of
25	time. We're trying to
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE , N.W.         (202) 234-4433       WASHINGTON, D C 20005-3701

1	178
1	MEMBER WALLIS: Well, maybe next week
2	you'll have that one.
3	(Laughter.)
4	Because if you are uncertain, you should
5	go both ways.
6	MR. LANDRY: In the next few weeks we do
7,	intend to go back and look more; plus, we intend to go
8	into our own codes in the next couple of months,
9	depending on how our time is allocated. We want to
10	look at some of the passive designs, run from the
11	passive designs, and see with a plant that has a very
12	low driving head what is the effect.
13	MEMBER WALLIS: This is a wonderful
14	development.
15	MR. LANDRY: We're taking baby steps
16	still.
17	MEMBER WALLIS: Well, soon you'll be
18	running.
19	MR. LANDRY: Well, we have to walk first.
20	As Larry described, the methodology that
21	they have used for uncertainty is non-parametric order
22	statistics, and they have taken a variation on break
23	type and size statistically, rather than fix the break
24	size and then use all your parametric studies for one
25	particular break size.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C 20005-3701 www.nealrgross.com

When that is done, the 59 cases which have been run, the staff looked at this and said at first, "Well, we have questions about using break size as a statistically-treated parameter." We looked very carefully at what Framatome had done and asked them to do another study for us.

7 Then we finally said okay, because what 8 they have done is they have treated binomially the 9 break type, whether it's a double-ended or a slot 10 break. They have applied a uniform distribution to 11 the size from double-ended guillotine down to their 12 smallest-sized slot.

13 So they have not biased the break type or 14 biased the break size. They are covering the entire 15 spectrum on size. When that is done, they run the 59 16 cases, each with a different size. As you might 17 expect, all the slot breaks end up at the lower size; 18 all the double-ended breaks end up with a larger size.

They again end up with a double-ended guillotine as the worse case, which turns out, when we talked to them in-depth, this is pretty much the same case, the same break size as an Appendix K run on this plant would give, a different temperature, but the same break turned out to be the worst.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W.

> > WASHINGTON, D.C 20005-3701

25

So we said, okay, take your worse-case

(202) 234-4433

ľ	180
1	break and we want you to fix that break size and now
2	go back and run 59 cases; vary all your other
3	parameters, Monte Carlo method on all the variation of
4	parameters, and rerun all 59 cases for only one break
5	size.
6	When they did that, they found two points
7	that came above this temperature and fifty-seven cases
8	that came below that temperature.
9	MEMBER WALLIS: How far above did the two
10	come?
11	MR. LANDRY: The two that were above were
12	20 degrees Fahrenheit above and 76 Fahrenheit above.
13	So we felt that, looking at what they had
14	done, yes, they have captured the worst-break size.
15	When you vary the parameters only on that one size,
16	you don't go a very large amount above the predicted
17	temperature.
18	So the staff's conclusions is that, okay,
19	this is a different approach than we had anticipated,
20	running break size as a statistical parameter. But
21	because of the way they have done the study, and
22	looking at what they have done, they captured the
23	entire spectrum. They haven't biased the spectrum.
24	They haven't truncated the spectrum at any point.
25	So they have again captured the large
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

	181
1	break as the worst case. We have decided that, yes,
2	we agree, that is an acceptable approach
з	VICE CHAIRMAN BONACA: You have a
4	guillotine break at about 2.8 or 2.7 square feet that
5	is close to the limiting case. Does it mean that if
6	they go into a smaller break size for the LOCA
7	analysis requirement, you still get the same negative
8	value?
9	MR. LANDRY: We weren't even addressing
10	that. Our concern was, have they covered the entire
11	spectrum?
12	VICE CHAIRMAN BONACA: I understand.
13	MR. LANDRY: Because they have covered the
14	entire spectrum, this is a different issue than the
15	question of, is it valid or not to restrict the size?
16	MEMBER WALLIS: Now, Ralph, I think they
17	used a uniform distribution of break size, a
18	probability distribution which was flat.
19	MR. LANDRY: That's right.
20	MEMBER WALLIS: And if they had better
21	information about the likelihood of these large breaks
22	or small breaks, they could feed that in, too. If
23	that were based on good arguments and substance, you
24	would perhaps accept that.
25	MR. LANDRY: Well, that's a different
	1323 RHODE ISLAND AVE., NW.
	(202) 234-4433 WASHINGTON, D.C. 20003-3701 WWW.Realigross com

[]	182
1	question, and that is a project that is underway in
2	the Office of Research at this point.
3	We had looked at what Framatome has done
4	and said, this does not impact and that does not
5	address what is being done in the Office of
6	Research
7	MEMBER WALLIS: Right, but the next step
8	might be to say: Well, how likely are these breaks?
9	And let's put in some better instruments of
10	probabilities.
11	MR. LANDRY: That's right.
12	MEMBER LEITCH: Is the .1 square foot, is
13	that the definition of a large-break LOCA?
14	MR. LANDRY: That's the definition that
15	they have taken.
16	MEMBER LEITCH: So that's why there is no
17	datapoints to the left of that .1?
18	MR. LANDRY: That's right. They had taken
19	their lower limit as .1 times the area of the double-
20	ended.
21	MEMBER LEITCH: Okay, okay.
22	MR. LANDRY: Staff SER conclusions: The
23	staff concludes from the review of the documentation
24	submitted by Framatome A and B that the S-RELAP5
25	realistic large-break LOCA methodology is structured
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE , N W.         (202) 234-4433         WASHINGTON, D.C         20005-3701         www.nealrgross.com

the CSAU quidance of consistently with the 1 methodological process and addresses the licensing 2 requirements for a variety of similarly-designed 3 nuclear power plants; specifically, three-loop and 4 four-loop Westinghouse and the 2x4 CE designs. 5 MEMBER WALLIS: Ralph, we had this 6 discussion before. Don't you want to say, 7 Just the "satisfactorily addressed" or something? 8 fact that it addresses the requirements doesn't mean 9 it meets them. 10 it does Yes, LANDRY: MR. 11 satisfactorily --12 MEMBER WALLIS: You're going to put in 13 says "adequately addresses" or something that 14 something like that? 15 MR. LANDRY: Yes. 16 So you are positively MEMBER WALLIS: 17 reaches а positive your review 18 reviewing ---conclusion --19 MR. LANDRY: Right, we have reached a 20 positive --21 -- on the adequacy of MEMBER WALLIS: 22 23 this -positive There is MR. LANDRY: а 24 conclusion, yes. It applies to bottom reflood only. 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW. www nealrgross com WASHINGTON, D.C 20005-3701 (202) 234-4433

	184
1	This does not apply to upper head injection. This
2	does not determine long-term coolability. This
3	methodology does not address long-term coolability.
4	That is an issue of specific hardware requirement. We
5	agreed that long-term coolability is something that
6	must be determined by the individual licensee, that
7	they have adequate hardware.
8	That concludes the presentation.
9	CHAIRMAN APOSTOLAKIS: Graham, you're in
10	charge.
11	MEMBER WALLIS: Well, it is nice to see
12	the evolution of your review, the way it improves
13	every time we see you.
14	MEMBER POWERS: The challenge that I'm
15	still confronting here a little bit is I looked at the
16	methodological aspects, and that's what he said on
17	this slide, that it was methodological, but it is not
18	evident to me that in formulating the treatment of
19	large-break LOCAs that we haven't done that in the
20	past in the conservative case to hide phenomena we
21	just couldn't handle very well. Now, as we become
22	more realistic, suddenly that hiding is no longer so
23	easily done.
24	Now the one that I brought up more as an
25	example than anything else is the spallation of oxide.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

184

185 You know that when clad oxidizes, sooner or later it 1 It simply cannot do otherwise. I, will spall. 2 It myself, have no idea when that spallation occurs. 3 won't occur when the oxide is very thin. It certainly 4 will if it's very thick. But where it exactly occurs 5 I don't know. 6 I do know that we are using fuels of 7 higher burnup. They are more extensively oxidized to 8 begin with. When that spallation occurs, of course, 9 your oxidation kinetics are different; your heat 10 temperatures are going to be different; your heat 11 But we don't seem to be generation is different. 12 looking at that. 13 MEMBER WALLIS: Well, I think one payoff 14 from a realistic approach to these models would be 15 that it would reveal areas where you need to know 16 17 more. MEMBER POWERS: Well, how would it ever 18 reveal that you need to know more if you say, well, 19 gee, I'll just use a parabolic oxidation model with no 20 breakway in it? 21 MEMBER WALLIS: Well, it may be that that 22 leads to questioning whether you should use such a 23 simplified model. You realize that there are some 24 things that are being hidden by assuming that model. 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	186
1	Hopefully, the models can advance. I have never found
2	the one to answer the question. Maybe Ralph should be
3	answering the question.
4	MR. LANDRY: I'm more than willing to let
5	you answer it.
6	Well, the models can be varied. We can
7	always go in and vary the model. But the question is,
8	what is the basis for the variance? Do you have data
9	to support the variation that you are doing?
10	We can go through and determine which
11	models are important pretty easily just by making
12	computer runs, but what is the basis on which we would
13	say this particular model is not valid or this model
14	should be used instead? Without adequate information,
15	I would have a real hard time with an applicant
16	saying, "Well, we're not going to accept this model.
17	You have to use this model."
18	I have to have a basis for doing that.
19	Plus, even though this is a realistic modeling, it
20	still does have conservatisms in it, and if there is
21	an area that we have uncertainty, we can always go in
22	and restrict, put in limitations, put in conditions
23	MEMBER POWERS: You can go in and you can
24	work with the code all you want to. If it doesn't
25	have the physics that's pertinent, you've got no
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N.W WASHINGTON, D.C 20005-3701

(202) 234-4433

www nealrgross com

	187
1	answer. I mean, can you tell me that forming an oxide
2	on a convex surface won't eventually spall, that it's
3	thick enough? The answer is, yes, it will eventually
4	spall.
5	What I can't tell you is how thick it is
6	because I've never worked on it.
7	MR. LANDRY: And how do I model it?
8	MEMBER POWERS: Well, there are certainly
9	things in the literature on how to model it. I mean
10	this is not a completely unknown phenomena.
11	The question here that I am asking is, is
12	it a new phenomena that has to be incorporated into
13	these codes because the conservatisms that we had in
14	the past, and are now going to be giving away, no
15	longer hide the effects of these new phenomena?
16	MR. LANDRY: At this point, Dana, I don't
17	know. I would have to have some basis for looking at
18	the modeling, have to ask, perhaps ask the Office of
19	Research: What do they know? Have they addressed
20	this? Are they doing any work to address this
21	question? What is their recommendation?
22	At this point I don't have a basis from a
23	regulatory standpoint to move in that direction.
24	MEMBER SHACK: I think the Office of
25	Research program on the LOCA will address that. I
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 1323 RHODE ISLAND AVE , N W WASHINGTON, D.C. 20005-3701 www.nealrgross.com

\_\_\_\_\_

	188
1	mean, they will be taking high-burnup fuel; they will
2	be running it out to 17 percent oxidation and
3	thermally shocking it, and one will then find out
4	whether that will, in fact, spall it out.
5	MR. WERMIEL: This is Jared Wermiel, Chief
6	of the Reactor Systems Branch.
7	Yes, we know the research program is going
8	to be looking at the effect of different cladding
9	materials in a LOCA, but I'm not aware, at least not
10	from what I can recall reading about their program,
11	that it is going to consider highly-oxidized materials
12	at all, particularly materials that would have been
13	oxidized to the point where, under these test
14	conditions, they may spall, at least not that I can
15	think of. That is something we can talk to them
16	about, though.
17	Getting such material is not going to be
18	easy, I wouldn't think. They may have access to
19	highly-oxidized cladding. I'm not sure. I don't
20	believe they do. But it is something we can talk to
21	them about. This issue that you're raising, Dr.
22	Powers, is I think something to think about.
23	MEMBER POWERS: I guess that's all I ask
24	for.
25	MEMBER WALLIS: Anything else for Mr.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W (202) 234-4433 WASHINGTON, D.C 20005-3701 www.nealrgross.com

	189
1	Landry?
2	(No response.)
3	Then I would like to hand this back to
4	you, Mr. Chairman.
5	CHAIRMAN APOSTOLAKIS: Thank you.
6	You're all aware of the fact that at 1:30
7	we have a foreign visitor. So we really have to be
8	here at 1:30. So we are recessing until 1:29.
9	There is a handout that I advise you to go
10	over before we meet.
11	(Whereupon, the foregoing matter went off
12	the record for lunch at 12:37 p.m. and went back on
13	the record at 1:30 p.m.)
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W. (202) 234-4433 WASHINGTON, D.C 20005-3701 www.nealrgross.com

1	230
1	A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N
2	(2:37 p.m.)
3	5) NORTH ANNA AND SURRY LICENSE RENEWAL
4	APPLICATION
5	CHAIRMAN APOSTOLAKIS: The subject is the
6	North Anna and Surry license renewal application. Mr.
7	Graham Leitch, please lead us through this complex
8	issues.
9	5.1) REMARKS BY THE SUBCOMMITTEE CHAIRMAN
10	MEMBER LEITCH: Okay. Let me just remind
11	the Committee that on July the 9th, I think it was, we
12	had a subcommittee meeting dealing with the license
13	renewal application for North Anna and Surry.
14	At that time, we had an SER with comments.
15	There were some open items and some confirmatory
16	action items. In the meantime, a final SER has been
17	issued which resolved those open items and
18	confirmatory items. And there was a fairly
19	significant rewrite of Chapter 4 dealing with TLAAs,
20	which is the one part of the SER that was perhaps
21	somewhat new since the subcommittee meeting.
22	So I would just remind the Committee that
23	we want to be sure to leave enough time to talk about
24	those TLAAs. Since they come near the end of the
25	agenda, we want to be sure that we don't run out of
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE, N W. WASHINGTON, D.C. 20005-3701 www.nealroross.com

ľ	231
1	time for that discussion.
2	So, with that introductory remark, then
3	I'll turn it over to P. T., who will lead us through
4	the discussion. P. T. Kuo. Thank you.
5	MR. KUO: Thank you, Dr. Leitch.
6	5.2) BRIEFING BY AND DISCUSSIONS WITH
7	REPRESENTATIVES OF THE NRC STAFF AND DOMINION
8	REGARDING THE LICENSE RENEWAL APPLICATION FOR THE
9	NORTH ANNA AND SURRY POWER STATIONS AND THE
10	ASSOCIATED NRC STAFF'S FINAL SAFETY EVALUATION
11	REPORT
12	MR. KUO: My name is P. T. Kuo, the
13	Program Director for the License Renewal and
14	Environmental Impacts Program. Before I turn over
15	this meeting to Dominion, I would just mention that
16	because of the heavy snow today and the treacherous
17	road conditions, some of our staff was not able to
18	make it here today. But they are on the telephone.
19	They will make their presentations and answer any
20	questions you may have on the telephone if there is
21	any.
22	CHAIRMAN APOSTOLAKIS: How can they make
23	a presentation on the telephone?
24	MR. KUO: We have people to flip the
25	charts for them.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W.

	232
1	CHAIRMAN APOSTOLAKIS: They are not
2	flipping the charts at their homes.
3	MR. KUO: Right. But just in case that is
4	ineffective, we also have other staff here to back
5	them up.
6	Like Dr. Leitch said during the last
7	subcommittee meeting in July this year, we had a few
8	open items, confirmatory items, that were in
9	discussion. Subsequently the staff has been able to
10	resolve all of these issues and then, as you said,
11	rewrote the section considerably.
12	For the safety review, Mr. Omid Tabatabai
13	is the project manager. He is going to provide the
14	Committee with an overview first. And then we will
15	have the staff members to present the different
16	subject matter.
17	I also want to report to the Committee
18	that in the previous Committee meetings, I have said
19	that we are working on a post-renew inspection
20	procedure. I am happy to say that the procedure has
21	been completed already, and it will be issued shortly.
22	Currently in terms of North Anna and
23	Surry, we are working with the applicant on a
24	Committee list. Hopefully we would be able to include
25	in the SER a Committee list. That list will be used
	1323 RHODE ISLAND AVE , N W
]	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www nealrgross com

	233
1	for the post-renew inspection.
2	So, with that, if there is no question for
3	me, then I will turn the meeting over to Bill.
4	MEMBER LEITCH: P. T., that document,
5	those post-review or inspection procedures, is there
6	a document number associated with that yet?
7	MR. KUO: Not yet. That hasn't been
8	issued yet because we tried to put together the list.
9	And then we have that in there.
10	MEMBER LEITCH: Okay. Thank you.
11	MR. KUO: You're welcome.
12	MR. CORBIN: All right. I'm Bill Corbin.
13	I'm the Director of Nuclear Projects for Dominion and
14	would like to talk to you today a little bit about the
15	Surry and North Anna application.
16	I know that we have indicated we want to
17	make sure we save some time at the end for a
18	discussion on TLAA. So I will try to move through my
19	slides fairly quickly. Of course, if you have
20	questions, please.
21	The participants. I have also brought
22	some additional people with me today who are sitting
23	here. As you can see, their names are up here: Paul
24	Aitken, Mike Henig, Tom Snow, John Harrell, and also
25	Ian Breedlove. These individuals I may be looking at
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W. (202) 234-4433 WASHINGTON, D.C 20005-3701 www.nealrgross.com

1	234
1	over the course of the discussion depending on where
2	our questions go.
3	The purpose of the meeting, I want to give
4	you just an overview of the application. That was the
5	agenda item that we have. So, moving along to number
6	4, make sure I'm on the right page here, the license
7	renewal application itself was submitted on May 29,
8	2001. Our format wasn't such
9	CHAIRMAN APOSTOLAKIS: Have you already
10	given an overview to the NRC staff?
11	MR. CORBIN: Yes.
12	CHAIRMAN APOSTOLAKIS: This is not the
13	first time they have seen this?
14	MR. CORBIN: No. That is correct.
15	CHAIRMAN APOSTOLAKIS: So you are just
16	using slide number 3 from another presentation?
17	MR. CORBIN: Slide number 3 from another
18	presentation? Really, we just put this together to
19	CHAIRMAN APOSTOLAKIS: Provide NRC staff?
20	We are not staff.
21	MR. CORBIN: Yes, ACRS.
22	CHAIRMAN APOSTOLAKIS: Right.
23	MR. CORBIN: Correct. Thank you very
24	much.
25	CHAIRMAN APOSTOLAKIS: You are so welcome.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1	235
1	But the staff has seen this?
2	MR. CORBIN: Yes, they have.
3	On the background, page 4, the format is
4	consistent with NEI 95-10, Rev. 3, NUREG. And what is
5	really important about this slide I guess to recall is
6	the Class of '01, which we consider ourselves to be
7	members of, was not expected to use the draft GALL
8	report. Obviously we did read and review it, but
9	we're really not being held to it. We're one of the
10	last in that genre. You also see Duke and Exelon in
11	that same category.
12	With regard to the format, the sections
13	that we will discuss today are sections 2, 3, and 4.
14	This is strictly in accordance with 95-10, Appendix A
15	on the UFSAR supplement and Appendix B. Our Appendix
16	C is a little bit different in that it's an aging
17	management review methodology, really not specifically
18	required by any document, but we felt that it
19	contained fairly significant information that helped
20	to explain how we went about doing the aging
21	management reviews; and then, finally, Appendix E for
22	the environmental report supplement. There were no
23	tech spec changes; hence, no Appendix D.
24	Section 2, then, using the 10 CFR 54.4
25	scoping criteria, we did develop a set of individual
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N.W.         (202) 234-4433       WASHINGTON, D C. 20005-3701

ł

tables, four tables in all systems that were in scope 1 and structures that were in scope. Then, to be 2 also identified those systems and 3 complete, we structures in its separate tables that were not in 4 5 scope.

With regard to the methodology, we will 6 talk a little bit about how we did the mechanical, 7 civil, structural, and electrical; first, mechanical. 8 We reviewed the documentation sources that we had 9 This identify intended functions. in-house to 10 includes equipment database system, UFSAR maintenance 11 rule scoping, other documents that we already had 12 in-house to identify those intended functions, then 13 used our component database to identify specific 14 components that supported each of those intended 15 functions, and develop license rule boundary drawings. 16 Specifically now we are talking about the mechanical 17 portion of the review. 18

On civil/structural, we again reviewed 19 documentation sources, similar to what we did in 20 mechanical, although we did have some additional 21 identify look at, and used that to 22 sources to structural detail drawings to identify those members 23 that supported the intended functions. 24

25

(202) 234-4433

On electrical and I&C, a little bit

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

	237
1	different approach here. The passive electrical/I&C
2	components were screened on a plant-level basis. This
3	is similar to what some previous applicants had done
4	sometimes referred to as the spaces approach.
5	MEMBER LEITCH: Bill?
6	MR. CORBIN: Yes?
7	MEMBER LEITCH: Were there not some issues
8	with scoping as far as the off-site power supply and
9	how much of that should be included in the scope?
10	Could you just refresh us on that discussion? I know
11	the issue has been resolved, but could you clarify
12	just what the resolution was?
13	MR. CORBIN: Right. When we initially put
14	the application together, we identified those
15	components that were specifically associated with the
16	station blackout diesel in the way it was
17	interconnected to our power supplies. We did not
18	include off-site power and those things that are
19	related to the switchyard in the scope.
20	As a result of the review performed by the
21	staff and the discussions we had with the staff, we
22	have included portions of the off-site power supply;
23	that is, components and the switchyard, as they relate
24	to getting back into the main power distribution
25	system for the plant.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

\_\_\_\_ \_ \_ \_ \_ \_ \_

(202) 234-4433

П

	238
1	So that has been included. That was a
2	change.
3	MEMBER LEITCH: Thank you.
4	MR. CORBIN: Okay. On the screening
5	results, then, for all three areas, mechanical,
6	structural, and electrical and I&C, we tabulated that
7	in the application with a description; UFSAR
8	reference, which included a hyperlink back to a copy
9	of the UFSAR; license renewal boundary drawings, which
10	also were hyperlinked; this drawing is basically
11	for mechanical systems and the components subject
12	to an AMR. So that was how we summarized in the
13	application the results of the screening review.
14	Moving on to Section 3, make sure I'm on
15	the right slide. Section 3, we had a text section for
16	each portion of the application. In that section, you
17	can read the bullets here behind me or on the slide in
18	front of you.
19	We identified system and component
20	description. We identified an AMR results table,
21	which was hyperlinked, too; you can see that on the
22	next slide, an example of it anyway whether there
23	were generic topical reports that had been identified;
24	and then a little more specifically what was the total
25	set of materials for this particular part of the
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W WASHINGTON, D C. 20005-3701

\_\_\_\_

(202) 234-4433

plant; the environments; the aging effects; and TLAAs if they were applicable. This is all identified in the application; finally, the aging management activities.

With regard to the table, we used a 5 That obviously is standard six-column table format. 6 going to change as we get into newer applications and 7 the use of a GALL, but the time that our application 8 was in the six-column format was still in vogue, I 9 quess you could say. And you could see the component 10 the passive functions, material groups, 11 groups, aging effects, and aqinq managing 12 environments, activities identified. 13

 14
 Any questions on section 3, how that was

 15
 put together?

(No response.)

Getting into time-limited MR. CORBIN: 17 aging analyses, then, the generic TLAAs had to do with 18 reactor vessel neutron embrittlement; metal fatigue; 19 EQ; tendon prestresses, not applicable to us, Surry 20 and North Anna power stations, the containments do not 21 and containment liner plate tendons; and 22 have 23 penetration fatigue.

24 I know we are going to have some 25 additional presentations by the staff a little bit

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

16

	240
1	later, particularly on embrittlement and EAF. I know
2	that that is an area you want to look at.
3	We would be happy to answer questions as
4	the licensee if you have any with regard to some of
5	those items or we can wait for the staff.
6	MEMBER LEITCH: I think if you're still
7	going to be in the room, I think we could wait and
8	hear the staff's presentation. Then we'll get into a
9	discussion of this.
10	MR. CORBIN: Very good. Very good. Other
11	plant-specific TLAAs, then, you can read the list
12	here: the crane load cycle limit, flywheel
13	leak-before-breaks, spent fuel pool liner, piping
14	subsurface indications, and Code Case N-481 for the
15	reactor coolant pumps.
16	Moving on quickly, I'm trying to go as
17	quickly as I can here Appendix A on the UFSAR
18	supplements, a long sentence here, but basically it's
19	a summary of all of the programs. And the types of
20	programs can include prevention, mitigation, condition
21	monitoring, and performance monitoring. This follows
22	the NEI 95-10 format.
23	In Appendix B, we had a total of 19
24	programs that were existing programs. Examples of
25	that might be chemistry control, ISI, boric acid
	NEAL R. GROSS
	1323 RHODE ISLAND AVE , N W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealroross.com

- -

\_\_\_\_

corrosion, et cetera.

1

new identify, however, four We did 2 buried pipe and valve inspections, 3 activities: inspections, tank accessed areas 4 infrequently inspections, and cable monitoring. We ended up adding 5 cable monitoring after our submittal as a result of 6 our discussions with the staff and in answering some 7 of their questions. 8

9 MEMBER LEITCH: Just a couple of questions 10 in that area. Could you review for us the one time 11 buried piping inspection? In other words, is this 12 just an opportunistic inspection or at the end of the 13 current license period if the opportunity has not 14 presented itself, did you look or could you just go 15 into that a little bit?

MR. CORBIN: Yes. It is our intention that by the end of the period, the current license period, the 40-year license, that we will deliberately go and look at each of the types of buried pipe that we need to.

However, we will be somewhat opportunistic up to maybe a year before that time. If we are out in the yard and digging, we will take it for that inspection. But with T-1 year to go, if we have not accomplished some of the buried pipe inspections, we

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE, NW.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com
will deliberately go out in the yard, dig a hole, uncover the pipe, and perform the inspection. So it's not strictly opportunistic.

The Okay. Thank you. MEMBER LEITCH: 4 cable monitoring program, there is some testing there, 5 I believe, for treeing; that is, cable that has been 6 -- I guess, really, as I understand the situation, the 7 first line of defense is to seal the manholes and the 8 duct banks and so forth so that there is not moisture 9 But in some cases, you may find moisture in 10 there. spite of that or perhaps there are some cables that 11 have historically been exposed to moisture. That 12 leads to a testing program, does it? 13

MR. CORBIN: Yes, an evaluation. So our first line of defense, just as you say, is correct, is to try and inhibit the environment of flooded cables from existing. We have identified activities that we will perform to keep the water out of manholes, for example, or other places where groundwater could leak in.

But if we have a persistent issue with groundwater, then we will evaluate those cables for water treeing or other types of degradation for a cable.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

MEMBER LEITCH: Has the exact nature of

(202) 234-4433

25

242

243 that testing been established or is that something 1 that we hope for further developments before the end 2 of the current license period? 3 We, like much of the MR. CORBIN: 4 industry, are waiting to identify a set of tests or a 5 test that will be able to be performed that can 6 explicitly show the type of degradation from water 7 We will follow the treeing or other mechanisms. 8 industry in terms of trying to identify a type of test 9 that could be performed. Right now there really is 10 nothing out there that we're aware of that explicitly 11 tries to find that kind of degradation mechanism. 12 MEMBER LEITCH: Okay. Thank you. 13 Regarding the VICE-CHAIRMAN BONACA: 14 existing activities, do you have to enhance any of 15 them to address the license renewal or they are just 16 the same activities? 17 MR. CORBIN: No. In fact, on the existing 18 cases, we do have to do 19 activities, in some enhancements. We have identified those in the UFSAR 20 supplement and the commitments that go along with them 21 where we know we need to do additional activities. 22 One right off the top of my head that I 23 is our civil/structural monitoring can think of 24 program, where we know we have got to include some 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	244
1	additional inspections. That is just an example, but
2	that is an existing program we do have to add new
3	steps.
4	MEMBER RANSOM: Are you required to do
5	anything in terms of inspecting for internal corrosion
6	and buried pipelines or
7	MR. CORBIN: The internal corrosion on
8	buried pipelines, we are taking credit of our work
9	patrol program in that buried pipe eventually will
10	surface somewhere in a building or at a valve or in
11	some other location, where we can as part of work
12	patrol, for example, take the bonnet off the valve.
13	And we have an opportunity to look at the inside of
14	the pipe.
15	The assumption here, of course, is that
16	the environment, the internal environment, is
17	consistent, whether the pipe is buried or whether it
18	has come up in a building.
19	MEMBER RANSOM: Well, in that line, do you
20	do any inspection of piping in general or is that
21	required?
22	MR. CORBIN: Well, on the line, yes, we
23	will have committed to whatever is appropriate for
24	that material in the environment. Carbon steel in a
25	condensate environment, we might pick up chemistry
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

245 controls in aging management activity. We might pick 1 up flow system corrosion, for example. So whatever 2 the line is, the material-environment combination, 3 yes, we will have to do inspections on interior 4 5 conditions. MEMBER RANSOM: Is there any requirement б to do any pressure testing of those components 7 periodically or at relicensing? 8 MR. CORBIN: I am trying to think through. 9 am trying to catalogue all of the pipes and 10 Ι everything that we have got in the plant. I am not 11 sure if we committed to pressure testing or not. 12 Paul, do you know or can you recall? 13 This Paul Aitken. MR. AITKEN: is 14 related Class Ι 15 testing would be to Pressure in-service, what we call I think it is exam category 16 BP, where we pressure test at a set frequency and go 17 out and do visual exams, look for leakage. That would 18 be the incidence. I don't think we would so much see 19 it on the secondary plant as we would on the primary 20 21 plant. Right. MR. CORBIN: 22 MEMBER SHACK: You are going to replace 23 the vessel heads on the North Anna plant. What are 24 you going to do with Surry? 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W www nealrgross com (202) 234-4433 WASHINGTON, D.C. 20005-3701

	246
1	MR. CORBIN: We're replacing vessel heads
2	on all four plants.
3	MEMBER SHACK: Four plants.
4	MR. CORBIN: And our current plan is to do
5	that before the end of 2003 in each of the next
6	outages for each unit.
7	MEMBER SHACK: That will involve you will
8	have to cut holes in the containment to do that?
9	MR. CORBIN: That is correct. As a matter
10	of fact, tomorrow we will start removing concrete on
11	North Anna Unit II as the first of our four vessel
12	head replacement programs.
13	MEMBER RANSOM: Why are they being
14	replaced? Is there corrosion on the heads?
15	MR. CORBIN: This is the inspections that
16	you do on the J-groove welds. I don't have a good
17	diagram for you. The inspections on the J-groove
18	welds are showing signs of
19	MEMBER RANSOM: Cracking?
20	MR. CORBIN: cracking that will require
21	repair work. We made a decision that, rather than
22	spend the dose, time, and dollars to do repairs, which
23	would be possible, that it was really more effective
24	for us simply to go ahead and put a new head on.
25	And the opportunity presented itself. We
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE , N W.         (202) 234-4433       WASHINGTON, D C. 20005-3701

	247
1	found a head in the Framatome factory in France and
2	were able to secure it. So that seemed like the
3	better approach, and that is what we are going to do.
4	MEMBER SHACK: Now, when you repair the
5	containment, how do you assure yourself you can meet
6	the design requirements?
7	MR. CORBIN: When we put the containment
8	back together, there really are two elements there.
9	One has to do with the liner plate. One has to do
10	with the concrete going back in. On the liner plate,
11	we will obviously weld that out and do local leak rate
12	testing as well as other forms of non-structured
13	examination to assure ourselves that that has been
14	welded back in. It is a fairly thin plate. I think
15	it's a quarter or three-eighths inch plate. It's not
16	all that thick.
17	Structurally, when we put the concrete and
18	rebar back in, we do intend to perform a structural
19	integrity test. It may turn in to be an integrated
20	leak break test. We currently have an action in to
21	the NRC for review to try and make sure that we
22	perform the correct test to validate the structural
23	integrity of the containment. But it will involve
24	pressing up containment.

25

MEMBER SHACK: Is there a code case that

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

covers the repair of the containment or that is an engineering design that you do on an ad hoc basis?

1

2

MR. CORBIN: Ad hoc? I'm not sure I would 3 go there, but we are doing it as part of engineering 4 satisfy code And are trying to 5 design. we requirements for both the liner and the concrete. 6 What we would do on the concrete, for example, in 7 accordance with IWL on the outside is look for any 8 signs of cracking or deformation or degradation as a 9 result of doing that, whether it is an SIT or IRT, 10 whichever test we end up performing. 11

12 MEMBER SIEBER: That's usually done in 13 conjunction with the design pressure test, where you 14 map the cracks in the concrete, integrated leak rate 15 test. This is a lower pressure.

We just have to MR. CORBIN: Right. 16 decide which pressure that we are going to press 17 There are still questions there. Ι containment to. 18 am not being as explicit as I could because I just 19 don't have all of the answers yet. We are still --20 I'm trying to help you. MEMBER SIEBER: 21 MR. CORBIN: I know. And I appreciate the 22 But we aren't quite all the way there in terms 23 help. of exactly what kind of tests we are going to do. 24

We have made the commitment to press the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

248

249 containment. I will say that. 1 MR. KUO: If I may, I just want to answer, 2 your question that yes, there is a code 3 Bill, requirement for doing this structure integrity test, 4 standard replant requirement also. 5 MEMBER SHACK: But we heard this morning 6 they were going to do the integrated leak rate test. 7 It doesn't seem to be a requirement, for example, 8 through the design pressure test, which I would have 9 thought that would have been my guess as to you have 10 to cut a big hole in the containment. 11 MR. KUO: You are right that the strength 12 integrity test and the leak rate test are being tested 13 at different pressure. One is at the 1.1 p and the 14 other is at design pressure. 15 MEMBER SIEBER: They are done for two 16 different reasons, too. The integrated leak rate test 17 is really testing the membrane, as opposed to the 18 concrete reinforcement rod structure. 19 When you go and cut a big hole in 20 containment, that is really what you are working with. 21 You are working with the rebar. And you are working 22 with the concrete and rearranging it as well as the 23 membrane inside, which is the liner. 24 And I would have to look at the code, but 25 **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , NW.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

250 it would appear that the design pressure test would be 1 more appropriate when you're cutting a big hole in 2 there and changing rebar and you have old concrete and 3 4 new concrete. MR. KUO: I'm sure the staff will review 5 There are requirements for that. 6 it. MEMBER SHACK: Well, I'll explain. People 7 have been cutting holes in containments now for some 8 9 time, whether heads or steam generators. I would have thought by now we would have settled whether it takes 10 a leak rate test or a design pressure test. 11 MR. KUO: I think for those in those 12 cases, we did the leak rate test. Some of them are 13 still contaminated, by the way. 14 MEMBER SIEBER: And that's different. 15 MEMBER SHACK: That's different. 16 MR. KUO: That's different. 17 Moving on, just one MR. CORBIN: Okay. 18 comment we would like to emphasize about Appendix B, 19 we did deal with an operating experience in two kinds 20 First of all, our industry and in-house 21 of ways. operating experience really is rolled in as part of 22 our corrective action program. So that is an ongoing 23 process. 24 But beyond that, as far as license renewal 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , NW.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

251 goes, we also took a review of operating experience 1 looking for specific aging issues. We wanted to make 2 that specific aging issues out there were 3 sure addressed as part of our application, were built into 4 the way we addressed our programs. 5 With regard to Appendix C, again, not 6 required as a reviewer's aid, but it did offer some 7 good information with regard to grouping of systems, 8 short-lived components, and consumables, aging effects 9 and mechanisms evaluating, gave some methodology 10 information on how we went about doing the review. 11 Finally, Appendix E on the environmental 12 You can read here it was done in accordance 13 report. with the NEPA guidelines, NUREG-1437, and the GEIS. 14 mitigation alternatives were 15 Severe accident considered. In fact, the SAMAs was the area where we 16 Those were resolved. The net result received RAIs. 17 is environmental impacts of small and smaller than 18 reasonable alternatives. That was the result of the 19 20 review. Closing remark simply is the effects of 21 aging associated with Surry and North Anna will be 22 adequately managed so that there is reasonable 23 assurance the intended functions will be maintained 24 consistent with the current licensing basis during the 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE, NW.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

period of extended operation. This was the basis of 1 This was the conclusion we tried to our review. 2 3 reach. And that concludes my remarks. If there 4 are other questions? 5 MEMBER LEITCH: Ι had а couple of 6 questions, I guess, Bill. One concerned flow-assisted 7 corrosion. That is, I believe you were going to give 8 us some information about how much piping had to be 9 replaced as a result of being identified via the 10 CHECKWORKS program and so forth. Would this be an 11 appropriate time to talk about that? 12 We did, as a It can be. MR. CORBIN: 13 matter of fact, provide some information to the staff 14 I think Omid is going to talk about 15 to follow up. that. 16 This is Omid Tabatabai. MR. TABATABAI: 17 I am the project manager for North Anna/Surry. We 18 have a staff presentation on this issue. Dominion has 19 provided data, and the staff has verified and has 20 studied that information. 21 MEMBER LEITCH: Okay. We can defer that, 22 then, until we hear from the staff. 23 MR. TABATABAI: Sure. We will cover it. 24 MR. CORBIN: We also have an individual 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. www nealrgross com WASHINGTON, D.C. 20005-3701 (202) 234-4433

253 here who is our flow-assisted corrosion lead if we get 1 into some detailed questions who might be able to 2 3 assist. And the Good. MEMBER LEITCH: Okay. 4 other issue I guess related to the method of Class I 5 piping inspection with regard to the Summer crack. In 6 other words, just what is the method going to be for 7 inspecting that pipe? I think that may be another 8 issue where the staff has a presentation. 9 Again, we provided MR. CORBIN: Yes. 10 information to the staff that they reviewed. I think 11 Omid is going to say the same thing. 12 MR. TABATABAI: Yes, exactly. We have a 13 presentation on that issue. 14 MEMBER LEITCH: Good. 15 MEMBER FORD: And the same with the PTS 16 17 question. MR. CORBIN: And the PTS question, again, 18 the same. 19 MEMBER LEITCH: Okay. Are there any other 20 questions for Bill, then, at this time? 21 (No response.) 22 Thank you very Okay. 23 MEMBER LEITCH: much, Bill. 24 MR. CORBIN: I thank you very much. 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW. www.nealrgross.com WASHINGTON, D.C 20005-3701 (202) 234-4433

1       MEMBER LEITCH: Don't leave yet though.         2       You can leave there, but don't leave the room.         3       MR. CORBIN: Thank you.         4       MEMBER LEITCH: And we'll turn it over to         5       the staff for their presentation now.         6       MR. TABATABAI: Good afternoon. My name         7       is Omid Tabatabai. I am the NRC project manager for         8       the review of applications submitted by Dominion for         9       license renewal of North Anna and Surry.         10       I would like to go over the agenda for         11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22 <td< th=""><th> </th><th>254</th></td<>		254
2       You can leave there, but don't leave the room.         3       MR. COREIN: Thank you.         4       MEMBER LEITCH: And we'll turn it over to the staff for their presentation now.         5       the staff for their presentation now.         6       MR. TABATABAI: Good afternoon. My name         7       is Omid Tabatabai. I am the NRC project manager for         8       the review of applications submitted by Dominion for         9       license renewal of North Anna and Surry.         10       I would like to go over the agenda for         11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.	1	MEMBER LEITCH: Don't leave yet though.
3       MR. CORBIN: Thank you.         4       MEMBER LEITCH: And we'll turn it over to the staff for their presentation now.         5       the staff for their presentation now.         6       MR. TABATABAI: Good afternoon. My name         7       is Omid Tabatabai. I am the NRC project manager for         8       the review of applications submitted by Dominion for         9       license renewal of North Anna and Surry.         10       I would like to go over the agenda for         11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf ene	2	You can leave there, but don't leave the room.
4       MEMBER LEITCH: And we'll turn it over to         5       the staff for their presentation now.         6       MR. TABATABAI: Good afternoon. My name         7       is Omid Tabatabai. I am the NRC project manager for         8       the review of applications submitted by Dominion for         9       license renewal of North Anna and Surry.         10       I would like to go over the agenda for         11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He <td>3</td> <td>MR. CORBIN: Thank you.</td>	3	MR. CORBIN: Thank you.
5       the staff for their presentation now.         6       MR. TABATABAI: Good afternoon. My name         7       is Omid Tabatabai. I am the NRC project manager for         8       the review of applications submitted by Dominion for         9       license renewal of North Anna and Surry.         10       I would like to go over the agenda for         11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C	4	MEMBER LEITCH: And we'll turn it over to
6       MR. TABATABAI: Good afternoon. My name         7       is Omid Tabatabai. I am the NRC project manager for         8       the review of applications submitted by Dominion for         9       license renewal of North Anna and Surry.         10       I would like to go over the agenda for         11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer	5	the staff for their presentation now.
7       is Omid Tabatabai. I am the NRC project manager for         8       the review of applications submitted by Dominion for         9       license renewal of North Anna and Surry.         10       I would like to go over the agenda for         11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer         123       Italk about the generic aspects of V. C. Summer         124       DEAL R. GROSS <td>6</td> <td>MR. TABATABAI: Good afternoon. My name</td>	6	MR. TABATABAI: Good afternoon. My name
8       the review of applications submitted by Dominion for         9       license renewal of North Anna and Surry.         10       I would like to go over the agenda for         11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS 1022 RHODE ISLAND AVE. NW.	7	is Omid Tabatabai. I am the NRC project manager for
9       license renewal of North Anna and Surry.         10       I would like to go over the agenda for         11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1922 RHODE SIAND AVE. NW.	8	the review of applications submitted by Dominion for
10       I would like to go over the agenda for         11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         IST AND TRANSCRIBERS         IST AND AVE. NW.	9	license renewal of North Anna and Surry.
11       today's presentation. We have presented our SER with         12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1923 RHODE ISLAND AVE, NW.	10	I would like to go over the agenda for
12       open items to the ACRS subcommittee back in July. We         13       were asked to provide more information and some data         14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         ISON DAVE, NW.	11	today's presentation. We have presented our SER with
<ul> <li>were asked to provide more information and some data</li> <li>on the specific issues. These are the items that we</li> <li>have been asked to provide information.</li> <li>The first topic that we are going to</li> <li>present is license renewal inspection. Mr. Caudle</li> <li>Julian, who is on the phone right now, will make this</li> <li>presentation. I will not talk about the license</li> <li>renewal inspection program.</li> <li>The second topic is neutron vessel</li> <li>embrittlement. Barry Elliot is on the phone and Mr.</li> <li>Matt Mitchell, who will cover upper-shelf energy and</li> <li>PTS evaluation. We have Mr. Simon Sheng here. He</li> <li>will talk about the generic aspects of V. C. Summer</li> </ul>	12	open items to the ACRS subcommittee back in July. We
14       on the specific issues. These are the items that we         15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE, NW.         Materia Mode Stand AVE, NW.	13	were asked to provide more information and some data
15       have been asked to provide information.         16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE, NW.	14	on the specific issues. These are the items that we
16       The first topic that we are going to         17       present is license renewal inspection. Mr. Caudle         18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer         NEAL R. GROSS         ISSUE REPORTERS AND TRANSCRIBERS         ISSUE REPORTERS AND TRANSCRIBERS         ISSUE OF V. C. Summer         MASHINGTON D.C 20005.370	15	have been asked to provide information.
<ul> <li>present is license renewal inspection. Mr. Caudle</li> <li>Julian, who is on the phone right now, will make this</li> <li>presentation. I will not talk about the license</li> <li>renewal inspection program.</li> <li>The second topic is neutron vessel</li> <li>embrittlement. Barry Elliot is on the phone and Mr.</li> <li>Matt Mitchell, who will cover upper-shelf energy and</li> <li>PTS evaluation. We have Mr. Simon Sheng here. He</li> <li>will talk about the generic aspects of V. C. Summer</li> </ul>	16	The first topic that we are going to
18       Julian, who is on the phone right now, will make this         19       presentation. I will not talk about the license         20       renewal inspection program.         21       The second topic is neutron vessel         22       embrittlement. Barry Elliot is on the phone and Mr.         23       Matt Mitchell, who will cover upper-shelf energy and         24       PTS evaluation. We have Mr. Simon Sheng here. He         25       will talk about the generic aspects of V. C. Summer         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         IMAGE ISLAND AVE., NW.	17	present is license renewal inspection. Mr. Caudle
<ul> <li>19 presentation. I will not talk about the license</li> <li>20 renewal inspection program.</li> <li>21 The second topic is neutron vessel</li> <li>22 embrittlement. Barry Elliot is on the phone and Mr.</li> <li>23 Matt Mitchell, who will cover upper-shelf energy and</li> <li>24 PTS evaluation. We have Mr. Simon Sheng here. He</li> <li>25 will talk about the generic aspects of V. C. Summer</li> <li>26 NEAL R. GROSS</li> <li>27 NEAL R. GROSS</li> <li>28 NEAL R. GROSS</li> <li>29 NEAL R. GROSS</li> <li>20 234.4433</li> </ul>	18	Julian, who is on the phone right now, will make this
<ul> <li>20 renewal inspection program.</li> <li>21 The second topic is neutron vessel</li> <li>22 embrittlement. Barry Elliot is on the phone and Mr.</li> <li>23 Matt Mitchell, who will cover upper-shelf energy and</li> <li>24 PTS evaluation. We have Mr. Simon Sheng here. He</li> <li>25 will talk about the generic aspects of V. C. Summer</li> <li>26 NEAL R. GROSS</li> <li>27 NAME AND TRANSCRIBERS</li> <li>28 NAME AND TRANSCRIBERS</li> <li>29 NAME AND TRANSCRIBERS</li> <li>2000 2344433</li> </ul>	19	presentation. I will not talk about the license
21 The second topic is neutron vessel 22 embrittlement. Barry Elliot is on the phone and Mr. 23 Matt Mitchell, who will cover upper-shelf energy and 24 PTS evaluation. We have Mr. Simon Sheng here. He 25 will talk about the generic aspects of V. C. Summer 26 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. 27 WASHINGTON D.C. 200053701	20	renewal inspection program.
22 embrittlement. Barry Elliot is on the phone and Mr. 23 Matt Mitchell, who will cover upper-shelf energy and 24 PTS evaluation. We have Mr. Simon Sheng here. He 25 will talk about the generic aspects of V. C. Summer <b>NEAL R. GROSS</b> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234.4433	21	The second topic is neutron vessel
<ul> <li>Matt Mitchell, who will cover upper-shelf energy and</li> <li>PTS evaluation. We have Mr. Simon Sheng here. He</li> <li>will talk about the generic aspects of V. C. Summer</li> <li><b>NEAL R. GROSS</b></li> <li>COURT REPORTERS AND TRANSCRIBERS</li> <li>1323 RHODE ISLAND AVE., N W.</li> <li>WASHINGTON D.C. 20005-3701</li> </ul>	22	embrittlement. Barry Elliot is on the phone and Mr.
24 PTS evaluation. We have Mr. Simon Sheng here. He 25 will talk about the generic aspects of V. C. Summer <b>NEAL R. GROSS</b> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234.4433	23	Matt Mitchell, who will cover upper-shelf energy and
25 will talk about the generic aspects of V. C. Summer <b>NEAL R. GROSS</b> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234.4433 WASHINGTON D.C. 20005-3701	24	PTS evaluation. We have Mr. Simon Sheng here. He
NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON D.C. 20005-3701 www.peakoross.com	25	will talk about the generic aspects of V. C. Summer
		NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

- -- - --

1	255
1	Mr. Leitch you asked and also its applicability to
2	North Anna and Surry plants.
3	The last item that we have, Mr. Parczewski
4	will talk about the trend of erosion/corrosion or
5	flow-accelerated program at North Anna and Surry.
6	These are basically the topics of our presentation
7	today.
8	I would like to go over quickly on the
9	North Anna and Surry power plants. They are all
10	three-loop Westinghouse design. The current license,
11	operating licenses, will expire on April 2018 and
12	August 2020 for North Anna Units I and II. For Surry
13	Units I and II, the operating licenses will expire on
14	May of 2012 and January of 2013.
15	As far as staff's review milestone and
16	schedule, we received the applications on May 29,
17	2001. The staff issued a safety evaluation report
18	with open items on June 6. We issued the safety RAIs
19	back in November 2001. And, as I mentioned, we
20	briefed the ACRS subcommittee back in July of 2002.
21	The staff has met all the milestones. And
22	according to the new review schedule, 22-month review
23	schedule, the Commission is expected to announce its
24	decision by March of 2003 if a renewed license is
25	approved.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

Safety evaluation with open item was 1 issued on November 5, 2002. The staff has divided 2 safety evaluation into four chapters. Chapter 1 talks 3 about a general discussion and introduction; Chapter 4 2, evaluation of scoping and screening methodology by 5 the applicant. Chapter 3 talked about the evaluated 6 and reviewed aging management programs. 7 And in Chapter 4, we performed a time-limited evaluation of 8 9 time and aging analysis. The SER open items, we had one open item 10 in Chapter 2, scoping and screening. It was related 11 to the station blackout issue that Mr. Leitch asked 12 about, including off-site power into the scope license 13 That was one of the open items we had. renewal. 14 in aging three open items 15 We had management program, aging management review, Chapter 16 3, which related to non-EQ 17 And we had four open items in TLAA cable program. 18 issue, which related to fatigue and environment and 19 assisted fatigue issues. SER with no open item, in 20 fact, we saw all the open items. And there were no 21 outstanding issues in our SER right now. 22 Ι This is basically my presentation. 23 ask Caudle Julian to start his would like to 24 presentation on license renewal inspections. If there 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	257
1	are any questions for me, I will be happy to answer.
2	Caudle, can you hear me?
3	MR. JULIAN: Very good. Can you hear me
4	okay?
5	MR. TABATABAI: Yes.
6	MR. JULIAN: Okay. I would like to run
7	through the presentation from start to finish, if
8	possible, since I can't see you. And then I will
9	answer questions at the end.
10	Our first slide, which the Committee had
11	seen before, describes our license renewal inspection
12	program. We are following our manual chapter 2516 and
13	license renewal inspection procedure 71002. We
14	provide a site-specific inspection plan for each
15	applicant, and this is done for the Dominion case.
16	The schedule we're following is the standard 30-month
17	model of NRR. And we can do the inspections at set
18	times.
19	The resources that are needed for our
20	inspection are a five-member team. We have been
21	carrying the same team as long as we can, but when we
22	lose them, which happens every once in a while, we
23	have a training program for replacement.
24	The first inspection that was done at
25	North Anna/Surry was the scoping and screening
	1323 RHODE ISLAND AVE., N W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www nealigross com

1 inspection. The objective of that was to confirm that 2 the applicant tests included all appropriate systems, 3 structures, and components in the scope of license 4 renewal as required by the rule. It was one week in 1 length, conducted February 4th to 8th at the corporate 6 engineering offices because that is where they did 7 most of the work for building their application.

8 Some typical results from that inspection 9 are that we found that the applicant had significantly 10 expanded the scope of components to be considered for 11 aging management considerations due to the staff 12 concern over non-safety-related to safety-related 13 interactions.

I think we have talked about this issue 14 It is a concern that non-safety-related 15 before. piping might fail due to aging and do damage to 16 safety-related. We found that the applicant had done 17 of expansion of their original scope 18 wide а components, and we thought that was the conservative 19 20 thing to do.

Another issue was that we do a walk-down and containment during a refueling outage as part of our inspections. The only thing we found that was of concern at all to us there was that the Surry component cooling water piping inside containment had

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

258

Į.	259
1	a lot of corrosion. The applicant had known this for
2	a long time and periodically had put it in their
3	corrective action systems, but it didn't seem to be a
4	very organized program for looking at this.
5	While we were there, the applicant took
6	some ultrasonic measurements to confirm that the
7	piping is not corroded to below minimum wall. Since
8	then, they have developed a procedure as part of their
9	general condition monitoring program to continued to
10	monitor the corrosion of this piping to see that it is
11	not yet too thin.
12	The second inspection was the aging
13	management inspection.
14	MR. ROSEN: One question.
15	MR. JULIAN: The objective of that is to
16	confirm that existing
17	MR. TABATABAI: Excuse me, Caudle. There
18	is a question for you.
19	MR. JULIAN: Okay.
20	MR. ROSEN: On the component cooling water
21	piping inside containment corrosion, does that extend
22	outside containment as well? And if so, what is being
23	done with piping outside containment? Can you
24	characterize the kind of corrosion it is? What is the
25	root cause? What kind of degradation is being seen?
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N W.         (202) 234-4433         WASHINGTON, D C. 20005-3701         www.nealrgross.com

260 I understand it is not below wall, but I would like 1 more information than that. 2 I had a real tough MR. JULIAN: Okay. 3 time hearing the question, but I understood that your 4 concern is or question was about piping, both inside 5 Both of those pipings, inside and and outside. 6 outside, are included in their general condition 7 8 monitoring program. The cause of this piping corroding is that 9 it's often chilled water. In fact, containment with 10 a fairly heated atmosphere, the chilled water tends to 11 have condensation on it all of the time. And that is 12 a common problem that we see at a lot of places. 13 MR. ROSEN: Okay. So now I understand it 14 15 is exterior corrosion? Exterior, yes. I'm sorry. MR. JULIAN: 16 Exterior corrosion on the piping, rusty. It's rusty 17 looking. 18 So though the program MEMBER LEITCH: 19 includes both piping inside containment as well as 20 outside containment, --21 That is correct. 22 MR. JULIAN: MEMBER LEITCH: -- the problem is really 23 just occurring on the inside containment basically due 24 to sweating of the pipe? 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW. www.nealrgross.com (202) 234-4433 WASHINGTON, D.C 20005-3701

261 Yes, yes. And what we MR. JULIAN: 1 thought would be a good thing that we see other places 2 is to establish set places to come back and monitor 3 periodically and have trending so that you can see how 4 not only what the current condition is but what are 5 the trends. 6 MR. ROSEN: And that's because only the 7 piping within the containment carries the chilled 8 water? Outside containment component cooling water is 9 not chilled? 10 Well, it has to be cooled 11 MR. JULIAN: down as it leaves the heat exchangers and has been to 12 the containment, but it's worse inside containment 13 With the pipe of the temperatures. 14 because continually wedded at an elevated temperature, it 15 tends to corrode worse than otherwise. 16 How bad was the corrosion? MR. ROSEN: 17 MR. JULIAN: Well, it looks bad. It looks 18 But, as I say, we did take some spots that 19 nasty. looked the worst and had the applicant to smooth them 20 up and take ultrasonic measurements to confirm that 21 they had not corroded to below min wall. 22 Well, that is not very 23 MR. ROSEN: Min wall is one thing, but how much comforting. 24 corrosion are we talking about? Are we talking about 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	262
1	surface corrosion or is it
2	MR. JULIAN: Yes, surface corrosion.
3	MEMBER FORD: There was a question raised
4	at the subcommittee meeting about a difference in
5	materials between Surry and North Anna. You didn't
6	see the same problem and the same situation at North
7	Anna, I understand.
8	MR. JULIAN: No, I don't believe we did.
9	MEMBER FORD: Was that due to difference
10	in relative humidity or was it due to difference in
11	materials composition?
12	MR. JULIAN: I'm afraid I don't know the
13	answer to that.
14	MR. CORBIN: The significant difference
15	between Surry and North Anna in this regard is that
16	North Anna has a better coating system on their
17	component cooling water piping.
18	MEMBER FORD: So there's a reason for the
19	difference.
20	MR. CORBIN: Correct.
21	MEMBER FORD: Okay. Good.
22	MR. CORBIN: I'm sorry. Bill Corbin.
23	MR. ROSEN: And the solution to this
24	problem at Surry, I guess, is that it will be
25	monitored? Is that what I understand?
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W
	(202) 234-4433 WASHINGTON, D C 20005-3701 www.nealrgross.com

	263
1	MR. JULIAN: Yes. They have a monitoring
2	program and are going to continue to measure it, take
3	repeated measurements at set spots in the corrosion.
4	An alternate solution, of course, that
5	many people employ is to replace the piping, but
6	they're not going to want to do that until it gets to
7	the point where it is really necessary.
8	MR. ROSEN: So we're just going to watch
9	this piping corrode away from the outside at Surry?
10	Is that what the plan is? And the staff has agreed
11	with that? Is that what I understand?
12	MR. JULIAN: Yes. That's generally the
13	program that they're following, is to monitor the
14	piping and to take action to replace it before it gets
15	to the minimum design wall.
16	MR. JULIAN: Okay. May I continue on?
17	MR. TABATABAI: Go ahead, Caudle.
18	MR. JULIAN: Thank you.
19	The next inspection is the aging
20	management review. The objective there was to conform
21	that existing aging management programs are working
22	well and to examine the applicant's plans for
23	establishing new aging management programs and
24	enhancing existing ones.
25	That was two weeks in length in April and
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

264 As with the Duke plant, which we told you about 1 May. earlier, we did one week at each site, one at Surry 2 and one at North Anna. 3 Two observations of interest there were at 4 Surry, the applicant was out looking at things ahead 5 We went over and looked at some manholes in 6 of us. the switchyard. The applicant was surprised to find 7 some water in those electrical cable manholes. 8 The solution to that as of now has been to 9 do periodic inspections. I understand now we're doing 10 They're looking for an inspections twice per week. 11 12 engineering solution. And that will probably be to redesign a manhole to put in automatic sump pumps. 13 These manholes in question do not have automatic sump 14 pumps or drains in the bottom. 15 We also found that in the past both plants 16 had found containment concrete anomalies and had made 17 You have probably heard of those issues 18 repairs. where they started looking closely at containment and 19 20 found in the pieces of construction wood that was left in the concrete. Those had to be removed and repairs 21 22 made. The last and third, optional, inspection 23 that we did was one of open items. That was conducted 24 We found that the applicant had made in September. 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW www nealrgross com WASHINGTON, D.C. 20005-3701 (202) 234-4433

265 some progress in making some of the plant procedures 1 changes to programs that needed to be done for 2 enhancing aging management programs. 3 most important to us, they had 4 And, established a tracking system to keep up with the 5 future actions that they had committed to do. That 6 was one of the concerns that caused us to do the third 7 8 inspection. VICE-CHAIRMAN BONACA: I had a question on 9 the flooding of electrical cable manholes. Who found 10 Who found there was flooding there? 11 those? MR. JULIAN: Again I'm having trouble 12 I thought the question was who found those? 13 hearing. MR. TABATABAI: Yes, Caudle. The question 14 was who found the flooding cable manholes? 15 MR. JULIAN: The applicant did that. They 16 looked at a representative sample of manholes up at 17 North Anna before we got there. And then we also 18 peaked into them while we were there. 19 When we got to Surry, they had been 20 looking at some of those manholes. The ones we 21 selected to look at at Surry were not the normal 22 safety-related cable runs within the plant. We were 23 interested in the wiring that goes over to the 24 switchyard at Surry station, service tents. And those 25 NEAL R. GROSS

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

266 manholes do not contain safety-related cables, but 1 they are brought into the scope of license renewal 2 because of the station blackout concern. 3 Thank you. VICE-CHAIRMAN BONACA: 4 But they found it. One of MR. JULIAN: 5 the issues that we discussed with them was that North 6 Anna has a very well-established procedure and program 7 for periodically going around and monitoring the 8 condition of manholes, but Surry has yet to develop 9 one of those. So Surry is now committed to do that in 10 their future as part of the agreement that we have had 11 with the staff. 12 Thank you, Caudle. MR. TABATABAI: 13 I just want to be sure I MEMBER LEITCH: 14 understand the total scope of the inspection program. 15 There was one week scoping and screening in the 16 corporate office? 17 MR. JULIAN: Correct. 18 physical And then a MEMBER LEITCH: 19 inspection at each plant, one week at each site? 20 MR. JULIAN: That's correct. 21 MEMBER LEITCH: And then two weeks in the 22 aging management review? That was in the corporate 23 office? 24 You've got MR. JULIAN: No. Let's see. 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. www nealrgross com WASHINGTON, D.C. 20005-3701 (202) 234-4433

267 the first part right. The scoping and screening was 1 And it was done all at the corporate 2 one week long. office because that is where all of the engineering 3 Then the aging management programs 4 work was done. were done one week at Surry and one week at North 5 6 Anna. The reason, of course, for doing one at 7 that we wanted to do a lot of 8 each site is walk-arounds in the plant and take a look at a lot of 9 the plant equipment. 10 So it's not just a paper review. Our 11 inspectors have assigned systems. And they go out 12 with the applicant representatives and walk down those 13 systems. 14 MEMBER LEITCH: Then the open item 15 inspection, what was that, one week again at --16 That was just a few days, 17 MR. JULIAN: just took two or three days, at the engineering 18 offices. Those are primarily chasing tracking systems 19 and changes that they needed to make to procedures. 20 MEMBER LEITCH: Okay. Thank you. 21 MR. JULIAN: One of the questions I think 22 we had last time that I wasn't able to make was about 23 the overall condition of the plant. We concluded from 24 our look that the plant was in good condition. And 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW.

WASHINGTON, D C. 20005-3701

(202) 234-4433

ľ	268
1	what that meant to us was that the plant was clean and
2	everything was painted. There was little or no
3	corrosion of components wherever we went. There are
4	very few leaks and ones that existed are tracked for
5	repair. We thought overall that North Anna and Surry,
6	both plants, are being very well-maintained.
7	MR. ROSEN: That's with the exception of
8	the component cooling water piping in containment. Is
9	that correct?
10	MR. JULIAN: Right, with exception of
11	component cooling water, correct.
12	That concludes my presentation. Any more
13	questions?
14	(No response.)
15	MR. TABATABAI: Thank you, Caudle.
16	Barry, you are actually the next presenter
17	to talk about pressurized thermal shock.
18	MR. ELLIOT: This is Barry Elliot of the
19	Materials and Chemical Engineering Branch. I am going
20	to discuss the PTS evaluation that was done by the
21	applicant. First I am going to begin with a little
22	background. That is the first two slides.
23	The PTS evaluation is done in accordance
24	with the rule 10 CFR 50.61, the PTS rule. It requires
25	all licensees to determine whether the reactor
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

pressure vessel beltline materials exceed the PTS screening criteria and to evaluate surveillance data to determine the impact of the data on the PTS evaluations.

5 The PTS screening criteria is a material 6 property. PTS screening criteria is 270 degrees 7 Fahrenheit for axially oriented welds and base metal 8 and 300 degrees Fahrenheit for circumferentially 9 oriented welds.

The RT<sub>PTS</sub> values are the sum of three quantities: the unirradiated reference temperature, the increase in reference temperature resulting from irradiation, and margins. The increase in reference temperature is a product of a chemistry factor and a fluence factor. And the chemistry factor is dependent upon the amount of copper and nickel.

When the Charpy test is performed, the increase in transition temperature is equivalent to the increase in transition to temperature from the Charpy transition temperature.

account for margin term is to The 21 uncertainties in copper, nickel, neutron fluence, 22 unirradiated reference temperature, and calculation 23 The margin curve is a part of two sums: procedures. 24 the standard deviation for the increase in reference 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

temperature, which is equal to 28 degrees for the weld. This particular value is gotten from an industry-wide surveillance database and also the standard deviation for the unirradiated reference temperature.

Next slide. Chemistry factor may be 6 determined from surveillance material or from the 7 This is chemical composition of the material. 8 Our chemistry factor is according to the rules. 9 determined from surveillance data if the surveillance 10 data meet the credibility criteria in the rule. 11 Chemistry factor can also be determined from tables 12 and rules based on the percentage copper and the 13 percentage nickel in the materials. And, finally, the 14 material surveillance data shall be evaluated to 15 determine whether the RT<sub>PTS</sub> value for the beltline 16 material is a bounding value. 17

Not in the rule but an important part of the staff's evaluation and applicant's evaluation is that the neutron fluence calculation should be done in accordance with Reg. Guide 1.190. This is a staff guidance document.

That is the background for the PTS rule. Next is an evaluation done by both the staff and the applicant on the surveillance data. This discussion

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

www.nealrgross.com

271 is going to be about the Surry-1 material surveillance 1 data. And it's limiting weld. The reason for that is 2 that this Surry-1 material surveillance data has a 3 weld, an axial weld, which at the end of the license 4 renewal term has an  $RT_{PTS}$  value of 268.5. 5 The other three reactors are significantly 6 7 below that. North Anna I's value is 191. North Anna And Surry II is 219. And the highest II is 228. 8 copper in any of those reactors is .19 while the Surry 9 I reactor axial weld has a .3 copper in its weld. 10 There were nine data points for the 11 limiting surveillance weld. They were done by three 12 different vendors. They were done in the '70s, '80s, 13 and '90s. And the applicant recalculated all of the 14 neutron fluences for all of the data using Reg. Guide 15 1.190, though all of the data would be on the same 16 methodology. 17 The applicant evaluated the data, and the 18 data did not meet the credibility criteria in the rule 19 because of large scatter in the data. The applicant 20 then used the methodology in the tables to calculate 21 the RT<sub>PTS</sub> value. 22 The staff was concerned that there could 23 have been a bias in the data. So we ran a z-test. 24 The z-test has a five percent significant level, 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W WASHINGTON, D.C. 20005-3701 www.nealrgross.com (202) 234-4433

indicating that the surveillance data are consistent
 with the data used to develop the table in the
 chemistry factor.

The conclusion from our z-test was that the use of the chemistry factor from the table in the standard deviation for the increase in reference temperature of 28 is appropriate. That is the evaluation of the surveillance data.

Next slide is the summary of the PTS 9 evaluation using the chemistry from the limiting weld. 10 The RT<sub>PTS</sub> value is 268.5 at that end of the license 11 renewal period. The RT<sub>PTS</sub> value is calculated using a 12 chemistry factor from the tables and is based on the 13 best estimate copper and nickel for the weld. All 14 neutron fluence for the weld was also calculated 15 according to Reg. Guide 1.190. 16

The staff confirmed that the RT<sub>PTS</sub> value was 268.5. And for Surry I, the unirradiated reference temperature is -7, which is a generic value. The increase in reference temperature was 206. And the margin curve is 69.5.

The staff's conclusion is all materials will be below the PTS screening criteria for the end of the period of extended operation. That is the summary of the staff's evaluation.

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. WASHINGTON, D C. 20005-3701

www.nealrgross.com

1	273
1	MEMBER FORD: Barry, I've got a procedural
2	question for you. If that $RT_{PTS}$ value by calculation
3	had come to 270.1, then you would ask them the utility
4	to go into some remediation program. Is that correct?
5	MR. ELLIOT: I can't hear the question.
6	MEMBER FORD: The RT <sub>PTS</sub> value. Can you
7	hear me now?
8	MR. ELLIOT: Can you just tell me what the
9	question is?
10	MR. TABATABAI: Barry, the question is
11	what would happen if the $RT_{PTS}$ value were 270.1? What
12	would we ask them to do?
13	MR. ELLIOT: Okay. 270.1, the licensee
14	would have two alternatives. You can do flux
15	reduction so that the value would be below the
16	screening criteria, which is probably what they would
17	do if that were the case, or they can do an analysis
18	that demonstrates that operating above the value would
19	be acceptable.
20	MEMBER FORD: Okay. So you've got one and
21	a half degrees Fahrenheit margin by the current
22	calculations. Could you chew up that margin just for
23	the uncertainty in your copper and nickel contents?
24	MR. ELLIOT: The margin of one and a half
25	degrees includes margin and nickel. That would be the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C 20005-3701 www.nealrgross.com

	274
1	margin curve.
2	MEMBER SHACK: It's a magic number.
3	MEMBER KRESS: It's a speed limit. You
4	get a ticket if you go over.
5	MEMBER FORD: Does the staff have any
6	procedure? When you get to close margins at one and
7	a half degrees F., by the procedure, does the staff
8	have any second thoughts as to how safe this is? I
9	recognize that 270 degrees F. has got all sorts of
10	uncertainties in it and margins. At what point does
11	the staff start to look at these things the second
12	time or a second
13	MR. ELLIOT: As long as an applicant or a
14	licensee is below 270 for the axial weld, no matter
15	how low it is, that is all they have to do.
16	MEMBER KRESS: I am concerned about 271.
17	MEMBER FORD: Yes. It seems very, very
18	arbitrary. I recognize the 270 criterion is a fairly
19	arbitrary number, but at what point should you start
20	to get worried?
21	MR. ELLIOT: What time do I start to get
22	worried?
23	MEMBER FORD: Yes.
24	MR. ELLIOT: I get worried every day about
25	7:45, when I get to work, but I am not worried about
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C 20005-3701 www.nealrgross.com
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealingross.com

,

	275
1	this plant. This plant has nine data points which we
2	looked at carefully, which the licensee ha evaluated,
3	which we evaluated.
4	We even did a statistical evaluation. We
5	don't normally do that, and it's not in the rule. But
6	because they were close to the screening criteria,
7	because of the large amount of data and the data
8	itself, we decided to make an extra step, which was to
9	do the statistical analysis.
10	That gave me more assurance that the value
11	is a pretty good value.
12	MEMBER SHACK: Barry, what is the
13	statistical test really telling you? What were you
14	trying to determine from the statistical test?
15	MR. ELLIOT: What we do is we compare the
16	measured value for the actual surveillance data points
17	to the predicted value for that surveillance data
18	point. And then using the z-test and the standard
19	deviation for the model, which is 28 degrees, we
20	determined that it was within the limits of the 95
21	percent confidence limit. It had a five percent
22	significance level.
23	MEMBER SHACK: Since you determined that
24	the surveillance data wasn't applicable, why wouldn't
25	you just calculate it from the tables?
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

I	276
1	MR. ELLIOT: You do calculate it from the
2	table. What I was concerned about, in essence, the
3	rule says if the data is credible, use the data. In
4	this case, the data was not credible. So you couldn't
5	use the surveillance data according to the rule. So
6	you automatically fall back to the table. And that's
7	what they did.
8	I was a little concerned that there wasn't
9	a sufficient margin, that there was more scatter in
10	their plant-specific surveillance data. There are
11	nine data points, but the analysis shows that it is
12	what would be expected from the database.
13	MR. TABATABAI: Any more questions for
14	Barry?
15	(No response.)
16	MR. TABATABAI: Okay. Thank you, Barry.
17	MR. ELLIOT: Okay. I'm going to stay on
18	the line for Matt's presentation, and I am going to
19	get off after that.
20	MR. TABATABAI: The next presenter is Matt
21	Mitchell. He is a senior materials engineer, and he
22	is going to talk about upper-shelf energy.
23	MEMBER SHACK: Just before you start,
24	Matt, did they already run a low leakage core?
25	MR. MITCHELL: I think I would have to ask
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D.C 20005-3701 www.nealrgross.com

277 the licensee to explain how they define their core 1 2 design. This is John Harrell from MR. HARRELL: 3 Dominion, supervisor for nuclear safety analysis. 4 Yes, we do operate with a low leakage core. We 5 assembly relative power peripheral 6 monitor distributions. Those would be in the realm of, say, 7 .4 relative to the average power distribution that 8 constitutes what we consider to be a low leakage 9 We have flux pattern already for Surry Unit I. 10 impression inserts in those peripheral assemblies. 11 MR. MITCHELL: Okay. Then to proceed with 12 the discussion on the upper-shelf energy issue, our 13 first viewgraph is merely a background slide. Bullet 14 1 reiterates the specific regulatory criteria from 15 Appendix G to 10 CFR Part 50 regarding upper-shelf 16 reactor vessel beltline energy requirements for 17 materials. 18 Of course, the item of interest in this 19 discussion is criteria 2 regarding the end-of-license 20 Hence, extending the license, upper-shelf energy. 21 increasing the fluence will further lead to a 22 reduction in the projected Charpy upper-shelf energy 23 as we move forward. 24 The second bullet is a reiteration of what 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C 20005-3701

(202) 234-4433
I will call the equivalent margins analysis clause, 1 which is found in Appendix G to 10 CFR Part 50. It 2 provides for the ability for a licensee or for the 3 applicant to perform a demonstration to show that 4 lower values of Charpy upper-shelf energy are, in 5 fact, adequate for continued operation, an operation 6 7 until the end of their license. It is worth noting, I think, at this point 8 that the accepted technology for performing equivalent 9

margin analyses is what I would call sure technology. 10 approach based upon usinq this been 11 We have elastic/plastic fracture mechanics, J-integral tearing 12 13 modulist evaluations now for the better part of a It is well-documented in Regulatory Guide 14 decade. 1.161 and in Appendix K to Section XI of the ASME 15 16 code.

So what we have here is a case where we have merely reevaluated the condition of the vessel based upon the higher fluence values to be expected at the end of the period of extended operation using an established technique.

22 MEMBER SHACK: What will their projected 23 Charpy energies be? 24 MR. MITCHELL: Well, you've gotten me to

24 MR. MITCHELL: Well, you've gotten me to 25 my backup slide. I'll go straight there. Based upon

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W WASHINGTON, D C. 20005-3701

(202) 234-4433

www nealrgross com

1	279
1	the information that the licensee submitted and the
2	staff is in agreement with the values they provided,
3	for Surry Unit I, which actually has both the limiting
4	axial and limiting circumferential weld, when you look
5	at the Surry Unit I and Surry Unit II vessels. On the
6	circumferential weld, it is approximately 42
7	foot-pounds on the axial, limiting axial, weld, it is
8	about 43.6 foot-pounds would be what it would be
9	projected out to be.
10	MEMBER FORD: What am I missing? Isn't it
11	50 pounds? You can't go below 50 foot-pounds?
12	MR. MITCHELL: Per the specific criteria
13	in Appendix G to 10 CFR Part 50, 50 foot-pounds is the
14	limit. If you go beyond that limit, then you require
15	the equivalent margins analysis. And it was the
16	equivalent margins analysis that was performed by the
17	applicant for the Surry Unit I and Unit II vessels.
18	MEMBER FORD: Again, isn't it exactly the
19	same situation with the PTS situation that you're
20	nudging against what the current rules say?
21	MR. MITCHELL: In effect, you could draw
22	a parallel between the 270-degree screening criteria
23	in 50.61 and the 50 foot-pound limit in Appendix G.
24	If you wish to draw another parallel, this would be
25	akin to an analysis like a Reg Guide 1.154 analysis,
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www nealrgross com

	280
1	which could be done if a facility went above the
2	270-degree screening criteria relative to 50.61. This
3	analysis is considerably less cumbersome, however,
4	than a Reg Guide 1.154 analysis would be for PTS.
5	Certainly there is parallelism between those concepts.
6	MEMBER SHACK: If it was 51 foot-pounds,
7	you're home free.
8	MEMBER FORD: You're okay. Just as kind
9	of a concerned citizen, professional engineer, does it
10	not make you feel uncomfortable?
11	MR. MITCHELL: I'll just suggest that
12	and particularly the words are valid with respect to
13	the PTS screening criteria. It is a screening
14	criteria. It is a criteria at which it is sort of a
15	yellow caution light in a sense, if you will, to draw
16	additional attention to and warrant further evaluation
17	of.
18	It's not intended to be a hard stop, if
19	you will. The 50 foot-pound limit with respect to
20	upper-shelf energy is also not intended to be a hard
21	limit. So it is open to further
22	MEMBER FORD: But Barry just said for the
23	PTS, for instance, 271, you have to start to go
24	through some gyrations in terms of annealing or
25	whatever you are going to do.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W (202) 234-4433 WASHINGTON, D.C 20005-3701 www.nealrgross.com

.

1	281
1	MR. MITCHELL: Well, in terms of first
2	looking at issues or the possibility for flux
3	suppression further analysis, whatever methods would
4	be available to the licensee, what would be a
5	warranted step relative to a screening criterion.
6	VICE-CHAIRMAN BONACA: Now, these
7	speculations and the results of them, of course,
8	depend on certain assumptions of fluence at the end of
9	license that you will monitor or they will be
10	monitored by licensee to the specimens and all kinds
11	of stuff.
12	So when you get a result and it is closed,
13	the criteria, what kind of reputation does take place
14	during the 20 years' operation? How do you assure
15	that you are staying within those criteria?
16	MR. MITCHELL: Well, let me answer one
17	part of the question first. With regard to the
18	fluence values which are used in this evaluation, as
19	we were the ones used in the PTS evaluation, it was
20	confirmed that those values were consistent with the
21	staff guidance in Regulatory Guide 1.190, which was
22	recently issued. Therefore, the staff felt confident
23	that those values were accurate projections of the
24	fluence out at the end of the extended period of
25	operation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

With regard to continued monitoring, we also have provisions established for the licensee to continue with a reactor pressure vessel monitoring program moving forward consistent with the intent of So there would be 5 Appendix H to 10 CFR Part 50. measures in place to continue to acquire data as 6 And that should be documented in the 7 appropriate. staff's safety evaluation. 8

VICE-CHAIRMAN BONACA: And that includes 9 a program, I believe, of collection of data and how 10 frequently comparisons will be performed in the 11 I mean, certainly you don't want to get 12 department. to the point where some time in the 20 years of 13 extended operation, you are crossing over that line. 14

> MR. MITCHELL: Yes.

VICE-CHAIRMAN BONACA: Right?

MR. MITCHELL: It would be certainly the 17 intent of the surveillance program is to provide you 18 with information in advance of when you would be 19 Again, keep in mind I guess we should 20 projected. emphasize the numbers that we have here are those that 21 are projected to occur at the end of the extended 22 Data acquired before then should give you 23 license. lead time. 24

25

15

16

1

2

3

4

VICE-CHAIRMAN BONACA: Now, we are looking

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW WASHINGTON, D.C. 20005-3701

(202) 234-4433

www nealrgross com

	283
1	at this data because we specifically said we wanted to
2	see it. Now we see it coming through and show some
3	results which are more borderline than I expected.
4	So I would expect from now on licensees
5	will be required to submit this information for all of
6	the applications.
7	MR. KUO: Yes, Dr. Bonaca. We have made
8	it clear that the applications should have this kind
9	of information.
10	VICE-CHAIRMAN BONACA: Yes. And you'll
11	let us know if that is within the existing guidance or
12	if we need to change the guidance to be able to secure
13	this information.
14	MR. KUO: Sure.
15	MR. TABATABAI: Actually, Dr. Bonaca, this
16	was one of the items we discussed during a workshop we
17	had a few weeks ago with the industry, asking specific
18	information on neutron vessel embrittlement.
19	VICE-CHAIRMAN BONACA: Thank you.
20	MEMBER LEITCH: Is the bottom line on that
21	chart intended to be Surry II?
22	MR. MITCHELL: No. Actually, it's also
23	intended to be Surry I because the two bottom lines
24	represent the circumferential/limiting axial weld.
25	And both the limiting circumferential and limiting
	NEAL R. GROSS
	1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON D.C. 20005-3701 www.nealroross.com

-

\_\_\_\_ - \_ \_ -

	284
1	axial weld were actually found in Surry I relative to
2	Surry I and Surry Unit II.
3	MEMBER LEITCH: So Surry Unit II is above
4	those numbers there?
5	MR. MITCHELL: Yes.
6	MEMBER LEITCH: For both axial and
7	circumferential?
8	MR. MITCHELL: That is correct.
9	MEMBER LEITCH: Okay. Thank you.
10	MR. ROSEN: Is it above 50?
11	MR. MITCHELL: No. There are materials in
12	the Surry Unit II vessel which do also drop below 50
13	foot-pounds. However, since they are bounded by the
14	Surry Unit I materials, the evaluation or review of
15	the evaluation of the Surry Unit I materials would
16	bound those. If these pass, they would also pass, the
17	equivalent margins.
18	MEMBER LEITCH: The SER refers to 48
19	equivalent full power years, but we are licensing the
20	plant for 60 years. Is it conceivable that in 60
21	years, one could go above 48 full power years?
22	MR. MITCHELL: Depending upon the
23	operational behavior of the plant, the availability
24	and capacity factors of the plant operates at, it
25	would be conceivable. I am not at this point aware.
	NEAL R. GROSS
	1323 RHODE ISLAND AVE., NW.

285 And perhaps the licensee would be in a better position 1 to answer what the potential is for that to occur. 2 MR. HARRELL: Yes. This is John Harrell 3 again from Dominion. Each reload is evaluated for its 4 contribution of fluence in the place that it is 5 expected from approximately 488PY. б So there is an ongoing tracking mechanism 7 for evaluating the effect of a reload core design on 8 9 that, and that includes a consideration capacity factor as well as the relative power distributions in 10 the core. Of course, it also considers the effect of 11 many power operatings that occur in the interim. 12 So there is ongoing monitoring of the 13 effect of full power years relative to the limitation 14 that is present in the TLAA. 15 What kind of assumption are MR. ROSEN: 16 you making for operating capacity factor? 17 MR. HARRELL: Currently 90 percent. 18 MR. ROSEN: So it would have to exceed 90 19 percent in order to push this up closer to the limit? 20 More precisely, it would MR. HARRELL: 21 22 have to exceed 9 percent on average. On average, right. Just MR. ROSEN: 23 following along, Dominion in Surry and North Anna have 24 typically recently, at least, done better than that, 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. www nealrgross com WASHINGTON, D.C. 20005-3701 (202) 234-4433

|| haven't they?

1

8

9

10

2 MR. HARRELL: That is correct. Recently 3 they have. But prior cycles have not averaged to an 4 average of 90. Again, the reloaded evaluations of the 5 effects of relative power distribution and capacity 6 factor would evaluate the effects of capacity factor 7 in excess of the projected 90 percent average.

MEMBER LEITCH: But we're not licensing the plant for 48 full power years. We're licensing it for 60 years. Should we be?

a point of Maybe as 11 MR. MITCHELL: clarification, the staff expects that if the licensee 12 comes to possess information which would suggest that 13 they would need to update this analysis because they 14 are projecting now a higher fluence value at the end 15 of the period of extended operation, whether it be 16 because they have operated a higher capacity factor or 17 they would update their for some other reason, 18 19 analysis, as appropriate.

Any analysis of this type done at some point in the future is subject to the assumptions that go into it. Those assumptions may not be accurate or found to be less than accurate at some point in the future. Licensee applicant should revise their evaluation if necessary.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

I think we have probably covered actually 1 the information that is on my second and third actual 2 Obviously there were materials in Surry Units 3 slide. I and II which did fall below the criteria. The 4 applicant performed their equivalent margins analyses, 5 which were provided to the staff in report BAW 2323. 6 The staff based upon the information that 7 had available in our reactor vessel integrity 8 we 9 database and based upon information the licensee provided was able to go through and to independently 10 perform our own equivalent margin analyses. 11 The conclusions of both the applicant's 12 and the staff's analyses were, in fact, the same, that 13 they did demonstrate acceptable equivalent margins 14 analyses for continued operation through the end of 15 their extended license. 16 When do they have MEMBER SHACK: 17 to temperature limits for 18 recompute their pressure cooldown? 19 MR. MITCHELL: Typically, they would have 20 to recalculate either upon expiration of the pressure 21 temperature limits if they are established at some 22 value less than the fluence value at end of license. 23 They would need to reevaluate whether they would need 24 to be recalculated if they come into possession of 25 NEAL R. GROSS

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

288 surveillance data, fluence data, or other information 1 which could modify the period of applicability of the 2 pressure temperature limits. 3 I'll defer back to the licensee because I 4 am not currently aware as to where the pressure 5 temperature limits for the Surry units --6 7 MEMBER SHACK: The answer is you don't routinely calculate that for the license renewal. 8 That is considered an operation, a current licensing 9 10 operation. MR. MITCHELL: It is currently a current 11 is something they would be 12 licensing basis. It 13 carrying forward that they look at as they go into the period of extended operation. 14 Are there any more questions? 15 16 (No response.) Our next 17 MR. TABATABAI: Thanks, Matt. presenter is Simon Sheng. He will talk about V. C. 18 19 Summer. This is Simon Sheng of the 20 MR. SHENG: Materials and Chemical Engineering Branch. 21 MR. ROSEN: Excuse me one minute. Could 22 you give us a copy of that backup slide? 23 MEMBER LEITCH: It's in here. 24 Now I am going to 25 MR. SHENG: Okay. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N.W (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1	289
1	discuss the V. C. Summer issue involving Alloy 82 and
2	82 welds. The first thing that people may like to ask
3	is that, "Why do we want to attach the V. C. Summer
4	issue into the licensing renew domains through LBB?"
5	The answer to that is that I can't help it
6	because in the LBB application, there is a condition
7	that there should not have any active degradation
8	mechanism. And since the summer, V. C. Summer, event,
9	we know that it may be a potential active degradation
10	mechanism.
11	That's why we need to evaluate. Now let's
12	review the V. C. Summer issue a little bit. First is
13	that we have two findings in the primary loop of V. C.
14	Summer.
15	MEMBER LEITCH: Excuse me. Could you
16	remind me what LBB is?
17	MR. SHENG: LBB means leak before break.
18	MEMBER LEITCH: Oh, yes. Thank you.
19	MR. ROSEN: And what is the basis for the
20	finding that there should not have any active
21	degradation methods? Where did you say that was from?
22	MR. SHENG: That's from originally when we
23	made the LBB application, it appeared in the SRP. It
24	also appeared in several original documents so that
25	there are many, many conditions that we should not
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

ļ	290
1	apply LBB to certain piping and while these conditions
2	should not have active degradation mechanisms.
3	MR. ROSEN: So I can't apply for a break
4	to the component cooling water piping in the
5	containment, for example?
6	MR. SHENG: If it turns out that the PWSCC
7	is indeed a generic issue
8	MR. ROSEN: It's external corrosion of
9	duly sweating. It's an act of degradation, I can
10	assume, on the component cooling water piping inside
11	containment. We were just told that. So what you are
12	saying is that they can't use leak before break on the
13	containment water piping, cooling water in
14	containment?
15	MR. SHENG: Probably because LBB, there
16	are so many lines in the reactor system. And there
17	are only several which have obtained approval from NRC
18	for their LBB application. So it does not apply to
19	every line.
20	So let's review the two findings. The
21	first is that we have the through-wall avail flaw in
22	Loop A. And then we have shallow axial and
23	circumferential flaws discovered in Loops B and C.
24	The shallow means that their depth was estimated to be
25	less than one-eighth of an inch.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W.

WASHINGTON, D.C. 20005-3701

\_\_\_\_\_

(202) 234-4433

11

www.nealrgross.com

	291
1	MEMBER WALLIS: Not only do we have a
2	flow, but I think we have a leak.
3	MR. SHENG: That's right. That is the
4	first scenario. We found axial flaw, through-wall
5	axial flaw. Another thing is that we did not find
6	anything in the cooler pipes. So we said difference
7	of operating temperature of only 80 to 100 degrees
8	Fahrenheit lower. And then we didn't find anything.
9	And also the implication of this is there may be
10	something wrong with Loop A, that hot leg only.
11	Something may be very special about that. That's why
12	we did not find axial flaws, through-wall axial flaws,
13	in the other two hot legs.
14	VICE-CHAIRMAN BONACA: But wasn't the
15	additional concern the one that the inspections did
16	not identify the existence of these flaws?
17	MR. SHENG: So I'm going to discuss it
18	later.
19	VICE-CHAIRMAN BONACA: The NRC's concerns
20	aren't regarding the flaws alone. I think my concern
21	is the one that we do perform inspections. They were
22	volumetric inspections and didn't see anything. And
23	that is my concern.
24	MR. SHENG: That's right. That's right.
25	VICE-CHAIRMAN BONACA: All license renewal
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N W         (202) 234-4433       WASHINGTON, D C. 20005-3701

	292
1	depends on this adequacy of inspections. And if the
2	inspections don't see things, then we have a problem.
3	MR. SHENG: Right. That is also my
4	concern, also the NRC's concern.
5	VICE-CHAIRMAN BONACA: Yes, I see.
6	MR. SHENG: We are going to address it in
7	a second viewgraph.
8	VICE-CHAIRMAN BONACA: Okay.
9	MR. SHENG: Okay? So basically I just say
10	NRC's concern is that are these findings generic or
11	plant-specific? That also answers your question
12	because we need to have a reliable inspection tool to
13	answer question one. Okay? So it's really tied into
14	the question.
15	Now, the second thing, that is really our
16	concern. Do deep and extensive circumferential flaws
17	exist? If I only have axial flaw, it is really not my
18	major concern because that is just a perfect example
19	of leak before break.
20	Now let's take a look. Let's just have a
21	digression from the generic concern to plant-specific
22	concern and see what is the situation of V. C. Summer
23	and North Anna. The report to us is on plant-specific
24	information.
25	First, they do not have alloy 82/182 welds
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N W.         (202) 234-4433         WASHINGTON, D C. 20005-3701

	293
1	on either the hot leg or cold leg piping on the
2	primary loop.
3	MEMBER WALLIS: What kind of welds do they
4	have?
5	MR. SHENG: They just have the outstanding
6	steel welds, not using these
7	MEMBER WALLIS: And you are saying that
8	that is somehow better than alloy 82/182?
9	MR. SHENG: Yes, yes.
10	MEMBER FORD: Is 308 weld?
11	MR. SHENG: I don't know. I don't know
12	the detail of that, but I think the licensee may be
13	able to. I can pull out this information to you.
14	MEMBER WALLIS: Do they have buttering of
15	the same kind of way or not, what they actually have?
16	I mean, you are saying it's not like Summer.
17	MR. SHENG: That's right.
18	MEMBER WALLIS: But does it have any of
19	the features of Summer?
20	MR. SHENG: Mature-wise, no. But if you
21	are talking about the welding structure and how they
22	weld it, as I said, if you are interested in that risk
23	factor, I can provide the information to you later.
24	So far the
25	MEMBER WALLIS: I am just wondering.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

1	294
1	Maybe the materials people can reassure me whether
2	82/182 is somehow the villain or it's somehow the way
3	in which they made the welds at V. C. Summer, which
4	has probably contributed to what they observe there.
5	MR. SHENG: Yes, but right now we
6	MEMBER FORD: The answer is yes.
7	MR. SHENG: We identify that for
8	MR. SNOW: This is Tom Snow. Would you
9	like me to comment on that? I am with Dominion,
10	obviously.
11	The nozzles on the reactor vessel are
12	carbon steel, of course, with a stainless steel safe
13	end attached. The piping for the reactor coolant
14	system is all stainless steel. So we are going from
15	a stainless steel safe end to a stainless steel piping
16	with a stainless steel weld.
17	MEMBER FORD: And the weld is 308?
18	MR. SNOW: I do not know exactly whether
19	it is 308. I would have to check on that.
20	MEMBER FORD: Is there a stainless steel
21	liner in the piping, too?
22	MR. SNOW: The nozzle, carbon steel
23	nozzle, is clad with stainless steel, yes.
24	MEMBER LEITCH: And those comments apply
25	to both North Anna and Surry?
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE , N.W         (202) 234-4433         WASHINGTON, D.C. 20005-3701         www nealrgross com

	295
1	MR. SNOW: Those comments do apply to both
2	Surry and North Anna.
3	MEMBER LEITCH: Thank you.
4	MR. SHENG: Okay. So the good news is
5	that they don't have the vulnerable welds on the
6	primary loop, but they do have these types of welds on
7	some other portion within the RCS system and basically
8	I think the LBB on the reactor coolant pump weld, I
9	think in that nozzle, the outlet nozzle, to the
10	reactor coolant pump. So basically we still have to
11	attack this issue, to resolve this issue, even if they
12	don't have that type of weld on the primary loop.
13	Now talking about how to resolve the issue
14	plant specifically under 10 CFR Part 50, first we have
15	to rely on the interim conclusion from the generic
16	investigation. And the conclusion from that is that
17	there is no immediate safety concern. The reason is
18	that the reason is because first the industry
19	CHAIRMAN APOSTOLAKIS: So there will be a
20	concern at some point?
21	MR. SHENG: Yes, there will be.
22	CHAIRMAN APOSTOLAKIS: When?
23	MR. SHENG: Let me give you some comfort
24	about why we say there is no immediate safety concern.
25	Then when I proceed, I will answer your question
	NEAL R. GROSS
	1323 RHODE ISLAND AVE, N.W.

	296
1	gradually.
2	CHAIRMAN APOSTOLAKIS: Sure.
3	MR. SHENG: Okay. The reason there is no
4	immediate safety concern, first we have the industry
5	has performed analysis because we don't know the
6	situation. Suppose that we have equal opportunity to
7	have axial flaw and circumferential flaw. Then how
8	about the driving force? Which one is going to have
9	a much, much bigger driving force?
10	So the industry performed a final analysis
11	basically assimilating that the welding process layer
12	by layer analysis and also reflecting the excessive
13	review work, which is very special to these Loop A
14	welds.
15	The result of this study shows that the
16	stresses, the residual stresses, are much, much higher
17	for the axial flaw. So the implication is that if you
18	do have a flaw created somewhere, then the axial flaws
19	tend to grow much faster.
20	MEMBER WALLIS: We heard all of this
21	before with the control rod drive mechanisms.
22	MR. SHENG: I understand. Yes, but the
23	situation may be a little different because
24	MEMBER WALLIS: It's a bigger plant.
25	MR. SHENG: In addition to the industry's
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

analysis, NRC has also contracted Batel to do a 1 similar analysis but, of course, more extensive with 2 a lot of assumed cases with a different, say, wording 3 from ID and wording from OD because of the lack of 4 information assuming we have reworded this way and 5 So we have like probably more than ten 6 that way. 7 cases to be analyzed. The Batel result is able to put down some 8 kind of number in the conclusion, which said that the 9 axial flaw, the growth rate for the axial flaw, is at 10 least two times larger than the growth rate of the 11 12 circumferential flaw. So based on this analytical work, you can 13 see that the role of these kinds of excessive reworks 14 will play in defining the residual stresses which 15 cause that through-wall axial flaw. 16 Now, this is the analytical side because 17 usually when you have a theory, you need something to 18 validate it, to support it. So let's now take a look 19 20 at what we have seen for the V. C. Summer. The V. C. Summer only indicates a through-wall, also axial flaw. 21 In addition, we have two other four-ring 22 RINGO 3, we cases, which are RINGO 3 and RINGO 4. 23 discovered two axial flaws. In RINGO 4, they 24 discovered four axial flaws. So you can see that the 25 NEAL R. GROSS

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	298
1	evidence that we have found so far from the industry
2	domestically and for foreign plants, they also show
3	axial flaws.
4	But, of course, in the V. C. Summer, V. C.
5	Summer is the only plant which also shows a
6	circumferential flaw. But they are not that
7	extensive.
8	MEMBER WALLIS: So you are arguing that
9	the axial flaws will incur first, and you will detect
10	them before you will get any circumferential flaws?
11	MR. SHENG: That's right.
12	MEMBER WALLIS: You have to detect those
13	axial flaws, as my colleague said over here.
14	MR. SHENG: That's right. That's right.
15	I should be able to do that. I think some of the
16	members had pointed out last time that they don't have
17	confidence in the UT methodology right now because you
18	learned that some flaws can be found in V. C. Summer
19	by ET, but it cannot be verified by UT.
20	I just want to point out that since the
21	discovery of the V.C. Summer issue, that the UT
22	methodology has been improved significantly. For
23	instance, when the second time, when V. C. Summer
24	personnel went to investigate those four flaws, at
25	this time they could detect two of them. So if it
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

П

www nealrgross com

	299
1	would be better, they could have had all four of them.
2	But at least they now can detect two of them.
3	MEMBER WALLIS: These are all plausible
4	arguments.
5	MR. SHENG: So it's a qualitative
6	improvement, but the key thing is what the licensee is
7	going to do and what the industry is going to do in
8	their future inspections. Basically
9	MR. KUO: Simon?
10	MR. SHENG: Yes?
11	MR. KUO: I'm sorry. I have to interrupt
12	you a little bit. Let's not sidetrack the issue. We
13	are talking about the North Anna and the Surry.
14	MR. SHENG: Yes. I'm going to address
15	that now. Yes. I just say that the licensee will
16	conduct future inspections using performance
17	demonstration. The key component of that performance
18	demonstration is a blind mock-up qualification per
19	ASME Appendix VIII required by 10 CFR 50.55a.
20	MEMBER WALLIS: Excuse me. What does
21	ten-year ISI program mean? Does it mean that you
22	inspect every ten years or does it mean something
23	else?
24	MR. SHENG: No. It's just that in their
25	ISI program, they have scheduled to inspect certain
	NEAL R. GROSS
	1323 RHODE ISLAND AVE, N W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

	300
l	piping at a certain time.
2	VICE-CHAIRMAN BONACA: Well, a given
3	location would be inspected over ten years.
4	CHAIRMAN APOSTOLAKIS: I think Professor
5	Wallis is right.
6	MEMBER WALLIS: So something could happen
7	in that ten years that is not detected.
8	MR. SHENG: That's right, but remember
9	that
10	MEMBER WALLIS: So are you going to go
11	through the old argument that flaws grow so slowly
12	that in ten years, it's okay to wait ten years to find
13	them?
14	MR. SHENG: No. It's more than that
15	because
16	MEMBER WALLIS: More than ten years?
17	MR. SHENG: No, no, no. Now we are
18	addressing the plant-specific issues now. That's why
19	you have these questions. Remember that we are also
·20	resolving these generically. For instance, in 2001,
21	some plants have conducted a thorough inspection of
22	their primary loop hiking, which is these three plants
23	are let's see. I have their names here. It's
24	McGuire I, Salem I, and Robinson II.
25	So basically you have V. C. Summer and
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

	301
1	RINGO 3 and 4. We have three plants, three additional
2	plants, which show no flaw similar to what we have
3	MEMBER WALLIS: Are they younger or older
4	than Surry and North Anna, these older plants?
5	MR. SHENG: You are talking about the
6	vintage of the plants.
7	VICE-CHAIRMAN BONACA: And they have
8	cracks.
9	MR. SHENG: Yes, they have cracks, but
10	they have subsurface cracks.
11	MEMBER WALLIS: Are they older or younger
12	than Surry and North Anna, these three plants you
13	cited?
14	MR. SHENG: These three plants. Let me
15	see. I know that Robinson is
16	MR. CORBIN: This is Bill Corbin with
17	Dominion.
18	Robinson is a similar vintage as Surry.
19	Surry is the older of our plants.
20	MR. SHENG: And McGuire, I don't know.
21	But, as I said, if I entirely rely on the North Anna
22	and the Surry inspection results, it may not be
23	enough.
24	Every year some other plant will turn in
25	their inspection results for not just the primary loop
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

ł,

302 welds but also some other pipings involved in 82/182 1 welds. Then each year I will receive probably nine or 2 ten inspection results using much more reliable UT 3 inspections. Then maybe at a certain time we can make 4 a decision and say that, really, V. C. Summer is a 5 plant-specific issue. 6 MR. BATEMAN: Simon, can we please move to 7 North Anna and Surry now and stay off of Summer and 8 9 all of these other plants which aren't germane to this discussion? 10 11 MR. SHENG: Sure. MR. BATEMAN: Good. Let's start with 12 North Anna, please. 13 I have already said that --MR. SHENG: 14 Is this a true statement 15 MEMBER LEITCH: that North Anna and Surry have committed to use the 16 best industry practice that is available today? 17 MR. SHENG: Yes. 18 MEMBER LEITCH: And if in the future years 19 better practices are developed, they will use those 20 better practices. Is that true? 21 MR. SHENG: Well, by definition, they use 22 23 blind mock-up. MEMBER LEITCH: That's today's practice, 24 25 today's best practice. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., NW. www.nealrgross.com (202) 234-4433 WASHINGTON, D C 20005-3701

	303
1	MR. BATEMAN: Excuse me. This is Bill
2	Bateman on the staff.
3	The specific practice in 50.55a was
4	basically supposed to be achieved by the industry by
5	November 22nd. Industry did not make that date. So
6	we're dealing with that the present.
7	MR. SHENG: Yes, but the
8	MR. BATEMAN: Simon, just finish up with
9	North Anna and Surry, please.
10	MEMBER WALLIS: Well, when you had all of
11	this discussion, how did you close the North Anna and
12	Surry issue before you got on to what was supposed to
13	be a red herring here?
14	MR. SHENG: Yes. As I said, we cannot
15	close it right now.
16	MEMBER WALLIS: You cannot close it right
17	now?
18	MR. SHENG: Right.
19	MEMBER WALLIS: Okay.
20	MR. SHENG: That's why I say that the only
21	conclusion I acknowledge is there is no immediate
22	safety concern. The conclusion, the interim
23	conclusion, is that there is no immediate safety
24	concern. So we are resolving it.
25	MR. BATEMAN: This is Bill Bateman.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	304
1	MR. SHENG: receiving reliable
2	inspection data the next few years.
3	MR. BATEMAN: This is Bill Bateman, NRR.
4	I think Simon made it clear in his
5	presentation that there are no Alloy 82/182 welds on
6	the hot or cold leg here. So the situation that we
7	are talking about here, the similar metal weld
8	inspection that Simon was referring to, really does
9	not apply to North Anna and Surry. We've got
10	stainless steel welds in these locations.
11	MR. TABATABAI: And, as you mentioned, Mr.
12	Leitch, Dominion is committed to perform the
13	state-of-the-art inspection program as it becomes
14	available as industry makes progress in that regard
15	and also they are committed with the next scheduled
16	inspection they have to use this improved and enhanced
17	duty inspection program. That is how the staff closed
18	the issue of V. C. Summer in North Anna and Surry.
19	From the staff's point of view, the issue
20	of V. C. Summer is closed because it does not apply to
21	North Anna and Surry. The V. C. Summer issue is big,
22	reviewed and evaluated by the staff generically and
23	outside the license renewal issue.
24	MEMBER LEITCH: We're at a bit of a time
25	press here. We still need to talk about
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.G. 20005 2701

erosion/corrosion. 1 Let's 2 VICE-CHAIRMAN BONACA: however, on the other hand, there is an issue about 3 This seems to me it has generic 4 the industry. implications to inspections because at least I am not 5 a collusional person, but I have always had trust that 6 7 these ten-year inspections were sufficient to identify flaws. 8 I have a concern now because we hear that, 9 in fact, they are not going to be able to identify 10 So that is a real concern. I don't know to flaws. 11 what extent it is a generic issue, but it is. 12 13 MEMBER FORD: Can I just ask one question? Which of the parts of the reactor cooling system have 14 15 82/182 in it? In your second bullet, you said --MR. TABATABAI: No. They don't have any 16 17 82/182 at the primary system. They have others --MR. SHENG: They have reactor coolant pump 18 19 or in that nozzle. So basically they have something 20 MR. AITKEN: This is Paul Aitken. 21 other locations we have are at our North Anna facility 22 in our pressurizer nozzles and our steam generator 23 nozzles, not in our reactor coolant pump locations. 24

> MEMBER FORD: And this is а

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

www nealrgross com

The

305

note,

<ol> <li>low-temperature plant?</li> <li>MR. AITKEN: Low-temperature,</li> <li>Correct. There may be low-temperature plants at</li> <li>locations. I mean, it's normal operating,</li> </ol>	yes. both 600
2 MR. AITKEN: Low-temperature, 3 Correct. There may be low-temperature plants at 4 locations. I mean, it's normal operating,	yes. both 600
Correct. There may be low-temperature plants at locations. I mean, it's normal operating,	both 600
4 locations. I mean, it's normal operating,	600
5 degrees.	
6 MEMBER FORD: The location of those 82	2/182
7 welds, are they low-temperature or not?	
8 MR. AITKEN: No, no, no.	
9 MR. BATEMAN: This is Bill Bateman or	n the
10 staff.	
Just a little comment there. I think	k you
12 may note, Dr. Ford, that North Anna II is repla	acing
13 their head because of the deteriorating of the a	alloy
14 82/182 welds in those vessel head penetrations.	So
15 they are considered a high-susceptibility plant	
16 MR. AITKEN: But not to focus on	the
17 coolant pumps as much as just at North Anna, it	's in
18 our pressurizer and generator nozzle location	s is
19 where we have those other situations.	
20 MEMBER SHACK: You must have instru	ument
21 nozzles, too, also?	
22 MR. AITKEN: Correct. That's corr	rect.
23 That's correct. Spray nozzles.	
24 MEMBER SHACK: Steam generator?	
25 MR. AITKEN: At North Anna.	
NEAL R. GROSS	
(202) 234-4433 WASHINGTON. D C 20005-3701 www.nealrg	ross.com

1	307
ı	MEMBER SHACK: At North Anna?
2	MR. AITKEN: And pressurizers in North
3	Anna.
4	MEMBER SHACK: You replaced the steam
5	generator at Surry. That was a 182 weld or that is a
6	308 weld?
7	MR. AITKEN: That is not a 182, but I
8	don't know the exact material. We do know that it's
9	not 82/182, correct.
10	MEMBER FORD: If someone could get back to
11	us as to is it 308 or is it 247?
12	MR. SHENG: We'll get back to you on that.
13	MEMBER FORD: Three forty-seven would give
14	me concern.
15	MR. SHENG: If there aren't any other
16	questions in the V. C. Summer area, I am going to turn
17	to Kristoff Parczewski, who is going to talk about the
18	flow-accelerated program.
19	MR. PARCZEWSKI: My name is Kristoff
20	Parczewski. I am a member of the Materials and
21	Chemical Engineering Branch at NRR.
22	I am going to talk about the
23	corrosion/erosion in North Anna/Surry plant.
24	Erosion/corrosion occurs in the components made out of
25	steel. If you have another type, it is completely
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

immune to erosion/corrosion.

1

17

Anna/Surry plants, Tn North these 2 components are located in five systems. I made a 3 mistake. There should have been another, main steam, 4 5 I missed on the slides. Those components of this system are crediting the flow facility to corrosion 6 7 program.

Flow-accelerated corrosion has two 8 9 One aspect is predictive. It predicts the aspects. erosion/corrosion before they produce. 10 The second try to reduce flow-accelerated 11 aspect is just 12 corrosion but change the operating condition. And both are addressed by this licensee. 13

14MEMBER WALLIS:Can I ask you about15CHECKWORKS?You've got some numbers from CHECKWORKS16later on.

MR. PARCZEWSKI: Yes.

MEMBER WALLIS: CHECKWORKS is not a very
precise predictive tool. It's a good one.

20 MR. PARCZEWSKI: Yes. I am going to just 21 mention it.

22 MEMBER WALLIS: Maybe when you present the 23 numbers, you can say something about how accurate they 24 are because you got very accurate numbers for the 25 predicted rate of wall thinning. I just don't think

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N.W.

> > WASHINGTON, D C 20005-3701

(202) 234-4433

www.nealrgross.com

	309
1	CHECKWORKS comes anywhere near giving that accuracy of
2	predictive.
3	MR. PARCZEWSKI: It's probably the best in
4	existence.
5	MEMBER WALLIS: That may be true, but
6	there are lots of things that are the best in
7	existence.
8	MR. PARCZEWSKI: I think from my
9	experience, I think the predictable is fairly reliable
10	and I think it is a very useful tool.
11	MEMBER WALLIS: I just want a number that
12	says how precisely they can predict.
13	CHAIRMAN APOSTOLAKIS: When will these
14	numbers be shown, next slide?
15	MEMBER WALLIS: Next slide, right.
16	CHAIRMAN APOSTOLAKIS: Okay. Let's wait
17	until next slide.
18	MR. TABATABAI: Dr. Wallis, I just wanted
19	to refresh my memory and the full Committee's memory
20	from the subcommittee presentation we made. We wanted
21	to reach the conclusion that the flow-accelerated
22	corrosion program at North Anna and Surry is working.
23	The trend is decreasing. All of these slides we are
24	talking about is going to conclude to that, that their
25	corrosion program is working, in fact.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D C. 20005-3701 www.nealrgross.com

MEMBER WALLIS: You're predicting that if 1 you extrapolate the data, the rate of loss of material 2 is negative. Never mind. 3 CHAIRMAN APOSTOLAKIS: Well, you didn't 4 actually state it very well, but I know what you mean. 5 You said that you wanted to show. I don't know why 6 you wanted to show because there is no problem here. 7 You only wanted to reach some conclusion. And 8 9 probably that conclusion was that there is no problem. Well, Dominion has put MR. TABATABAI: 10 another program in place which relates to pH program. 11 12 They have increased the pH program that caused flow-accelerated corrosion to work effectively. And 13 they have replaced less piping over the years. That's 14 15 basically the --MEMBER LEITCH: Can we try to bring this 16 discussion to a close by 4:30? I mean, we're really 17 18 pressing time. CHAIRMAN APOSTOLAKIS: Go to the slide you 19 20 think is most important. Can you do that? MEMBER WALLIS: We didn't get to the 21 22 table. CHAIRMAN APOSTOLAKIS: The important two 23 slides that you want to use to convince the Committee 24 25 that what you are saying is correct. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , NW. WASHINGTON, D.C. 20005-3701 (202) 234-4433

310

www nealrgross com

	311
1	MR. PARCZEWSKI: All right.
2	CHAIRMAN APOSTOLAKIS: I am sorry to do
3	that to you.
4	MR. PARCZEWSKI: That is all right. Maybe
5	we'll start with the one which concerns the predictive
6	part. This is the one with the numbers.
7	CHAIRMAN APOSTOLAKIS: Yes.
8	MR. PARCZEWSKI: So this is the numbers
9	calculated by their flow-accelerated corrosion model
10	by CHECKWORKS. Maybe it is not everything. The
11	column on the right is the actual service time
12	projected to 2004. The second column
13	MEMBER WALLIS: That's the only thing we
14	know really accurately perhaps.
15	MR. PARCZEWSKI: Yes.
16	CHAIRMAN APOSTOLAKIS: Give the guy a
17	chance.
18	MR. PARCZEWSKI: I'm sorry. Repeat the
19	question.
20	MEMBER WALLIS: No. It's okay. Go back
21	from there into the
22	MR. PARCZEWSKI: So, I mean, the number is
23	predicted by the code, just to give you an idea of how
24	they look like, for the components in the feedwater
25	pipe. So this is the predictive part of the code.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	312
l	CHAIRMAN APOSTOLAKIS: But isn't it true,
2	though, that for straight pipes, the code does a
3	poorer job than it does for 90-degree angles? Is that
4	true? Does that show in this table?
5	MR. PARCZEWSKI: I'm sorry? I didn't
6	CHAIRMAN APOSTOLAKIS: If I have a
7	straight pipe, my uncertainty is higher than if I have
8	a 90-degree or 45-degree elbow.
9	MR. PARCZEWSKI: Yes.
10	CHAIRMAN APOSTOLAKIS: Yet, the table does
11	not say anything about it. Is that irrelevant to the
12	conclusion that you are going to reach?
13	MR. PARCZEWSKI: You mean between the
14	elbow and the straight pipe, different as you have
15	seen, yes?
16	CHAIRMAN APOSTOLAKIS: The predictive line
17	that is critical for straight pipe is 376,000
18	something, for 90-degree elbow is 182,000.
19	MR. TABATABAI: Dr. Apostolakis, the
20	numbers, actually, if you look at the size of the
21	column, that is a factor.
22	CHAIRMAN APOSTOLAKIS: That is a factor.
23	What do you mean?
24	MR. TABATABAI: We are talking about the
25	same size piping here. If you look at the numbers for
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE , N W.         (202) 234-4433       WASHINGTON, D C 20005-3701

	313
1	straight pipe, the size is six inches. For 90
2	degrees, we have six inches.
3	MEMBER WALLIS: Well, I'm concerned about
4	the 90-degree elbow, where the predicted time is
5	pretty close to the actual time. I don't believe you
6	predict average wear rate that accurately. I am not
7	sure that "average" is the right word to use anyway.
8	MR. BREEDLOVE: Excuse me.
9	MR. PARCZEWSKI: Yes?
10	MR. BREEDLOVE: This is Ian Breedlove. I
11	am with Dominion. I'm the FAC coordinator for Surry
12	and North Anna.
13	The actual service time, let's look at the
14	90-degree elbow where the actual service time is
15	176,920. That is the actual service time to what we
16	expect to be at at 2004. Since we used the model at
17	2004, the 182 and 18 go beyond that. They're not
18	close at all. In other words, the predicted time to
19	T <sub>crit</sub> starts at 2004.
20	CHAIRMAN APOSTOLAKIS: So 182,000 hours
21	from 2004?
22	MR. BREEDLOVE: Yes, sir. So we have
23	plenty of margin in this specific case.
24	CHAIRMAN APOSTOLAKIS: And that margin
25	presumably overwhelms the uncertainty in the
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
	314
----	---
1	estimation of the 182?
2	MR. BREEDLOVE: Yes.
3	CHAIRMAN APOSTOLAKIS: Do we have any
4	evidence that that is true?
5	MR. BREEDLOVE: We have done many
6	inspections on feedwater condensate at both stations.
7	We started in '87. We have done extensive. At Surry,
8	feedwater, we have done almost 100 percent
9	inspections.
10	CHAIRMAN APOSTOLAKIS: How small do you
11	think the 182,000 would be with some confidence?
12	MR. BREEDLOVE: I would be confident that
13	I would not have to worry about that. When the number
14	goes negative or is like 1,000 above the actual
15	service time, that is when you want to be inspecting
16	that component and making sure of where you are.
17	MEMBER FORD: I think the concern here is
18	the accuracy. I recognize that you normalize things
19	after each inspection. Just give the idea to the
20	community. Where is the average wear rate, which is
21	the average predicted wear rate presumably? You also
22	measure the wear rate. How different would those
23	numbers be? 4.16 mils per year. What would be
24	MR. BREEDLOVE: Just go out and measure
25	it?
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D.C 20005-3701 www.nealrgross.com

	315
1	MEMBER FORD: What would the wear rate be?
2	MR. BREEDLOVE: In some cases, the code is
3	right on. In some cases, it under-predicts. In some
4	cases it over-predicts.
5	MEMBER FORD: How much over-prediction?
6	MR. BREEDLOVE: It varies. CHECKWORKS
7	isn't the heart of the system. CHECKWORKS is a tool
8	that we use to predict. We back that up with
9	inspections. In our case, at both stations, we have
10	extensive inspections and will go with the one that is
11	the most conservative as far as do we need to
12	reinspect that component.
13	MEMBER WALLIS: It seems to me you are not
14	answering the question, though. The question was,
15	what is the uncertainty?
16	CHAIRMAN APOSTOLAKIS: His answer is that
17	he is comfortable that he is handling the uncertainty,
18	but he can't give you a number. Is that correct?
19	MR. BREEDLOVE: Yes, sir. The other thing
20	to keep in mind is there are two ways to model. One
21	is to just let it calculate and predict. The other is
22	when you enter the wear data, it self-corrects to your
23	actual plant conditions. So, in other words, in some
24	cases if CHECKWORKS says your wear is twice what it
25	should be, but it puts that on area.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

316
MEMBER WALLIS: I'm just wondering if
there is some way you can transfer your
CHAIRMAN APOSTOLAKIS: Does the staff
agree with this assessment? Are you comfortable that
the uncertainties are handled reasonably well?
MR. PARCZEWSKI: Yes. To my experience,
they're doing the best they could calculating with a
fairly great amount of precision. It's my experience.
CHAIRMAN APOSTOLAKIS: Precision. I'm
just curious. How does your experience lead to that?
I mean, the code predicted certain time to, and
reality confirmed that?
MR. BREEDLOVE: Can you put up the slide
that shows the iron concentration, please?
MEMBER SIEBER: Well, let me ask you a
very fundamental question. It seems to me that
flow-accelerated corrosion occurs most rapidly in
lines that are two-phase, like extraction steam.
That's where Surry had the accident,
right?
MR. BREEDLOVE: No. Surry had the
accident on the condensate piping, the suction to the
feedwater pump.
MEMBER SIEBER: Well, in any event,
extraction steam isn't listed here.
NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1MR. BREEDLOVE:Extraction steam is2included in the FAC program.3MEMBER SIEBER: Okay. It's not on the4slide.5MR. BREEDLOVE: But it is included in the6program.7MEMBER SIEBER: It seemed to me that from8my experience, the CHECKWORKS was sort of on the9conservative side. As you put in each bit of data, it10ended to correct out.11MR. BREEDLOVE: Yes, sir.12MEMBER FORD: CHECKWORKS if it had been in13existence and Surry had its accident, would it have14predicted through-wall failure?15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22to summarize your conclusions in the next 17 seconds.23MR. PARCZEWSKI: Well, my conclusion is24that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and		317
2included in the FAC program.3MEMBER SIEBER: Okay. It's not on the4slide.5MR. BREEDLOVE: But it is included in the6program.7MEMBER SIEBER: It seemed to me that from8my experience, the CHECKWORKS was sort of on the9conservative side. As you put in each bit of data, it10ended to correct out.11MR. BREEDLOVE: Yes, sir.12MEMBER FORD: CHECKWORKS if it had been in13existence and Surry had its accident, would it have14predicted through-wall failure?15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22to summarize your conclusions in the next 17 seconds.23MR. PARCZEWSKI: Well, my conclusion is24that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	1	MR. BREEDLOVE: Extraction steam is
3MEMBER SIEBER: Okay. It's not on the4slide.5MR. BREEDLOVE: But it is included in the6program.7MEMBER SIEBER: It seemed to me that from8my experience, the CHECKWORKS was sort of on the9conservative side. As you put in each bit of data, it10ended to correct out.11MR. BREEDLOVE: Yes, sir.12MEMBER FORD: CHECKWORKS if it had been in13existence and Surry had its accident, would it have14predicted through-wall failure?15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22to summarize your conclusions in the next 17 seconds.23MR. PARCZEWSKI: Well, my conclusion is24that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	2	included in the FAC program.
4       slide.         5       MR. BREEDLOVE: But it is included in the         6       program.         7       MEMBER SIEBER: It seemed to me that from         8       my experience, the CHECKWORKS was sort of on the         9       conservative side. As you put in each bit of data, it         10       ended to correct out.         11       MR. BREEDLOVE: Yes, sir.         12       MEMBER FORD: CHECKWORKS if it had been in         13       existence and Surry had its accident, would it have         14       predicted through-wall failure?         15       MR. BREEDLOVE: With the version I have         16       now, I believe so, yes.         17       CHAIRMAN APOSTOLAKIS: I have to interrupt         18       here. We're getting words that the roads are getting         19       very, very bad. The staff is very anxious to leave.         10       In fact, they were allowed to leave two hours ago, and         20       In fact, they were allowed to leave two hours ago, and         21       they agreed to stay on our behalf. So I would ask you         22       KR. PARCZEWSKI: Well, my conclusion is         23       MR. PARCZEWSKI: Well, my conclusion is         24       that we felt that the flow-accelerated corrosion         25	3	MEMBER SIEBER: Okay. It's not on the
5       MR. BREEDLOVE: But it is included in the         6       program.         7       MEMBER SIEBER: It seemed to me that from         8       my experience, the CHECKWORKS was sort of on the         9       conservative side. As you put in each bit of data, it         10       ended to correct out.         11       MR. BREEDLOVE: Yes, sir.         12       MEMBER FORD: CHECKWORKS if it had been in         13       existence and Surry had its accident, would it have         14       predicted through-wall failure?         15       MR. BREEDLOVE: With the version I have         16       now, I believe so, yes.         17       CHAIRMAN APOSTOLAKIS: I have to interrupt         18       here. We're getting words that the roads are getting         19       very, very bad. The staff is very anxious to leave.         20       In fact, they were allowed to leave two hours ago, and         21       they agreed to stay on our behalf. So I would ask you         22       to summarize your conclusions in the next 17 seconds.         23       MR. PARCZEWSKI: Well, my conclusion is         24       that we felt that the flow-accelerated corrosion         25       program predicts in sufficiently accurate and	4	slide.
6program.7MEMBER SIEBER: It seemed to me that from8my experience, the CHECKWORKS was sort of on the9conservative side. As you put in each bit of data, it10ended to correct out.11MR. BREEDLOVE: Yes, sir.12MEMBER FORD: CHECKWORKS if it had been in13existence and Surry had its accident, would it have14predicted through-wall failure?15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22KR. PARCZEWSKI: Well, my conclusion is23MR. PARCZEWSKI: Well, my conclusion is24that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	5	MR. BREEDLOVE: But it is included in the
7MEMBER SIEBER: It seemed to me that from8my experience, the CHECKWORKS was sort of on the9conservative side. As you put in each bit of data, it10ended to correct out.11MR. BREEDLOVE: Yes, sir.12MEMBER FORD: CHECKWORKS if it had been in13existence and Surry had its accident, would it have14predicted through-wall failure?15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22MR. PARCZEWSKI: Well, my conclusion is23that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	6	program.
8my experience, the CHECKWORKS was sort of on the9conservative side. As you put in each bit of data, it10ended to correct out.11MR. BREEDLOVE: Yes, sir.12MEMBER FORD: CHECKWORKS if it had been in13existence and Surry had its accident, would it have14predicted through-wall failure?15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22MR. PARCZEWSKI: Well, my conclusion is23MR. PARCZEWSKI: Well, my conclusion is24that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	7	MEMBER SIEBER: It seemed to me that from
9conservative side. As you put in each bit of data, it10ended to correct out.11MR. BREEDLOVE: Yes, sir.12MEMBER FORD: CHECKWORKS if it had been in13existence and Surry had its accident, would it have14predicted through-wall failure?15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22to summarize your conclusions in the next 17 seconds.23MR. PARCZEWSKI: Well, my conclusion is24that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	8	my experience, the CHECKWORKS was sort of on the
10ended to correct out.11MR. BREEDLOVE: Yes, sir.12MEMBER FORD: CHECKWORKS if it had been in13existence and Surry had its accident, would it have14predicted through-wall failure?15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22CMR. PARCZEWSKI: Well, my conclusion is23that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	9	conservative side. As you put in each bit of data, it
11MR. BREEDLOVE: Yes, sir.12MEMBER FORD: CHECKWORKS if it had been in13existence and Surry had its accident, would it have14predicted through-wall failure?15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22Kn. PARCZEWSKI: Well, my conclusion is24that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	10	ended to correct out.
12MEMBER FORD: CHECKWORKS if it had been in13existence and Surry had its accident, would it have14predicted through-wall failure?15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22MR. PARCZEWSKI: Well, my conclusion is24that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	11	MR. BREEDLOVE: Yes, sir.
<ul> <li>existence and Surry had its accident, would it have</li> <li>predicted through-wall failure?</li> <li>MR. BREEDLOVE: With the version I have</li> <li>now, I believe so, yes.</li> <li>CHAIRMAN APOSTOLAKIS: I have to interrupt</li> <li>here. We're getting words that the roads are getting</li> <li>very, very bad. The staff is very anxious to leave.</li> <li>In fact, they were allowed to leave two hours ago, and</li> <li>they agreed to stay on our behalf. So I would ask you</li> <li>to summarize your conclusions in the next 17 seconds.</li> <li>MR. PARCZEWSKI: Well, my conclusion is</li> <li>that we felt that the flow-accelerated corrosion</li> <li>program predicts in sufficiently accurate and</li> </ul>	12	MEMBER FORD: CHECKWORKS if it had been in
<ul> <li>14 predicted through-wall failure?</li> <li>15 MR. BREEDLOVE: With the version I have</li> <li>16 now, I believe so, yes.</li> <li>17 CHAIRMAN APOSTOLAKIS: I have to interrupt</li> <li>18 here. We're getting words that the roads are getting</li> <li>19 very, very bad. The staff is very anxious to leave.</li> <li>20 In fact, they were allowed to leave two hours ago, and</li> <li>21 they agreed to stay on our behalf. So I would ask you</li> <li>22 to summarize your conclusions in the next 17 seconds.</li> <li>23 MR. PARCZEWSKI: Well, my conclusion is</li> <li>24 that we felt that the flow-accelerated corrosion</li> <li>25 program predicts in sufficiently accurate and</li> </ul>	13	existence and Surry had its accident, would it have
15MR. BREEDLOVE: With the version I have16now, I believe so, yes.17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22cosummarize your conclusions in the next 17 seconds.23MR. PARCZEWSKI: Well, my conclusion is24that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	14	predicted through-wall failure?
<ul> <li>now, I believe so, yes.</li> <li>CHAIRMAN APOSTOLAKIS: I have to interrupt</li> <li>here. We're getting words that the roads are getting</li> <li>very, very bad. The staff is very anxious to leave.</li> <li>In fact, they were allowed to leave two hours ago, and</li> <li>they agreed to stay on our behalf. So I would ask you</li> <li>to summarize your conclusions in the next 17 seconds.</li> <li>MR. PARCZEWSKI: Well, my conclusion is</li> <li>that we felt that the flow-accelerated corrosion</li> <li>program predicts in sufficiently accurate and</li> </ul>	15	MR. BREEDLOVE: With the version I have
17CHAIRMAN APOSTOLAKIS: I have to interrupt18here. We're getting words that the roads are getting19very, very bad. The staff is very anxious to leave.20In fact, they were allowed to leave two hours ago, and21they agreed to stay on our behalf. So I would ask you22to summarize your conclusions in the next 17 seconds.23MR. PARCZEWSKI: Well, my conclusion is24that we felt that the flow-accelerated corrosion25program predicts in sufficiently accurate and	16	now, I believe so, yes.
18 here. We're getting words that the roads are getting 19 very, very bad. The staff is very anxious to leave. 20 In fact, they were allowed to leave two hours ago, and 21 they agreed to stay on our behalf. So I would ask you 22 to summarize your conclusions in the next 17 seconds. 23 MR. PARCZEWSKI: Well, my conclusion is 24 that we felt that the flow-accelerated corrosion 25 program predicts in sufficiently accurate and	17	CHAIRMAN APOSTOLAKIS: I have to interrupt
<ul> <li>19 very, very bad. The staff is very anxious to leave.</li> <li>20 In fact, they were allowed to leave two hours ago, and</li> <li>21 they agreed to stay on our behalf. So I would ask you</li> <li>22 to summarize your conclusions in the next 17 seconds.</li> <li>23 MR. PARCZEWSKI: Well, my conclusion is</li> <li>24 that we felt that the flow-accelerated corrosion</li> <li>25 program predicts in sufficiently accurate and</li> </ul>	18	here. We're getting words that the roads are getting
In fact, they were allowed to leave two hours ago, and they agreed to stay on our behalf. So I would ask you to summarize your conclusions in the next 17 seconds. MR. PARCZEWSKI: Well, my conclusion is that we felt that the flow-accelerated corrosion program predicts in sufficiently accurate and	19	very, very bad. The staff is very anxious to leave.
21 they agreed to stay on our behalf. So I would ask you 22 to summarize your conclusions in the next 17 seconds. 23 MR. PARCZEWSKI: Well, my conclusion is 24 that we felt that the flow-accelerated corrosion 25 program predicts in sufficiently accurate and	20	In fact, they were allowed to leave two hours ago, and
to summarize your conclusions in the next 17 seconds. MR. PARCZEWSKI: Well, my conclusion is that we felt that the flow-accelerated corrosion program predicts in sufficiently accurate and	21	they agreed to stay on our behalf. So I would ask you
23 MR. PARCZEWSKI: Well, my conclusion is 24 that we felt that the flow-accelerated corrosion 25 program predicts in sufficiently accurate and	22	to summarize your conclusions in the next 17 seconds.
24 that we felt that the flow-accelerated corrosion 25 program predicts in sufficiently accurate and	23	MR. PARCZEWSKI: Well, my conclusion is
25 program predicts in sufficiently accurate and	24	that we felt that the flow-accelerated corrosion
	25	program predicts in sufficiently accurate and
NEAL R. GROSS		NEAL R. GROSS
(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com		(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	318
1	conservative ways that we can assume the results are
2	acceptable.
3	CHAIRMAN APOSTOLAKIS: Mr. Leitch, is
4	there anything else?
5	MEMBER LEITCH: I think that concludes
6	that. There is just one other question I had. That
7	is, what are the proposed license conditions? Do we
8	know at this point what they will be?
9	MR. TABATABAI: Mr. Weisman is here from
10	OGC, but as far as licensing condition, we have only
11	one issue in regards to scoping and aging management
12	of fuse holders. Dominion has agreed to comply with
13	what the resolution of the staff's position is
14	regarding the cooperation of fuse holders.
15	MEMBER LEITCH: Okay. Thank you.
16	Are there any other questions from the
17	members?
18	MR. ROSEN: Do you plan to go around the
19	table and give the applicant some sense of what the
20	members have?
21	CHAIRMAN APOSTOLAKIS: No, not today, not
22	now.
23	MEMBER LEITCH: Mr. Chairman, back to you.
24	CHAIRMAN APOSTOLAKIS: Thank you, Graham.
25	Thank you, gentlemen. Thank you very much.
	NEAL R. GROSS
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www nealrgross com

	319
1	We have nowhere to go. So we'll stay.
2	We'll stay. But let me tell you what is happening.
3	There are a few decisions we have to make regarding
4	certain urgent matters after the break. The break
5	will be until 4:55. But there is something really
6	urgent right now, and I would like the members to go
7	immediately to the separate meeting only. Please do
8	that. And then you take a break, the staff, too, but
9	it is really urgent for the members to go. There is
10	a decision that needs to be made either way.
11	Thank you very much everybody else. Enjoy
12	the roads.
13	(Whereupon, the foregoing matter went off
14	the record at 4:35 p.m.)
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE , N.W. (202) 234-4433 WASHINGTON, D.C 20005-3701 www.nealrgross.com

#### CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: Advisory Committee on

	Reactor	Safeguards	$498^{th}$
	Meeting -	OPEN SESSION	r
Docket Number:	(Not Appl	icable)	
Location:	Rockville	, Maryland	

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.

becra \

Rebecca Davis Official Reporter Neal R. Gross & Co., Inc.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N W WASHINGTON, D C 20005-3701



## Advisory Committee on Reactor Safeguards 498th Meeting Plant License Renewal

Surry and North Anna Power Stations, Units 1 and 2

December 5, 2002

1



## Participants

- Dominion
  - ◊ Bill Corbin Director, Nuclear Projects
  - ◊ Paul Aitken LR Supervisor
  - ◊ Mike Henig LR Supervisor
  - ◊ Tom Snow LR Lead
  - ◊ John Harrell NA&F Supervisor



## Purpose of Meeting

• Provide NRC staff with an overview of the license renewal applications for Surry and North Anna Power Stations



## Background

- License Renewal Applications submitted May 29, 2001
- Format consistent with NEI 95-10, Revision
   3 and NUREG 1800 (SRP), Draft, August
   2000
- Class of '01 not expected to use the Draft GALL report



## LRA Format

- Consistent with SRP Draft, August 2000 and NEI 95-10, Revision 3
- Sections discussed today
  - ◊ Section 2: Scoping and screening methodology and results
  - ◊ Section 3: AMR results Mechanical, Structural, Electrical
  - ◊ Section 4: Time Limited Aging Analyses
  - ◊ Appendix A: UFSAR Supplement
  - ♦ Appendix B: Aging management activities
  - ◊ Appendix C: Aging management review methodology\*
  - ◊ Appendix E: Environmental Report Supplement
    - \* Reviewers Aid not required by SRP or NEI 95-10



## Section 2:

Scoping Methodology and Results

• Used 10CFR54.4 Rule Scoping "Criteria" Criterion 1: safety-related Criterion 2: non-safety-related affecting safety-related

Criterion 3: the five regulated events (FP, EQ, PTS, ATWS, SBO)

• Individual Tables: Systems in Scope Structures in Scope

Systems <u>not</u> in Scope <sup>6</sup> Structures <u>not</u> in Scope <sup>6</sup>



# Section 2: Screening Methodology

- Mechanical Screening Overview
  - Reviewed documentation sources to identify system intended functions.
  - Used component database in conjunction with other documentation sources to identify components supporting these functions.
  - ◊ Developed license renewal boundary drawings.



# Section 2:

# Screening Methodology (cont.)

- Civil/Structural Screening Overview
  - Reviewed documentation sources to identify structural intended functions.
  - Used structural detail drawings to identify structural members supporting these functions.
- Electrical/I&C Screening Overview
  - Passive electrical/I&C components screened on a plantlevel basis as commodities



## Section 2: Screening Results

- Screening Results Sections (Mechanical, Structural, Electrical/I&C)
  - ♦ Description
  - $\diamond$  UFSAR Reference hyperlink
  - ◊ License Renewal Boundary Drawings\* hyperlink
  - ◊ Components Subject to AMR hyperlink to table
  - \* mechanical systems only



## Section 3:

## Aging Management Review

- Each AMR Results Section
  - ◊ System/Component description reference
  - ◊ AMR results tables
  - ◊ Generic Topical Report applicability, applicant action item response table if applicable - N/A for structures and electrical/I&C)
  - ◊ Materials
  - ◊ Environment descriptions
  - ◊ Aging effects
  - ◊ TLAA (if applicable)
  - ◊ Aging management activities



## Section 3: AMR Results

Component Group	Passive Function	Material Group	Environment	Aging Effects Requiring Management	Aging Management Activity
Bolting	PB	Carbon Steel and Low-alloy Steel	(E) Air	None	None Required
			(E) Borated Water Leakage	Loss of Material	Boric Acid Corrosion Surveillance
					General Condition Monitoring Activities
Filters/Strainers	PB,FLT	Stainless Steel	(E) Air	None	None Required
			(I) Treated Water	Loss of Material	Chemistry Control Program for Primary Systems
Flow Elements	PB,RF	Stainless Steel	(E) Air	None	None Required
			(I) Treated Water	Loss of Material	Chemistry Control Program for Primary Systems
Instrument Valve	re PB	PB Starnless Steel	(E) Air	None	None Required
Rosembles			(I) Treated Water	Loss of Material	Chemistry Control Program for Primary Systems
Instrument Valve Assemblies	PB	Stamless Steel	(E) Atmosphere / Weather	Loss of Material	General Condition Monitoring Activities
			(I) Treated Water	Loss of Material	Chemistry Control Program for Primary Systems
Nozzlas	SP	Brass	(E) Air	None	None Required
			(1) Air	None	None Required
Pipe	PB	Stainless Steel	(E) Air	None	None Required
			(1) Air	None	None Required
Pipe	PB	Stainless Steel	(E) Air <sup>1</sup>	Loss of Material	General Condition Monitoring Activities
			(I) Treated Water	Loss of Material	Chemistry Control Program for Primary Systems

11



Section 4: Time-Limited Aging Analyses Results

- Generic TLAAs
  - ◊ Reactor vessel neutron embrittlement
  - ◊ Metal Fatigue (including EAF)
  - ◊ Environmental Qualification (EQ)
  - Containment tendon prestresses (not applicable)
  - ◊ Containment liner plate and penetration fatigue



## Section 4:

Time-Limited Aging Analyses Results (cont.)

- Plant-specific TLAAs
  - ◊ Crane load cycle limit
  - ◊ RCP flywheel
  - ◊ Leak-before-break
  - ◊ Spent fuel pool liner
  - Piping subsurface indications
  - ◊ RCP Code Case N-481



## Appendix A: UFSAR Supplement

 This section provides summaries of the programs and activities credited for managing the effects of aging. Each aging management program or activity accomplishes one or more of the four functions, as listed in the Standard Review Plan for License Renewal: Prevention, Mitigation, Condition Monitoring, and Performance Monitoring.



# Appendix B: Aging Management Activities

- Existing Activities 19
   Chemistry Control, ISI, Boric Acid Corrosion...
- New Activities 4
  - ◊ Buried Pipe and Valve Inspections
  - Infrequently Accessed Areas Inspections
  - ◊ Tank Inspections
  - ◊ Cable Monitoring (added after submittal)



# Appendix B:

Aging Management Activities (cont.)

- Operating Experience
  - Industry and in-house operating experience has been incorporated into aging management activities through the corrective action process
  - Operating experience reviews were performed to identify specific aging issues that apply to structures, systems and components



# Aging Management Review Methodology - Appendix C

- Not required Reviewers Aid Explains:
  - ♦ Grouping of systems, structures, and major
     components consistent with SRP and NEI 95-10

,

· · · ·

- ◊ Short-lived components and consumables
- Aging effects and mechanisms evaluated



# Appendix E: Environmental Report

- Environmental Report and Review Process:
  - ◊ Environmental Review performed IAW NEPA
  - ◊ Environmental Impacts evaluated IAW NUREG-1437 GEIS ('96, '99)
  - ◊ Severe Accident Mitigation Alternatives (SAMAs) were reviewed and results incorporated
- Environmental Report Results:
  - Environmental Impacts are Small and Smaller Than
     Reasonable Alternatives



## **Closing Remarks**

The effects of aging associated with Surry and North Anna will be adequately managed so that there is reasonable assurance that the intended function(s) will be maintained consistent with the current licensing basis during the period of extended operation.

## FRAMATOME-ANP RLBLOCA METHODOLGY STAFF SER

RALPH R. LANDRY REACTOR SYSTEMS BRANCH, NRR DECEMBER 5, 2002

### FRAMATOME-ANP RLBLOCA

STAFF SER

2

MILESTONES IN REVIEW
REVIEW TEAM
REVIEW RESULTS
CONCLUSIONS

· . A



### FRAMATOME-ANP RLBLOCA

STAFF SER OVERVIEW

- PIRT REPRESENTS PHENOMENA BY TRANSIENT PHASES
- FROZEN CODE VERSION

٠.

- HEAT TRANSFER MODELLING EVALUATED -DISAGREEMENT OVER FORSLUND-ROHSENOW USE
- DECAY HEAT USES ANSI/ANS-5.1-1979

### FRAMATOME-ANP RLBLOCA

5

6

STAFF SER OVERVIEW

- ASSESSMENT MATRIX INCLUDES SEPARATE EFFECTS AND INTEGRAL TESTS
- USED LATEST TEST PROGRAM 2D/3D
- STAFF DID SPOT CHECKING OF CODING
- STAFF RAN NUMEROUS PARAMETRIC STUDIES
- UNCERTAINTY METHODOLOGY USES NON-PARAMETRIC ORDER STATISTICS
- BREAK TYPE AND SIZE TREATED STATISTICALLY



. .



. 2

ADDRESSES THE LICENSING REQUIREMENTS FOR A VARIETY OF SIMILARLY DESIGNED NUCLEAR POWER PLANTS

APPLICABLE TO 3- AND 4-LOOP WESTINGHOUSE AND CE DESIGNS

APPLIES TO BOTTOM REFLOOD ONLY

DOES NOT DETERMINE LONG TERM COOLABILITY

10



Davis-Besse Reactor Vessel Head Damage

November 2002

This is the third periodic update on the NRC response to the reactor vessel head damage at the Davis-Besse Nuclear Power Station. The updates will be available at public meetings of the NRC Davis-Besse Oversight Panel which is coordinating the agency's activities related to the damage. Each update will include background information to assist the reader in understanding issues associated with the corrosion damage.

## **Findings of Completed NRC Inspections**

These inspections have been completed, and the reports are in preparation. When issued, the reports will be posted on the NRC's web site at: http://www.nrc.gov - select "Davis-Besse" from the list of key issues.

• Containment Extent of Condition Inspection, Part 2, found that plant personnel were properly trained and qualified to identify components and systems inside the containment building that could be affected by boric acid deposits and corrosion. They used adequate tools and followed adequate quality standards and guidance.

> Before the NRC closes this issue, however, FirstEnergy has to complete their analysis of some unresolved items, such as corrective actions for boric acid corrosion of the electrical conduit and the containment air coolers and resolution of the origin of the corrosion staining found on the bottom of the reactor vessel.

### **Ongoing NRC Inspections:**

- 1. *Management and Human Performance Inspection* is evaluating FirstEnergy's root cause analysis associated with management, organizational effectiveness and human performance factors that are believed to have led to the degradation of the reactor head. The inspection is also focusing on the licensee's efforts towards creating a more safety-focused environment.
- 2. The Program Effectiveness Inspection is reviewing the plant's progress in creating more effective programs for such areas as corrective actions, boric acid corrosion control, modification control and others.
- 3. The two NRC resident inspectors continue their inspections of day-to-day activities at the Davis-Besse plant as well as supporting the specific inspections underway.

During the first part of the inspection, conducted in September, NRC inspectors found that, in some instances, plant personnel performing these inspections weren't properly trained and certified and found weaknesses in equipment used and quality assurance procedures. After FirstEnergy addressed these problems, NRC inspectors reviewed inspection methods, observed plant personnel performing inspections, and conducted independent examinations of components in containment.

Reactor Vessel Head Replacement Inspection found that the old reactor vessel head was safely removed from the containment and stored; the procedures and methods used to open the containment

The NRC Lessons Learned Task Force will present its findings and receive comments in a public meeting at 7 p.m., Wednesday, November 20, in the Auditorium of the Oak Harbor High School.

#### NRC Update: Davis-Besse Reactor Vessel Head Damage

2

and close it after the new head was moved into containment were adequate; and plant management used appropriate methods to ensure high quality of work being performed. As part of this inspection, the NRC also reviewed the technical part of Davis-Besse's root cause report for the boric acid corrosion of the reactor vessel head and found that the plant's analysis represented an acceptable scenario for the degradation.

The inspection determined that the replacement head meets the applicable American Society of Mechanical Engineers codes. Inspectors reviewed the material and welds on the head and found that it was an acceptable replacement.

*Systems Health Inspection* is reviewing the plant's assessment of important safety systems. NRC inspectors reviewed FirstEnergy's program for evaluating safety system health, observed and evaluated the implementation of the program by plant personnel, and conducted independent inspections of plant systems. The results of this inspection showed that the licensee's systems health program was effective and that the licensee had identified a significant number of problems requiring resolution.

NRC inspectors also conducted a design review of three plant systems and found substantive issues requiring further review by FirstEnergy. As a result, the licensee has initiated a "collective significance" review of the NRC's findings and the plant's own inspection results in the system health area to formulate an appropriate plan of action.

**The Resident Inspectors' Report 02-10,** issued October 30, documents inspections of activities such as adverse weather preparation, equipment alignment, plant modifications, and maintenance risk assessment. The findings included one low-level violation for an inadequate procedure dealing with scaffolding placement and several observations regarding implementation of the Return to Service Plan.

#### **Results of Bottom Nozzle Tests Are Inconclusive**

FirstEnergy identified rust stains on the bottom of the reactor vessel earlier this year. The stains became visible in June when plant workers removed the insulation from the reactor vessel in order to examine its condition. The licensee believes the stains probably resulted from previous cleaning of the reactor vessel head. A less likely possibility was that the stains resulted from leakage from the penetrations for incore monitoring tubes. There has been no history of such leakage in other U.S. pressurized water reactors. There are 52 tubes, each less than one inch in diameter, which contain incore monitoring devices used to measure conditions in the reactor.



The utility's consultant, Framatome, compared the chemical composition of the corrosion on the top of the reactor vessel head to the stains on the bottom. The testing showed some variation between chemical composition of corrosion products from the top of the reactor and stains on the bottom. The analyses, however, did not provide a conclusive link to the upper vessel head cleaning, nor did they show evidence of leakage from the incore tube penetrations.

Davis-Besse is reviewing its options for definitive testing of the bottom nozzles for leaks. The NRC will review the utility's testing and inspection plans and monitor the tests. The issue will be resolved prior to the NRC considering whether the plant can restart.

### **NRC Denies Petition For Independent Review**

On October 15, the NRC denied a petition, submitted by several public interest groups under Section 2.206 of the agency's regulations. The groups sought an independent third-party review of all reactor head issues at Davis-Besse. The petition was denied because such a review would unnecessarily duplicate the agency's activities. The NRC is addressing the technical and human performance problems at Davis-Besse raised in the petition through its Oversight Panel activities. Issues regarding the agency's regulatory performance were addressed by the Lessons Learned Task Force. The task force report and recommendations are currently under review by a special management review team which will formulate proposed actions by the agency.

The denial decision and the petition are available for review on the NRC's web site at: http://www.nrc.gov - select "Davis-Besse" under key issues and then select "controlled correspondence."

#### **Sump Screen Improvement**

The NRC is reviewing a FirstEnergy initiative to increase the area of the sump strainers in the reactor containment at Davis-Besse. The sump is a collection point for water that would be recirculated for reactor

cooling in the event of a loss-of-coolant accident. This sump modification, which was not required by the NRC, has been initiated by FirstEnergy to ensure that the strainers do not get clogged by debris which might collect at the bottom of the containment. The additional surface area of the sump strainers will provide a substantial improvement in the plant's design safety margin.

### Background: What Happened at Davis-Besse

In March 2002 plant workers discovered a cavity in the head or top of the reactor vessel while they were repairing control rod tubes which pass through the head.



Sketch provided to NRC by FirstEnergy

The tubes, which pass through the reactor vessel head, are called control rod drive mechanism nozzles. Cracks were detected in 5 of the 69 nozzles. In three of those nozzles, the cracks were all the way through the nozzle, allowing leakage of reactor cooling water, which contains boric acid.

Corrosion, caused by the boric acid, damaged the vessel head next to Nozzle No. 3, creating an irregular cavity about 4 inches by 5 inches and approximately 6 inches deep. The cavity penetrated the carbon steel portion of the vessel head, leaving only the stainless steel lining. The liner thickness varies somewhat with a minimum design thickness of 1/8 inch. Subsequent examination by Framatome, FirstEnergy's contractor, found evidence of a series of cracks in the liner, none of which was entirely through the liner wall.

### Earlier indications of the problem: Through-Wall Cracking of Nozzles in France and at the Oconee Nuclear Power Station in South Carolina

In the early 1990's control rod drive mechanism nozzle cracking was discovered at a nuclear plant in France. These cracks penetrated the nozzle wall along the length of the nozzle (referred to as 'axial' cracking). In 1997 the NRC issued Generic Letter 97-01 to gather information on the inspection activities for possible cracking in the control rod drive mechanism nozzles in plants in the United States. Subsequently, through-wall circumferential cracks -- around the nozzle wall -- were discovered in two control rod drive mechanism nozzles at the Oconee Nuclear Power Station, Unit 3, in 2001. While axial cracking had been found at several other plants and repaired, circumferential cracking had not been seen before. Circumferential cracking is more significant because it could lead to complete separation of the nozzle and a resulting loss-of-coolant accident.

### NRC Update: Davis-Besse Reactor Vessel Head Damage

November 2002 - Page 4

After the Oconee discovery, the NRC issued Bulletin 2001-01, requiring all pressurized water reactor (PWR) operators to report to the NRC on structural integrity of the nozzles, including the extent of any nozzle cracking and leakage and their plans to ensure that future inspections would guarantee structural integrity of the reactor vessel boundary. The NRC's Bulletin instructed nuclear power plants with similar operating history to Oconee

Unit 3, including Davis-Besse, to inspect their reactor vessel head penetrations by December 31, 2001, or to provide a basis for concluding that there were no cracked and leaking nozzles.

FirstEnergy Nuclear Operating Company requested an extension of the inspection deadline until its refueling outage beginning March 30, 2002, and provided the technical basis for its request. The NRC did not allow the plant to operate until March 30, but agreed to permit operation until February 16, provided that compensatory measures were taken to minimize possible crack growth during the time of operation. The NRC was unaware that nozzle leakage or corrosion had occurred at Davis-Besse when it agreed to the February 16 date.

### **Boric Acid Corrosion Control Procedure**

The water that circulates through a pressurized water reactor to cool the nuclear fuel contains a low concentration of boric acid. This borated water can potentially leak through flanges, pump and valve seals, and other parts of the reactor cooling system and cause corrosion.



**Typical Pressurized Water Reactor** 

The NRC has taken steps to make sure that PWR operators

are aware of and pay attention to the corrosion boric acid can cause in certain environments:

- In 1986-89, the NRC issued a series of documents, called "generic communications," informing PWR licensees that boric acid can corrode and damage steel reactor components.
- The NRC's Generic Letter 88-05 requested PWR operators to implement a program to ensure that boric accid corrosion does not lead to degradation of the reactor cooling system components. All nuclear power plants with PWRs, including Davis-Besse, reported to NRC that the Boric Acid Control Procedures had been established and would be implemented.

### Barriers Built into Nuclear Plants to Protect Public Health and Safety

The design of every nuclear power plant includes a system of three barriers which separate the highly radioactive reactor fuel from the public and the environment. The Davis-Besse reactor head damage represented a significant reduction in the safety margin of one of these barriers, the reactor coolant system. The reactor coolant system, however, remained intact, as well as the other two barriers, the fuel and the containment.

### 1. Fuel Pellets and Rods

The first barrier is the fuel itself. The fuel consists of strong, temperature-resistant ceramic pellets made of uranium-oxide. The pellets are about the size of a little finger-tip. They retain almost all of the highly radioactive products of the fission process within their structure.

The pellets are stacked in a rod made of a zirconium alloy. At Davis-Besse, each fuel rod is about 13 feet long. The rods are assembled into bundles, with each assembly containing 208 rods. The reactor core

#### NRC Update: Davis-Besse Reactor Vessel Head Damage

November 2002 - Page 5

contains 177 fuel assemblies. Any fission products which escape from the pellets are captured inside the cladding of the rod, which is designed to be leak-tight. Small pin hole leaks do occasionally occur, however, and the operating license requires leakage monitoring and contains limits on the maximum allowable leakage of radioactive materials from the fuel rods.

### 2. Reactor Coolant System

The second barrier is the reactor coolant system pressure boundary. The reactor core is contained inside the reactor pressure vessel, which is a large steel container. Thick steel pipes supply cooling water to the reactor and carry away the heated water after it passes through the reactor core. The pressure vessel, the connected piping, and other connected components make up the reactor coolant system pressure boundary. At Davis-Besse, the reactor coolant system contains about 60,000

gallons of cooling water, circulated by four large pumps at a rate of about 360,000 gallons per minute.

This system is designed to be leak-tight at operating conditions which include a water temperature of 605° F and a water pressure of 2,150 pounds per square inch. The operating license contains limits on the maximum allowable amount of leakage from the system, and it specifies requirements for monitoring any leakage. If a leak is identified as being through any solid wall of the system (reactor vessel, cooling pipes or other components) continued operation of the plant is prohibited, no matter how small the leak rate.

#### 3. Containment Building

The third barrier is the containment building. This is a large cylindrical building which contains the entire reactor coolant system. None of the piping that contains the high-temperature and high-pressure reactor coolant water extends outside the containment building. The containment is a 1 1/2 inch thick steel cylinder, rounded at the top and bottom, which is designed to be leak-tight. This steel structure is surrounded by a reinforced concrete shield

building, which is the round building visible from the outside of the plant. Its walls are 2 to 3 feet thick.

#### NRC's Response to Vessel Head Damage

The NRC responded to the vessel head degradation with a series of actions, some specific to Davis-Besse and others aimed at other PWR plants. The agency began a review of its regulatory activities as well.

#### Davis-Besse

On March 12, 2002, the NRC initiated an Augmented Inspection Team to examine conditions that led to the head degradation and on March 13, 2002, the NRC issued a Confirmatory Action Letter to Davis-Besse documenting a number of actions the plant needed to implement for the unit to be allowed to restart. On April 29, 2002, the NRC established an Oversight Panel under the Agency's Manual Chapter 0350, to coordinate and oversee NRC activities necessary to address repairs and performance deficiencies at the plant in order to guarantee that it can operate safely. The plant will not restart until the NRC is satisfied that plant operators have met all necessary safety requirements.


#### <u>Generic</u>

On March 18, 2002, the NRC issued Bulletin 2002-01, instructing PWR licensees to report on the condition of their head, past incidents of boric acid leakage and the basis for concluding that their boric acid inspection programs were effective. All plants sent their responses and indicated that no evidence of extensive corrosion of reactor vessel heads was found at these plants. On August 9, 2002, the NRC issued Bulletin 2002-02 advising PWR operators that more stringent inspection techniques may be necessary to detect head penetration nozzle cracks. Visual examination of reactor vessel heads and nozzles may need to be supplemented with other inspection techniques, such as the use of ultrasound, electric currents and liquid dyes. In October, the agency also requested PWR licensees to provide additional information on their boric acid inspection program with greater detail than initially covered in the responses to Bulletin 2002-01.

#### NRC Davis-Besse Oversight Panel

An NRC Davis-Besse Oversight Panel was created to make sure that all corrective actions, required to ensure that Davis-Besse can operate safely, are taken before the plant is permitted to restart and that Davis-Besse maintains high safety and security standards if it resumes operations. Should the plant restart, the Oversight Panel will evaluate if Davis-Besse's performance warrants reduction of the NRC's heightened oversight and, if so, recommend to NRC management that the plant return to a regular inspection schedule. The panel was established under the agency's Manual Chapter 0350.

The panel brings together NRC management personnel and staff from the Region III office in Lisle, Illinois, the NRC Headquarters office in Rockville, Maryland and the NRC Resident Inspector Office at the Davis-Besse site. The eight-member panel's chair and co-chair are John Grobe, a senior manager from Region III and William Dean, a senior manager from NRC headquarters.

As part of determining if plant corrective actions are adequate to support restart, the Oversight Panel will evaluate FirstEnergy's return to service plan, which is divided into seven areas of performance that the utility calls "building blocks." A series of NRC inspections are being performed to verify the company is taking proper actions in each of the seven areas. These reviews will include the work by the FirstEnergy staff and, in addition, the NRC staff will perform independent inspections in each of the "building block" areas.

#### Issues to be resolved in order for Davis-Besse to restart

The NRC Oversight Panel will only consider recommending that Davis-Besse resume operations when the plant has demonstrated its readiness to operate safely. Key elements will include:

- Davis-Besse management and personnel properly understand the technical, organizational, programmatic and human performance problems that led to the extensive degradation of the plant's reactor vessel head.
- Davis-Besse enhances programs for operating the plant safely, detecting and correcting problems, controlling boric acid corrosion, and is fostering a more safety-conscious environment among plant managers and workers.
- Davis-Besse improves the performance standards of its managers and workers, including their "ownership" of the quality of work products and the safety focus of decision-making.
- The replacement of the vessel head is technically sound and all reactor components are inspected, repaired as necessary, and demonstrated to be ready for safe operation.
- Plant safety systems inside and outside containment are inspected, repaired as necessary, and have been confirmed to be ready to resume safe operation of the plant.

#### NRC Update: Davis-Besse Reactor Vessel Head Damage

- Plant operators demonstrate appropriate safety focus and readiness to restart the plant.
- Any organizational or human performance issues resulting from the ongoing investigation conducted by the NRC's Office of Investigations are addressed.
- All licensing issues that have arisen as a result of the reactor head replacement have been resolved.
- Resolution of radiation protection issues associated with the radiation exposure to workers during steam generator work and the particle contamination found in offsite locations.
- Modification of the strainer system for the containment sump, which would be the source of cooling water for recirculation in the event of a loss-of-coolant accident.

#### What Happens If the Plant is Allowed to Restart

If the facility is permitted to restart, the NRC Oversight Panel will continue to monitor plant activities and operations until panel members are confident that the root cause(s) of the problem have not recurred. Should FirstEnergy achieve that performance level, the NRC Oversight Panel would recommend to NRC management that responsibility for the plant oversight be transferred back to the Region III line organization for monitoring under the Reactor Oversight Process. The panel would then cease to exist. Should FirstEnergy not demonstrate sustained improved performance, the panel will recommend appropriate regulatory actions.

#### **Public Participation in the Process**

The NRC's experience is that members of the public, including public officials and citizens, often raise questions or provide insights that are important to consider. If you have questions or want to provide information or a point of view, please contact us. For feedback on this newsletter, contact Viktoria Mitlyng 630/829-9662 or Jan Strasma 630/829-9663 (toll free 800/522-3025 - ext -9662 or -9663). E-mail: opa3@nrc.gov. Extensive information about the Davis-Besse reactor vessel head damage and the ensuing activities is available on the NRC web site: http://www.nrc.gov - select "Davis-Besse" under the list of key topics.



-1

Briefing for the Advisory Committee on Reactor Safeguards December 5, 2002

# **Update on USNRC Oversight of the Davis-Besse Nuclear Power Station**

Jack Grobe, Chairman Davis-Besse Oversight Panel



# **Previous Briefings of The Committee**

- April 9 and 11, 2002
  - Presented the NRC's Augmented Inspection Team results
- June 5 and 6, 2002
  - Described the charter and membership for the NRC's Davis-Besse Oversight Panel
  - Summarized FirstEnergy's return to service plan



# **Objectives of this Briefing**

- Update on activities of the NRC's Davis-Besse Oversight Panel
- Summarize the results of recent inspection activites
- Describe several significant plant equipment issues



# **Restart Checklist**

- Issued August 16 and updated October 30, 2002
- Identifies significant issues requiring action before restart



# **Restart Checklist**

#### • Key Areas for Review

- 1. Adequacy of root cause determination
- 2. Adequacy of safety significant structures, systems and components
- 3. Adequacy of safety significant programs
- 4. Adequacy of organizational effectiveness and human performance
- 5. Readiness for restart
- 6. Licensing issue resolution
- 7. Confirmatory Action Letter resolution



#### **Restart Checklist**

#### **1.** Adequacy of Root Cause Determination

- Penetration cracking and reactor pressure vessel corrosion
- Organizational, programmatic and human performance issues



# **Restart Checklist**

- 2. Adequacy of Safety Significant Structures Systems and Components
  - Reactor pressure vessel head replacement
  - Containment vessel restoration
  - Structures, systems and components inside containment
  - Emergency core cooling system and containment spray system sump
  - Systems outside containment



# **Restart Checklist**

#### **3. Adequacy of Safety Significant Programs**

- Corrective action program
- Operating experience program
- Quality audits and self-assessments of programs
- Boric acid corrosion management program
- Reactor coolant system unidentified leakage monitoring program
- In-service inspection program
- Modification control program
- Radiation protection program



#### **Restart Checklist**

#### 4. Adequacy of Organizational Effectiveness and Human Performance

- Adequacy of root causes
- Adequacy of corrective actions
- Effectiveness of corrective actions



#### **Restart Checklist**

#### 5. Readiness for Restart

- Systems readiness for restart
- Operations readiness for restart
- Test program development and implementation



#### **Restart Checklist**

#### 6. & 7. Licensing Issue and Confirmatory Action Letter Resolution

- **Resolve three limited ASME code relief requests**
- Meet with the NRC to obtain restart approval



#### **Inspection Accomplishments**

- Completed and Ongoing Inspections
  - 1. Augmented inspection team follow-up
  - 2. Reactor vessel head replacement
  - 3. Containment health assurance/boric acid extent of condition
  - 4. System health assurance
  - 5. Program effectiveness
  - 6. Organizational effectiveness and human performance



# **Inspection Accomplishments**

#### 1. Augmented Inspection Team Follow-up Findings

- Violation of pressure boundary leakage requirements (Technical Specification)
- Failure to take corrective actions (10CFR50, Appendix B, Criterion XVI)
  - Boric acid buildup on reactor head
  - Boric acid accumulation on containment air coolers
  - Contaminant clogging of radiation element filters
  - Installation of service structure access modification for inspection and cleaning
  - Adverse trend in reactor coolant system unidentified leakage



#### **Inspection Accomplishments**

- 1. Augmented Inspection Team Follow-up Findings (Continued)
  - Failure to have adequate boric acid corrosion control procedures (10CFR50, Appendix B, Criterion V)
  - Failure to follow boric acid corrosion control and corrective action procedures (10CFR50, Appendix B, Criterion V)
  - Failure to provide complete and accurate information (10CFR50.9)



# **Inspection Accomplishments**

- 2. Reactor Vessel Head Replacement
  - Results
    - Replacement head meets ASME Section III N-stamp requirements
    - Replacement head non-destructive examination adequate (several code relief requests under review)
  - Outstanding issues
    - Reactor coolant system pressure test
    - Containment integrated leak test



# **Inspection Accomplishments**

# 3. Containment Health Assurance/Boric Acid Extent of Condition

- Results
  - Evaluation of structures systems and components adequate
  - Repair and refurbishment activities ongoing
- Outstanding issues
  - Reactor pressure vessel bottom head integrity
  - Environmentally qualified splice maintenance concern
  - Electrical conduit corrosion ground path concern



#### **Inspection Accomplishments**

#### 4. System Health Assurance Inspection

- Results
  - Davis-Besse review process adequate
  - Davis-Besse design and operational review identified several issues
  - NRC design review identified several issues
  - Davis-Besse evaluating need for scope expansion
- Inspection approximately 50% complete



# **Inspection Accomplishments**

#### **5. Program Effectiveness Inspection**

- Results
  - Davis-Besse review process adequate
  - Review of boric acid corrosion management and corrective action program adequate
- Inspection approximately 25% complete



#### **Inspection Accomplishments**

#### 6. Organizational Effectiveness and Human Performance Inspection

- Results
  - Davis-Besse completing root cause assessments
  - Corrective actions initiated for identified causes adequate
  - Safety culture and safety conscious work environment corrective actions initiated
- Inspection approximately 25% complete



# **Plant Equipment Issues**

- 1. Reactor Pressure Vessel Bottom Head
- 2. Containment Sump
- 3. Decay Heat Valve Pit
- 4. Coatings Inside Containment



#### **Plant Equipment Issues**

- 1. Reactor Pressure Vessel Bottom Head
  - Accumulations on bottom head in-core detector nozzles
  - Chemical analysis not conclusive
  - FirstEnergy planning a leakage test at normal operating temperature and pressure





# **Plant Equipment Issues**

#### 2. Containment Sump

- As found condition
  - Screen mesh size
  - Gaps
  - Non-permanent modifications
  - Approximately 50 square foot screen
- Modification to increase screen area to approximately 1,200 square feet



12-05-2002



1

**Davis-Besse Oversight Update** 

# **Plant Equipment Issues**

- 3. Decay Heat Valve Pit
  - As-found condition
    - Valve operators not qualified for submersion
    - Plate closure sealing challenge
    - As-left and as-found testing
  - Modification to enclose and properly seal valve pit





#### **Plant Equipment Issues**

- 4. Coatings Inside Containment
  - Containment walls and dome
  - Conduit
  - Core flood tanks and reactor pressure vessel





#### Conclusions

- USNRC oversight activities well organized and focused
- FirstEnergy's restart reviews ongoing
- FirstEnergy's actions appear adequate and safety focused
- USNRC activities fulfilling Performance Goals



<u>.</u>

United States Nuclear Regulatory Commission

Davis-Besse Reactor Vessel Head Degradation Lessons-Learned Task Force

Briefing for ACRS December 5, 2002

#### Overview

1

#### Background

- NRC has taken the initiative to conduct lessons-learned reviews for significant issues
  - ► Self-critical
  - Improvements made
  - Examples:
    - Indian Point 2 steam generator tube failure (2000)
    - NRC inspections at the South Texas Project (1995)













**Overall Conclusions** (continued)

- The leaking nozzle and vessel head degradation was not prevented
  - The NRC, DBNPS, and the nuclear industry failed to adequately review, assess, and follow up on relevant operating experience
  - DBNPS failed to assure that plant safety issues would receive appropriate attention
  - The NRC failed to integrate known or available information into its assessments of DBNPS's safety performance

#### Results

**Overall Conclusions** (continued)

- Other contributing factors
  - Guidance and requirements
  - Staffing and resources
  - DBNPS communications
  - Licensing processes and implementation

#### 9

# Results

#### NRC, DBNPS, and Industry Review, Assessment, and Follow up of Operating Experience

- Significant operating experience involving boric acid leakage and corrosion
- Generic Communication Program implementation
- Generic Issues Program implementation
- Operating experience involving foreign nuclear power plants
- Assessment and verification of industry technical information
- NRC operating experience review and assessment capabilities

#### Results

#### **DBNPS Assurance of Plant Safety**

- Reactor coolant system leakage symptoms and indications
- Boric acid corrosion control program and implementation
- Owners group and industry guidance implementation
- Internal and external operating experience awareness
- Oversight of safety related activities

#### 11

#### Results

#### NRC Integration of Information into Assessments of DBNPS Safety Performance

- Reactor coolant system leakage assessment
- Inspection program implementation
- Integration and assessment of performance data
- Guidance and requirements
- Staffing and resources
- Davis-Besse Nuclear Power Station communications
- Licensing process guidance and implementation

#### Recommendations

#### **Recommendation Areas**

- Inspection guidance
- Operating experience assessment
- Code inspection requirements
- NRC programs and capabilities (including training and experience)
- Leakage monitoring requirements and methods
- Technical information and guidance
- NRC licensing processes
- Previous NRC lessons-learned reviews

13

# **Future Activities**

#### **Senior Management Review Team**

- Team of senior NRC executives reviewed report and recommendations
- Action plan developed to implement recommendations

# <section-header><section-header><section-header>

15








ĥ.













Sensitivity Studies for LBLOCA				
		Sensitivity	Total Tolerance	Change in Tolerano
Case	Description	(°F)	<u>(°F)</u>	<u>(°F)</u>
1	Axial Power Profile	181	181	181
2	F <sub>q</sub> and F <sub>erg</sub>	147	233	52
3	Film Bailing HTC	145	275	42
4	Single Phase Vapor HTC	140	308	34
5	Core Inter-phase Friction	110	328	19
6	Gap Conductivity	96	341	14
7	Pumped ECC	89	353	11
8	Condensation Inter-phase HTC in Downcomer	87	363	11
9	Upper Plenum Entrainment	81	372	9
10	Fai	74	380	7
11	Accumulator Temperature	66	385	6
12	Initial Loop Flow	63	390	5
13	Accumulator Pressure	60	395	5
14	Loop Losses	57	399	4
15	Decay Heat	54	403	4
16	Hot Leg Interfacial Drag	46	405	3
17	Core Power	43	408	2
•		:	:	:
44	CHF	2	437_	0











