

DOCKETED
USNRC

COPY OF TRANSCRIPT

2003 JAN 15 AM 11:28

OFFICE OF THE SECRETARY
RULEMAKINGS AND
ADJUDICATIONS STAFF

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

Before the Atomic Safety and Licensing Board

In the Matter of)	Docket No. 72-22
)	ASLPB No. 97-732-02-ISFSI
PRIVATE FUEL STORAGE)	
L.L.C.)	DEPOSITION OF:
)	
(Private Fuel Storage)	<u>DR. WALTER J. ARABASZ</u>
Facility))	
)	(Utah Contention I, Part B)
)	

Wednesday, October 31, 2001 - 9:20 a.m.

Location: PARSONS, BEHLE & LATIMER
201 S. Main, Suite 1800
Salt Lake City, UT 84111

Reporter: Vicky McDaniel
Notary Public in and for the State of Utah



SECY-02
50 South Main, Suite 920
Salt Lake City, Utah 84144

1 A. Yes, I do.

2 Q. Now, that basically means that the mean is
3 significantly greater for the same probability
4 exceedance for eastern plants than the mean -- strike
5 that. Now, for western sites you're claiming that the
6 mean is not that much different from the median?

7 A. In general, correct.

8 Q. Now, what in general is the relationship
9 between the mean and the median? Is one normally
10 bigger than the other, or not?

11 A. It depends.

12 Q. Depends?

13 A. The median is that value below which and
14 above which there are an equal number of observations,
15 or it's basically the 50th percentile level in a
16 distribution. The mean is the arithmetic average of
17 the values.

18 And as explained, for example, by Leon
19 Reiter in his 1991 book on earthquake hazard analysis,
20 the reason that the mean differs significantly from the
21 median in the central and eastern United States is that
22 the mean is more sensitive to uplayers, and this was the
23 circumstance with modeling of -- well, let's see, of
24 seismic source characterization, basically, in the
25 central and eastern United States that some expert

1 opinions would drive the mean to be different from the
2 median.

3 Q. Would you agree that the mean better
4 reflects uncertainty than a median would?

5 A. Yes, I would.

6 Q. And why is that?

7 A. It's widely acknowledged by probability
8 experts, and again, I dare not disagree.

9 Q. With Dr. Cornell?

10 A. Among others.

11 Q. Among others.

12 A. The explanation by Leon Reiter in his text I
13 think sets forth the problem very well.

14 Q. So basically a mean is more sensitive to
15 outliers, and therefore -- and there's more outliers --
16 it's more sensitive to outliers, and therefore that
17 captures uncertainty in that respect?

18 A. Right. In Yucca Mountain Topical Report 2
19 and in Reiter's text, there is an explanation of the
20 history of why the median was set as the reference
21 probability in the central and eastern United States.

22 Q. Is there generally a preference to use a
23 mean or a median in the expression of standards for
24 earthquake standards?

25 A. Well, in the case of Reg Guide 1.165, there

1 certainly was a preference, and that was the outcome of
2 that document. I am aware that there are some
3 probability experts who would favor a mean-based
4 reference probability.

5 Q. What does the Yucca Mountain Topical Report
6 favor?

7 A. If my memory serves me correctly, they put
8 forward arguments suggesting that a mean based may be
9 preferable.

10 Q. And in fact they use a mean based, don't
11 they, in the DOE topical report?

12 A. Correct.

13 Q. And DOE Standard 1020 uses mean-based
14 exceedance standards for its risk --

15 A. That's correct.

16 Q. -- categories. I'd like to show you what I
17 believe is the topical report, or part of the topical
18 report that we've been discussing. I'd like to have
19 this marked as Exhibit 13.

20 **(Exhibit 13 marked.)**

21 Is this the DOE topical report that we've
22 been discussing?

23 A. Correct.

24 Q. If you look at about the fifth page in, the
25 bottom of the page it says Topical Report 2.

1 does conclude that a mean of $1E^{-4}$ would be an
2 appropriate design basis for Yucca Mountain waste
3 handling building?

4 A. I believe that is correct, yes.

5 Q. And they equate that $1E^{-4}$ -- doesn't this
6 report equate the $1E^{-4}$ mean value to that -- equivalent
7 to the exceedance value for recent and operating --
8 well, current operating -- let me strike that. That's
9 too complicated. Let me rephrase it.

10 Does't this topical report conclude that
11 the best estimate for nuclear power plants in terms of
12 exceedance of a, say, shutdown earthquake across the
13 entire nation is $1E^{-4}$, approximately?

14 A. I don't recall that detail.

15 Q. Okay, I'd like to have you look at. It
16 would be section 3.1, and then it would be on page 3 of
17 7 of section 3.1. And if you'd look at the -- at the
18 top of the page it says, "For the reasons discussed
19 next, the DOE plans to use mean rather than median
20 target annual exceedance probabilities in establishing
21 design-basis vibratory ground motions." If you'd begin
22 reading at that point and go through to section 3.1.2.2
23 to the next page.

24 A. (Witness reviews document.)

25 MR. TURK: Can we go off the record a

1 minute?

2 (Discussion off the record.)

3 THE WITNESS: Can you focus the question on
4 how you want me to read it, or do you just want me to
5 read it?

6 Q. The question is, doesn't DOE conclude that
7 the mean value for current plants operating in the
8 United States, current plants in both the western and
9 eastern parts of the United States, the mean
10 probability -- mean probability of exceedance is $1E^{-4}$,
11 and that $1E^{-4}$ is applicable both to western plants and
12 eastern plants?

13 A. So in summary, that would represent a
14 conclusion for DOE decision making that would be
15 independent of Reg Guide 1.165.

16 Q. Which is $1E^{-4}$.

17 A. Correct.

18 Q. Well, that's my -- do they conclude that?
19 Do you agree with that?

20 A. Let me separate your question from mine.

21 Q. Okay.

22 A. To restate my question, after I have read
23 this and if I understand a DOE position, that this DOE
24 position has intellectual value and applicability to
25 DOE decision making but would still be apart from Reg

1 Guide 1.165 as it applies.

2 Q. Well, we'll explore those questions once you
3 read it, and we'll follow through sequentially.

4 A. (Witness reads document.) I think I'm
5 ready.

6 Q. So let me just kind of go through several
7 things. First of all, DOE does an analysis for plants
8 in the western part of the United States, nuclear power
9 plants, and concludes that the average mean annual
10 probability of exceeding the safe shutdown earthquake
11 for plants in the western part of the United States is
12 $2E^{-4}$?

13 A. For the five plants, I believe for the five
14 plants studied, correct.

15 Q. Do you know if there's any other plants in
16 the western part of the United States?

17 A. I do not pay attention to the inventory.

18 Q. Okay. Have you reviewed this analysis
19 before, and do you have any reason to disagree with it?

20 A. From my memory, what was established here
21 was that the authors determined an average mean annual
22 probability of 2×10^{-4} and concluded that their
23 benchmark of 1×10^{-4} by comparison would be conservative
24 for a facility less risky than a nuclear power plant.

25 Q. And the benchmark being the $1E^{-4}$ would be a

1 mean exceedance value?

2 A. Yes.

3 Q. And therefore that would provide a logical
4 basis for DOE to use $1E^{-4}$ for a median -- strike that.
5 This analysis provides a logical basis for DOE to use a
6 standard of $1E^{-4}$ based upon the mean value. Would you
7 agree with that?

8 A. For frequency category 2, yes. That's the
9 benchmark that they're seeking, a hazard exceedance
10 level for frequency category 2.

11 Q. And it's also fair to say that based upon
12 this analysis that a mean exceedance value of $1E^{-4}$
13 approximately applies to nuclear power plants operating
14 on both the western and as well as the central and
15 eastern part of the United States?

16 A. I'm not quite ready to take that logic step
17 with you. Let me try to step through this
18 sequentially. For the central and eastern United
19 States, recognize that a median of 1×10^{-5} ground motion
20 is the same as a mean 1×10^{-4} .

21 Q. And you agree that that's a correct
22 representation for plants in the central and eastern
23 part of the United States with respect to the mean
24 value?

25 A. Correct, yes. Okay. Now, in the western

1 United States their sampling indicates a mean annual
2 probability of exceeding the safe -- the SSE, the safe
3 shutdown earthquake at 2×10^{-4} , or a roughly
4 5,000-year -- a 5,000-year return period.

5 Okay, now take me to your next step in the
6 logic.

7 Q. So therefore, using a mean of 1E^{-4}
8 approximately represents all the nuclear power plants
9 in the western, eastern United States?

10 A. That's a reasonable judgment.

11 Q. Now, you were talking about -- before about
12 the relevance of this topical report to Regulatory
13 Guide 1.165. Does what we just walked through with
14 respect to this topical report in any way affect your
15 evaluation of Regulatory Guide 1.165, or, more
16 importantly, does it in any way affect your evaluation
17 of the staff's rationale set forth in the Safety
18 Evaluation Report with respect to those first few
19 bullets that we talked about in Exhibit 3?

20 A. When the staff speaks, presumably it speaks
21 on the basis of its own regulations and guidelines.
22 And when it makes an assertion that's inconsistent with
23 its own guidelines, then my judgment is that there's
24 flawed logic. They reached the conclusion that the
25 1×10^{-4} mean a priori was equivalent to the 1×10^{-5}

CLEAR REGULATORY COMMISSION

Docket No. _____ Official Exh. No. 102 A

In the matter of PFS

Staff _____ IDENTIFIED

Applicant RECEIVED _____

Intervenor _____ REJECTED _____

Other _____ WITHDRAWN _____

DATE 5-17-02 Witness _____

Clerk D. Kent