

ACNW-0048

PDR 5/13/92

MINUTES OF THE 38TH ACNW MEETING
DECEMBER 18-19, 1991

- TABLE OF CONTENTS -

| | <u>Page</u> |
|--|-------------|
| I. Chairman's Report (Open) | 1 |
| II. Staff Technical Position on Identification of Fault Displacement and Seismic Hazards at a Geologic Repository (Open) | 2 |
| III. Systems Analysis Approach to Reviewing the Overall High-Level Waste Program (Open) | 6 |
| IV. Meeting with the NRC Commissioners (Open) | 10 |
| V. Executive Session (Open/Closed) | 10 |
| A. Reports | |
| • <u>Program Plan for the Advisory Committee on</u> <u>Nuclear Waste</u> (Report to Chairman Selin, dated December 23, 1991) | |
| • <u>Geologic Dating of Quaternary Volcanic</u> <u>Features and Materials</u> (Report to Chairman Selin, dated December 24, 1991) | |
| B. Five-Year Plan Goals, Assumptions, Objectives, and Guidance | |
| C. Proposed Amendment to the Federal Advisory Committee Act | |
| D. Recruitment of ACNW Consultants | |
| E. Committee Responses to EDO Memoranda | |
| F. International High-Level Radioactive Waste Manage- ment Conference | |
| G. Election of ACNW Officers (Closed) | |
| H. ACNW Future Activities | |
| I. Future Meeting Agenda | |

DESIGNATED ORIGINAL

Certified By

EMB

1508 0/1

9205180102 920122
PDR ADVCM NACNUCLE
0048 PDR
1 JUL 92

- APPENDICES -

- I. Federal Register Notice
- II. Meeting Schedule and Outline
- III. Meeting Attendees
- IV. Future Agenda and Working Group Activities
- V. List of Documents Provided to the Committee
- VI. Transcript of Meeting with the NRC Commissioners

CERTIFIED

CERTIFIED MINUTES:
DATE ISSUED: January 22, 1992

MINUTES OF THE 38TH MEETING OF THE
ADVISORY COMMITTEE ON NUCLEAR WASTE
DECEMBER 18-19, 1991
BETHESDA, MARYLAND

The 38th meeting of the Advisory Committee on Nuclear Waste was held Wednesday and Thursday, December 18-19, 1991, in Room P-110, 7920 Norfolk Avenue, Bethesda, Maryland. The purpose of this meeting was to discuss and take appropriate actions on the items listed in the attached agenda.

A transcript of selected portions of the meeting was kept and is available in the NRC Public Document Room at the Gelman Building, 2120 L Street, N.W., Washington, D. C. [Copies of the transcript taken at this meeting may be purchased from Ann Riley & Associates, Ltd., 1612 K Street, N.W., Washington, D. C. 20006.]

Dr. Dade W. Moeller, Committee Chairman, convened the meeting at 8:30 a.m. and briefly reviewed the schedule for the meeting. He stated that the meeting was being conducted in conformance with the Federal Advisory Committee Act. He stated that the Committee had received neither written comments nor requests for time to make oral statements from members of the public.

ACNW members, Drs. William J. Hinze, Dade W. Moeller, Paul W. Pomeroy, and Martin J. Steindler were present. [For a list of attendees, see Appendix III.]

I. CHAIRMAN'S REPORT (Open)

[Note: Mr. Richard K. Major was the Designated Federal Official for this part of the meeting.]

Dr. Moeller identified a number of items that he believed to be of interest to the Committee, including:

- On November 23, 1991, Dr. Gail de Planque was confirmed by the Senate as one of the five Commissioners of the Nuclear Regulatory Commission. Dr. de Planque was sworn in on December 16, 1991.
- On December 10, 1991, the Nuclear Waste Technical Review Board (NWTRB) issued its fourth report to Congress and the Secretary of Energy.
- The U.S. Environmental Protection Agency (EPA) and the U.S. Department of Energy (DOE) are expected to sign a memorandum of understanding covering the development of

radioactive cleanup criteria for transuranic and other radionuclides. The Committee wishes to be kept informed on this activity because the NRC staff requested that the Committee address this issue.

- The Committee received SECY-91-394, Notice of Proposed Rulemaking to Revise 10 CFR Part 61 "Licensing Requirements for Land Disposal of Radioactive Waste."
- The Committee has been provided with a summary of the Yucca Mountain Team Meeting held on November 6, 1991. The summary includes a list of upcoming meetings of the NWTRB, DOE performance assessment workshops and DOE/NRC meetings on regulatory strategy.
- Mr. Leo P. Duffy was sworn in as Assistant Secretary for Environmental Restoration and Waste Management, DOE, on December 3, 1991.

II. STAFF TECHNICAL POSITION ON IDENTIFICATION OF FAULT DISPLACEMENT AND SEISMIC HAZARDS AT A GEOLOGIC REPOSITORY (Open)

[Note: Ms. Charlotte E. Abrams was the Designated Federal Official for this part of the meeting.]

Mr. Ronald Ballard, NMSS, introduced the presentation on the final draft staff technical position (STP) on investigations to identify fault displacement and seismic hazards at a geologic repository. He briefly discussed the high-level waste (HLW) program activities and how the planned technical positions fit into the overall program for HLW. He stated that the staff has also begun work on an STP on the analysis of faulting and seismic hazards.

Mr. Ballard pointed out that the staff, as a result of discussions during the ACNW Working Group meeting on faulting and seismic investigations, included in the handouts for their presentation at the full committee meeting, a viewgraph that deals with acceptable fault displacement in the repository area.

Dr. Philip Justus, NMSS, provided further discussion on some of the guidance planned by the HLW staff. The basis for the STPs is a need for guidance to the applicant on the collection of data, methods of analyzing data, and the development of models. The STP on analyzing data will include both deterministic and probabilistic methods.

Dr. Justus stated that DOE had requested guidance on the above items. In a clarifying statement, a DOE representative, Dr. Ardyth Simmons, stated that DOE had not requested this type of guidance.

Dr. Pomeroy also noted that based on the Working Group meeting discussions it did not appear that DOE desired this guidance.

Dr. Hinze suggested that the staff consider a change in the title of the STP for clarification. He recommended that the title be changed to either "faulting and seismic hazards" or "seismic and fault displacement hazards." Dr. Justus stated that the staff would review the transcript and consider all comments from the ACNW members.

Dr. Justus stated that "in considering the matter of fault displacement and how it may impinge on design and performance . . . prudence does suggest caution regarding design to accommodate fault displacement." He also stated that "if DOE contemplates designing for faulting, early resolution of the fault-related design and performance issues is needed and is requested by NRC."

Dr. Pomeroy emphasized that a clear statement from the NRC staff with regard to siting in the vicinity of a susceptible fault is needed. Dr. Justus stated that 10 CFR Part 60 does not preclude the applicant from submitting a license application if susceptible faults are present in the controlled area, but the applicant must show that those faults will not significantly affect the ability of the disposal facility to meet the performance objectives.

Dr. Justus stated that the STP dealing with analysis methods is planned to be issued for public comment in fiscal year 1992. An STP on tectonic models is being held in abeyance pending the outcome of the definition of anticipated and unanticipated processes and events by EPA in the EPA revised standards. The staff is also contemplating an STP on design input for faulting and seismic hazards. Any of these STPs can be further developed into rulemakings if so desired.

Dr. Justus also added a short discussion on the chronology of the development of the STP, and then introduced Dr. Keith McConnell, NMSS, who discussed the STP.

Dr. McConnell stated that the objective of the STP is to provide an acceptable approach to investigations for collecting sufficient data for input into fault displacement and seismic hazard analyses for the preclosure and postclosure periods. This constitutes what the staff believes to be an adequate level of investigations to identify fault displacement and seismic hazard. [He explained that the basis for the need for the STP is the staff's review of the DOE Site Characterization Plan (SCP).] The staff identified significant concerns with respect to faulting investigations in its review of the SCP and documented those concerns in the Site Characterization Analysis. The same concerns apply in the staff's review of the DOE study plans.

Another reason for issuing the STP now, according to Dr. McConnell, was that the DOE had initiated site characterization studies at Yucca Mountain in July 1991.

In the STP, the staff tried to outline the data necessary to fulfil the requirements of 10 CFR Part 60. They also tried to benefit from licensing and siting experience related to Appendix A of Part 100, but the STP clearly states that Appendix A does not apply to a high-level waste repository.

Dr. McConnell stated that the STP provides what the staff calls deterministic criteria for determining which faults will require detailed investigation by the licensee. Those criteria are purposely flexible in cases where a particular criterion is inconclusive, but the primary criterion is evidence of Quaternary movement. If it can be shown that the fault did not move in the Quaternary period, the fault can be eliminated from further investigation, unless assumptions change.

Dr. McConnell explained the methodology for the identification of fault displacement and seismic hazards. This process involves identifying the region to be investigated (geologic setting), the faults to be considered for detailed investigation in that region, and the faults that require detailed investigation (susceptible faults).

Dr. McConnell defined a susceptible fault as one that is 1) subject to displacement, and 2) affects the design or performance of the repository, and/or 3) will provide data for significant input to models used in assessments of the design or performance of the repository. He further defined the criteria for a fault "subject to displacement" as a fault where there is evidence of displacement during the Quaternary period. Where the Quaternary record is absent or is unclear, additional criteria to be applied are: 1) seismicity that suggests a direct relationship with a fault to be considered for detailed investigation, 2) structural relationship to a fault that meets one or more of the other criteria, and 3) orientation such that the fault is subject to displacement in the existing stress field.

The Committee suggested that the staff clarify the use of the stress field criterion and clarify the definition of the term "geologic setting." It was also suggested that the staff revise Figure 3 of the STP to show that, if it can be demonstrated that a fault has had no movement in the Quaternary, that fault can be eliminated from further investigation, assuming no evidence to the contrary arises during site characterization.

Dr. Pomeroy suggested that the staff consider another term for susceptible fault, because of the negative perception of "susceptible." He suggested that the staff redesignate them as "candidate

faults" and use the term "candidate" instead of "susceptible." Dr. Robert Hatcher, ACNW consultant, suggested that the staff consider a categorization scheme for faults in the STP with category 1 being those faults that are susceptible, category 2 being those faults that should be intensively studied, and category 3 being those faults that are of no further concern. The staff agreed to consider these suggestions.

The Committee asked Mr. James Wolf, NRC's Office of the General Counsel, to comment and explain the use of the term "relevant and material" in the STP. Dr. Pomeroy expressed particular concern with the use of that term in the technical discussion on page 8 of the STP. Mr. Wolf explained that the words "relevant and material" appear in the NRC regulations with "relevant" referring to the contents of the license application in which there is the stipulation that the applicant should include information that is relevant and material. Those words were added to the regulations to allow for exclusion of "clearly unimportant information." The words also are in the regulations to indicate that the content of the application should not only contain information sufficient to support the performance assessment, but should also contain information that might influence the judgment of the Commission. Mr. Wolf further stated that "material" means for the applicant to provide "a lot of information instead of just the information [the applicant] thinks we need."

Dr. Pomeroy asked that the staff attempt to clarify the wording related to "relevant and material" in Section 4 of the STP.

Dr. Abou-Bakr Ibrahim, NMSS, presented a discussion of the vibratory ground motion investigations section of the STP. For those investigations, the applicant should have a listing of all historically recorded seismic events that have affected the site. This list should include dates, coordinates of the epicenter, depth, distance, and time of origin. Also, it should include other factors such as magnitude, source parameters, and whether the event is an earthquake or an underground nuclear explosion. Other information needed is a correlation of earthquake epicenters with geological structures, identification of geologic structures significant for earthquake potential, identification of faults important as the basis for seismic design, determination of engineering properties of materials that underlie the site, determination of the regional attenuation of the vibratory ground motion, and investigation of the relationship between surface and subsurface ground motion at the proposed site.

Dr. Hinze suggested that the staff include some aspect of the three dimensional nature of the faults in the STP.

The staff concluded the presentation with a brief discussion of the significant changes that have been made to the STP in response to comments on the for-public-comment draft.

Dr. Pomeroy provided some recommendations based on the staff's discussion and the discussions at the Working group meeting on December 17, 1991. Those recommendations to the staff included: 1) to proceed with this STP in a very timely manner, 2) to write a short technical position on the acceptability of sites having susceptible faults, and 3) to move forward in a timely manner on the completion of the faulting and seismic analyses STP. Other points of concern that he listed for the staff included: 1) clarify the use of probabilistic techniques outside the controlled area for the identification of faults, 2) use a different term for susceptible faults; and 3) clarify terms such as "geologic setting" and "relevant and material."

Members determined that there was no need for the Committee to review this STP again before finalization. The Committee did request to review the companion STPs when the staff makes drafts available. The Committee also plans to complete during its January 1992 meeting a letter summarizing its recommendations on the STP on "The Identification of Fault Displacement and Seismic Hazards at a Geologic Repository."

Dr. Pomeroy commended the staff and all parties that provided comments on the STP for their efforts.

III. SYSTEMS ANALYSIS APPROACH TO REVIEWING THE OVERALL HIGH-LEVEL WASTE PROGRAM (Open)

[Note: Mr. Howard J. Larson was the Designated Federal Official for this portion of the meeting.]

After his introductory remarks on the derivation of this topic, Dr. Martin J. Steindler introduced Mr. Alex Radin, Chairman of the Monitored Retrievable Storage (MRS) Review Commission. Mr. Radin indicated that Congress created the Commission to report on whether an MRS was needed for interim spent fuel storage. Furthermore, Congress specified that DOE would not be permitted to proceed with MRS siting efforts until the Commission completed its report. Mr. Radin noted that the three member MRS Review Commission, which existed for about 18 months, produced the report entitled "Nuclear Waste: Is There a Need for Federal Interim Storage?". [Members of the Committee were provided with a copy of the report for reference.]

Mr. Radin stated that the date for initial repository operation changed from 2003 to 2010 after the Commission had issued its report. Had the Commission known this, their conclusions might

have changed somewhat. He also indicated that the MRS Review Commission regarded its role as more of a policy issue decision maker than a technical one. Further, he noted that although members of the Commission had different views, their findings were reported as unanimous.

Mr. Radin reported the conclusions of the Commission as follows:

1. From a technical perspective, both the No-MRS and MRS options are safe.
2. The net cost of a waste management system that includes an MRS would be lower than previously estimated because of delays in the expected date of repository operation. A longer interval between the completion of the MRS and the time of opening of the repository favors the economics for the MRS. This is particularly true beyond the year 2013 because at that time many plant licenses expire and, without interim storage, the cost for onsite storage of spent fuel at a nuclear power plant that has been shut down will be higher.
3. There are no single discriminating factors that would cause the MRS alternative to be chosen in preference to the No-MRS alternative. An MRS could provide for emergency storage should it be required in the future, would offer surge capacity to facilitate flow of spent fuel to the repository, and would initiate the assumption by the Federal government of the process for taking possession of spent commercial nuclear fuel. This latter item was deemed to be of particular interest to the nuclear electric utilities.
4. An MRS linked to a high-level waste repository as provided in current law would not be justified, especially in light of uncertainties in the completion time for the repository. Consequently, the Commission did not recommend a linked MRS as proposed by DOE.
5. Some interim storage facilities, substantially more limited in capacity and built under different conditions than the DOE-proposed MRS, are in the national interest to provide for emergencies and other contingencies. (In response to Dr. Hinze's question regarding "DOE-proposed MRS," Mr. Radin explained that the Commission proposed two smaller storage facilities -- one for 2000 metric tons of uranium (MTU) and the other for 5000 MTU vs. the proposed DOE MRS of 15,000 MTU capacity. Furthermore, these two smaller facilities were to be de-linked from the repository.)

Dr. Hinze asked about the advantages of an MRS insofar as the cooling of radioactive cores prior to their shipment to the repository. [Two letters on this subject were referenced by Mr. Radin. They were subsequently provided to the Committee. One letter was addressed to Senator Johnston and the other was addressed to Senator Breaux. Both were dated December 1989. It was noted, however, that if the repository opened in 2003, the average age of the spent fuel to be stored in it would be about 20 years. Further, storage would result in minimal incremental cooling.]

Mr. Radin summarized the recommendations of the MRS Commission, as follows:

1. Congress should authorize construction of a Federal Emergency Storage facility with a capacity of 2000 metric tons of uranium (MTU). It was believed that this facility could be funded by the Nuclear Waste Fund (NWF) and that existing Federal sites should be considered.
2. Congress should authorize construction of a User-Funded Interim Storage facility with a capacity limit of 5,000 MTU. Such a facility would provide storage only, and would be used in addition to the Federal Emergency Storage facility proposed above.
3. Congress should reconsider by the year 2000 the subject of interim storage to: (a) take into account uncertainties that exist today which might be resolved or clarified within 10 years, (b) consider developments that cannot be anticipated today, and (c) evaluate the experience with the two facilities recommended above.

In response to a question from Dr. Moeller as to why the Commission did not recommend a single 7000 MTU repository, Mr. Radin pointed out that the two smaller ones could be co-located. In addition, as noted in the proposal, the source of funding for each was to be different. It was believed that these two facilities could take care of interim storage needs at least until the year 2006.

Mr. Radin also summarized the Congressional hearings when the MRS Review Commission presented its report. Of particular interest to the Congressional committee was why the Commission did not directly proceed to recommend an unlinked repository instead of the two smaller facilities. It was explained that the reasoning behind not making such a recommendation was contingent upon four factors: 1) having an MRS available early, 2) the assumption of a significant delay in repository progress, 3) no linkages in time between the MRS and the repository and 4) no capacity limit on the MRS. Elaboration was provided on each of these points, with the observation made that if the repository were delayed to 2013, the

MRS inventory could be as high as 36,000 MTU. If the delay goes to the year 2023, then the inventory could be as high as 66,000 MTU. It was believed that Congress would not approve an MRS on such a basis.

Dr. Moeller asked whether the Commission addressed repository storage requirements from the aspect of fuel solely from commercial nuclear power plants or whether fuel from other sources, such as nuclear submarines and other DOD and DOE sources, was considered. Mr. Radin stated that only spent fuel from commercial nuclear power plants was considered.

Mr. Radin pointed out that little has been done with the Commission's report since it was issued, primarily, he believes, because it lacks a constituency -- DOE is committed to the 15,000 MTU repository, the industry believes an MRS should be fully funded from the NWF, and the environmentalists are opposed to an MRS since they regard it as a de facto repository. He also pointed out that, in the four public hearings held by the Commission, each witness was asked if they would oppose additional storage of spent nuclear fuel on-site. While the environmentalists did not want an MRS and believed fuel should be stored on site until a repository was ready, they would not commit to additional storage at a site.

Dr. Steindler asked if the Commission had considered co-location of the MRS and the repository. Mr. Radin replied that the Commission was expressly asked not to explore this subject.

Drs. Hinze and Moeller asked about the possible complexity of an MRS facility and were told that the perception of the Commission was that it would be a stripped down facility, similar perhaps to the dry cask storage facility at Virginia Electric and Power's Surry station.

Dr. Pomeroy asked if the Commission had investigated how many plant sites might be able to obtain political acceptance for on-site dry cask storage. While that question was not specifically addressed, Mr. Radin pointed out that there are already at least two U.S. sites that are utilizing such a storage concept.

In response to questions about the size of an MRS and the capacity of dry storage casks, Dr. Chu, (a former member of the MRS Commission staff) indicated that while each cask safely contained approximately 10 MTU he was not certain as to the physical area that would be encompassed by a postulated MRS.

The presentation was concluded with Dr. Moeller thanking Mr. Radin not only for his report on the MRS Commission's activities, but also for sharing his many insights.

IV. MEETING WITH THE NRC COMMISSIONERS (Open)

[Note: Mr. Raymond F. Fraley was the Designated Federal Official for this part of the meeting.]

In preparation for the meeting, the Committee reviewed the areas of interest to be discussed with the Commissioners. The Committee traveled to the One White Flint North Building, Rockville, Maryland, on Thursday morning, December 19, 1991.

The Committee discussed the following items of mutual interest with the Commissioners:

- The reports to Commissioner Rogers on performance assessment and computer modeling capabilities for HLW and LLW disposal facilities
- A summary of the recent Working Group meeting on geologic dating
- A status report on the feasibility of a systems analysis approach to reviewing the overall High-Level Waste Program.

The meeting with the Commissioners began at 10:00 a.m. and was adjourned by Chairman Selin at 11:30 a.m.; upon which, the Committee returned to the Phillips Building.

[According to Staff Requirements Memorandum to Mr. William C. Parler, General Counsel, from Mr. Samuel J. Chilk, Secretary, dated June 9, 1989, the Office of the Secretary provides a transcript to the ACNW as the record for this part of the meeting. The transcript is attached as Appendix VI.]

V. EXECUTIVE SESSION (Open/Closed)

[Note: Mr. Richard K. Major was the Designated Federal Official for this part of the meeting.]

A. Reports

- Program Plan for the Advisory Committee on Nuclear Waste (Report to Chairman Selin, dated December 23, 1991)
- Geologic Dating of Quaternary Volcanic Features and Materials (Report to Chairman Selin, dated December 24, 1991)

B. Five-Year Plan Goals, Assumptions, Objectives, and Guidance

Mr. Fraley briefed the Committee on an updated draft of ACNW goals, assumptions, program objectives, and guidance for the NRC Five-Year Plan. The Committee provided several recommendations for consideration.

C. Proposed Amendment to the Federal Advisory Committee Act (FACA)

Mr. Fraley briefed the Committee on a bill recently introduced by Senator Glenn that would make significant modifications to the Federal Advisory Committee Act. The Committee concurred with the proposed comments advanced by Mr. Fraley. Comments from ACRS and ACNW will be submitted to the Office of the General Council.

D. Recruitment of ACNW Consultants

Mr. Major reminded the members to identify the disciplines and skills, e.g., hydrology, geochemistry, geotechnical engineering, and rock mechanics, that they deem necessary over the long-term, in order to fulfill the ACNW's mission to respond to the needs of the Commission.

Mr. Fraley also reminded the members to submit a list of the technical and trade publications where appropriate announcements of the needs of the Committee can be placed. In addition, the members were asked to identify those individuals who would fulfill the Committee's short-term and long-term needs for consultant assistance.

E. Committee Responses to EDO Memoranda

Dr. Moeller discussed how the Committee might respond, if appropriate, to the memoranda routinely received from the EDO commenting on each ACNW report submitted to the Commission. It was suggested that when the Committee and NRC staff differ on an issue, the staff should be invited to meet with the Committee to provide an opportunity for each party to clarify their position and hopefully resolve the issue. No Committee action was taken.

F. International High-Level Radioactive Waste Management Conference

The Committee endorsed Dr. David Okrent's request to attend the International High-Level Radioactive Waste Management Conference to be held in Las Vegas, Nevada, on April 12-16, 1992. Dr. Kenneth Foland, Ohio State University, also will attend this meeting at the behest of the Committee.

The Committee and staff are reviewing the paper on "Yucca Mountain Digital Database" that Mr. Carl Daudt has prepared under the auspices of the Committee and will present during this Conference.

G. Election of ACNW Officers (Closed)

The Committee reelected Dr. Dade W. Moeller and Dr. Martin J. Steindler to the positions of Chairman and Vice Chairman, respectively, for calendar year 1992.

H. ACNW Future Activities

- The Committee agreed to defer indefinitely the Working Group meeting (scheduled for January 15, 1992) to discuss the need for, and status of, proposed changes to 10 CFR Part 61.
- The Committee agreed to add a half day to the 39th ACNW meeting to provide adequate time to discuss long range plans and priorities. The 39th ACNW meeting will be held January 15-17, 1992.
- Drs. Moeller and Pomeroy requested that a meeting be scheduled with Commissioner de Planque on January 15, 1992, to discuss items of mutual interest. Drs. Steindler and Hinze requested that a meeting be scheduled with Commissioner Curtiss on the same day to discuss items of mutual interest.
- The members discussed a proposed agenda for the 44th ACNW meeting tentatively scheduled for June 24-26, 1992, in Richland, Washington. The members recommended that a public meeting be held either at Pacific Northwest Laboratories or the Richland Regional DOE Operations Office.

Site visits will be scheduled before and after the meeting with representatives of the U.S. Department of

Energy Hanford Facilities and the U.S. Ecology low-level waste disposal facility. Possible discussions and tours include:

- Grouting Program for LLW
 - N-Reactor Decommissioning
 - Performance Assessment and Decontamination
 - Waste Tank Stabilization and Hydrogen Control
 - Hydrology Modeling Capabilities
- Dr. Pomeroy requested that a meeting be scheduled for him with the NRC staff to discuss the matter of "expert judgment."
- The Committee agreed to defer a status briefing on the Licensing Support System. The ACNW staff will provide the latest information to the members.
- The Committee agreed to invite Mr. Harold Denton to brief the Committee on SECY-91-365, International Standards, as it relates to nuclear waste.
- The Committee was informed that the NRC and the Environmental Protection Agency have reached concurrence in the development of joint guidance on mixed waste testing and storage. The Committee requested to be kept informed on this matter.
- The Committee discussed a recent report that indicated that the predominant dose to an intruder into an LLW disposal facility may be from radon-222. The Committee requested that the ACNW staff investigate this report and submit its findings to the Committee members.
- The Committee discussed the practice and procedures of the recycling industry in dealing with radioactive materials found in the recycling process. The Committee agreed to invite Mr. Michael Mattia, Director of Risk Management, Institute of Scrap Recycling Industries, to brief the Committee on this subject.
- The Committee agreed to defer indefinitely further work on the impacts of the Clean Air Act on uranium mill tailings and the proposed revision of 40 CFR Part 61, Subparts I, T, and W.
- Dr. Moeller informed the Committee that he was invited to speak at the Conference on State Radiation Control Program Directors on May 12, 1992. The Committee had no objections.

I. Future Meeting Agenda

Appendix III summarizes the proposed items for future meetings of the Committee and related Working Groups. This list includes items proposed by the Commissioners and NRC staff as well as ACNW members.

The meeting was adjourned at 4:50 p.m., Thursday, December 19, 1991.

Dated: November 26, 1991.

John C. Hoyle,

Advisory Committee Management Officer.

(FR Doc. 91-28906 Filed 12-2-91; 8:45 am)

BILLING CODE 7590-01-M

Advisory Committee on Nuclear Waste; Meeting

The Advisory Committee on Nuclear Waste (ACNW) will hold its 38th meeting on December 18-19, 1991, 8:30 a.m.—5 p.m., room P-110, 7920 Norfolk Avenue, Bethesda, MD each day. Portions of this meeting will be closed to discuss information the release of which would represent a clearly unwarranted invasion of personal privacy 5 U.S.C. 552b(c)(6). Notice of this meeting was published previously in the Federal Register on Monday, November 25, 1991 (56 FR 59304).

The agenda for the subject meeting shall be as follows:

- A. Review the Staff Technical Position on the Identification of Fault Displacement and Seismic Hazards at a Geologic Repository.
- B. Discuss the results of a Working Group meeting on concerns related to Faulting and Seismic Investigations of a proposed HLW repository site.
- C. Discuss items of mutual interest with the Commission.
- D. Session of Committee officers for CY 1992 (Open/Closed). This session will be closed as necessary to discuss information the release of which would represent a clearly unwarranted invasion of personal privacy.
- E. Develop a response to Chairman Selin on a systems analysis approach to the storage of spent fuel.
- F. Prepare a program plan for the next four months.
- G. Prepare a report on Quaternary dating methods for volcanic features and materials.
- H. Discuss anticipated and proposed Committee activities, future meeting agenda, administrative, and organizational matters, as appropriate. Also, discuss matters and specific issues that were not completed during previous meetings as time and availability of information permit.

Procedures for the conduct of and participation in ACNW meetings were published in the Federal Register on June 6, 1988 (53 FR 20699). In accordance with these procedures, oral or written statements may be presented by members of the public, recordings will be permitted only during those portions of the meeting when a transcript is being

kept, and questions may be asked only by members of the Committee, its consultants, and staff. The office of the ACRS is providing staff support for the ACNW. Persons desiring to make oral statements should notify the Executive Director of the office of the ACRS as far in advance as practical so that appropriate arrangements can be made to allow the necessary time during the meeting for such statements. Use of still, motion picture, and television cameras during this meeting may be limited to selected portions of the meeting as determined by the ACNW Chairman. Information regarding the time to be set aside for this purpose may be obtained by a prepaid telephone call to the Executive Director of the office of the ACRS, Mr. Raymond F. Fraley (telephone 301/492-4516), prior to the meeting. In view of the possibility that the schedule for ACNW meetings may be adjusted by the Chairman as necessary to facilitate the conduct of the meeting, persons planning to attend should check with the ACRS Executive Director or call the recording (301/492-4600) for the current schedule if such rescheduling would result in major inconvenience.

Dated: November 27, 1991.

John C. Hoyle,

Advisory Committee Management Officer.

(FR Doc. 91-28907 Filed 12-2-91; 8:45 am)

BILLING CODE 7590-01-M

State of Maine: Staff Assessment of Proposed Agreement Between the Nuclear Regulatory Commission and the State of Maine

AGENCY: Nuclear Regulatory Commission.

ACTION: Notice of proposed agreement with the State of Maine.

SUMMARY: The U.S. Nuclear Regulatory Commission is publishing for public comment the NRC staff assessment of a proposed agreement received from the Governor of the State of Maine for the assumption of certain of the Commission's regulatory authority pursuant to section 274 of the Atomic Energy Act of 1954, as amended. Comments are requested on the public health and safety aspects of the proposal.

Exemptions from the Commission's regulatory authority, which would implement this proposed agreement, have been published in the Federal Register and codified as part 150 of the Commission's regulations in title 10 of the Code of Federal Regulations.

DATES: Comments must be received on or before January 2, 1992.

ADDRESSES: Submit comments to the Chief, Regulatory Publications Branch, Division of Freedom of Information and Publications Services, Office of Administration, Washington, DC 20555. Comments may also be delivered to 7920 Norfolk Avenue, Bethesda, Maryland from 7:30 a.m. to 4:15 p.m. Monday through Friday. Copies of comments received by NRC may be examined at the NRC Public Document Room, 2120 L Street, NW, (Lower Level), Washington, DC. A copy of the proposed agreement, program narrative, including the referenced appendices, applicable State legislation and Marine regulations, is available for public inspection in the NRC's Public Document Room, 2120 L Street, NW, (Lower Level), Washington, DC, telephone: (202) 634-3273.

FOR FURTHER INFORMATION CONTACT: Kathleen N. Schneider, State Programs, U.S. Nuclear Regulatory Commission, Washington, DC 20555, telephone: 301-492-0320.

SUPPLEMENTARY INFORMATION: Assessment of Proposed Maine Program to Regulate Certain Radioactive Materials pursuant to section 274 of the Atomic Energy Act of 1954, as amended (the Act).

The Commission has received a proposal from the Governor of Maine for the State to enter into an agreement with the NRC whereby the NRC would relinquish and the State would assume certain regulatory authority pursuant to section 274 of the Act.

Section 274e of the Act requires that the terms of the proposed agreement be published for public comment once each week for four consecutive weeks. Accordingly, this notice will be published four times in the Federal Register.

I. Background

A. Section 274 of the Act provides a mechanism whereby the NRC may transfer to the States certain regulatory authority over agreement materials¹ when a State desires to assume this authority and the Governor certifies that the State has an adequate regulatory program, and when the Commission finds that the State's program is compatible with that of the NRC and is adequate to protect the public health and safety. Section 274g directs the Commission to cooperate with the States in the formulation of standards for protection against radiation hazards

¹ A. Byproduct materials as defined in 11e.(1)

B. Byproduct materials as defined in 11e.(2)

C. Source materials; and

D. Special nuclear materials in quantities not sufficient to form a critical mass



UNITED STATES
NUCLEAR REGULATORY COMMISSION
 ADVISORY COMMITTEE ON NUCLEAR WASTE
 WASHINGTON, D C 20555

December 5, 1991

SCHEDULE AND OUTLINE FOR DISCUSSION
38TH ACNW MEETING
DECEMBER 18-19, 1991

Wednesday, December 18, 1991, Room P-110, 7920 Norfolk Avenue,
 Bethesda, Maryland

- | | |
|--|--|
| <p>1) 8:30 - ^{8:40}9:00 a.m.</p> | <p><u>Opening Remarks by ACNW Chairman (Open)</u> 1.1) Opening Remarks (DWM/RKM) 1.2) Items of Current Interest (DWM/RKM)</p> |
| <p>2) ^{8:40}9:00 - 12:00 NOON ⁵ <u>(10:15-10:30)</u> BREAK</p> | <p><u>Technical Position on Identification of Fault Displacement and Seismic Hazards at a Geologic Repository (Open)</u> (WJH/CEA) 2.1) Working Group Chairman's Report of 12/17/91 meeting - WJH 2.2) NRC Staff Presentation on the T.P. 2.3) General Questions/Discussion 2.4) Nature of ACNW Comments/Report requested</p> |
| <p>12:00 - 1:00 p.m. **** LUNCH ****</p> | |
| <p>3) 1:00 - ^{3:10}3:00 p.m.</p> | <p><u>Continue Discussions On a Systems Analysis Approach to the Storage of High-Level Waste (Open) (MJS/HJL)</u> 3.1) Introduction (MJS) 3.2) Presentation by Mr. Alex Radin on Highlights of the Monitored Retrievable Storage Commission Study 3.3) General Discussion</p> |
| <p>^{2:15} ^{2:30} 3:00 - 3:15 p.m.</p> | <p>**** BREAK ****</p> |
| <p>¹⁰ 4) 3:15 - 4:00 P.M.</p> | <p><u>Prepare Next ACNW Program Plan for the Commission (Open) (DWM/RKM)</u> • Four month program plan of anticipated ACNW activities</p> |

[= transcribed portion of meeting

- 5) 4:00 - 5:⁵⁰~~30~~ p.m. Discuss Items for Meeting with NRC Commissioners (Open)
 5.1) NRC Capabilities In Computer Modeling and Performance Assessment of High and Low-Level Waste Disposal Facilities (PWP/GNG)
 5.2) Status of Current Effort on a Systems Analyses Approach to the Interim Storage of High-Level Waste (MJS/HJL)
 5.3) Highlights of Recent Effort on Geologic Dating (WJH/CEA)

⁵⁰
 5:30 p.m.

RECESS

Thursday, December 19, 1991, Room P-110, 7920 Norfolk Avenue, Bethesda, Maryland

- 6) 8:30 - 9:30 a.m. Complete Discussion of Items for Meeting with Commissioners (Open)

9:30 a.m.

DEPART FOR ONE WHITE FLINT NORTH

- 7) 10:00 - 11:30 a.m. Meeting with NRC Commissioners (Open)
One White Flint North - Commissioners Conference Room
 7.1) Discuss topics noted above with NRC Commissioners

11:30 a.m.

DEPART FOR PHILLIPS BUILDING

12:00 - 1:00 p.m.

**** LUNCH ****

- 8) 1:00 - 3:00 P.M. Preparation of ACNW Reports (Open)
 8.1.1) Discuss proposed Committee reports on:
 8.1.1) ACNW Four-Month Plans DWM/RKM
 8.1.2) Geologic Dating (WJH/CEA)
 8.1.3) T.P. on Fault Displacement and Seismic Hazards (WJH/CEA)

3:00 - 3:15 p.m.

BREAK

9) 3:15 - 3:30 P.M.

Election of ACNW Officers (Closed)9.1) Select ACNW Officers for CY-1992
(DWM/RFF)

(This session will be closed to discuss information the release of which would represent a clearly unwarranted invasion of personal privacy)

10) 3:30 - 4:30 p.m.

Anticipated ACNW Activities (Open)
(DWM/RKM)

10.1) The Committee will discuss anticipated and proposed Committee activities, future meeting agenda, and organizational matters as appropriate.

10.1.1) Set January '92 Agenda

10.1.2) Discuss Anticipated
Activities through April10.1.3) ACNW Consultants
Recruitment Progress10.1.4) Preliminary Agenda for 44th
ACNW Meeting, Richland, Washington/
Hanford Facilities (June 25-27,
1992)10.1.5) Discuss Staff Response to
ACNW Expert Judgment Report
(DWM/GNG)10.1.6) Future Working Group
Meetings

11) 4:30 - 5:00 p.m.

Miscellaneous (Open)

11.1) Complete discussion of issues considered during this meeting as appropriate and items which were not completed at previous meetings as time and availability of information permit.

4:50

5:00 p.m.

ADJOURN

APPENDIX III: MEETING ATTENDEES

38TH ACNW MEETING
DECEMBER 18-19, 1991

| <u>ACNW MEMBERS</u> | <u>1st Day</u> | <u>2nd Day</u> |
|-------------------------|------------------|------------------|
| Dr. William J. Hinze | <u> X </u> | <u> X </u> |
| Dr. Dade W. Moeller | <u> X </u> | <u> X </u> |
| Dr. Paul W. Pomeroy | <u> X </u> | <u> X </u> |
| Dr. Martin J. Steindler | <u> X </u> | <u> X </u> |

| <u>NRC STAFF</u> | | <u>1st Day</u> | <u>2nd Day</u> |
|------------------|------|----------------|----------------|
| Ron Ballard | NMSS | X | |
| Abraham Eiss | NMSS | X | |
| Dinesh Gupta | NMSS | X | |
| Bakr Ibrahim | NMSS | X | |
| Philip Justus | NMSS | X | |
| Harold Lefevre | NMSS | X | |
| Mike Lee | NMSS | X | |
| Donald Loosley | NMSS | X | |
| Keith McConnell | NMSS | X | |
| Peter McLaughlin | NMSS | X | |
| Mysore Nataraja | NMSS | X | |
| George Pirchard | RES | X | |
| King Stablein | NMSS | X | |
| John Trapp | NMSS | X | |
| James Wolf | OGC | X | |

ATTENDEES FROM OTHER AGENCIES AND GENERAL PUBLIC

| | |
|-------------------|------------------------|
| Joe Bannon | ERM |
| Michael Blackford | Pacific Tsunami Center |
| Sherwood Chu | NWTRW |
| Jeanne Cooper | DOE |
| Drew Corson | ICF |
| Jan Docka | Weston |
| Terry Grant | SAIC |
| Robert Hatcher | ORNL |
| Renner B. Hofmann | SWRI |
| Carl Johnson | Nevada |
| William McCaughey | Weston |
| Homi Minwalla | Weston |

ATTENDEES FROM OTHER AGENCIES AND GENERAL PUBLIC

| | |
|--------------------|--------------------------|
| Richard Quittmeyer | WCFS/M&O |
| David Rasiussen | Weston |
| Gene Roseboom | Weston |
| Ardyth Simmions | DOE |
| Jay L Smith | EEI/UWASTE |
| Carl Stepp | EPRI |
| Gerry L Stirewalt | CNWRA |
| Tim Sullivan | DOE |
| Bert Swan | Geomatrix, San Francisco |
| David Tillson | Nevada |
| Ray Wallace | USGS/HQ |

APPENDIX IV: FUTURE AGENDA

39th ACNW Committee Meeting January 15-17, 1992 (Tentative Schedule)

Systems Analysis Approach to Reviewing the Overall High-Level Waste Program (Open) - The Committee will continue deliberations to investigate the feasibility of a systems analysis approach to review the overall high-level waste programs, including the short and mid-range technical milestones for handling high-level waste, with the goal of reporting back to the Commission our recommendations as to the scope of the review and the advisability of undertaking it.

Revision to NUREG-1200 (Open) - The Committee will review and comment on a proposed revision to NUREG-1200, Standard Review Plan for a Low-Level Waste Facility.

Staff Technical Position on the Identification of Fault Displacement and Seismic Hazards at a Geologic Repository (Open) - The Committee will complete its review and comment on the draft Staff Technical Position on the "Identification of Fault Displacement and Seismic Hazards at a Geologic Repository."

Presentation at the Low-Level Waste Forum Winter Meeting (Open) - The Committee will discuss a paper being prepared for presentation at the Low-Level Waste Forum Winter Meeting. The paper will be based on reports recently issued by the ACNW on various low-level radioactive waste topics

Committee Activities (Open/Closed) - The Committee will discuss anticipated and proposed Committee activities, future meeting agenda, and organizational matters, as appropriate. The members will also discuss matters and specific issues that were not completed during previous meetings.

Working Group Meetings

Systems Analysis Approach to Reviewing the Overall High-Level Waste Program, February 19, 1992, 7920 Norfolk Avenue, Bethesda, MD (Larson) - The Working Group will continue to discuss the feasibility of a systems analysis approach to reviewing the overall high-level waste program, including the short- and mid-range technical milestones for handling high-level waste.

The Impact of Long-Term Climate Change in the Area of the Southern Basin and Range, March 11, 1992, 7920 Norfolk Avenue, Bethesda, MD (Gnugnoli) - The Working Group will discuss the historical evidence and the potential for climate changes in the southern

Basin and Range and their associated impacts on performance for the proposed high-level radioactive waste repository at Yucca Mountain.

Residual Contamination Clean-up Criteria, (Date to be determined), 7920 Norfolk Avenue, Bethesda, MD (Gnugnoli) - The Working Group will review the guidelines for radionuclide contamination limits for unrestricted use of sites and facilities that are or have been under NRC license, or were at one time under AEC license. This effort will be coordinated with a proposed effort by the ACRS to incorporate a land contamination limit into the nuclear power plant safety goals.

Methods for Assessing the Presence of Natural Resources at the Proposed HLW Repository Site, (Date to be determined), 7920 Norfolk Avenue, Bethesda, MD (Larson) - The Working Group will discuss methodologies for the assessment of the potential for natural resources at the proposed high-level waste repository site at Yucca Mountain. The relationship between natural resources and the potential for human intrusion will be emphasized.

APPENDIX V
LIST OF DOCUMENTS PROVIDED TO THE COMMITTEE

A. Meeting Handouts

AGENDA
ITEM NO.

DOCUMENTS

- 1 Chairman's Report
 1. Items of Possible Interest to ACNW Members and Staff, dated December 15, 1991, by Dade W. Moeller [Official Use Only]
- 2 Staff Technical Position on Investigations to Identify Fault Displacement and Seismic Hazards at a Geologic Repository
 2. Staff Technical Position on Investigations to Identify Fault Displacement and Seismic Hazards at a Geologic Repository, undated [Viewgraphs]
 3. Consideration of Fault Displacement in Repository Design and Performance, undated [Viewgraph]
 4. DHLWM Program Activities Shown in Relationship to 10 CFR Part 60 (FY91-92), page 13 [Viewgraph]
- 3 Systems Analysis Approach to the Storage of High-Level Waste
 5. Letter to Dade Moeller from Martin Steindler, dated December 15, 1991, re SRM, Letters, Memoranda, etc. (Official Use Only)
 6. Memorandum to Dade Moeller from Martin Steindler, dated December 15, 1991, re Comments on November Items of Possible Interest
 7. Nuclear Waste: Is There A Need For Federal Interim Storage Report of the Monitored Retrievable Storage Review Commission, November 1, 1989
- 7 Meeting with the NRC Commissioners
 - 7a. ACNW Reports/Issues for Discussion, dated December 19, 1991, with enclosures [Handouts]
- 10 Anticipated ACNW Activities
 8. Memorandum to ACNW Members from Mabel Lee, dated December 18, 1991, with enclosures
 9. Memoranda to Richard Major from Dade Moeller regarding future activities
 - a. Memorandum to Richard Major from Dade Moeller, dated December 5, 1991, regarding Update on Uranium Mill Tailings
 - b. Memorandum to Richard Major from Dade Moeller, dated December 5, 1991, regarding Contamination Standards
 - c. Transmittal Note to Richard Major from Dade Moeller, dated December 5, 1991, regarding

Preliminary Draft Response to Robert Bernero
Regarding Additional NMSS Consideration for
Expert Elicitation Guidance Official Use Only)

11 Miscellaneous

10. Memorandum to ACNW Members from Raymond Fraley, dated December 13, 1991, regarding Proposed Amendment to FACA, with enclosure

B. Meeting Notebook Contents Listed by Tab Numbers

TAB

Contents

1 Chairman's Report

1. Introductory Statement by ACNW Chairman, 38th Meeting, dated December 18-19, 1991
2. Items of Interest

2 Working Group On Comments On Final Draft Staff Technical Position On "The Identification of Fault Displacement And Seismic Hazards At A Geologic Repository"

3. Schedule and Outline for Discussion ACNW Working Group Meeting Related to Seismic and Faulting Investigations for a Geologic Repository, dated December 17, 1991
4. Status Report
5. Memorandum for Ray Fraley from Youngblood, dated, November 22, 1991, re Final Draft Staff Technical Position on "The Identification of Fault Displacement and Seismic Hazards at a Geologic Repository"

3 System Analyses Approach To The Storage of Spent Fuel (High-Level Waste)

6. Status Report
7. Memorandum for Dade Moeller from Chilk, dated August 21, 1991, re Staff Requirements, M910725A
8. Memorandum for Chairman Selin from Dade Moeller, dated December 2, 1991, re Staff Requirements Memo., M910725A
9. Summary of meeting on systems analysis project assigned to the ACNW by Chairman Selin. (Prepared for Internal Committee Use Only)
10. Memorandum for Susan Bilhorn from Richard Major, dated October 30, 1991, re Dr. Moeller's Summary of Meetings with Commissioners Rogers and Remick (Prepared for Internal Committee Use Only)

11. Memorandum for ACNW from Dr. Steindler, dated November 21, 1991, re "Integrated Systems Analyses of Waste Disposal"
 12. "DOE Position on the MRS Facility Presented to MRS Review Commission," excerpted from OCRWM Bulletin, May/June 1989
 13. MRS-related articles, excerpted from OCRWM Bulletin, September/October 1991
- 4 Prepare Next ACNW Program Plan for the Commission
14. Program Plan for ACNW. (Prepared for Internal Committee Use)
- 5.1 NRC Staff Capabilities in Performance Assessment and Computer Modeling for High-Level and Low-Level Waste Disposal
15. Background
 16. Memorandum for Dade Moeller from Kenneth Rogers, dated April 29, 1991, re General Questions Not Addressed At The ACNW Meeting With The Commission On March 22, 1991
 17. Memorandum for Commissioner Rogers from Dade Moeller, dated December 2, 1991, re NRC Capabilities In Computer Modeling And Performance Assessment Of Low-Level Waste Disposal Facilities
 18. Memorandum for Commissioners Rogers from Dade Moeller, dated December 2, 1991, re NRC Capabilities In Performance Assessment And Computer Modeling of High-Level Waste Disposal
 19. Memorandum for Commissioner Rogers from Ray Fraley, dated November 2, 1991, re Reports of Invited Experts Following The October 16-17, 1991 Working Group Meeting Of The ACNW, with enclosures
 20. Memorandum for Carol Peabody/Janet Kotra, from Giorgio Gnugnoli dated November 8, 1991, re Dr. Moeller's Summary of Meetings With Commissioners Rogers and Remick, (Prepared for Internal Committee Use)
 21. Memorandum for Susan Bilhorn/Regis Boyle, from Richard Major dated October 30, 1991, re Dr. Moeller's Summary of Meetings With Commissioners Rogers and Remick, (Prepared for Internal Committee Use)
 22. Summary of Meetings with Commissioners Remick and Rogers, dated October 30, 1991, (Draft #3)
- 5.2 Status Report on Systems Analysis Approach to the Transportation, Interim Storage, and Final Disposal of High-Level Waste
23. Background
 24. Memorandum for Dade Moeller from Samuel Chilk,

dated August 21, 1991, re Staff Requirements
M910725A

25. Letter, for Chairman Selin from Dade Moeller,
dated December 2, 1991, re Staff Requirements
M910725A

5.3 Working Group on Geologic Dating of Quaternary Volcanic
Features and Materials

26. Background
27. Schedule and Outline for Discussion
28. Letter for Chairman Selin from Dade Moeller, dated
12/10/91, re Geologic Dating of Quaternary Volcanic
Features and Materials, Draft #1 (Prepared for
Internal Committee Use)

10 Anticipated ACNW Activities

29. 39th ACNW Meeting January 16-17, 1992
30. 40th ACNW Meeting February 20-21, 1992
31. 41st ACNW Meeting March 12-13, 1992
32. 42nd ACNW Meeting April 23-24, 1992
33. Other Topics
34. Working Group Meetings
35. Blaha List
36. Consultants Recruitment
37. Memo for Mike MacWilliams from Giorgio Gnugnoli,
dated November 6, 1991, re Discussion of Available
Contracting Mechanisms for Technical Support for
Advisory Committee Meetings
38. Staff Engineers' and Staff Scientists' Research
Projects
39. Tentative Agenda for 44th Meeting June 25-29, 1992,
Richland/Hanford, Washington
40. Memorandum for Rich Major from Dade Moeller, dated
December 1, 1991, re Two Items, (Prepared for
Internal Committee Use)
41. Memorandum for Paul Pomeroy from Giorgio Gnugnoli,
dated November 20, 1991, re NMSS Response to ACNW
Report on Expert Judgement, (Prepared for Internal
Committee Use)
42. Memorandum for Ray Fraley from Robert Bernero,
dated October 21, 1991, re Use of Formal
Elicitation of Expert Judgement in the High-Level
Waste Repository Performance Assessment Program
43. Memorandum for Robert Bernero from Dade Moeller,
dated July 31, 1991, re The Role of Formal
Elicitation of Expert Judgement in the Performance
Assessment of a Geologic High-Level Waste
Repository
44. Memorandum for Richard Major from Dade Moeller,
dated December 1, 1991, re Mishaps Leading to

Contamination (Prepared for Internal Committee Use)

UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

Title: PERIODIC BRIEFING WITH ADVISORY COMMITTEE ON
NUCLEAR WASTE

Location: ROCKVILLE, MARYLAND

Date: DECEMBER 19, 1991

Pages: 71 PAGES

NEAL R. GROSS AND CO., INC.

COURT REPORTERS AND TRANSCRIBERS
1323 Rhode Island Avenue, Northwest
Washington, D.C. 20005
(202) 234-4433

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on December 19, 1991, in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

- - - -

PERIODIC MEETING WITH ADVISORY COMMITTEE
ON NUCLEAR WASTE

- - - -

PUBLIC MEETING

Nuclear Regulatory Commission
One White Flint North
Rockville, Maryland

Thursday, December 19, 1991

The Commission met in open session,
pursuant to notice, at 10:00 a.m., Ivan Selin,
Chairman, presiding.

COMMISSIONERS PRESENT:

IVAN SELIN, Chairman of the Commission
KENNETH C. ROGERS, Commissioner
FORREST J. REMICK, Commissioner
E. GAIL DE PLANQUE, Commissioner

STAFF SEATED AT THE COMMISSION TABLE:

SAMUEL J. CHILK, Secretary

WILLIAM C. PARLER, General Counsel

DR. DADE W. MOELLER, Chairman, ACNW

DR. MARTIN J. STEINDLER, ACNW

DR. WILLIAM J. HINZE, ACNW

DR. PAUL W. POMEROY, ACNW

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D. C. 20002

P-R-O-C-E-E-D-I-N-G-S

10:00 a.m.

CHAIRMAN SELIN: Commissioner Curtiss is suffering from what I understand is called the American flu, a rather misdirected touch of chauvinism as far as I'm concerned.

We'd like to welcome you again this morning. The Commission is pleased to have the members of the Advisory Committee on Nuclear Waste here to brief us on your work of the last few months and be particularly interested in your thinking on this broad systems analysis approach for looking to see if there are things that have fallen between the cracks and the overall approach to high-level waste program.

We have a great deal of interest in your views both on the high-level and the low-level waste disposal issues that will come before the Commission. We must be sure that the requisite staff capabilities are in place in this area to conduct independent views of license applications when they're received and we look forward to hearing your discussion of your Committee's plans for the next several months.

I don't think I have anything much more specific to say.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON D C 20005

1 Commissioner Rogers?

2 COMMISSIONER ROGERS: Just during the
3 course of your -- or before we've finished, I wonder
4 if you would be able to comment, and I'm just telling
5 you now so you can think about it a little bit, about
6 the EPRI workshop in September on the EPA high-level
7 waste standards. If you have any comments about that,
8 I'd like to hear them. Also, I understand that some
9 of you attended the conference by the Society for Risk
10 Analysis a week or so ago in Baltimore. If you have
11 some comments there as to anything that would be
12 interesting for us to hear about, I'd like to hear
13 about those at our meeting.

14 Thank you.

15 CHAIRMAN SELIN: Commissioner Remick?

16 COMMISSIONER REMICK: I have nothing.

17 CHAIRMAN SELIN: Doctor Moeller, the floor
18 is yours.

19 DOCTOR MOELLER: Well, thank you, Mr.
20 Chairman. We did indeed have people attend both of
21 those meetings and we'll simply ask them to respond.

22 This morning, the schedule that we've
23 proposed is simply to review the effort that we
24 undertook to assess the computer modeling and
25 performance assessment capabilities of the staff in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the high-level and the low-level waste area. I'll
2 cover low-level waste first and then Paul Pomeroy will
3 cover high-level waste and then we'll immediately get
4 into the systems analysis that you, Mr. Chairman,
5 commented on. Martin Steindler will cover that and
6 then we'll address your questions and if there's time
7 remaining, we do have a preliminary report on our
8 working group meeting on methods for dating geologic
9 structures and so forth and we'll be willing to
10 comment on those.

11 Before I comment on the performance
12 assessment review and computer modeling capabilities,
13 I'd like to share with you some general observations
14 that we made. These are quite obvious but I find it
15 interesting to write them down and see these general
16 observations. First of all, in your Office of Nuclear
17 Regulatory Research, high-level waste and low-level
18 waste are addressed by a common team. It's all
19 integrated.

20 Within NMSS, of course you have a division
21 of high-level waste and a division of low-level waste
22 and there is a separation and therefore less
23 interaction between the two groups. We find that
24 within the division of high-level waste that most of
25 the performance assessment and computer modeling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 capabilities are in-house. In other words, they've
2 developed them themselves. They are working with the
3 Center for Nuclear Waste Regulatory Analyses to
4 develop performance assessment capabilities there, but
5 they're in their infancy. So, I think it's important
6 to realize that their capabilities then are in-house.

7 If you compare that to low-level waste,
8 they are developing in-house capabilities and indeed
9 they have a certain degree of such capabilities, but
10 they depend heavily upon Sandia National Laboratories
11 for their support in this area.

12 Now, the states are also, of course,
13 involved, the agreement states, in reviewing
14 performance assessments that are done by various
15 applicants and I think it's interesting there to
16 realize that most of the capabilities that the states
17 depend upon are provided by a contractor. They're not
18 in-house within the states. We were commenting in
19 reviewing and preparing for this meeting that it would
20 have been interesting if we had had the time, and
21 maybe we still should do it, to explore with some of
22 these contractors just what are these capabilities and
23 what do we think of them.

24 Another general observation is that the
25 low-level waste disposal facilities, many of them are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 in advanced stages of development, whereas the high-
2 level waste repository, of course, is still some time
3 away. The last observation I would make is that in
4 terms of the high-level waste licensing function,
5 performance assessment, et cetera, that's exclusively
6 an NRC responsibility, whereas when you get over to
7 the low-level waste area your agreement states, in
8 fact the majority of the facilities currently underway
9 are in agreement states. So, in terms of that and the
10 NRC serves primarily as a consultant to provide
11 guidance to the states.

12 Another observation I would make before
13 I summarize the low-level waste conclusions or
14 comments is that the results that our letter to you,
15 of course, represents only a small part of the real
16 effort that took place and, I think, of the benefits of ✓
17 that effort. For example, we had a two day working
18 group meeting. We had many outside groups in addition
19 to the NRC there and we had in addition six invited
20 experts. These invited experts were, I'm convinced,
21 the really top flight people, very knowledgeable in
22 computer modeling and performance assessment. Not
23 only did we benefit by the questions they asked and
24 the insights that they provided, but at the end of the
25 meeting each of them provided us a written summary of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 their observations and we have shared those written
2 summaries with you and with the staff. So, we believe
3 that was very beneficial.

4 Now, in terms of the low-level waste
5 program, one of our major recommendations, initial
6 recommendations, was that there's a need for the staff
7 to develop what we would call the strategy document
8 to lay out the goals of their computer modeling and
9 performance assessment effort. We think that report
10 or document should tell what types of data they
11 believe are needed as inputs, how they're going to
12 collect these data, what equipment, both hardware and
13 software they need to meet their own licensing
14 responsibilities and what types of people they believe
15 are needed. This document should also describe how
16 the staff plans to evaluate the performance assessment
17 efforts of these contractors, of these applicants and
18 so forth and how or -- they should provide, we
19 believe, very specific guidance to the agreement
20 states on what your staff believes they should do in
21 the way of a review of the performance assessments
22 associated with various applications that they're
23 processing.

24 Then, as the performance assessment
25 capability of our staff matures in the low-level waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 field, we believe that the conduct of these
2 performance assessments will provide insights,
3 guidance as to the research needs, what research is
4 needed because it tells you what the voids are and
5 where you need additional data. Now, the staff told
6 us that indeed that is taking place today, that to a
7 certain degree performance assessment is guiding their
8 research, but we weren't that convinced. We believe
9 that there's a long way to go in this area.

10 Then we also believe that because of the
11 insights that are provided by performance assessment
12 that every member of the low-level waste staff ought
13 to be familiar with the methodology just so they'd
14 have an appreciation and if they're thinking about a
15 particular problem they won't forget that maybe over
16 in the performance assessment group they could get
17 some advice and guidance. So, we made that
18 recommendation.

19 We also made the recommendation that the
20 staff start incorporating more probabilistic analyses
21 into their performance assessment work. They're using
22 a lot of deterministic analyses now which have
23 associated uncertainties and we believe by applying
24 probabilistic techniques that they could quantify
25 those uncertainties. And particularly they are moving

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 now into what's called a phase 2 program and we
2 believe that's the time to really get going with this.
3 The probabilistic techniques are particularly
4 important due to the fact that a number of the states
5 that are developing or regional compacts that are
6 developing facilities are beginning to say, "Maybe we
7 need a facility or maybe we need to assess its
8 performance out to a time frame as much as 10,000
9 years." Well, if you're going to get into that time
10 frame, there's no other way to do it.

11 Then we also believe that a key input into
12 any performance assessment is the source term. We
13 really still don't know enough about the source term
14 for low-level waste. For example, we were thinking,
15 "Well, what question would Chairman Selin ask us," and
16 we wanted to rehearse and be ready. Someone said,
17 "Well, he could say, 'Do you as a committee believe
18 that you need to project out the performance of a low-
19 level waste facility for 10,000, yes or no?'" Well,
20 unless you know the source term, you can't answer
21 that. If the source term is strontium and cesium,
22 there's no need for that. Five hundred years is
23 plenty. But if it's plutonium or something else,
24 there is a need.

25 Then we last realized that the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20004

1 CHAIRMAN SELIN: The next meeting, Doctor
2 Moeller, I'd be appreciative if you'd give me a list
3 of the questions I might ask so I wouldn't disappoint
4 you.

5 DOCTOR MOELLER: Lastly we suggest that
6 they keep up with what's going on in the other
7 countries because France, for example, says they've
8 done performance assessments of above ground bunkered
9 facilities. Well, let's find out what they did. What
10 are their methods? Then the --

11 CHAIRMAN SELIN: Before you get off that,
12 is that a reinforcing comment, we should continue to
13 keep up --

14 DOCTOR MOELLER: Yes.

15 CHAIRMAN SELIN: Do you think we'd make
16 a reasonable attempt to try to keep up and so forth?

17 DOCTOR MOELLER: Yes. Yes, you are. The
18 staff is making a reasonable attempt and we certainly
19 endorse it.

20 Then, in terms of specific things on
21 computer modeling capabilities, and I'll wrap it right
22 up, we believe the hardware of the low-level waste
23 program is inadequate. Fortunately, you can correct
24 this for a few tens of thousands of dollars. We're
25 not talking major funding here. They also need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 establish better ties to the data links with
2 international and national groups. The modeling
3 capabilities that they need are diverse. They're
4 looking at above ground, below ground, wet climate,
5 dry climate, all of those types of things. They need
6 to be ready for that.

7 Then, a final recommendation or the last
8 one I want to mention is that the low-level waste
9 staff responsible for performance assessment should
10 be clearly identified and that ought to be their major
11 responsibility.

12 CHAIRMAN SELIN: Thank you. One question
13 I would like to ask. Are you aware of other relevant
14 research in these low-level waste areas you've talked
15 about that have been sponsored by other parts of the
16 federal government or is basically the NRC it when it
17 comes to the models that are relevant to --

18 DOCTOR MOELLER: We gained a lot of
19 insight in terms of what DOE is doing. Now, where the
20 contractors obtain their guidance or how those
21 developments took place, I don't know. We need to
22 explore that.

23 CHAIRMAN SELIN: Insofar as you have found
24 work done by DOE or EPA, does it appear to you that
25 we take that work into account when we plan our own

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 work or is it --

2 DOCTOR MOELLER: Yes, sir. I feel your
3 staff is fully aware of what's going on.

4 COMMISSIONER REMICK: Somewhere I thought
5 you had suggested there be closer ties between the DOE
6 effort in the low-level waste area and our staff.

7 DOCTOR MOELLER: Yes.

8 COMMISSIONER REMICK: I was going to ask
9 you what you meant there.

10 DOCTOR MOELLER: Okay. What we meant
11 there was that the DOE -- you know, the states have
12 many problems and many challenges and many a time
13 we'll ask, "Why doesn't the NRC staff get busy on
14 this?" and they will say, "Well, that's DOE's
15 responsibility," and DOE indeed has a responsibility
16 to provide technical guidance to the states in low-
17 level waste disposal and they've done that in several
18 ways by developing performance assessment capabilities
19 and doing assessments of the various types of low-
20 level facilities. I'm sure Doctor de Planque could
21 tell us a lot more about it.

22 But indeed, what we said was that the NRC
23 staff ought to factor into that DOE program, if it's
24 possible, their needs. So, while DOE is running this
25 major assistance program to the states, it is meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the needs of the NRC as well as the states, as well
2 as what DOE sees as their needs.

3 COMMISSIONER REMICK: Is that DOE
4 assistance program still run out of Idaho? At one
5 time I believe it was.

6 DOCTOR MOELLER: I don't know.

7 DOCTOR POMEROY: I don't know the answer
8 to that either.

9 DOCTOR MOELLER: No, I don't know.

10 COMMISSIONER REMICK: Well, is your
11 concern that we are duplicating what DOE is doing --

12 DOCTOR MOELLER: Not at all.

13 COMMISSIONER REMICK: -- or that DOE is
14 not incorporating in the NRC --

15 DOCTOR MOELLER: That the NRC --

16 COMMISSIONER REMICK: -- needs or vice
17 versa or what?

18 DOCTOR MOELLER: The NRC staff is not, in
19 our opinion, taking full advantage of the DOE effort
20 and they could gain a lot by taking more advantage of
21 it.

22 COMMISSIONER ROGERS: It seems to me a
23 note in your report that the NRC staff was having
24 difficulty getting computer programs --

25 DOCTOR MOELLER: I believe that was in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 high-level waste area.

2 COMMISSIONER ROGERS: Only in the high-
3 level, not in the low-level?

4 DOCTOR MOELLER: Yes, and Paul --

5 DOCTOR POMEROY: That's our perception.

6 COMMISSIONER ROGERS: That's really quite
7 a different question.

8 DOCTOR MOELLER: We had rehearsed that
9 question too. It's being done now on a case by case
10 basis. We want a generic resolution to the problem.
11 So, when NRC asks for a particular code, it will be
12 provided properly.

13 COMMISSIONER ROGERS: It's a mechanism
14 for --

15 DOCTOR MOELLER: The mechanism needs to
16 be greased.

17 COMMISSIONER ROGERS: Contact point.

18 DOCTOR POMEROY: A formal mechanism and
19 one which provides ready access by the NRC staff to
20 the DOE's data and models being mindful of the fact
21 that some of the DOE data and models have a relatively
22 low QA and QC status. That needs to be taken into
23 account if the staff uses those.

24 COMMISSIONER DE PLANQUE: Is this
25 something you feel can be accomplished by initiative

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 at the staff level?

2 DOCTOR POMEROY: I don't believe so. My
3 personal opinion is that I believe it should be
4 carried out at a very high-level, in fact, so that
5 there is no question in anybody's mind that when a
6 request is made and I see that as a possibility of
7 electronic request, that is electronic access to that
8 data, that that data will be forthcoming.

9 DOCTOR HINZE: I would like to interject
10 that this is going to become more important as the
11 site characterization comes forth and we're going to
12 see a lot of data and we have to know -- the staff has
13 to know what data are available, what form, et cetera,
14 so that full advantage can be taken of that.

15 COMMISSIONER ROGERS: You will come to the
16 high-level waste letter later, but in both those you
17 emphasize the need for greater staff consistency, I ✓
18 don't know if you use that word, but in knowledge of
19 performance assessment methodologies. I just wondered
20 what your view there is as to how well defined a
21 discipline that is. We've recently been focusing on
22 PRA and statistics and questions of that sort with
23 respect to staff capabilities. There, it seems to me
24 fairly clear that it's a pretty well defined
25 discipline that we're talking about and should easily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 be something that could be encapsulated in some kind
2 of a specific program that everybody could be exposed
3 to. But what about performance assessment,
4 particularly in this area? Is there a -- is the
5 methodology that well defined as a discipline that one
6 could somehow or other bring everybody up to some
7 minimal level of congruence or is it not? I just
8 really don't know myself.

9 DOCTOR MOELLER: Why don't we switch to
10 Paul and let him answer that and move on into the
11 high-level waste area?

12 DOCTOR POMEROY: Right. To address that
13 question, I would say that you're perfectly correct,
14 that performance assessment is not at the same level
15 of development, in my opinion, as probabilistic risk
16 analysis. Nonetheless, I think there is an achievable
17 consensus that exists in the community, since the
18 community is relatively new and relatively small, that
19 could be taken advantage of to facilitate the
20 licensing process. I believe in another context we've
21 recommended that the staff consider trying to achieve
22 that consensus in the area of expert judgment. But
23 that would apply.

24 We've also recommended that the
25 methodology be looked at and that the staff try to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 develop a consensus on the use of the methodology.
2 So, I think it is possible to develop a partial
3 consensus, partially because the methodology is not
4 that well developed yet, is not completely developed.
5 It's very well developed, but not completely.

6 I'd like then to turn to the high-level
7 waste issues. We've looked at, as Dade said, the
8 high-level waste capabilities and our general
9 conclusion is that the high-level waste management
10 staff is highly qualified and a professional group and
11 is developing a suitable program for performance
12 assessments of a high-level waste disposal facility.
13 I'll use some terms here. This program should be
14 sufficient to demonstrate to a licensing board whether
15 or not a repository meets the requirements of 10 CFR
16 61.12 and 61.13. Although the program is adequate,
17 we recognize that it cannot be totally independent due
18 to the necessary reliance of the NRC staff on data
19 models and computer codes from the Department of
20 Energy and other sources.

21 CHAIRMAN SELIN: Could you just stop at
22 this point?

23 DOCTOR POMEROY: Sure.

24 CHAIRMAN SELIN: Isn't there a
25 verification and validation procedure such that we

1 could accept the codes and independently check them
2 to the point that they could serve both the purposes
3 of the licensee and of the licensing organization or
4 is there some deeper conflict that would be involved?

5 DOCTOR POMEROY: No. I think that's
6 perfectly possible. We have -- the staff has indeed
7 the capability to do that independent evaluation and
8 analysis and they certainly can do that.

9 Some additional points. The staff intends
10 to conduct a selectively focused review of the
11 performance assessments conducted by the DOE,
12 supported by in-depth reviews in certain key areas.
13 That approach is consistent with what NRC has done in
14 reviewing other license applications in the past. We
15 believe it's realistic and we think that it would
16 produce a product that is both defensible and
17 understandable in the licensing arena. We've stressed
18 that it isn't truly independent because of the data,
19 but the approach is acceptable as long -- as the
20 Chairman has just pointed out, as long as the staff
21 has the capability to independently evaluate the
22 quality of the data.

23 The third point is that the staff indeed
24 would benefit from some sort of an endorsement or
25 affirmation by the Commission and the upper NRC

1 management of the exact role that you see for the
2 NRC's performance assessment staff in the prelicensing
3 and licensing process. There's also a need clearly
4 to provide some additional funds to that core group
5 as performance assessments move more to center stage
6 as we get closer to the licensing arena.

7 COMMISSIONER ROGERS: You said it in a
8 very nice quiet way, but that sounds to me like we
9 don't even have the basis for what people are doing
10 well defined because, after all, performance
11 assessment is what it's all about when all is said and
12 done. What is it that -- should the Commission be
13 affirming? It sounds to me as if we haven't decided
14 what the staff is supposed to be doing here in using
15 performance assessment methodologies. What is it we
16 should be affirming and supporting? I'm somewhat
17 troubled by this because it sounds to me like it's a
18 very nice way of saying that we really haven't gotten
19 our act together here.

20 DOCTOR POMEROY: I don't want to imply
21 that entirely, so let me answer the question
22 obliquely. It seems to me that there are a number of
23 possible roles that the performance assessment staff
24 and performance assessment itself can play. You asked
25 -- the reason I've stressed the independent question

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20004

1 here, you've asked us whether or not the staff has the
2 capability of producing an independent performance
3 assessment. That would be one role for the staff.
4 That would imply a massive amount of resources, of
5 course.

6 The other end of that spectrum, of a
7 spectrum of possibilities, is that there is simply a
8 review function. That is, bring me an application and
9 we'll look at it and we'll review it given our overall
10 expertise within the organization, but we won't
11 develop any independent capability to look in detail
12 in certain key areas. I think the NRC staff itself
13 has carved out a reasonable niche there is the middle
14 of that spectrum. But perhaps the Commission has a
15 different view of the role of performance assessment
16 and the staff in that spectrum and, if so, that
17 certainly would be useful to the staff to understand.

18 Have I answered that?

19 COMMISSIONER ROGERS: Well, it's been very
20 helpful, yes. Yes. I think I've got a little bit
21 better --

22 COMMISSIONER REMICK: I assume this comes
23 from communicating with the staff. Do they feel that
24 they need some direction to tell them what their role
25 should be, that it's not clear in their mind? Is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 what you're saying or is it saying that we haven't
2 expressed our love for them, hubbub in there more than
3 once a month?

4 CHAIRMAN SELIN: Asking the Commission for
5 direction is like the Romans asking the Goths in to
6 settle an internal dispute. It might make some sense
7 on paper, but it doesn't happen very often.

8 DOCTOR POMEROY: I think that the staff--
9 my perception is that I think the staff itself has a
10 clear picture of its role. As we've said, we think
11 that's an appropriate role, but that's not our
12 decision. I think it's not clear from our discussions
13 with the staff that everybody in the management
14 structure understands that role and/or concurs with
15 it. I think that's what we were asking for here was
16 simply either an affirmation of that role or a
17 statement of what the role should be from the
18 Commission and upper level management's perspective.

19 COMMISSIONER REMICK: Okay.

20 DOCTOR POMEROY: There are several
21 specific comments we'd like to make. We have brought
22 up the question of strategy document for a low-level
23 waste and we've brought up a question of a strategy
24 document in the past. We feel very strongly that
25 there is a need for a strategy document in high-level

1 waste performance assessment area and that should
2 include elements like what is that program designed
3 to accomplished, how is the program to be carried out
4 and what's the time table for that program. Clearly
5 that strategy can't be developed without a clear
6 perspective on what the role is from our previous
7 discussion.

8 DOCTOR MOELLER: One comment would be that
9 if such a document were developed and it was approved,
10 then that would solve maybe the affirmation question.

11 DOCTOR POMEROY: We do think the staff
12 needs to delve deeper into the various scientific and
13 technical problems, especially questions of how we
14 treat uncertainty and how we treat and use expert
15 judgment. We've discussed the staff's difficulties
16 with regard to obtaining data and we believe that that
17 generic formal arrangement should be made, as you've
18 suggested, at a very high level.

19 The NRC staff is expanding its performance
20 assessment capability to provide estimates of the dose
21 to individuals and population groups and to increase
22 the effectiveness of this effort, the staff should
23 expand its interactions with the international
24 community to take full advantage of codes that have
25 been developed to predict dose in other countries.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 COMMISSIONER DE PLANQUE: Let me interrupt
2 a minute. Did you see any particular obstacles to
3 that happening or is this just a matter of encouraging
4 more of that interaction?

5 DOCTOR POMEROY: I see no obstacles. I
6 think it's simply a matter of encouragement. As I'll
7 state later, I believe the high-level waste staff has
8 done an excellent job in interaction in the
9 international area. Its simply that in this area they
10 haven't done that.

11 COMMISSIONER REMICK: In Part 61, it is
12 an area where we do have a dose limit as a criteria.
13 Are you by any chance aware do other countries use
14 dose in the case of low-level waste or do they release
15 this?

16 DOCTOR MOELLER: I'm not sure. From what
17 I hear, they certainly have performance assessment
18 capabilities to predict dose. So, there must be a
19 reason for it.

20 COMMISSIONER REMICK: Typically I guess
21 in the reactor area they don't like to go out to dose.
22 They usually restrict it to releases or core damage.
23 So, I was just curious in the waste area. I really
24 don't know.

25 DOCTOR POMEROY: Doctor Moeller has cited

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 the advantages of performance assessment in developing
2 research priorities and we think that in the high-
3 level waste area there should be an effort made to
4 formally incorporate the performance assessment
5 results into prioritizing the research program in
6 addition to the obvious benefits of the performance
7 assessment in developing licensing capability.

8 COMMISSIONER ROGERS: Just on that, your
9 statement was that all members of the NRC involved in
10 high-level waste programs should be required to become
11 familiar with the methodology of performance
12 assessment. Is there a standard reference on this?
13 Does a primer exist on this? If not, would it make
14 some sense to encourage the development of one that
15 could be used more generally in the community?

16 DOCTOR POMEROY: There are certainly books
17 on risk analysis, but that's a different question.

18 COMMISSIONER ROGERS: I'm talking about
19 here performance assessment specifically.

20 DOCTOR MOELLER: In low-level waste area,
21 the staff, either through contract -- I'm not sure how
22 it was done, but they have a self-teaching manual.

23 DOCTOR POMEROY: Right. In the high-level
24 waste --

25 COMMISSIONER ROGERS: And do you feel that

1 that is --

2 DOCTOR MOELLER: And then they conduct
3 courses on it and --

4 COMMISSIONER ROGERS: Do you feel that
5 that's adequate? Do you feel that it's --

6 DOCTOR MOELLER: I think for what we're
7 talking here for others to be familiar and so forth,
8 that should be adequate, yes.

9 DOCTOR POMEROY: And you're familiar, of
10 course, with the efforts of the high-level waste staff
11 in setting up an education program, the one week long
12 courses in performance assessment that are given
13 periodically here and we believe those should be
14 strongly encouraged. There's a question of how
15 those -- to what group those particular one week
16 courses or other courses, similar courses in high-
17 level waste performance assessment should be focused,
18 to what group.

19 We believe that the phase 2 performance
20 assessments that the staff is currently undertaking
21 provides the opportunity to explore one or two key
22 difficult areas in great detail. We believe they
23 should do that and we believe that the analyses should
24 be chosen to illustrate the mechanisms for the
25 identification and quantification of the uncertainty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 and for the elicitation and use of expert judgment and
2 we should continually gain a better understanding of
3 the difficulties associated with determining
4 compliance with the standards.

5 Finally, my favorite subject, of course,
6 is expert judgment, as you know. The NRC high-level
7 waste staff needs to consider the role of expert
8 judgment in greater detail. Staff should develop the
9 strategy for the use of expert judgments in
10 performance assessment both in conducting their own
11 analyses and in reviewing how DOE uses expert
12 judgments in its assessments. That's a very timely
13 issue at the moment.

14 I'd like to turn now to the computer
15 modeling. Our words -- first let's look at the
16 hardware situation. Our words are that the hardware
17 is outdated and inadequate and that's being generous,
18 I believe, compared to modern day computer
19 capabilities. In addition, electronic links between
20 computers here at Headquarters and other facilities,
21 including the Center are almost non-existent. Having
22 said that, one has to say that the staff has
23 demonstrated great ingenuity in achieving the computer
24 capability that they need. But, in fact, there is a
25 pilot program that has been funded to upgrade the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 computer capability of staff and we look forward to
2 seeing the results of that, but we're convinced that
3 continuing upgrades of that capability, computer
4 capability are going to be needed.

5 COMMISSIONER ROGERS: Do you feel that the
6 staff has actually felt that they really wanted
7 hardware that they simply couldn't get because of
8 financial constraints? In other words, that there
9 just wasn't the funds available to get what they
10 really want to use or whether somehow they've been
11 comfortable with what they have and have not been
12 really aggressively pursuing the use of more modern
13 and sophisticated hardware.

14 I say that because this is an area that
15 Commissioner Remick and I have been both very
16 interested in for the last year or more and we have
17 found that certainly there are some parts of the NRC
18 where there is not a very great interest in using the
19 most modern hardware. But we're more interested than
20 the practitioners seem to be. I wonder what your
21 analysis of the situation here is, whether people
22 really would like to have more sophisticated hardware
23 because they know what they want to do and can't do
24 it because they don't have it or whether they don't
25 see it as necessarily advancing their ability to solve

1 the kinds of problems they feel they have to solve.

2 DOCTOR POMEROY: Our perception is that
3 the former is the correct situation, that the staff
4 clearly perceives what it needs and can delineate that
5 fairly carefully. My perception is that they're
6 unable to achieve that because of resources,
7 limitations up until the time that this pilot program
8 set of funds were provided and we'd like to continue
9 to examine how that program develops as it goes into
10 the future because that involves first a study of the
11 needs of the staff, which we think are fairly well
12 delineated, but it first involves a study of the needs
13 of the staff and the overall interconnection links and
14 then purchase of hardware to satisfy the perceived
15 needs of the staff.

16 DOCTOR HINZE: I guess I would like to add
17 there that it's very important that we think about
18 staffing into the future and the types of people that
19 we add. The types of people that you want to attract
20 are not going to come with the types of facilities
21 that are in hand with hardware, peripherals, software.
22 I think that looking to the future and performance
23 assessment, a future role in this Commission, it's
24 extremely important that upgrades be made and that
25 people be encouraged to take advantage --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 COMMISSIONER ROGERS: To question the work
2 environment.

3 DOCTOR HINZE: That's right. My students
4 aren't interested in going out to a place where they
5 don't have a work station at a very minimum, to have
6 access to -- and it really doesn't take a great deal
7 of money, I think, to produce the kind of environment
8 that we need for the quantification involved in
9 performance assessment. I'm talking about the
10 modeling procedures through the whole range.

11 DOCTOR POMEROY: Bill is perfectly right
12 in that. It doesn't take vast amounts of money, but
13 it does take resources. We believe strongly they
14 should be provided to that group because that group
15 has a defined role, self-defined role perhaps, that
16 involves extensive computer capability and you simply
17 can't do that kind of computation on a 286 computer.
18 It's just not possible.

19 We think the staff has outstanding
20 capabilities, as I've said, for developing and using
21 conceptual, mathematical and computer models. The
22 capabilities reside within the Agency and we think
23 that that's an important factor in this area. We
24 think the Center has had difficulty in recruiting the
25 performance assessment expertise that it clearly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 needs. That's a function of the lack of suitably
2 trained performance assessment people and, of course,
3 financial limitations on what the Center can offer
4 itself.

5 But the performance assessment manager at
6 the Center certainly has good modeling and performance
7 assessment capabilities. There's no question about
8 that.

9 Again, we've talked about the training and
10 we think that's being implemented. We think those
11 programs are extremely useful. We think the staff
12 should, in its entirety, be ultimately exposed to
13 those, including upper level management and we hope
14 that you and the upper level management itself will
15 encourage the continuation of those training programs.

16 I have a few summary ideas, but I think
17 I'd just like to summarize what I perceive the needs
18 are. That is for this strategy document, for an
19 upgrade of the hardware, we have to resolve this
20 limitation that the staff runs into of obtaining
21 primarily software, but data and models from the DOE.
22 And I have to stop with the question of resources
23 again, that the adequate resources to meet the needs
24 of the program as it evolves have to be provided, it
25 would seem to us.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON D.C. 20005

1 Subject to your concurrence, we'd like to
2 continue to look at these issues. They're extremely
3 interesting not only to me personally but to the
4 Committee as a whole. Thank you.

5 COMMISSIONER ROGERS: I just wanted to say
6 that I thought the two letter^S_A were absolutely superb. ✓
7 It seemed to me that they were very thoughtful and the
8 way you went at answering the questions was really
9 first rate. I think there's an enormous amount of
10 food for thought here in these letters for all of us
11 to pay attention to. I just really wanted to
12 compliment you on them because I think you did an
13 excellent job myself. I raised the questions and I
14 was just delighted with the answers that came back.
15 So, I wanted to say that because I think it's true.

16 I had a couple of questions about some
17 points here. What do you think -- you pointed out
18 that EPA is revising its standards for disposal of
19 low-level waste and you also pointed out that we are
20 producing or reviewing documents, NUREG-1200 and 1300
21 you referred to, and that you thought it was very
22 important to get those and the guides out to the
23 people in the field that need to have that guidance.
24 But what do you think would be the -- what's your
25 estimate of the impact of the new EPA standards? I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20004

1 know they're not out, but on those documents, do you
2 think that they would have a very strong impact that
3 would cause yet a further revision or not?

4 DOCTOR MOELLER: Our understanding --
5 well, to comment, the NUREG-1200 and so forth does
6 have a section on performance assessment. So, we
7 think it's important to get it out. You're developing
8 a regulatory guide on performance assessment for low-
9 level facilities. It's critical that that be gotten
10 out just as soon as possible because it's needed. In
11 terms of EPA, we don't know much more than you in
12 terms of what they have in mind. However, back to,
13 I guess, Commissioner Remick's question, it's my
14 understanding that the EPA standards will specify dose
15 limits for the population. Well, if indeed that's
16 true, that ties into some of the things we say.

17 DOCTOR POMEROY: On the other hand, we're
18 not sure of what the EPA schedule is, obviously.

19 COMMISSIONER ROGERS: Yes.

20 DOCTOR POMEROY: And there is a timeliness
21 issue here. While it's not perfect to issue some
22 documents and then have to go back and revise because
23 of the time issue, it seems appropriate to move
24 forward with the documents and not necessarily wait
25 for the EPA results.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 DOCTOR MOELLER: Oh, absolutely. We
2 wouldn't say hold up at all.

3 COMMISSIONER ROGERS: Sure. I found these
4 submissions from the invited experts very interesting.
5 And I noted that there were a couple of points in some
6 of them that you didn't put in your report and I just
7 wanted to explore them. There was considerable
8 concern about lack of geochemical theory and analysis
9 in the source term modeling for low-level waste. One
10 of the experts made that comment and said, "The
11 absence of such information in the presentation
12 indicates to me that the primacy of geochemical
13 modeling in source term PA may be severely under
14 appreciated by the NRC." Do you share that concern?

15 DOCTOR HINZE: Well, I think that our
16 feeling on that was that the experts did not hear the
17 complete story. They heard a presentation and they
18 didn't get the complete story, and that the NRC staff
19 is concerned about these items and that this was just
20 a geochemical expert looking for his particular
21 specialty. That's the way I'd field that comment.

22 COMMISSIONER ROGERS: And you more or less
23 all feel that way?

24 DOCTOR POMEROY: I think, though, both in
25 high-level waste and low-level waste there has been

1 a relative lack of emphasis on geochemistry and I
2 believe that's partially a matter of what we have
3 available immediately to us and I believe the other
4 areas, as Bill says, will be investigated, but it's
5 a matter of time.

6 CHAIRMAN SELIN: Commissioner Remick?

7 COMMISSIONER REMICK: From the 4th floor
8 of Phillips Building, we quite often get reminders
9 about coherence and consistency and many times I agree
10 with it, but I like to pull the chain of your
11 colleagues from time to time and remind them when I
12 see what I consider to be inconsistencies or
13 incoherence in their recommendations.

14 I think, Doctor Pomeroy, you have answered
15 it, but I found it of interest and it did confuse me
16 at the time. On page 3, you talk about the need for
17 staff to receive training in performance assessment,
18 but then on page 4 you indicate that training is
19 underway, that you're pleased to see that it's
20 implemented. I guess what you're saying is there are
21 training programs underway, but they are not
22 completed. Is that it? But I found it curious. One
23 place you're recommending that it be done. Another
24 place you're saying that it was being done.

25 DOCTOR POMEROY: I could provide you my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 list of questions too. I don't believe there's an
2 inconsistency there. We've had a few of these one-
3 week training programs in performance assessment where
4 the performance assessment groups are reaching out to
5 the other members of the high-level waste staff. We
6 feel that the training program as it's being
7 implemented is adequate, but it certainly has not
8 reached anything like every member of the staff that
9 it should.

10 COMMISSIONER REMICK: Okay. And you had
11 a comment about the Center also that I got the feeling
12 that perhaps they were not pursuing training of
13 personnel there in performance assessment?

14 DOCTOR POMEROY: I don't get the feeling
15 that they're pursuing a formal training course in
16 performance assessment. As you know, in many academic
17 institutions people get together every week and
18 discuss the problems and that's much more the mode in
19 which the Center operates, and so there is an
20 interchange and informal training program at the
21 Center and we believe that that probably works fairly
22 well, although we did not investigate that in detail.

23 COMMISSIONER REMICK: Okay. So you do not
24 necessarily see a problem there?

25 DOCTOR POMEROY: At the Center, no, we do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 not.

2 COMMISSIONER REMICK: Okay.

3 COMMISSIONER DE PLANQUE: I am sorry I
4 don't have as much background on this as I would like
5 at this point, so maybe the answer is covered
6 elsewhere but I'll use the opportunity to ask it
7 anyway. On the first page of your letter regarding
8 the high-level waste facilities, you indicate that you
9 recognize that the assessments cannot be totally
10 independent because of the reliance on other
11 organizations for codes and data. In the term
12 "organization" there, are you referring primarily to
13 DOE or contractors? What was behind that?

14 DOCTOR POMEROY: We're referring primarily
15 to the Department of Energy and its contractors.

16 COMMISSIONER DE PLANQUE: And it's
17 contractors.

18 DOCTOR POMEROY: There are clearly other
19 players in the program that have data, particularly
20 a DOE contractor, the U.S. Geological Survey, and we
21 certainly want to see the staff have the capability
22 of accessing that data from all of those
23 organizations. What we had primarily in mind was the
24 DOE and its contractors.

25 COMMISSIONER DE PLANQUE: Is this an area

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 where you would hope that more international
2 participation might provide greater independence?

3 DOCTOR POMEROY: I don't see --

4 COMMISSIONER DE PLANQUE: In terms of the
5 types of codes or methods used?

6 DOCTOR POMEROY: My personal estimation
7 of the level of interaction at the international level
8 for the high-level waste group is that that's
9 extremely good from the standpoint of interaction.
10 I believe that if there were programs or useful models
11 out there the staff would be aware of them in a very
12 short period of time, so I'm not convinced that
13 greater interaction is needed in that area. Certainly
14 in the area of estimation of dose there is a different
15 question and perhaps you know more about that than I
16 do.

17 DOCTOR MOELLER: But I think the answer
18 is yes, that that certainly does provide independence.

19 DOCTOR STEINDLER: I may however comment
20 that the applicant is looking at the same set of
21 codes.

22 DOCTOR MOELLER: Yes, right.

23 COMMISSIONER DE PLANQUE: Yes.

24 DOCTOR STEINDLER: So, you lose some of
25 that independence then.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20004

1 COMMISSIONER DE PLANQUE: Right.

2 DOCTOR MOELLER: Well, sir, we're ready
3 the to move to Doctor Steindler to cover your subject.

4 CHAIRMAN SELIN: Thank you.

5 DOCTOR STEINDLER: Let me start out by
6 making a comment about the geochemistry question that
7 you asked. I think there is -- my view is that there
8 is a significant difference in the quality and
9 certainly the quantity of geochemical input into
10 performance assessment comparison, high-level waste
11 with low-level waste. I would say in that sense that
12 the low-level folks are not as nearly involved in
13 looking at geochemistry as have been even to date the
14 high-level people, who for reasons of their own have
15 to have a much better grasp of what's going on in the
16 geochemistry area. That's a side comment.

17 My presentation is in contrast to the
18 other two, something that we have been told explicitly
19 is not a good idea, namely to provide the Commission
20 with a progress report. Nonetheless, with some
21 trepidation then I start down this path and bring you
22 a progress report.

23 Last July, Chairman Selin voiced the need
24 for a systems analysis of the high-level waste
25 activity or high-level waste enterprise, expressing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 I think at least implicitly what some of us have felt
2 for some time and that is the concern that things are
3 not moving adequately or, if they are moving
4 adequately, it wasn't clear that they are.

5 In August, an SRM came to us indicating
6 roughly what we should be doing and set a deadline for
7 November to have a rough outline of how this process
8 were to be accomplished and whether or not this is a
9 worthwhile exercise. We've looked at this issue at
10 length since that time and wrote you a letter in
11 December saying that we can't possibly do it by
12 November. I'm here to tell you that we're not going
13 to do it by November, so we've anticipated at least
14 one question.

15 It is of interest that a fairly
16 straightforward and simple question produced a
17 reasonable amount of ups and downs for us, trying to
18 interpret not only what was meant but how does one get
19 this job started. The job, make no mistake about it,
20 is not to do the analysis but to outline in a sense
21 the scope of work that someone would need to get an
22 idea of what needs to be done.

23 So we have finally, I think, settled on
24 an approach that makes to us a reasonable amount of
25 sense, or at least it did for me before I walked into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 the meeting today. The reason I say that is because
2 we've just heard about some of the inadequacies of
3 performance assessment and the problems that that
4 topic brings you, and I'm going to anticipate what I'm
5 going to tell you. I'm going to use the process of
6 performance assessment as essentially the story line
7 of the systems analysis. And I do that, however,
8 recognizing that there is a difference between the
9 performance assessment subject to detailed critique
10 and the methodology of performance assessment, which
11 is what I want to use as the underlying framework for
12 this systems analysis.

13 Let me set a little bit more background.
14 I think the scope of the systems analysis that we see
15 as being required and useful in this exercise is the
16 complete disposal of high-level waste. This includes
17 the transportation issues. This includes the
18 repository. It includes not only spent fuel. It
19 includes all the other forms of high-level waste,
20 specifically glass and whatever ceramics that the
21 Department of Energy might be producing in the not to
22 distant future.

23 The function of such a systems analysis
24 would be to do several things and they have been
25 indicated in various documents, but certainly they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 include identify what research needs the NRC needs to
2 at least initiate if not already have underway. It
3 identifies -- and these are not in order -- it
4 identifies a critical path and the steps in the
5 critical path that are required between the time you
6 generate high-level waste and the time you're able to
7 dispose of it. Equally important, it identifies a
8 schedule as needed and a schedule as anticipated being
9 carried out. The difference between those two is
10 getting larger, some of us view, as time goes on. And
11 finally, this process should identify the holes where
12 are areas that are legitimately to be covered before
13 you can accomplish disposal but are not yet being
14 covered that are deemed to be sufficiently important
15 so you can't ignore them. That's the nature of the
16 product.

17 Our task here is to identify what does
18 this animal look like, what's the shell of this
19 animal, and then pose to the Commission are we in the
20 right ball park, do we have the rough order of
21 magnitude of what people are interested in. Let me
22 say we cannot do this without doing what everybody is
23 not doing and that is accepting Yucca Mountain as the
24 repository. It's tough to do a systems analysis in
25 a generic sense, so we've focused in on at least the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON D.C. 20004

1 notion that we're going to address issues that relate
2 to Yucca Mountain.

3 Let me back up, then, and tell you a
4 little bit about the machinations of how we got to
5 what I'm about to tell you. This is, as you all know,
6 a multi-dimensional issue. It is multi-dimensional,
7 not because it involves technology, the regulations,
8 and that fuzzy area of politics, policy legislation,
9 principles, et cetera, but it also is multi-
10 dimensional because there are at least five or six
11 important actors in it and in the technology area
12 alone there are some 30 plus identifiable disciplines
13 that have to be coordinated in some fashion or
14 another. All of this simply points out the reason for
15 the question, how do you do a systems analysis or
16 should one be done.

17 In order to focus in on it, we picked up
18 on something Commissioner Rogers pointed out, namely
19 the initial story line -- if that's the right term.
20 Let me use it. It's not a very good term -- ought to
21 be constructed in the absence of regulatory and
22 legislative issues. In other words, the focus of the
23 systems analysis is technical. If that is -- that
24 clearly can't be done in the total absence of the
25 regulatory frame, but the regulatory frame is only a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 background which identifies roughly where you're
2 going. The issues tend to be easier handled if we
3 worry about the thing on the technical basis alone.

4 There are really two substantive technical
5 areas, geology and the waste package or the engineered
6 barrier, however you want to call it. So, those are
7 the two main technology areas that we need to
8 consider.

9 Now then, what does the systems analysis
10 look like, if I can describe this elephant in some
11 fashion or another? It has a number of parts. Let
12 me simply walk down some of the parts and tell you how
13 one would address them. It gives you an idea of the
14 scope and the possible utility of the answers that you
15 would get out of it.

16 The first thing one needs to do clearly
17 is to address the issue of site qualification. In the
18 systems analysis on site qualification, the issue is
19 what is the process and once having identified roughly
20 what the process is, what are the information needs
21 for each of the steps in this process? The
22 information needs come under the heading, what is it,
23 how can it be obtained, are the information needs
24 obtainable? That's not always obvious that you can
25 avoid the Heisenberg principle that the closer you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 look the more you screw it up.

2 Who is doing the issue? Well, I think
3 this is a current problem in the high-level waste
4 domain as the DOE --

5 CHAIRMAN SELIN: Well, it's certainly true
6 that the closer you look, the more it's screwed up.

7 DOCTOR STEINDLER: Right. I didn't want
8 to carry that too far. A portion of the information
9 needs are who is doing it. That is, who is getting
10 the data, who is making the models, is there somebody?
11 Then finally, I think it's necessary to ask the
12 question how fast is this being done and how well is
13 it being done? The how fast allows you the comparison
14 to externally driven schedules like the utility
15 generating fuel, the pile-up of glass or whatever that
16 has to be taken care of, DOE contracts for waste
17 acceptance and so on.

18 Now, if you do this for the site
19 qualification process and then, having qualified the
20 site you then ask the question, can you apply this to
21 the performance assessment procedure or performance
22 assessment process, I think you don't need to be a
23 superb expert and have all the Is dotted and Ts
24 crossed, as we were talking about in Paul's
25 presentation, in order to be able to run down this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 process and identify sufficient aspects of it so that
2 you can get a picture of what is necessary and where
3 are the holes.

4 In order to prioritize the things that are
5 important and identify the holes that are truly
6 important in comparison to those that simply exist
7 that are not particularly useful, somebody needs to
8 do, and that has been done to some extent, a
9 sensitivity analysis of the performance assessment
10 process. That tends to be done on a model by model
11 basis the way things are currently structured in high-
12 level waste. That's not too bad because they tend to
13 be additive, but somebody needs to look at the picture
14 as to whether or not that's true.

15 By the time you're done with that, you
16 have covered, I think, most of the technical aspects
17 of the systems analysis. Now you need to come back
18 and bring in the role -- and so far we've focused
19 largely on NRC and DOE as the principal actors in this
20 process. Now one needs to introduce the input and
21 limitations set by other organizations specifically,
22 EPA, the Department of Transportation for
23 transportation purposes, the states, whatever the
24 Department of Defense wants to contribute to this from
25 their naval fields, et cetera.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 These folks provide criteria, they provide
2 standards, they provide an approval or disapproval
3 process which impinge on aspects of the systems
4 analysis. Generally the quality of the information
5 is governed to some extent by what the regulations are
6 from external to NRC and DOE, as well as the
7 scheduling, as we have uncovered, can be significantly
8 impacted by requirements of approval, disapproval,
9 assessments, et cetera, that are required.

10 I've not so far talked about the front end
11 which can be added in an additive fashion, obviously.
12 The transportation issues dealing largely with cask
13 design, cask availability, scheduling and who is doing
14 what in that area. That's not necessarily
15 freestanding, but it has been addressed by people.
16 The transportation logistics, for example, have been
17 subject to a significant number of reports that people
18 have worried about whether or not it's even doable
19 once we get the thing started.

20 All right. Let me set this aside and then
21 talk about at least a couple other things. One is it
22 is probably worthwhile, especially as we relate to the
23 issue of who does what and how fast, to address the
24 question of alternatives and specifically the MRS
25 comes in. Fortunately, the MRS Commission has done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 a reasonably decent job in the systems analysis and
2 their report could serve as a very good start as an
3 input to this whole exercise. One needs to integrate
4 that report into the rest of it. But much of that has
5 already been looked at fairly hard.

6 There, clearly, the issue of what do you
7 need, in other words how fast do you need it, who's
8 looking at siting, what is the impact of the linkage
9 that now exists between the MRS and the repository,
10 those things all have to be factored in.

11 By the time you've accumulated this much
12 information, you're now able to, I think, summarize
13 into an analysis. The analysis should -- I think I've
14 mentioned all the aspects that will allow you to do
15 this. The analysis should be able to identify the
16 holes in the system. They should allow you to ✓
17 prioritize. That is, tell you what's important, what
18 isn't, give you an idea of the difference between
19 schedules real and schedules perceived and generally,
20 I think, address most of the concerns that I thought
21 we understood from the Chairman's initial request.

22 Let me simply then close up with a couple
23 of comments. One, this process that we have described
24 is reasonably ambitious. Bits and pieces of it exist.
25 The literature is I would say replete, but extensive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 and one needs to pull that together. But it is still
2 a significant issue. We have not yet come to the
3 conclusion as to whether or not this is worthwhile.
4 We will get that for you in as studied a fashion as
5 we can.

6 But, recognizing that this is ambitious,
7 one needs to at least address the question of cost.
8 We have also, other than having two guesses on the
9 table and since two points can either make a straight
10 line or a circle, we'd rather not tell you, we've got
11 two guesses on what the effort level we think might
12 be involved in this thing.

13 That's the outline of the systems analysis
14 as we currently see it. What are we doing? We've had
15 conversations with Commissioner Rogers and Remick and
16 the Chairman. We've yesterday heard from Mr. Raydon
17 of the MRS Commission who gave us an overview of their
18 conclusions and answered some questions for us. We've
19 had discussions with Bob Bernero and others in the
20 NMSS staff. We've looked at the DOE mission plan.
21 We've looked at -- we plan to talk to somebody from
22 the WHIP blue ribbon panel, speak to Mr. Leroy, the
23 waste negotiator. There is enough information
24 available in the transportation literature that we may
25 or may not speak to people directly on that issue and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20004

1 we have spent time with the staff on dry cask storage
2 to see what that kind of a situation allows us to do.
3 We've not explored that dry cask issue in the context
4 of predicting capability for backup in the event that
5 the MRS does not fly. But that's certainly an issue
6 that we could address if we had to.

7 The plan at the moment is to get feedback
8 from the Commission, continue to see whether or not
9 we can make good sense out of this, and then provide
10 in a sense a statement of work equivalent to what one
11 might want to do, and then lay it in front of the
12 Commission to see whether or not that's what you had
13 in mind.

14 CHAIRMAN SELIN: I'm so excited about what
15 you said that it was only with difficulty that I
16 restrained myself from commenting and in most cases
17 applauding as you went through.

18 I would like to make a few comments and
19 then turn to my colleagues.

20 First of all, what I had in mind was not
21 so much an impatience or patients^{ce} with what was going ✓
22 on. It really was two things. The first is we have
23 a wonderful committee who, in many cases, is forced
24 to look in even more detail than our staff does or
25 than the research people do and that's not what I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

1 expect from an advisory committee. I mean that's part
2 of how you pay your dues, but you have an ability to
3 integrate, not just to review in detail. It's the
4 wisdom and the breadth of background more than the
5 ability to referee specific papers that I think are
6 most useful to us.

7 What area would be better than the high-
8 level waste area to take a look across? I mean the
9 one question I wanted to answer was if all the
10 research that is underway is done successfully, will
11 we be any closer to an answer or not? In other words,
12 are we asking all the right questions, not how are we
13 doing on this question?

14 So, when you talk about the systems
15 analysis approach and the overall view, that's really
16 the second part, which is the comprehensiveness. The
17 various things -- in other words, you have a
18 collective individual and synergetic wisdom that's,
19 I assume, impossible to find anyplace. I want to see
20 that it was used in what would be most useful for me,
21 I hope for the Commission, and the second is the area
22 was high-level waste. Not to question the confidence
23 limit, the confidence finding, but somewhat to look
24 and say, "If we answer all the questions that have
25 been asked, are we 20 percent, 90 percent to the goal?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Where do we stand? What are the questions that have
2 to be asked?

3 To go into the approaches, I of course
4 completely agree with Commissioner Rogers' approach,
5 but let me tell you what I mean by that. That is take
6 a look at the questions that should be answered apart
7 from the regulatory framework to decide that this is
8 a suitable site. That's the first question you ought
9 to look at. Then you go and you take a look or the
10 staff takes a look, to make it easier for you, at
11 specific rules, specific regulations to see because
12 it's just barely conceivable that the regulations and
13 rules are not completely deducible from scientific
14 principles.

15 But you start off with what should one
16 know about whether this is a good site, and then you
17 take a look and say, "Are there some other questions
18 that the regulations force us to answer?" So, in that
19 sense, I attach myself to Commissioner Rogers' remark
20 and the answer. But it also says, don't worry too
21 much about DOT regulations or even EPA regulations in
22 the specific sense. It's more in the generic sense.
23 What should we be worrying about transportation? What
24 should we be worrying about source term or radiation,
25 and then let's go look and see if the regs put a funny

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 spin on that.

2 The second -- the question which will
3 drive your level of effort and where I want to be --

4 I'm not asking you -- I don't think the Commission
5 is asking you to say how well is the research being
6 done. That's the one question -- I wouldn't say it's
7 off limits, but -- because that would launch into
8 potentially a huge review of every piece of research.
9 The question is are people asking the right questions?
10 If they get the right answers, will those be adequate
11 to the broader question at hand? Not a research piece
12 by research piece review of are they doing a good job?

13 Now, I don't want you to stop completely
14 at saying if they ask the wrong question. The next
15 thing is is the approach that they're taking to
16 answering the question broad enough for your needs,
17 for our needs, but not a quality control on the
18 research, just to see if they -- conceivably you'll
19 find people taking a very narrow approach. You know,
20 what kind of concrete for the barrier when they ought
21 to be taking a broader approach about is this really
22 defense in depth or not. But it's really to look at
23 a couple of levels of depth. Are they asking the
24 right question not just at the first level but the
25 second and third level? Roughly speaking, is their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 research plan, if carried out, successfully adequate
2 to answer the question that from your systems analysis
3 viewpoint needs to be answered?

4 As far as other players and their
5 questions, I think I touched on that, but I think you
6 ought to still take the same approach. We don't need
7 the best scientists in the country to be doing a
8 legalistic paragraph by paragraph review of DOT rules
9 to see if it's complying the same. But I wouldn't
10 downplay the DOT thing because you asked two
11 questions, but I think there are three questions. One
12 is the site, the second is the barriers but the third
13 is the transportation. I think certainly from a
14 political point of view and maybe even from a
15 technical point of view that the availability of a
16 potential transportation plan to bring 70,000 tons of
17 high-level waste into this place or 100,000 tons
18 eventually is absolutely critical to the acceptability
19 of a repository.

20 So, I wouldn't go so lightly on that. I
21 wouldn't just limit myself to what questions have to
22 be asked in order to get a reasonable confidence --
23 oh, don't use confidence, but to know that we looked
24 at the transportation issues as well. I think they're
25 quite important.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 The alternatives, that's good as long as
2 one never says the MRS is an alternative to a high-
3 level waste disposal site. It's an intermediate step,
4 et cetera, et cetera, et cetera.

5 Just to reemphasize the point that you
6 made, Doctor Steindler, the analysis -- the best
7 output from the analysis was to come up with holes and
8 just places where either people have inconsistent
9 assumptions or there's some large gap left in what's
10 going on. But I'm personally very pleased, very
11 excited by the general tenor of what's going on and
12 the ability to add real structure to what was really
13 quite a banal question the way it was put.

14 Commissioner Rogers?

15 COMMISSIONER ROGERS: Well, that's fine.
16 I agree totally with your point of view.

17 CHAIRMAN SELIN: Commissioner Remick?

18 COMMISSIONER REMICK: If I understand what
19 you said, Marty, and what the Chairman said, I guess
20 I have some concern and I agree in part and disagree
21 in part in some of the things that I heard. I think
22 in looking at a systems analysis of this, you can look
23 at it with different eyes. One might look at it with
24 congressional eyes and looking at, well, there's a DOE
25 side that has a responsibility for implementation and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 there's an NRC side that has a responsibility for
2 licensing and so forth. But then you might also look
3 at a systems analysis from DOE's eyes and look at the
4 implementation. Then you get into questions of
5 availability of casks and drilling rigs, warehousing
6 and all these things and how they fit together and are
7 we doing the right things at the right time.

8 Those are more, in my mind, technical
9 review board type of look, I would think. I thought
10 that was the purpose of the technical review board,
11 to look more at that and advise Congress and the
12 Secretary. But I could also see a systems analysis
13 from the NRC standpoint and I don't know how we
14 exclude the regulations from this. And from the NRC
15 eyes, it seems to me that what we'd be looking at is
16 maybe something like the Center did of their analysis
17 of Part 60, and I forget how they described that. I
18 forget that terminology. But basically looking at
19 Part 60 and saying, "What does it require? Where are
20 the holes?" and so forth.

21 DOCTOR STEINDLER: Systematic regulatory
22 analysis.

23 COMMISSIONER REMICK: That's it. Good
24 term. And looking at are all the things in place, are
25 we doing the right things, are we doing the right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 research and so forth. So, it seems to me that that's
2 more narrow than some of the things that I understood
3 I thought you were saying. In other words, I think
4 branching out, covering some of what one might see
5 from DOE now.

6 By the way, I would say that I think the
7 broader view would be extremely interesting and it is
8 needed, but I'm worried about a small group of people.
9 By the way, I agree with the Chairman on how we should
10 use you as a Committee. You should not become staff
11 looking into the infinite details of these things, but
12 using your collective and collegial wisdom of look at
13 these things and saying, "Well, we think that not
14 enough attention is being given here," and not making
15 the detailed technical decisions necessarily.

16 But I'm a little worried on some of the
17 things I heard and I might not have understood that
18 you're biting off or proposing to bite off a bigger
19 bite than I think you have the resources to handle.
20 Of course what you're saying is that could result in
21 a study, somebody doing it and so forth.

22 CHAIRMAN SELIN: Let me say something at
23 this point. At least I never had in mind the review
24 of technical adequacy in the sense are there enough
25 rigs available or are there enough resources.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 Probably I didn't say it. What I was interested in
2 is look at the research program, not looking at the
3 implementation program. Five years from now, will we
4 sit down and say, "Gosh, I really wish we had asked
5 this question or that question five years ago"? If
6 we really want a one line summary, that's what I was
7 most interested in coming about.

8 On the other hand, the one difference I
9 see between the regulatory analysis is I agree with
10 your response to Commissioner Rogers. I don't think
11 you ought to start with the rule and work from that.
12 I think you ought to start with a more general
13 question about what ought we want to know before we
14 licensed the place and then go to the rule and see if
15 something has been overlooked, but not do as
16 legalistic a review as the Center did with Part 60
17 because this is not a mature rule the way some of the
18 other rules are. So, I think you ought to start with
19 the information and then check against the rule.

20 But I hope you didn't hear my saying that
21 you should be taking a look at the logistics or the
22 resources. I didn't intend that to be the case. This
23 is a research review, not a program review, at least
24 in my mind. The Commission may feel differently or
25 you may feel differently and it may end up being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 something different from what I originally had in mind
2 when I asked you that question.

3 DOCTOR STEINDLER: Let me make a comment
4 on your point.

5 CHAIRMAN SELIN: Sure.

6 DOCTOR STEINDLER: It strikes me that the
7 most useful view is neither the Department of Energy
8 nor the NRC, but might well be a reasonably
9 knowledgeable technical person standing back looking
10 at the system and then asking the question, "What are
11 these various players in this drama doing? What
12 should they be doing? Where are they, in fact,
13 closing the loops?"

14 I had also not suggested, at least I hope
15 I didn't suggest that we were going to count the drill
16 rigs for 1992.

17 COMMISSIONER REMICK: I was using that
18 only as an example of the DOE perspective. Those are
19 concerns. But when it was mentioned that we'd be
20 looking at transportation and this has political
21 implications, I think you're getting off into an area
22 that --

23 DOCTOR STEINDLER: But there are some
24 rather straightforward technical --

25 COMMISSIONER ROGERS: But it doesn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 necessarily have to be political aspects of that. I
2 mean you could look to see what's out there. What are
3 the modes of transportation that are available outside
4 of any political questions?

5 DOCTOR STEINDLER: You've got a cask. Do
6 you know how to license it? Do you know how to build
7 it?

8 COMMISSIONER REMICK: No, I agree. The
9 licensing of the cask and so forth is our
10 responsibility. What I'm worried about is you're
11 biting off too big a bite and then it's going to take
12 too long to come up with filling the holes, if they
13 exist.

14 DOCTOR STEINDLER: There's, I thought, an
15 underlying thread to your comment that it is the
16 advisory committee that is actually going to carry out
17 this analysis. I doubt very much whether that is a
18 reasonable thing to do if for no other reason than
19 that you would like -- that this ought to be done in
20 some reasonable period of time. I would guess that
21 one would have to enlist some parties, be they the
22 staff or be they the Center or be they an outside
23 contractor. Once we have defined what this task
24 really should look like.

25 You're quite right, it is far larger than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 four part-time folks could possibly do, even with the
2 staff that we do have, which is quite capable.

3 DOCTOR MOELLER: One thought that several
4 of us have expressed is that perhaps our report can
5 serve as a guide to the NWTRB in terms of what they
6 do. But I would hope that it would provide
7 information that would be useful to them.

8 COMMISSIONER ROGERS: I just want to say
9 that the Chairman asked the question of can one do -
10 - what would be involved in doing a system -- taking
11 a systems look at this. My own personal feeling was
12 exactly what you expressed, namely not to do that
13 constrained by what DOE is doing or what NRC has done
14 in the past or what EPA or what the states or somebody
15 else may do, but an objective technical person's view
16 of what seems to make sense from a total systems point
17 of view of this problem. Then take a look and see,
18 well, what are the constraints on it that come about
19 from the regulations, from the activities that may
20 also be going on and where there are some real
21 problems because of that.

22 I'm not sure all of our regulations are
23 exactly the right thing for this. It's clear that
24 other activities that have gone on independently may
25 not be exactly the best way to do things. But to try

1 to take a look at the total system on what really
2 makes sense from an objective point of view,
3 technically objective point of view, and then turn on
4 the constraints, but leave the constraints off to
5 begin with because otherwise you're never going to get
6 to what's the best way to do it. What you'll get is
7 how you have to do it because of those constraints.
8 Maybe some of those constraints should be removed.

9 COMMISSIONER REMICK: I agree, but I
10 thought this is what the purpose of the technical
11 review board was. Haven't they done some of that in
12 some of their reports? I very much support the need
13 for it being done. My question is who does that
14 overall view?

15 CHAIRMAN SELIN: I think it might be a
16 little early.

17 COMMISSIONER REMICK: Especially if it
18 means we sponsor a study.

19 CHAIRMAN SELIN: I think it's a little
20 early to cite exactly who does what. What Doctor
21 Steindler talked about that I found very exciting is
22 the idea of having some -- I don't want to call it a
23 checklist because that makes it too mechanical, but
24 sort of an overview that says, "Here are things that
25 have to be done," in order to feel that the --

1 particularly the Commission get a feel that the right
2 research efforts were underway so that when the
3 license application came up, the homework was done,
4 regardless of who was doing it.

5 The next step may be to find out what's
6 being done by whom. I don't know what the next step
7 is until we see the list. The one thing that's clear,
8 and I'd like to hear Doctor de Planque on this as
9 well, but one thing that's clear is the Commission is
10 not about to go off and say, "That's wonderful. Come
11 back in two years with the finished study," nor are
12 you foolish -- I'm sorry. Nor are you prepared to try
13 to do that. This is sort of a stage by stage
14 communications and learning process.

15 But I guess, as Yogi Berra would say, I'll
16 repeat myself over again. What I want to make sure
17 is that there's a top down comprehensive but
18 superficial gloss to go with all the bottom up work
19 that's being done and how best to accomplish that.
20 I don't know, but I'm interested in the approach that
21 you --

22 Commissioner de Planque?

23 COMMISSIONER DE PLANQUE: I'm fascinated
24 by the discussion and I'm not sure I know enough about
25 the system yet to really sort all this out as to who

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 is doing what and why. I think the question that
2 Doctor Selin has asked is fascinating and an
3 appropriate question.

4 One comment I would make is anywhere in
5 this system do you or should you put in public
6 reaction or public perception as to how it affects the
7 final outcome? Has that been thought about at all?

8 DOCTOR STEINDLER: Yes, it tends to be
9 thought about in a negative way coming out of the
10 technology domain. I'm not sure that we have a way
11 to gauge the issue. What we can do readily is
12 identify areas where public perception or impact is
13 likely to occur and somebody needs to take it into
14 account. To go much further than that moves us out
15 of the area of expertise so rapidly and certainly out
16 of the area of predictability so rapidly that other
17 than highlighting it I'm not totally sure what one
18 would do with it.

19 COMMISSIONER DE PLANQUE: I think I'm
20 coming from this from the point of view of what kinds
21 of questions have been asked in the past that might
22 obstruct the system down the road and are you taking
23 those kinds of questions into account when you're
24 looking at the research that is underway?

25 DOCTOR STEINDLER: If they deal with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 technical aspects of the regulatory process that
2 ultimately allows you to license them, those are
3 perfectly reasonable. If they deal with either legal
4 or partly legal questions, I'll defer to Commissioner
5 Curtiss.

6 CHAIRMAN SELIN: That's very clever of
7 you.

8 COMMISSIONER DE PLANQUE: Well, I'm
9 anxious to see how this all develops.

10 DOCTOR STEINDLER: Let me simply make one
11 comment. We're going to clearly look at the
12 transcripts to make sure that we incorporate all the
13 things that you've said. My note taking is so slow
14 that I can't possibly --

15 I think one of the comments that you've
16 made though we certainly ought to address and that is
17 how does what is being proposed relate to some of the
18 other activities of folks that have currently been
19 chartered to do things? I think that distinction --
20 once we look at the charter and what they actually
21 do, that distinction can be made pretty clear.

22 CHAIRMAN SELIN: Well, that's all implicit
23 in the idea of looking for gaps. It doesn't just mean
24 gaps in the research program, but gaps in the systems
25 analysis as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 I'd like to follow-up on Commissioner de
2 Planque's point. I don't think anybody expects a
3 report to come out that will say, "Okay, we've now
4 answered all the public questions that come up," but
5 I do think it's reasonable and was implicit in my
6 remark about transportation to look at what people
7 have been worried about in the past and insofar as
8 those -- there's a subset of those questions which is
9 amenable to technical review. Those would be
10 candidates for issues to see if the research program
11 is addressing them or not. You're going to have
12 trouble parsing that sentence in the transcript, but
13 to come up with a list of technical questions, is
14 there a program coming out, which is in part affected
15 by what has concerned everyday American citizens is
16 not a completely foolish way to make that checklist.

17 DOCTOR STEINDLER: Yes, I think that's
18 going to come out. Fortunately, I think many, if not
19 all of the major concerns of the public eventually end
20 up in the regulatory domain as something to be at
21 least addressed in the licensing process, which is the
22 rationale for it. So, in that sense, we would be able
23 to cover either explicitly or implicitly public
24 concerns.

25 CHAIRMAN SELIN: Commissioner Remick?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

1 This is interesting to know if we should
2 have another run through at this point.

3 COMMISSIONER REMICK: I would just say
4 that with such coherent and consistent guidance, go
5 forth and do good.

6 DOCTOR STEINDLER: It's been interesting
7 so far.

8 DOCTOR HINZE: I think we all have our
9 individual slants on that.

10 CHAIRMAN SELIN: But that's exactly the
11 right process. The Commission should be expressing
12 its concerns and you're most useful to us not by
13 translating those into plans, but listening and coming
14 back and saying, "Here's what you should be concerned
15 about and here's an approach that can resolve some of
16 those concerns." Probably that back and forth will
17 be more useful than any specific analyses. If you
18 help the Commission think out some of its internal
19 inconsistencies or concerns, that's a wonderful
20 contribution.

21 Commissioner de Planque?

22 Whatever you do now will be anti-climax,
23 Doctor Moeller, but we are --

24 DOCTOR MOELLER: I'm watching the clock.
25 I guess we should try to address the questions that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Commissioner Rogers --

2 CHAIRMAN SELIN: Please.

3 COMMISSIONER ROGERS: Well, whatever you
4 think you --

5 DOCTOR MOELLER: The meeting --

6 COMMISSIONER ROGERS: There is the
7 volcanic question.

8 DOCTOR MOELLER: Right. Do we have
9 reports of the EPRI meeting and the other? If we do,
10 we could just send these to --

11 DOCTOR POMEROY: Yes, that's what I was
12 going to say.

13 DOCTOR MOELLER: All right. Let's do
14 that.

15 DOCTOR POMEROY: Because of the time
16 frame, that we do have reports and can send them to
17 you.

18 DOCTOR MOELLER: Let's do that.

19 DOCTOR POMEROY: We'd be pleased to do
20 that.

21 COMMISSIONER ROGERS: Fine.

22 DOCTOR HINZE: I think one of the
23 highlights of that meeting from my standpoint was in
24 terms of the human intrusion topic that is discussed
25 over and over again in terms of 191. Perhaps the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 kindest thing to say is that there was a complete
2 spread of views regarding the role of human intrusion
3 and the guidance that is provided in 191 and also the
4 question of whether the 191 should permit the human
5 intrusion to have a separate performance assessment,
6 take it out of the normal performance assessment.

7 I think by and large people address the
8 point that one should eliminate it and that's a role
9 that we have taken here in the Committee before you.

10 COMMISSIONER ROGERS: Yes.

11 DOCTOR HINZE: And I think that that's
12 really one of the key issues in that discussion that
13 should be following.

14 CHAIRMAN SELIN: Doctor Moeller, you do
15 have a volcanic issue on the --

16 DOCTOR MOELLER: Yes. Bill Hinze will
17 cover that.

18 Go ahead, Bill.

19 DOCTOR HINZE: Well, let me try to be very
20 brief. Dating of geological events and materials are
21 extremely important in terms of prediction and this
22 is certainly true in terms of the volcanic problem at
23 Yucca Mountain. We have been concerned because of the
24 uncertainties in the dating and as a result of that
25 we thought it was time to bring together the experts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 and look at the problems of the dating of quaternary
2 the last two million years' events and how that is
3 going to impact the prediction into the future. I
4 think we held a very useful working group meeting that
5 confirmed our fears that there are grave
6 uncertainties.

7 For example, the nearest basaltic cone to
8 Yucca Mountain is dated at everywhere from a few tens
9 of thousands of years to 250,000 years. Now,
10 geologically that's a short period of time, but in
11 terms of developing risk analysis that's a very
12 important aspect of it.

13 We had several conclusions, but one of the
14 things that I was impressed with was the fact that DOE
15 was really on top of this problem and in my view they
16 were on track in terms of looking at the problem of
17 uncertainties. I think there is a potential role for
18 the NRC staff because there is the concern -- we are
19 always going to end up with uncertainties and the
20 question is how does that translate to risk. I think
21 the NRC staff can be looking at that in terms of
22 guidance, in terms of licensing.

23 That's a very brief summary. But this is
24 an important topic and we intend to follow this up in
25 other areas in terms of dating of the seismogenic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

1 faults and so forth.

2 CHAIRMAN SELIN: Well, thank you very,
3 very much for a really stimulating session. I wish
4 you all a merry Christmas and a Happy New Year.

5 DOCTOR MOELLER: Thank you, sir.

6 (Whereupon, at 11:30 a.m., the above-
7 entitled matter was concluded.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

CERTIFICATE OF TRANSCRIBER

This is to certify that the attached events of a meeting
of the United States Nuclear Regulatory Commission entitled:

TITLE OF MEETING: PERIODIC BRIEFING WITH ADVISORY COMMITTEE ON
NUCLEAR WASTE

PLACE OF MEETING: ROCKVILLE, MARYLAND

DATE OF MEETING: DECEMBER 19, 1991

were transcribed by me. I further certify that said transcription
is accurate and complete, to the best of my ability, and that the
transcript is a true and accurate record of the foregoing events.

Carol Lynch

Reporter's name: Peter Lynch