

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Interim Feasibility Criteria for Fire Protection
Manual Actions: Public Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, November 12, 2003

Work Order No.: NRC-1181

Pages 1-137

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

U.S. NUCLEAR REGULATORY COMMISSION

+ + + + +

PUBLIC MEETING ON INTERIM FEASIBILITY CRITERIA FOR
FIRE PROTECTION MANUAL ACTIONS

+ + + + +

WEDNESDAY,

NOVEMBER 12, 2003

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The meeting was held at 8:00 a.m. in the
010B4 of the Nuclear Regulatory Commission, One White
Flint North, 11545 Rockville Pike, Eva Brown, NRC
Project Manager, presiding.

Present:

EVA BROWN, NRC

RICHARD DUDLEY, NRC

RAYMOND GALLUCCI, NRC

SUNIL WEERAKKODY, NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Also Present:

2 JAMES BONGARRA, NRC

3 JUNE CAI, NRC

4 NANCY CHAPMAN, SERCH/Bechtel

5 FLEUR De PERALTA, TRI-EN Corp.

6 FRED EMERSON, NEI, via teleconference

7 JEFF ERTMAN, Progress Energy

8 PAUL GUNTER, NIRS

9 CATHY HANEY, NRC

10 JOHN HANNON, NRC

11 MICHAEL JOHNSON, NRC

12 PETER KOLTAY, NRC

13 ERASMA LOIS, NRC

14 ALEX MARION, NEI

15 DAVE NELSON, NRC

16 KATHLEEN O'DONOHUE, NRC Region II, via teleconference

17 RENEE PEDERSEN, NRC

18 CHRIS PRAGMAN, Exelon

19 PHIL QUALIS, NRC

20 DEANN RALEIGH, LIS Scientech

21 DAVID TRIMBLE, NRC

22 JENNY WEIL, McGraw-Hill

23

24

25

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

Welcome 4

Background on Use of Operator Manual Actions to . 4

 Achieve Safe Shutdown under Appendix R,
 Paragraph 111.G.2

Schedule for Internet Enforcement Guidance and . 5

 Overall Rulemaking Activity

Discussion of Current Criteria for Determining 30

 Feasibility

Opportunity for Public Questions/Comments

Discussion of Proposed NRC Interim 102

 Enforcement Policy

Discussion of Comments on Fire Protection . . . 102

 Operator Manual Actions

Opportunity for Public Questions/Comments

Summary 131

Adjourn 137

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

8:19 a.m.

MS. BROWN: Good morning. This is a category 3 meeting. During the meeting, the public is invited to participate by providing comments and asking questions throughout the meeting.

This meeting is being transcribed, so I would ask that each speaker please identify yourself before beginning. We also have Fred Emerson of NEI, various members of the regional staff on the teleconference line and it's more important that you guys do that than others.

I just want to give a little background and the staff will go through it a little more. This effort is a proposed rulemaking on interim feasibility criteria was evaluated by the staff in a SECY 03-0100 that was dated June 17th and this is in which the staff recommended that a rulemaking be undertaken by the Commission to develop and codify acceptance criteria on the use of operator manual actions as a means of protecting the safe shutdown transfunctionality during a fire in an area where redundant shutdown trains are located.

Since we believe that using licensee operator actions to achieve safe shutdown is safe and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acceptable under appropriate conditions, we propose to
2 develop an interim enforcement policy using this final
3 feasibility criteria. The interim enforcement policy
4 that we're talking about would exercise discretion and
5 refrain from taking enforcement action for those
6 licensees that rely on operator manual actions,
7 provided that licensees have demonstrated and
8 documented the feasibility of their operator manual
9 actions in accordance with interim feasibility
10 criteria developed by the staff.

11 We'll be discussing this interim policy
12 towards the afternoon.

13 At this point, I would like to just go
14 around the room and let everyone introduce themselves.

15 (Introductions.)

16 MS. BROWN: At this point, I'll turn it
17 over to Sunil.

18 MR. WEERAKKODY: I'd like to welcome
19 everybody. My name is Sunil Weerakkody. I'm the
20 Chief of Fire Protection and Special Projects in the
21 Office of Nuclear Reactor Regulation.

22 I'm going to spend some time going over
23 the background so that when Ray Gallucci of my staff
24 starts describing the interim criteria for determining
25 feasibility, you will have the full context of where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we are today and where we are heading.

2 I'm assuming everyone has a copy of my
3 handout.

4 Let me go to page 2. The main purpose of
5 this public meeting is to present to you to interim
6 feasibility criteria and the basis and receive your
7 feedback. I am really pleased to see representatives
8 from the industry, NEI and Paul, you said you were
9 representing?

10 MR. GUNTER: Public Interest.

11 MR. WEERAKKODY: We need that as we move
12 forward when we finalize this feasibility criteria.

13 Let me go to page three now, and I'm
14 simply -- most of the time will read from these
15 things. This is pretty much the historical background
16 as to how we got to the point where we are.

17 10 CFR 50.48 imposed fire protection
18 requirements from Appendix R, Paragraph III.G.2., to
19 pre-1/1/1979 licensed plants. There are three
20 acceptable methods to protect at least one shutdown
21 train during a fire when redundant trains are located
22 in the same fire area. They are having a three hour
23 passive fire barrier; a 20-foot separation and no
24 intervening combustibles, with dire detection and
25 automatic suppression; and the third, 1-hour passive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fire barrier with fire detection and automatic
2 suppression.

3 I'm going to read the next slide. In a
4 post-1/1/1979, post-January 1, 1979 license plants,
5 Appendix R, the same prohibitions I described earlier
6 were incorporated into a Branch Technical Position,
7 BTP or CMEB-9.5-1 and NUREG-0800 which is the Standard
8 Review Plan.

9 The plant-specific fire protection
10 programs and commitments were reviewed against one of
11 these, becoming part of the post-1/1/1979 plant
12 licensing bases, thereby incorporating portions of
13 Appendix R, Paragraph III.G.2.

14 I'm going to my next slide, slide number
15 4. Since mid-1990s, the NRC inspections of licensee
16 fire protection programs have indicated many instances
17 of reliance on "operator manual actions" rather than
18 the accepted protective provisions of III.G.2. And
19 the staff position was unless approved as an
20 "exemption, (Pre-1/1/1970 plant) or "deviation" (post-
21 1/1/1979 plant) such actions do not comply with
22 III.G.2.

23 The next slide. Another concern we had
24 was some of these "operator manual actions" may not
25 have been feasible, thereby creating doubt that safe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shutdown could be assured.

2 NRC and nuclear industry agreed to suspend
3 debate over past history and focus on regulatory
4 actions that would permit these actions provided their
5 feasibility could be assured. We are operating
6 independently, going forward that what would keep the
7 risk managed and under control is making sure that
8 when the licensee created a particular manual action
9 to assure a safe shutdown, that they are feasible.
10 That could be when we go forward, that would be the
11 routine for a while then after we make the rule.

12 We go to Slide No. 7. In March 2003, this
13 is about 7 or 8 months back, NRC issued the fire
14 protection inspection procedure, Attachment 71111.05,
15 an the enclosure, which is Enclosure 2. And that
16 provided Inspection Criteria for fire protection
17 manual actions. I can't remember the exact number,
18 but they are about 10 criteria that the inspectors
19 would use to make sure that when they encounter manual
20 actions that those actions are, in fact, feasible.

21 For an interim period, while rulemaking is
22 in progress -- acceptance criteria can be developed
23 which would facilitate evaluations of certain manual
24 actions.

25 Go to Slide 8 now. Look at the March 8,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2003, inspection criteria that are provided in our
2 inspection manual to ensure feasibility. They are
3 based on inspection experience and addressed the
4 following high level components in feasibility:
5 diagnostic instrumentation; making sure proper
6 environmental conditions existed to take manual
7 actions; making sure that staffing and training was
8 available and provided for the manual actions; making
9 sure that the communications and accessibility is
10 realistic and maintained; making sure that there are
11 procedures and that those actions are, in fact, have
12 undergone verification and validation.

13 In June 2003, this was about four months
14 back, NRC issued SECY 03-0100, which is the
15 "Rulemaking Plan on Post-Fire Operator Manual
16 Actions."

17 I quote from there, "there is insufficient
18 evidence that the generic use of these actions poses
19 a safety issue -- that requires prompt action --
20 [E]nforcement may not be the best remedy."

21 And let me go to the next slide now,
22 number 10. The SECY continues, "To resolve the
23 regulatory compliance issue, the staff has concluded
24 that generic guidance and acceptance criteria for
25 feasible operator manual actions should be developed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Documenting compliance would demonstrate that safety
2 has been maintained and that the operator manual
3 actions do not adversely affect the ability to achieve
4 and maintain safe shutdown in the event of a fire."

5 This was the document we sent to the
6 Commission for their work.

7 Let me go to slide 11. And again, I'm
8 quoting from the SECY, "Even with Commission consent
9 to proceed with rulemaking, licensees using unapproved
10 operator manual actions would be in non-compliance
11 Upon receiving Commission approval of the rulemaking
12 plan, the staff will develop an interim enforcement
13 policy to allow discretion, provided these licensees
14 have documented the feasibility in accordance with the
15 staff's proposed preliminary generic acceptance
16 criteria."

17 MR. DUDLEY: Those on the bridge, can you
18 hear?

19 MR. EMERSON: It's cutting out a little
20 bit.

21 MR. DUDLEY: We see lights flashing from
22 green to red and we didn't think that was good. So --
23 okay. We'll do the best we can. We'll know that if
24 it flashes red, that maybe we're not getting through.

25 MR. WEERAKKODY: In September of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 year, the Commission issued a Staff's Requirements
2 Memorandum on SECY that I was talking about, approving
3 "the staff's recommendation to proceed with rulemaking
4 to revise the FP program requirements contained in
5 Appendix R of 10 CFR Part 50 and the associated
6 guidance."

7 Now according to the SECY, "The Commission
8 has approved the staff's plan to develop an interim
9 enforcement policy to deal with these compliance
10 issues. The staff should leverage its past experience
11 to develop the general acceptance criteria and
12 expedite this rulemaking effort.

13 The NRC staff position was to use the
14 existing March 2003 inspection criteria as the
15 starting basis for developing interim feasibility
16 criteria.

17 I'm going to the next slide, number 14.
18 The interim enforcement policy in no way obviates the
19 need for licensees to continue documenting the
20 technical feasibility of their operator manual
21 actions.

22 Again, the staff position, the technical
23 feasibility of operator manual actions remains
24 paramount. And we will develop additional criteria as
25 appropriate and need to assure technical feasibility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And before I conclude, just to make sure
2 in summary, how we started, the schedule, we started
3 with the criteria, two or three months ago. I know in
4 September, we had a session at a public meeting. We
5 went through this criteria and got some feedback and
6 then on October 17, we had another public meeting and
7 again, we went through this criteria and then this is
8 the third meeting we are holding. And as I said, what
9 we present today has the benefit of a number, a larger
10 number of comments that we received from internal
11 stakeholders. We are working. We got input from
12 human factors. We have the ACRS views. We worked
13 informally with the staff in Office of
14 Enforcement. We worked with the staff in the
15 Inspection Branch. We had some regional input.

16 So what you are seeing today is what we
17 think is the best available interim criteria. But at
18 the same time, I want to emphasize that the reason we
19 are here today, asking for your input, is because we
20 want to get your input and the purpose of the meeting
21 today is not to judge your inputs, but to take the
22 input back, give the input proper consideration and
23 finalize the criteria and make them good enough or I
24 would say make them as final as we can and input them
25 in our enforcement special task force.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you very much.

2 MR. DUDLEY: Are there any questions at
3 this point? Yes?

4 MR. GUNTER: I'll defer to Alex, first.
5 I have a question.

6 MR. MARION: This is Alex Marion. Our
7 objective here this morning is to understand the
8 current status of the feasibility criteria for NRC's
9 acceptance of manual action. And depending upon that
10 understanding, we may request an opportunity to submit
11 comments in the more formal manner.

12 MR. DUDLEY: I think there's an
13 opportunity for written comment also. And I'll talk
14 about that later.

15 MR. MARION: Okay, thank you.

16 MR. GUNTER: Can I come to the table?

17 MR. DUDLEY: Please do. We might need --
18 can you hear on the bridge?

19 MS. BROWN: Paul, can you speak for us?

20 MR. GUNTER: Certainly, my name is Paul
21 Gunter. I'm with Nuclear Information and Resource
22 Service.

23 MS. BROWN: You guys can hear?

24 MR. EMERSON: Yes.

25 MS. BROWN: All right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GUNTER: I think before they leave the
2 background issue, I think that it's important, at
3 least from the public perspective that we include some
4 essential information that's not included in the
5 background information.

6 And that includes that the Nuclear
7 Regulatory Commission made commitments to Congress in
8 1993 to Congressman Dingel's committee with regard to
9 the failure of the NRC and industry to comply with
10 III.G.1 and III.G.2 of Appendix R.

11 And at that time Commissioner Sellin
12 provided assurances to Congressman Dingel, that the
13 Agency would spare no expense to bring the industry
14 into compliance with III.G.2.

15 Slide 6, I think, raises some very
16 significant concerns in that the Nuclear Regulatory
17 Commission and the nuclear industry have agreed to
18 suspend the debate over the past history.

19 MR. DUDLEY: Continue.

20 MR. GUNTER: Okay, this history that we as
21 a public interest and public safety organization feel
22 needs to be included is the failure to bring this
23 industry into compliance with the -- particularly with
24 the issue of full line fire barriers which has not
25 been included.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As I've read over the documents, the
2 preponderance of the noncompliance comes from the
3 failure of the full line fire barriers. This is an
4 issue that goes back to declaration of inoperability
5 in 1992.

6 The Agency and industry spent eight years
7 working through compliance and testing issues
8 culminating in a series of confirmatory action orders
9 that the Agency and the industry agreed to.

10 We are now concerned that that history,
11 the attempt here to erase that history, and to abandon
12 the obligations to Congress and the obligations that
13 the industry made to the Agency to come into
14 compliance with the III.G.2 separation of 3-hour fire
15 barrier and 1-hour fire barrier with suppression and
16 detection.

17 This represents, in our view, nothing
18 short of retreat from regulatory action and
19 enforcement action and it is done not as a benefit of
20 public health and safety, but rather to accommodate a
21 non-compliance and non-cooperative industry -- and I
22 emphasizes that the public is taking serious note of
23 the fact that the industry has been recalcitrant to
24 come into compliance for fire barrier issues since
25 1992.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's extremely disturbing that after over
2 10 years that the Agency has not only come to this
3 point of failure to enforce compliance, but is now in
4 he process of providing for that retreat to be
5 codified. And without the benefit of a full and
6 consensus process for this criteria, I would note that
7 while the Agency is proposing to abandon its
8 prescriptive regulation, it does not have the benefit
9 of NFPA 805 which does not have a criteria for
10 operator manual actions.

11 So we have the situation that these
12 actions are being taken without the benefit of
13 prescriptive action and without the benefit of
14 performance-based criteria that was reached, at least
15 attempted to be reached through a consensus process.

16 So I think that this is a very disturbing
17 rush to judgment that provides for an opportunity for
18 feasibility of operator manual actions and I note that
19 there is a dramatic jump between feasibility and
20 assurance and the public is taking note of that.

21 I think I'm just going to end right there.
22 But I think that gives you a snapshot of where the
23 public interest community stands right now with
24 regard to this action and I look forward to additional
25 comments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WEERAKKODY: Let me just thank you.
2 I appreciate the history and some of your
3 perspectives.

4 Let me start with your last comment and if
5 -- I want to make sure we have a common understanding
6 that you have an opportunity in the future to give
7 your view. In other words, some of the statements you
8 made, you meant you did not have an opportunity to
9 provide views on the criteria? Because the whole
10 purpose of this meeting is to give you that
11 opportunity and that's really important to us.

12 MR. GUNTER: I think that we recognize the
13 opportunity. We were invited to this meeting. We
14 weren't invited to the previous two meetings, I'll
15 note that.

16 The opportunity to respond doesn't
17 necessarily provide the public with the assurance that
18 safety is the mandate here.

19 Our opportunity to respond doesn't
20 necessarily provide that the assurance that public
21 safety and health is the paramount issue here versus
22 regulatory and industry budget concerns.

23 MR. WEERAKKODY: I will respond to the
24 first point which is the opportunity to comment. We
25 really appreciate what you say. If you have any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional comments and specific comments of the
2 present that Ray will provide, we will welcome that.

3 MR. GUNTER: Thank you.

4 MR. WEERAKKODY: And I'm a little bit
5 handicapped when you go back to 1993, but when I look
6 forward, I ask myself what are the key elements in the
7 approach as we move forward that keeps the public
8 safe.

9 One of the things that we should note is
10 that with input, the feasibility criteria with the
11 inspectors in 2003, there's a lot more detail than the
12 criteria that existed before that. I think they took
13 a step up. Just like to you, public safety is also
14 our number one.

15 Now I'm not sure how to respond to your
16 questions with respect to the full compliance. I
17 think the fact that we are making a rule. I have to
18 agree with you, some of the statements you made in
19 terms of not having full compliance in the
20 prospective. But I think the most important aspect of
21 what you said that this goes back to me, is are we
22 doing enough, is this Agency doing enough to keep the
23 public safety while we are in the rulemaking process?
24 And I think the most critical item is to have good
25 feasibility criteria in the field and continued

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspections while we make the rule.

2 Now I cannot sit here and assure you that
3 every manual action at every plant out there is safe
4 and feasible. But I can assure you that there is a
5 network out there, when I say network we have
6 inspectors, residents, inspection criteria that shows
7 that if there is a noncompliance that is affecting
8 public safety in an unacceptable we, we engage.

9 I can give you an example. We have
10 enforcement issues going at ANO. And we are getting
11 feedback on inspectors there. So why do we work the
12 issue. We know there is risk there and we are
13 managing the risk.

14 I don't want you to leave this meeting
15 thinking that whatever the history perspective is, we
16 are not doing the right thing going forward.

17 MR. GUNTER: I would like to follow up
18 with one question and with regard to the verbiage.
19 Why did NRC choose the word feasibility versus
20 reasonable assurance? That is, in fact, an issue of
21 confidence.

22 Feasibility does not hold the same
23 standard as reasonable assurance. And we are
24 wondering why you chose those terms?

25 MR. WEERAKKODY: I would rather take that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back as a question to consider. I will tell you why.
2 We have, depending on the forums we go to, whether
3 it's ACRS or different forums, we are different
4 choices so this is different choices. It has been
5 suggested why not assurance criteria? Why not
6 acceptance criteria?

7 So let us take that back as a comment.

8 MR. GUNTER: It's feasible that I could go
9 out of this meeting and go out and become a nuclear
10 engineer. I don't think that that's likely, but it
11 offers up the same concerns of your choice of words.

12 MR. WEERAKKODY: AS I said, we will take
13 it back and your point is use of the word reasonable
14 assurance gives you --

15 MR. DUDLEY: This is Richard Dudley and I
16 believe that maybe we did pick the wrong word in those
17 criteria. And I think -- I know in my mind when we're
18 working toward these criteria, I think we need to have
19 reasonable assurance and not just that they're
20 feasible, but that they can and will be undertaken by
21 the licensees in the midst of a fire which is a fairly
22 stressful time.

23 MS. BROWN: I just want to make one
24 comment. I don't think that the choice of words will
25 deter the appearance and the commitment to safety on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the part of the inspection staff or the Agency. It's
2 just a criteria that we're going to be using to make
3 a determination and we'll take a look at what an
4 appropriate word that still ensures that safety is
5 maintained.

6 MR. GUNTER: Again, I'll just emphasize
7 that the choice of words provides for not only a
8 standard of confidence, but a legal standard.
9 Clearly, what we see here is a tug of war between the
10 Agency and the industry that is both noncompliant and
11 noncooperative in an issue that has now been a running
12 gun battle for over a decade.

13 This action before us right now, with this
14 rulemaking, is nothing short of wholesale retreat by
15 the Agency from that confrontation over safety
16 standards.

17 MR. QUALIS: For the record, I'll make a
18 quick comment of where feasible comes from.

19 The current existing criteria, inspection
20 procedure, okay. That inspection procedure is used to
21 assess essentially risk. It's a screening criteria.
22 The use of manual action in movable barrier is
23 currently not in compliance with the regulation.

24 All we have listed is essentially a
25 screening criteria as a way for the inspectors to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 determine if a finding is green or if it should have
2 further SPE evaluation. And the use of feasible was
3 used as that screening criteria. If it's green-green,
4 then the manual action was feasible or capable of
5 being performed. It doesn't mean it was acceptable.

6 MR. GUNTER: I appreciate your indulgence
7 and I'm going to --

8 MR. MARION: I would like to make a
9 comment. go ahead, Paul.

10 MR. GUNTER: As a screening criteria, I
11 think that's really fast and loose. If you're using
12 the word -- again, feasibility is a very far reaching
13 term and I believe the -- with the NUREG 1150
14 recognizing fire as 50 percent change, contributing to
15 50 percent of the risk for core damage frequency, I
16 Think it's -- the term is far too broad to be used as
17 a screening criteria.

18 MR. MARION: This is Alex Marion and I
19 would like to make a comment.

20 I don't propose to debate Mr. Gunter's
21 points, but I do want to make a statement from the
22 standpoint of the industry actions going back to the
23 history record that Paul represented in his comments.

24 The industry has spent millions of dollars
25 to address the performance capability of the Thermal-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Lag materials as an effective fire barrier for
2 compliance with the NRC regulations.

3 And one of the things that we found is
4 that performance of these materials needs to be better
5 understood as opposed to a declaration in the
6 regulation that says it will perform for X number of
7 hours. And that becomes important when you evaluate
8 what the actual fire conditions are that the barrier
9 is expected to protect against.

10 And all of that work that was done over
11 the past 10 years, as you correctly indicate, has
12 gotten us to this point relative to the use of manual
13 actions.

14 And the industry was not noncompliant, nor
15 was it noncooperative, nor was it focusing strictly on
16 economics. It was focusing on safety and it was
17 focusing on compliance with the regulatory
18 requirements. They were perceived to be structured in
19 such a way that using risk insights and performance
20 based concepts, cannot be effectively applied within
21 that regulatory construct and over the years, we've
22 gotten to this point. We have a rulemaking activity
23 that the NRC is proceeding to apply performance-based
24 concepts with the endorsement of NFP 805.

25 And we also have this manual action issue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which we hope to get clarified as a result of further
2 public comments. And I would suggest we move on to
3 discuss the NRC's proposals because we're not going to
4 be able to settle these points at this meeting today.

5 MS. BROWN: Fred, did you still want to
6 make a comment?

7 MR. DUDLEY: I think Alex has made it and
8 I was just going to take exception to the view that
9 the industry thought the NRC was noncompliant and
10 noncooperative, but Alex already said that.

11 MR. DUDLEY: I'm Richard Dudley. I'm
12 going to move on. The next topic in the agenda is the
13 schedule.

14 I'll be speaking from the package of
15 handouts.

16 Again, I'm the project manager associated
17 with the rulemaking aspect of this issue. I want to
18 talk about the schedule for the proposed manual
19 actions rule.

20 As Sunil has mentioned, the rulemaking
21 plan was approved by the Commission on September 12,
22 2003.

23 The Commission directed us to go forward with the
24 rulemaking activity, but in the interim, while that
25 rulemaking was being performed to allow interim

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discretion, interim enforcement discretion for
2 licensees, that we're taking manual actions under only
3 appropriate conditions.

4 The rulemaking will be conducted in
5 parallel with the development of the implementation of
6 the enforcement policy and the criteria we use for
7 feasibility for the enforcement criteria will perhaps
8 be refined with the use of further insights of
9 research and other information so that when we go
10 forward with a proposed rule and then ultimately a
11 final rule, the acceptance criteria we have for manual
12 actions may very well be different from the criteria
13 we're discussing today that will be used for the
14 interim enforcement criteria.

15 The proposed rule, we expect to provide to
16 the Commission for their consideration in October of
17 2004, and assuming that the Commission approves it in
18 about a month or so, the proposed rule will be
19 published for public comment and again, Paul, you've
20 been involved with this, i the public comment, around
21 December 2004. We should have about a 75-day public
22 comment period.

23 On the next slide I'm going to talk about
24 the schedule for the interim enforcement policy.
25 Again, a little recap as Sunil has already discussed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this.

2 We first released these interim acceptance
3 criteria for manual actions on October 17th in a
4 meeting that was public. We hadn't extended as broad
5 of invitations as we did today. They were also put in
6 ADAMS and made public on that date. Today, we're
7 having the Category 3 public meeting to solicit verbal
8 comments and written comments.

9 Since we know that some of you may have
10 not seen these criteria before today, we're going to
11 accept written comments up until November 28th. So if
12 you're not ready to comment today, we understand that
13 and you can submit written comments for a period of
14 about a little over two weeks.

15 You can mail your comments to the address
16 shown on here, the Chief of Rules and Directives
17 Branch, the Division of Administrative Services. Or
18 you can e-mail your comments to us at nrcrecp@nrc.gov
19 is another way to transmit comments to us.

20 When we receive, with the comment period
21 will again end on November 28th. We'll receive those
22 comments. We'll evaluate them. We'll go over them.
23 We'll factor them into our acceptance criteria as we
24 feel is appropriate and our current schedule is to
25 issue the interim enforcement discretion policy and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have it be published and come into effect some time in
2 the summer of 2004.

3 That completes my talk on schedule. Are
4 there any questions or comments on that?

5 MR. EMERSON: This is Fred Emerson. I
6 have a comment that since November 28th is the day
7 after Thanksgiving, that gives us very little time to
8 prepare and develop comments. There's only about 10
9 working days there. I would ask for 30-day comment
10 period.

11 MR. DUDLEY: I think this information has
12 been published for longer than just 10 working days.

13 MR. GUNTER: When was the original Federal
14 Register notice?

15 MR. DUDLEY: The Federal Register notice
16 is going to go out like tomorrow. It has not been
17 published.

18 MR. MARION: I think this is important
19 enough where 30 days at a minimum is probably
20 appropriate.

21 MR. GUNTER: We would agree. Actually, I
22 think more than 30 days is appropriate.

23 MR. MARION: Let the record show that Paul
24 Gunter agreed with the industry.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. BROWN: We're writing that down.

2 MR. GUNTER: I think this is almost
3 unprecedented in terms of the rush that's being put on
4 the closing of the comment period and I think that
5 it's astounding that an issue that's as long-standing
6 and as controversial is being rushed out the door so
7 quickly and we strenuously request that the public
8 comment period be extended to a minimum of 30 days, if
9 not 60 days.

10 MS. BROWN: Let me ask a question. This
11 is not going to be the only opportunity they're going
12 to have to comment on this criteria. Is it?

13 MR. DUDLEY: This is a comment period for
14 the interim enforcement discretion criteria only. We
15 will have a separate public comment period for the
16 proposed rule --

17 MR. GUNTER: I understand.

18 MR. DUDLEY: As we go forward. This is
19 sort of an extra opportunity that in the past some
20 times we didn't offer the public, so we thought it was
21 a beneficial thing.

22 But I'll take obviously --

23 MR. GUNTER: Let me just stress thought
24 that what this interim criteria constitutes is an
25 abandonment of III.G.1 and III.G.2. That should not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be taken lightly, given the historical context of fire
2 protection regulation.

3 MR. DUDLEY: I'll take this request back
4 to my management and we'll see. It will probably
5 necessitate a schedule change on our part and we'll
6 have to request that. But thank you for your
7 comments.

8 Are there any more comments on the
9 schedule?

10 (No response.)

11 Okay, next is --

12 MS. BROWN: We're way ahead of schedule.

13 MR. DUDLEY: Okay, so next is a break.

14 MS. BROWN: Why don't we go ahead and
15 take that?

16 MR. DUDLEY: We'll take 15 minute break.

1 (Whereupon, the foregoing matter went off
2 the record at 9:02 a.m. and went back on
3 the record at 9:18 a.m.)

4 MS. BROWN: I think Dick has a couple
5 comments before we go into the next thing on the
6 agenda.

7 MR. DUDLEY: Okay. So during the break,
8 at the request of NEI and public advocacy groups, we
9 received permission from our management to extend the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comment period to a full 30-day comment period. I
2 guess that will be 30 days from today. We'll look at
3 the calendar and see what it is. So we will make that
4 extension and that will cause some adjustment increase
5 in the schedule of the enforcement discretion and
6 we'll adjust that, and we'll go forward and get
7 Commission approval on that.

8 So what's the next topic. Ray?

9 MS. BROWN: Right.

10 MR. DUDLEY: Next, Ray Gallucci will talk
11 to you on the current criteria for determining
12 acceptability of manual actions.

13 MS. BROWN: And this is the handouts that
14 start, "Objective."

15 MR. GALLUCCI: Okay. This is Ray
16 Gallucci. The first slide is, "Objective," "Present
17 Interim Feasibility Criteria and their Basis,"
18 "Receive Public Feedback." Second slide, "The Interim
19 Feasibility Criteria for Operator Manual Actions."
20 I'm in the Fire Protections and Special Project
21 Section of NRR.

22 In terms of the third slide, a couple of
23 definitions to get us started. We are defining
24 operator manual actions as those actions taken by
25 operators to perform manipulation of components and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equipment from outside the main control room to
2 achieve and maintain post-fire safe shutdown. These
3 actions are performed locally by the operators,
4 typically at the equipment. So to stress there, these
5 are the actions that are taken outside of the main
6 control room. When we speak locally we speak at the
7 position of the equipment, et cetera.

8 Slide 4, operator actions, those actions
9 taken by operators from inside the main control room
10 to achieve and maintain post-fire safe shutdown.
11 These actions are typically performed by the operator
12 controlling equipment located remote from the main
13 control room, but he's doing the controlling from the
14 main control room themselves. So there's a
15 distinction between operator manual actions and
16 operator actions from now on in the slides and in the
17 criteria.

18 The feasibility criteria apply only to
19 operator manual actions. That is the ones taken
20 outside the main control room, not operator actions
21 inside the main control room. So just, again, make
22 sure we have the definition straight for the rest of
23 the presentation.

24 The basis for the criteria, as mentioned
25 earlier, these were first used in the NRC inspection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 manual chapters 609, significance determination
2 process. If you read through there, you'll find
3 several of the criteria, such as staffing and
4 training, described in there. It is consistent with
5 remote location manual actions evaluation table in the
6 revised fire protection SDP that has been proposed as
7 well. So if you've seen the draft and the, I believe
8 it's Table 5214, you'll see that these criteria are
9 the same terminology that are being used there as
10 well.

11 The criteria from the March 2003
12 inspection procedure, Attachment 71111.05, Enclosure
13 2, inspection criteria for fire protection manual
14 actions, there were approximately ten criteria there
15 that have been retained. A couple have been combined,
16 a couple have been renamed, but the essence of those
17 have been retained. There's also a couple of new ones
18 that will go through in the process.

19 We've received input from the Office of
20 Research sponsored study that was done by Sandia,
21 called, "Risk Insights Related to Post-Fire Operator
22 Manual Actions." A couple of criteria from that have
23 been incorporated, and, again, I'll describe those.

24 MR. MARION: Ray?

25 MR. GALLUCCI: Has that been finalized or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is there something going to be finalized relative to
2 that research report?

3 MR. GALLUCCI: The Sandia research?

4 MR. MARION: Yes, the Sandia research.

5 MR. GALLUCCI: It's taken from, I
6 understand, the NRC EPRI Fire PRA Requantification
7 Project. It's a spinoff from that, so I believe those
8 -- depending upon how that progresses and when that's
9 finalized, that would probably determine --

10 MR. WEERAKKODY: I think you're looking
11 for the real --

12 MR. MARION: Has the letter been made
13 publicly available as a draft or is there some final
14 product that's going to be publicly available?

15 MR. WEERAKKODY: We will check on that.

16 MR. GALLUCCI: We'll check with research
17 on that.

18 MR. MARION: Okay.

19 MR. PRAGMAN: I have the same question.
20 Whoever requests that make sure we have your name and
21 address.

22 MR. GUNTER: Ditto.

23 MR. PRAGMAN: Please make sure that we
24 have a way to communicate with you and get it to you.

25 MR. MARION: If you have it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 electronically, you can email it to Alex Marion,
2 am@nei.org, or Fred Emerson, fae@nei.org.

3 MR. QUALIS: For that matter, if it's
4 available --

5 MR. DUDLEY: You have access to ADAMS and
6 all.

7 MR. GUNTER: Yes, sir. And we also have
8 left our email address on the sign-in sheet.

9 MR. DUDLEY: Thank you.

10 MR. GALLUCCI: Okay. Continuing with the
11 sixth slide, we received feedback from the September
12 2003 meeting with the ACRS Subcommittee on Fire
13 Protection. We've incorporated some of their
14 comments; we're considering others. The feasibility
15 criteria also correspond to the performance shaping
16 factors that are used in HRA techniques, human
17 reliability analysis techniques, specifically this RH
18 model. And a lot of the other models again they may
19 use different names but the concepts are there. So
20 just these two slides summarize where are these
21 criteria coming from.

22 The remainder of the slides will actually
23 go through the criteria as they are currently
24 proposed, and I'll read through each slide. It will
25 take a few minutes if there's a comments on it and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then continue onward. The first criteria -- and the
2 order -- there's no implication by the order that one
3 is any more important than the other. This just
4 happens to be the order that they're listed in.

5 The first criterion is called, "Available
6 Indications." It was formerly known as, "Diagnostic
7 Instrumentation," in the March criteria. It is
8 defined as diagnostic indication if credited to
9 support operator manual actions shall be capable of,
10 one, confirming that the action is necessary; two,
11 being unaffected by the postulated fire; three,
12 providing a means for the operator to detect whether
13 spurious operation of safety-related equipment has
14 occurred; and, four, verifying that the operator
15 manual action accomplished the intended objective.

16 And like I said, we'll pause for a minute
17 or two if anyone has any comments on that.

18 MR. MARION: I've got a question. This is
19 Alex Marion. On the third sub-bullet, provide a means
20 for the operator to detect whether spurious operation
21 of safety-related equipment has occurred, are you
22 really dealing with the scope of safety-related
23 equipment or is it the scope of equipment that may
24 include safety and non-safety but equipment that's
25 necessary to bring the plant to a safe shutdown

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condition?

2 MR. QUALIS: I just made a note on that
3 myself. We're going to have to change that to fire-
4 safe shutdown. It will read, "equipment required for
5 a fire-safe shutdown."

6 MR. MARION: Okay.

7 MR. QUALIS: Components required or
8 affecting or something like that.

9 MR. PRAGMAN: Ray, I have another question
10 about that. I'm Chris Pragman from Exelon. There may
11 be cases where indication is needed, not because of
12 spurious actuation but because of some other
13 malfunction that needs to be detected. So the choice
14 of words, putting spurious actuation in here may also
15 have unintended consequences.

16 MR. GALLUCCI: Okay. I'll make a note of
17 that. So those comments relate to the third bullet.
18 Anyone else? Yes?

19 MS. de PERALTA: Yes. Fleur de Peralta.
20 Available indications, are you implying that these are
21 in the control room or with indications outside the
22 control room?

23 MR. QUALIS: Well, Fleur, it may not have
24 to be in the control room if you have operators
25 monitor outside the control room. But the point is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 let's say you're operating a plant and as you look at
2 our old guidance, the previous guidance we have
3 information known as 84 something or another
4 instrumentation, diagnostic instrumentation -- 82 or
5 83, back in the early years. And we required you have
6 indication of pressurizer levels but not much else.
7 That's all you protected. If you see pressurizer, and
8 you're relying on manual actions, if you see
9 pressurizer level decreasing, what is causing that?
10 The operator has to be able to figure out what is
11 causing that. Is it PORV open, is it flood aversion,
12 is it flow interruption? You have to be able to
13 analyze and lead the operator to the correct manual
14 action to fix that problem or compensate for that
15 problem.

16 MS. de PERALTA: So if I wanted to
17 determine where a pump started or a valve opened and
18 closed and I've got another set of indications outside
19 the flow; is that right? You've got operators that
20 are outside the flow intake.

21 MR. QUALIS: Yes, but you can say you have
22 an operator in the Ox building and the indication's
23 down at the local pump, but that doesn't that mean
24 he's there; it depends on the circumstance.

25 MS. de PERALTA: So this implies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indication of --

2 MR. QUALIS: If it's continuously met.
3 There may be situations where you're relying on a
4 pump. Your indication is a valve going close to the
5 suction of discharge of that pump. If that valves
6 goes completely closed, you may have destroyed that
7 pump. If the operator doesn't know that immediately,
8 I'm not going to say that the operator can't be in the
9 Ox building monitoring the Ox building indications.
10 I'm saying that it might be circumstances.

11 MS. de PERALTA: But your procedure is say
12 you go and monitor. If they know that something may
13 happen in the area and they say monitor where your
14 pump may start or your valve may open or close and go
15 this local indication, I mean if that's --

16 MR. QUALIS: Well, if you have an operator
17 taking local control of the auxiliary heat water pump,
18 he may be monitoring something there, steam pressure
19 or feed water flow or something at the auxiliary feed
20 water pump. That's part of operating the auxiliary
21 feed water pump. That indication will probably need
22 to be available.

23 MS. de PERALTA: Right. So there's the
24 necessary control

25 MR. QUALIS: It would probably be better

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if it's available locally than had to talk over
2 performance with the control room.

3 MR. BONGARRA: Just to clarify, so
4 diagnostic indication then is not then specific to the
5 main control room. We're looking at diagnostic
6 indications as indications -- instrumentation at local
7 control stations as well.

8 MR. QUALIS: Well, we're expecting that
9 instrumentation is going to be adequate to identify
10 the manual action, perform the manual action and
11 verify that the manual action is completed, not just
12 -- how can I say it -- not everything may have
13 indications that the control room is necessary to do
14 that.

15 MR. GUNTER: Can I raise a concern? In
16 going to the reliance on 3G3 it seems like you're
17 losing your time factor. The whole idea was to
18 provide a one-hour or three-hour timeframe
19 preliminarily diagnostics. So this criteria seems to
20 us not to have a time factor. I mean we're talking
21 about a cable trace, for example, that may contain
22 instrumentation cable that could be damaged by fire,
23 in the early stages of a fire. So where in here does
24 the criteria provide some assurance that you're going
25 to be able to maintain early detection and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 diagnostics?

2 MR. QUALIS: That should be another
3 criteria.

4 MR. GALLUCCI: Complexity in number, we'll
5 get to that.

6 MR. QUALIS: There's another criteria that
7 discusses time.

8 MR. GALLUCCI: Yes. That's one thing is
9 a lot of the -- there is some overlap among the
10 criteria, so until we get through the whole list, you
11 may -- something you think may be missing you may find
12 that it's addressed in other later criteria. Any
13 other comments on availability indications? If not,
14 we'll move on to the second one, which is going to
15 stand -- it's a long one -- it's going to stand the
16 next three slides. Let me read through all three
17 slides before we comment on it.

18 Okay. On Slide 8, Environmental
19 Considerations. Environmental conditions encountered
20 while accessing and performing operator manual actions
21 shall be demonstrated to be consistent with the
22 following human factor considerations for visibility
23 and habitability. First, fire effects shall be
24 evaluated to ensure that smoke and toxic gases from
25 the fire do not adversely affect the capability to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 access the required equipment or to perform the
2 operator manual action.

3 Next slide. Second, temperature and
4 humidity conditions shall be evaluated to ensure that
5 the temperature and humidity do not adversely affect
6 the capability to perform the operator manual action.
7 See, for example, NUREG CR 5680, Volume 2, entitled,
8 "The Impact of Environmental Conditions on Human
9 Performance," or require that licensee provides
10 rationale for temperature, humidity not being factors
11 adversely affecting performance.

12 Next slide, Number 10. Third, radiation
13 shall not exceed 10 CFR Part 20, Section 20.1201
14 limits. And, fourth, emergency lighting shall be
15 provided as required in Appendix R, Section 3J or by
16 the licensee's approved fire protection program. For
17 example, lit with eight-hour battery-backed emergency
18 lighting, and the lighting shall be provided -- and
19 sufficient lighting shall be provided for paths to and
20 from locations requiring any actions.

21 So those three slides comprise the
22 environmental considerations criteria, which is an
23 extension of the one that's in the March inspection
24 criteria.

25 MR. MARION: This is Alex Marion. I just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want to kind of summarize these three elements to
2 clarify my understanding. On the first one, on Slide
3 8, what your concerned about is the impact of smoke
4 and toxic -- or potential impact of smoke and toxic
5 gases on the ability of the operator to implement the
6 specific manual action. That's fundamentally what it
7 is, right?

8 MR. GALLUCCI: Correct.

9 MR. MARION: Okay. On the second set of
10 criteria in Slide 9, this is the effects of
11 temperature and humidity on the personnel involved in
12 implementing the action?

13 MR. GALLUCCI: Yes.

14 MR. MARION: Is that the essence?

15 MR. GALLUCCI: Yes.

16 MR. MARION: Okay. And on the last set of
17 criteria, on the second bullet regarding emergency
18 lighting, you cite an example for eight-hour battery
19 packed emergency lighting. Let me just ask a
20 question. If a licensee has an operator action that
21 can be successfully implemented and demonstrated to be
22 successfully implemented within a few minutes, how
23 does that play out relative to the eight-hour
24 requirement in Appendix R, Section 3J? I'm just
25 trying to relate to practical application.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GALLUCCI: That's something we're
2 struggling with but because there's a real good pace,
3 especially in the performance-based evaluation where
4 you can say that he's got to walk up, flip a switch,
5 walk back, he can do it with flashlight. But we've
6 also got to deal with Section 3J, Appendix R, which
7 says that emergency lighting with eight-hour battery
8 pack shall be available at each station and access
9 too. Well, actually, unless we change the regulation
10 in 3J we're going to have to -- and maybe OGC will
11 tell me differently before we're finished -- but the
12 way it looks like now unless we change 3J to say
13 something else, then it's either going to be an eight-
14 hour battery pack or exemption or deviation.

15 MR. MARION: The genesis for my question
16 is from the concept of coherence and what we're trying
17 to do here and make sure it fits or comports with
18 other regulatory requirements. And I at this point
19 don't offer a solution, but it's something that we
20 need to think about as we move forward in developing
21 this and implementing it in the field.

22 MR. QUALIS: I disagree. In many cases,
23 I know in the past we've accepted, based on
24 performance, base security lighting in exterior areas
25 rather than eight-hour batteries, because security

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lighting is probably better than eight-hour batteries
2 anyway. But 3J is pretty specific, and unless we
3 change it I don't see how we get around it.

4 MR. HANNON: This is John Hannon. My
5 understanding, and maybe I need to be impressing on
6 these, 3J applies to 3G3 areas, doesn't it, or is it
7 more complicated?

8 MR. QUALIS: It just says all areas, it
9 doesn't differentiate.

10 MR. HANNON: Okay. Thank you.

11 MR. JOHNSON: I have a question more than
12 a comment. This is Michael Johnson. This is
13 primarily a question. As I look at the slides on
14 environmental considerations, I see the words, for
15 example, "fire effects, smoke and toxic gas do not
16 adversely affect," and then on the next slide on
17 temperature and humidity, "do no adversely affect."
18 But when you go to the third slide, emergency
19 lighting, it's, "sufficient lighting," which is really
20 a different standard. And I just wondered is there
21 some regulatory history, and I can wave my "I'm new to
22 the job, explain it to me on this," that no adverse
23 effect as opposed to ability to demonstrate that in
24 spite of the environment can perform sufficiently to
25 carry out the function?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. QUALIS: Well, I will read the
2 regulation. Three-J of Appendix R says, "Emergency
3 lighting units with at least an eight-hour battery
4 power supply shall be provided in all areas needed for
5 operation of safe shutdown equipment and access and
6 egress routes thereto." Now, what amount of lighting
7 is adequate? We tried to address that in Generic
8 Letter 86-10. We didn't really do a very good job.
9 We said lighting should be in accordance with some
10 illuminating engineer's handbook that no one ever
11 committed to or used. What we've done in the past is
12 it looks like you've got a light pointed here. Have
13 you evaluated it with operators to see if they can
14 work it at sometime in your start-up testing or
15 something? But there is no real illumination as in
16 lumens or candle standards that's ever been adopted by
17 the Agency formally or agreed to with industry or
18 anything else.

19 MR. MARION: This is Alex Marion again.
20 Fundamentally, this kind of an issue, relative to
21 what's clearly articulated in the regulation and how
22 the performance of that concept that relates to that
23 provision of the regulation can be implemented in the
24 field, needs to get resolved, because if we don't
25 establish a policy or some principles on it now, as we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go forward with the NFPA 805 rulemaking, we're going
2 to get into a lot of additional areas similar to that.

3 MR. QUALIS: I don't disagree, but it
4 hasn't been resolved in the past.

5 MR. MARION: Well, you're saying it hasn't
6 been resolved in the past. Well, that doesn't mean we
7 shouldn't resolve it in the future as we go forward.

8 MR. QUALIS: No disagreement.

9 MR. JOHNSON: Can I follow up my earlier
10 question with a follow-up question? I was actually
11 looking more at the, "does not adversely affect," more
12 than I was the lighting aspect, because at least in my
13 mind we've got two different standards. No adverse
14 effect for temperature and humidity or no adverse
15 effect for fire or smoke, for example, that's a -- no
16 adverse effect is zero. No adverse effect, is that
17 what we mean? Is that a clear -- is that something
18 that's clearly understand, and is that what we mean?

19 MR. QUALIS: Well, it may be one good
20 reason to have public meetings. What kind of adverse
21 effect is acceptable? Okay. We're saying that this
22 is equivalent to a three-hour barrier or this is
23 manual actions equivalent to a one-hour barrier with
24 detection and automatic suppression. So how much
25 adverse effect is equivalent to a three-hour rated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 barrier or a one-hour? We're saying that this manual
2 action is equivalent to the other acceptance criteria
3 of 3G2 in Appendix R. How do you evaluate it? I mean
4 it's --

5 MS. BROWN: This is Eva. But you also
6 need to look at the other -- the other ones are really
7 dealing with personal safety, and the one with
8 emergency lighting is, well, can they see what they
9 need to do also is a part of it as well, in my mind.
10 So I don't know that the standards necessarily would
11 have to be because one of them is dealing with you
12 don't want them to die from smoke inhalation, and the
13 other one is, well, can they see once they get there
14 to flip the switch? And so I'm not real sure whether
15 or not they have to be. It's something we should
16 still look at, but take a look at what those
17 environmental considerations are. We're talking about
18 the other ones are more personnel safety as well as
19 plant safety, and the other one is just can he still
20 -- is the operator still capable of doing what they
21 need to do?

22 MR. PRAGMAN: Saying no adverse effect
23 just by using those words means that you've taken away
24 my ability to come up with some way to compensate for
25 the smoke or some way to compensate for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature. Maybe, just throwing ideas out, I could
2 allow extra time for a particular act or assure that
3 there's extra time because I know I will take a little
4 longer because of smoke, or send two operators to
5 crank a valve because I know it will be hot and it
6 will get done faster so we minimize our stay time in
7 a hot area.

8 MS. BROWN: Do you have a suggestion on a
9 better one?

10 MR. QUALIS: I think NEI will provide
11 words in our comments.

12 MR. DUDLEY: I think the NRC -- I'm
13 Richard Dudley. I think the NRC wants reasonable
14 assurance that smoke and temperature and humidity will
15 not prevent or preclude the taking of the action. I
16 think that's what we want. I'm not sure, but I think
17 it's very good comment that we need to work on those
18 words, because they could be interpreted as if there
19 was a wisp of smoke in the room, that that might
20 adversely affect someone.

21 MR. QUALIS: Well, I've been on
22 inspections where -- at least on two inspections where
23 we've questioned environmental conditions because of
24 loss of inhalation, and it became quickly apparent
25 that the licensees had not considered environmental

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effects. In other examples, with the smoke, for
2 example, we don't want to say you can't go in the fire
3 area to do a manual action because many utilities have
4 like a BWR reactor building is one fire area. A fire
5 affecting one localized area in an electric cabinet in
6 a BWR is not going to make the entire containment
7 building, reactor building inaccessible. So we're
8 trying to put stuff in there that you guys can
9 reasonably evaluate and not be superscripted.

10 MR. GUNTER: At the same time, though --
11 Paul Gunter with NIRS. I mean it's curious to me that
12 the issue of flame is not specified. I see smoke and
13 gas and radiation but how about fire? That's not in
14 here.

15 MR. QUALIS: I think that's understood.

16 MR. GUNTER: Well, I don't know that it's
17 necessarily understood that smoke is a transient, it
18 can follow fire. Smoke is something that can go into
19 other areas, but is there a prohibition on entering
20 into an area with fire? Is that part of the criteria
21 that's spelled out?

22 MR. QUALIS: Well, that's what I just
23 said. Fire areas are defined in the plan, of course
24 we get specific and we're talking legal definitions or
25 accepted industry definitions. The definition of fire

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 area for a lot of plants, a BWR, a single-fire area is
2 typically the reactor building. That's a huge
3 building with --

4 MR. GUNTER: I understand.

5 MR. QUALIS: -- usually five different
6 levels. Okay. And a fire in one spot may not affect
7 access to the manual action in another spot. The
8 licensees have to evaluate that. And that's why we
9 did not want to preclude fire area access. However,
10 when we say they've got to assess the effects of heat
11 and smoke, well, that's a fire because fires give off
12 heat and smoke -- heat, smoke and toxic gas. That's
13 what you're going to find from a fire. That's what
14 we're trying to -- you know, evaluate the effects.
15 That's all we can -- unless we just ban access to a
16 fire area and make it real prescriptive.

17 MR. GUNTER: Well, I guess, again, the
18 issue of Appendix R-3G2 is to prevent the passage of
19 flame and hot gas. So the 3G2 is far more specific
20 than this criteria in that it does specify prevention
21 of the passage of flame, and there is the given of
22 temperature but the 3G2 also has the temperature
23 guideline as well as the guideline for flame. Again,
24 I'm seeing -- I'm concerned about the elasticity.

25 MS. BROWN: Even with the 20 feet you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still see that?

2 MR. GUNTER: Well, the issue -- I mean
3 we're throwing the 20-foot separation out the window
4 with it as well.

5 MS. BROWN: All right. So you're just
6 talking about barriers, I want to make sure, and the
7 20-foot separation.

8 MR. GUNTER: I mean the issue is that
9 we're abandoning the barrier concept and that that
10 concept provided clear criteria to prevent the passage
11 of flame and hot gas. And it had a temperature
12 requirement, but I won't belabor that.

13 MR. GALLUCCI: Any other comments on the
14 environmental considerations criteria?

15 MR. GUNTER: Well, just one other. I mean
16 given the unpredictability because we don't have -- I
17 mean the whole issue of fire modeling is really in
18 question here, and it's curious to me that in the
19 absence of reliable fire modeling how much stock can
20 we place in the word, "shall," when in fact it's more
21 likely to be, "hope."

22 MR. WEERAKKODY: One thing I want to say
23 is that no science is perfect but that's one area, as
24 you know, that we probably already knew where we are
25 expending resources to improve upon. So we have much

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 better tools and much better understanding, so we're
2 not working on this --

3 MR. GUNTER: I understand, but I also --
4 I've sat in on enough ACRS meetings to know that ACRS
5 does not share confidence in fire model.

6 MR. PRAGMAN: Okay. Question for Ray.
7 Chris Pragman, question for Ray. On the radiation
8 consideration, can you just tell us why you're using
9 Section 1201 of 10 CFR 20, that's, I think, annual
10 occupational exposure, as opposed to like emergency
11 exposure guidelines.

12 MR. QUALIS: Well, at this point we don't
13 want to put in the regulations plans to design a plant
14 for a fire. We've defined in other places in the
15 regulations, such as Appendix R, that a fire should be
16 no worse than a loss of normal on-site power. If we
17 go to emergency exposures, we don't normally do that
18 on a transient and an anticipated operational
19 occurrence. That's no worse than a normal loss of an
20 on-site power. When you do that you're putting a fire
21 in the same class as a -- again. The fires were
22 never, by the way the regulations were written, never
23 intended to go to that level of emergency. That's why
24 we're telling you to design and plan for normal
25 radiation exposure, not the emergency one-time limits

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and stuff.

2 MR. PRAGMAN: But Appendix R also says I
3 can damage all of my trains of safety-related stuff.

4 MR. QUALIS: Actually, Appendix R says one
5 train of equipment required to place -- you need to
6 maintain non-shutdown conditions. They'll be free of
7 fire damage.

8 MR. PRAGMAN: It says in the preamble that
9 I don't need to protect safety-related equipment as
10 long as I have one way of shutting the plant down.

11 MR. QUALIS: Right. You have one train
12 per your fire damage but that can affect everything.
13 And it also doesn't -- it shouldn't be planned at that
14 level of emergency.

15 MS. BROWN: Are you telling us that you
16 would expect to see those levels during a fire? Is
17 that your concern that you would expect to see high --

18 MR. PRAGMAN: I don't actually know.

19 MR. QUALIS: That's something we will have
20 to look at.

21 MR. PRAGMAN: I don't actually know.

22 MS. BROWN: Okay.

23 MR. QUALIS: We try to write the
24 regulations as best we can. In the past, we've had
25 examples of smoke detectors and fire detectors and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emergency lights that we worked out with individually
2 in a licensing area, where we didn't want people to go
3 in and do maintenance every month on emergency lights
4 that's in 100 RAD radiation area. I mean we recognize
5 those circumstances exist and we'll have to deal with
6 the outlying circumstances, but we didn't want the
7 base regulations to say you should be able to define
8 into emergency exposure levels. That's not in
9 accordance with ALARA.

10 MR. GALLUCCI: Moving on to the third
11 criterion. This will be Slides 11 and 12. Staffing
12 and training, normally separate criteria in the large
13 guidance, they've now been combined. "There shall be
14 a sufficient number of plant operators under all
15 staffing levels to perform all of the required actions
16 in the times required for a given fire scenario. The
17 use of operators to perform actions shall be
18 independent from any collateral fire brigade or
19 control room duties they may need to perform as a
20 result of the fire."

21 Slide 12, "Operators required to perform
22 the manual actions shall be qualified and continuously
23 available to perform the actions required to achieve
24 and maintain safe shutdown. The training program on
25 the use of operator manual actions and associated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 procedures during a postulated fire shall demonstrate
2 that operators can successfully achieve these
3 objectives."

4 MR. MARION: This is Alex Marion. I've
5 got a couple questions just to make sure I understand
6 this. On Slide 11, you refer to all staffing levels.
7 Could you elaborate on what you're thinking of there,
8 talking about all? Twenty-four-seven and all
9 operational shifts?

10 MR. GALLUCCI: Whenever a fire could
11 occur.

12 MR. WEERAKKODY: We aren't saying you have
13 to postulate all fires or any fire --

14 MR. MARION: Yes, I understand that, but
15 I'm not sure -- maybe I'm trying to read too much into
16 the language.

17 MR. WEERAKKODY: A fire could happen --

18 MR. MARION: Yes, I understand, but I'm
19 trying to relate that to all staffing levels.

20 MR. QUALIS: Alex, we may need -- you
21 know, this is a public meeting and we're requesting
22 comments from both industry and public, but recognize
23 that people have to be available to do what's
24 necessary to shut the plant down. No argument about
25 that from anybody. We also know that sometimes people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 call in sick and you have other programs which allow
2 two hours or something to call in fire brigade members
3 or call in extra operators.

4 MR. MARION: Right.

5 MR. QUALIS: I don't know the right words
6 to put in there for that stuff, and maybe that's
7 something you could provide us with a contingency.

8 MR. MARION: Okay.

9 MR. QUALIS: But there will be
10 contingencies where not everyone shows up, we know
11 that.

12 MS. BROWN: But our intent is to be sure
13 that you have the people available that you need to
14 put the fire out at all times.

15 MR. MARION: Okay.

16 MR. QUALIS: At least while you're
17 operating. Post shutdown it's not necessary.

18 MS. de PERALTA: This is Fleur. So have
19 we gone beyond the minimum operating staff?

20 MR. QUALIS: When we do 3G3, alternate
21 shutdown, in some cases some licensees have went
22 beyond the tech spec of minimum staffing.

23 MS. de PERALTA: Right.

24 MR. QUALIS: You'll typically see plants
25 do it without changing tech specs by putting the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staffing requirements in their conduct of operations
2 procedures or something. But there are plants that go
3 beyond the five operators or whatever the minimum
4 staffing is listed in their technical specifications
5 to meet fire. I've seen that in the past while
6 they're going through shutdown. You've got to have
7 enough people to shut the plant down when you have a
8 fire.

9 MR. EMERSON: This is Fred Emerson. Can
10 I interject here?

11 MS. BROWN: Go ahead, Fred.

12 MR. EMERSON: In the discussion of
13 qualification and training programs, et cetera, is
14 there a provision or allowance for the licensee to be
15 able to demonstrate feasibility, performance basis?

16 MR. GALLUCCI: There's a criterion on
17 demonstration that addresses that aspect.

18 MR. EMERSON: Okay.

19 MS. de PERALTA: Sorry, this is Fleur
20 again. The training program on the second bullet, are
21 you going to provide criterion on an adequate training
22 program? Is it quarterly, annually, every procedure?

23 MR. QUALIS: Fleur, I don't know that you
24 want the fire protection folks to try to design a
25 training program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. QUALIS: I would sort of expect when
3 I see them do this for like the local operator actions
4 that might be required of the operator, for example.
5 You have qualification programs for reactor building
6 auxiliary operators. If he's required to take
7 emergency actions, so the specific nature of that
8 should probably be included in his training program
9 somehow. But I'm not going to -- unless other people
10 want it, I feel like we shouldn't define --

11 MS. BROWN: Isn't there something in one
12 of the NFPA standards about training and shutdown, at
13 least for fire brigade members, and it has a
14 periodicity?

15 MR. QUALIS: Well, we have periodicity for
16 fire brigade members, and they have periodicity for
17 licensed operator training. I feel like it should be
18 included in the operator fire -- in the licensees'
19 training programs, but I don't think we should define
20 something separate or different.

21 MS. de PERALTA: So it's basically defined
22 by the licensee then what they feel is adequate
23 training?

24 MR. QUALIS: Well, it's with their
25 existing training programs. You guys have existing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 programs. I don't want to redefine a new program.

2 MR. GUNTER: Paul Gunter with NIRS. First
3 of all, in our view, this is -- what you're doing is
4 you're defining compensatory action in that you are
5 now providing -- you're going to provide a
6 compensatory action to the inoperability of these fire
7 barriers and separation cable. And I think that you
8 should take from prior experience of the use of fire
9 watches as a compensatory action to inoperable fire
10 barriers to take some warning of the history of taking
11 an operable passive fire barrier and placing it with
12 some kind of -- the equivalent of a manual action as
13 in the case of a fire watch. And what we noticed as
14 we monitored this over the past decade was the
15 documentation through licensee event reports of
16 nesting of fire watches, falsification of fire watch
17 records, overdosing of fire watch personnel in video
18 display rooms on drugs. You have a whole issue that
19 just opens the door on human reliability to replace a
20 rated fire barrier. And it's a question that regards
21 to staffing and training that I don't see provided
22 here that you're going to provide a level of
23 confidence that a rate fire barrier was intended to do
24 and that the regulation intended to do. So that's
25 just a concern here in that I don't see staffing and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 training and human reliability addressed in the same
2 context.

3 MR. BONGARRA: This is Jim Bongarra, NRR.
4 I think I appreciate what you're saying in terms of
5 how it might relate to qualifications and staffing.
6 Hopefully, the issue that you're focusing on in terms
7 of the human reliability, if you will, that to me
8 seems like it's more of a fitness for duty issue, and
9 I think we address fitness for duty in terms of
10 qualifying personnel on a broader level. So at least
11 from my perspective anyway, I'm looking at that issue,
12 if you will, as basically being covered under just
13 typical fitness for duty requirements that we have,
14 R26, I believe it is. So it's a concern. I don't
15 mean to in any way diminish it or minimize it, but I
16 think that it's a concern that we address independent
17 of trying to deal with this type of a manual action
18 issue. And hopefully it's covered on a broader scope.

19 MR. ERTMAN: Just going back to the
20 bullets, on the second bullet -- this is Jeff Ertman,
21 Progress Energy -- just wanted to, I guess, get the
22 intent of the -- "The operators will be continuously
23 available." Is the expectation the same as your
24 normal operating staffing, such as you alluded to
25 earlier, that if you have -- you know how many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operators you need to perform your actions or how many
2 staff members are continuously available, whatever you
3 normally do for ensuring operators are available at
4 the site.

5 MR. QUALIS: Well, the intent is to say
6 like you have to have current plant requirements of
7 operators. Sometimes we have emergencies. It may
8 snow a lot, you may have people call in sick. You
9 have to have contingencies for very short periods of
10 time. I don't think this should be treated
11 differently than other operational requirements, but
12 you need to have requirements to have the operators
13 there to shut the plant down should a fire occur,
14 outside of emergency circumstances.

15 MR. ERTMAN: Just the normal process,
16 okay. Thanks.

17 MR. PRAGMAN: This is Chris Pragman. I
18 also question the words, "continuously available," and
19 hope you can expand a little bit on what you mean,
20 because that's something we struggle with sometimes
21 even today. if an operator needs to go out to the
22 pump house, is he no longer eligible for performing a
23 safe shutdown manual action or not? So those words,
24 "continuously available," can be interpreted in a
25 number of ways.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. QUALIS: You're going to give us
2 comments. Give us better words. We want the guy on
3 site, we want him to perform the same way -- if you
4 require an operator for 3G3, what do you require?
5 Okay. He can't go off-site and buy pizza probably,
6 but he could go out to the pump house.

7 MR. PRAGMAN: Right.

8 MR. QUALIS: Okay.

9 MS. BROWN: But wouldn't your time line
10 also give that? If you can demonstrate that that guy
11 can go to the pump house and you still not lose the
12 seal on your RCP pump, then -- you know, it's a
13 performance-based standard. So if he can make it back
14 within your time limit in 20 minutes -- I was at a
15 facility that has an ocean discharge station. Their
16 people couldn't make it back. You couldn't go to that
17 place without getting late because it takes 30 minutes
18 to get there. It's too late by the time they get
19 back. It's a performance-based standard, and there's
20 additional criteria, I think, that will address this
21 concern a little bit more when we start getting into
22 demonstration.

23 MR. GALLUCCI: And complexity.

24 MS. BROWN: And complexity.

25 MR. GUNTER: Well, I would just add that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- Paul Gunter -- that here we see another one of the
2 slippery slopes, that as we depart from a fire barrier
3 -- a rated fire barrier that provided 24-7, minute-by-
4 minute attention to the risk of fire. So I just want
5 to make note that we're departing from that standard
6 by providing for some loosely termed reasonable
7 absence of the performance criteria.

8 MR. GALLUCCI: Any other comments on
9 staffing and training? Okay.

10 Slide 13, communications. "To achieve and
11 maintain safe shutdown, adequate communications
12 capability shall be demonstrated for operator manual
13 actions that must be coordinated with other plant
14 operations with this communications capability
15 continuously available." Comments?

16 MR. MARION: Alex Marion. Continuously
17 available, in the last phrase, "With this
18 communications capability continuously available," are
19 you suggesting it has to be available all the time or
20 available during the scenarios of implementing the
21 required manual actions?

22 MR. WEERAKKODY: I think you can go back
23 to the whole objective of the criteria there. Again,
24 the whole idea is to be able to safely shut down the
25 plant, and I would go back to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARION: Okay. I just wanted to --
2 okay. Thank you.

3 MR. WEERAKKODY: You understand what I'm
4 saying.

5 MR. MARION: Yes.

6 MR. WEERAKKODY: I don't want to go to
7 another level to define that. I would say that's my
8 intent, let that define.

9 MR. QUALIS: Alex, that's no different
10 than our 3G3, 3L requirement to have communications,
11 and you don't want to -- for example, affected by the
12 fire.

13 MR. DUDLEY: But if there is better
14 wording that would clarify that, we would appreciate
15 your recommending that.

16 MR. JOHNSON: Twenty-one-seven, I'm sorry,
17 24-7 was the comment that Kathy had. Mike Johnson.

18 MR. GALLUCCI: Anything else on
19 communications? Okay.

20 We'll go on to Slide 14. Special
21 equipment in the March criterion. March criteria this
22 was known as special tools. "Any special equipment
23 required to support operator manual actions, including
24 keys, self-contained breathing apparatus, SCBA, and
25 personnel protective equipment shall be readily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 available, easily accessible and demonstrated to be
2 effective."

3 MR. GUNTER: Paul Gunter. Have you
4 expressly exclude fire fighting equipment -- CO2?

5 MR. GALLUCCI: I believe that's addressed
6 under the equipment preconditions.

7 MR. QUALIS: Yes. Fire fighters
8 equipment, this is -- fire fighting equipment is
9 equipment that's required essentially to fight the
10 fire. That's covered by NFPA codes and covered by
11 other parts of the plant's fire protection program.
12 This equipment is specific for the manual action
13 that's required. If you go out specifically and you
14 need a breaker rack-out tool, okay, to rack out a
15 breaker, this tool needs to be available. You can't
16 rely on having someone chug down to a tool room at
17 midnight and try to locate one. The tools need to be
18 available to do the job. Does that answer your
19 question?

20 MR. GUNTER: Yes.

21 MR. GALLUCCI: I think when we get to the
22 last criterion, equipment preconditions, you'll see
23 that fire fighting equipment is included under that
24 one. Any other comments?

25 MR. MARION: Yes. This is Alex Marion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again. We'll provide you some comments on this, but
2 let me just offer a concept that I think will capture
3 the genesis or the nature of the intent of some of our
4 comments. For a non-practitioner of fire protection
5 -- I'm not a registered fire protection engineer, and
6 because of that, we rely on fire protection engineers
7 within the industry. But being outside of that
8 community, I look at this language and I think what
9 does it really say?

10 And one philosophy is to keep it simple
11 and straightforward because I look at the last phrase
12 here on Slide 14 and it indicates, "demonstrated to be
13 effective." So I look at keys, self-contained
14 breathing apparatus and protective equipment, and I
15 say to myself how do you demonstrate that those three
16 are reasonably effective, okay? So we need to keep
17 the structure of the language and the intent very
18 clear so that everyone, the licensees as well as the
19 public, et cetera, really has an understanding of what
20 this really is intended to accomplish. And our
21 comments will be structured in trying to clarify and
22 focus that as much as possible, okay?

23 MR. GALLUCCI: Okay. I'll go on to the
24 next one, Slide 15, procedures. "Procedural guidance
25 on the use of required operator manual action shall be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily available, easily accessible and demonstrated
2 to be effective."

3 MR. GUNTER: Paul Gunter. It's my
4 understanding that some of these operator manual
5 actions are quite complex. So given the complexity,
6 how are you evaluating readily available, easily
7 accessible and demonstrated to be effective?

8 MR. QUALIS: At this point, all we're
9 talking about is the procedure readily available. For
10 example, some utilities for alternative shutdown
11 procedures stationed outside the control room in the
12 plant. If you're going to rely on the reactor
13 building operator to perform an action that's needed
14 by procedure, you may want to -- you know, the
15 procedures may need to be staged in the reactor
16 building and maintained out there by the licensee.
17 That's going to be their choice depending on the
18 timing and everything else, but all we're talking
19 about here is that the procedure's available,
20 accessible to the operator so they can get at it, that
21 it's been walked down, that it's verified that the
22 procedure will work.

23 MS. BROWN: This is Eva. And I think we
24 have another criteria that will deal with your
25 question on complexity as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GUNTER: Well, the issue of
2 demonstrated to be effective, it's my understanding
3 that 3G3 was primarily there to provide for actions
4 where the control room is abandoned. And when you
5 abandoned the control room, you have far more limited
6 equipment. So the issue here is how will you -- given
7 that some of these manual operator actions are going
8 to be reliant upon less equipment, less control, how
9 can you demonstrate with confidence that they will be
10 effective? That's a concern that I want noted.
11 Correct me, the 3G3 refers to abandonment of the
12 control room; is that correct?

13 MR. QUALIS: That shut down yesterday.

14 MR. GUNTER: Yes. So we're talking about
15 demonstrating something with less equipment, less
16 control than you have in the control room, and it
17 raises the question about demonstration of
18 effectiveness given that handicap.

19 MS. BROWN: This is Eva. I thought this
20 was -- we were limiting this to 3G2 manual actions.
21 Someone speak up if I'm off. Our manual actions we're
22 only concerned with, in this case, would affect 3G2
23 manual actions. So those actions that would be
24 performed outside the control room at like a remote
25 shutdown panel for 3G3 would not fall under this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criteria.

2 MR. QUALIS: Yes. When I keep using the
3 word 3G3, I'm just using it to try to say that we're
4 trying to be consistent with our practices in 3G3.
5 We're trying to do things pretty much with the
6 procedures and the requirements for the manual actions
7 similar to what we've done with the 3G3 manual
8 actions. We're not trying to come up with new ways to
9 control how people do business.

10 MR. MARION: This is Alex Marion. To go
11 back to Paul's point, the capability to bring the
12 plant to a safe shutdown condition using an alternate
13 shutdown panel has already been demonstrated by
14 utilities, okay/

15 MR. GUNTER: Well, it's just my concern
16 here if you cannot meet 3G1 or 3G2, you must default
17 to 3G3, alternative dedicated shutdown, which brings
18 in 3L. This design decision was not meant to be made
19 casually. Three puts in the regs for areas where you
20 could not meet one or two. Three assumes that the
21 nuclear power plant will be abandoned in the main
22 control room, and this in fact is a very large jump in
23 terms of risk and effectiveness. And that's why I
24 bring it up here in the context of demonstrated
25 effectiveness.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BONGARRA: This is Jim Bongarra. I
2 think that, perhaps partially, at any rate, there's
3 another criterion that Ray has not addressed yet,
4 which, again, is that demonstrated criterion that may
5 help address your concern, at least hopefully in part.

6 MS. BROWN: I'm not real sure I still
7 understand what your concern is. Can you elaborate a
8 little for me so I can take better notes?

9 MR. GUNTER: Well, you have procedures.
10 You're saying that you want to have demonstrated
11 effectiveness and procedural guidance for manual
12 actions that will be taken under 3G3. But we're
13 talking about non-compliance with 3G2, so we moved to
14 3G3.

15 MS. BROWN: No, sir.

16 MR. GUNTER: Clarify for me then if in
17 fact we're talking about inoperable fire barriers,
18 lack of separation and compensatory actions for that,
19 that says to me that the licensee is not meeting 3G2.
20 And in the -- when you cannot meet 3G2, you move to
21 3G3.

22 MR. QUALIS: Well, that's the purpose of
23 the rule.

24 MR. GUNTER: Rulemaking, right.

25 MR. QUALIS: Currently, we're finding that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certain licensees don't meet 3G2 of Appendix R. And
2 in lieu of meeting 3G2 of Appendix R they chose what
3 in my opinion is essentially a compensatory measure,
4 and in many cases maybe an acceptable compensatory
5 measure, for not having the fire barrier that's
6 required by the regulation.

7 MR. GUNTER: And that was the analysis in
8 3G3, right, formally?

9 MR. QUALIS: Well, formally, where it says
10 where you cannot meet the separation criteria of 3G2
11 you have to use 3G3.

12 MR. GUNTER: Which provides the NRC with
13 the analysis for --

14 MR. QUALIS: Correct, for a project
15 shutdown.

16 MR. GUNTER: Yes.

17 MR. QUALIS: For safe shutdown. But what
18 we're doing is changing the regulation, changing 3G2
19 to say that there are certain manual actions that may
20 be not in a pristine ideal world. A manual action is
21 probably never equal to a rated three-hour fire
22 barrier, but are certain manual actions good enough to
23 provide reasonable assurance and adequate assurance
24 for safe shutdown? And that's what we're trying to do
25 is codify that manual actions that while maybe not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equal to a rated three-hour impervious fire barrier,
2 it's not an ideal world.

3 Certain manual actions may be adequate to
4 provide reasonable assurance of safe shutdown and meet
5 the assurance that we need. A 3G fire barrier is not
6 perfect in an ideal world either. There's fires that
7 can happen in the plants where you have greater than
8 three-hour fire levels. It's based on a fire test
9 that reaches certain temperatures at a certain time-
10 temperature curve. There may be fires involving
11 diesel fuel or cable loadings that exceed that. It's
12 there because we decided a three-hour fire barrier is
13 the standard that we shoot for. But with the manual
14 actions we're looking to achieve a standard that
15 provides us a level of assurance of safe shutdown.
16 It's just a different criteria for 3G2.

17 MS. PEDERSEN: I think that Paul, I think,
18 has the right approach. This is Rene Pedersen from
19 the Office of Enforcement. The way that I understand
20 it is what these acceptance criteria will allow is
21 that these operator manual actions, provided the
22 licensee can demonstrate and document that they can
23 perform these manual operator actions, that they can
24 do that in lieu of meeting 3G2. The NRC has accepted
25 exemption requests from industry for these types of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 situations.

2 So I think what we're really trying to do
3 is we're trying to revise the rule to provide that as
4 a means of meeting 3G2, and in the meantime having an
5 enforcement discretion policy that allows those
6 operator manual actions to be performed in the
7 meantime provided that the licensee can demonstrate
8 and document that their actions meet the interim
9 acceptance criteria.

10 MR. MARION: This is Alex Marion. Paul,
11 one of the key reasons we engaged in discussion on
12 demonstrating the adequacy of manual actions was
13 because there were a number of situations where
14 licensees have submitted exemptions or deviation
15 requests for approval of manual actions. And then
16 there are a number of other situations in the past
17 where manual actions have been tacitly approved by NRC
18 via other mechanisms: Inspection reports, safety
19 evaluation reports and that kind of thing. So our
20 objective here was to try to establish a process where
21 the licensee does an evaluation on their capability to
22 execute or implement the required manual action, and
23 if that's adequate and sufficient and demonstrated to
24 be adequate and sufficient, then that would be
25 acceptable, okay? And that's where we're trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 establish some consistency in that process, if you
2 will, because there was a mixed bag of approaches or
3 processes that we used in the past.

4 MR. GUNTER: But it's also my
5 understanding that those actions were taken as interim
6 during the upgrading of inoperable fire barriers, and
7 there's a far cry between the risk in an interim
8 measure and taking an action and codifying it as
9 gospel. And that's the concern is that we're
10 codifying compensatory actions that were never
11 intended to be -- I mean, granted, we're not codifying
12 fire watches, thank God, but it's almost the
13 equivalent.

14 MR. MARION: No. Alex Marion again. In
15 terms of the objective of a fire barrier to mitigate
16 the consequences of a fire, et cetera, you have to
17 kind of keep that concept separate from demonstrating
18 the capability to achieve a safe shutdown condition in
19 the plant.

20 You've got two parallel efforts going on
21 in the plant. You have a fire, the fire brigade has
22 been dispatched to deal with the fire. Alternatively
23 and in parallel at the same time, you have operators
24 that are taking action to bring the plant to a safe
25 shutdown condition, and you have to maintain that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distinction. If you don't maintain it, you're going
2 to get thoroughly confused in trying to differentiate
3 on what's going on given the fire.

4 MR. GUNTER: Well, I think the confusion
5 comes with the abandonment of fire barriers. And I
6 think that we're all going to be confounded by this
7 course of action in trying to bring this into some
8 kind of enforcement space. That's the concern. We're
9 moving into an area that you will now -- that what the
10 public is going to see is an endless dialogue between
11 industry and regulator with the inability to come to
12 any kind of enforcement conclusion over what's good
13 enough for fire protection and public health and
14 safety.

15 MS. BROWN: Can I ask a question? Can you
16 expound a little more on your concern about the risk,
17 the increasing risk of using the short-term
18 compensatory measures permanently? That's sort of
19 what I was hearing. I wanted to make sure I'm --

20 MR. GUNTER: Well, again, it has to do
21 with core damage frequency and the fact that the
22 presence of rated fire barriers that have been tested
23 through laboratory results is -- that's a qualified
24 test. We're now moving to reliance upon a very murky
25 analysis of human performance, and I don't think that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that can be done with the same level of confidence
2 that you need to assure a reduced risk in core damage
3 frequency.

4 MS. BROWN: Thank you.

5 MR. WEERAKKODY: I don't think anybody in
6 the room would say that if you have a three-hour fire
7 barrier and then you have manual actions for all
8 constants, given the exact same or equal protection,
9 but I think where I would not agree is when you say
10 murky. Murky, if you just left that saying, "Well,
11 make sure you have feasible manual actions," and
12 walked away as regulators, that's murky, but I think
13 when you look at the level of detail we're going
14 through, already went into the inspection criteria and
15 the level of detail we're going through in the interim
16 feasibility criteria, and we are not done yet, I don't
17 think they're murky. I think we are very specific
18 from a number of dimensions. Whether it be
19 environment or whether it be human performance, we are
20 taking a large number of steps to get a way of
21 eliminating that murkiness and have the adequate level
22 of reasonable assurance safety. It's never going to
23 be the three-hour barrier, but --

24 MR. KOLTAY: This is Peter Koltay, and I'd
25 just like to jump in on this three-hour barrier, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 replacing three-hour barriers. This is 3G2. We do
2 not have three-hour barriers, generally. There's
3 generally some distance, a combination of suppression
4 and detection, and in some cases a barrier may be up
5 to an hour but not three-hour barriers. So I want to
6 make clear that we're not replacing three-hour
7 barriers here or we're using manual actions in lieu of
8 three-hour barriers. I would say in most cases we're
9 using manual actions in lieu of 20-foot separation and
10 we have 15-foot separation, and I'm not sure how to
11 put that in barrier kind of configuration. So I'd
12 like to make that on the record that this is not a
13 replacement for three-hour barriers.

14 MR. GUNTER: Right. But it's -- Paul
15 Gunter -- but it's a replacement for all three
16 criteria under 3G2.

17 MR. DUDLEY: Right. It's an option.

18 MS. BROWN: It's an option.

19 MR. GUNTER: Well, I mean it's an option
20 that you're forced into because of non-compliance.

21 MR. WEERAKKODY: There's another way to --
22 this is going to be -- there's another way to look at
23 this, Paul. It's not like at time zero from two days
24 here we start in this new direction of manual actions.
25 And like many have said, we have had from the licensee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with particular basis that are in the dark where staff
2 has received and accepted a number of manual actions.
3 So in a way you can -- when you look at -- going
4 forward, what we are doing here is making that process
5 more stringent.

6 An alternative could have been to tell all
7 the licensees out there, say in exemptions, we review
8 each one and approve or reject based on the acceptance
9 of those. So those are some words that Fleur gave me
10 a couple of days ago. If you look at where we are
11 from a safety-wise, whatever we are doing today is
12 going to be an improvement to that level of safety
13 because things, whether it is in the criteria, are
14 much more specific, even more specific than what you
15 find in the inspection criteria.

16 MR. GUNTER: Well, if you'll indulge me
17 just once more, public confidence would have been won
18 if you had exercised enforcement for the confirmatory
19 action orders that were issued in 1998 and 1999 for
20 inoperable fire barriers. That should have been
21 considered your first option -- enforcement. And
22 anything else is retreat at this point.

23 MR. DUDLEY: Ray, can we move on because
24 a lot of these criteria I think -- when we've
25 completed the whole list of criteria, we'll still have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments, but some of the issues that are being
2 brought up I think might be --

3 MR. GALLUCCI: Well, the other option is
4 for me just to finish them all or do you want to
5 continue commenting on each one?

6 MR. DUDLEY: We only have a few more.
7 Let's just try to go through them.

8 MR. GALLUCCI: All at once?

9 MR. DUDLEY: Yes.

10 MR. GALLUCCI: Okay.

11 MR. DUDLEY: If somebody has an issue that
12 they just don't understand, raise your hand. But as
13 far as overall comments, let's try to finish the
14 criteria and then go back and open it up to all of
15 them.

16 MR. GALLUCCI: Okay. I'm going to finish
17 out the criteria then, starting on Slide 16, local
18 accessibility, formerly accessibility. "All locations
19 where operator manual actions are performed shall be
20 assessed as accessible without hazards to personnel
21 with controls needed to assure availability of any
22 special equipment, such as keys or ladders, being
23 demonstrated.

24 Slide 17, criterion demonstration,
25 formerly in the March list called verification and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 validation. "The capability to successfully
2 accomplish required operator manual actions within the
3 time allowable using the required procedures and
4 equipment shall be demonstrated using the same
5 personnel/crews who will be required to perform the
6 actions during the fire. Documentation of the
7 demonstration shall be provided."

8 Slide 18, a new criterion, complexity and
9 number. When I say new this is relative to the March
10 set. "The degree of complexity and total number of
11 operator manual actions required to effect safe
12 shutdown shall be limited such that their successful
13 accomplishment under realistically severe conditions
14 is assured for a given fire scenario. The need to
15 perform operator manual actions in different locations
16 shall be considered when sequential actions are
17 required."

18 Continued on Slide 19, "Analyses of the
19 postulated fire time line shall demonstrate that there
20 is sufficient time to travel to each action location
21 and perform the action required to support the
22 associated shutdown function or functions such that an
23 unrecoverable condition does not occur."

24 The next slide, another new criterion,
25 equipment preconditions. "Possible failure modes and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 damage that may occur to equipment used during a fire
2 shall be considered to the extent that the equipment's
3 subsequent use could be prevented or at least made
4 difficult. Credit for using equipment whose
5 operability may have been adversely affected by the
6 fire due to smoke, heat, water, combustion products or
7 spurious actuation effects shall account for such
8 possibilities. As an example, overtorquing of a
9 motor-operated valve due to a spurious signal, as
10 discussed in Information Notice 92-18."

11 And just before we comment on the last set
12 of criteria, the last slide is the planned path
13 forward to develop the final feasibility criteria for
14 operator manual actions considering the additional
15 input from the Office of Nuclear Regulatory Research,
16 the Office of Enforcement, the Advisory Committee on
17 Reactor Safeguards, especially the Fire Protection
18 Subcommittee, and the external stakeholders, the
19 public and industry.

20 That concludes the listing of the
21 criteria, and so now we can comment specifically on
22 the last few or any and all of them.

23 MS. BROWN: Let me ask a question. This
24 is Eva. After going through all of these, if you had
25 some concerns before, did the additional criteria

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 address some of your concerns dealing with complexity
2 and there was another on procedures?

3 MR. GUNTER: Paul Gunter. It actually
4 raises concerns.

5 MS. BROWN: Okay.

6 MR. GUNTER: Again, because of the
7 uncertainties that are brought on -- I mean all these
8 criteria are just rife with uncertainty. The stock
9 that you're placing in the word, "shall," again, I'll
10 just reiterate, is dubious at best. And how can you
11 establish any level of confidence with these criteria
12 in the absence of a track record?

13 MR. WEERAKKODY: Paul, maybe --

14 MR. GUNTER: You're moving from a
15 prescriptive standard to areas of performance that
16 have never been evaluated as what you're proposing to
17 do with it, to codify it.

18 MR. QUALIS: Actually, what we're trying
19 to do, Paul, is to move -- we're changing the standard
20 somewhat because one of the personal research projects
21 I had to do in the process of the last couple of years
22 was to research pre-1992 exemption requests that we've
23 processed for exemptions that were provided for manual
24 actions for 3G2. And I found, researching one of our
25 databases, on the order of 50. Don't ask me where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they are, I'm not going to be able to find it again.
2 It was something I did.

3 But in that 50 there was absolutely no
4 standardization of what we looked at. It appeared to
5 be pretty much what the individual person reviewing
6 the exemption or deviation request felt like granting.
7 I saw standards varying from no manual actions in the
8 first 30 minutes with no basis, okay? What we're
9 attempting to do is to codify a practice that was
10 preexisting. We have granted on the order of, at
11 least pre-1992, at least on the order of 50 examples
12 that I found in a very quick search.

13 MR. GUNTER: Were they interim? How many
14 of them were interim?

15 MR. QUALIS: No, they were license
16 amendment type level stuff. They were not interim.
17 They were not compensatory measures nor were they
18 interim. They were manual actions in lieu of a
19 barrier. In other words, what I'm trying to do is --
20 what we were trying to do is come up with some
21 standard criteria to codify a preexisting practice so
22 that licensees don't have request every time they want
23 to do a manual action come to us with an exemption.
24 That doesn't mean that we're trying to allow manual
25 actions actually that are more challenging than what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've been approving in the previous world, and that's
2 going to be one of the challenges of developing our
3 criteria is to try to limit the manual actions to
4 something that's reasonably simple with a high degree
5 of success and confidence of success.

6 In the past, you'll see manual actions
7 like two hours into a fire start the -- do a manual
8 transfer of diesel fuel oil to the bay tank. Okay.
9 That's two hours into a fire, there's not much concern
10 that operators can do something like that manually.
11 On the other hand, we've seen licensees that want to
12 do a -- in recent inspections that wanted to do a
13 local start of a diesel generator without control
14 power. Whole different ball game because never
15 practiced by operators anywhere, no licensee's ever
16 going to allow people to operate their diesels without
17 control power and do flashing of the field and air
18 start manually and a whole series of manual operations
19 that requires three of four people. They'll never
20 practice that.

21 The challenge is to develop language for
22 these criteria to try to limit it to what we've been
23 approving in existing practice and not allow things
24 that would be impossible to do. And that's going to
25 be a challenge for us and industry and public too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're just trying to codify what we've been doing in
2 the past, though, without -- really without
3 compromising public safety.

4 MR. WEERAKKODY: Well, I don't want to go
5 away from the order of meeting which is to get input
6 right here, right now, but at the same time one of the
7 -- I mean when I listen to you I keep hearing the
8 word, "uncertainty," and the uncertainty associated
9 with human factors. Let me say something that will
10 partially address that. If you step back and look at
11 it, let's say the criteria we have in our -- we say if
12 you have 20-foot separation, you are safe. Okay.
13 Now, that's the best available method that we had at
14 that time to keep those plants safe. I would submit
15 to you -- I mean you don't have to react to this now
16 -- there may be instances where using the manual
17 actions whatever the uncertainty there is may be
18 making that particular situation safer than -- I'm
19 just saying that.

20 So uncertainty is there, uncertainty is
21 there in three-hour barrier, one-hour barrier, 20-foot
22 separations. So, really, I think if you step back and
23 think of it, uncertainty is not a reason to throw away
24 reliance on manual actions. When you step back and
25 look at it, the whole -- so I'm just saying it's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 matter of working with you, working with the industry
2 to try to deliver the best criteria we can. I just
3 wanted to share that with you.

4 MS. BROWN: Do we have any other comments?
5 Fleur?

6 MS. de PERALTA: Fleur de Peralta. We've
7 been doing manual actions since way back to 1981 when
8 Generic Letter 81-12 came out in response to
9 associated circuits. Spurious operation mitigation,
10 it specifically says go and locally operate breaker.
11 These actions are just -- now they're just more
12 detailed into how we're supposed to do these actions,
13 what the NRC expects is a successful action, and these
14 actions have been allowed since Appendix R was issued
15 in 1981.

16 I'm still confused a little bit about the
17 3G1 actions, 3G1-A, emergency control stations, versus
18 3G2, redundant systems within the same fire area and
19 spurious operations concerns, where even if you got a
20 redundant component outside the area, you still need
21 to mitigate spurious operation. Does that fall within
22 this new criteria that we're putting together? For
23 example, steam generator cores. If one core opens up,
24 that might be redundant to use for a safe shutdown but
25 what about mitigating the spurious operation? Is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a 3G1 action? Is this a 3G2 action? I can't find the
2 boundary for this 3G2.

3 MR. QUALIS: Well, 3G2 says -- and I may
4 misquote -- but -- now I have to take my glass off to
5 read. "Except as provided in Paragraph G3 of this
6 section," G3 is alternative shutdown, "for cables or
7 equipment, including associated non-safety circuits
8 that could prevent operation or cause maloperation due
9 to hot shorts, open circuits or forced to grounds of
10 redundant trains assistance necessary to achieve and
11 maintain hot shutdown conditions or located in a fire
12 area outside primary containment, one of the following
13 means of ensuring that the redundant trains free of
14 fire damage will be provided."

15 Okay. Now, you're confused about 3G1,
16 which really doesn't address any kind of barriers or
17 any other things. But where you have redundant trains
18 in the same fire area of cables or equipment,
19 including associated non-safety circuits that could
20 prevent operation or cause maloperation, and this is
21 one of these trains, you have to meet one of the 3G2
22 criteria or meet 3G3. That's very specific.

23 Okay. If you have a 3G1 area, and I
24 suspect you're familiar with Palo Verde, they have a
25 few areas where they have no redundant trains in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same fire areas.

2 MS. de PERALTA: That's right.

3 MR. QUALIS: Okay. Well, that would be a
4 3G1 area where there's no manual action because really
5 a fire doesn't affect both trains. You just shut down
6 using your normal equipment.

7 MS. de PERALTA: What about a spurious
8 operation response to what is in the area, that one
9 train that is in the area of a steam generator core.
10 One train of pressurizer core is in the area.

11 MR. QUALIS: So that would be an
12 associated circuit and it would be --

13 MS. de PERALTA: Spurious operation
14 response.

15 MR. QUALIS: Right.

16 MS. de PERALTA: So is it 3G1 gets thrown
17 out of 3G2?

18 MR. QUALIS: Well, 3G1 really isn't --
19 doesn't -- where you have a fire that could affect
20 both trains, let's say you have an A-switch gear room
21 and you have an A-switch gear room that could affect
22 your train B shutdown.

23 MS. de PERALTA: I'm not talking about
24 that. I'm talking about train A equipment that may
25 spuriously operate. Train B is totally independent of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the area. I've got a steam generator core that might
2 spuriously open. My redundant loop is fire damage,
3 three hours, it's totally away, and I need to mitigate
4 that spurious opening.

5 MR. QUALIS: Well, you've got an
6 associated circuit.

7 MS. de PERALTA: Correct. So does that
8 mean that that's a manual action that does not fall
9 into this 3G2 criteria that we're putting together?

10 MR. QUALIS: Well, sure it does, because
11 it's an associated circuit for train B that would
12 affect train B shutdown, but it would also affect
13 train A shutdown if the first was in train A. I mean
14 the idea of manual actions for 3G1 is if there's a
15 place in industry -- I've inspected a lot of plants
16 and I really don't know what kind of examples -- I
17 keep hearing people say 3G1 manual actions and they're
18 trying to misapply it the way ANO did. ANO's in the
19 middle of an enforcement process right now because
20 they misapplied the regulation and ignored 3G2, and
21 that goes back to my personal opinion where I believe
22 that in many cases industry has misapplied the
23 regulations and tried to do what ANO did and not
24 provide barriers. And that's where you've got to read
25 3G2. There's not an either/or.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. de PERALTA: I agree. It says protect
2 one train of said shutdown with one of these barriers.
3 And you protected that train three-hour barrier is
4 totally outside the area. What about the items that
5 you didn't protect and they're spuriously operating?

6 MR. QUALIS: Well, then you treat them --
7 Generic Letter 81-12 would have treated that as an
8 associated circuit.

9 MS. de PERALTA: Does that make it fall
10 out of 3G2?

11 MR. QUALIS: I think I'd have to look at
12 the specifics on paper. I'm not going to try --

13 MS. de PERALTA: Because there is a
14 specific section on response to spurious operations.
15 You have choices of administrative control open that
16 breakers have never spuriously opened. You have the
17 choice of an operator response by opening a breaker
18 manually operating a valve. And the third item was to
19 redesign. But you had those choices for associated
20 circuits for spurious operation concerns. And I'm
21 talking about, say, like my specific example, steam
22 generator core that would open. I've got my redundant
23 loop, free of fire damage, but I need to mitigate
24 this. Does that mean that my operator action to
25 locally isolate air and vent it to ensure that that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core doesn't open, is that considered one of these
2 manual actions that fall under 3G2?

3 MR. QUALIS: It would be an associated --
4 it would be, I think --

5 MR. KOLTAY: That comes out of Appendix R.

6 MR. QUALIS: Well, it would be --

7 MR. KOLTAY: You have a stop open core.

8 MR. QUALIS: It would be an associated
9 steam generator core.

10 MR. KOLTAY: That's right.

11 MR. QUALIS: It would be an associated
12 non-safety circuit.

13 MS. de PERALTA: It would be an associated
14 --

15 MR. QUALIS: It would be an associated
16 non-safety circuit, because it could affect your
17 ability to achieve safe shutdown. It's not a required
18 circuit, it's an associated --

19 MS. de PERALTA: But we don't know if it
20 could adversely affect it.

21 MS. BROWN: Let me step in. This is a
22 little more complicated, and I would recommend that
23 for specific items like that you discuss it with your
24 Inspection staff, and if we need to go and look at it
25 a little further, I'm sure that if the Inspection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff can't answer your question, then we can --

2 MS. de PERALTA: I'm just trying to figure
3 out what falls within the scope of this 3G2 versus --

4 MS. BROWN: Recognized, but this is a
5 little too specific, and I --

6 MR. WEERAKKODY: It's a level too
7 detailed.

8 MS. BROWN: Yes. It's a level of detail
9 and plant-specific. We'll be happy to address it, but
10 it may be better directed to the Inspection staff, and
11 if we can't get a reasonable answer through the
12 Inspection staff, then if you refer it to us, we'll
13 try to help. But we'll take a look at spurious
14 actions, because I think there may be some
15 misunderstanding on both of our parts as to where
16 you're coming from and what the rule is.

17 MS. de PERALTA: Right.

18 MS. BROWN: So what we'd really like to do
19 is sort of see if we have any other questions on this
20 session, because we're going to try to get to the next
21 agenda item.

22 MR. PRAGMAN: Chris Pragman again, and I
23 hope this is a simple question. Given the dialogue we
24 just had about when am I in 3G1 versus 3G2 in a
25 particular area of the plant, I understand all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion we've had today is about manual actions
2 under 3G2. One of the items that's provided under
3 3G1-B is the allowance that systems needed for cold
4 shutdown can be affected by the fire and I can repair
5 them later. That does not appear again in 3G2. So
6 are we saying that we can't take credit for repairs in
7 a fire area that needs 3G2?

8 MR. QUALIS: Well, 3G2 doesn't really
9 affect going to cold shutdown anyway. If you're going
10 to cold shutdown, you're allowed manual actions,
11 you're allowed repairs, there's just a whole bunch of
12 things you're allowed. I mean we recognize, as you do
13 too, that if you're in a fire that's required you to
14 do a 72-hour cold shutdown or be able to do it -- the
15 regulation really doesn't require you to go to cold
16 shutdown, it requires you to have that capability to
17 go to cold shutdown -- we recognize and you recognize
18 that if you're in this kind of severe fire situation,
19 you have on-site a TSC and an OSC and an EOF and a
20 whole bunch of help and support and engineering and
21 you're going to be making decisions.

22 You may not even decide to go to cold
23 shutdown and your management dealing with the NRC and
24 your engineers may decide that you're safer in hot
25 standby. I mean there's a lot -- we understand that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when you get outside this first hour or two in the
2 region of maintaining hot shutdown conditions, you're
3 going to have to play it by ear, but you're going to
4 have the resources and capability to play it by ear.
5 We know that. We require you to have the capability
6 available to go to cold shutdown if you decide to go
7 to cold shutdown.

8 MR. PRAGMAN: Well, the concern I have is
9 that the discussion that just took place said this is
10 not an example of 3G1 fire areas; this is 3G2 fire
11 area. So I've been bounced out of 3G1 for most areas
12 of my plant. That's the only place in the regulation
13 that says I can repair things.

14 MR. QUALIS: Well, you're trying to read,
15 I think, the regulation in paragraphs separately. You
16 know, I don't want to try to get into too much about
17 3G1 and repairs, but what we're trying to say is 3G1-A
18 says, "One train of systems necessary to achieve and
19 maintain hot shutdown conditions shall be free of fire
20 damage." Now, you get down to 3G2 it says, "Trains of
21 systems necessary to achieve and maintain hot shutdown
22 conditions located within the same fire area one of
23 the following means of assuring that redundant trains
24 is free of fire damage shall be provided." Once you
25 get to go into cold shutdown, you're no longer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maintaining these hot shutdown conditions, so you're
2 outside of the bounds of 3G2. That's why we're not
3 trying to address cold shutdown issues. They're not
4 part of 3G2 issues.

5 MR. WEERAKKODY: Can I -- Chris, even
6 though I didn't fully understand the question and the
7 answer --

8 (Laughter.)

9 MR. QUALIS: Did the answer make sense.

10 MR. WEERAKKODY: First off, even if we --
11 an easier question like this: Even if we give you the
12 right answer or what you think is the right answer --

13 MR. PRAGMAN: I liked his answer, but --

14 MR. WEERAKKODY: But what I am saying is
15 please make sure that you ask that question properly
16 and provide it to us as a comment. Otherwise it's
17 going to get recorded in the meeting minutes. So
18 that's why I said no matter how you look at it, it
19 doesn't benefit any of us to go very, very deep into
20 that.

21 MR. MARION: Alex Marion. I've got a
22 couple questions and comments on the last set of
23 slides. Beginning with Page 17, the reference to time
24 allowable, this refers to the time necessary to
25 implement that specific manual action; am I correct on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that?

2 MS. BROWN: No.

3 MR. MARION: No?

4 MS. BROWN: This is Eva Brown. I think
5 we're talking about the time needed for some of your
6 limiting damage to equipment you may need to safety
7 shut down. So I might be saying yes to your question.
8 It's sort of like you need to ensure seal cooling in
9 a PWR within 20 minutes. That manual action needs to
10 be taken within the time allowable to assure that you
11 have seal cooling for the RCP pump. I think that's
12 what we're getting the allowable time --

13 MR. DUDLEY: I think if you go to Slide 19
14 under complexity of numbers, we say that you have to
15 do the analysis of the fire time line.

16 MR. MARION: That was my next question.

17 MR. DUDLEY: I think that that slide is
18 what determines the time allowable.

19 MR. MARION: Okay. Alex Marion again.
20 Since we skipped to Number 19, what do you mean by
21 postulated fire time line? From the time the fire's
22 identified until safe shutdown is achieved or the time
23 the fire's identified and some particular system
24 function recovery action is implemented?

25 MR. KOLTAY: I think the time line ties

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into the equipment affected that may be impacting
2 where you need to recover from a transient that you
3 may have. In other words, you may be limited because
4 if you don't recovery that piece of equipment, you
5 have so much time before you lose control of the
6 plant, and that could be like in Chapter 15, accident
7 scenarios.

8 MR. QUALIS: Well, it's also going to be
9 dependent upon the approaches the licensee takes.
10 There's two types of procedures in general at the
11 scene. There's the type of procedure that says if
12 there's a fire in a certain area, the operator shall
13 do A, B, C, D, E and F. I don't know those are
14 called, event procedures, but they're driven by the
15 event. There's another type of procedure called
16 system-based procedures where the operator don't take
17 an action until they see that event.

18 Your time evaluation is going to have to
19 be based on the responsible plant. If it's an event-
20 based procedure and you have any fire in the B pump
21 switch gear room, whatever, okay, and you say, "Do
22 this, this, this, and this," well, then your plant
23 conditions are going to have to be based on that time
24 line. If you've got a symptom-based procedure, well,
25 the operators recognize that a certain occurrence has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occurred, that's what you're going to have to base
2 your response on.

3 MS. BROWN: This is Eva. And it also goes
4 to -- I think you're sort of getting to what is T
5 equals zero, which is an issue that I've had a lot of
6 discussion with licensees in my inspection life. You
7 can call T equals zero, a lot of people do it from the
8 time they decide to scram the plant, some people from
9 when they see effects. I think in my experience I've
10 done it from when we've seen the fire start or fire
11 effects on the equipment.

12 But regardless of where you start that,
13 the staff will be making their own time line sort of
14 also and taking a look and seeing whether or not what
15 you've chosen as your T equals zero is reasonable
16 based on what you should see from the fire effects.

17 MR. MARION: All right. Thank you for
18 that clarification. I do have a few other comments
19 and questions. On 17 again, you indicated at the very
20 end of the sub-bullet that the documentation of the
21 demonstration should be provided. Is that something
22 that should be submitted to the NRC in advance or be
23 available to the inspectors.

24 MR. WEERAKKODY: The second.

25 MR. MARION: Okay. Available to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspectors. Okay. Thank you.

2 MR. QUALIS: If we wanted it in advance,
3 we would have just said send us deviations.

4 MS. BROWN: Yes.

5 MR. MARION: Onto Number 18, just a
6 comment. I don't necessarily need a response, but it
7 seems to me that this particular write-up is subject
8 to extensive and broad interpretation. Because one's
9 perception of complexity is obviously going to be
10 different than another person's. And here it appears
11 that the staff has already determined that there has
12 to be a limitation imposed on the number of manual
13 actions based upon complexity and the total number,
14 obviously. But if the licensee can demonstrate that
15 they have adequate staffing to execute the required
16 amount of manual actions, then is that acceptable or
17 is there going to be an arbitrary limit imposed? Just
18 a comment. We don't need to answer that, but we're
19 probably going to submitting a comment along those
20 lines.

21 MS. BROWN: But I think some of that --
22 this is Eva -- some of that will be mitigated by your
23 time line also, because I don't think you're going to
24 be able to get real complex with some of the events.
25 I think the events will prevent you from getting a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whole lot and very complex just by the nature of the
2 time line.

3 MR. PRAGMAN: This is Chris Pragman. If
4 you're looking at the time line and you're looking at
5 staffing, you've addressed how many is too many
6 already. This becomes a redundant criteria really.

7 MS. BROWN: That's interesting.

8 MR. GALLUCCI: This one criterion,
9 complexity in number, it's recognized that this really
10 applies to all of them. And it was decided rather
11 than write up something about complexity in number
12 under each criterion, it was better to capture this
13 separately, recognizing that if these criteria are not
14 independent, then there may be some overlap, but it's
15 felt it's better to in some cases restate the obvious.

16 MR. JOHNSON: This is Mike Johnson. In
17 effect, there are other overlaps, as Jeff mentioned.
18 There's one on procedures that says -- that goes to
19 demonstration. Well, you have event demonstration
20 that happens under training qualification. So I think
21 Jeff's comment is exactly right.

22 And, Alex, I do note your concern about
23 complexity in number and comment on that specific one.
24 I think it's a good one which is what we're trying to
25 do and to make sure that it's clear. I actually don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- when I read complexity in number I don't think that
2 there was any notion about a pre-conceived limit as
3 long as the emphasis -- I think the main part of that
4 criteria is that there would be successful
5 accomplishment under realistically severe conditions
6 that is assured for a fire scenario. I think that's
7 the main thing on that.

8 MS. BROWN: All right. If we don't have
9 anything else, I want to sort of poll the room. We're
10 ahead of schedule. Fred or Kathleen, do you have any
11 comments? Still with us? Okay. We want to sort of
12 poll the room to see whether or not we wanted to take
13 a break right now or try to push through, because
14 we're significantly ahead of schedule. I'd just like
15 to --

16 MR. DUDLEY: To try to finish before
17 lunch.

18 MS. BROWN: A break? You want to finish
19 before lunch?

20 MR. WEERAKKODY: I'm for --

21 MS. BROWN: Let's push through then. Then
22 let's push through.

23 PARTICIPANT: Do people want a five-minute
24 break?

25 MR. DUDLEY: Five-minute break.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. BROWN: Five minutes? Okay. Let's do
2 five minutes.

3 MR. DUDLEY: Five-minute break; back at
4 11.

5 (Whereupon, the foregoing matter went off
6 the record at 10:55 a.m. and went back on
7 the record at 11:02 a.m.)

8 MS. BROWN: All right, my new agenda and
9 goal for this meeting is for us to go ahead and push
10 through. Phil and Paul?

11 What we'd like to do is if we can is to go
12 on to our next agenda topic and take our comments and
13 hopefully we can adjourn a lot sooner than intended
14 after giving a reasonable time for any additional
15 comments from the public, unless anyone has an
16 objection.

17 So with that, I would like to go ahead and
18 turn over the meeting to Renee Pedersen of OE to
19 discuss the proposed interim enforcement policy.

20 MS. PEDERSEN: Just to reiterate again,
21 the Commission did approve, once they approved the
22 proposed rulemaking, they approved the staff's
23 recommendation to develop an interim policy and that
24 was SRM was dated September 12th.

25 So what the next step would be is that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff would submit this interim enforcement discretion
2 policy and it would go up to the Commission in the
3 form of a Federal Register notice and it would be
4 approved by the Commission. This would be in addition
5 to the existing NRC enforcement policy.

6 The expectation for that Federal Register
7 notice, it would contain statements and considerations
8 for these interim acceptance criteria. And those
9 statements of consideration will not only include the
10 technical basis, but would also include the
11 disposition of public comments.

12 Basically, the scope of the policy, it
13 would be that under the interim policy, the NRC will
14 enforce or excuse me, will exercise enforcement
15 discretion and normally not take enforcement action
16 for those licensees that rely on unapproved operator
17 manual actions that they have taken in lieu of meeting
18 the requirements in III.G.2, provided that these
19 licensees have demonstrated and documented the
20 feasibility of their operator manual actions in
21 accordance with the interim acceptance criteria that
22 are going to be included in the enforcement policy
23 statement.

24 The NRC may take enforcement action when
25 a licensee's operator manual actions do not meet those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interim acceptance criteria or the requirements in
2 III.G.2. Basically what we're looking at is that it's
3 not that a licensee -- we're not imposing these
4 interim acceptance criteria. This is an alternative
5 to meeting the requirements in III.G.2. I think that
6 needs to be clear.

7 The policy, which of course is going to be
8 subject to subsequent Commission approved associated
9 policy guidance or regulation, would be in effect for
10 60 days upon publication in the Federal Register,
11 until a final revision of the rule would come out and
12 become effective. Now I put 60 days in here upon
13 publication in the Federal Register and that's to
14 allow licensees the time to look at these interim
15 acceptance criteria and demonstrate and document that
16 their operator manual actions meet those criteria.
17 This is something that we have put in the interim
18 policy for the fitness for duty issues.

19 This was a time that was thought possibly
20 reasonable for licensees to accomplish what they need
21 to do. So that's open for discussion. That was
22 something that was put in there as a starting point.
23 If licensees don't believe that that's a reasonable
24 amount of time, I think we would definitely want to
25 hear about that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then finally, I think what we would
2 put, what we would include in actual statements of
3 consideration because again, the enforcement policy,
4 being something that gets published in the Federal
5 Register and has widespread dissemination, we always
6 include the most current policy statement on the
7 website, so it's easy to know where the NRC stands on
8 issues.

9 What we would do in the statement's
10 consideration is we would make it clear that for those
11 situations where a licensee has had a previous
12 inspection and they have a documented green inspection
13 finding for the SDP involving the unapproved operator
14 manual actions, I think the expectation would be that
15 provided that licensees can now demonstrate and
16 document the feasibility of those operator manual
17 actions, in accordance with the new interim acceptance
18 criteria included in this discretion policy, that, in
19 essence, would be the corrective action. If your
20 manual actions now meet those interim acceptance
21 criteria, then they would no longer need to be in the
22 licensee's Corrective Action Program. And hopefully
23 that will solve some issues that industry has.

24 I think what we're trying to do by doing
25 this, is we want to have an efficient process to align

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the regulatory requirements and our safety objectives.
2 We want to make sure that what we do ultimately
3 maintains safety. We want to do this in a way -- we
4 understand -- we want to balance the need for this
5 expedited regulatory guidance. We hear you. We want
6 this now.

7 However, I think we're also responsive to
8 the fact that we need to have public participation in
9 this strategy because this strategy is somewhat new by
10 allowing licensees to take these operator manual
11 actions provided that they meet these interim
12 acceptance criteria prior to the rulemaking is
13 definitely a new strategy that we're trying to use and
14 again, we're looking for balance and ultimately we
15 want to make sure that we maintain safety by doing
16 this.

17 MR. QUALIS: And recognize that there may
18 be cases where you start evaluating previously green
19 findings using the new criteria, especially with the
20 addition of the Information Notice 9218 as we get off
21 the associated circuits issue and start inspecting
22 associated circuits. That's why that was not one of
23 the original inspection evaluation criteria.

24 If one of your manual actions is dependent
25 upon repositioning a valve that has its torque and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limits which is bypassed, now that manual action may
2 not be acceptable. It may be a high risk manual
3 action. There may be certain things that you have to
4 look at as a result of the additional criteria. It
5 may turn into -- may increase risk.

6 MS. PEDERSEN: I think that's important to
7 emphasize. Really, I look at this as somewhat of an
8 iterative process. Again, it's a balance.
9 Ultimately, the rulemaking may look a little different
10 than these interim acceptance criteria. To the extent
11 that we're on a learning curve and through this
12 process, it comes to light that the criteria that are
13 in the policy need to be modified. I think the
14 Commission would want those criteria modified. I
15 think the goal is, I mean if we had a crystal ball
16 would be to have these criterion be the rulemaking
17 language. And to the extent that we can try to do
18 that, I think that that's what we're trying to do with
19 this policy.

20 MR. PRAGMAN: This is Chris Pragman. A
21 question. You said for previous green SDPs?

22 MS. PEDERSEN: SDP findings for that
23 inspection procedure.

24 MR. PRAGMAN: I understand if someone has
25 been delivered a green finding, isn't that the end of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the enforcement process for that?

2 MS. PEDERSEN: Well, a green finding is
3 not an enforcement action. I want to call time out
4 because I realize that sometimes the language gets a
5 little bit mutated.

6 A green finding is just that. It's a
7 green finding. To the extent that there's a
8 regulatory requirement that was not met, that green
9 finding would normally be treated as an NCV under the
10 policy.

11 MR. PRAGMAN: Right.

12 MS. PEDERSEN: It's my reading of the
13 inspection procedure that if an inspector looked at
14 operator manual actions and viewed them as acceptable
15 for those criteria in the inspection procedure, they
16 were documented as green findings. They were not
17 documented as green NCVs.

18 However, it's my understanding that a
19 green finding would still be placed in the licensee's
20 Corrective Action Program. And so the question
21 becomes well, what are we supposed to do with it,
22 right? So I think what this does it provides that
23 flexibility for licensees to go back, look at what had
24 been previously viewed as being acceptable, in
25 essence, now look at it against what we're currently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 holding up at the criteria. And to the extent that
2 you can say yeah, I meet that, then I think that that
3 would be the end of the story.

4 MR. QUALIS: Currently, Chris, we had a
5 NCV or a Level 4 violation at one of your facilities,
6 but it was green. It's in your Corrective Action
7 Program. A violation actually would exist would
8 because you do not meet the III.G.2 criteria. Either
9 a 1-hour barrier with protection of suppression, 20
10 feet with no intervening combustibles and detection of
11 suppression or a weighted 3-hour fire barrier. How do
12 you close that item on the Corrective Action Program?
13 How do you get rid of it? What they're telling you is
14 that you're having another option. You can still go
15 back and meet one of the barrier criterias.

16 MS. PEDERSEN: Exactly.

17 MR. QUALIS: Or you can meet the interim
18 enforcement criteria as a satisfactory means of
19 resolving the Corrective Action Program issue. In the
20 past, up until we get this, you can't do that. You
21 cannot close a Corrective Action Program issue out, it
22 would be a violation. A certain utility trying to
23 close out a barrier issue with manual actions, the
24 Region couldn't accept that as corrective action
25 because you're closing out a violation with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different violation. That's not an accepted way of
2 dealing with corrective actions.

3 MR. PRAGMAN: I'm thinking of a specific
4 example I have where a plant of ours found all the
5 actions, the inspector found all the actions feasible,
6 went with the green finding because of the III.G.2 and
7 the inspection reports says no action is required by
8 the licensee. The actions are feasible and NRR is
9 going to change the rule.

10 MR. QUALIS: I think that's an overload of
11 the purpose.

12 (Laughter.)

13 MS. PEDERSEN: Right, so this comes into
14 play and now you have a homework assignment, yes. You
15 need to go back and make sure they're acceptance for
16 the new criteria and to the extent you document that,
17 I think that's the end of the issue in the Corrective
18 Action Program.

19 MR. QUALIS: Listen to Renee instead of
20 your inspection report.

21 (Laughter.)

22 MS. BROWN: That was the guidance at that
23 time. They're not in conflict and they don't
24 contradict. At that time that was the guidance that
25 they may have been given by their management on how to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deal with that issue, but this is how we're going to
2 proceed from the time that this policy is issued.
3 Because when the rule comes into effect, if I come to
4 your plant and I look at that exact same one, if you
5 don't meet these criteria you're getting a violation
6 from me.

7 MR. PRAGMAN: Okay.

8 MS. PEDERSEN: Against III.G.2 --

9 MS. BROWN: Against III.G.2.

10 MS. PEDERSEN: Not against the interim
11 acceptance criteria because someone asked me that
12 question. What if they don't meet these criteria?
13 Again, it's a choice. We're offering this up as an
14 option. It's a vision of what the rulemaking would
15 be. You always have, you can always comply with
16 III.G.2. That's the existing regulation.

17 So I think the expectation is if Eva were
18 to come out after the policy was in effect, what would
19 be documented in the inspection report, a recognition
20 that the licensee does not meet the requirements of
21 III.G.2. However, because the licensee has
22 demonstrated and documented that they're operator
23 actions meet these interim acceptance criteria, the
24 NRC will refrain from taking enforcement action for
25 those particular incidents. And that would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 documented. So there's a record there.

2 I think again, we need balance. What we
3 want to try to do is regulate with public confidence.
4 We need to have this information documented.

5 MR. MARION: This is Alex Marion. Just to
6 make sure I understand, this policy is forward looking
7 or it is forward looking and can be used to close out
8 any current findings?

9 MS. PEDERSEN: Right.

10 MR. MARION: The latter.

11 MS. PEDERSEN: The latter. And I think it
12 could also be viewed as backward looking because
13 again, this is your opportunity to look, for the
14 licensee to look at what they have at their facility
15 and move forward.

16 MR. MARION: Let me ask the next obvious
17 question. If a licensee has a documented acceptance
18 by NRC of the use of manual action, does that use of
19 manual action have to be reconsidered in light of the
20 new inspection criteria?

21 MS. PEDERSEN: Yes.

22 MR. MARION: Okay. So let's make sure
23 it's very clear on how it's documented.

24 MS. PEDERSEN: It doesn't exist in an
25 exemption request and it approves it. That's not part

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of your license. You have what you have. The
2 inspection report doesn't meet that threshold.

3 MS. BROWN: None of that counts as an
4 approval that you guys pretend that we have approved
5 manual action?

6 (Laughter.)

7 MS. PEDERSEN: She said it. I didn't.

8 MS. BROWN: I did.

9 MR. QUALIS: Alex, what doesn't have to be
10 considered is manual actions that are prior approved
11 in an SE or an exemption request or what was noted
12 earlier, but if manual actions approved in SEs, those
13 are not being challenged by this rule.

14 As a matter of good practice maybe they
15 should -- a licensee should look at the manual actions
16 and ensure that they can meet all this criteria
17 because if they can't, I'm sure some hot shot
18 inspector is going to say how can you really take
19 credit for this and it's going to be a yellow finding
20 or something in my inspection report, even though you
21 may meet your licensing basis. It may still be risk.
22 I recommend you do consider that these criterion
23 don't. We didn't just make them up out of -- most of
24 them make sense, in my opinion.

25 MR. MARION: This is Alex Marion. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 didn't mean to suggest that the NRC staff use the
2 cavalier approach to develop this criteria. What I
3 was driving at was to make sure we understand what the
4 threshold is relative to what's been previously
5 approved that does not have to be revisited versus
6 what needs to be revisited. And in no way do we go
7 after previously approved exemptions that are
8 approved.

9 MR. QUALIS: Right.

10 MS. BROWN: That are part of your
11 licensing basis.

12 MR. QUALIS: Part of your licensing basis.

13 MS. BROWN: I think some inspections I
14 have been on, they have said well, you looked at it in
15 an inspection for it and didn't find it to be a
16 problem, therefore it is acceptable.

17 MR. QUALIS: The worst you'll see out of
18 these criterion which you prior approved manual
19 actions is if-- this may give inspectors some bases
20 for believing that you may not be able to perform
21 certain manual actions at some utilities. And then
22 you'll not be in violation space because we approved
23 a manual action. Then you'll get into risk and
24 implementation space, different area.

25 MR. JOHNSON: Let me just say that, Mike

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Johnson, I think it is possible, although it probably
2 won't happen very often that you will have an
3 inspector who looks at, it's an old criteria or
4 whatever it's called, what the final rule says and
5 says you know, I know that the licensee, this licensee
6 should receive an exemption, however, whatever we
7 approved and added to that plant's licensing basis,
8 are not feasible by this criteria and therefore this
9 would constitute a performance deficiency and get a
10 color and go to the SDP. I think that's entirely
11 possible although probably not -- it probably won't
12 happen all that often.

13 MR. QUALIS: I hope you're right, but
14 inspectors are doing walk downs.

15 MS. BROWN: Well, I think Renee has
16 another problem.

17 MS. PEDERSEN: I think one of the concerns
18 and I think the Commission articulated it in the SRM
19 is the issue of consistency. And we're always
20 concerned about consistency. From our office, we
21 don't necessarily establish the training issues, but
22 I think as an agency, I think the expectation that
23 when this policy, prior to it going into effect, that
24 there will be training for the inspectors to make sure
25 that they're applying this, that they're evaluating it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and there's some consideration of even having
2 discussions within the agency when an issue arises in
3 one region that it would be discussed with the
4 technical experts to make sure that we have an issue,
5 an element of consistency between inspector and
6 inspector and region or region.

7 MR. JOHNSON: I guess my point was a
8 little different actually and I'm not trying to alarm
9 us, but just keep in mind what the ROP is trying to
10 do, I just came from another meeting of what the ROP
11 is trying to do --

12 (Laughter.)

13 It's entirely possible that performance
14 deficiency could exist even though a licensee may be
15 in compliance with their licensing basis and that
16 performance deficiency gets documented, gets colored
17 through the SDP and then we enter a discussion about
18 does the -- then 5109, then you decide whether or not
19 you're going to back fit. So there's some threshold
20 about whether the licensee has to even go back or
21 whether we, as an agency, require the licensee to go
22 back and do something that goes beyond what we had
23 previously approved.

24 But -- and I don't know that it's going to
25 happen. I believe Paul, Phil, I'm sorry, I believe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Phil -- I don't believe it's going to happen all that
2 often and when it does happen, I think we're going to
3 handle it in a way to try to make sure that we are
4 consistent. But I do believe that it's going to
5 happen on occasion.

6 MR. KOLTAY: Just like in any other area.

7 MR. WEERAKKODY: One of the simple
8 elements would be to something that -- if we have
9 agreed to a piece of hardware and then you find that
10 the hardware isn't working, then you have a
11 performance issue there.

12 MR. QUALIS: Well, Sunil, sort of. The
13 difference being that with these manual actions that
14 the agency, at least in fire protection, has never had
15 any licensee, you know, a standard review plan,
16 there's never been any list of criteria that a
17 reviewer should look at. There's been no
18 standardization. Licensees, to my knowledge, had any
19 standardization and this is the first time we're
20 attempting to get together and come up with some kind
21 of standardization that people can look at across the
22 country and all do things the same way and it wouldn't
23 surprise me if there's not some that's below that
24 standard. I mean that's --

25 MR. MARION: Alex Marion. You can never

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 say never.

2 Let me just point out for purpose of
3 clarification that no one leave the impression that
4 the utilities have been operating these plans with
5 manual actions that across the board have been
6 unapproved by the NRC.

7 As I mentioned earlier, it's a mixed bag
8 of approvals through various processes. One side we
9 have formal exemption mediation request process. On
10 the other side you have some reference to a review of
11 that particular manual action in an inspection report
12 and if you can imagine our objective is to establish
13 criteria that everyone understands on how these manual
14 actions can be evaluated, moving forward, as well as
15 clearing up the open items that may exist as a result
16 of current inspections.

17 MS. BROWN: I guess at this juncture, I'd
18 really just like to open it up to just general
19 questions from the public, any topic and just --

20 MR. DUDLEY: Let me violate your rule and
21 ask a general question from the NRC staff.

22 Just so I'm clear and if I'm clear
23 everybody else is clear, we're saying that these
24 interim criteria would be for the performance of
25 manual actions with compliance or equivalent with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compliance for Section III.G.2 of Appendix R. A
2 licensee performing these manual actions that meet our
3 interim acceptance criteria would still need to employ
4 detection and suppression for the fire in the fire
5 area that caused the need for the manual actions.
6 That's my understanding. Is that -- do I have that
7 right?

8 MR. GUNTER: What about 3R barriers?

9 MR. DUDLEY: Well, 3R barrier does not
10 require detection and suppression.

11 MR. GUNTER: Right.

12 MR. DUDLEY: So they can have 20 feet of
13 separation, detection and suppression. They can have
14 a 3-hour barrier without detection and separation, but
15 if they use manual actions in lieu of any of those
16 other items, they have to have detection and
17 suppression in the area where the fire occurred that
18 caused the need for manual actions.

19 MR. QUALIS: We're trying to maintain
20 defense-in-depth principles that we talked about in
21 the first hour. I don't think that was clearly
22 discussed, but I wanted to make that clear that that
23 is the NRC's position and we should have probably
24 focused on that a little earlier.

25 MS. de PERALTA: The first I heard of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was at an NIA meeting in September, a requirement for
2 suppression. There are manual actions that are taken,
3 or several of them before it became an issue that has
4 nothing to do with suppression and detection. It just
5 talks about risk of fire damage.

6 MR. QUALIS: We're trying to keep it
7 consistent.

8 MS. de PERALTA: We're trying to stay
9 within the rule. You may as well jump to III.G.3
10 alternatives. It doesn't make any difference to do a
11 rulemaking if you're going to require the same
12 requirements as an alternate that should have
13 capability, which is similar to a policy. Why bother
14 wasting time, but right now you just go to 53.

15 MR. DUDLEY: I'm hearing that this is a --
16 this will not require detection suppression which is
17 our current policy. You're saying licensees will not
18 use this alternative, that they will go to III.G.3.

19 MS. BROWN: Wait a minute. This
20 discussion is about 3-hour barriers specifically.

21 MS. de PERALTA: Three hour, one hour.

22 MS. BROWN: One hour still requires
23 detection. We're not changing that part of III.G.2.

24 MS. de PERALTA: Right, but what I'm
25 saying is that if you're going to credit manual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actions and require suppression and detection, you may
2 as well go to III.G.3 option. It doesn't necessarily
3 mean you're evacuating the ultimate shutdown, but
4 you're not evacuating the --

5 MR. QUALIS: That may be true in some
6 cases where it would be inconsistent with the III.G.3
7 requirements where we do allow manual actions for
8 III.G.3.

9 MS. de PERALTA: Correct.

10 MR. QUALIS: We're being consistent with
11 those requirements that we have for III.G.3, that you
12 have detection and suppression.

13 We're also trying to maintain defense-in-
14 depth. Fire protection, defense-in-depth is a very
15 important principle and I'll read them out. To
16 prevent fires from starting. That one is not
17 challenged.

18 MS. de PERALTA: Right.

19 MR. QUALIS: Now we're talking manual
20 actions in lieu of barriers where we're to detect,
21 rapidly control -- this is the second level -- and
22 extinguish promptly those fires that do occur without
23 detection and suppression, that level of it, defense-
24 in-depth is scratched.

25 To provide protection for structure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systems and components important to safety so that a
2 fire that is not promptly extinguished by the fire
3 suppression system will prevent, not prevent safe
4 shutdown of the plant. That's the third layer of
5 defense-in-depth. Well, without the passive barriers
6 that we have, by removing that, we're removing that
7 layer of defense-in-depth. So without the barrier,
8 okay, and without detection and suppression, now we're
9 just down to one layer of defense-in-depth, really,
10 and then operator actions. We're down to preventing
11 fires from starting and operator actions. We're
12 taking on two levels of defense-in-depth.

13 I hear what you're saying, but we'll take
14 your comments and discuss it --

15 MR. PRAGMAN: Phil, if you look at 3F of
16 the SAR, it requires detection in any area of the
17 plant where there's a credible fire hazard to safe
18 shutdown. Not every plant is required to meet that,
19 but every plant is required to have detection,
20 whatever the Appendix A review process was. So you
21 already have detection in all the critical areas.

22 MS. BROWN: Well, I guess my perspective
23 in some of the areas I've looked at, there are very
24 few that I saw that didn't have detection suppression
25 where we would be concerned with the inadequate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 barrier. I mean really, the only thing that this
2 changes is your 3-hour barrier, so you're telling me
3 you have a lot of degraded 3-hour barriers where you
4 don't have detection and suppression, that you would
5 be using manual actions for. Is that -- I mean for
6 the most part in most of the plants, there are not a
7 lot of 3-hour barriers that I think are degraded
8 significantly enough that this would come into play.

9 MR. ERTMAN: This is Jeff Ertman,
10 Department of Energy. I think what this gets back to
11 the question what's -- for the associated circuit and
12 the spurious actions or spurious actuations, the
13 actions for that, versus this narrow III.G.2. I think
14 that what -- presented this way, I think we will
15 really need to have that addressed now.

16 MS. BROWN: Spurious and?

17 MR. ERTMAN: What is the scope and when is
18 something a III.G.1 action or an action for a spurious
19 actuation and we may have a manual action in place if
20 this occurs, if it's an associated circuit and is
21 damaged and that's a different level than what I
22 believe we're talking about for III.G.2. So the way
23 we collect all of these actions, at least today, don't
24 necessarily differentiate. We make sure that they're
25 achievable.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So if we are looking at adding or ensuring
2 that there's suppression and detection, then I think
3 that's going to drive defining that better in the near
4 term. If that makes any sense.

5 MR. HANNON: I have a question going back
6 to the basics again. I may have to get refreshed
7 here, but my understanding has been for some time now
8 in the III.G.2 area, it was an area which included
9 redundancy safe shutdown trains. Okay? And by
10 definition that area needed to have protection and
11 suppression. So except for the 3-hour barrier -- so
12 it would strike me that if you've got a III.G.2 area,
13 namely one that has both redundant safe shutdown
14 trains in it, it's going to have some level of
15 detection and suppression in there.

16 MR. PRAGMAN: The 3-hour barrier protects
17 that one cable at the expense of everything else in
18 the room, whereas the suppression system protections
19 everything in the room to some extent. Either one is
20 equivalent in Appendix R.

21 MR. DUDLEY: So the real issue is
22 suppression. You're telling me, I think, that
23 detection is there in almost all cases, but there may
24 be instances where suppression is missing or
25 incomplete or partial.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PRAGMAN: Yes.

2 MR. ERTMAN: To use Phil's example
3 earlier, you have a BWR with a reactor building in
4 this one area. You may have detection throughout most
5 of that area, but you probably won't have suppression
6 everywhere. That's dependent on the hazard and so
7 forth.

8 MS. BROWN: But those are III.G --

9 MR. ERTMAN: Pre-III.G.2 to III.G.2, if
10 you protected certain circuits, but then you may have
11 some actions in there, we get into associated circuits
12 and other things. I think the line is --

13 MS. BROWN: Let me ask this question. I'm
14 familiar with one, you're familiar with -- but in that
15 area they don't have any 3-hour barriers. Take for
16 example that initial four when you come into a boiler.

17 MR. QUALIS: Well, some boilers do.

18 MS. BROWN: Yes, some do, but I know
19 specifically where this question is going to end. So
20 a lot of those, you take 3-hour barriers where they're
21 not actually 3-hour barriers like in your risk
22 analysis and sometimes you -- there's some protections
23 there that I think are strange, I guess.

24 MR. ERTMAN: And there are some specific
25 exemptions for those areas, but I was just speaking,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in general, boilers in general. Some are protected,
2 some areas aren't and they're divided differently.
3 But --

4 MR. QUALIS: I don't think it's the intent
5 of our rule change to say that every area of the plant
6 can shut down for every fire scenario without fire
7 barriers, that manual actions are an acceptable way of
8 completely operating the plant for any fire anywhere.
9 There are some fire areas where you may need barriers
10 and current regulation says that you'll have a 3-hour
11 barrier. You'll have a 1-hour barrier with detection
12 and suppression or you'll have an intervening manual
13 action with detection and suppression. By saying
14 "with detection and suppression" for the manual
15 action, we're saying that the manual action may
16 compensate for a trackable 1-hour barrier or lack of
17 detection and suppression. By taking away detection
18 and suppression, we're saying a manual action is
19 equivalent to a 3-hour rated barrier. And that's a
20 real stretch for me. You know, you guys can make your
21 comments and we'll discuss, but I'm not sure --

22 MS. BROWN: Yes, we'll take that. You
23 give us good comments.

24 MR. MARION: We'll do our best.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Let me just offer an observation. A lot
2 of good discussion once we got into a couple of
3 examples, I think represented the difficulty of
4 consistently implementing the body of fire protection
5 regulations because of the diversity of the
6 requirements and the various interpretations. It
7 seems to me that if we can just focus as best as we
8 can to demonstrate the adequacy of these manual
9 actions for the appropriate conditions, given the fire
10 hazard and the impact of the fire, what do you do
11 alternatively to bring the plant to a safe shutdown
12 condition?

13 If we stay with that framework, okay, I
14 think we'll be successful in achieving our mutual
15 objectives.

16 I found some of the specific examples
17 interesting because there are just in this room
18 diverse interpretations and expectations. But if we
19 all focus on demonstrating the capability of getting
20 those safe shutdown, I think a lot of these things can
21 be resolved.

22 MR. GUNTER: Paul Gunter. The question
23 though is the difference between adequacy and
24 feasibility. I think there is -- those are different
25 qualifiers and I don't think they can be equated,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 necessarily. That's a real concern.

2 MS. BROWN: Let me ask you, is there an
3 inference that when we say feasible that that somehow
4 precludes adequacy? And let me ask -- because in my
5 mind, when I say feasible, it's only feasible if it's
6 adequate to protect public health and safety and
7 maintain the plant's safe shutdown. So I'm trying to
8 -- you get the inference that it doesn't do that?

9 MR. GUNTER: I think the word feasible
10 ties the hands of enforcement behind that back. And
11 that you will be in one continuous argument with
12 whether something is feasible or whether something is
13 adequate. I think it's a standard that enforcement is
14 going to have to establish. Or they won't be able to
15 establish.

16 MS. BROWN: I'm still -- I still want to
17 understand the conflict.

18 MR. GUNTER: Like I said earlier, it's
19 feasible that I could leave here today and go and
20 enroll in engineering school. That's --

21 MS. BROWN: But it's --

22 MR. QUALIS: You view feasible as being
23 not impossible.

24 MR. GUNTER: I can tell you that it's
25 feasible that I can go enroll and become a nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 engineer.

2 MS. BROWN: Right, but feasible --

3 MR. GUNTER: And how would you prove it
4 otherwise?

5 MS. BROWN: Feasible is not the standard
6 though.

7 MS. PEDERSEN: Can I say something?

8 MR. GUNTER: Feasible is the criteria.

9 MS. PEDERSEN: Can I say something? I
10 understand your comment about the word feasible
11 because I, myself, had some concern with the word
12 feasible and the way that I looked at it, it's either
13 acceptable or not which is why on the handout that
14 I've provided, not to be inconsistent with my co-
15 workers, but I use the words interim acceptable
16 criteria to specifically address your concern, Paul,
17 because they're going to be evaluated and they're
18 either going to be acceptable or not.

19 Statements of consideration are going to
20 include the technical bases. The conclusion of why we
21 think this is the right thing to do, you will see
22 words, in the Federal Register notice, "reasonable
23 assurance of adequate protection of public in
24 connection with this practice." You will see those
25 type of words.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If we can't say those words, we can't go
2 forward.

3 MS. BROWN: I mean feasible, it's not
4 feasible unless it accomplishes. It is acceptable in
5 our minds. We may be redefining what constitutes --
6 if we use the word which I don't think we are. I
7 think we're going to change it.

8 MR. DUDLEY: Well, I think for the
9 purposes of the rulemaking, I can go forward with the
10 proposed rule. I don't need to use the word feasible.

11 MS. BROWN: Right.

12 MR. DUDLEY: And that will eliminate for
13 the proposed rule this ambiguity and maybe we can do
14 that also for the enforcement discretion. I think
15 that would be something we should certainly try to do.

16 MS. PEDERSEN: Well, as I said on the
17 handout, I've just gone ahead and I've used the
18 language "interim acceptance criteria" because again,
19 it's either acceptable or it's not.

20 MR. DUDLEY: But the one thing I want to
21 focus on is on our slide 18, for complexity and
22 number, what I want to focus on is that our definition
23 of acceptable here is that the actions such that their
24 successful accomplishment under realistically severe
25 conditions is assured for a given fire scenario.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Our threshold and criterion is not
2 feasibility. It's reasonable assurance and we've used
3 an unfortunate choice of words that may not convey
4 that and I think we can fix that in the future and not
5 use those words.

6 MR. MARION: Please, for the record, NEI
7 takes full responsibility for the term "feasibility".

8 (Laughter.)

9 MS. BROWN: We appreciate that, Alex. Are
10 you going to give us a new word?

11 MR. MARION: Absolutely.

12 MR. DUDLEY: Sunil has a few summary
13 comments.

14 MS. BROWN: Let us make sure -- I wanted
15 to make sure that the other individuals we had, Fleur,
16 did you have any comments?

17 MS. de PERALTA: I'm good.

18 MS. BROWN: Nancy? Fred, are you still
19 with us?

20 Sunil?

21 MR. WEERAKKODY: What I wanted to say was
22 thank you very much. I think back at your gifted
23 meeting, the objective of the meeting was to get your
24 comments on the interim feasibility/interim criteria.
25 But I'm not hung up on the word as much as what do we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do to achieve the intent.

2 What I really do want to emphasize that I
3 know we have the meeting records. I know Ray was
4 taking a lot of notes here, sitting here, but please
5 anything that you think is very important that we need
6 to address on this question please send us your
7 comments that contain your specific comments. That
8 gives weight to what everybody else in the NRC -- we
9 can address the comments. That's the only thing I
10 would emphasize and again, thank you very much.

11 MR. DUDLEY: Again, the address for those
12 comments is on my handout for schedule. There's a
13 mailing address on there and there's also an e-mail
14 address you could use to submit those comments.

15 MS. PEDERSEN: Just one more comment, what
16 we'll do in the Office of Enforcement is we will put
17 the latest information, we'll post it on our website.
18 The Federal Register notice, once it gets published,
19 we will have it there available to let people know.
20 If it turns out that the comment period is extended,
21 we'll highlight that on our enforcement web page.

22 MR. DUDLEY: We have committed to extend
23 it. We're not exactly sure, but the date will be
24 roughly 30 days from today's date. I have to look at
25 a calendar and establish --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GUNTER: But let me be clear. It's 30
2 days from the appearance in the Federal Register
3 notice that we're looking at.

4 This is a very small meeting. In fact, if
5 you're looking for public comment, you need to market
6 from the appearance in the Federal Register because
7 that's where the public will be noticed.

8 MR. DUDLEY: Okay. That will delay it
9 another week and a half or so, but okay.

10 MR. GUNTER: What's the rush? You've been
11 out of noncompliance for decades.

12 (Laughter.)

13 MS. BROWN: All the violations I've read

14 -- MR. GUNTER: That alarms us. It sort of
15 feels like a stampede is happening.

16 MR. DUDLEY: No.

17 MR. GUNTER: That's what it appears. It
18 looks to us that the NRC is being stampeded and that
19 does not prompt safety decisions. That prompts
20 political and economical decisions.

21 MR. WEERAKKODY: I think I need to clarify
22 that. The only reason that we were comfortable with
23 what we proposed to you is because we had put this
24 criteria October 17th in public comment. There is no
25 rush. We heard you. We heard NEI. We're going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make adjustments. There is no rush. We will do what
2 is necessary.

3 And the other thing, we were looking at
4 these interim criteria where you get second
5 opportunities to comment.

6 MS. BROWN: And we've had these criteria
7 out in the inspection procedure for -- since March.

8 MR. DUDLEY: Peter, did we get public
9 comment?

10 MR. GUNTER: It's internal.

11 MS. BROWN: No, that's -- it's available
12 on the website.

13 MS. PEDERSEN: It's not a specific
14 solicitation. I hear what you're saying and I just
15 want to reinforce that we are interested in public
16 comment. This is a new strategy. We're trying to do
17 the right thing.

18 And again, as I said before, the criteria
19 that is going out in the Federal Register notice in
20 that policy statement is not cast in stone. This
21 could likely be an iterative process as we gain more
22 information and experience of public comments, so
23 please keep that in mind.

24 MS. BROWN: And we heard a lot of good
25 comments today. I think it will help us do some good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 revisions to language as well that we hope to get in
2 written comments, but I also want to make sure you
3 recognize that the inspection staff is out writing
4 violations and findings. This in no way has -- will
5 stagger the efforts, inspection efforts of the staff.
6 This is just how they're going to deal with findings
7 that they see.

8 We are not, by any means, closing our eyes
9 to issues that affect safety in the plant and we are
10 working vigorously to assure that the plants are
11 operated safely, through these triennial inspections.
12 And so you sort have been characterizing it as the
13 industry has been out of compliance for all this time.
14 There may be some individual places or manual actions
15 that might have been inappropriate for a time, but
16 we're definitely not turning a blind eye to those
17 issues in the inspection arena. We're just dealing
18 with the policy issue here.

19 I want to make sure that you recognize it.
20 We're still out there actively enforcing III.G.2.

21 MR. GUNTER: Well, there's a qualitative
22 difference between enforcement and identification of
23 unresolved safety issue.

24 MS. BROWN: Yes sir.

25 MR. GUNTER: And unresolved safety issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 linger far too long in too many examples.

2 MS. BROWN: Yes sir.

3 MR. MARION: This is Alex Marion. I just
4 have -- from the discussion there were two takeaways
5 or two action items I made note of. One was relative
6 to the draft Sandia letter report or missed insights
7 related to post-fire operated manual actions. We
8 agreed that you'll look at releasing that to the
9 public?

10 MR. WEERAKKODY: Yes.

11 MS. BROWN: We can do that.

12 MR. MARION: And secondly was the
13 enforcement discretion -- the item or the bullet in
14 the handout material, bullet number 6, relative to the
15 60-day effective date or the effective period upon
16 publication in the Federal Register notice, whether or
17 not that was sufficient amount of time. We'll take a
18 look at that and provide you comments on that. I just
19 am not in a position right now to tell you if it's
20 good or not. Okay?

21 MR. DUDLEY: Okay, and the NRC made the
22 commitment to extend the public comment period.

23 MR. MARION: Yes.

24 MR. DUDLEY: I'll now argue for 30 days
25 from the date of publication in the Federal Register.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. PEDERSEN: And that will be
2 highlighted again on the website, trying to maximize
3 public awareness of what it is we're trying to do in
4 this initiative.

5 MS. BROWN: If there aren't any further
6 comments, I'd like to adjourn the meeting. You can
7 turn them in now or you can mail them to us. That's
8 fine.

9 Thank you very much.

10 (Whereupon, at 11:46 a.m., the meeting was
11 concluded.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701