

# EGAN, FITZPATRICK & MALSCH, PLLC

Counselors at Law

7918 Jones Branch Drive • Suite 600  
McLean, Virginia 22102  
Tel: (703) 918-4942  
Fax: (703) 918-4943

www.nuclearlawyer.com

1777 N.E. Loop 410 • Suite 600  
San Antonio, Texas 78217  
Tel: (210) 820-2667  
Fax: (210) 820-2668

Joseph R. Egan  
jegan@nuclearlawyer.com

Martin G. Malsch  
mmalsch@nuclearlawyer.com

Charles J. Fitzpatrick  
cfitzpatrick@nuclearlawyer.com

February 6, 2004

**Via Facsimile @ 301-415-2279**  
**and First Class U.S. Mail**

Mr. Patrick J. Isaac, Project Manager  
Research & Test Reactors Section  
Office of Nuclear Reactor Regulation  
Mail Stop: O-12G13  
U.S. Nuclear Regulatory Commission  
Washington, DC 20555-0001

**RE: Docket No. 50-22, TAC No. MB8491**  
**Response of Viacom Inc. to Letters from Westinghouse Electric Company LLC,**  
**Dated January 26, 2004**

Dear Mr. Isaac:

As you know, Viacom Inc. ("Viacom") has applied for: (1) the termination of the 10 C.F.R. Part 50 portion of its TR-2 license; and (2) a determination that the decommissioning of TR-2 structures has been completed satisfactorily. This Application has been pending since October 29, 2002. Viacom provided additional information in support of its Application on September 26, November 4, and November 12, 2003. Now, after "waiting on the sidelines" for over two months, Westinghouse Electric Company LLC ("Westinghouse") has provided NRC Staff with its comments. In essence, Westinghouse wants NRC to deny the Application. In the alternative, Westinghouse asks for a delay in the decision on the Application so that the arbitration panel now presiding over the dispute between the parties will not be able to consider NRC's views on matters within NRC's jurisdiction and expertise.

Westinghouse is not admitted as a party in this proceeding and its late comments have no formal legal status. Moreover, Viacom does not want to delay NRC Staff's consideration of its Application by piling on additional and unnecessary paperwork. Accordingly, Viacom will comment only briefly on Westinghouse's submissions, which contain numerous misstatements of fact and misapplications of the regulations.

AD20

**VIACOM'S COMMENTS:**

1. Westinghouse's constant references to the arbitration pending between the parties are irrelevant. Viacom's Application does not ask for anything from the NRC beyond what is entirely proper and consistent with ordinary NRC review practices. The same Application would have been filed had no arbitration ever been commenced. Viacom is not now, nor has it ever sought to involve the NRC in the commercial dispute between the parties as Westinghouse repeatedly suggests.
2. The TR-2 Final Decommissioning Plan required the removal (decommissioning) of specified structures and reactor components of the Westinghouse Test Reactor ("WTR") in order for NRC to be able to conclude that the WTR no longer constitutes a utilization facility requiring a Part 50 license, and so that the residual contamination in the WTR could be transferred to the SNM-770 license without the need for that license to be reconfigured as a Part 50 license. Westinghouse now concedes that what has been removed is sufficient for this purpose (see footnote 2 in Westinghouse's comments on Viacom's November 12, 2003 submittal).
3. Westinghouse argues that Viacom is using new, less stringent decontamination criteria. The dispute here boils down to whether the criteria in option (a) of the June 19, 1998 letter to NRC are applicable. By its terms, the criteria in option (a) apply "within buildings that are being remediated from inactive (retired) areas to restricted areas which may be used for future use under the license." The NRC-approved TR-2 Final Decommissioning Plan expressly represents (at page 1-1) that "[f]uture use of [the WTR] shall be in accordance with the SNM-770 license conditions and site procedures controlling occupational exposures and exposures to the public." Moreover, on numerous occasions, express representations were made to the NRC that the TR-2 Final Decommissioning Plan and the SNM-770 Remediation Plan were both premised on future licensed uses of the buildings including the WTR (see, for example, Exhibit 1, the transcript of a January 22, 1999 presentation by Mr. Joseph Nardi to the NRC). Thus, the TR-2 Final Decommissioning Plan contemplated that the WTR would be reserved for continued licensed use and remain subject to controls to limit both public and occupational exposures. These circumstances are precisely the ones where option (a) applies.<sup>1</sup>

---

<sup>1</sup> The Westinghouse Test Reactor Decommissioning Environmental Report, submitted to the NRC on March 20, 1998, states (at page 6) that "[a]t the completion of licensed activities [under SNM-770], the remaining facilities, including the former WTR facilities, would be decommissioned using the DECON alternative in the future." If, after transfer to SNM-770, Westinghouse informs NRC that it has decided to permanently cease principal licensed activities in the WTR, this would alter a fundamental premise of the Plans. The result under 10 C.F.R. §§ 30.36 and 70.38 would be that Westinghouse would need to prepare a decommissioning plan for the WTR. However, the SNM-770 Remediation Plan could not be used for

4. Westinghouse argues that Viacom's ALARA analysis is inadequate because it compares the costs and benefits of doing further remediation of the WTR now, many years prior to termination of the SNM-770 license, and does not include eventual costs and benefits that will arise from implementation of the future decommissioning plan that will need to be prepared to terminate the SNM-770 license. But delaying decommissioning of the WTR until termination of the SNM-770 license is precisely what the Plans contemplate. Moreover, when actual decommissioning, pursuant to 10 C.F.R. Part 20 – Subpart E, commences at a future date, it will almost certainly be the case that the radiological criteria for unrestricted use in 10 C.F.R. § 20.1402 will apply. This regulation does not allow for the use of less stringent criteria based on ALARA considerations. Thus, in applying 10 C.F.R. § 20.1402, the actual costs and benefits of decommissioning are essentially irrelevant. On the other hand, the opposite is the case when deciding when to commence the decommissioning process. Under 10 C.F.R. §§ 30.36 (f) and 70.38 (f), the NRC may consider the costs and benefits of a delay in commencing the decommissioning process in deciding whether to allow such a delay under the rules. Put another way, the costs and benefits of actual decommissioning when the SNM-770 license is terminated are inevitable, and the only variable in calculating costs and benefits is the timing of the commencement of the decommissioning process. Thus, Viacom's ALARA approach, which focuses on the costs and benefits associated with a delay in beginning the decommissioning process for the WTR, is entirely in accord with NRC requirements. In contrast, Westinghouse's preferred ALARA approach is contrary to NRC's rules.

If NRC Staff has any further questions about Westinghouse's submittals, Viacom will be pleased to give a prompt reply.

Sincerely,



**Martin G. Malsch**  
Egan, Fitzpatrick & Malsch, PLLC  
7918 Jones Branch Drive, Suite 600  
McLean, VA 22102

**Michael F. McBride**  
**John M. Collins**  
LeBoeuf, Lamb, Greene & McRae, L.L.P.  
1875 Connecticut Avenue, N.W., Suite 1200  
Washington, DC 20009-5728  
**Attorneys for Viacom Inc.**

---

this purpose because it is expressly denominated as a Remediation Plan because a "decommissioning plan to terminate the license is not appropriate" (see SNM-770 Remediation Plan at page 1-1). Clearly, a decommissioning plan as required by 10 C.F.R. §§ 30.36 and 70.38 would be something entirely different from the two Plans now approved by NRC.

Mr. Patrick J. Isaac  
February 6, 2004  
Page 4

**Of Counsel:**

**Robert A Noethiger**  
**William D. Wall**  
Vice President, Counsel  
Viacom Inc.  
11 Stanwix Street  
Pittsburgh, PA 15222-1384

MGM/ec  
Enclosure (Exhibit 1)

c: Jack R. Goldberg, Esq. (OGC-NRC)  
Mr. Derek A. Widmayer (NMSS-NRC)  
F. Ramsey Coates, Esq. (Vice President & General Counsel – Westinghouse)  
Richard G. Murphy, Esq. (Sutherland Asbill & Brennan – Counsel for Westinghouse)  
Mark J. Wetterhahn, Esq. (Winston & Strawn – Counsel for Westinghouse)

# EXHIBIT #1

1  
2 UNITED STATES OF AMERICA  
3 NUCLEAR REGULATORY COMMISSION  
4

5 \*\*\*

6 PUBLIC WORKSHOP ON DEVELOPING  
7 AN SRP FOR DECOMMISSIONING  
8

9 \*\*\*

10 USNRC, TWFN BLDG., Auditorium  
11 11545 Rockville Pike  
12 Rockville, MD 20851-2738  
13

14 Friday, January 22, 1999  
15

16 The above-entitled workshop commenced, pursuant to  
17 notice, at 8:32 a.m.  
18  
19  
20  
21  
22  
23  
24  
25

1 MR. ORLANDO: Okay, thanks, Keith and John and  
2 everybody. I appreciate it. That was a very good  
3 presentation. Joe, are you up?

4 Okay, the next speaker will be Joe Nardi with  
5 Westinghouse.

6 MR. NARDI: It's going to be kind of a tough act  
7 to follow because I think people are expecting me to give  
8 you a lot of practical experiences on how to do a restricted  
9 release. And if you'll notice in my title, I put restricted  
10 release in quotes because in our situation we really did not  
11 ever approach a restricted release as it means now in  
12 accordance with the regulations.

13 We have other considerations on our site. So our  
14 experience -- what I'm going to be giving is more of an  
15 historical experience of what happened and how we evolved  
16 over time. But it does not meet the concept of a restricted  
17 release as we're talking today.

18 This relates to the Waltz Mill Site which is near  
19 Pittsburgh, about 25-30 miles southeast of the Pittsburgh  
20 area. The site has a long history of operation. We started  
21 in the mid-1950's with a reactor at the site. And over  
22 time, it evolved with many different uses.

23 We had hot cells there. We had critical  
24 facilities. We had all kinds of research and development.  
25 We had non-nuclear work. The site is fairly extensive with

1 many uses that have changed over the years. We are now  
2 really a site that supplies services to the commercial  
3 nuclear power operations with our base there at the Waltz  
4 Mill Site.

5 Many of the other operations have gone by -- into  
6 legacy. There are currently two licenses on the site. The  
7 reactor that was there from the operations in about the late  
8 1950's through 1962 is currently a possession only license  
9 on the site. It has been in standby for the last 30 years  
10 or so -- over 30 years.

11 And we have the current S&M license which covers  
12 all of the other operations on the site. One of the legacy  
13 issues that resulted was that in part of our site, we have a  
14 waste disposal area. And in the early 1980's, we started  
15 with a groundwater monitoring program around a retention  
16 basin where all the waste water on the site was collected.

17 That waste water retention basin -- as we did  
18 monitoring, we identified that we had some form of  
19 groundwater contamination. And in 1991, we did a lot of  
20 things in the interim, but I'll talk about in 1991, we  
21 replaced on the SDMP list primarily because of the  
22 groundwater contamination that we identified in the  
23 monitoring.

24 That was a major transition point for the site  
25 with respect to what issues we had to address and what we



1 had to do. That waste disposal area over time we have done  
2 a lot of things associated with it. One of the first things  
3 was that we removed that as an active waste processing for  
4 liquid waste processing for that area.

5 In essence, we replaced it with another waste  
6 water treatment system at another area of the site and  
7 deactivated that facility in the mid-1980's, and then  
8 continued to do an extensive groundwater monitoring and a  
9 continuous pump and treat to monitor what was happening and  
10 in essence shrink the plume and control the plume that we  
11 had there on the site.

12 The constraints that we had -- I'm sorry. I got a  
13 little out of order here. The other activities that we did  
14 was that once we were placed on the SDMP list was we started  
15 an extensive site characterization in dealing with all of  
16 the sequence of events that SDMP Program would have.

17 And we did not limit our activities in that to  
18 just what was on the groundwater contamination issue. But  
19 we looked at characterization of the ground and the  
20 groundwater, all of our active facilities on the site, and  
21 all of our inactive facilities, and that includes the  
22 legacies, as I said.

23 For example, we had the hot cells that were  
24 deactivated, were no longer in use. Well, we did an  
25 extensive characterization throughout that portion of the

1 site. And as a separate -- and the only reason I listed  
2 separately, we did a characterization of the Westinghouse  
3 test reactor facility. That's what the WTR facility means.  
4 And that is listed separately because from a licensing  
5 standpoint, that was a separate license. And so we always  
6 segmented the characterization studies.

7 But there was extensive documentation developed  
8 that was a major effort and really developed it for our  
9 standpoint a strong understanding of what the site issues  
10 really were. And with it, we established a priority list  
11 that in essence goes down here in terms of our first  
12 priority was to be the groundwater contamination -- get  
13 ourselves off the SDMP list.

14 The second priority was the inactive facilities --  
15 to clean those up and get them returned to continued use.  
16 And the third was to terminate the WTR license from its  
17 possession-only standpoint to active use.

18 The constraints that complicate matters a little  
19 bit here are that we intended always that there would be  
20 continued site operations. We were not decommissioning the  
21 site. And we had no intention of terminating the license.

22 Our acceptance criteria for the soil was really  
23 initially stated to be that we were going to remove the  
24 source term and in order to resolve the SDMP issue of  
25 groundwater contamination. What we selected in doing that

1 was an industrial use scenario to calculate what would be  
2 our release criteria, and with the understanding that we  
3 were planning to return the area to continued use. So we  
4 weren't really asking for a restricted release, and we  
5 weren't really asking for an unrestricted release in that  
6 situation.

7 The same way with the buildings. We were saying  
8 that we would remediate them to a continuation -- to a  
9 license use so that we could continue to use them under the  
10 license. This has some relationship to the timeliness rule  
11 in that we understood that if we had no continued use, we  
12 would have to meet the timeliness rule. That would affect  
13 us.

14 And our goal really was -- we were working towards  
15 maximum flexibility for continued use of the site. With the  
16 understanding in our mind that, while we were asking for the  
17 NRC to give us approval that was basically very free in  
18 terms of we weren't going to take it unrestricted use, that  
19 internally we could make decisions that would lead us toward  
20 extensive contamination or more extensive effort. But that  
21 would be our decision.

22 One of the thoughts and one of the things that we  
23 always talked about to the NRC was that understand that we  
24 were going to have -- the NRC would have another chance to  
25 look at the site at final license termination. And we

1 understood from our standpoint that if we did not go far  
2 enough at this point, we may have to do more later. With  
3 doing this, though, we made a decision that does not fit  
4 within the current regulatory environment.

5 Our remediation plan was submitted in November,  
6 1996. As I mentioned, the end basis for that plan was that  
7 we would use an industrial use scenario to calculate the  
8 criteria for the ground. It was based on 15 millirem per  
9 year because that was what at that time the regulations were  
10 proposing.

11 Our modeling was based on RESRAD. We presented in  
12 our remediation -- and notice that I use the term  
13 remediation plan. We took a very deliberative effort there  
14 not to use the term decommissioning plan as a part of that  
15 because it did not fit what we thought was our end use.

16 In the RESRAD, we presented in our remediation  
17 plan the entire parameter list that we thought was  
18 appropriate. However, when you use an industrial use  
19 scenario, you do end up with certain problem isotopes. The  
20 industrial use scenario does not have the groundwater  
21 pathway turned on. So if you use -- if you look at that  
22 straight calculation, you end up with Strontium levels that  
23 would be permitted that would be very high.

24 And the reality would not really have let us do  
25 that because we did not have, as we saw it, any real areas

1 where Strontium was the only contaminant. And if we cleaned  
2 up all of the other isotopes under the sum of the fractions  
3 kind of rule, the Strontium could never be as high as what  
4 we were calculating -- like 8,000 pico curies per gram under  
5 that scenario. So we never considered that to be a  
6 realistic situation that would exist. But theoretically, in  
7 the modeling it could exist, and that, I understand, can be  
8 an issue.

9 Our status at this point is that the plan has not  
10 yet really been approved with respect to ground remediation  
11 of the soils and the groundwater issue. We had been doing a  
12 case by case approval to continue to work. We've done a lot  
13 of preparatory work with respect to the ground contamination  
14 issues. And we have received approval -- not approval. We  
15 have presented an approach that said that the interior  
16 building work could be done under the license rather than  
17 under the remediation plan.

18 We've always understood that we felt that we felt  
19 we could do it under the license. But when we prepared the  
20 remediation plan, we encompassed everything we were going to  
21 do and the sequence we were going to do it. We are actively  
22 doing the remediation inside the buildings, and we are still  
23 looking for approval for soil remediation.

24 Very quickly, there was also at this  
25 decommissioning plan submitted for the WTR facility --

1 that's the reactor facility which is a separate license. We  
2 submitted that in July of 1997. Again, we are not going to  
3 a free release, unrestricted use approach. Our basis for  
4 the acceptance criteria is to remove those aspects of the  
5 facility that in essence make it a reactor. The reactor  
6 vessel and the bio shield. It's a matter of what  
7 constitutes a reactor, but nobody really defines that.

8 But our approach was to make the area a useful  
9 area. We would remove those two components primarily and  
10 transfer the facility to SNM 770, the active license for  
11 continued use. Our status right now for that is we are  
12 approved. The plan has been approved. We are doing the  
13 necessary engineering and planning, but recognizing that  
14 this is, again, not an unrestricted approach, but it's not a  
15 restricted release approach. It's a transfer to another  
16 license.

17 What were our problems in looking back at it with  
18 respect to the approach we took. We really presented a  
19 situation with very unusual licensing issues. We're not  
20 asking for decommissioning. We're not asking for a lot of  
21 things. We're asking for continued use. And it just  
22 doesn't quite fit into the structure of the regulations as  
23 they're written. I think that that was one of our major  
24 problems.

25 We felt from this unconventional approach we were

1 looking at that the NRC would always have another look. At  
2 the end of life of the facility, we would get another chance  
3 to go through the formal process of license termination.  
4 Because of that, we did not incorporate any public  
5 involvement, any SSAB or anything else in our plan. And I  
6 think that is a major issue in terms of whether we would  
7 have foreclosed options if we proceeded along the way we  
8 were going.

9 We did not propose any site restrictions or any  
10 mechanism for that other than the fact that we've always  
11 said that we're still going to be a licensed operation.  
12 You're still going to be inspecting us.

13 One of the problems, I think, in all of our trying  
14 to get this approval was that we were doing this in the  
15 midst of all of the ongoing NRC involvement with the new  
16 regulations without the complete guidance when we prepared  
17 it with someone uncertain regulatory basis in the modeling  
18 areas that we've been discussing for this meeting and the  
19 prior meetings.

20 One of our major mistakes, I think, if I would  
21 speak for myself, was that we started up the program in  
22 terms of mobilizing people and starting to do work before we  
23 had full approval with the expectation that we would get  
24 approval on a timely basis, not recognizing fully all of the  
25 issues. And that has driven us in many ways to require that

1 we do case-by-case evaluations and other things to maintain  
2 an effective operation for what we've developed.

3       Where are we at today? In looking at things in  
4 terms of as they settle down, the 25 millirem in trying to  
5 meet the unrestricted release, we redid an evaluation of  
6 what our soil volumes were and really came to the conclusion  
7 that the difference in the soil volumes that we would have  
8 to remove and to deal with were not very different between a  
9 restricted release under the industrial use scenario -- I  
10 shouldn't say restricted release. Developing a criteria  
11 with an industrial use scenario and 15 millirems versus  
12 developing the criteria with 25 millirem and an eventual  
13 unrestricted release were really not much different.

14       What we're proposing, though, is again not  
15 completely within the current regulations in that we're not  
16 asking for unrestricted release criteria based on today.  
17 One of the problems with this site is that the groundwater  
18 issues are going to take probably several decades to resolve  
19 themselves because we have groundwater contamination in the  
20 bedrock. And even removing the sources that we know about  
21 are not going to resolve the groundwater issue immediately.

22       We're going to have a restricted period of time  
23 where our groundwater contamination levels will be high  
24 enough to prevent an unrestricted release anyway. So our  
25 proposal was that we would go for an unrestricted release in



1 the future in the time frame of like 20 to 30 years with the  
2 understanding that there was a continued groundwater  
3 treatment that would be needed anyway, and we would be  
4 continuing our licensed operations.

5 So we still have new licensing issues that have to  
6 be dealt with. I'll end up by just saying a couple  
7 comments, but I want to make these comments specific to  
8 myself.

9 In view of what I've seen in all of this, the  
10 regulations, I don't think, can deal with, even as they are  
11 today, resolve major issues when you have remediation but a  
12 return to use. I don't think we quite have that built into  
13 things.

14 There's no real understanding of what we mean by  
15 restricted or unrestricted release in these situations. And  
16 also there's not a clear understanding in my mind of what is  
17 the concept of what can be done within the scope of the  
18 license. That's the thing that we have dealt with many  
19 times in terms of can you do that within the scope of the  
20 license. And a lot of times, we've done things part of our  
21 maintenance. Does this mean we can continue to do it for  
22 remediation.

23 That term within the scope of the license, I don't  
24 believe, is very well defined. The SDMP Program, we are on  
25 it. There is no definition of how we get off of it, and

1 that's been something that we've been struggling with a long  
2 time is to what constitutes an effective conclusion of what  
3 the issues are, and what are the criteria for removal from  
4 the list.

5 Right now, the SDMP list is in a sense inactive --  
6 not from your standpoint. You have the list, and you're  
7 looking at the sites. But from a regulatory standpoint,  
8 there is not a basis. But from our standpoint, the SDMP  
9 action plan still exists as an order for us to follow and  
10 has never really been removed from us from a licensing  
11 standpoint.

12 What we're proposing in here is in essence to go  
13 to an unrestricted release on an alternate time schedule.  
14 And it's not clear to me what the standards will be for the  
15 review of that justification of that alternate schedule.  
16 The regs provide a lot of flexibility for the license  
17 termination case. But in my view, provide inadequate  
18 flexibility with really dealing with the odd ball  
19 situations.

20 And the bottom line is that for complex sites, it  
21 seems that the exceptions rule rather than the normal  
22 course. Any questions?

23 MR. ORLANDO: Yeah, I just got one. The process  
24 that you went through to get to the point where you are now,  
25 and what was your involvement with the NRC as far as getting

1 the sort of the upfront discussions.

2 One of the things you said earlier was that one of  
3 the problems you had was you had started down the path and  
4 had done a lot of work sort of before you knew what the  
5 issues and everything were going to be.

6 This is just for me. I don't know. Did you come  
7 in and discuss --

8 MR. NARDI: Because we weren't treating it as a  
9 decommissioning, we were treating it more as a licensing  
10 action, all of our involvement really was with the region,  
11 and there was extensive involvement and discussion with the  
12 region and then working with us to, you know, keep things  
13 moving.

14 MR. ORLANDO: I see.

15 MR. NARDI: But we never addressed it as a  
16 decommissioning plan that required the whole full  
17 headquarters involvement.

18 MR. ORLANDO: Okay, thanks.

19 MR. MURRAY: Scott Murray from GE. If I could add  
20 to what Joe said, we talked about this in our fuel cycle  
21 meetings several times. There's a huge difference in our  
22 mind and industry's mind between remediating a site for all  
23 sorts of reasons. You want to clean up some past legacies.  
24 The money's available. You want to do some things to  
25 remediate it.

1 But there's really no mechanism in the rule making  
2 for interim remediation or remediation in a sense that  
3 you're not leading to a license termination. And we tried  
4 to avoid using the decommissioning phrase in several of our  
5 paperwork exchanges for that very reason. We didn't want to  
6 call it a decommissioning because it wasn't leading to  
7 license termination.

8 I think Joe and I and several other folks have had  
9 this experience where you want to remediate. You want to do  
10 the right thing. Obviously, you want to get material off  
11 your site. You want to move away from your boundary. You  
12 want to reduce the dose. You want to do all the right  
13 things, but there's not a mechanism to do it in that it's  
14 not in the sense a decommissioning for the facility.

15 MR. ORLANDO: Just for myself, I think we've heard  
16 that a couple times, and that is definitely an issue that I  
17 think we need to do something about. I've heard it from  
18 several folks that they want to partially clean up a site or  
19 get -- comply with the timeliness rule enough to keep  
20 working without us breathing down your necks. But yet, you  
21 don't want to terminate the license.

22 And I agree. I think that the way the regulation  
23 is written, it contemplates license termination. It doesn't  
24 get into, as you appropriately call it, site remediation.  
25 And so that's one of the issues I think we have to take back

1 and try and work with. So I agree.

2 MR. KILLAR: Nick, if might. Phil Killar. Back  
3 in May of 1995, we had petitioned the NRC for rulemaking to  
4 allow just this specific provision. And we had a discussion  
5 with the NRC staff last fall. And the indications were that  
6 the staff is trying to put some guidance documents together  
7 along this line.

8 So somewhere in the bowels in the NRC ship, this  
9 is being worked on.

10 MR. ORLANDO: I'll try and find it. Thanks. If  
11 no-one has any questions, I'll cut you all free for lunch.  
12 Paul, were you going to -- we had on the schedule Ralph  
13 Anderson from NEI was going to speak. I was going to  
14 suggest that we, if that's okay -- Paul, were you going to  
15 do that for him.

16 MR. GENOA: I can do that in about three minutes.  
17 I have three points.

18 MR. ORLANDO: Okay.

19 MR. GENOA: If I might. Essentially, we restricted  
20 the scenario from the perspective of the reactor licenses.  
21 We sort of have a brief point.

22 The first point -- these are initial, obviously.  
23 But our initial point is that the reactors going through  
24 decommissioning today and those that are contemplating it in  
25 the near future do not contemplated restricted use. They

1 contemplated unrestricted release remediation licensure.

2       However, we have -- our executives have expressed  
3 a continued interest in pursuing an understanding of what it  
4 would take to release the site in a restricted fashion and  
5 understanding the guidance that you're developing. So we  
6 want to participate through this process and make sure that  
7 we thoroughly understand it.

8       There are scenarios where perhaps most of the  
9 higher activity waste is removed from the site. Some of the  
10 residual activity perhaps is left there. And you can  
11 envision under today's scenario a possibility where perhaps  
12 there would be a restricted provision with robust NRC role.

13       The third point is that it's not clear to us as I  
14 brought up to Nick earlier asking for perhaps in a future  
15 workshop to deal with it how you transition through a  
16 license's life of the facility. Perhaps, for instance, in a  
17 nuclear power plant, we have huge buffer zones, lots of land  
18 that is part of the site under the license, yet really is  
19 not impacted, and we would like ways to understand how to  
20 move through and release those lands for other uses, and how  
21 that works.

22       . The fact that we may have spent fuel left on site  
23 greater than Class C left on site, perhaps mixed waste left  
24 on site, perhaps low level left on site due to the  
25 unavailability of disposal options for any or all of those

1 things, it's not clear to the Part 50 licensees how they're  
2 going to transition as they essentially reduce their power  
3 plants from an operating position to a permanently shut down  
4 with the fueled onsite storage only scenario.

5 And we need to go through license termination in  
6 Part 50 space and then turn over and apply for Part 30 or  
7 keep it all under 50. Those things haven't been well  
8 thought out yet, and it's not sure how that relates with the  
9 restricted release, but it's all sort of mixed up together.

10 So we'll be with you in trying to understand how  
11 this evolves as we move forward.

12 MR. ORLANDO: Great. We have a few more  
13 questions. I figure probably about an hour's worth of  
14 discussion or us I think indicating to you and hopefully  
15 some back and forth for the afternoon. I hope everybody can  
16 come back. But I'm assuming everybody is still interested  
17 in coming back.

18 The principal discussion this afternoon is going  
19 to be site specific advisory boards and getting public  
20 acceptance. That seems to be the two sets of questions we  
21 have left. So I hope everybody can come back. If not, as I  
22 said, the answers and the questions will be up on the  
23 website. And with that, we will be back at 1:30. Thank you  
24 very much.

25 (Whereupon, at 12:11 p.m., the meeting was