

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title:

Advisory Committee on Nuclear Waste

PROCESS USING ADAMS TEMPLATE: ACRS/ACNW-005

Docket Number: (not provided)

Location: Las Vegas, Nevada

Date:

Thursday, September 23, 2004

Work Order No.: NRC-012

Pages 1-210

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433



DISCLAIMER

See.

UNITED STATES NUCLEAR REGULATORY COMMISSION'S ADVISORY COMMITTEE ON NUCLEAR WASTE

September 23, 2004

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on September 23, 2004, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

÷

This transcript has not been reviewed, corrected and edited and it may contain inaccuracies.

Set a set of the se

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + + +
4	ADVISORY COMMITTEE ON NUCLEAR WASTE
5	+ + + + +
6	THURSDAY
7	SEPTEMBER 23RD, 2004
8	+ + + + +
9	The Committee met at the Suncoast Hotel,
10	9090 Alta Drive, Ballroom A, Las Vegas, Nevada.
11	Advisory Committee Members Present:
12	MICHAEL T. RYAN CHAIRMAN
13	RUTH F. WEINER MEMBER
14	ALLEN G. CROFF MEMBER
15	
16	Others Present:
17	KEITH ECKERMAN Oak Ridge National Laboratory
18	FRED HARPER Sandia National Laboratories
19	DAVID JOHNSON ABS Consulting
20	DR. BILL MELSON ACNW
21	MICHAEL LEE ACNW
22	JOHN LARKINS ACNW
23	B JOHN GARRICK NWTRB
24	GEORGE HORNBERGER NWTRB
25	JAMES CLARKE ACNW
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

• • •

1.00

				2
	1	<u>Others Presen</u>	<u>t:</u>	
<u>K</u> A	2	WILLIAM HINZE	ACNW	
	3	BRUCE MARSH	ACNW	
	4	BOB BUDNITZ	LLNL on detail	to DOE
	5	LYNN ANSPAUGH	University of Uta	n
	6			
	7			
	8			
	9			
	10			
	11			
	12			
gi sed come	13			
	14			
-	15			
	16			
	17			
	18			
	19			
	20			
	21			
	22			
	23			
بنجه جر	24			
	25			-
		(202) 234-4433	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701	www.nealrgross.com
	•		· · · · · · · · · · · · · · · · · · ·	

•

	3
1	A-G-E-N-D-A
2	Opening Statement
3	Working Group 3: Biosphere Doses Due to Disruptive
4	Igneous Events
5	NRC Staff Perspective on Challenges to Modeling Doses
6	due to Disruptive Igneous Events 8
7	Fluvial Remodelization of Tephra Along Fortymile
8	Wash, Yucca Mountain, Nevada
9	ANCW Invited Speakers on Biosphere Dose Modeling
10	Issues:
11	Perspectives on Aerosol Modeling Issues 81
12	Perspectives on Resuspension Modeling Issues . 120
13	Perspectives on Dose Modeling Issues
14	Session 3 Working Group Roundtable Discussion . 169
15	Presentations by Stakeholder Organizations 192
16	Epilogue Remarks
17	
18	
19	
20	
21	
22	
23	
24	
25	
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
ĺ	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

•••

	4
1	P-R-O-C-E-E-D-I-N-G-S
2	8:05 a.m.
3	OPENING STATEMENT
4	CHAIRMAN RYAN: This is the second day of
5	the 153 rd meeting of the Advisory Committee on Nuclear
6	Waste. I am Michael Ryan, Chairman of the ACNW. The
7	other members of the committee present are Ruth Weiner
8	and Allen Croff.
9	Also present are ACNW consultants William
10	Hinze and Bruce Marsh. Jim Clark will be joining us
11	shortly. Today this committee will complete its
12	working group meeting to review and discuss issues
13	related to the evaluation of igneous activity and its
14	consequences at a potential geologic repository in
15	Yucca Mountain Nevada.
16	As done yesterday the committee intends to
17	gather information, analyze all the issues and facts,
18	and formulate the proposed positions and the actions
19	as appropriately in the form of advice to the
20	commission.
21	This meeting is being conducted in the
22	accordance with the provisions of the Federal Advisory
23	Committee Act. The rules for participation in
24	today's meeting have been announced as part of the
25	notice of this meeting, previously published in the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

- 1 - 1 1 1 - 1 - 1

.

.

federal register.

1

2

3

4

5

6

7

8

9

10

24

25

Mr. Mike Lee is the designated federal official for these sessions. A transcript of this meeting is being kept, and the transcript will remain available as stated in the federal register notice.

It is requested that speakers first identify themselves and speak with sufficient clarity and volume so they can be readily heard. We have received no requests for time to make oral statements from members of the public during today's sessions.

11 Should anyone wish to address the 12 committee, please make your issues known to anyone in 13 Committee staff. As an administrative matter, if you 14 haven't already done so, it is requested that you sign 15 the table in the back.

16 We also request that, if you haven't, 17 please confirm that your cell phones are turned off, or alternatively have been rendered silent or on low. 18 Lastly for those of you who wish to do so 19 20 there are comment feedback sheets available at the sign in desk. At the conclusion of today's meeting 21 the ACNW will conduct its planning procedures meeting. 22 23 For today I'd like to note that yesterday

the committee held two sessions dealing with issues related to the evaluation of probability and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

1. A.

(202) 234-4433

www.neairgross.com

consequences of igneous activity in the Yucca Mountain region.

The technical discussion was excellent and members have been provided with a lot of information to consider. Today's third and final session are intended to be a follow up of the committee's earlier February 2004 working group on biosphere assessments.

Five presentations are currently scheduled. The first two are by doctors Keith Compton and Don Harper, representing the NRC staff in the center for Nuclear Waste Regulatory Analysis.

These presentations will focus on the staff's approach to modeling doses due to a disruptive igneous event and how this approach will be used by the staff to review a DOE license application.

Dr. Hooper will discuss how the results from the Center's recent tephra ash remobilization study have in fact -- with the NRC's TPA computer code.

At the ACNW February 2004 meeting an ACNW panel of invited experts offered several recommendations for the respective staff to consider in the modeling of dose due to disruptive igneous events.

To explore this issue -- these issues in

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

25

www.nealrgross.com

more detail three subject men or experts have been 1 invited to make presentations at the ACNW. The invited subject matter experts in the proposed areas of discussion I'll talk about when we finish our first session.

This session will be followed by a roundtable discussion. Of course at the end any time members of the public can ask questions and provide comments at the -- recognized by the chair.

10 To help the committee explore the issues and interrogate the right speakers, again in think 11 just converse with would be better, we are reminded 12 that we have several of the panel of invited experts 13 saying, they include Dr. Budnitz, Dr. Dave Johnson, 14 15 Dr. William Hinze, Dr. Bruce Marsh, and Dr. William 16 Nelson.

17 Again thank you all for your participation again today. At the conclusion of today's session Dr. 18 19 Johnson will provide some summary remarks concerning 20 the issues discussed the last two days in the context 21 of the application of the risk triplet. And now for today's first presentation, I turn the microphone over 22 23 to Dr. Compton. Excuse me, just before you start, we have asked about the noise that you hear. 24

> We're told that it will go on

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

2

3

4

5

6

7

8

9

www.nealrgross.com

	8
1	intermittently at some low level of buzz. I apologize
2	for the inconvenience, so if speakers and questioners
3	would use the microphones it will probably help us all
4	here a little better. Thank you very much.
5	NRC STAFF PERSPECTIVE ON CHALLENGES TO MODELING
6	DOSES DUE TO DISRUPTIVE IGNEOUS EVENTS
7	MR. COMPTON: Is this on? Can everybody
8	hear me? Great. I'd like to introduce myself. My
9	name is Keith Compton. I'm with the Performance
10	Assessment section and the Division of Highland Waste
11	Repository Safety at the Nuclear Regulatory
12	Commission.
13	The first thing I'd like to do is to
14	acknowledge the contributors to the reports, Britt
15	Hill and Pat LaPlante directly contributed to this
16	reports.
17	And at the NRC Richard Codell, Tim
18	Parking, Tim Rubenstone and John Trapp contributed.
19	And of course there are a number of people who have
20	been involved in the development of the modeling
21	approach.
22	And I can't list them all by name but,
23	certainly this is a representation of their work.
24	What I'd like to do in this talk is to step back and
25	provide kind of a general overview of the approach
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

n han sen en stander en

•

.

I that we use and our TPA code	Ш	that	we	use	and	our	TPA	code
--------------------------------	---	------	----	-----	-----	-----	-----	------

2

3

4

5

6

7

8

9

11

12

13

14

15

16

17

24

25

And I want to emphasize that what I'm, going to be talking about -- what I'm going to be saying today is going to be purely descriptive. Ι want to simply provide you with an explanation of what it is that we actually do in calculating the doses so that, in the subsequent discussions, you'll understand what model we're actually using, and how we're of calculating things.

9

10 And I think that might help clarify issues of where things can be improved or what's in the limitations of these. Okay. Could you go back to the effective waste, few more things?

I also want to put in that I am only going to be discussing published work. Unfortunately I can't give you any kind of progress reports. It is a work in progress.

18 So I might be limiting my talk to things 19 that have already been published. So I just wanted to say that. And furthermore, although I am not going to 20 21 be talking explicitly about these insights, I am going 22 to focus my talk on key assumptions and key 23 approximations.

And those are identified based on the fact that they have the most significant contribution to

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.neairgross.com

(202) 234-4433

....

	10
1	those. And, for example, the first incident of that
2	is I'm going to be talking about the extrusive of
3	events.
4	I'm not going to be discussing modeling of
5	doses due to intrusive activity of the damages of
6	waste package, at least ground water contamination.
7	But that tends to result in lower doses than our
8	extrusive case.
9	Now for the outline of my presentation.
10	The bulk of my talk is going to be going through a
11	discussion of when I hold conditional dose analysis.
12	This is the evaluation of the doses given, that an
13	eruption occurs.
14	So, at this point, the conditional dose analysis
15	does not take into account the probability of
16	occurrence. It assumes that an eruption occurs and
17	then it is done probabilistically to examine what the
18	consequences are.
19	And I'll essentially be stepping through.
20	This is you can kind of recognize this as a
21	traditional risk assessment chain of release
22	transports, exposure and health effects or dosimetry.
23	And I'm just going to be stepping through
24	each of these and getting some of the key assumptions
25	and approximations. I will end up with a brief
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

	11
1	discussion of how we go about calculating the risk.
2	In other words doing the probability
3	rating. And I should point out that that probability
4	rating is not done within the TPA code, that's a post-
5	processing step.
6	Code Structure, next slide please. The
7	code structure there there are four modules that
8	are primarily involved in the evaluation of doses of
9	igneous activity.
10	First module in the TPA code is called
11	volcano. And this you can think of this as
12	identifying the release or parameter that are evective
13	to the release.
14	And such is the number of waste packages
15	that are entrained, the location of the eruptive
16	center of the repository, and the time that the
17	eruption occurs, and so forth.
18	The next module is ASHPLUME. We've heard
19	some discussion about that. That's basically very
20	similar to the TEPHRA code that was discussed
21	yesterday.
22	And the ASHPLUME model takes the eruptive
23	parameters of the volcano and is used to compute the
24	deposition both of spent fuel and of ash that's the
25	receptor location.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

The next module of ASHRMOVO. This is a 1 code that brings -- or the module that brings in the 2 temporal evolution of the dose. The doses of course 3 4 that can persist over time. There are different removal mechanisms for 5 the ash blanket. And ASHRMOVO accounts for the 6 7 temporal evaluation of those. And DCAGS is the actual dose assessment code that actually does both the 8 exposure and those calculations. 9

Now when I put this up, 10 Next slide. 11 that's a little bit hard to read. It is dark. But I wanted to emphasize that in, the results, what we find 12 is that the dominant radionuclides that contribute to 13 the peak dose, which occurs at about 300 years in our 14 approximations, the key radionuclides are americium-15 16 241, and then the plutonium isotopes. Now if this 17 makes sense, essentially in the kind of period between 18 about hundreds to a thousand years, the bulk of the 19 radioactivity is associated with americium and plutonium. 20

And a release event that can release these 21 22 without taking credit for -- to hold over the other things that might tend to delay nuclides would give you these nuclides contributing much more to the dose. 24 25 And furthermore, in a highly dusty post-

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

(202) 234-4433

. .

23

	13
1	eruption environment you're going to have a lot of
2	inhalation. And so again, these show up and the big
3	contributors.
4	Putting this slide up allows me to focus
5	on the fact that I'm going to be talking in the dose
· 6	assessment primarily about the inhalation pathway,
7	because that is the dominant pathway.
8	And I'm going to talk a little bit about
9	americium and plutonium because that pathway those
10	nuclides, if you understand those, you can really
11	understand the bulk of the consequences. Next slide.
12	Now a number of you are probably very
13	familiar with this type of approach. The dose at any
14	particular time after the eruption is simply the
15	intake how much of the radionuclide you take in,
16	multiplied by a dose conversion factor.
17	And the intake is simply the air
18	concentration times the breathing rate and then
19	adjusted by a fraction or how long you're what
20	fraction you're exposed to it.
21	This is a very traditional dose
22	assessment. And furthermore the airborne
23	concentration is simply calculated by the mass
24	loading, the amount of dust in the air, times the
25	specific activity, or the concentration in the ash.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 2005 2704

(202) 234-4433

.

	14
1	I put this up, it's very simple but it's
2	useful to think about this equation, because
3	essentially understanding how each of these perimeters
4	is identified will tell you how they come into the
5	calculation of the consequences.
6	CHAIRMAN RYAN: Can you take just a quick
7	question, if I may?
8	MR. COMPTON: Sure.
9	CHAIRMAN RYAN: Say you multiply the
10	specific activity in the ash times
11	MR. COMPTON: Mass loading?
12	CHAIRMAN RYAN: Yes, mass loading, sorry.
13	That needs to be in the respirable size fraction, I
14	would assume.
15	MR. COMPTON: That's true. And I'll
16	answer that.
17	CHAIRMAN RYAN: Okay.
18	MR. COMPTON: Basically what we do is we
19	define the mass load as the respirable mass load.
20	CHAIRMAN RYAN: But you'll cover those
21	details
22	MR. COMPTON: I'll talk about that.
23	That's correct. And, furthermore, I should point out
24	that you realize we do use a mass load approach. We
25	don't we define a mass loading.
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701www.nealrgross.com

. • * • * •

• 3

•

	15
1	We don't to a calculation of the airborne
2	dust concentration using like a resuspension approach.
3	So again this is and I'll talk about it a bit
4	later.
5	So that kind of private framework for how
6	we go about it, we're going to step through kind of
7	each of these steps, we've this the first step
8	we really discussed in great detail yesterday.
9	But I will reiterate the key assumptions
10	and approximations. First is that the number of waste
11	packages effects it is a function of the conduit
12	diameter.
13	Conduit diameter is sampled, and then the
14	number of waste packages affected is fused with that.
15	It ranges between I think about one percent typically.
16	And the next key is that 100 percent of
17	the inventory is contained in those waste packages
18	that are affected are assumed to be entrained into
19	Tephra.
20	Essentially what we're saying is that no
21	credit is taken for a waste package. That's what that
22	means. And furthermore the entire erupted inventory
23	is presumed to be available for atmospheric transport.
24	This approximation, another way of saying
25	it is that this is all the inventory goes all into
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

•

	16
1	the Tephra, it doesn't go into a lava fraction or
2	anything else.
3	So it's all all the inventory goes into
4	the Tephra. Those are key assumptions that were
5	discussed yesterday, and I'm not going to go into them
6	in much detail.
7	Next slide please. Now the atmospheric
8	transport, this is calculated. The ASHPLUME model is
9	based on the model developed by Suzuki, of which a
10	number of you are probably familiar with.
11	A few of the key assumptions in this model
12	or in this limitation is that we when we run the
13	code we define that the wind to always blow toward the
14	receptor location.
15	The reason for this is there is the
16	possibility that, even if the wind is not blowing
17	south at the time of the eruption, the RMEI may still
18	be exposed because of mobilization of ash or
19	mobilization of contaminated material down to the RMEI
20	location.
21	So this is kind of a first cut at trying
22	to account for the probability of exposure of the
23	conditional probability of exposure. I'm going to
24	come back to remobilization because that's something
25	that is of apparent interest.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

. .

n an an an Anna an Anna an Anna an Anna an Anna Anna an Anna an Anna an Anna an Anna Anna Anna Anna Anna Anna A

	17
1	Furthermore, and this is an assumption
2	that the Suzuki model, the wind field is assumed to be
3	constant, one dimensional. For any particular
4	realization, the wind field is one dimensional that
5	doesn't vary.
6	Of course we can for different
7	realizations we can have it blowing it at different
8	speeds, so forth. Next tephra particle sizes are
9	modeled.
10	It is a distribution of tephra particle
11	sizes. That's in the ASHPLUME code. We do, to account
12	for the fact that there is uncertainty in what the ash
13	particle distribution size is that that's something
14	that's very hard to understand.
15	That the mean value of that distribution
16	is sampled and between at ranges between 100
17	microns to up to 10 milliliters. And then finally,
18	and this is again this is based on the Suzuki
19	model, the deposition is based on essentially
20	gravitational settling model.
21	What this means is that the transport
22	model is applicable for particles greater than about
23	15 to 30 microns. Below that gravitational settling
24	is not the proper mechanism to use.
25	So the codes certainly dependent on a
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

smaller particle size but it wouldn't be appropriate 1 So -- and the key -- the output of 2 to do that. Suzuki model, as I mentioned before, is that it gives 3 the concentration of spent fuel at the RMEI location, 4 and the concentration of ash. 5 And a key approximation or a key approach 6 7 here is that the concentration of spent fuel in the 8 Tephra, and the ten inch soil there is computed 9 essentially by looking at the total inventory and the 10 -- at the location, a totally active inventory, 11 dividing that by the total amount of ash. 12 So at this point you start to -- and that is carried forth. Essentially what that means is 13 14 that you don't carry the particle size information 15 from the transport model to the dose model. At this point you have essentially kind of 16 17 a homogenization. And I guess --CHAIRMAN RYAN: Let me just poke at that 18 19 for a second. What that does -- it takes particle 20 sizes that are not respirable and if I'm hearing you right, turns them into respirable particles. 21 22 MR. COMPTON: Yes. That is the potential 23 impact. CHAIRMAN RYAN: Well it's not a potential 24 25 impact, it's what you've assumed in your calculation. **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

18

an an earl through any t

• • • • • • • • • •

	19
1	It's what you've done. You've taken things that are
2	way above respirable and by doing that arbitrary step
3	function, you've turned them into respirable
4	particles.
5	MR. COMPTON: That's correct, and I'll
6	give a brief response to that and then for a little
7	bit more I'll talk to Dr. Britt Hill who can address
8	this.
9	The brief response is that we do observe
. 10	dustiness at post-eruption, and we do observe
11	respirable particles at an eruption site. So there is
12	some respirable dust.
13	And because I am not an expert on any
14	technical basis for that, I'd like to ask Britt Hill
15	to discuss that.
16	MR. HILL: Britt Hill CNWRA. Give you a
17	very brief explanation. None of the computer codes
18	that are available are suitable for modeling both
19	course particles, particles of 100 microns and
20	greater, as well as the fine particles that we see in
21	these deposits.
22	Fine particles and I'll just say 100
23	microns and finer right now. Fine particles in these
24	fall deposits range from several percent of the total
25	deposit near the vent, to by the time you're around 20
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

and the second second

. .

.

ς,

1 kilometers away from the volcano, they can be 20 to 30 percent of the total deposit. 2 3 We can't model those discretely because those fine particles are very sensitive to assumptions 4 that you make for vertical turbulence and vertical 5 mixing within the atmosphere. 6 7 Courser particles aren't sensitive to 8 those assumptions, so you can use simple invective 9 relationships in the Plume model, and a simple 10 settling model to account for mass redistribution. 11 But we ignoring the fine not are 12 particulus in this model. We are taking a total grain size distribution with a mean and standard deviation, 13 14 and allowing that grain size distribution to change 15 with distance from the vent in the way that we see 16 that occur in volcanoes. 17 So, while we are not modeling the explicit 18 transport of fine particles in this code, because none 19 of the codes can do this, we do account for variations in abundance in fine particulates by the way the total 20 21 grain size distribution changes with distance from the 22 vent. 23 I'm struggling with two CHAIRMAN RYAN: 24 And I accept your answer for what you did, things. 25 but I'm not convinced that it represents the physical **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealroross.com

realities that you'd see. Let me finish. Respirable to me is 20 microns and down.

You know, two things that strike me are the activity partitioning, where's the radioactive material end up? What size fraction? And just having a step function where you distribute the material out then you kind of make this step over to respirable sizes, it just seems like you're preserving the availability of the radioactive material and not being a justified physically demonstrated assumption.

I appreciate the modeling difficulty you have but just because it's difficult to model I'm wondering how conservative your assumptions could be.

MR. HILL: It's not just difficult to model. We and many people have tried to make models like this. And it's an area of ongoing research involved in the volcanological community.

18 CHAIRMAN RYAN: Well that would be 19 difficult.

MR. COMPTON: I understand that.

21 MR. HILL: At this stage there's practical 22 difficulties and impractical difficulties. The 23 behavior of fine particles, 100 or let's just say 20 24 microns now, during an eruption is very complex to 25 model because in the eruption plume, there are quite

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

20

www.neairgross.com

1		simply	а	conglomeration	of	effects.
---	--	--------	---	----------------	----	----------

3

4

5

6

7

These particles are not discrete. They adhere to courser particles, they have electrostatic charges. They respond to moisture in the plume, and they clump together and often behave like courser particles and break apart on impact when they hit ground.

8 This is one of the phenomenon has been 9 recognized since Mount Saint Helens' eruption, where 10 you saw a secondary fall out peak around central 11 Washington from just these effects of ash sticking to 12 each other and forming a secondary fallout.

13 So while I appreciate the desire to have 14 a more realistic modeling, I and our consultants, 15 including some people who are writing the book on 16 these processes cannot come up with a model that will take and account for both the courser bulk of the 17 18 deposit, as well as the finds that we would like to 19 have to do a particle tracking type approach to 20 dosimetry.

21 It's beyond state of the science to 22 request that, or think that it's capable in this 23 program.

24 CHAIRMAN RYAN: I appreciate that but I 25 guess it must be that lack of having the science to

NEAL R. GROSS

· · · · · ·

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

• • • • • •

	23
1	move forward has to be put in perspective that the
2	fact is still calculating doses with two significant
3	digits of contributions from different radionuclides.
4	So I offer there's a lot of uncertainty in
5	the result as a result of what you just stated. I'd
6	be curious to see how you'd get through that.
7	MR. HILL: I think to a first
8	approximation we're doing pretty good with the finds
9	because one of the things we have done is taken
10	numerical models, and compared them to actually
11	deposits on the ground for an eruption that we have a
12	good data center for, where we went out and measured
13	the fresh deposit.
14	And these are coming out this model is
15	going us a reasonable approximation for the amount of
16	fine material that we're seeing 20 kilometers away
17	from one of these types of volcanoes.
18	CHAIRMAN RYAN: I'll remain to be
19	convinced.
20	MR. HILL: Okay.
21	MR. COMPTON: All right, I do want to
22	bring that up because that is a very important
23	assumption. It's very important to be clear about
24	that so that the panel can understand what it is that
25	we're doing.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

. .

.

, -, -, -,

.

<u>Ki</u>

••

.

It certainly -- it is a challenge to model that realistically you wouldn't need to know much more about the process of incorporation and the process of bringing down the particles.

5 So I wanted to present this to make it 6 clear as to what were doing, so it can be discussed. 7 The next step is exposure assessment, and the -- as I 8 mentioned previously the airborne activity 9 concentration, now that we've made our approximation 10 in the previous step the airborne activity concentration is simply the mass load, the milligrams 11 12 per cubic meter, and the specific activity, the 13 multiple of those two things.

And our approach is to assume that the mass load is initially elevated. We vary that between the -- and I should point out that there is a backup slide both on this, and there was also a backup slide on the fundamental model for that transport model.

The mass load is initially elevated, and ranges between two to about 30 milligrams per cubic meter. That's assumed to be the respirable mass load.

And then it is assumed to decline in approximately a first order fashion back to background levels, depending upon what values you sample or both the initial and the background declinement.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

> > · · · ·

(202) 234-4433

. .

. .

1

2

3

4

14

15

16

17

18

19

20

21

1 - 11 - 11

www.nealrgross.com

 $(1+1) = \sum_{i=1}^{n} \left(\frac{1}{2} \sum_{i=1}^{n}$

The production of that ground takes about 30 to 100 years. And these mass loads that are used are based on, correct me if I'm wrong, I believe those are based on measurements at certain -- magma. This is the basis for selecting these values. Next slide. For dosimetry I unfortunately can't present a lot of great technical detail because our approach to dosimetry is simply to use federal guidance.

And I -- given previously the equation -and you saw where that was brought in and we simply use the inflation coefficients. We do make the assumption that the particle sizes are of one micron.

We do assume adult dosimetry and, in situations where we're faced with choice of the chemical form, we tend to use the -- or we do use the form that gives you the highest dose conversion factor.

If you go the next slide then I can kind 18 19 of talk a little bit to the impact of those. Again, 20 bearing in mind that our two dominant, those 21 contribution nuclides under the assumption for making our plutonium and americium, I did kind of a quick 22 23 check using the code, which allows an approximation or a correction for particle sizes up to -- it'll do it 24 25 up to 20 but I think it's most -- it's recommended to

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

Alexa.

www.nealrgross.com

	26
1	go up to about ten.
2	And you can look at the change in the dose
3	conversion factor for change in particle size. And
4	what you see is over this small range, there's not a
5	great there's not a significant difference in the
6	americium or the plutonium dose coefficients.
7	The lower curve is the less conservative
8	chemical form, and there there is some reduction as
9	you go to larger particle sizes. But, again, there's
10	not a huge change in these.
11	However, I should point out that these are
12	all predicated on the FGR 11 model. If you were do
13	more to a different dosimetry model to the some of
14	the more modern dosimetry, I'm not going to say what
15	the impact is going to be.
16	Hopefully Dr. Eckerman will talk a little
17	bit about that. Again I'm willing to present what
18	we've done.
19	CHAIRMAN RYAN: I appreciate that Keith
20	and maybe it is a question for Dr. Eckerman a little
21	later, but and I don't know the answer to this but,
22	is there a logical inconsistency between assuming a
23	class W for one and a class Y for the other?
24	MR. COMPTON: The I don't know. Well
25	for americium I believe there's only in the model
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

·

	27
1	there's only one chemical form. And
2	CHAIRMAN RYAN: I guess we're okay there,
3	I think I don't want to call it in my head but I
4	just
5	MR. ECKERMAN: That's the difficulty of
6	using that particular data set. It's should get
7	beyond and in fact, I thought in our last meeting
8	we had a recommendation to get away from the Federal
9	Guidance 11 information because of questions like
10	this.
11	You only that was for workers and it
12	only addressed one chemical form for the americium.
13	CHAIRMAN RYAN: Maybe we can just hold
14	that thought because
15	MR. ECKERMAN: I'll amplify that later
16	MR. COMPTON: And again I'm presenting
17	the things that were already published. This is what
18	we have published so I would certainly be interested
19	in any next slide please. Now that has finished.
20	I hope that that's given you an idea of
21	how we actually get from these different eruptive
22	parameters to the conditional dose. The next step is
23	to how we get actually to risk?
24	This is not necessarily pointing to the
25	curve. And the this slide kind of gives an idea of
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

· · · · ·

,

. ..

	28
1	how you would go from a conditional dose to risk.
2	These slides, the yellow slides for example, give you
3	an idea of what the output of the TPA code would be.
4	The dose would be the highest in the year
5	of the eruption because the mass loads are the
6	highest, the exposure is the highest. And then they
7	would decline.
8	That decline is mainly driven by the
9	decline in the mass load. There are, of course, other
10	factors that would tend to reduce it. But, with our
11	approximation of production with about 10 year half-
12	life, that's the dominant reduction factor.
13	And to calculate the mean dose at any
14	particular time, because our compliance is based on
15	the mean dose, essentially take the average at any
16	particular point, and average the different doses.
17	And then account for the probability that
18	an eruption occurs at all over the compliance period.
19	So you said you allowed the eruption to occur at
20	different times and with different properties and then
21	perform this averaging.
22	One thing that I'll point out that this
23	slide illustrates is the effects of persistence. If
24	you have mass loads or exposures that persist for an
25	appreciable time after the eruption, this of course is
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealroross.com

	29
1	not going to affect peak dose particularly, but in the
2	probability weighting process, longer higher
3	persistence of longer duration higher tails, is going
4	to result in the averaging procedure averaging over
5	generally larger values.
6	And therefore it will increase the risk
7	the probability weighted dose, and I hope that that is
8	
9	CHAIRMAN RYAN: I'm struggling with this
10	curve. I really don't know what I'm looking at. I
11	mean you've got four events followed by a decay period
12	and I think the yellow line in the middle is the mean,
13	is that right?
14	MR. COMPTON: Say again.
15	CHAIRMAN RYAN: You've got four events
16	that have occurred, your 100, 300, 500, and 700.
17	MR. COMPTON: Right.
18	CHAIRMAN RYAN: So what it looks like is
19	doses delivered from that event over
20	MR. COMPTON: Right.
21	CHAIRMAN RYAN: a couple of hundred
22	years, mainly 100.
23	MR. COMPTON: Let me step back for a
24	second.
25	CHAIRMAN RYAN: Could you help me
	NEAL R. GROSS
	1323 RHODE LAND AVE., N.W.

بالمحتار تبرعناني وا

n ann the g

.

.

	30
1	understand the shape and what these terms are telling
2	me?
3	MR. COMPTON: Sure. And some of that is,
4	well right, let's pick the 100 year event. Let's say
5	you have an eruption in year 100. And you might have
6	a mass load.
7	And I'm just going to make something up.
8	But you would have a mass load of say 15 milligrams
9	per cubic meter. You can calculate those from that.
10	CHAIRMAN RYAN: Right.
11	MR. COMPTON: Then in the next year it's
12	going to reduce slightly but it will still be elevated
13	because your exposure is elevated.
14	CHAIRMAN RYAN: Wait. How do we get from
15	year one to year two? It's got to go down. What
16	makes it go down? Tell me a little bit about the
17	mechanisms that you've assumed.
18	MR. COMPTON: Basically we use the
19	reduction as primarily the reduction in the mass
20	loading. That's that equation.
21	CHAIRMAN RYAN: By ran out, by settling,
22	by deposition, all of the above?
23	MR. COMPTON: We don't have right in
24	the model we don't specify what the process is. This
25	is based on and again I'll have to turn Britt to
	1323 RHODE ISLAND AVE., N.W. (202) 234_4433 WASHINGTON D.C. 20005-3701 Have performed com
I	

÷.

	31
1	CHAIRMAN RYAN: Let me shape my question
2	as Britt's coming to the microphone. I'm trying to
3	figure out how a mass loading of 15 milligrams per
4	cubic meter stays that high for 100 years.
5	MR. COMPTON: Right.
6	CHAIRMAN RYAN: Or decays so slowly over
7	a couple hundred years according to these codes.
8	MR. HILL: Okay, Britt Hill, center.
9	First that was just an example number. That would be
10	an extremely high mass load for what we're dealing
11	with.
12	What we have measured in the field
13	following volcanic eruptions, four years for example
14	after an eruption, would be on order of a milligram
15	per cubic meter for lightly disturbed activity levels.
16	Again you have to make sure you're talking
17	about the right activity level, not just a static mass
18	load but an active mass load. Now this is an example
19	on how that mass load through time may decay.
20	You've got to remember that we are talking
21	not only about the C-2 deposit, but the contribution
22	from deposits around this particular location,
23	including come of the things that Dr. Hooper will be
24	talking about in his presentation.
25	Remember this is the TPA 4.1 J version.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

. .

÷.,*

. . . .

	32
1	There have been modifications to that but they have
2	not been presented yet.
3	CHAIRMAN RYAN: The critical issue in all
4	that then is resuspension correct?
5	MR. HILL: Pardon?
6	CHAIRMAN RYAN: Resuspension is really the
7	critical issue here then?
8	MR. HILL: Yes.
9	CHAIRMAN RYAN: Of some activity level?
10	MR. HILL: Airborne concentration above
11	the deposit.
12	CHAIRMAN RYAN: And again I'm trying to
13	just make sure I'm clear, and maybe somebody else has
14	the same question. But, what you're really
15	calculating at some point in the concentration in the
16	breathing zone of the RMEI or somebody
17	MR. HILL: Yes.
18	CHAIRMAN RYAN: And it's caused by two
19	things. One is blow-in from other areas, resuspension
20	due to whatever activities are assumed in that area,
21	and then the normal deposition processes for the
22	atmospheric condition you assume at that location.
23	Now is that pretty much it?
24	MR. HILL: That's pretty much it.
25	CHAIRMAN RYAN: Okay.
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701www.nealrgross.com

•

.

t . .

.

•

33 MR. HILL: Because the third component 1 2 where the RMEI location is right next to a major drainage, this 40 mile wash drainage. And again in 3 4 our first model, the TPA 4.1 J, we are recognizing 5 that mass could be redistributed from upstream down, 6 and deposited in this general area of the RMEI. 7 So it's not simply blowing it from a 8 regional dust field, but a concentrated or potentially 9 concentrated deposit coming down and being deposited 10 in the general location of the RMEI. That would also bring in fine particulates 11 12 into the nearby suspendable field and sustain the mass load, or sustain the airborne particle concentration 13 14 through time at a rate that would be greater from just 15 measuring it at an in tact deposit and watching the 16 normal soil stabilization processes occur. 17 CHAIRMAN RYAN: Are any --18 MR. HILL: That's why there's a decay 19 function that has a variable half-life. And Dr. 20 Compton is just showing how the assumptions on the 21 half-life in that decay in airborne particle concentration can affect the dose calculations when 22 23 they're put into a probability weighted analysis. 24 CHAIRMAN RYAN: More to come MR. HILL: Pardon? 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

> > .

in and the industry and

(202) 234-4433

a state

www.nealrgross.com

	34
1	CHAIRMAN RYAN: More to come.
2	MR. HILL: More to come.
3	CHAIRMAN RYAN: Okay.
4	MR. HILL: And we'll expand in Dr.
5	Hooper's talks some of the technical basis for
6	understanding why there's a decay function and not a
7	very sharp drop off like you would see in a regime
8	that's dominated by simple soil stabilization and
9	surface leeching processes.
10	This is not a typical soil out around
11	Yucca Mountain region.
12	CHAIRMAN RYAN: Okay. Thank you.
13	MR. COMPTON: Okay. And that does bring
14	up the fact that essentially this issue of
15	remobilization or replenishment of dust loads we in
16	the current model, the current code we've accounted
17	for it essentially in two ways.
18	I mentioned previously we fixed the wind
19	direction to blow towards the receptor, and we do have
20	the this decay being a little bit more slowly.
21	Those are the two ways in which we try to
22	kind of mimic the effects of remobilization in the
23	current version of the code. However, as was
24	mentioned, Dr. Hooper is going to up and talk about
25	some further work and remobilization.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

•
	35
1	We recognize that's something that's
2	important to understand a little bit better. Now final
3	slide. Again I just wanted to go over and identify
4	what were the key assumptions and approximations.
5	As I started at the outset, my goal was
6	descriptive. My goal was to be very clear about what
7	it is that we're actually doing and then there could
8	be a discussion of the technical basis of those. And
9	then finally I want us to talk a little bit about the
10	factors that are likely to have a significantly
11	influence on the risk or the probability weighted
12	dose, because those there's extra factors such as
13	persistence of the deposit and such that come into the
14	calculation of the risk.
15	That's all that I have prepared. If there
16	are any questions I will try to take them or I will
17	try and direct you to the appropriate expert.
18	CHAIRMAN RYAN: If you could go to your
19	backup slide 17.
20	MR. COMPTON: The mass loading mass
21	loading?
22	CHAIRMAN RYAN: Yes, could you talk a
23	little bit about these values that you've shown for
24	the one year mass loading and the mass loading above
25	soil?
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

 $(2^{*}, \beta_{1}, \beta_{2}) = (-1) \left[\left(-\frac{1}{2} \right)^{2} + \left(-\frac{1}{2} \right)^{2} \right] \left(-\frac{1}{2} \right)^{2} + \left(-\frac{1}{2} \right)^{$

.

•

.

~ :

	36
1	Again they seem to be pretty large mass
2	loadings or hundreds to tens of milligrams per cubic
3	meter and then hundreds to tenths.
4	MR. COMPTON: Right, these are as I had
5	mentioned those were based on some measurements that
6	were taken at Cerro Negro. They are something that
7	we're examining.
8	Again the I would kind of separate
9	these two things. One is that the functional form.
10	You could put a different mass loading into that
11	into the equation's there the one but then there's
12	the values.
13	Those particular values have a technical
14	basis but they're being examined.
15	CHAIRMAN RYAN: They seem not for any
16	particular reason other than just to help inform the
17	EPA dust loading at worksites, five milligrams per
18	cubic meter.
19	MR. COMPTON: Right and then the OSHA
20	limit I think for total dust is fifteen, and for
21	respirable five.
22	CHAIRMAN RYAN: Five. Well TPA and OSAH
23	release the same thing so
24	MR. COMPTON: So right we do it's
25	very dusty. We do realize that.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

-

	37
1	CHAIRMAN RYAN: Okay. Well and again, I'm
2	not necessarily picking on that but I just point that
3	out because that is in fact a big driver of dose. The
4	numbers the amount of dust load.MR. COMPTON:
5	That's correct, and that's the reason that I
6	CHAIRMAN RYAN: Okay.
7	MR. COMPTON: The equation is so that
8	essentially the peak the conditional doses is
9	linear. I don't want to immediately say that the risk
10	is linear, I have to think about it but
11	CHAIRMAN RYAN: Let's just deal with dose
12	for the moment.
13	MR. COMPTON: Okay. But that's correct.
14	CHAIRMAN RYAN: Okay. Thank you. Any
15	other questions? Ruth?
16	MEMBER WEINER: Thank you sir. I had
17	numbered the same questions that Dr. Ryan has already
18	asked. But let me expand on them. And maybe Britt
19	Hill will want to answer some of these. You made the
20	statement, Britt, that you can't model fine
21	particulates. Since these atmospheric dispersion
22	models are imprecise at best, what would be the
23	problem with identifying the distributed a
24	distribution of fractions of your airborne material
25	that are is respirable, and that's sampling on that
	NEAL R. GROSS

NEAL R. GRU COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

(202) 234-4433

11

.≟**‴≼**.,

distribution?

1

2

3

4

5

9

10

11

12

13

14

15

16

17

that take into account Ι mean, the uncertainty, well a lot of uncertainties, in an imprecise way. But it's no less imprecise than the rest of your dispersion model.

One of the things we've --MR. HILL: 6 7 again this is Britt Hill, CNWRA. One of the things 8 we've observed in our field measurements is that the abundance of suspendable or respirable finds that are in the mass load doesn't seem to be affected by the abundance of that size fraction in the deposit between limits of total suspendable finds being about two percent of the deposit to 20 percent of the deposit.

The mass load is the same. There are many more fine particulates available for resuspension in the deposit than can be entrained at any on time, in fact, quite a long time after the eruption.

One of the insights we've gained from 18 19 Cerro Negro is that this deposit had received over five 20 meters of rainfall since its deposition, 21 including two meters during Hurricane Mitch.

22 You would expect, if washing and windowing 23 was going to be a significant process in this deposit, we would have seen a profound effect when we went out 24 25 and measured mass loads in the breathing zone above

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

• •• .

(202) 234-4433

www.nealrgross.com

this deposits.

1

But, instead, we didn't see much at all. 2 What that is telling us is that we can't make a mass 3 load model that's going to be linked directly to the 4 5 abundance or size distribution of those fine particulates in the deposit because you're suspending 6 7 many more, or excuse me, have available so many more 8 particles under any realistic distribution in the deposit that can be suspended at any given time, and 9 10 for some time after the eruption by typical wind 11 turbulence and resuspension processes.

So I don't think going to a discrete tracking of grain sized bins within the deposit is going to gain us any insight on the mass load characteristics above the deposit. We are already saturated with respect to the suspended particles

17 CHAIRMAN RYAN: I think I would understand 18 your point. But, if you challenge that the activity 19 distribution might vary the particle size, then I 20 think you've got to rethink your thought there.

Let me tell you why I asked that. I've seen you know sealed sources melt in molten steel. A huge fraction of the radioactivity ends up in the steel blob on the center of the steel mill floor.

A very small fraction ends up in a bag

State of the state

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

www.nealrgross.com

1 house, and there is a partitioning in the radioactive material. If, in a igneous event -- and God knows I'm 2 not trying to draw a direct analogy between a source 3 melt in steel and an igneous event -- but I just think 4 that exploring, numerically if no other way the 5 6 assumption that there's a uniform distribution of 7 radioactive material in the mass is a critical issue 8 of uncertainty that you need to not leave untouched. 9 MR. HILL: I certainly agree that there's 10 a lot of uncertainty in the incorporation mechanisms for spent fuel during these calculations. 11 However. 12 one perspective is that we need to remember this is a trace component in the eruption. 13 14 The mass of the intentionally incorporated 15 waste is on a mass basis or volume basis, exceedingly 16 small, compared to the mass of Tephra that's being 17 erupted. 18 About point one to -- excuse me, point 19 zero one percent at best. So we are looking at the 20 behavior of a dilute phase in the total erupted mass. 21 CHAIRMAN RYAN: But you're distributing in 22 uniform throughout the mass, are you not? 23 MR. HILL: The same way that we see wall rock fragments distributed uniformly throughout an 24 25 eruption deposit. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	41
1	CHAIRMAN RYAN: I'm sorry.
2	MR. HILL: It's not coming in at a
3	particular point. It's a uniform incorporation
4	process.
5	CHAIRMAN RYAN: Well let me ask it a
6	different way. Any ten milligrams of ejector or
7	Tephra material that comes out of this event has an
8	equal probability of having the same amount of
9	radioactive material in it as any other ten
10	milligrams. Is that correct?
11	MR. HILL: I believe that's correct.
12	CHAIRMAN RYAN: My challenge to you is, I
13	don't think that's realistically representative,
14	because there's going to be some fraction of this
15	waste package material that's going to end up as
16	incorporated into a smaller fraction at 100 percent
17	for all the mass involved.
18	MR. HILL: That's always possible.
19	CHAIRMAN RYAN: But I, and I
20	MR. HILL: But, how do you a technical
21	basis to look at the partitioning.
22	CHAIRMAN RYAN: By exploring numerically
23	is one way. And to see if what I'm suggesting is
24	important or not, but just leaving that assumption
25	unexplored is not so good either.
Í	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
1	202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

÷

MR. HILL: We also need then, in a fully realistic model to start looking at the waste form behavior under these hydrous, high-temperature to lowtemperature oxidizing and reducing conditions, and then the surface exposure, along with the chemical leeching absorption processes that go on during a typical volcanic eruption.

1

2

3

4

5

6

7

21

• • •

(202) 234-4433

.

• • •

. .

8 I agree a fully realistic model would be 9 most satisfying. But there are a wide range of 10 complexities in trying to impress a realistic particle 11 based or chemical based or chemical based tracking in 12 these deposits through time.

13 CHAIRMAN RYAN: Again, I'm not suggesting 14 to resolve all the chemical and physical questions 15 here. I'm simply saying that exploring what the 16 impacts would be on calculated dose of looking at 17 different distributions of the radioactivity, and 18 fractions of the total mass might be helpful.

MR. HILL: We have been doing that. Dr.Dick Codell.

(Laughter.)

CHAIRMAN RYAN: I saw her behind the --MR. HILL: Dr. Codell could spend a minute to explain some alternative incorporation models that he's been working on and has presented.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

> > · • . •

www.nealrgross.com

MR. CODELL: I am Dick Codell from NRC staff. Thank you Britt. I have a paper coming out. It should come out in November in Nuclear Technology based on a presentation on waste meeting, where I looked at an alternative conceptual model for fuel incorporation.

1

2

3

4

5

6

7

8

9

10

11

22

23

(202) 234-4433

. . .

The model we have in the TPA code, the Ash plume model, is a simple model that probably is good enough and has one parameter that you can vary. The doses that you can get don't seem to be very sensitive to that parameter.

12 It's called the incorporation ratio. I'm 13 this alternative model I used a different idea of how 14 spent fuel and ash or tephra might mix. And I went 15 through all the analysis and it does behave somewhat 16 differently then the model we use, but in the end the 17 results weren't more than a factor of two differences 18 in the element dose people might get.

So, in light of all the other uncertainties, we decided that it was not necessary to change the model.

CHAIRMAN RYAN: Okay. Is that available as a preprint at this point?

 24
 MR. CODELL: I'm sure I can send you one.

 25
 Yes.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.neairgross.com

	44
1	CHAIRMAN RYAN: Okay that'd be great.
2	Thank you.
3	MR. CODELL: Thank you.
4	CHAIRMAN RYAN: Yes. Bill?
5	MR. MELSON: What we had I think that
6	I would like to continue this line of investigation.
7	Clearly if we have some overpressure inside of a steel
8	of other vessel you'll have a fragmentation.
9	If it's not steel, or whatever and rock,
10	you'll have a fragmentation. The particle size
11	distributions in those two cases I would assert are
12	probably very, very different.
13	The metal case it'll be large, you know,
14	fragments. In the case of a bit of rock, there'd be
15	a great deal of dust as well as large ones. And so
16	I'm just going to say that, in the modeling of
17	fragmentation process, we had to distinguish the rods
18	from the rock.
19	And it's going to make a big difference.
20	If you need one micron in size or whatever for
21	respiration, I would assert that, in the initial
22	material, you're not going to have any pieces of the
23	rods of that size.
24	They're going to be larger. And there
25	will some sorting of this process. Now I know Britt's
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

F

1 aware of this, he's thought about it and I believe he mentioned it just now. 2 3 I think that's an important consideration will affect doses. I don't think that can be 4 neglected. And I think you're suggestions numerically 5 modeling that effect. 6 7 Just explore it. It would be interesting to decide whether you want to really go after the 8 physical model. The other thing in the -- business, 9 10 you know if you're scaling Yucca Mountain, in the dry 11 -- in the usual dry says you see dust devils going 12 crazy all over the area. And these are going to be a constant 13 14 source of disruption of surface and a mixing and a spreading out and a dilution of these materials that 15 16 is a real thing which can be measured. 17 This can be addressed in the field by 18 really good experiments by using some contaminate 19 distribution. And that too will change or give some 20 quantitative feeling to what happens to the layer of 21 contaminated ash. 22 The other thing, are big storms in deserts 23 are the main source of erosion. And it can be 24 catastrophic, as you all know. And they can remove 25 the contaminated layer in a single storm, and do more **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

• • •

than re	emove it
---------	----------

2

3

4

5

6

7

8

9

10

Ex.

They can take, you know, big tremendous galling and other things happening. And that effect ought to be considered to in some way. I not --

MR. CODELL: You'll see that in Dr. Hooper's presentation. I'm sure he'll bring that up.

MR. MARSH: Okay. That was about it I think. A little -- Britt's of comment about uniform distribution of generalized inclusions in lava flows or in pyroclastic flows, if they're mixed, true.

But in a lava flow or other things we know they're not necessarily uniform mixed. And, if we consider the digestion, if it could happen -- the canisters as blobs coming out, whether uniformly distributed or not, I would say it is a question you would have to consider more carefully.

And just assume quickly that because we have some one example, three examples, that will always happen.

20 MR. HILL: Well first, I'm not really 21 concerned about the lava flows or pyroclastic flows. 22 It's only the tephra fall deposits. And, well again, 23 we have done a lot of work in trying to constrain this 24 to the best that we can using analog information from 25 reasonably comparable volcances.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

ч. не <u>,</u>

Certainly you can -- we have done some exploratory calculations where you allow the fuel to only come out at an early stage of the eruption. Say you get a contamination layer through there, then your assumptions become critical on how that deposit erodes through time.

On the average though, for any single realization, of course that could make a profound difference in dose through time history, if you had a contaminated layer in the deposit versus a uniform deposit.

When you start to run hundreds of realizations, that peak from the contaminated layer really just averages out to a uniform distribution, unless you're going to an extremely short erosion time.

Then again, you don't think it would be truly supportable. So we have done some exploratory analyses to consider potential instantaneous release of all the material into a layer.

But again, we're dealing with a trace amount of mass, so it's not like we're really talking about a visibly contaminated layer. Even under the worst of assumptions.

And it doesn't make a significant

÷., ·

www.nealrgross.com

. . . .

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

. . .

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

difference to the risk calculation when we're starting 1 2 to deal with all the range of uncertainty and 3 considering all the potential future states that we have to consider. 4 5 CHAIRMAN RYAN: I'm sorry Ruth, you wanted to finish a couple of questions and then --6 7 I had a couple more. MEMBER WEINER: Ι 8 guess I'm a little lost in the explanations. The 9 point I was trying to get at, which I think Dr. Ryan has articulated very well is, you are dealing with 10 uncertainties. 11 12 Isn't this a good -- to simplify my question, isn't this a good place to incorporate 13 14 uncertainty into your model, and make yourself, for example, a distribution of the fraction of respirable 15 16 -- of the fraction of your inhaled mass, or of your mass that is respirable instead of treating all of 17 your airborne stuff as respirable? 18 The other place that I would have looked 19 to incorporate uncertainty is in the partition, after 20 all, plutonium dioxide is very dense. 21 All the 22 actinide oxides are dense. And, if we can partition uranium in coal 23 dust, in fly ash, between the fly ash and the bomb ash 24 -- which has been done by TPA numerous times and 25 **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 (202) 234-4433

21.1

..

48

www.nealrgross.com

looking at fly ash emissions.

1

2

3

4

5

6

7

8

9

. . . .

If we can do that, it seems to me you can make some estimates of the partitioning of the actinides between the respirable, non-respirable particles, or even between airborne and deposited.

What is deposited when? Any my final question is, ICRP 72 -- I would yield this to Dr. Eckerman who is the expert in this. But we've been using ICRP 72 for more than a year.

10 I'm a little bit surprised that your published work still uses 1988 dose conversion factors 11 12 -- inhalation dose conversion factors. And I wonder if I -- I mean, I'm sure you're updating it now but, 13 the whole notion that we know we have much better data 14 on the chemical form clearance class than is available 15 16 in FGR 11 for example, in the 1988 version which you 17 site.

So I really wonder that you can incorporate uncertainty into your model, and run -sample it on a distribution on some of these factors and get a more realistic estimate of what the inhalation dose to the RMEI would be.

23 MR. HILL: Keith, could you comment on 24 ICRP 30 versus ICRP 72?

MR. COMPTON: Again just very briefly, and

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

.

25

www.nealrgross.com

	50
1	this is not going to be a set-aside answer. But I'm
2	presenting what's been published. We do know that
3	there's a difference.
4	CHAIRMAN RYAN: Just to add for a minute
5	and schedule Dr. Marsh had a question then Dr. Garrick
6	and I think we'll wrap up and Dr. Hooper give his talk
7	with a quick introductory comment by Tim McCartin.
8	MR. McCARTIN: Yes. Tim McCartin. Just
9	to put a follow up, I mean, currently Federal guidance
10	is to use FGR 11 so that's what we're using.
11	We recognize that other people are using
12	more newer dosimetry, but that is the current federal
13	guidance.
14	CHAIRMAN RYAN: But we did cover in our
15	last working group meeting, Tim, that if licensees,
16	for example, request to use them or updated dosimetry
17	they're allowed to do so.
18	MR. McCARTIN: Yes and the commission has
19	granted that on a case by case basis.
20	CHAIRMAN RYAN: Right, okay.
21	MR. McCARTIN: One thing I would like to
22	follow up with respects to TPA code that maybe to give
23	another perspective on what were doing. When we look
24	at volcances in nature, they deposit they create
25	deposits with mass loads.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

 $(1, 2) \in \mathbb{Z}_{2}^{\infty}$, $(2, 2) \in \mathbb{Z}_{2$

1. 1997 - 1997 - 1997 - 1997 - 1997 - 1997 - 1997 - 1997 - 1997 - 1997 - 1997 - 1997 - 1997 - 1997 - 1997 - 199

I

	51
1	The TPA code is trying to represent the
2	persistence of deposits in nature as the geologic
3	record supports. And, in addition, Dr. Hill presented
4	that we've gone out and measured mass loadings above
5	deposits and we incorporate some of that information.
6	There is a lot of uncertainty. We do vary
7	it. But it's a recognition that it's important to
8	account for the mass loading and its persistence. And
9	we've demonstrated that with our TPA code.
10	It is for the department to come up with
11	appropriate supporting information for the mass
12	loadings they expect. But what we've done is look at
13	ranges of possibilities.
14	And I think it's based on what we observe
15	in nature. And one other thing I would like to bring
16	up that the UO_2 I know there's a lot above the
17	respirable aspect of that.
18	But the UO_2 fuel pellets will degrade with
19	time. And larger pieces will become smaller in a
20	relatively short period of time. Like the surface of
21	the earth.
22	CHAIRMAN RYAN: Thanks Tim. Bruce?
23	MR. MARSH: Yes, I mean getting back to
24	what Bill Melson mention in terms of how this material
25	gets in there and things, I think it's, you know it's
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

• •

•

·~ .

.

• •

2018

1. j.

. .

a very critical issue.

1

4

5

6

7

8

9

10

2 However, in doing these kind of calculations, that complex interaction of how much 3 magma's involved with how many canisters, and how the canisters come apart and how the pellets get in and how the panel -- pellets come apart dissolving, and the pellets don't actually -- are pulverized and probably not even involved, because they will come out very soon and it would be in a respiratory sort of range.

However, I mean that's how you have to do 11 12 the calculation I would assume in here, that Britt 13 Hill's stuff is that you have to assume this stuff is just uniformly dispersed at all PSD particle size 14 15 distributions through there.

16 And then you start the calculation after 17 that. However, the important thing that Bill's 18 bringing up I think is this is a critical junction 19 where this is great inhomogeneous process in that you 20 know, you can have the way from a big canister being 21 picked up and just carried along in a local area to one set of partially fragmented and things. 22

23 So this is one of these serious areas 24 where there are factors where you really need to know 25 what's going on in detail. But to do a calculation

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

•

and the second secon

www.nealrgross.com

	53
1	like the Center is doing I think you have to start
2	somewhere with it.
3	So they start with the universal dispersal
4	of the homogeneous materials.
5	CHAIRMAN RYAN: Thank you. Dr. Garrick?
6	MR. GARRICK: Yes. I just wanted to go
7	back, and think a little bit about what the purpose of
8	the calculation is, because it's certainly not to
9	calculate the risk.
10	Maybe it's to calculate what some of the
11	bounds on the risk are. But I didn't hear much about
12	that. And, when you talk about a calculation that
13	fixes wind speed, fixes wind direction, fixes
14	location, fixes elevation, fixed the radionuclide
15	inventory into the tephra, fixes the resuspension,
16	fixes the uptake, I'm not sure what we learned from
17	doing comprehensive uncertainty analysis about one
18	piece of this, and then fixing as many things as are
19	fixed in this calculation except that we sure as hell
20	don't want to have a release.
21	And it seems to me that one thing that we
22	need to do here is do a real if we stop talking
23	about uncertainty analysis, and I'm a great pusher to
24	that is to do a consistency check with respect to
25	the parameters to see if what we're doing with respect
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

	54
1	to uncertainty has any meeting.
2	And one of the things that's bothered me
3	about the dose calculation, it's fixed all over the
4	place. Part 63 fixes the uptake, fixes the amount of
5	the inventory into the 3,000 acre field and so forth.
6	What I'm searching for here is, what can
7	we do here that's really meaningful? If there's any
8	kind of part of the TPA calculation that's hungry for
9	transparency or that's totally opaque, it's the dose
10	calculation.
11	And I haven't been very reassured here by
12	what has been shown here. And maybe what we need to
13	do is, as I started out, is to say what's the
14	objective of these calculations?
15	Because it certainly isn't a realistic
16	assessment, even on a conditional basis.
17	CHAIRMAN RYAN: Thanks for that comment
18	Dr. Garrick. I think as we explore with Dr. Hooper
19	and the other presenters this morning we might get
20	some insights into the various pieces of this.
21	So perhaps we can keep your suggestion in
22	mind as we move into these other presentations. But
23	I share with you, you know, from the perspective of
24	those calculations, that many other of the elements of
25	it are fixed, and
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

•

.

· · •

· -

	55
1	MR. GARRICK: Yes.
2	CHAIRMAN RYAN: And exploring is that
3	informing us or are we just kind of calculating with
4	variations in parameters to think we're really
5	assessing variations in risk.
6	MR. GARRICK: Yes. I think my main point
7	in my question is, what's the context of the
8.	calculation?
9	CHAIRMAN RYAN: Right.
10	MR. GARRICK: What's the purpose? Is it
11	to get some sense of the bound of the risk or what? Or
12	what is it?
13	CHAIRMAN RYAN: We are getting a little
14	long in time, so I would unless it's a critical
15	comment I'd like to get Dr. Hooper up to give his
16	presentation.
17	MR. McCARTIN: Okay. Tim McCartin NRC.
18	But I would just say a lot more things are varying
19	than was suggested. I can talk
20	CHAIRMAN RYAN: What I would like to do is
21	maybe touch on those as we go through the other parts
22	that I think we'll touch on, Tim, if that's okay.
23	MR. APTED: Nick Apted, Monitor. Two
24	quick comments. One, Matt Kozak's presentation
25	yesterday almost time limited in terms of the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealroross.com
11	LEVEL EVENTION WANDING INA, D.C. 2000-5701 WWW.IREALIGIOSS.COM

•

• • • • •

·

information done.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

24

25

(202) 234-4433

•

In that same report we've done a lot of looking at this issue on partitioning, using analogs and so on, in terms of how material will actually -during melting and a sense in a hot magma partition the activity around.

Again, look at our report there. And, for time reasons, didn't have a chance to touch that. The other thing is, going back, and these excellent presentation one of the slides there are a lot of other assumptions there, and Mr. Garrick is touching on some of that such as constant wind velocity and so on.

Some of that -- that's natural variability just -- natural variability, wind velocity, direction will lead orders in order and orders magnitude reduction.

18And I would encourage looking at those19sort of natural variabilities in the system.

20 CHAIRMAN RYAN: Thank you. Thank you very
21 much for a stimulating start to the day. I appreciate
22 it.
23 MR. COMPTON: Thank you.

CHAIRMAN RYAN: Dr. Hooper, welcome. Thank you for being with us.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

	57
1	(Pause.)
2	FLUVIAL REMODELIZATION OF TEPHRA ALONG FORTYMILE
3	WASH, YUCCA MOUNTAIN, NEVADA
4	MR. HOOPER: Okay. I'M John Hooper from
5	the center for Nuclear Waste Regulatory Analyses.
6	And, of course, we've benefited from contributions
7	from John Trapp.
8	And I'm going to be talking about the
9	fluvial or stream remobilization of Tephra along
10	Fortymile Wash, which is the main drainage system for
11	Yucca Mountain.
12	And note that is does say first quarter
13	conceptual model, as you already heard over the past
14	two days. I'm going to be presenting work from the
15	first publication.
16	So there have been ongoing modeling
17	results, new models. And some of that's incorporated
18	in today's talk, but for the most part, other work
19	undergoing. Next slide please.
20	For a potential volcanic event within the
21	repository footprint, you are going to get some tephra
22	or ash fall around the area, around the Yucca Mountain
23	area.
24	And, to begin, note that when I'm speaking
25	of tephra or ash fall here it's going to be in the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealroross.com

	58
1	context that we're going to assume that the eruption
2	has interacted with the repositories of any tephra
3	will be contaminated from high level waste.
4	So whenever I speak of tephra it will be
5	tephra, it will be in that context. And so you have
6	an eruption that goes through the repository and then
7	proceeds to be deposited on the surrounding hills.
8	And then through time water and rain will
9	erode these deposits, transporting the ash southwards
10	down Fortymile Wash. And, of course, this is going to
11	be moving it closer to the RMEI location.
12	And then as for the last two point
13	there, the last two bullets there, talk a little bit
14	about the dose. Surface winds can entrain fine grain
15	particles and they can be possibly inhaled.
16	And then long term remobilization will
17	look a little bit at how these are potentially
18	significant to risk calculations. This is a satellite
19	image of the Yucca Mountain region. Note the scale
20	bar down on the bottom.
21	The potential repository is right in
22	there. And so the Lathrop Wells cone is right in
23	here. And so, if you were to draw a circle with a
24	radius of 18 kilometers from the repository and
25	consider the direction of stream flow down Fortymile
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

I

and the second second

Wash from north to south, the intersection at 18 1 2 kilometers between those would be right around this 3 general area here. And so this is the Fortymile Wash drainage 4 5 system outlined in yellow. And we're mostly focusing on the southern half of the watershed where the basin. 6 7 So about half of the basin is up in here. 8 But as I say we're mostly focusing on this area down 9 in here. And the white lines that you see, those 10 are measurements of tephra thickness. The superimposed on this image is the 11 12 results of one possible model scenario, or one possible eruption scenario, or one possible model 13 realization. 14 15 So thickness around the repository in this 16 example would be around two meters. So that's a two 17 meter ice pack right in there, and extending outward 18 to center portions. 19 And so what this does show, though, that out by the RMEI location you'll have a thin deposit of 20 21 tephra from the initial eruption. So you would get a contribution from the initial tephra fall. 22 23 What we also know about this area is that there are low rates of no slope erosion. Rainfall is 24 25 only about six inches a year, and so you also get low **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	60
1	rates of sediment yield.
2	We have been able to determine that
3	sediment yields from this watershed equal about three
4	to 30 cubic meters per square kilometers per year.
5	That's a little bit of a mouthful, but
6	that's the typical of measuring sediment yield. You
7	can either use a volume term, or you can use measured
8	times, or even kilograms.
9	And this system is episodic. It's an
10	ephemeral drainage. It's quite unlike perennial
11	stream flow. And so this also makes this a much more
12	difficult problem.
13	You're talking about episodic and flood
14	events. And, to give you an example for what the
15	system is like, in 30 years of recording at this area,
16	there have been 11 flood events measures at the
17	southern most stream gauge near highway 95, or the one
18	also closest to the RMEI location.
19	So only 11 flood events. So only a
20	certain amount of material then is removed. A low
21	amount of material is actually being moved over 30
22	years.
23	And then I would talk to you about the
24	analogs. So what's important to keep mind is that
25	erosional characteristics of analog tephra deposits
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

Ľ

60

·٠

	61
1	strongly depend on site characteristics.
2	So Yucca Mountain is quite different for
3	example than examples, and on Mount Saint Helens. But
4	yesterday afternoon the point was made about Mount
5	Saint Helens.
6	It's not a very good analog for Yucca
7	Mountain, but you can still gain some insights from
8	analogs, even for analogs. So next slide please.
9	MR. HINZE: Excuse me. Don, is this an
10	example or is Fortymile Wash the only drainage that
11	contacts the RMEI?
12	MR. HOOPER: Well let's just go back real
13	quick. With the potential repository being right
14	here, the RMEI being down in this area, this is the
15	primary range that would affect the RMEI, yes.
16	MR. HINZE: Is there any other drainage
17	that could?
18	MR. HOOPER: There's drainages are
19	adjacent to each other so yes, there is another poorly
20	defined drainage off to the west. But this is the
21	main drainage that would affect the RMEI, yes. Okay,
22	next slide.
23	Okay so I'm going to be talking about
24	remobilization in terms of a concept called a sediment
25	budget. And that was to a mass balance accounting for
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.....

c

all the sediment moving through the drainage system.

So allow that to get a monetary budget, a sedimentary budget keeps track of all the sediment within that system. So everything is being accounted for, the tephra, the non-tephra sediments etcetera.

So, a sediment budget, as you can see, there -- a sediment budgeted drainage basin that is a quantitative relationship that links all the sediment sources, the transport processes, stores your remobilization, and they discharge from the basin.

Okay. What we're doing here with the first of our conceptual model, we're looking at simplified mass balance approach using this method to evaluate tephra remobilization following a small volume eruption.

In this case the type of eruption that you see here -- type of eruption. I'm going to do some analog comparisons in just a moment and analog sites, model development.

They include Paricutin volcano in central Mexico which erupted in 1943 -- 1952. The Sunset Crater cone from the San Francisco volcanic field in northern Arizona. It erupted approximately 900 years ago.

And then Cerro Negro volcano down in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

• • • •

www.nealrgross.com

	63	
1	Nicaragua, where Dr. Hill and colleagues did some	
2	measurements. And then at the bottom there, the Nahal	
3	Eshtemoa, an ephemeral ground based stream in the	
4	Negev Desert in Israel.	
5	I won't be talking much about that today	
6	but this was very important for doing modeling analog	
7	work because they did measurements of suspended	
8	sediment yield.	
9	And so, that was very important for this	
10	type of modeling approach. So, next slide please. So	
11	here it Paricutin volcano, a violent strombolian type	
12	of eruption.	
13	Rainfall here is quite a bit heavier than	
14	what you would get at Yucca Mountain. But all is not	
15	lost, it's still a reasonable analog because of the	
16	eruption type, nature of the deposit and thorough	
17	documentation of subsequent work.	
18	Segerstrom, and others for the USGS	
19	they did this volcano quite often during eruption in	
20	years following. So there's some very good records of	
21	subsequent erosion.	
22	And then with Paricutin we did some simple	
23	comparison to Cerro Negro in 1995. Next. Here's	
24	another view of Paricutin looking out roughly from the	
25	base of the cone at the nearby old cone that's now	
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com	

. . .

. 1

1 covered with a think deposit of tephra. 2 And so this was taken by Segerstrom in February 1957, so five years from the end of the 3 eruption, and was very obvious there all the rills and 4 5 gullies. So, with that high rainfall, in this 6 7 setting you're getting extensive rilling and gulling. 8 But, because of the underlying older cone and lava and 9 the relatively impermeable nature of that, that's also 10 leading to the formation of the rills and gullies.

Now here's a look at Cerro Negro in 1999, 12 13 four years after the eruption. This area also has 14 very high rainfall. Once again a deposit several 15 meters thick as you're looking out from the base of 16 the cone.

17 But note this time you're not seeing rills 18 or gullies. So, the underlying cone then the lavas 19 are relatively permeable. So it's important to keep 20 in mind then that the extent and characteristic of 21 erosion in a complex function specific processes and 22 characterizations. Next please.

23 On this prop, we have time down here. A 24 30 year period. So, for Paricutin, this is from 1943 25 to 1972. And on this axis is the relative sediment

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

4

Next slide.

11

www.nealrgross.com

	65
1	yield.
2	So what's plotted here is on the
3	Segerstrom data. And he calculated the relative
4	sediment yield for the Paricutin area. Now, in a
5	normal pre-eruption sediment yield, you assign that a
6	value of one.
7	And what Segerstrom recorded was that the
8	sediment yield was about seven times normal two years
9	after the eruption. And then it slowly dropped off,
10	decayed over time.
11	So after 30 years you're back to a normal,
12	or pre-eruption yield. So with that sediment yield
13	recovered in about 30 years in this well characterized
14	system.
15	And what you're getting here then is a
16	balance between runoff, filtration, and slope. And
17	this is important because it does show a brief period
18	of accelerated erosion following erosion following
19	the eruption.
20	And that's what you'd expect. You've
21	disrupted the normal fluvial system after an eruption.
22	You've deposited amount of tephra in the system that
23	any rainfall even is going to start moving relatively
24	easily, that material.
25	So you got a system at equilibrium for a
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

•

• •

•

. . .

.

	66
1	while. So with this in mind we can use this for a
2	simple model for change and sediment yield through
3	time. Next slide please.
4	Now on this slide we are again looking
5	from 1943 to '72. And then here we have cumulative
6	tephra removed by erosion as a percentage. And then
7	we have area of tephra fall.
8	That's a fairly large number there but
9	that's based on U.S. Scientist reporting a one
10	millimeter of ash falling in Guadalajara.
11	And then for these modeling runs for
12	Paricutin, the range of erosion can be between ten and
13	100 cubic meters per square kilometer per year. And
14	what's presented here is an erosion rate of ten cubic
15	meters per square kilometer per year.
16	So for this site's analog we expect those
17	erosion values to fall between ten and 100. And so
18	with this in mind, and since at Lathrop Wells we see
19	very little remaining tephra.
20	So we could ask ourself how long to remove
21	100 percent of the Paricutin tephra deposit. And
22	using this rank of values you get a number between
23	2,200 and 12,000 years.
24	And then you can ask yourself basically
25	that same question for Sunset Crater. Now here we
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

÷. ÷

1. **.** . .

	67
1	have a cone that's about 900 years old. So it looks
2	a little bit different.
3	And our precipitation, our rainfall and
4	snowfall, is quite a bit less in this area but still
5	a little bit higher than what you would get at Yucca
6	Mountain.
7	And now again, asking that same question,
8	you'd get about 14 percent. We can determine that,
9	after 900 years using these values, that 14 percent
10	has been removed.
11	And, if you use a slower rate of erosion
12	within that range, now that number changes to about
13	10,000. So you're going from about 1,000 to 10,000 by
14	varying the erosion rate.
15	So what we're seeing then, analog scale to
16	appropriate order of magnitude. And then we're
17	getting a reasonable variation between analogs. Next
18	slide.
19	Okay. So where are we going with this
20	model and this work? The sediment yield for Fortymile
21	Wash is between three and 30 cubic meters per square
22	kilometer per year.
23	And that's a measurement that we could say
24	is for about the last month out of the 10,000 years.
25	And, with these analogs, they show an increase of
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

f e est

about one to seven times an increase in sediment yield following an eruption.

So we assume Yucca Mountain would show similar increase following an eruption. And then, with this type of approach, we can quantify these relationships and apply it to what we'd expect to see at Yucca Mountain.

8 And then at the bottom there, extracting 9 model for mass load at the RMEI. So you're getting 10 contributions from the original tephra fall, 11 contributions from fluvial remobilization, and then 12 also some Aeolian remobilization.

Next slide please. Now to sort of present this as a bit of a flow chart and get summarized to some extent, over on the left sediment sources and we'll start with potential tephra.

And basically what we're seeing here is that over the area of tephra fall the mass -- or, if you want to use volume -- is changing over time. And that's what you'd expect.

Erosion is going to slowly be depleting the deposit and etcetera. And so normal surface process then are going to remove that material, and in this case the surface processes would be -- would include such things as slope wash, drilling, shallow

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

. . .

(202) 234-4433

and the second second

1

2

3

4

5

6

land slides.

1

2

3

4

5

6

7

8

9

And then these would be about one to seven times the ambient sediment yield. And so our ambient system is the normal sediment yield from the system.

And now we're going to assume that the change of mass over time and would be a constant. So that could be applied to that portion of Fortymile Wash drainage system that's not affected by tephra fall.

10 And so there again same numbers for the 11 ambient sediment yield. And, just like the diagram 12 shows, you're going to get some mixing, some dilution, 13 through the transport process.

And then, for sediment storage, each year you're going to get a certain amount of sediment production, but you're not going to get enough rainfall in almost any fluvial system to remove all that sediment.

So if there is sediment storage. And sediment storage includes fluvial processes, interior -- hill slopes, as well as alluvial deposits and channel fill in parts.

And so this continues. Next slide. We get deposition finally. And in this case we're talking about sediment yield at Fortymile Wash Fluvial

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	 70
1	band, and basically where the system ends.
2	And there was the expression for the
3	change in percentage in tephra over time. So, through
4	those processes, the amount of contaminated tephra is
5	going to vary over the years.
6	And then for mass loading it's going to be
7	some proportion then of that value as well as other
8	contributions. And there you see the change in mass
9	load over time at the reasonably maximum exposed
10	individual, the RMEI.
11	Next slide please. It is summarized at
12	Paricutin. We see up to a seven times increase in
13	sediment yield after the eruption. And then we see
14	this value dropping off to ambient yields in about 30
15	years.
16	In comparison to Cerro Negro, it shows
17	mush lower increase in sediment yield for short
18	periods of time. Other analogs, like Sunset Crater,
19	show substantial tephra deposits can persist for 1,000
20	years, even with that period of accelerated erosion or
21	sediment yield.
22	So from this we can get a general
23	understanding that sediment yields increase from about
24	one to several times, for some time after an eruption,
25	but the duration strictly depends on the nature of the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
71 1 deposit, the local substrate characteristics, as well as rainfall, which is a huge driver for erosional 2 3 processes. Next slide. To conclude, after 80,000 4 5 years, tephra from all cones, meaning Lathrop Wells and the Yucca Mountain region, have been essentially 6 7 eroded away. 8 So we need to use an analog approach to 9 evaluate the potential redistribution or 10 remobilization process. Analog volcanoes show an -a period of accelerated erosion in sediment yield for 11 decades following an eruption. 12 And then sediment yield from Fortymile 13 14 Wash is being used to develop a mass balance approach 15 for long term fluvial redistribution. And then work 16 on going through model variations in airborne mass 17 load through time at the RMEI location. Any 18 questions? 19 CHAIRMAN **RYAN:** Thank Ι you Don, 20 appreciate the presentation. Any questions from 21 members? Allen? 22 MEMBER CROFF: I'm at the end of my roll 23 here. On page eight and nine in you presentation you 24 show a couple of graphs. One decline in erosion and 25 then the cumulative tephra released by erosion. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

. .

www.nealrgross.com

	72
1	I was a little bit puzzled. The first
2	graph shows basically the erosion rate turns back to
3	normal in about 30 years.
4	MR. HOOPER: Right.
5	MEMBER CROFF: And my first thought was
6	well, gee if most of this stuff is gone and we're back
7	to a lot older rock underneath. But then the next one
8	says that only above three or four percent of it is
9	gone.
10	How come the remaining tephra behaves so
11	much like the much older rock in the area after that
12	short of a period of time.
13	MR. HOOPER: Because, after a brief period
14	of time, a drainage system become integrated and, even
15	in material like this it fairly rapidly stabilizes.
16	So, even though you're still seeing all
17	those rills and everything, that's an integrated
18	drainage system that's becoming fairly stable.
19	MEMBER CROFF: Okay. And this methodology
20	treats all particle sizes the same?
21	MR. HOOPER: Yes, for right now it does.
22	MEMBER CROFF: Okay. I don't
23	CHAIRMAN RYAN: Does Ruth have a question?
24	MEMBER WEINER: In a place like Yucca
25	Mountain, wouldn't the Aeolian remobilization
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

•

	73
1	completely dominate the fluvial remobilization? I
2	mean, you really don't have much rainfall. And what
3	would that do to your model?
4	MR. HOOPER: We are accounting for Aeolian
5	remobilization through a model abstraction. But even
6	in a system like this, even though some periodic,
7	episodic rainfall events, those are still responsible
8	for use for transporting a large amount of sediment
9	than Aeolian.
10	We have this perception that Aeolian moves
11	a massive volume. But, in reality, it really doesn't
12	move as much as people think.
13	MEMBER WEINER: Can you give me a
14	reference for do you have some actual measured
15	evidence for that?
16	MR. HOOPER: Yes there were some
17	geomorphological studies done decades ago. And what
18	one of them concluded is that the total global Aeolian
19	remobilization was equal to about twice of what the
20	Mississippi moves each year.
21	So that's global remobilization compared
22	to just one a large fluvial system.
23	MEMBER WEINER: I have a little problem
24	with that. Applying that to that kind of macro
25	scale consideration to the relatively micro scale
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	74
1	consideration.
2	And you've used as a basis for your model
3	the volcances that are in regions that have ten times
4	the rainfall. And let me just leave it at that.
5	This I think you need to justify, for me
6	at least, and perhaps I'm wrong in this. You need to
7	justify this more than just on a macro scale.
8	CHAIRMAN RYAN: Bill Hinze, a question?
9	MR. HINZE: Well there are many drivers to
10	the distribution and redistribution. Certainly
11	climate variability is one of them, and not
12	precipitation but raised precipitation amounts, wind
13	direction, dust devils, etcetera.
14	How are you incorporating the amounts of
15	climatic variability that you would expect over a
16	10,000 year or 100,000 year time period? And I guess
17	the next step for that would be something really
18	involving global climatic change.
19	MR. HOOPER: Okay. If you wanted to
20	account for climate change, assuming climate would
21	become more humid, you could just adjust parameters to
22	greater rainfall, meaning you would just increase the
23	sediment yields, if, after say 5,000 years it the
24	belief that precipitation would increase, then simply
25	the model encompasses would move to high values.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neatrgross.com

• • • •

and the second secon

	75
1	MR. HINZE: Well, do you have models to
2	incorporate into that? Do you have models to even
3	incorporate climate variability that we would expect
4	with 100 year storms or 100 year overland wash?
5	Do you have those, and are you
6	incorporating those in the models?
7	MR. HOOPER: Yes, there are reports that
8	have a predictive nature for future rainfall. And, at
9	this point, the first model no I haven't accounted
10	for that yet but it will be easy enough to do.
11	MR. HINZE: I think Bill will remember
12	there was a large storm about 1992, '93, something
13	like that which had tremendous in the Fortymile
14	Wash area.
15	And there were geomorphologists working on
16	it at the time and this just certainly wasn't one
17	condition. Perhaps you can help me with something
18	that I saw in the technical basis report of the
19	Department of Energy and the publication of geology,
20	we can talk about it as you'll understand.
21	But they show a tephra distribution for
22	Lathrop Wells which extends only a very short distance
23	to the to the south, a very large distance to the
24	north.
25	This if we can extrapolate that, if
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

· · ·

. •

	76
1	that's correct, and can be extrapolated, what does
2	that mean to the distribution of ash from a repository
3	igneous event with deposition in Fortymile Wash?
4	MR. HOOPER: Well that is an alternative
5	conceptual model. But Lathrop Wells is not correctly
6	a part of Fortymile Wash.
7	MR. HILL: This is Britt Hill from the
8	Center. What we're going to implement in this model
9	is a different tephra distribution approach than what
10	was done in previous versions of the TPA.
11	We'll be using a fully realistic wind
12	field. And, for the simulated eruptions, we're using
13	the desert rock data, which is the nearest wind radio
14	sound information that we have for Yucca Mountain.
15	And for each of the realizations, we're
16	given eruption mass and duration. We'll be
17	calculating the tephra and then sampling a realistic
18	wind field for that realization.
19	So we will be distributing the model
20	tephra according to the wind field information and
21	only modeling those parts of the deposit that fall
22	within the potential redistribution basin, or Aeolian
23	basin in each of the model simulations.
24	So we're not taking an analogs approach
25	for kind of a deterministic calculation on where the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

· · · ·

er.

•

76

ŝ

1 × 1

	77
1	tephra may or may not be.
2	MR. HINZE: Is there any reason for us to
3	question what we see in that technical basis note?
4	That's I shouldn't ask that.
5	MR. HILL: I'm afraid I can't answer that.
6	(Laughter.)
7	MR. HINZE: I know what the answer is.
8	Britt, you know, you've got desert rock I think it is,
9	meteorological station. That's one point that's
10	relatively short time span.
11	MR. HILL: It is 30 years.
12	MR. HINZE: As I say a
13	MR. HILL: Very short time span.
14	MR. HINZE: What kind of input are you
15	getting from your meteorologists, your climatologists,
16	as to how we might use that to look at the total
17	variability that we might expect over even 100 years,
18	even 1,000 years. It worries I worry greatly about
19	using this short time span for one observation to
20	constrain these models.
21	MR. HILL: Certainly that's one of the
22	things that our group is looking at. The global scale
23	wind models that have been developed for various
24	applications.
25	We're trying some of the team is trying
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

2.5

ξ.

	78
1	to look at relating the model winds for the current
2	condition to the actual data to gain some measure of
3	confidence that the models are simulating a wind field
4	at the scale that we need for tephra modeling.
5	And then, of course, look at how the
6	models may change with different assumptions of
7	climate change through time. And give us a first
8	sense of, given the climate change scenarios that are
9	being used on other aspects of the performance
10	assessment, would those climate assumptions impart
11	significant or insignificant variations in the wind
12	field at the scales that could affect tephra
13	distribution?
14	So I can tell you that is an area of
15	numerous ongoing work.
16	MR. HINZE: Is it possible to get some
17	feeling for what percentage of the redistribution is
18	fluvial overland or Aeolian?
19	MR. HILL: I'm afraid I can't give you any
20	real hard numbers, but I can just give a perspective
21	that the fluvial basin is really that area that's very
22	close to the potential repository site, or within the
23	first ten five to ten kilometers from the volcano.
24	When you look at the grain size
25	characteristics of deposits around the volcanoes at
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealroross.com

• •

and the second secon

that distance, you see that they're dominated by nonentrainable fractions.

Most of the deposit if courser than 100 microns. So if we're looking at a normal wind entrainment process, where you can suspend 100 micron and finer particles, you're really only depleting the uppermost layer.

Several millimeters of that deposit can be entrained by turbulent winds suspending it. The bulk of that deposit near the vent is going to remain unaffected by any windborne process.

You would allow -- the finds from the 12 13 surface layer, and leave a course lag. So I think, as a very geologic perspective, most of the potential 14 mass of these calculated eruptions in these basins is 15 16 going to be dominated by an invective process of 17 fluvial release, rather than Aeolian transport, just 18 because the grain -- the deposit itself is really too 19 course to have much Aeolian transport in where the 20 bulk of the mass is going to reside.

21 Of course, when you go farther away, 22 outside that basin, on distances of 20 maybe 30 23 kilometers, then you're in a much finer grain deposit. 24 And the windborne transport is going to be 25 much more important than stabilization or fluvial

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

> > ۰.

· •

(202) 234-4433

1.1.1.1.1

1

2

3

4

5

6

7

8

9

10

11

www.nealrgross.com

	80
1	reworking.
2	CHAIRMAN RYAN: Bill?
3	MR. HILL: But that's really a small part
4	of the mass.
5	CHAIRMAN RYAN: Sorry Britt, sorry Britt.
6	I want to ask that, based on time we don't have a
7	break in our schedule. I would like to put one in.
8	MR. MARSH: I would to.
9	CHAIRMAN RYAN: Okay. So that being said,
10	it's now quarter of ten. Let's reconvene at ten and
11	we'll continue questions perhaps after the break.
12	(Whereupon, the above-entitled matter
13	went off the record at 9:45 a.m. and went back
14	on the record at 10:00 a.m.)
15	CHAIRMAN RYAN: Okay. We'll go back on
16	the record please. Thank you. Are there any I
17	wanted to make sure we had a chance for any last
18	questions for our previous speaker before the break,
19	Dr. Hooper.
20	Hearing none we'll move on to our next
21	three presentations. And the next speaker Dr. Fred
22	Harper, Dr. Lynn Anspaugh, and Dr. Keith Eckerman.
23	So, without further ado, let me ask Dr. Fred Harper of
24	Sandia National Labs to talk to us on his perspective
25	on aerosol model issues.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

en de la proposition de la constante de la presentation de la presentation de la presentation de la presentatio

	81
1	I think he'll have some interesting
2	information for to see.
3	MR. HARPER: Is it okay if I talk from
4	over here.
5	CHAIRMAN RYAN: Just fine I think if
6	everybody can hear it. We can hear okay. Just fine
7	thank you.
8	MR. HARPER: Can I I want it dark.
9	CHAIRMAN RYAN: Oh, yes. I'm sorry.
10	PERSPECTIVES ON AEROSOL MODELING ISSUES
11	MR. HARPER: Those of you that need to
12	sleep can go ahead. We've been doing explosive
13	aerosolization experiments as Sandia for over 20 years
14	and the I don't need it that dark.
15	CHAIRMAN RYAN: Okay.
16	MR. HARPER: There's a lot of electro-
17	micrographs in this presentation so you need it a
18	little bit dark. But we've been doing this. And our
19	goal is to understand radiological dispersal devices,
20	and improvise nuclear devices.
21	The non-yield aerosolization
22	characterizations of a nuke, and the radiological
23	dispersal devices, the aerosolization. We've been
24	looking at this for over 20 years.
25	And done about more than 500 shots. And
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

 $\Phi^{(1)}(x) = \Phi^{(1)}(x) + \Phi^{$

J . ..

•••

٠.

÷

since 9/11 everybody's interested. It used to be that even the people paying for this wouldn't come out to visit.

Now there's all kinds of people coming in to see our work. This is not a perfect analog for your problem. I talk in terms of times of micro seconds.

8 I hear hours and weeks as far as the 9 interaction goes. So we're not talking about a 10 perfect analog here. And as far as the pressures go 11 I speak in terms of giga-pascals and I hear mega-12 pascals in this.

13 So hopefully you'll be able to take away 14 something you can use from this presentation. But 15 it's not directly the same sort of events. I can't 16 even spell igneous, so if you please stop and ask 17 questions because you may focus on something that I 18 wouldn't even think of focusing on from here.

So let's run this part a little bit less formal. First I'll show you a couple of things about what problems we're looking at. This is a large cesium chloride mobile food irradiator from China, about 250,000.

So the form of the material is a salt. We've done many cesium chloride shots. These are

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

24

25

1

2

3

4

5

6

7

82

www.nealrgross.com

. . • ... •

radio-isotopic thermal generators. They contain strontium titonate, an oxide. Am I standing in anybody's way?

1

2

3

CHAIRMAN RYAN: No your fine thank you.
MR. HARPER: They contain strontium
titonate. We're very interested in ceramics,
specifically strontium titonate and the actinide
oxides.

9 These are -- these specific ones are about 10 45,000 -- these are bigger right here, these are 11 smaller. Up to maybe 10,000. And they come 12 encapsulated.

And we've done experiments with encapsulation, without encapsulation. Generally the sources come encapsulated, so we would be remissive if we just did our experiments on the basic material without considering encapsulation.

18This is a cobalt pencil from a cobalt19irradiator. There's lots of cobalt irradiators20around. And this is the size here, those are21centimeters.

This is about 1,000 curies worth. Nordien has provided us with several of these, and we blow them up and check for aerosolization, check the aerosolization characteristics.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

.

· · · ·

www.nealrgross.com

•

	84
1	They of course give us the cobalt in the
2	cobalt 59 form prior to neutron irradiation. We tend
3	to do a shot a week, or two shots a week. And we
4	stayed non-radioactive.
5	So we're looking at material surrogates,
6	like cobalt 59, like cesium 133, strontium 88. So
7	we're doing it clean. And at some point we attempt to
8	simulate radiation aging by introducing defects into
9	the crystal matrix.
10	What's important to the aerosolization
11	potential is what form. It's critical what the form
12	is. Metals behave completely different than ceramics,
13	and liquids and powders behave differently as well.
14	In this talk
15	MR. HINZE: Can you explain just a bit on
16	that ceramic versus metal?
17	MR. HARPER: I'll explain a lot.
18	MR. HINZE: Okay great.
19	MR. HARPER: That's what the whole talk
20	going to be about.
21	MR. HINZE: Sorry.
22	MR. HARPER: I think you're mostly
23	interested in ceramics but I'm going to talk about
24	metals as well. I'm not going to talk about liquids,
25	and I will really only touch on powders.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

.

. . . .

Fractured toughness is key for the ceramic, as well as density, speed, and sound, and the thermal properties for ceramics. And for the liquids of course there's a whole different set of properties that are important.

I'm going to drag you through a little bit of shock physics here. I apologize, but this is important for -- because what ends up happening is change of phase is critical to the size that the particles end up.

And what we have, this is really important for metals and for salts. And it's important for ceramics in that they do not change phase. They're in the solid fracture mode.

You start out -- this is pressure volume
diagram. Start out down here. Shock up Raleigh line,
directly with the straight line. And then relief
along the isotope that we have approximated by there.
Not important. What you need to know is

when the amount of energy that is left after the shock has come and gone is represented by this shaded area.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

> > .

C.L.L

1

2

3

4

5

6

7

8

9

15

16

17

18

24

25

(202) 234-4433

Now the size -- the thickness, the size of that shaded area depends on things such as the speed or sound in the material, the bulk modulus, the density of the material, basically shock physics parameters.

This has a very small banana, bismuth has a very large banana, uranium has a medium sized banana, silver has a medium sized banana. It depends on the properties.

11 You compare the amount of energy left in 12 the material after the shock has come and gone to the 13 thermal properties. How much energy does it take to 14 melt it?

How much energy does it take to sublimate it? And if it -- if you have more energy left then that amount of energy, then you're in that form. Now you're only in a form for less than second.

You know, what I'm talking about are solvent aerosols. But that dictates the size of the aerosol. Oops, went the wrong way. And this is why I'm standing up here doing this by myself.

There it is. Now this a detonation wave traveling through PBX-9404. Pressure is about between 35 and 40 giga-pascals. Is meets a particular flavor

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

www.nealrgross.com

	87
1	of plutonium, spikes up to about 60 giga-pascals.
2	Now, at this point, if this was TNT or if
3	it was PBX-9501, the spike would have only gone up to
4	about 40 giga-pascals.
5	So the type of explosive makes a
6	difference. Now this particular flavor of plutonium
7	takes about 34 giga-pascals to melt. So this is just
8	hockey puck on hockey puck geometry.
9	I can't go into any other geometries in
10	this kind of environment. So, in this case, you melt
11	about a centimeter and a quarter worth of material.
12	Now, if that was something other than that
13	particular flavor of plutonium, such as cobalt, it
14	would take 208 giga-pascals to melt. If it was
15	bismuth it'd take about 11 giga-pascals.
16	If it was cesium metal, which you never
17	run into, it'd only take one, one and a half giga-
18	pascals to melt. And I won't give you bore you
19	with the sublimation properties.
20	The point is, there the metal, the
21	explosive, all make a difference in to how much melts
22	or sublimates. Now, let's put this together in kind
23	of an integrated fashion here.
24	Metals can change phase to vapor, to
25	liquid. If they change phase to vapor and remember
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

. •

 $= \sum_{i=1}^{n} \left(\left(\frac{1}{2} + \frac{1}{2} \right) + \frac{1}{2} + \frac$

2 N. 1.

•

it goes from vapor and back to solid in about less 1 than a second -- they typically come out less than one 2 3 micron. 4 You know, the aerosol will be less than one micron and I have some pictures of them. If they 5 change to liquid, they're always less than 20, in our 6 experiments. You know, velocities will change this 7 8 number. 9 If you get higher velocities and you end up with smaller particles. They're usually less than 10 11 10 microns. So, if you change phase from metals, you end up in the respirable region, the highly respirable 12 13 region. 14 Now, for metals, it turns out that you're 15 either respirable, you've gone through the phase 16 change, if you're in the solid fracture. The solid fracture ends up, and I'll show you some pictures of 17 18 this. You basically pick it up off the floor. 19 20 There's very little in the middle. There's very 21 little in the 30 microns, the 20 microns to 200 micron 22 range. 23 Either you're either respirable, or you 24 pick it up off the floor. Ceramics, in our 25 experiments, we haven't seen any phase change for the **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealroross.com

• * ***

ceramics.
And we're talking about strontium type
cerium dioxide and a few other ceramics. We have seen
phase change for the salts. For the cesium chlorides,
and barium sulfates and other salts that we've looked
at.
So, for ceramics, you're stuck with a
solid fracture. Now we see peaks several there.
There is a peak that is under that's about it's
consistent.
It's always at 2.2 microns, aerodynamic.
Now that translates to about one micron. If you go

2

3

4

5

6

7

8

9

10

11

12

13

14

15

24

25

one micron. If you go into the literature, you'll find that for -- you know, you find papers from back in the 1800s about a comminution or a grinding limit.

16 And this is a limit below which it is very hard to get particles smaller than. You can do it 17 18 with you know like advanced techniques and stuff. But 19 there's a few reasons for that.

20 One is that, at about that sized, brittle 21 materials start to behave ductile. That's maybe one 22 reason why it happens. Also about that size, cracks 23 can't get any closer than that.

Vanderwhal's forces. There are several And, below that size, things like to reasons.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

the second second second

(202) 234-4433

and the second

.

www.nealrgross.com

90 agglomerate back up to that size. So within the 1 grinding and crushing industry, they talk about this 2 comminution limit, comminution limit, I said that 3 4 wrong, grinding limit. And we, coincidentally, every ceramic shop 5 we look at we see a peak right there. Theoretically, 6 7 and we haven't seen this evidence, theoretically there 8 ought to be a peak where the grain boundaries are. Well 9 we don't aren't we as quantitatively good there as we are down here. 10 So we're not positive whether we see this or not. 11 And then there's energy limit and spall. 12 In a nutshell what we see when we do 13 14 ceramics is not the same that -- when we see metals. 15 We sort of see a fair amount in that intermediate 16 range. We try to do this to try to study the larger 17 particle size ranges as well. So there is a lot of material between the 18 19 30 micron and 200 micron range. This is where we do 20 our experiments. This is 1,000 cubic meter air 21 supported building. And we do up to a half pound of 22 explosive in there. 23 We try to do a shot a week in that And this is a smaller facility. 24 facility. And what 25 we try to do here is we put about 30,000 worth of NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	91
1	stainless steel on this old generator box.
2	And we do smaller shots but we are able to
3	vacuum up and pick up the sweepings. We can get the
4	sweepings from the bigger containment as well, but
5	it's trapped up with some concrete.
6	And what we do inside these buildings is
7	we had have a bunch of sampling instruments, laser
8	defraction instruments. This is a cascade impact that
9	does a good job sizing from 25 microns and down below.
10	We use cyclone separators that look at
11	between 30 and 100 microns. We have other kind of
12	deductive techniques where we actually get information
13	above 100 microns as well.
14	We're not trying to look at just the
15	respirable because we're after the physics, and then
16	we try to fit response surfaces to extrapolate to
17	materials that we can't do in our containment, such as
18	uranium, plutonium, that sort of thing.
19	So we're after the full size particle
20	size distribution, not just low teen microns which
21	happen in a lot of experiments. This is the result of
22	a bismuth experiment.
23	I can't talk about geometries in this
24	environment. But this is what it looks like if it's
25	gone through the vapor phase. This material is
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

sublimated.

1

2

3

4

5

And this is a one micron reference bar. You can see that the material is much smaller than one micron, from a uniform condensation. But the peak is actually at .7 microns in our cascade impactor.

And what happens, and I'll talk a bit about the conglomeration is that these things stick together because they hang up in the fireball for a matter of a second or two, that's all. And that's enough time that that density of particles to conglomerate to a significantly larger material.

12 This is what the bismuth looks like. Now 13 right here there is about 70 grams of bismuth in this 14 developing fireball. This is actually before the 15 fireball has stagnated and set up and done the 16 turbulent anything.

You can see at this point it's all in turbulent jets. And there's about 60 grams in the space, that in this case is just a couple or three cubic meters.

And I'll talk a little bit about the fireball when I have a different picture. At that point -- at this point it is -- it has come and gone from the vapor phase.

This is what silver looks like. In the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

. . . .

(202) 234-4433

e • .

25

www.nealrgross.com

	93
1	case of silver, silver takes 80 giga-pascals to melt,
2	so you have to use a technique to get higher pressures
3	for silver than you would for bismuth.
4	Bismuth you only take 11 giga-pascals to
5	melt. And silver turns out that we have a vapor peak,
6	and a liquid peak. A vapor peak that's a one
7	micron reference bar.
8	Again you see the small snowy kind of
9	appearance. And the, in liquid peak you see nice
10	spheres, isotropic surface energy makes it spherical
11	if you end up in the liquid phase.
12	And this was less than efficient an
13	aerosolization situation than the bismuth, because of
14	the properties of silver. In this case the geometry
15	was identical to the silver base.
16	These are the prettiest spheres we get.
17	These are from Tamen. This was a fun experiment
18	because we ended up setting fires all over the mesa
19	out to about half a mile away from our containment,
20	which was, you know, like it's a fabric containment.
21	We had particles going through the
22	containment, setting as many as 11 independent fires
23	our there. We don't do many experiments, so these
24	are sort of special.
25	But anyway, in this case, the peak we
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

 ϕ_{1} , ϕ_{2} , ϕ_{3} , ϕ_{2} , ϕ_{3} , ϕ_{3

•

We varied the materials, we varied the geometries, we varied the devices, trying to get a handle on all aspects -- of what's important to aerosolization.

8 This is an aluminum shot. The aluminum 9 shot is different from the others because it oxidizes. 10 The explosive environment is under -- an under-11 oxidized environment, so when aluminum meets air on 12 the outside of the fireball, it ends up lighting up.

13 In this case about 10 percent of the 14 original mass aerosolized. The rest of it ended up in 15 big chunks that we picked off the floor. And these 16 were big chunks, like about an inch.

17 So they were pretty easy to find. We came 18 close to full retention in this experiment because of 19 that. But what ends up happening is you end up 20 setting up this firewall, it stagnates at a particular 21 size, and the concentration of the aerosol in that is 22 such that for about a second or two you get heavy --23 and I'm lumping conglomeration, aggregation, flocculation all together and just calling them a 24 25 conglomeration, but it's even something different from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

• .

1

2

3

4

5

6

7

2

3

4

5

6

7

8

9

10

11

Because, in this case, you're not talking about slow diffusion processes, you're talking about inertial things. So it's almost more like temperature.

It's a kinetic kind of a sticking. You've got these turbulent eddies going around, and all of these -- of this aerosol material in it. So we get fast conglomeration, something different then what you think about in a nuclear containment where you've got a little more time than a few seconds.

Now I referenced before that -- I mentioned that cobalt takes about 200 giga-pascals, 208 giga-pascals to melt. So what happens what you do cobalt? One of those pellets? You end up with fragments.

You get a very tiny percentage in the respirable region. You do get a little bit that comes out in spheres, showing change of phase, but very, very little -- through cobalt much different than --

21 MR. HINZE: Excuse me, Fred. Are those 22 abraded? Those particles have been abraded as 23 elements. Have finds been lost from within the 24 process? You've got the chunks, but they seem to be 25 abraded.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

···· • .

(202) 234-4433

1 1 E

www.neairgross.com

.

	96
1	MR. HARPER: Yes. There were we did
2	measure some finds, but it's less than one percent of
3	the original mass. Much less than one percent. About
4	.1, .2 percent was all we got from this.
5	And I've got a spall surface from one of
6	these pellets in the future.
7	MR. HINZE: What's the physics of it?
8	MR. HARPER: What's the physics of what?
9	MR. HINZE: Of producing the finds.
10	MR. HARPER: Actually if, you go through
11	and look at the models, they say there's no way that
12	we get anywhere near that temperature. The physics is
13	that every time we're looked for aerosols we see them.
14	Whether the models tell us they're there
15	or not. Models often times tell you they're not
16	there. We always in the case what I think is going
17	on, I didn't mean to get to this level of detail, but
18	that's the surface from cobalt.
19	It's a spalled surface. You can see
20	sights there where you can imagine that there was
21	localized energy events that caused enough energy to
22	change phase there on a very small scale.
23	That, plus the fact that one of the things
24	we do is we string wires close to the blast, and
25	they're copper coated steel wires. And what we do is
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

·

97 we capture the aerosol, and I don't have any -- I 1 don't think I have any pictures in this presentation, 2 capture the aerosol and look at the cross-section with 3 an electron microscope. 4 5 And we actually found droplets of iron on 6 lower -- you know one of -- the one that was there 7 inches away from the charge failed due to shear, not 8 due to compressive, and it ended up putting droplets 9 of iron on one below. Now that -- now physics don't predict that 10 11 But, when you have a fracture event, enough either. 12 energy happens that you have these localized, noteasily modelable kinds of events going on is my take 13 14 on it. 15 CHAIRMAN RYAN: Fred, just one quick 16 If you go back to your aluminum slide question. 17 there, it looks -- right there it looks interesting 18 from the standpoint that -- I mean I get the picture 19 in my mind that the energy distribution throughout 20 that system is pretty -- you know, varies quite a lot, 21 based on where you are here in the center core. 22 I know it always an equal charge and the 23 shape and all that. Is -- how much does the energy 24 distribution from that event vary over the same, what 25 is the magnitude? **NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

en a ser en antes de la casa de la

(202) 234-4433

www.neairgross.com

. . .

	98
1	MR. HARPER: Across the fireball?
2	CHAIRMAN RYAN: Yes. That'd be a great
3	place to start.
4	MR. HARPER: Well, we usually assume its
5	uniform across the fireball but that's an assumption.
6	And that's the assumption that drives us to our
7	buoyant models that give you a feel for that.
8	What you've got going on there is you
9	certainly have an energy difference on the outside
10	because you've got combustion going on, and so there's
11	
12	CHAIRMAN RYAN: Outside to inside more than
13	axially across.
14	MR. HARPER: And I pictured more turbulent
15	eddies, so that you know there's substantial energy on
16	the inside as well.
17	CHAIRMAN RYAN: Okay.
18	MR. HARPER: But it's what ends up
19	happening is it stagnates there. You end up growing
20	very quickly to, in our case it about a diameter of
21	about three meters.
22	And then it just stagnates there for a
23	you know we're looking at, you know this is a if I
24	kept this going for about lets say several 20's of
25	milliseconds, it wouldn't grow.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

and the second secon

going on here. But anyway, so for some metals, depending on the properties, that's what they look like.

Now we did lots of ceramic studies as you know. The ceramics are very important to our aerosolization. This is strontium titonate. That up there is high density strontium titonate.

10That's lower density strontium titonate.11All we did there was we left the higher density in the12oven, as we centered it -- centered it long enough.

Now I read in your documentation somebody
-- there's some point that says that there's -- what's
in there is pressed powders but that's not correct.
It's reactive. And that's -- and that is center after
the powder has been pressed.

Now these are very interesting shots. We feel we've got the metals nailed, but the ceramics are much more complicated. This is the original powder that went into the strontium titinate before centering.

This is the hardness of the strontium
titonate. This is the higher density cerium dioxide.
We use cerium dioxide as our actinide dioxide,

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

and the second second

1.0

1

2

3

4

5

6

7

8

plutonium oxide, americium dioxides, fluorium oxides. 1 So we tend to do a lot of cerium dioxide 2 shots, one because the properties are different that 3 4 the strontium titonate, or we're trying to do our 5 response surface based on properties so sometimes we do shots on things that aren't relevant to any 6 7 radiological source just to look at the property -you know the impact of the property variants on the 8 9 aerosolization potential. This is high-density stuff. These are --10 11 that's the fracture surface there, that's the fracture surface here. And you can see the grains on the non-12 fractures surface there, and up toward the top there. 13 Notice the shape of this. We did that 14 15

with a hammer, did that with a hammer. You know basic, real simple stuff. That's high-density. This is low-density. This is how -- this is open porosity.

16

17

(202) 234-4433

Now, gut feeling, what do you think would aerosolize better, high-density or low-density? I think everybody -- you know these are of a size such that if this came apart it would look like a -- it would be on micron small respirable.

23 So, the strontium titinate powder was 24 definitely respirable size. It turns out that this has 25 a higher aerosolization potential for strontium

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

· . . .

titonate.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

25

It very clearly has a density or porosity dependence. For cerium dioxide, there's no density dependence. They behave much differently. That's part of the complication of ceramics.

This is the cerium dioxide, and you can see unlike the nice spherical metal stuff, we've got shapes. We've got grinding shapes in this case.

And if you do see a sphere, that's an aluminum contaminant to the experiment. A little more about the solid fracture failure modes. Compressive wave goes through, followed by a relief wave.

And I've got a little bit of a picture, next slide to show this a little better. And if it's a ductile situation, it spalls. And I've got pictures of that.

Or the compressive wave can be followed by the relief wave, followed by crack propagation. It lifts the cracks apart from each other. That's a different sort of method.

Then there's failure from diviatoric stress. I was happy to hear Britt say diviatoric stress so that I don't have to explain it to everybody, right Britt?

Basically diviatoric stress, and I guess

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

.

	102
1	one of the highest places you use that word is in
2	volcanology, the geological whatever you guys
3	do. (Laughter.)
4	So basically it's magic and what it means
5	is it's the non compressive stress, or the non-hydro-
6	static stress, the bending, the grinding, the you
7	know all of this other energy that doesn't do well
8	under mathematics.
9	But anyway, so we got failure from
10	diviatoric stress. And we consistently as I mentioned
11	observed peak in the same lines range that they do
12	when the grinding the stone.
13	The aerosolization potential, I put that
14	up there to remind me, we are looking at non-
15	radioactive materials here. In an attempt to simulate
16	what would happen if we'd let the strontium titonate
17	age for 30 years, we dealt with proper amounts of
18	zirconium oxide and titanium oxide.
19	Basically we put some inhomogeneaties in
20	there. We used a mill, got it down very small size
21	and we centered it, and looked at the impact there.
22	Now again, intuition would say radiation aging, that's
23	going to make lots of fluff, that's going to make it
24	come apart easier.
25	The aerosolization potential, what this
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
1	

·. •

•• • • •

ji. T

2

3

4

24

(202) 234-4433

So it took that high percent -- high 5 aerosolization percent, away. So that was kind of 6 7 interesting. And part of that explanation is that for brittle fractured crack propagation is 8 а very 9 important phenomenon.

10 And you can see that cracks would have a really tough time propagating through something that 11 12 is high inhomogen -- inhomogene -- whatever. And let's see, and then I already mentioned that there's 13 14 a significant -- unlike metals there's a significant 15 fraction of ceramic particles that come apart.

Now, in an attempt to figure out why 16 strontium titonate behaves so much differently than 17 18 cerium dioxide, taking a real close look at the actual particles, now these are all in that 2.2 micron peak. 19

20 If you look at cerium dioxide, it looks like -- if you -- I don't know you're talking about a 21 22 steel mill. Did you ever look at the micrographs of 23 the grindings from steel mills?

CHAIRMAN RYAN: No they were much more 25 interested in getting it cleaned up.

· . . ·

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

× 7

. . . .

	104
1	MR. HARPER: But if you look at some of
2	the powder metal results, that's starting to look a
3	little bit like things that come out of the mill,
4	things that come out of the grinding process.
5	Where as this looks like it may be the
6	ceramic failure and contention. We've got a lot more
7	to look at before I can contentitively draw that
8	conclusion.
9	But if we look you know just because of
10	the difference in density dependence, we're looking at
11	drastically different failure modes here. And you can
12	see it in the shape.
13	These are metals. These are spall
14	surfaces. And unfortunately I didn't bring the
15	varsity picture where I really show a nice spall
16	surface which is from one of those aluminum fragments.
17	But you can see that the surface is
18	modeled as basically it compressed and pulled apart.
19	And exactly what you think would happen happened.
20	This is time versus pressure on a shock wave
21	And the compressive part is followed by a
22	relief part, and this is where this and that happen.
23	Who knows where that happens. That's something
24	entirely different.
25	CHAIRMAN RYAN: But think about the two on
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neatrgross.com

.

 $(1, \dots, 1)$

·

.

• •.

104

	105
1	the left. Now can we infer that the intention created
2	larger particles? Am I looking at larger
3	conglomerated particles versus those small fragments?
4	MR. HARPER: No those are from the same
5	stage on
6	CHAIRMAN RYAN: On the impact.
7	MR. HARPER: On the impactor from
8	different experiments.
9	CHAIRMAN RYAN: I got you.
10	MR. HARPER: So in that case what we're
11	looking at is we're looking at that 2.2 micron area in
12	the stage.
13	CHAIRMAN RYAN: Got you. Okay.
14	MR. HARPER: So I homed in on these things
15	so I cut out the reference part. These are similar in
16	size.
17	CHAIRMAN RYAN: That's fine.
18	MR. HARPER: And so that's an interesting
19	fact. And I think this is probably obvious by this
20	point, but what matters to ceramics? Properties such
21	as the fracture toughness, the density and speed of
22	sound, and the porosity.
23	But what also matters is the way that the
24	waves come at you. Is it s shear wave? Is it a
25	compressive wave? Is there any other non-uniformity
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	106
1	in the geometry?
2	That seems to make a different. This is
3	a salt. This is cesium chloride before shocks run
4	through it. Now every other reference bar that I put
5	up there was one micron.
6	That's ten microns, that's 100 microns.
7	So these powders are big. These powders are big.
8	This is what they look like after you run a shock
9	through the material.
10	They get smaller. Phase change, here's
11	liquid, and you can see that there's kind of a bubble
12	here at the top. Nice they're not nice and round
13	like the other ones. They're kind of clumpy.
14	There cesium reacts chemically more than
15	the other would. Certainly it's very soluble.
16	There's probably some water involved in that. And
17	let's see, there's also I didn't bring it but we
18	get cesium in vapor phase as well.
19	Now that's what folks at Argon have been
20	doing, some dissection of radiological sources, and
21	this is critical to my extrapolation to real
22	radiological sources.
23	We need to do the x-ray crystallography
24	here to look at the crystal the crystal matrix
25	changes to see how close we are with our conventional
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

-. ... ÷

<u>.</u>

106

۰.
	107
1	strontium titonate and cerium dioxide experiments.
2	Only reason I put this is you see some
3	chain conglomeration going on. The cerium dioxide
4	powder, when we do powder experiments, if they start
5	out small, they may get bigger in the shock.
6	There's something called shock
7	conglomeration. You shock center shock
8	conglomeration, whatever it is it's not
9	conglomeration or centering really.
10	But if you run high pressures through it
11	you can get bigger particles in the shock wave. You
12	don't have to wait for agglomeration in the fireball.
13	This is agglomeration in the fireball,
14	however. We can see these nice chain block and things
15	like that. It started out as a pretty highly porous
16	thing look's something like that.
17	And it broke it apart and re-agglomerated
18	it. Now I've been talking little bit about
19	agglomeration. I thought that that might be something
20	that you'd care about.
21	This is the this is how many are
22	familiar with roller coaster experiments? So a few,
23	okay. The roller coaster experiments done in the 60's
24	about '62, '63. And they were actual plutonium
25	there was one plutonium bearing device for each of the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

• •

.

	108
1	experiments.
2	And it was there's a lot of it that's
3	still classified but this stuff's not. So what they
4	did from there is they did two shots that were of
5	interest to me.
6	Double tracks, clean slate one. Double
7	tracks is a plutonium bearing device on an eight by
8	eight steel plate. And they put up big balloon
9	curtains and measured, and it was an outside shot,
10	full sized, and measured the aerosol.
11	And this is the particle size distribution
12	that came out on the double tracks and clean slate
13	one. And , if you go over here and if you use the
14	thing that's absolutely wrong but say ten percent,
15	below ten percent is respirable.
16	Go over here, excuse me ten microns. Ten
17	microns you look at about 20 percent of that plutonium
18	device is respirable. This particle size distribution
19	was used in transportation studies, storage studies
20	forever.
21	However, the it turns out that if you
22	do back to the original data and look at it, and this
23	is also stated in the documentation, if I were to look
24	at a volume distributed plutonium activity versus
25	physical diameter, I would follow the above curves.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

en al de la companya de la companya

I

this point your volume distributed, you might be talking about something having to do with the physics of the actual event, the explosion.

But at this point what you're talking about is you're talking about surface distribution of plutonium, meaning that it added onto the dirt that got into the fireball.

These words are also in the documentation, so it's not just my reanalysis. So in a nutshell, everything up here is dominated by agglomeration on sand that got into the experiment.

Now they were smart, it was a great experiment. They attempted to reduce that by oiling all of the ground around it. They put it on a steel plate, but they still got in there.

And we've also done some outside talk -tests at the Nevada test site where we've gotten a little bit of that too. So what we do is we try to artificially infuse sand into our experiments.

There's a device going off on top of sand, this one's under sand, and this one's a meter above sand. We're trying to get these, you know a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

www.nealrgross.com

preferential size from that sand into their -- to 1 2 study the agglomeration effect. This is a -- this is what bismuth looked 3 4 like before of course. This is the size distribution, 5 very peaked in the .7 micron size. So this is the 6 effect of the sand on the bismuth size distribution. 7 You see it's moved over to the right and 8 this is just the cascade impactor. There's a lot of 9 sand in the intermediate range between 30 microns and 10 100 microns, which also ended up with a fair amount of 11 bismuth. 12 CHAIRMAN RYAN: On these curves, is it fair to say that when we have sand or other extraneous 13 14 material that you have a shift upward in particle 15 size? 16 MR. HARPER: Very definitely. And what's 17 going on is what we've -- we've put the sand up into the turbulent eddies of the fireball and that's where 18 19 all the agglomeration's going on. 20 It's not going on five minutes, ten 21 minutes afterward. It's all happening in that 22 fireball. And this is a small grain of sand with this 23 silver agglomerated on it. 24 So what -- and it works particularly well 25 if you have particles that are of different size **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 www.nealrgross.com

. . .

110

(202) 234-4433

· · · ;

	111
1	because they go different velocities, you know,
2	through you can picture it simplification, you know
3	in a gravitational signal.
4	And one will drop, the others will
5	scatter. But you've got the same kind of thing going
6	when you said turbulent fireballs. And one of the
7	things we do is we developed a method to capture
8	respirable aerosols using aqueous foam.
9	And basically the same sort of situation's
10	going on there. You know, first of all we reduce a
11	lot of energy out of the fireball in the shock wave.
12	But, in a nutshell, we inject water into that
13	turbulent fireball, and scavenge a lot of the
14	respirable size particles we get.
15	We get up to 99 percent of the respirable
16	particles. I put this in my I don't know. You
17	guys have talked about water, so I put some water in
18	there.
19	I wanted put this one, this is the last
20	slide. And I thought this might be interesting to
21	you. There were some impact tests done on the fuels
22	for a radio-isotopic thermal generator that had
23	plutonium dioxide in it.
24	And what's interesting is that ten percent
25	was respirable both for the new brand new fuel, and
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701www.nealrgross.com

	112
1	the five year old aged fuel. They didn't wait for 30
2	years or anything like that but the five year old
3	fuel.
4	And these are not impacts like what I'm
5	doing, this is a 150 meter per second impact. So it's
6	significant but it's much smaller than my range.
7	And the general, you know when I'm looking
8	at high-density strontium, I get about ten percent in
9	the respirable range, if I use the magic ten micron
10	number.
11	And if you magic ten micron number you get
12	a ten percent here for a much lower shock. And the
13	point of this is that the ceramic aerosolization
14	potential is more complicated than just maximum
15	pressure.
16	You get that diviatoric stuff going on,
17	we've got all kinds of geometry concerns going on.
18	It's more complicated than just matching the pressure,
19	like you can reduce the metal aerosolization.
20	It's about 20 percent under 30 microns, 30
21	to 40 percent under 60 microns, and I'm talking
22	aerodynamic here with it. And the initial respirable
23	size is rather small, so the impact did liberate a
24	fair amount of that, even though that is centric stuff
25	as well. Any questions?
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, U.C. 2000-3701 Www.nealrgross.com

•

	113
1	MR. GARRICK: I have one.
2	MR. HARPER: Sure.
3	MR. GARRICK: I think you said earlier
. 4	that most of your work was on non-radioactive
5	materials.
6	MR. HARPER: Right.
7	MR. GARRICK: So this is somebody else's
8	work?
9	MR. HARPER: Yes. No, this is a different
10	this is not in our facility. This is at Sandia.
11	MR. GARRICK: Okay. Now the an earlier
12	slide you had ramifications with respect to plutonium.
13	Was that this work, or was that
14	MR. HARPER: That's the other work.
15	MR. GARRICK: And is that analytically
16	based or was that experimental?
17	MR. HARPER: That's experimental and
18	extrapolated using this response surface from there
19	and using the properties of the plutonium.
20	MR. GARRICK: How much of your
21	experimental work is being done to develop analytical
22	bases for doing analyzing these kinds of things?
23	MR. HARPER: A substantial fraction. What
24	this work is for is so that we can begin a in an
25	emergency response situation, the fellows that
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

-

deployed have this capability to estimate how bad an 1 2 igneous event might be, to help make a decision on what to do about that. 3 MR. GARRICK: What I'm getting at is that 4 5 we have pretty good information on what radiation does 6 to materials. I'm curious, knowing that information, 7 could the analytical models that had come out of your experimental work be applied with considerable 8 9 confidence to irradiated materials, in your opinion? 10 MR. HARPER: Yes, that's the hope. 11 MR. GARRICK: Okay. 12 MR. HARPER: That's the hope 13 MR. GARRICK: Okay. Thank you. 14 CHAIRMAN RYAN: Allen, questions? 15 MEMBER CROFF: You noted at the outset the 16 rather different pressure and time views that you 17 operate in as opposed to some of those things we're 18 interested in. 19 Can you say anything about extrapolating 20 what you know down to the areas of interest here? 21 MR. HARPER: That's your job. 22 (Laughter.) 23 MEMBER CROFF: Well it's not my job, personally. 24 25 MR. HARPER: Well I believe agglomeration **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 (202) 234-4433 www.nealrgross.com

· -

is certainly relevant. And if the EPRI presentations 1 2 are correct then none of this applicable. 3 CHAIRMAN RYAN: Just a couple of things 4 along the line, Fred. It seems like you said that you 5 know, in an explosive event -- and I recognize your dealing with three orders of magnitude more pressure .6 7 and so forth -- all the action following an eruption. And you have determined that based on the 8 9 materials, the geometries. But, you have what you 10 have what you have --11 That is correct. MR. HARPER: 12 CHAIRMAN RYAN: -- periods of time. And 13 two that, you know, as you just said, agglomeration 14 for post-energy release. That's a huge deal, and that's material. 15 16 And trying to look at all the different 17 pieces, you tended to show that relatively small, 18 let's say less than ten percent or some fraction ten 19 microns down, size range, a number of these different 20 events, and explosive events, and so forth. 21 MR. HARPER: That is correct. 22 CHAIRMAN RYAN: Is that a fair assumption? 23 MR. HARPER: Yes, and particularly for 24 ceramics it's difficult -- it was interesting to me 25 that I would use kind of a novel geometry to maximize **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 (202) 234-4433 www.nealrgross.com

	116
1	the pressure.
2	And I came up with numbers that were lower
3	than that impact test on the last slide.
4	CHAIRMAN RYAN: That's interesting.
5	MR. HARPER: So, having we don't get
6	huge numbers out of the ceramic stuff. As I said, the
7	ceramics, unlike the metals are smeared over a rather
8	large particle size range.
9	CHAIRMAN RYAN: Fascinating information.
10	To me the challenge is exactly what you have put to
11	us, is that, is there a way, or how can physics
12	translate it between real high-energy short durations
13	systems, or perhaps a lower energy longer duration
14	event system.
15	MR. HARPER: And some times, particularly
16	in the ceramic side, if you put the energy in in
17	multiple hits instead of one big one you get more
18	aerosolization.
19	It's not obvious that you can say oh, I'm
20	in 1,000 or affected 1,000 below so there's not going
21	to be anything.
22	CHAIRMAN RYAN: Right. And the other
23	point that I made is that sometimes the models and the
24	actual experimental results don't match. I think
25	that's important thing to keep in mind.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

·

,

	117 II
1	MR. HARPER: No, they never match.
2	CHAIRMAN RYAN: Okay. Yes?
3	MS. KEEFER: This is Susan Keefer,
4	University of Illinois. I'd just like to comment that
5	there is a resource you might want to draw in it.
6	It's that in the area of geophysics, we study
7	processes from ranging from laboratory experiment
8	scale like this in order to get pressures comparable
9	to the mantle and core, to large meteorite impact
10	craters which are orders of magnitude slower, to
11	static diamond cell experiments.
12	Generally the products are very different.
13	But there's quite a rich resource of comparables that
14	you might want to invoke on that.
15	CHAIRMAN RYAN: Thank you. Maybe we can
16	get some of the staff folks to talk in a little more
17	detail about how to tap that resource. Thank you.
18	Ruth?
19	MEMBER WEINER: I just have one question
20	Fred. First of all, that was a great presentation.
21	What I want to ask is have you done anything with a
22	target, or something that you explode that mixes metal
23	and ceramic.
24	In other words if a composite fuel run,
25	and what were your results?
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

and a second second

. . .

	118
1	MR. HARPER: I can't talk about that. But
2	yes.
3	MEMBER WEINER: Okay.
4	MR. HARPER: Want me to talk about at
5	home?
6	MEMBER WEINER: Yes, we'll talk about it
7	at home.
8	(Laughter.)
9	CHAIRMAN RYAN: Yes, questions? Other
10	questions?
11	MR. LARKINS: If you preheat your sample
12	first, and then did it by energy pump, you do get more
13	aerosol form. There is data on PlO_2 matrix that was
14	done back in the early 80s', the formation of
15	plutonium aerosols.
16	And if it's preheated you get much more
17	energy transferred so you get much more particle. But
18	they tend to agglomerate very quickly also.
19	MR. HARPER: Are you talking about the
20	plutonium metal or plutonium oxide?
21	MR. LARKINS: Plutonium oxide.
22	MR. HARPER: Okay.
23	MR. MELSON: I was just going to ask you,
24	most of your phenomena that you're generating are
25	super-liquid. I mean, the ones where you're getting
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
	ter 👔 en la sector de la construction de la co

.

- - -----

	119
1	the aerosols are way above the melting point material,
2	is that correct?
3	MR. HARPER: No. No, there's a solid
4	fracture peak that is down in the liquid I mean
5	it's down in a small range as well. That's where that
6	grinding comminution kind of a phenomena that I was
7	alluding to occurs.
8	Then I ended up going back on that and
9	saying well we might have some of the spall issue
10	going on in the surroundings.
11	MR. MELSON: What I was trying to get at
12	is distinguishing characteristics between this and
13	volcanic phenomena on earth, explosive phenomena where
14	you're using it on the liquids and looking for
15	parallels with our material.
16	And maybe Bruce will want to comment on
17	that a little.
18	MR. MARSH: Yes. The problem here has
19	already been readdressed, is that you're working at
20	giga-pascals, and we're down to certainly the
21	megapascal region.
22	SO it's a very, very different world.
23	However, it is nice to see this is an extreme, the
24	extreme end of things. So, it would be interesting to
25	do similar kinds of abrasion type experiments,
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
ļ	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

· • .

•

• ۰. · • · .

	120
1	fracture experiments, fracture toughness, etcetera, at
2	more realistic kinds of pressures and temperatures.
3	You know I doubt we would ever get up to
4	these. There is also the phenomena of course of
5	adding this material to a magmatic composition to see
6	what kinds of effects are involved of these things,
7	and what kind of dissolution you could get over, you
8	know, short time periods, with these materials.
9	It isn't quite clear where how to make
10	the bridge, but it's tantalizing. No pun intended.
11	CHAIRMAN RYAN: We're going to have a
12	discussion session right after lunch so we can maybe
13	cover all three of our speakers. And I'd like to, if
14	we may, move to Dr. Anspaugh's talk.
15	PERSPECTIVES ON RESUSPENSION MODELING ISSUES
16	MR. ANSPAUGH: If I can have the first
17	slide please. Some of you may remember me better from
18	the 34 years I spent at Lawrence Livermoore. In 1997
19	I did move to the University of Utah.
20	And two things immediately happened. One
21	was that my black hair immediately turned gray, and
22	the second one was that my concept of publication
23	changed dramatically.
24	And I'll have more to say about that
25	later. We can go to the next slide. Just an outline
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

•

(1+1) = (1+1) + (1+1

· _--

of what I hope to talk about is the review of what's known about resuspension, and resuspension models.

1

2

3

4

5

6

7

8

I'll make some comments on the DOE and NRC methodology. Unfortunately we haven't heard anything about the DOE methodology today. And then I'll finally mention some areas that would have possible analyses that could be used to improve the accuracy and reduce uncertainty in the models.

9 The next one please. The first question 10 is, does resuspension really matter? And there's some 11 debate about this point. And we believe it's 12 important for accidental situations such as some of 13 these plutonium 238 thermo-generators coming crashing 14 down on the launching board.

But your real concern there is with very short time frames, because resuspension decreases so rapidly that, if you survive the initial cloud, you can almost forget about resuspension.

As a matter of fact, we'll look at that a little bit more later. The other main case of interest is really for reoccupation of territory that's been contaminated many years ago.

And then the situation is a little bit different. You're talking about areas that were not formerly occupied. And also for the clean up and

(202) 234-4433

. : .

· · · ·

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

÷

• .

www.nealrgross.com

. ..

	122
1	relief situations, it's important to consider in what
2	situations resuspension can be important.
3	And basically it's only for those
4	radionuclides that do not cross biological membranes,
5	but they can lodge into the lung where they stay for
6	years at a time.
7	And usually plutonium is our main concern
8	in the application and why all this resuspension stuff
9	was done in the first place. So the next slide.
10	This is just to remind you what I looked
11	like when I had funding to do resuspension. I still
12	had some hair and a few less pounds. But this is
13	I should comment that resuspension is not easy to
14	measure.
15	And you can see that we designed this
16	gigantic sampler. It sucked in 1,000 cubic meters per
17	hour. And the reason we designed such a sampler was
18	that we wanted to be able to look at resuspension
19	during a time period when there were stable
20	meteorological conditions.
21	And this, by the way, is on the Nevada
22	test site at the area called GMX where there was a
23	fairly insubstantial amount of plutonium dispersed
24	many years ago.
25	The next few graph slide indicates the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

123 other extreme, perhaps. This is taken on one of the 1 2 islands where resuspension was also an issue. The measurements here are not so interesting because the 3 environment, and also because it was done so many 4 5 years after the contaminating event. 6 But, nevertheless, there are measurements 7 of this kind available. The next one, these are 8 Australian aborigines. And I just thought to mention 9 that the individuals' contact with the environment 10 does have an impact on whether or not resuspension is 11 an important pathway. Now after World War Three is over we may 12 13 know this as the Las Vegas lifestyle. The next slide please. And also we are concerned about agricultural 14 15 crops and contamination. 16 And this is just one slide to remind us 17 that disturbance does make an impact, such as animals 18 stir up material. Of more concern are agricultural 19 implements and so forth. 20 So resuspension is a complex process that 21 -- it's not so easy to analyze. The next slide. So 22 our past interest on resuspension has really been at very early time in consideration of a need for very 23 24 rapid evacuation. 25 And then at late times the consideration **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.neairgross.com

of possible reoccupation. So the two situations are different in terms of appropriate models, and what the DOE and NRC are now doing is combining the two situations with a new type of model which we will talk about a little bit more.

So the present approach that's being used is different than what has been used in the past. Next slide. I just want to point out that much of the material I'm going to present has been published recently in this article in the Health Physics of May 2002.

The next slide. Looking at the importance of resuspension, given that IAC is integrated air activity during the initial cloud passage, the deposition we can describe as multiplying that integrated air activity by the deposition velocity.

17 And then we can look at the re-suspended 18 air activity, which is the deposition times a time 19 dependent resuspension factor. So if we perform these 20 integrals with some kind of a reasonable assumption of 21 what S_f looks like.

We have a ratio of integrated activities that's equal to about one. And this is important because, if you're not concerned about the initial cloud passage, and you didn't think it was important

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

> > • •

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

www.nealrgross.com

enough to evacuate the person, then certainly and not all that important to worry about resuspension after the fact, because, unless you do some very rapid evacuation, and I'm talking about days, you basically can't stop the exposure to re-suspended air activity.

And I think that's an important point which hasn't been emphasized here. That is the initial cloud package -- passage was not important then resuspension is not going to be important either.

10 The next slide. Well there are several 11 types of resuspension models. I mentioned 12 resuspension factor, which is a very simple concept 13 that, as far as I know, is invented by Wright Langdon 14 of Los Alamos in 1956.

And it's simply a measure of the concentration divided by the deposition. And there's also a resuspension rate, which is a fraction of the deposition re-suspended per unit time.

19 This one has not been very popular because 20 there extremely few measurements that are pertinent. 21 And then finally we have a mass loading model, which 22 is the concentration in the air is equal to the 23 concentration in the soil times the airborne 24 concentration, usually in terms of micrograms per 25 cubic meter, and then multiplied by an enhancement

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

. .

1

1

2

3

4

5

6

7

8

9

www.nealrgross.com

factor.

1

2

3

4

5

6

7

8

It has frequently been observed that the concentration in re-suspended material is higher than it is in the material in the soil. And again this is largely due to fractionation effects, like that Fred talked about with the activity being associated with the surface of the particles and most of the surface is always on small particles.

9 The next slide. So the resuspension 10 factor has typically been applied at very early times, 11 and the mass loading approach as typically been used 12 at late times.

And another point here is that, if we're really concerned about resuspension at late times, it's much more reliable to go out and measure it, for example, if you're two years after the event, it's much more reliable to simply go out and measure it, and not have to worry about all these models.

The next slide. There have been several
times -- types of resuspension factor models proposed.
The first one here is really due to Wright Langdon.

The second is a powered function which came from the same roller coaster experiments that Fred talked about. That one is the power function. And something that I actually introduced many years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

ago was a more complex function where the resuspension decreased as a factor of the square root of the time, plus the constant value, because there was some residual activity.

And later on there was different variations of this. And I'm going to show you an example now of this two component exponential model, plus the final factor.

9 If we could have the next slide, this 10 shows some early models of resuspension. The one on 11 the extreme left here is due to Wright Langdon, from 12 experiments performed in Project 56, which is a 13 plutonium dispersal device at the test site.

14 These data, unfortunately, were never 15 published in an unclassified form. But this model was 16 published by -- William. The next one to the right is 17 a formulation that was put forward by Ron Catherine, 18 again based in the old data.

Now what we did in 1970 some was to go out some 15 years after an event. And, according to these models, they should be way down here some place, but the surprise was there was still a substantial amount of resuspension occurring many years after the event.

So this function with the square root of time is something that we formulated just to try and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

24

25

1

2

3

4

5

6

7

8

	128
1	describe some initial high levels, and some initial
2	and some later observations.
3	Then we added this constant factor because
4	at that point we didn't know if it was going to
5	continue to go this way or go that way. The next
6	slide.
7	And one of the interesting things is that
8	we've seen many, many papers reviewing resuspension
9	but there's hardly any data that's been accumulated on
10	resuspension.
11	And we go back to the data that was
12	measures many, many years ago. And we did get some
13	new data out of Chernobyl, but it was unfortunate that
14	the Chernobyl data the experiments did not get
15	organized at early times.
16	And so what we have is something that is
17	pertinent to perhaps a year after the contaminating
18	event, which is not very interesting because all the
19	action is mostly over with.
20	And it is dangerous to apply late time
21	models to early times. Now we have in some recent
22	time accumulated some additional data that can be
23	looked at in terms of resuspension by going through a
24	process of some secondary derivation of what the
25	deposition had to be.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

 \mathcal{T}_{i} , $\mathcal{T$

ł

Frequently is occurs that we have no 1 direct measurements of deposition but we do have 2 measurements of external gamma exposure rate. And if 3 you know what the radionuclide mix is, you can in fact 4 5 determine what the deposition was. 6 So I'm going to show you a lot of data 7 that is not published that we have recently looked at in terms of trying to acquire more data that could be 8 9 examined in terms of resuspension. 10 The next slide. We're going to look at 11 this combined data, and I draw your attention to a few 12 factors here. One is the very rapid decline with 13 time, and also that there is a very large amount of scatter in the data. 14 15 But most of this can be explained by 16 looking at the data as a function of time. And also 17 some data sets we'll see decline more rapidly with 18 time than others, and this is due to large deposits of 19 mass which may or may not occur from a volcanic 20 eruption. 21 So the next slide looks at this data. And 22 you see that we have this very rapid decline with 23 time, with many different measurements showing this effect. 24 25 Now many of these measurement points here **NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

× 1

www.nealrgross.com

	130
1	were actually made at the test site. And many of
2	these later measurements were resulting from
3	measurements following Chernobyl.
4	And you see we do have a subset here,
5	which declines extremely rapidly with time and stays
6	slow. These are results that we measured following
7	Project Schooner, which was a massive cratering event
8	at the test site, and where we had samplers close in,
9	and the deposition was quite large.
10	This re-suspended activity divided by the
11	deposit decreased extremely rapidly as opposed to the
12	bulk of measurements where the deposition was not so
13	heavy.
14	So this does get to something that's
15	discussed in the DOE model about the critical
16	thickness from which resuspension does occur. Now
17	nobody really knows what that critical thickness is in
18	terms of any kind of mechanistic model.
19	And but we can get some idea about it
20	from empirical data. The next slide is similar data,
21	and it shows some different kind of models. This is
22	the resuspension model that I published in 1973.
23	And you can see that it's extremely
24	conservative in terms of the bulk of data that we now
25	have since then. We designed this to be conservative
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

·

• • •

	131
1	because we didn't have hardly any data at that point.
2	This one is a model that was in the LMFBR
3	environmental impact statement. This is the Wash 1400
4	data. This is a data from England, which is a power
5	function.
6	And you can see from here that the power
7	function actually gave a pretty good representation
8	here. The next slide looks at a shorter time period
9	now.
10	We're only out 100 days. And I forgot to
11	emphasize this but these slides are in terms of days,
12	they're not in terms of years.
13	And so again, I emphasize that this action
14	is all over with in a few days in terms of the high
15	level exposures. And you can see here that this power
16	function, although it looked good on the other slide,
17	it's underestimating the resuspension at these
18	moderate times.
19	The next slide. What we did was that we
20	took a look at this data and tried to derive a new
21	function, which is shown here, it's a resuspension
22	factor. It starts out at ten to the minus five. It
23	decays with a half-life of about ten days.
24	And then it comes down to a fairly low
25	level, and has a stabilizing value of about ten to the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

 $(\mathbf{r}_{i}, \mathbf{r}_{i}) \in [\mathbf{r}_{i}, \mathbf{r}_{i}]$, $\mathbf{r}_{i} \in [\mathbf{r}, \mathbf{r}_{i}]$, $\mathbf{r}_{i} \in [\mathbf{r}, \mathbf{$

e e

132 minus ninth. And in order to attempt to describe this 1 2 uncertainty, it's shown here as the multiplying factor 3 by ten to the plus or minus one power, which I think is a fairly accurate description of the extreme 4 5 variation in the data I just showed you. 6 The next slide indicates, again, that the 7 uncertainty is high for resuspension at any one point in time. Now, I think of broader interest here is the 8 9 resuspension integrated over a year, for example. 10 And, of course, if you integrated a very 11 uncertain function over a long period of time, you would come out with some factor that is much less than 12 a factor of ten. 13 14 The next slide, I just threw that in here 15 to remind you that not all soils are the same. A good 16 question is what does resuspension look like in 17 something like this. This, again, comes from the Nevada Test 18 19 Site, by the way. And, of course, with all these 20 cracks you have more opportunity for material to fall 21 in the cracks, be covered up. 22 On the other hand, you can see that this material dries out, flakes, and it may actually have 23 24 more resuspendable stuff. But, without doing the 25 experiment, I don't think there's any model that's NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

. .

	133
1	going to tell you the results.
2	The next slide. So the resuspension
3	models are to remind you that the useful models are
4	all based on empirical data. The theoretical models,
5	trying to do resuspension, have been a complete bust.
6	And there are some of may know, there's
7	an entire book published with the title of The Physics
8	of Blowing Sand Dunes. Well, the Physics of Blowing
9	Sand Dunes does not describe resuspension.
10	And, the physics of soil erosion does not
11	describe resuspension either. So we're kind of stuck
12	here where theoretical models are not sophisticated
13	enough to describe these very complicated processes.
14	And, for better or worse, we are stuck
15	with the empirical data. The next slide I wanted
16	to make some general comments about particle sizes.
17	You know, it's my opinion, which I've looked at a lot
18	of different data from disruptive events.
19	And I think it's very clear that there's
20	always a mixture of particle sizes. And, any time you
21	have large particles, you've also got a lot of small
22	particles there.
23	And also, it's more complex than that in
24	that, if you throw a bucket of sand in the air, it
25	does not come down to earth as a bunch of very
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

(202) 234-4433

· · ·

discrete particles.

1

8

2 And I might remind you that we all did 3 this experiment when we were two years old. But, sometimes we forget the result. If you throw a bucket 4 5 of sand it more or less comes down as a bucket of 6 sand, not as what you would describe as the 7 aerodynamic behavior of the individual particles in that bucket of sand.

9 gravitational attraction So, among 10 particles is very important. And we need to remember 11 that. Next slide, please. In terms of human intake, 12 you know, we can describe all these wonderful distributions all we want. 13

But we need to remember that the only 14 15 thing that really matters in terms of the dose, is the 16 Next slide, please. I wanted to have a few mean. 17 comments about the DOE and NRC models, and also 18 publications.

19 I did do a search on pubmed, which, as you 20 know, is oriented -- it's biased toward biological 21 type publications. And I wanted to see what I could 22 get with Yucca Mountain put in there.

23 And Ι did get 64 hits. But, 24 unfortunately, only two of these publications dealt 25 with dose assessment, one of them with the NRC model.

•

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

• • .

	135
1	
2	But, it did not describe the model itself,
3	on some results. And the only one was a paper by Dave
4	Wholer and Mike Ryan, which basically was attacking
5	the dose assessment in terms of 129.
6	So, obviously most of the articles are
7	associated with geology and hydrology. So I guess I
8	ask a question, do the geologists and hydrologists
9	have all the money and/or all the motivation?
10	And the second question is, hopefully we
11	can look forward to this situation being rectified,
12	because we heard a description this morning of how we
13	were only going to be presented with data that had
14	been published.
15	Well, publication in an academic case
16	evidently means something very different than
17	publication to DOE or NRC, because these publications
18	as near as I can tell have not been peer
19	reviewed or published in appropriate journals.
20	Next slide. The other thing is the RMEI.
21	I understand you got some strange things in the CFR
22	this, that and the other. But, you know, if the RMEI
23	was really going to be exposed, we could take her out
24	of there.
25	And, I don't think there's any particular
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

 $(1, 2) = \sum_{i=1}^{n} (1 + i) \sum_{i=1}^{n} (2i) \sum_{i=1}^{$

. • 1

·

·· –

2

3

4

5

6

7

14

15

16

17

18

24

25

•

And I think, if push comes to shove, ultimately, that's going to be far more important than a single RMEI that's located in some peculiar position south of Yucca Mountain.

The next slide, the DOE resuspension 8 9 model, I have a hard time finding it. It is on the There is a 10 website, the Yucca Mountain website. publication that's devoted 11 almost entirely to 12 resuspension with the title Inhalation Exposure Input Parameters to the Biosphere Model. 13

So, it took me a while to find it. The approach in that document, it is unique, and it is non-traditional. It is a time-dependent mass loading approach, which is not what has been widely published or widely used.

And it is based upon mass loading observed following volcanic eruptions, and it depends heavily on the Mount Saint Helens experience, which I think is -- the paper does make a pretty convincing case that this is an appropriate analysis.

And so I was quite impresses with it. However, it has not been published in the peer

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

• • •

(202) 234-4433

	137
1	reviewed literature. And I think members of the
2	Committee should lean on this people pretty hard to
3	publish this stuff.
4	Sooner or later in a legal arena this is
5	going to be important. If you look at challenges, the
6	question is, is it a traditional approach? Is it the
7	same approach your peer would use?
8	Has it been peer reviewed? Has it been
9	published? So, you know, this is not just an academic
10	viewpoint. It's also, I think, important for the
11	credibility, for the legal liability of the analysis.
12	The next slide, I mentioned I think the
13	model is reasonable and appears to be well founded for
14	time soon after their position. It's not totally
15	clear that the model will describe accurately
16	resuspension over long time periods.
17	But, I won't say that it doesn't. But
18	it's not totally clear. And I would suggest that the
19	model really should be validated against some
20	radionuclide data, which would a more sensitive
21	indicator of the potential long-term problem.
22	The next slide. The NRC resuspension
23	model, even though NRC invited me here and sent me a
24	bunch of literature, I don't think I ever received
25	that kind of literature.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

•

	138
1	And I did not know that this model existed
2	until yesterday. And, at this time, the only thing I
3	have is the handout you all have from Keith Compton et
4	al.
5	And my comment is that that model appears
6	to be exceptionally considerably it has very high
7	mass loading values of an average over the first year,
8	about 33 milligrams per cubic meter.
9	That's certainly not what was seen
10	following Mount Saint Helens. And so, if those kinds
11	of data were actually observed at some other volcano,
12	I think it's seriously questionable whether or not
13	that is appropriate for Yucca Mountain.
14	And also, there is an extremely slow
15	reduction of time. It has a half-life of ten years.
16	And you remember that my opinion of half-life at ten
17	days is a lot more likely to describe the true
18	situation.
19	The next slide, this is just some ideas
20	that might be used to improve accuracy and reduce
21	uncertainty. I think the time sets of data on mass
22	loading for Mount Saint Helens are really truly
23	interesting.
24	And I must say that, until I read the DOE
25	report, I didn't know they existed. I think some more
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

••••

.

٠.

1 A A

·

. . .

. . . .

detailed analysis of that would be very helpful, along 1 with consideration of other datasets to determine what 2 is termed the critical depth, that is that depth from 3 which resuspension really occurs. 4 5 It's obvious in one extreme that, if we 6 have a meter of deposit, you're not going to get the 7 resuspension from the complete meter. And, on the 8 other hand, we don't know what that depth really is in 9 terms of any kind of theory. 10 And so, all we can do is look at the 11 empirical data. Another thing that was striking about the DOE report was how different the mass loading 12 levels are in Spokane, versus other locations. 13 And frequently we attacked because people 14 15 say well, you measured resuspension up in the desert, and everybody knows that the mass loading in the 16 17 desert is terribly high. Well, it's not true. The mass loading in 18 19 the desert is very low. And, if you look at a large 20 city, like Spokane -- it's not really that big -- but, 21 the mass loading in Spokane is about ten times higher 22 than it is in the other locations. 23 So, I think there should be some other 24 consideration in looking at background levels as a 25 function of land use. Some of that has been done NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

(1,2,2,2)

	140
1	certainly in terms of agriculture, plowing, and so
2	forth.
3	But I think it is another area that could
4	be looked at. I'm really surprised the modeling
5	concept that the DOE and NRC models is virtually the
6	same.
7	But the parameterization is totally
8	different by orders of magnitude. And so, at some
9	point in time, the DOE and NRC model really aught to
10	be reconciled.
11	Both of them really aught to be validated
12	against radionuclide data. And I'll just close with
13	one other concept about validation. One of the things
14	that's disturbing about other parts of the DOE model
15	is that they talk about validation about what appears
16	to be on black box against another set of black boxes.
17	I would submit that validating one black
18	box against another black box is not a good idea. We
19	really should be validating against any penetration
20	thank you very much.
21	CHAIRMAN RYAN: Thank you Dr. Anspaugh. I
22	appreciate your comments and your insights. It's very
23	helpful. Any questions?
24	MEMBER WEINER: I don't really have any
25	questions. I just want to thank you for a very good
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

·. · ·

and the second second

I

1 presentation, and especially for your last point about validation of one black box against another 2 black box. 3 And I think we need to separate the fact 4 5 that different models give us similar answers from 6 models that are validated against them. And that's 7 it. 8 CHAIRMAN RYAN: Lynn, I'd like to pick up 9 on your suggestion about the radionuclide data. You 10 know, you heard their conversation about radioactivity 11 distribution across particle sizes and across a stable 12 part of the aerosol. Could you give us any insight as to your 13 14 experiments that you've done, have been involved in, 15 and how that distribution occurs? Is it uniform, is 16 non-uniform in terms of the it radioactivity, 17 distribution, and the mass. Well, most of what we've 18 MR. ANSPAUGH: 19 looked at, I've already made some comments about it. 20 But, most of the events that we've looked at have been 21 ones that really volatilize the radionuclides. 22 And, when the radionuclides typically 23 condensed, they really condensed to the surface 24 because the surface area is always on small particles. 25 You know, I hesitate to say anything about **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

. . • • • •

-

	142
1	what this particular kind of situation might look like
2	during a volcanic eruption. But I think, in any
3	situation where you have volatilization in place, and
4	condensation, the activity always goes to where the
5	surface area is.
6	CHAIRMAN RYAN: If there's a separate
7	process for the radioactivity, because they behave
8	independently of the vast
9	MR. ANSPAUGH: I think the question is,
10	does it get volatilized?
11	CHAIRMAN RYAN: Right. Thanks. Any other
12	questions, comments?
13	(No response.)
14	CHAIRMAN RYAN: Thanks, we appreciate it.
15	Last up, before our break for lunch, Dr. Keith
16	Eckerman is going to talk a bit about Perspectives on
17	Dose Modeling Issues.
18	PERSPECTIVES ON DOSE MODELING ISSUES
19	MR. ECKERMAN: Dosimetry is frequently the
20	last thought often to as many folks still in the
21	audience at that time. What I'd like to do is go back
22	and talk a bit about the and focus just on
23	inhalation dose modeling, because that seems to be the
24	dominant pathway of concern here.
25	So, can I have the next slide? When you
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

•

. .
look at dosimetry systems, there's really only two gains that you can deal with, and that's the MERD system and the Society of Nuclear Medicine, which really isn't applicable to our considerations here because it normally limits itself to dealing with low LED radiation.

So, you have to look at the system that was set out by the International Commission on Radiological Protection. And you need to, of course, keep in mind that that system is getting -- is a mature system principally set out for protection of warheads.

13 And, of course, in that case, it has to be applicable to 14 all radionuclides, all types of 15 radiations might be emitted that by those 16 radionuclides.

And this was principally the sole domain of that Commission's considerations -- was workers until the Chernobyl accident. And then it became clear that we had to expand that considerably, things in more general framework.

Next slide. And there has been, with the Chernobyl event, a sort of change in the culture of ICRP. It isn't always evident, especially to a broad set of audiences.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

www.nealrgross.com

. .**.**' .

But, the focus is to provide realistic dose coefficients. This is at least the object one is working towards. And I think this is evident in a lot of the recent work that has been in the post-Chernobyl period.

For example, relying a lot more on physiological based modeling. That doesn't mean that we're totally mechanistic in the modeling approach.

But certainly we recognize, as we had to, in addressing age and other gender aspects of dosimetry, that there was a rich body of useful information under that disguise of being physiology.

The purpose has been driven more and more to considerations of health risk. The intent also is to provide meaningful doses to tissues at risk. And so, we're not interested in absorbed dose in an abstract, but actually dealing with what are the tissues and what might be the health risk associated with this.

Despite all of these objections or approaches, we still deal with a set of reference individuals that we address in the dosimetry. So, this is ICRP's current approach.

And the realization of this is not always evident. And so I'm going saga, if you will. Next

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

> > 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

24

	145
1	slide. So, I'm going back. As you saw, the
2	dosimetry, only enters into this whole scheme of
3	things by a number.
4	Nobody talks to us until they want to have
5	a number to put into a calculation. And, the ICRP 30
6	and Federal Guidance 11 documents, those are basically
7	models that are three decades old.
8	Even if it might seem later publication
9	dates, Federal Guidance 11 is later. But it took the
10	U.S. that long to get around to recognizing it. So,
11	this really relies back on things that were set by
12	1975 in the publication process, the open literature.
13	If I was running the slides myself, there
14	would be a big X on this. Don't use that. That's not
15	a date. You should bury it, forget it. I've been
16	trying to do that after the last time.
17	The contemporary data, is ICRP 6872. ICRP
18	has another numbering convention, so the numbers go up
19	faster than the information is really available to
20	you.
21	Seventy-two is the 68 is the worker,
22	732 is the member of the public. Those are the
23	current documents. There is an extension of that in
24	Federal Guidance 13, which deals with risk as a prime
25	unit.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

And so it goes to risk for unit intake of activity. But that's the document you ought to really be considering, especially you'll never get anything -- as Lynn Anspaugh mentioned, getting things into the open literature.

You're not going to get reviewers to bide off on journal publications if you're still working with publication 30. I mean, no reviewer would accept that as an open literature publication.

10 There's a lot of information that's 11 available numerical data, dose to you, on 12 coefficients, databases, on CDs. Federal -- the ICRP has the data for workers and the public on a CD that 13 they sell. 14

And you can find a freebie from the EPA on Federal Guidance 13 which does -- although the thrust of that document as printed was risk coefficients, the underlying doses coefficient, they are -- at least for one particle size, they reconsider.

Next slide. Now, it just shows you that information from ICRP's database for workers, public, pick the age you like, pick the intake in inhalation route, particle size.

There are ten sizes there. And that information is readily available from that document.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

24

25

د میں مانچ

www.nealrgross.com

• • .

	147
1	Next slide. All of this is buried in a set of
2	computational models, of course, because we can't
3	measure doses in organs.
4	It has to be computed and you have a set
5	of models that deal with the route of intake, whether
6	it is through ingestion through the gastro-intestinal
7	tract, inhalation through the respiratory tract.
8	Once the intake has occurred, there can be
9	an uptake of the radionuclide from those routes of
10	intake into blood, into the systemic tissues of the
11	body, and finally there's routes of elimination and
12	primary urinary excretion, and fecal excretion by
13	which the radionuclides are eliminated from the body,
14	in addition to radioactive decay.
15	And then, folded on top of all that,
16	there's going to have to be some consideration of some
17	dosimetric model. And so, this is the framework in
18	which these coefficients are developed.
19	Next slide. So, going back now, we're
20	going to put the focus back onto the inhalation
21	considerations. The respiratory tract model and
22	update post-ICRP 30 so ICRP publication 66.
23	And these are some of the features of that
24	model. And the intent was to provide a realistic
25	simulation of intake, make the model applicable to
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

·

.

· · · · · · · · ·

- - ----

particles, gases, and vapors.

1

2

3

4

5

6

7

8

9

In the past we have had two different models that we've dealt with. A common model that should be applicable to workers of the public, calculate biologically meaningful doses in the lung, and provide the route of uptake into the blood, into systemic tissues, it ought to be, or was designed to be applicable to this process of setting protection standards.

10 That is prospective applications and, of 11 course, interpretation of actual exposures in a 12 retrospective sense. Next slide. And so, here are 13 some of the guideposts along that way.

And I'm doing this to show you that there's been a change in some of ICRP's approaches. But what had to be considered was the effect of respiratory model.

You have to deal with the lung physiology,
nature of the exposures, breathing rates, frequency of
breath, and so forth, deposition of the particles in
the airways of the lung.

How are they cleared and removed from the airways? And all of this, of course, will be useful for just calculating the dose of the lung itself. The, of course, there's the process of absorption of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

(202) 234-4433

material from the lung to blood, the dosimetry, and finally there's a recognition, of course, that there's a lot of different tissues in the lung, and there are different cell populations that are taken to be addressed in doing a meaningful respiratory dose. So these are some of the issues that were

examined in that effort. Next slide. And so, eventually you have to superimpose, of course, any compartment kind of model, you see the square boxes, on the anatomy, to deal with these tissues.

11 One of the new features of that 66 model 12 is the extent at which the extra thoracic airways were 13 considered. The earlier model, if you like, the 14 individual was strictly a mouth breather.

And, of course, it was based on actual aerosol inhalation experiments in which the person had the device in his mouth and breathing. It has now been extended beyond in theory, and some very sophisticated calculation of what is the processes in the depositions if the individual is in fact a nose breather.

22 So, for the first time, the airways 23 outside the thorax are being considered. And, as you 24 can imagine, this is going to be very important with 25 regard to the influence of particle sizes.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

> > . • .

(202) 234-4433

· .

. . . .

1

2

3

4

5

6

7

8

9

10

www.nealrgross.com

And, of course, you move down the tracheal-bronchial tree and get down to the gas exchange region. Next slide takes away the anatomy and just shows you what this looks like in a compartment kind of model.

And the bold arrows are places where the material is considered to be deposited. And the thin arrows are the routes at which material is being removed mechanically.

10 So, those arrows deal with getting the 11 material, writing up the mucous escalator, and being 12 cleared into the GI tract. There are two rates at 13 which this occurs, so that is the reason for the 14 second block.

There is also a biological removal by macrophages that are shown here, which the material may be removed to the lymphatic system and basically sequestered out of the system.

19 Then, in addition to -- so, those 20 processes are entirely dependent on the physical size 21 of the particles, how much is being deposited, those 22 black arrows.

And that's a mechanical clearance. That model separates then and the absorption process. So, if you like going into the wall from these boxes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

.

.

1

2

3

4

5

6

7

8

9

2011.11

www.neairgross.com

151 1 there's another set of transfers by which the 2 radionuclide escapes from the particle and is absorbed in blood. 3 The next slide. I want to say just a 4 little bit about the aerosol considerations. When we 5 6 tabulate numbers, we tabulate numbers assuming a log-7 normal distribution of the particles. And so, that distribution -- above one 8 9 micron physical size, that distribution has a GSD of 10 two and a half. So that's the spread of the distribution. 11 12 The standard tables that you see published 13 assume that the density is three grams per centimeter 14 cubed. And we throw in a shape factor for the settling velocity of one and a half in terms of a drag 15 16 on the particles. 17 So, there is an underlying of the table 18 data. There is an underlying assumption of these kind 19 of parameters with respect to the distribution of the 20 particle sizes within the aerosol. 21 On that CD that I mentioned earlier, there 22 are ten sizes of going all the way from .001 micron 23 AMAD which, at that range, is really thermal dynamic 24 processes, it's the fusion that's governing the 25 deposition, up to the ten micron size that has been NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

calculated.

1

2

3

4

5

6

7

The modeling assumes that the radionuclide is volume distributed. That's just the way the numbers have been calculated. The model can be -- you can easily consider a surface deposition on particle -- on the surface are of particle, as Dr. Anspaugh related earlier.

8 But, the tabulated data make this 9 assumption. And, underlying that is the -- if you 10 have the mono-dispersed information that is in the 66 11 document.

12 It goes out to 100 micron aerodynamic 13 diameter. And, when we speak of these things, we 14 characterize them for the log-normal distribution in 15 terms of the median of the distribution.

16 There is no -- in that model structure, 17 and all the information is there to deal with any size 18 aerosol distribution that you might want to assume.

You're not locked. We only locked you into the log-normal assumption when we had to implement the model and tabulate those coefficients. But, there's a broader capability available in the model.

Next slide. There's a -- these are just the mechanism of the deposition. They're really

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

ς.

(202) 234-4433

24

25

www.nealrgross.com

	153
1	governing what happens. At the top three are really
2	what the depends on what the diameter of the
3	particle and gravitational settling.
4	So, this and impacts and inertia,
5	things this is applicable to the larger particles.
6	When you go down to the fine, very small, under a
7	micron, then you start running into this diffusion
8	process as being a means by which the aerosol or the
9	particle winds up being deposited in the airways of
10	the lung.
11	And finally, of course, there is some
12	consideration of electrostatic considerations. And
13	one worries about agglomeration and so forth even in
14	the lung within that humid environment of the air
15	spaces.
16	Next slide. So, basically what is done
17	is, the lung is viewed as a series of filters. And
18	so, on the intake, depending on what you're
19	breathing through the nasal passages or oral.
20	The air comes in, goes on down to the
21	distal alveolar region where the gas exchange occurs.
22	There's a holding at that time. And then you exhale
23	and particles go back up.
24	And so, the net deposition in the lung is
25	calculated, depends on this scenario. Breathing rate
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

• •. •

•

1 is going to be important, frequency of breaths, and of course, the size of the particles, because, as you'd 2 expect, the large particles are going to get filtered 3 4 out. 5 And, when you get deeper into the lung, 6 you'll have a finer distribution of particle sizes. 7 The important thing at the large sizes is, again, 8 these aerodynamic processes that deal with the weight 9 of the particle, inertia and gravity. 10 And the fines are, of course, going to be 11 governed by the thermodynamic diameters with regard to 12 the fusion. Next slide. So, this is just a quick way 13 to show you what happens. 14 I left the data all in terms of AMAD. 15 When you're down at this size, this is probably 00306 16 thermal dynamic diameters for that small one. 17 Deposition in the -- this is an adult member of the 18 public. 19 So, he has a time budget that he's allowed 20 to sleep. And, unlike that worker that was in ICRP 21 30, he didn't work there -- he didn't sleep during his work shift. 22 23 This guy has a time budget associated with In the ET region you have very fine particles. 24 it. 25 The tortuous path of going through the nose in that NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

structure, which is there to addition the air and so forth, results in things diffusing into the wall.

You get a high deposition as the particles now gain a little bit of mobility to stay with the airstream. The deposition drops. And then, when you go back up to larger sizes, they are going to be captures in this ET one region.

8 The deposition in the thorax is this other 9 curve. And, of course, if they are filtered out 10 above, they're not going to get deep into the lung. 11 And this will, of course, strongly influence what's 12 available for deposition or subsequent dose to the 13 lung tissue, as well as systemic uptake.

14 So, particle size can be a critical 15 parameter. Next slide. Now the modeling that's been 16 done is through -- considers the absorption of blood 17 as a two stage process.

That is, you've got to the particle, the activity, is really viewed as being carried along by the particle. And, it may be a minor constituent of the particle.

And so, to get the radionuclide in a state in which it can be taken out by the blood, you first have to get it away from the particle. And so, there's a dissolution step that's considered.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

www.nealrgross.com

And, once it has escaped the particle, then it is available for uptake to the blood. So this is where the chemistry starts in. And it's not just the chemistry of the radionuclide, it's the chemistry -- the chemical form of the particles that were inhaled themselves.

This process is viewed as being in competition with the mechanical clearance that I showed you earlier and the biological clearance. And the model was actually formulated with the expectation that this process of absorption, we might be able to represent it by some set of functions.

The next slide shows you a couple. So, this is the sort of picture that's now being used. The particles are deposited in an initial state. Some of them are absorbed rather quickly through blood.

The activity is absorbed rather quickly from the particle and is available for uptake in blood. There is a consideration, if you like, of a transition to a transform state.

And then a little later this material will appear as being available to the blood. This process has been implemented with the fault absorption parameters now, F, M, and S.

This is not the old clearance class

1

www.nealrgross.com

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

business that you saw before, which didn't differentiate the absorption aspect from the mechanical clearance.

But these are referred to as types, fast, moderate, and slow. Fast things such as iodine and cesium go in at a rate of 100 per day, as location for a coefficient.

8 And S's slow down appropriately. So, this 9 mimics the common observation in the inhalation that 10 there not only are there fines associated with almost 11 any aerosol, but we always tend to see some material 12 coming in the blood rather quickly, then a slowed down 13 delay transfer to blood.

And that is mimicked by these absorption types. Next slide. I just want to touch -- I just picked up the actinide model because this is another change between publication 30 and the newer data.

The actinides tend to be loosely grouped together in terms of their behavior in the skeleton. And they are referred to as bone surface seekers, that is that when they are taken up from the blood in the skeleton, they are taken up along the surfaces.

That's where, of course, the new bone is being formed or bone is being eroded. That's where those processes occur. Unlike the -- like strontium

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

> > . . .

(202) 234-4433

.

1

2

3

4

5

6

7

14

15

16

17

ت بنغر

www.nealrgross.com

	158
1	and radium, the material, these nuclides, once they
2	are deposited on the surface, they tend not to move
3	into the volume of the bone.
4	And, as in publication 30, they were left
5	here forever on that surface. Well, the newer model
6	actually considers that there is some movement of
7	material into the volume of bone.
8	One way you can think about that is if you
9	lay down new bone on top of the surface, which is
10	where the new bone is going to be formed, you're going
11	to basically burry the deposit.
12	And, in fact, the newer information and
13	radiographs, and so forth, clearly indicate that we'll
14	see varied deposits strictly as a line source of
15	plutonium, say, in a bone.
16	However, as we know, an analogy with the
17	waste consideration, this volume of bone can be called
18	upon with age to erode away with the skeleton with the
19	body's need for calcium.
20	And so, they can be absorbed from the
21	volume and brought back to the surface and be
22	available for recycling and so forth. So, one of the
23	big distinctions on the actinides is the fact that, on
24	the newer models, we considered this process of
25	burial.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

11

.

www.nealrgross.com

. •

	159
1	That gets it the alpha part away from the
2	critical tissues within the skeleton that we were
3	concerned with with respect to bone cancer and with
4	regard to leukemia induction.
5	And so, basically, that alpha event is a
6	bit of wasted dose if it's in the volume of the bone.
7	The next slide shows you, just to keep you up to date,
8	we've got some proposed changes in the plutonium
9	model.
10	This stems out of a great deal of work
11	that had gone on over the years since we first
12	published that model and ICRP adopted it. This is a
13	model with the changes that are actually before ICRP.
14	Now, responding to some information that's
15	been in the literature over time, and the newer data,
16	as well as the work we've been involved with, with
17	looking at the plutonium workers at the Myac facility.
18	And some of this is a little bit of window
19	dressing. There was criticisms of the model in the
20	open literature because there is some potential for
21	some fraction of the activity to actually wind up
22	being deposited in the volume and away from the
23	surface.
24	It's very small, there's no real
25	significance. But, the model was picked up and
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	160
1	criticized for that. We have made a simplifying
2	assumption with regard to this compartment in the soft
3	tissue in the original model.
4	And that resulted in the blood curve not
5	being very realistic. And that was picked up in the
6	literature. And so, we've had to make a change there.
7	Also, the liver the tissues involved
8	here are really liver skeleton. And we made some
9	changes with regard to the later data suggested a
10	little different partitioning of the material between
11	the liver and the skeleton.
12	However, there was also an indication
13	that, in order to keep the fecal excretion rates
14	right, there needed to be more explicit considerations
15	of pathway here.
16	The other aspect that was driving some of
17	this is, in fact, to deal with disease states. And,
18	among the workers, there's a high appearance of liver
19	disorders.
20	And so, one of the objectives here was to
21	modify our reference model a bit to be able to look at
22	the significance of liver disease on that population.
23	Next slide. All right, let me just go
24	back to the americium example and go back to ICRP 30
25	and show you what happens here. ICRP, all you had in
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

• • .

ί,

۰.

1 ||

2

3

4

5

6

7

8

9

10

those documents was an AMAD of one.

That level of educational tool that defect INP allowed you to look at different sized particles. That model is so simple that all you needed was a triplet of numbers to actually look at some different size aerosol sites.

But, here's the -- when you open up Federal Guidance 11, and you're only going to find a class W number for the americium. The effective dose there is 1.2-10 to the minus four.

If you go to 72, and state that I can't do any better than this one micron, here's the numbers for F, M, and S. You see, now we said that the behavior of the americium, at least for the members of the public, is probably more dictated by the nature of the particles, the aerosol itself that it's attached to.

So we no longer limit ourselves to one consideration. And you can see that there's a fair bit of difference on the order of magnitude if you go out.

The other thing that's interesting is the common thought in people's mind that the insoluble form is going to be the most hazardous. And that kind of falls to pieces here with regard to the americium.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

162 F is rather mobile in the -- and, there's 1 -- and, of course, from the ICRP CD-Rom, you can get 2 3 the corresponding dose coefficients for the ten micron 4 data. 5 And, again, you can see that there is -there can be a substantial amount of conservatism 6 7 depending on how you enter these tables and decide 8 what's the applicable number that you ought to be 9 really dealing with. 10 And, of course, it would be very important 11 to understand all of these things that you folks have 12 been talking about with regard to the aerosol and the 13 -- that we might be dealing with here, as well as how 14 the activity is really distributed in that aerosol. 15 Next slide. So, just to make a quick 16 statement with regard to uncertainty, dosimetry often 17 gets tagged with a lot of uncertainties mainly because 18 a lot of people, when they do have a choice of 19 coefficients to use, they'll wind up taking the 20 highest one and not doing their homework. 21 And so, we get hung by people saying, you 22 know, we've got lots of conservatism in the 23 calculation. There's a couple things to keep in mind. There's a lot of ongoing work in trying to 24 25 deal with all But, biological these issues. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

variability, model uncertainty, and 1 parameter uncertainty are often blurred in the literature. 2 3 And so, you have to be careful when you go 4 through the literature. Most people don't even tackle 5 this one of deciding whether it's an appropriate model 6 or not. 7 And, you get into these exercises that we 8 all fall prone to, of comparing one model against 9 But you've got to go back to the basic another. 10 information and look how that model is derived and it 11 is a basis for. 12 Our application is really to a reference So, we're setting aside a lot of the 13 individual. 14 biological variability. We recognize that it exists 15 and so forth. 16 But, that's -- we've defined this 17 character that we're going to deal with with regard to 18 his anatomy and physiology. And so we often set aside 19 that. 20 That doesn't mean you can't explore these 21 relationships or understand where their referenced 22 individual resides. But, if you get chasing 23 biological variability, it's a tough road to go. 24 Let me say that we tend to like to 25 actually turn the problem around and talk about **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

. •

•

•

www.neairgross.com

164 reliability of the coefficients. And, we like to fall 1 back to thinking of what was the quality of the 2 3 information? What was the quality of the information 4 5 that we had available to develop a model? And, of 6 course, that's all over the place in some cases. It 7 might come as some surprise, but the plutonium model, there's a lot of good information. 8 9 It has been well studied in animals, in 10 man. And we know a great deal of physiological information with regard to the skeleton and so forth. 11 12 So, we've got actually recent information 13 14 from injection studies and so forth that we're folding 15 into that updated version of the model. We've got a 16 good set of data. 17 Americium -- unfortunately the datasets 18 here are not as strong. They haven't been really 19 mined as well. That's part of the consideration as 20 well. 21 Now, for these radionuclides, I'd say that 22 the effective dose, you know, we're probably talking 23 about an order of magnitude confidence in those 24 numbers that we're given. 25 We've got some elements of conservatism in NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

· · · · · ·

	165
1	certain places. Sometimes this is like integrating.
2	Instead of temporal integration, you're integrating
3	over tissues.
4	So, these things tend to wash out a little
5	bit. And so, that's not too bad. They're probably
6	overestimating bone cancer risk and leukemia risk in
7	these models.
8	I expect that we may, within the ICRP
9	framework, we'll probably change some of the
10	dosimetry. Now, if you think about alpha dosimetry,
11	it's a bearcat to deal with.
12	I mean, you're asking to look at cells
13	that are at risk. And, not knowing exactly and
14	dealing with a radiation that's only got a 50 micron
15	range in tissue.
16	So, it depends a great deal on what kinds
17	of assumptions you make with regard to where the cells
18	at risk are, and what where is this radionuclide that
19	is decaying.
20	I think that's partly the issue that's
21	here, is that we probably have been pessimistic and
22	conservative in the way we have set those calculations
23	up.
24	I think that's the last slide. Yes. And
25	so, I think what's neat is, there's a great deal of
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

· .

· · · · · · ·

I

· · · · ·

	166
1	capability in the newer dosimetric information. We
2	can deal with a lot of the issues at more depth than
3	what has been done in the past.
4	But, it's going to really take people
5	working not just going into handbook and grabbing
6	the numbers. You've got to work it through a little
7	bit.
8	And we can address a lot of the aerosol
9	kind of issues that we pull out in the dosimetry, once
10	you folks get your arm around it. Thank you.
11	CHAIRMAN RYAN: Thanks Dr. Eckerman. Are
12	there any quick questions for Dr. Eckerman? We'll
13	break for lunch. We'll have a roundtable when we come
14	back at one.
15	MR. MARSH: I just have one.
16	CHAIRMAN RYAN: Yes, one question, please
17	Dr. Marsh.
18	MR. MARSH: Keith, what about the
19	between the science of drainage, for example, and air
20	going down the lungs, you know, half a liter to maybe
21	two liters a day of drainage between the sinus and the
22	stomach.
23	So, you get deposition of the sinuses and
24	down the stomach. What about that path, rather than
25	the lung path?
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

E

• · · ·

MR. ECKERMAN: I didn't give you the details on the ingestion. And, of course, that's what we're thorough concerned with there. And, there is a new, more detailed model of the gastrointestinal tract that's being put together at ICRP where we probably -soon putting up on the website for comment.

Probably we need not covert, so it's probably going to be after the year, which will deal with some of those issues. And that's another case of probably conservatism in the ICRP method, as to how we dealt with the contents of the organs irradiating the cells at risk.

13 So, there will be more details on that, in 14 consideration of -- we still have a bit of trouble 15 getting, like all of us have, the same problem you 16 folks have, of getting a hold of some of the 17 parameters for some of these models.

We can conceptualize them and so forth,
but it's difficult to get the parameters. So, there's
where that culture change is a little hard, because,
in the light of lack of information, there is a
tendency to go on the conservative side.

And so, you've got one piece of data that you're going to apply to the human.

CHAIRMAN RYAN: Thanks. Any other quick

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

. .

1

2

3

4

5

6

7

8

9

10

11

12

25

www.nealrgross.com

	168
1	questions? Well, we're doing pretty well on time.
2	We'll reconvene at 1:15 for our panel discussion.
3	(Whereupon, the above-entitled matter
4	went off the record at 12:00 p.m. and
5	went back on the record at 1:15 p.m.)
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

÷

	169
1	A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N
2	CHAIRMAN RYAN: All right, I guess all of
3	our panel members and participants are in place. I
4	want to thank all the speakers this morning, Dr.
5	Harper, Dr. Anspaugh, and Dr. Eckerman, for a very
6	interesting talk on various aspects of the dose
7	calculations associated with an igneous event.
8	And I'd like to open it up for panel
9	members to make comments or ask questions of any of
10	the three speakers so that we can reach for the goal
11	of maybe thinking about all of these talks first
12	individually, and then what don't we see in the
13	aggregate as patterns, or comments that we can make
14	coming out.
15	If I may, could I start on this side with
16	Dr. Marsh?
17	SESSION THREE ROUNDTABLE DISCUSSION
18	MR. MARSH: Sure. In terms of the
19	presentation today, the thing that I'm struck with we
20	picked our processes to analyze in great detail. And,
21	being that this is such an integrated and far-reaching
22	spectrum of processes that we're talking about, maybe
23	generations, and things moving up to actually hurting
24	people, inhaling particles and things that all this
25	pull apart.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

11

. · · ·

, *****

www.nealrgross.com

• ·.

	170
1	It is absolutely critical that we identify
2	the right processes to investigate the detail. And
3	what happens, of course, in these kinds of situations,
4	is that we come at this with a certain expertise.
5	And we apply our expertise to looking at
6	the process. And we work on a problem that we can
7	recognize. And it may not actually be relevant. And
8	our approach may not be relevant.
9	And there's the danger that we don't look
10	at the integrated process in identifying which aspects
11	of it are the real critical aspects that we should be
12	looking at.
13	So, there are areas or boundaries where
14	one group has to assume the results or needs results
15	from another group. And they started off and go
16	forward with those.
17	The key is we need bridging across these
18	areas. And, when the advice is given to modify or to
19	look more broadly, or to look more deeply, it should
20	be taken in many ways.
21	But it's hard to do that, because it comes
22	down to what people are able to do. So, the single
23	thing I think that is missing in many regards is that
24	process that I would consider enormously critical that
25	could involve direct experimentation, down to even the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

• . • •

÷

	171
1	level of taking a small one of our small
2	cylindrical pellets, putting it in a tephra column.
3	Let's say the laboratory runs fluid
4	times fashion, tumbling these things in there in
5	tephra and seeing what happens to them in terms of
6	what were the fines produces.
7	In geology we're now pretty proficient at
8	crystal size distribution and particle size
9	distribution theory. So, there's a common ground
10	here.
11	It is very interesting. We have log-
12	normal distributions we see in the rocks in terms of -
13	- of the crystals, and also in terms of volcanic ash.
14	So, I think there are aspects of this
15	problem serious aspects that fall through the
16	cracks. We reach out for a number, and we get a
17	number.
18	And people go with it. But, the fact is
19	that we actually have to as we're doing here
20	learn each other's expertise a bit. And we talk to
21	each other, it is amazing.
22	We understand each other at various
23	levels. A lot of this involves transport, physical
24	processes, transport, and uptake, and things like
25	this.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

· · · ·

1.

.

	172
1	And all the conservation are very well
2	known by all the fields involved. And so, we can
3	actually get them in the same age, I think, without
4	much difficulty.
5	But an effort has to be made to have the
6	same people in the same room for some period of time,
7	and not in necessarily a formal statement where people
8	are given position papers and things, but actually get
9	that and try to focus and say, let's move the
10	spotlight over here a little bit and let's try to
11	solve this problem.
12	And so, I think that's a major issue here.
13	I think we have a real strong probability that we
14	could really embarrass ourselves here, as scientists,
15	engineers.
16	This is a problem that, if we did an
17	excellent job at it, it could set a precedence for the
18	unforeseeable future. I'd like to see some more of
19	this integration from the earliest time to the late
20	dispersal time, to the uptake.
21	So we really understand each other and
22	really ask the pertinent questions. Just in closing,
23	I would like to say, I spent my entire career working
24	event processes and physics.
25	This aspect of this is that I will no
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

and a second second

	173
1	longer be able to tell my mother-in-law that what I do
2	is still a practical job.
3	(Laughter.)
4	CHAIRMAN RYAN: Thank you Bruce. Bill?
5	MR. HINZE: Well, in addition to the "I"
6	word, I think we could also use the "I" word for the
7	importance. And I don't mean to steal John Garrick's,
8	but, we have a large number of processes involved here
9	with parameters.
10	And we worried about we tend to get
11	slotted into our own particular favorite parameters.
12	And we're just not very able to consider all of these
13	in the kind of detail that perhaps we'd like to, from
14	a scientific viewpoint by the time we reach decisions.
15	And that means we do have to find out
16	which are the most important. I hear, for example, a
17	lot about size and mass in terms of the remobilization
18	and dosimetry?
19	And yet, I don't hear, as a geo-scientist,
20	I know how important the shape factor is. And I
21	didn't hear that until Keith brought that up in one of
22	his slides in those considerations, I think was the
23	title, in which he had a shape factor of 1.5.
24	That seemed like a very conveniently
25	rounded off number. Excuse me, Keith. But I wonder
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

....

•

• .

.

.

where that came from and how important that is, and how that really -- how much of a parameter we can enter into our modeling of the shape, because shape can be very important, not only in terms of the settling, but also in terms of pickup static charge, etcetera.

These are the kinds of things that we have to focus on that, as Bruce has put it, we don't want to embarrass ourselves. We can't just accept the standard of values.

And we have to question them, but we have to question them within the framework of risk. I have been privileged to sit in on a number of the igneous activity technical exchanges.

And, one of the great things that is coming out of this meeting is the fact that we are finally paying attention, perhaps too late, to these problems associated with the distribution redistribution and dosimetry. I'll leave it at that.

20 CHAIRMAN RYAN: Thank you. Bob, any 21 comments?

MR. BUDNITZ: No.

CHAIRMAN RYAN: Mr. Garrick?

MR. GARRICK: Well, not many, you'll be happy to know. One of the things I wanted to say is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

22

23

24

that, what I'd like to see is things happen that add 1 2 credibility to the dose calculations. 3 I'm sort of reminded in the reactive view, 70's and 80's we took our risk assessment to off-site 4 5 consequences and calculated dose, and so forth. And, 6 when the NRC got involved, they sort of stopped doing, 7 for reactors at least, dose calculations. 8 And reasons were not given. There is a 9 much greater confidence in the calculations that lead 10 up to the source-term than there in the calculations 11 for the dose, even though the mandate is for the NRC to protect the health safety. 12 13 But they tried to do this through, and in 14 achieving low core damage frequency than demonstrating 15 the off-site doses. So, think the challenge seems to 16 be to do things to make the dose calculations have 17 credibility. 18 What is saw this morning was particularly 19 encouraging in that regard. Although, I think that 20 the calculations that are being considered here are probably not taking full advantage of the technologies 21 22 that exist. 23 One specific example is dispersion models. 24 There has been a tremendous amount of work in 25 dispersion models in dealing with the dynamics and NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 (202) 234-4433 www.nealrgross.com

175

.

	176
1	with the changes in direction of wind, changes in wind
2	speed, changes in stability factor, as a function of
3	the atmospheric conditions.
4	And I didn't see anything of that nature.
5	So, I think we've got a lot to do to establish
6	confidence and credibility in the dose calculations.
7	I think we know where to do that.
8	And we've always known that the health
9	effects models are suspicious in terms of being able
10	to have high confidence in them. So, there are a lot
11	of uncertainties associated with it.
12	And, the point I tried to make this
13	morning is that, if we fix a lot of variables, and fix
14	a lot of processes, and decide that we want to do a
15	comprehensive uncertainty analysis of one or two
16	variables and one or two processes.
17	We may be just kidding ourselves by the
18	fact that we mask the real uncertainty by all the
19	fixes we've made. I just feel there's a lot of
20	opportunity there to improve the credibility of the
21	dose calculations.
22	And I didn't see a manifestation of A,
23	people taking advantage of what we already know and
24	what we've already done, particularly with respect to
25	dispersion models, and B, in the kind of thinking that
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON D.C. 2005-3701
I	

.

	177
1	we've been trying to inject into these types of
2	analyses, namely consistent treatment of uncertainty
3	and ability to propagate that uncertainty through the
4	model. And I think that's pretty much my comment.
5	CHAIRMAN RYAN: Just to kind of expand on
6	that, John, when you say propagate through the model,
7	would we really propagate through the entire system
8	model?
9	MR. GARRICK: Well, certainly do what is
10	reasonable. You know, it turns out that, of course,
11	in the dose calculation, a lot of things are
12	prescribed.
13	And I kind of object to that too. I kind
14	of would like to know what the experts really think
15	the dose is, prescriptions not withstanding. But, I
16	know of its limitations.
17	And those limitations have to be addressed
18	by considering the fact that we don't know as much
19	about them as we like. And the way in which we
20	address that is we assign them a little more
21	uncertainty than the others.
22	But, I think some sort of consistency
23	check so that the reader and the audience realizes
24	that, if you are fixing things and so forth, that they
25	know what it is.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

. .

	178
1	And, of course, they did that in the
2	analysis. But, what we didn't see was what the real
3	impact of that was. And that's what it's sort of
4	like we saw in some of the early performance
5	assessments.
6	We saw language like there was no
7	uncertainty with respect to the solubility of some of
8	the actinides. But, when you read the fine print, the
9	reason there was no uncertainty is they assumed it was
10	constant.
11	Well, that doesn't take away the
12	uncertainty. And so, what we need to do is simply
13	expose and make clear what we're doing and why we're
14	doing.
15	And, if we're doing uncertainty analysis,
16	put it in context.
17	CHAIRMAN RYAN: Thanks. Dr. Melson?
18	MR. MELSON: I thought Keith Eckerman's
19	talk was very enlightening for me, because I knew very
20	little about it, which is really the beginning. We
21	make it the end.
22	But I think his comment should have been
23	at the beginning. I mean, this is what people want to
24	know. What's going to get in my lungs, or what's this
25	going to do to me?
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

. · · · ·

•
	179
1	And, I think this meeting has been really
2	good in linking these things in a way I've never seen.
3	Usually dosimetry sections are separate. So, we're
4	busy talking about the volcances, and they're talking
5	in another room about dosimetry.
6	So, I thought this was an excellent way of
7	doing it, in looking at we need to be very considerate
8	about these very small particles. So, in a way, this
9	refines the models of volcanology coming up with.
10	So, in that regard, I was happy when I
11	learned that eh UO_2 assented. Ben Harper pointed out
12	that, even though it is powdered, it's when it goes
13	into the reactors.
14	And that's an important consideration for
15	those of us interested in the fragmentation. And I'm
16	not talking with the powder, but with a more coherent,
17	solid particle.
18	And I think, generally speaking in terms
19	of the modeling, I think Britt and others made it very
20	clear that we're modeling a very complicated
21	phenomena.
22	And we're like an infant just beginning to
23	walk, I believe, in some areas. I think Bruce made
24	that very clear with his comments yesterday about how
25	the magma rising has a very complex number of
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

••• ۰.

ί.

	180
1	processes it only will solidify in a place that's -
2	- water is degassing.
3	It's very hard to model. To keep leaving
4	out these things and making very simple models, we're
5	not going to get the truth. It won't really tell us
· 6	what's going to happen.
7	And yet, to deal with reality is extremely
8	complicated. But, I'd like to say what I see here is
9	movement in that direction. We've all been very
10	generous in the criticism of everyone's models.
11	And people are going home to think that
12	you know, I hope that they will use it. I want to
13	comment on the erosion rates just very briefly,
14	because a number of us noticed that, in Don Hooper's
15	presentation, he was giving an erosion rate of 15
16	centimeters a years, which is .05 meters.
17	When we go through the calculations,
18	that's about 150 meters in 1,000 years. It's getting
19	to the point where these rates are now these are on
20	slopes.
21	And I'm not sure what the slope rate was.
22	And you're welcome to comment. Yes, that's what I'm
23	asking about because I thought that was extremely
24	high.
25	MR. HOOPER: Yes, Don Hooper from the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

• • • •

· · · · · · · · · · · ·

I

	181
1	Center. Are you looking at erosion rate or the
2	precipitation, the rainfall rate?
3	MR. MELSON: I thought you said this was
4	the erosion rate on the slopes.
5	MR. HOOPER: Okay.
6	MR. MELSON: What I heard was and you
7	can correct me. You stated flow rates of hillside
8	erosion. And I wrote in parenthesis after that .5
9	meters a year.
10	MR. HOOPER: The three to 30 cubic meter
11	per square kilometer per year, that's a sediment
12	yield. That's more of the erosion rate.
13	MR. MELSON: Well, what was this .15
14	meters per year?
15	MR. HOOPER: That should be the annual
16	precipitation.
17	MR. MELSON: All right. Well, I must have
18	misunderstood you. I'm glad to hear that. Because we
19	would have to be concerned, if that were the erosion
20	rate, of exposure of the repository within a few
21	thousand years.
22	But, it is true that the erosion rate was
23	not low in these areas. As a matter of fact, one of
24	the highest erosion rates that's been record is for
25	the region these dry areas, because of the lack of
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

•

· · · ·

•

•

vegetation, are extremely rapid, much more so than our eastern erosion rates.

So I think, you know, I'd be concerned about how long any load would really last. Now, the other thing is, the casualty variation that was modeled is a critical part of getting at the dose.

How much of this is going to be released and what will it be? And, the one thing we talked about over lunch was the possibility of modeling -not modeling, but actually doing canister relationship to -- experiments, versus -- because there are places where there are large batches of magma where one could begin to do that.

I'd rather recommend that specifically. I'd say whenever we can come up with ideas about how we can test our numerical modeling, we must do that. Numerical models need to be constantly tested.

About that testing we don't know about the initial conditions. We don't know how well they're going to work. And yet, because they have numbers, it seems so rigorous or so believable by people.

22 So, there is that danger in numerical 23 modeling and need for experimentation wherever we can 24 do that. What I think we experience here more often 25 than not is the need for transparency in regard to our

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

> > 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

183 own communications with each other. 1 if sometimes 2 And we leave and 3 misunderstood each other, imagine what the public, as 4 pointing out, John, must have in you were 5 understanding what we're doing. 6 And that call for transparency is a call 7 for doing the job right. So I would encourage 8 wherever we can take some of these processes and make 9 them transparent, and make them available to the 10 public so they can understand what's going on, whatever that takes. I think that's about all I have 11 12 to say. 13 CHAIRMAN RYAN: Okay. Thank you. 14 MR. JOHNSON: Thank you. I just have a 15 couple of very brief comments. One is to amplify on what Dr. Marsh said. And you'll hear more of it on my 16 17 wrap-up talk at the end of the afternoon. 18 What I really think we need is some sort 19 of framework to tie all this stuff together. It may 20 help provide the transparency that we need to 21 communicate with each other to make sure that things aren't falling in the crack, and make sure that we 22 23 understand what each other is trying to say. 24 And I'll amplify on that a little bit 25 Just a comment on something that John Garrick later.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

and the second secon

	184
1	said relative to the NRC using surrogate measures to
2	really measure the safety of the commercial reactor.
3	We know that when we do that and when we
4	look at what's important based on these surrogate
5	measures, we get different answers. And there'll be
6	a different answer if we regulate it versus the public
7	health effects.
8	So we have a real danger of biasing our
9	results in our direction of going if we don't use the
10	final end-states as the measures were focusing on.
11	CHAIRMAN RYAN: Thank you. Yes, Bob?
12	MR. BUDNITZ: Yes, I realize I wanted
13	I passed before a couple more comments. I realize
14	I want to say something to reiterate something I said
15	yesterday.
16	And that is that, as I said, we the
17	Department of Energy are going to submit our
18	license application in about three months. And, as I
19	said, we worked as hard as we can to make that post-
20	closure analysis for this new forum.
21	We've also worked diligently to make sure
22	that it addresses the Yucca Mountain review plan,
23	which is the NRC's criteria for reviewing what we sent
24	in and ultimately, we hope, agreeing that what we did
25	is adequate.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

• • • •

(202) 234-4433

.

www.nealrgross.com

•

٠

.

And that contains acceptance criteria and various requirements for data and models of the like. So, when you see what we've done, you have to understand that we've done that with those two things And then I just have to be sure to say that our models, just like a model of any analysis ever done for anything, is always an abstraction of thing as There's no such absolutely precise, and accurate analysis of anything physical. It's an abstraction. The abstraction is for that And, just to give the opposite example,

14 15 the best analyses of the response of the Golden Gate 16 Bridge, near where I live, to earthquakes, is not an 17 absolutely accurate analysis.

18 But it's way more than adequate for the 19 purpose, which is to assure the bridge would be okay. 20 The same thing is true of the analyses of a large 21 aircraft -- I'm going to fly in one this afternoon --22 in the face of huge turbulence.

23 It can't handle that exactly, but we know that those analyses are more than adequate for the 24 25 purpose. And we feel confident the plane is safe

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

in mind.

reality.

purpose.

18	6
enough.	
And that's going to be true here too. So	•
please don't expect, because it wouldn't be fair t	0
expect that the analyses you'll see in our licens	e
application are realistic in that sense.	
They won't be, and they can't in the sense	e
that a purist would look. But they're going to be	e
adequate for the purpose. In fact, they're going to	0
be more than adequate for the purposes, we believe.	
And we hope that you will review them.	I
don't just mean the NRC staff, the ACNW, but others in	n
the community will worston them and understand them is	_

2

3

4

5

6

7

8

9

10

11

12

13

will review them. Ι e ACNW, but others in the community will review them and understand them in that light.

14 That said, we -- like everybody else --15 expect that over the years, as more is learned, the 16 analyses will improve and become more realistic. Even 17 though they'll be adequate for the purpose we'll 18 reduce and we'll have even more confidence that we 19 understand things.

20 And I've listed to these last two days in 21 that light, to see if there are things that we could 22 learn to help us improve the analyses which we believe 23 are adequate for our purpose, to help us make them 24 have higher confidence and to reduce some of the 25 uncertainties, and to understand the differences in

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	187
1	everyone's models so that we can feel even more
2	confident that we're on the right track.
3	CHAIRMAN RYAN: Thank you. Any comments
4	in this session? Questions for the speakers?
5	MEMBER WEINER: First of all, I wanted to
6	thank the speakers. I thought this morning's session
7	was really wonderful. And I am very sensitive to
8	doing models myself.
9	I'm very sensitive to this notion that, as
10	Bob just said, we have to find some road between what
11	is adequate for the purpose, and what is truly
12	accurate, because we can't model into the distant
13	future with anything approaching accuracy.
14	And, I just had a couple comments to make
15	on the comments that were just made. And one of them
16	is, I think, to Dr. Melson. I think we're all
17	sensitive to the question of communicating with the
18	public.
19	But, I think there is a danger that we run
20	into. And that is to confuse transparency with
21	oversimplification. And I would encourage the people
22	who do the communication with public not to do that.
23	What we hear at this meeting is so much
24	more informative than much of the public information,
25	that there should be some way to incorporate that
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

÷

٠.

 \bullet , the set of the transformation of the set of the

·

	188
1	information without oversimplifying it to the point
2	where it's not informative anymore.
3	And I think that's something that we
4	should strive for. The only other comment is and
5	this comes off of everything we heard this morning and
6	everything we heard yesterday.
7	We need to always bite the bullet and look
8	very carefully at where we are being conservative and
9	where that conservatism may be excessive.
10	CHAIRMAN RYAN: Let me at this moment
11	throw it out to the audience. Are there any questions
12	or comments from this morning's session, or any
13	technical matters?
14	(No response.)
15	CHAIRMAN RYAN: Going once, going twice.
16	Staff comments, questions? Yes?
17	PARTICIPANT: I just wanted to make the
18	observation on the things that we're not sitting in
19	this meeting the technical exchange has been great.
20	It is essential, and it is useful. But,
21	based on this meeting and other meetings like it
22	before, I believe that this is left out. We haven't
23	heard anything from the technical experts to DOE.
24	You know, DOE is going license
25	application in three months. The other thing, to say
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
I	j (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	189
1	right now that might be useful for them. And, in
2	the next six to nine months they are going to review
3	the license application.
4	Some useful, such as I think some are
5	very useful also.
6	CHAIRMAN RYAN: Okay. Thank you.
7	Anything else? Another comment? I guess I'll offer
8	just a summary comment or two. It seems to me that
9	there are a couple of themes that have come out today.
10	One is, it's always good to hear the
11	vigorous technical exchange, particularly in areas
12	where you don't have expertise. I usually learn
13	something everyday that happens.
14	And these meetings have been certainly an
15	example of that. I think the theme that has come out
16	to me is we have to be mindful of and careful about
17	compartmentalization of different disciplines.
18	I think if we do that we tend to lose
19	sight of the big picture or the risk informing aspect
20	of the entire system. So we have to be careful.
21	And I take to heart the comment that we
22	might really like our own ology a whole lot better
23	than the other ologies. But our ology may not be
24	important, even though we want it to be.
25	So, we have to be mindful of that. I
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

L

190 1 think this morning's session in particular was an opportunity for us to see aspects of science and 2 3 information that transcends some of the ologies. 4 You know, whether you're health physicist 5 or volcanologist, you can sure appreciate the 6 importance of particle size and resuspension. So. 7 with our presenters this morning, Dr. Harper and Dr. 8 Anspaugh, we heard insights into particle size and 9 resuspension form different points of view sort of independent of this process we're evaluating today. 10 11 And that's most helpful to hear. 12 Similarly, we all used dose conversion factors from one handbook or another. Some of us even have to use 13 14 part 61's ICRP two, which is 50 years old for low 15 level waste. So, you know, there's a broad range of 16 17 dosimetry. And I think it is very important to 18 recognize and learn to understand some of the 19 variabilities that Dr. Eckerman told us about as well 20 this morning. 21 So, I'm mindful of Dr. Melson's comment 22 that integration and somehow sort of putting this on 23 a system level and risk informing it in a detailed 24 way, as Dr. Garrick and Dr. Johnson have pointed out,

might be a way to take some advantage from our couple

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

. ~ .

	191
1	of days together.
2	So, that's something we need to think
3	about. Any other comments, questions, observations?
4	(No response.)
5	CHAIRMAN RYAN: Well, with that, I think
6	we can successfully close our roundtable discussion
7	and our working group meeting. I want to thank all
8	the participants and speakers from yesterday and
9	today.
10	I do recognize that this close to the LA
11	there have been constraints on speakers, both from the
12	NRC, and for others that may have wanted to
13	participate or offer comment.
14	But, you know, this late in the game that
15	we are close to the end. So, for whatever reasons
16	folks didn't make comment, we certainly recognize and
17	appreciate that.
18	So, with that, I think we're up to our two
19	o'clock. We're a little bit ahead of that session.
20	Presentation by stakeholder organizations or
21	individuals is more than welcome.
22	We have not had any formal request. But,
23	I think Judy you mentioned you might like to make some
24	comments. And I welcome you to make those at this
25	point and anybody else for that matter that wants to
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

have an opportunity to comment is more than welcome to speak as well.

1

2

3

4

5

6

7

24

25

.

PRESENTATIONS BY STAKEHOLDER ORGANIZATIONS

PARTICIPANT: Thank you, this is Judy from the Nuclear Waste Task Force. You were talking about being this late in the game and this close to the license application and constraints on people.

And I guess the first thing I would like to say is that this committee meets in order to advice the Commission. And, I would hope that you would advise the Commission that the DOE is probably not ready to submit an LA on the basis of the things that you've heard here and perhaps other things that the rest of us have seen too.

We're not really going to be able to get really compartmentalized. But, the Department of Energy is just restarting its second expert panel because they have finally just started to collect some new information on volcanism.

And, the report from that panel isn't due until mid-2006. So, new information would come in in the middle of a licensing review, I guess, according to the current schedule.

And it would be different if this was sort of an accidental thing or something that just happened

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

193 so that new information came in. But, it's being 1 2 planned that way. 3 And it seems to me that the NRC staff is going to have a difficult time. And it's all sort of 4 5 like a setup for DOE. All of this stuff should be completely done before there is a license application. 6 7 This seems to be some kind of a race. And I'm not sure why it is or what the prize is. But, I 8 9 see it just being done wrong. Another thing that I 10 think is really important when it comes to volcanism, because volcanism is a major failure mode for a 11 12 repository if one is to be a Yucca Mountain, is to determine actual doses, to know exactly what the dose 13 is to the people in the Amargosa Valley, or wherever 14 15 it is that the wind heads with the ash. 16 And. talking about having John was 17 confidence and credibility. And I think that's where 18 it starts. You can do probability analysis, and you 19 can do risk calculations and all of that stuff. But I think, beforehand, you should know 20 21 what the actual dose is, and everybody should know 22 what it is so that it becomes clear and transparent because we know exactly what we're talking about and 23

24

25

Volcanism is a major failure mode for a

NEAL R. GROSS

then how it's being used later.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	194
1	repository. The other one would be corrosion of the
2	canister, if the canister somehow didn't last. That
3	would really impact the waste isolation.
4	But certainly so would volcanism. And
5	there's a huge unknown and uncertainties that surround
6	it. But this is vitally important, the more
7	information that's known.
8	The report has been finished. And I think
9	that we're just at a beginning stage on a lot of this
10	stuff. And it's inappropriate to be at this stage
11	when, in fact, they're talking about being at the end.
12	So, those are the comments that I would
13	give. Thank you.
14	CHAIRMAN RYAN: Thank you very much. Any
15	other comments or questions? Yes?
16	MR. SMITHSTEAD: This is Eric Smithstead,
17	DOE. I wanted to perhaps clear something up from
18	yesterday on the probability discussion that went on.
19	I didn't want the Committee to walk away
20	perhaps having a false impression with what the
21	Department is doing in that regard. We embarked on
22	this program of flying an aeromagnetic survey, which
23	we have results on in the drilling program in PVHA.
24	We're not doing this to establish our
25	basis for LA. We've done that with PVHA. This is a
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON D.C. 2005-3701

	195
1	confirmatory endeavor no different than any other
2	confirmatory endeavor that would that we would
3	embark on for areas that are important to performance.
4	So, testing and this sort of thing will
5	continue. It doesn't stop at 12/04. There is a
6	requirement for a confirmation program in the
7	regulation.
8	So, that's what this is. This isn't going
9	back and saying oops, and reestablishing a technical
10	accuracy or basis for probability.
11	CHAIRMAN RYAN: Thanks very much. I
12	appreciate your comment. Anybody else?
13	(No response.)
14	CHAIRMAN RYAN: I guess with that session
15	being relatively short, our agenda calls for a panel
16	and committee summary discussion. I guess we just had
17	that.
18	If any panel members or committee members
19	or speakers Dr. Harper, or Eckerman, or Anspaugh,
20	do you have anything else you'd like to add? Please
21	do so now.
22	If not, I think we're up to Dr. Johnson's
23	final summary. Oh, we have one.
24	MR. HINZE: Well, I'd just like to go back
25	briefly to yesterday morning when John Trapp was asked
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

the question of where do we have a chance of modifying 1 uncertainties? 2 And I think his answer was concerned with 3 what we were discussing this morning. And, as I look 4 5 at that, I see that there are a large number of uncertainties that remain and that, in my view, there 6 7 has been limited attention paid to these. 8 So, I think John's comments are very much -- with what we heard this morning, that we can 9 10 anticipate a decrease in the uncertainties in this whole area of re-distribution, re-mobilization, and 11 12 doses. 13 And, I think that we should encourage. Or 14 I believe that the Committee should encourage the 15 Commission to put resources into this, because one of the very important points here is to reduce this 16 17 uncertainty and increase that credibility. And so I say that, from what I've heard in 18 19 the last day and a half, that John is right. 20 CHAIRMAN RYAN: Thank you. Other 21 comments? 22 MR. GARRICK: I just want to not leave the 23 impression that all I've got to say is critical. I think this has been a terrific working group meeting. 24 25 The presentations of yesterday and today **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.neairgross.com

	197
1	were really informative. And one of the reasons you
2	can be critical is you learn a lot that you didn't
3	know and you get some real insight as to the status of
4	where we are with some of the analytical process.
5	And I just didn't want to walk away from
6	here without acknowledging that. I think the ACNW
7	should be complimented on these kind of activities and
8	these kind of working group meetings.
9	They are terrific. And I want to see this
10	particular format replicated with any other oversight
11	group. It is very creative for you to do this. And
12	I hope it continues.
13	CHAIRMAN RYAN: Well, again, the credit in
14	large part is due to your leadership up to three weeks
15	ago.
16	MR. GARRICK: Well no, it came before me.
17	CHAIRMAN RYAN: It's a great format. It
18	does allow for a lot of exchange in a pretty efficient
19	way over a very short period of time, relatively
20	speaking.
21	So, I agree. And we do learn a lot that
22	helps in our letter writing process to hear a variety
23	of views. And, thank you for your comment. Any other
24	comments?
25	Dr. Johnson, do you want to summarize for
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

	198
1	us, please?
2	EPILOGUE REMARKS
3	MR. JOHNSON: Thank you. Can you hear me
4	okay? First of all, I would like to thank the
5	Committee for inviting me to come here and participate
6	in this meeting.
7	I've enjoyed it thoroughly and learned
8	quite a bit. In preparing for the meeting, I tried to
9	absorb as much of that information as is possible.
10	It is an impressive amount of information,
11	very interesting. It confirmed my appreciation for
12	the geo-sciences, and dosimetry folks, and the
13	materials folks.
14	And it confirmed my belief that I should
15	stick with developing probabilistic frameworks and
16	leave that stuff to you experts. But I certainly
17	enjoyed it.
18	If I am contributing something to the
19	discussion again I think Dr. Marsh hit it on the
20	head. What seems to elude me when I read this
21	material and hearing some of the discussion here, is
22	a lack of a framework that really ties all this stuff
23	together.
24	If you ask me what's important, I'm not
25	really sure. We have a lot of very nice analyses,
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

· · ·—·

199 very detailed analyses. But I'm not sure how to 1 identify what's important. 2 I believe that this triplet notation that 3 you have heard about, this triplet formulation is a 4 5 path forward to help build this bridge that could help us communicate between our disciplines. 6 7 It's more than just answering the three 8 questions of what can go on, what's the consequence, 9 and what is the likelihood. It is really a 10 perspective that starts with а probabilistic framework. 11 12 Let's embrace the uncertainties and 13 understand them. Let's identify where there are lots of uncertainties. But, more important, let's look at 14 15 where those uncertainties are important in making decisions and providing information to the decision 16 17 makers. 18 It is top-down approach. It really allows 19 us to dig down to see what's important. A little bit 20 of the history of the concept. I first became aware 21 of it in the late 1970's when the crew that John 22 Garrick put together for identifying risks that 23 commercial power plants. 24 He was applying it in risk assessments. 25 Subsequently it was published in 1981. So. the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

	200
1	concept has been in the open literature for quite some
2	time.
3	I believe, if we go back further in that,
4	we would see that the basic concept I actually in John
5	Garrick's thesis in the was it the Miocene age?
6	(Laughter.)
7	MR. JOHNSON: I get those geologic ages
8	mixed up. But, it has been there for quite a while.
9	And it has been applied in a large variety of
10	application from the commercial to the power program,
11	to the chemical program, space, transportation, DOD,
12	and marine applications.
13	Just to briefly divert on an example in
14	one marine application that I'm familiar with, we
15	looked at a retired supertanker, if you will, off the
16	coast of South America.
17	It's a tanker that has been through its
18	useful life. So there are some structural questions
19	about how this thing is going to withstand seas and
20	storms, etcetera, etcetera.
21	It is use to accept crude oil from a
22	number of undersea wells. So, it holds about million
23	barrels of oil on this huge tanker. Now, on the
24	tanker they have built a chemical plant, a refinery.
25	And, of course, there is 100 or so people
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

that live on this thing. And so, it was a very 1 2 complex problem to look at. The decision makers were interested in the workers' health, a number of environmental issues.

5 Probably about doze metrics were of 6 interested to the decision maker. And, of course, it 7 involved a large spectrum of technical experts that 8 needed to understand jet fire from chemical plants or 9 the operations associated with offloading and on-10 loading sort of things.

Like I said, we have a chemical plant 11 12 sitting on top of a million barrels of oil with the workers living right in this thing. It is the risk 13 14 framework that the triplet approach offered that 15 really helped us, in my opinion, put this thing 16 together in a coherent form.

17 It allowed the different disciplines to 18 talk to each other. I'm confident that, if we were to 19 consider using this type of framework for the Yucca 20 Mountain facility, it would open up the communication 21 channels.

22 I won't say it will solve every problem, 23 but I'm confident that it probably would. The 24 fundamental characteristics of the triplet, again, 25 it's at the beginning a very probabilistic framework.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

3

4

We seek out where there is uncertainties, 1 2 and we want to understand what those uncertainties 3 are. It embraces the uncertainty. We understand that 4 that's a key element in the decision process, and is 5 useful information to pass on to the decision makers. 6 It is scenario based. Now, for most 7 applications, we've seen it start with an initiating 8 event or a set of initiating events leading to a 9 number of steps to a spectrum of end states, 10 consequences. In the case of Yucca Mountain, you would 11 probably start with a set of initial conditions and 12 13 step through a set analyses, processes that would lead 14 to the dose to the public. 15 It does provide a structure to integrate 16 various components of the analysis. And it uses all 17 the available information. A lot of the material I 18 saw was deterministic in nature. 19 There's nothing wrong with that. That's 20 a proper way of doing things. This type of framework 21 would embrace that information and bring it into the 22 analysis as evidence. 23 And, just as an observation, in 1998, NRC 24 Commission -- paper on misinformed the regulation, 25 specifically it adopts to this triplet formulation in NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

their definitions.

1

2

3

4

5

6

7

So, what's the risk of Yucca Mountain? Well, I had a hard time answering that question with the material I've seen. It is rather segmented, even as this meeting has been segmented in terms of the volcanism, some of the trans-work mechanisms, the materials properties, and the dose.

8 We really need to consider this question 9 holistically and not look at the problem in these 10 segments, as it can be broken up. The information 11 after all that decision makers -- which I think is the 12 NRC Commissioners -- needs to understand is the 13 probabilistic expression of the dose to the public.

And we need to formulate our answer along that line. So, what's important? It is tough to say what's important. We know that there's a lot of uncertainties, a great number of them.

The question is, which ones of those are really critical for us to understand the question of is this reasonable to license? And, again, a coordinated, integrated approach is the way to approach that question.

It sounds like -- of course, it is dangerous to conclude on the only course of two days or so and a week or two of studying the material.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

But, it looks like one could say that the hazard 1 associated with the volcanoes appearing at the site is 2 reasonably well known. 3 Like I said, I'm not an expert in this 4 5 But, if we're talking about a factor of ten area. 6 uncertainty in the frequency of these things 7 occurring, that doesn't seem to be so bad for events 8 that are in the ten to the minus seven type of range. 9 On the other hand, the question is, are 10 there any uncertainties associated with those analyses 11 that would kind of drive us into a new regime where 12 we're outside of the confidence range of where the experts are really trying to tell us what the numbers 13 14 are. 15 It gets back to the importance of really 16 articulating as can the uncertainties best we 17 associated with the various parts of the analysis and 18 where that uncertainty comes from. 19 The other thing that seems important, just form what we've heard in the last couple of days, is 20 21 the source-term associated with those scenarios. In 22 particular, it seems like there's a divergent opinion 23 or philosophy on how to treat the canisters, for example, if it were to interact with magma, in what 24 25 form the radioactive material might appear in.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

(202) 234-4433

+ 12

	205
1	It seems to me, again, just one the
2	surface, just on the few days of studying this, that
3	if I were to chase on particular issue, the source-
4	term is of the most interest in the sense.
5	Certainly underlying science associated
6	with any risk assessment has to be sound. There's no
7	question about that. But, there real question is, how
8	accurate does the information that our models produce
9	or the science produce, how accurate does that have to
10	be?
11	I understand what Bob Budnitz was talking
12	about. Basically we need to make sure that the
13	information that's contained in our various pieces of
14	the analysis and of the analysis as a whole is in a
15	sense good enough.
16	Is it good enough to yield high quality
17	information to the ultimate decision makers?
18	Uncertainty is a large part of that information. It
19	doesn't make sense to invest resources to reduce
20	uncertainty just to reduce uncertainty.
21	It makes sense to invest resources to
22	reduce uncertainty where it matters. In the papers
23	I've read before I came here and I think we've
24	heard it here also today, it seems that I read that
25	there was only a handful of isotopes that are really
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

driving the picture here in terms of public health effects.

That, to me, was a tremendous insight after reading a number of things about volcanoes and transport, etcetera. It seems like here it got down to something that I could almost get my hands around.

7 I think we heard this morning how that 8 kind of insight is kind of filtering back into some of 9 the analyses. But, it really would make a lot more 10 sense, I think, if those little snippets cross the 11 disciplinary boundaries a little bit more so that we 12 focus on what's important.

Or we could challenge that conclusion. Maybe there are other isotopes that are important. Again, that's outside my realm of expertise. I suspect that, as we look at different scenarios, and certainly as we look at different timeframes, that small collection of isotopes that are important might change.

20 The next question I asked myself is, 21 what's the relationship between performance assessment 22 and what we're envisioning as a triplet application. 23 That's a tough question for me to answer. 24 I have not really obtained a full appreciation of 25 what's in a performance assessment. So, I'll answer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

	207
1	it with some uncertainty myself and recognize that
2	it's a part of the process here.
3	It is my observation that the performance
4	assessment is in a sense a bled of deterministic and
5	probabilistic analyses. It doesn't seem to tie the
6	sequences, if you will, to some sort of initial
7	conditions to the ultimate question of what's the dose
8	to the public or the exposed people.
9	And it's not a top down construction, at
10	least it doesn't appear to be in my mind. Those are,
11	to me, the kind of critical observations, and ones
12	that I think a triplet formulation could supplement
13	this viewpoint and make the good sciences going into
14	it more readily available and useful to the decision
15	makers.
16	In doing my homework for this meeting, I
17	tried to look for what I could find easily about
18	performance assessment, about Yucca Mountain. One
19	paper I ran across was by Leon Reiter.
20	It was a paper he presented recently in a
21	PSAB meeting, entitled What Role for Performance
22	Assessment. And I'm quoting from this paper without
23	permission. So I'm totally
24	MR. GARRICK: There he is, get his
25	permission.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

• • • •

.

•

•

	208
1	MR. JOHNSON: I told him already if I
2	misstate your thoughts here in any way, please correct
3	me. But, I found it to be a very instructive paper
4	for me to get my hands around the concept of
5	performance assessment, etcetera.
· 6	The thing I want to pull from that paper
7	is the fact t the identifies several advantages for
8	performing a performance assessment. These are that
9	the performance assessment allows for the integration
10	of many models and large amounts of data.
11	The performance assessment takes into
12	account the interaction of different models used. And
13	it takes uncertainty into account. More interesting
14	to me was the disadvantages.
15	Its highly integrated nature and
16	complexity and obscure those elements which drive the
17	results. Its highly integrative nature and complexity
18	can seem to limit can obscure the limitations and
19	assumptions.
20	And, its highly quantitative nature and
21	complexity can lead to false impressions of accuracy.
22	I think those are any observations that are
23	appropriate for any risk assessment, quite frankly.
24	But, the philosophy that we're talking
25	about when we talk about the triplet formulation
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1

.

	209
1	really addresses those issues head-on. We embrace the
2	uncertainty, we include it in the analysis.
3	We use it as an integrative tool so we
4	hopefully do not obscure the interactions between the
5	disciplines, etcetera. I did want to steal one other
6	part.
7	It attributes to Hammings from his 1962
8	book on numerical methods of complexity. Hammings
9	says that the purpose of computing is end sight, not
10	numbers.
11	I think that's a very powerful thing for
12	us to remember when we do any sort of assessment like
13	this. In conclusion, I just wanted to bring up the
14	concept of the triplet.
15	It is more than the three questions. It's
16	really a philosophy about how we approach a complex
17	problem. We treat it probabilistically from the
18	beginning.
19	We treat it end-to-end. We don't try to
20	break it into segments that might obscure the results.
21	And we strive to create a top-down assessment that's
22	supportive of decision making and communication
23	between the different disciplines.
24	I think such a formulism would be very
25	much complimentary to the performance assessment in
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
l	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	210
1	existing analyses to date. Thank you.
2	CHAIRMAN RYAN: Thank you very much.
3	Let's see, that brings us to closing remarks. I think
4	we have been around the room and the table a couple of
5	times here in the last couple of hours.
6	I don't know if I have any detail to add
7	to that. So, unless there are any specific comments,
8	I think our letter will certainly reflect the content
9	of the meetings in the two days, and some of the
10	summary comments as we prepare our thoughts for our
11	lettering session that will occur in our next meeting
12	in October in Bethesda.
13	So, with that, I'd like to bring the
14	formal working group meeting group to a close.
15	(Off the record.)
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

and the second secon

CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: Advisory Committee on

Nuclear Waste

Docket Number: n/a

Location: Las Vegas, NV

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.

Mieson We

Chrissy Willis Official Reporter Neal R. Gross & Co., Inc.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433