

**NUCLEAR REGULATORY COMMISSION**

ORIGINAL

Title: Advisory Committee on Reactor Safeguards  
520th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, March 4, 2005

PROCESS USING ADAMS  
TEMPLATE: ACRS/ACNW-005

SISP REVIEW COMPLETE

Work Order No.: NRC-265

Pages 1-88

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

**ACRS OFFICE COPY  
RETAIN FOR THE LIFE OF THE COMMITTEE**

TROY

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

March 4, 2005

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on March 4, 2005, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected and edited and it may contain inaccuracies.

## 1 UNITED STATES OF AMERICA

## 2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

## 4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

5 520th MEETING

6 + + + + +

7 FRIDAY, MARCH 4, 2005

8 + + + + +

9 ROCKVILLE, MARYLAND

10 + + + + +

11 The Committee met at the Nuclear Regulatory  
 12 Commission, Two White Flint North, Room T-2B3, 11545  
 13 Rockville Pike, at 8:30 a.m., Graham B. Wallis,  
 14 Chairman, presiding.

## 15 MEMBERS PRESENT:

|    |                       |                 |
|----|-----------------------|-----------------|
| 16 | GRAHAM B. WALLIS      | Chairman        |
| 17 | WILLIAM J. SHACK      | Vice Chairman   |
| 18 | GEORGE E. APOSTOLAKIS | Member          |
| 19 | MARIO V. BONACA       | Member          |
| 20 | RICHARD S. DENNING    | Member          |
| 21 | F. PETER FORD         | Member          |
| 22 | THOMAS S. KRESS       | Member          |
| 23 | DANA A. POWERS        | Member          |
| 24 | VICTOR H. RANSOM      | Member          |
| 25 | JOHN D. SIEBER        | Member-At-Large |

## NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS  
 1323 RHODE ISLAND AVE., N.W.  
 WASHINGTON, D.C. 20005-3701

## 1 ACRS/ACNW STAFF PRESENT:

2 JOHN T. LARKINS Executive Director,  
3 ACRS/ACNW

4 SAM DURAIWAMY Technical Assistant

5 MEDHAT EL-ZEFTAWY

6 MICHAEL SNODDERLY

7

## 8 NRC STAFF PRESENT:

9 KENNETH CHANG NRR/RLEP

10 KURT COZENS

11 JERRY DOZIER NRR/DRIP/RLEPB

12 BARRY ELLIOT NRR/DE/EMCB

13 AMY HULL NRR/RLEP

14 P.T. KUO Program Director, RLEP

15 CHANG-YANG LI NRR/SPLB

16 MARK LINTZ

17

18

19

20

21

22

23

24

25

|    |   |             |
|----|---|-------------|
| 1  |   | 3           |
|    | <u>AGENDA ITEMS</u>                           | <u>PAGE</u> |
| 2  | Opening Remarks, Chairman Graham B. Wallis    | 4           |
| 3  | Proposed Revisions to Generic License Renewal |             |
| 4  | Guidance Documents/Scoping Review Process     |             |
| 5  | for BOP Systems                               |             |
| 6  | Member Mario V. Bonaca                        | 5           |
| 7  | Dr. P.T. Kuo                                  | 6           |
| 8  | Mr. Jerry Dozier                              | 9           |
| 9  | Mr. Kurt Cozens                               | 21          |
| 10 | Dr. Amy Hull                                  | 31          |
| 11 | Mr. Mark Lintz                                | 68          |
| 12 | Mr. Chang-Yang Li                             | 75          |
| 13 |   |             |
| 14 |   |             |
| 15 |   |             |
| 16 |   |             |
| 17 |   |             |
| 18 |   |             |
| 19 |   |             |
| 20 |   |             |
| 21 |   |             |
| 22 |   |             |
| 23 |   |             |
| 24 |   |             |
| 25 |   |             |

## P R O C E E D I N G S

(8:25 a.m.)

CHAIRMAN WALLIS: This meeting will now come to order. This is the second day of the 520th meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting, the Committee will consider the following: proposed revisions to generic license renewal guidance documents and scoping review process for BOP systems, preparation for meeting with the NRC Commissioners, future ACRS activities, report of the Planning and Procedures Subcommittee, reconciliation of ACRS comments and recommendations, and the preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

Mr. Sam Duraiswamy is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's sessions.

A transcript of a portion of the meeting is being kept and it is requested that the speakers

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 use one of the microphones and identify themselves and  
2 speak with sufficient clarity and volume so that they  
3 can be readily heard.

4 We will proceed with the first item on the  
5 agenda which is the proposed revisions to generic  
6 licence renewal guidance documents. And I will pass  
7 over the authority of the meeting to the cognizant  
8 member on this subject, Mario Bonaca.

9 MEMBER BONACA: Thank you.

10 During the past two, three years, in our  
11 review of license renewal applications, we have  
12 repeatedly encouraged the staff to update the  
13 supporting documents like GALL and SRP.

14 And I think the time was right, in part,  
15 of particular interest to the Committee was the  
16 development was the ISGs that have been used now for  
17 many of the plants and have established some baselines  
18 where if there is a clear indication of what the  
19 licensee should do, that information clearly belongs  
20 in the guidance documents.

21 Also of interest to us has been the fact  
22 that on certain programs, particularly buried piping,  
23 buried concrete, fire protection, all licensees seem  
24 to take exceptions to the requirements of the rule.  
25 And so the NRC consistently accepts the exceptions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 That means that maybe the SRP shouldn't be or the GALL  
2 shouldn't be so prescriptive. And we heard that, in  
3 fact, some of the changes would be incorporated.

4 So today we have Mr. Kuo and the staff to  
5 tell us about these changes, which are much broader  
6 than the one I described.

7 But at some point, it would be worthwhile  
8 for the Committee to hear about specifically the one  
9 I mentioned because they are part of exceptions of  
10 licensees for three LRAs that we are currently  
11 reviewing. So buried piping, buried concrete, and  
12 fire protection systems.

13 So with that, I'll turn to Mr. Kuo.

14 DR. KUO: Thank you, Dr. Bonaca. My name  
15 is P.T. Kuo. I'm the Program Director for the License  
16 Renewal Environmental Impacts Program.

17 The purpose of today's briefing is to  
18 brief the members on the recent revision on the  
19 generic guidance documents that was originally issued  
20 in July 2001.

21 Over the past four years, we have reviewed  
22 many license renewal applications and we have gained  
23 considerable experience from these past reviews. As  
24 Dr. Bonaca mentioned, that the industry revision that  
25 we have attempted to incorporate some of the lessons

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 learned, included the ICs, whether it's finalized or  
2 it's still in draft form. And we have also included  
3 many of the past precedent that we have applied in the  
4 past reviews.

5 So today the staff will have four  
6 presentations for you. And we hope that we get your  
7 feedback, the input. We have published this set of  
8 revised documents on January 31st. These documents  
9 are all on the Website and for public comment. The  
10 comment period will end on March 31st.

11 And we had a public workshop on Wednesday  
12 this week. The industry, NEI, has already submitted  
13 their set of comments verbally during the workshop.  
14 And they promised that they will submit their written  
15 comments also.

16 We also have received a report from David  
17 Lochbaum, who is a member of the Union of Concerned  
18 Scientists. He sent us a report and we have reviewed  
19 that report. And we believe we also have considered  
20 his report in the development of this revised version  
21 of the guidance documents.

22 The four presentations will be given by  
23 our staff. First Jerry Dozier. He is leading this  
24 effort and he is going to give the Committee a brief  
25 overview of the whole project.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   And then followed by Kurt Cozens. He's  
2 going to brief the Committee on the revision of the  
3 standard review plan for license renewal.

4                   And then Dr. Amy Hull, who will be  
5 briefing the Committee on the GALL Report itself. And  
6 I want to say a few words about Amy. She is on loan  
7 to NRC from Argonne National Lab and she has been a  
8 member of this team for more than a year now. And she  
9 has contributed significantly to the effort. We  
10 appreciate her effort here.

11                   Then we have Mark Lintz who is going to  
12 present his revised Reg Guide 1.88.

13                   Basically what they are going to do is to  
14 provide the Committee with a summary of the changes of  
15 these documents from the original version.

16                   So with that, I think I'm just going to  
17 turn over the meeting to Jerry first. And then  
18 followed by the rest. Unless there are any other  
19 questions. Are there questions I could answer?

20                   CHAIRMAN WALLACE: Do you have a handout  
21 for us?

22                   DR. KUO: You should have.

23                   CHAIRMAN WALLACE: Okay. Thank you. So  
24 it's buried, okay, somewhere.

25                   PARTICIPANT: Here it is.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLACE: Okay. Oh, it's a tiny  
2 thing. Go ahead.

3 (Laughter.)

4 DR. KUO: I might mention also that before  
5 we finalize this set of guidance documents, which we  
6 intend to finalize it say on September 30, 2005,  
7 before we issue the final version of this set of  
8 documentation, we will come to the Committee again to  
9 give you the overview of what is final -- the  
10 finalized version of this documentation.

11 Jerry?

12 MR. DOZIER: Good morning. My name is  
13 Jerry Dozier.

14 And the challenge this morning is to --  
15 actually when the documents was delivered to the ACRS,  
16 I delivered it in a wheel cart. And I think it was  
17 four or five boxes. That represented -- if you take  
18 the entire collection, it's about 1,800 pages  
19 including the basis document.

20 We'll also have a public comment NUREG  
21 that will even come after that, so I suspect we'll be  
22 about at the 2,100 page mark before the end of the  
23 effort.

24 MEMBER POWERS: You haven't even  
25 approached what we had for early site permits.

1 (Laughter.)

2 MEMBER POWERS: We're not stunned.

3 (Laughter.)

4 MR. DOZIER: With that amount of  
5 information, the challenge here is to give a good  
6 background, schedule, scope, and an overview of all  
7 these documents in about a 45-minute period, allowing  
8 time for questions and answers. So I'll quickly  
9 begin.

10 As you know, the documents that we updated  
11 were NUREG-1800, 1801. We saw a new numbering on the  
12 Draft Guide 1140. That's actually our old Reg Guide  
13 1.188 that when it goes out for public comment, we use  
14 this Draft Guide 1140 designation. And, of course,  
15 that will be Rev. 1 when it's completed.

16 Not mentioned here is we also had  
17 available on our Website a contractor NUREG draft of  
18 the basis document, which we have submitted to the  
19 ACRS and it's available for all the members of the  
20 public and all of the reviewers.

21 For this effort, there's no one effort you  
22 can point to. It was certainly integrated  
23 participation of a lot of people that were involved.  
24 It was multi-office within NRC, including the Office  
25 of Research. DRIP, DIPM, DSSA, and DE were all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 involved.

2 Basically in a lot of these meetings, we  
3 had representatives from these groups as well as  
4 contractor groups in there as panelists -- as in  
5 information panel -- to basically provide direction-  
6 setting and also review products and make sure that  
7 the concerns were aired and considered.

8 Much of the members were those that were  
9 involved in original GALL development, audits,  
10 reviews. And so we had a good cross section of people  
11 to help us come to the decision that we have.

12 We also had contractors involved. The  
13 prime contractor was Parallax. We had -- before the  
14 effort began, we had Argonne National Lab who looked  
15 at seven applications to identify the lessons learned  
16 that we could -- for consideration. We also had a  
17 contractor, ISL, who looked at one application and  
18 offered lessons learned for consideration of the  
19 update.

20 So we had a lot of comments to consider.  
21 And we considered all of those. We prioritized them.  
22 And implemented those that we felt appropriate for  
23 this update.

24 Also, we had active involvement with NEI.  
25 We had frequent public meetings with them. They also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- we had a preliminary draft of the documents out  
2 September 30th. So we say a 60-day comment period but  
3 in actuality, major portions of the document have been  
4 out since September 30th. So we've extended that out,  
5 you know, so that they could -- we could have very  
6 much a visible process. We've had public groups  
7 involvement, Union of Concerned Scientists, as Dr. Kuo  
8 mentioned, earlier.

9 CHAIRMAN WALLACE: When you have these  
10 public meetings, are they all in the Washington area?

11 MR. DOZIER: Yes, all of the meetings for  
12 the license renewal update are at headquarters. If we  
13 -- of course, the license renewal, the specific  
14 applications, we had the on-sites.

15 CHAIRMAN WALLACE: So some member of the  
16 public who is interested on the West Coast has to  
17 travel to Washington?

18 MR. DOZIER: We typically have a bridge  
19 line and the availability of the bridge line for those  
20 who want to participate.

21 CHAIRMAN WALLACE: So they can participate  
22 without physically coming to the meeting?

23 MR. DOZIER: Yes, sir.

24 CHAIRMAN WALLACE: Do they that? Do  
25 people do that?

1 MR. DOZIER: There has been some. I mean  
2 in a typical meeting, there will only be probably two  
3 or three. And a lot of times, they're contractors.

4 MEMBER POWERS: If I may, Dr. Wallace,  
5 every one of our meetings are public. We publish  
6 meeting notice and sometimes in Federal Register  
7 notice. If there is any request to us that they want  
8 to be a participant of the meeting, yes, we will make  
9 arrangements. We don't go out to solicit  
10 participation.

11 MEMBER FORD: Could I ask something, a  
12 little bit about the dynamics in the discussions. We,  
13 in this group, have often brought up questions. Aging  
14 management is in a continuous state of flux as new  
15 information becomes available.

16 And licensees, especially, from the  
17 conversations I've had with them, generally resist  
18 changes to, for instance, GALL because they say that  
19 the research is not mature enough or it doesn't relate  
20 to safety-significant aspects.

21 How much did you have to back off on your  
22 suggested changes because of licensee or other parties  
23 use of such an argument? It's too immature to put  
24 into such a guidance document. You understand the  
25 question?

1 MR. DOZIER: I think I do. And actually  
2 in this -- of course, as you said, there are some  
3 issues out there that may be a challenge. But realize  
4 that in this particular effort, what we were trying to  
5 do was learn from what we have already done.

6 If you look in our basis document, we're  
7 taking those elements that we have accepted in the  
8 past and basically placed them in these documents.  
9 And a lot of times, we've accepted them many times.  
10 So that we don't have to go through that same thing.

11 New issues, we still have the Interim  
12 Staff Guidance Program in place. And for those types  
13 of issues, they are still open.

14 MEMBER FORD: Let me give you a specific  
15 example.

16 MR. DOZIER: Sure.

17 MEMBER FORD: For instance, the Fatigue  
18 Code, ASME III Fatigue Code, which is in a continual  
19 state of flux. And there's at least three models or  
20 algorithms out there in Japan, from ANL, from ASME  
21 itself, which can give remarkably different values of  
22 the CUF values.

23 How do you, as you've done this new  
24 document, how have you taken into account that state  
25 of flux in the technical community?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. CHANG: This is Ken Chang. Let me  
2 address a little bit on that.

3 DR. KUO: By the way, Ken Chang is the  
4 Acting Second Chief for the Section B in the License  
5 Renewal Environmental Impacts Program.

6 MR. CHANG: In that fatigue area, the  
7 other teams have been suggesting that the applicant  
8 should look into the plant-specific problem area  
9 instead of generic NUREG/CR-6260 location.

10 And since the new fall report put that  
11 kind of requirement in there, we already have feedback  
12 from the applicants. And we already have  
13 communication during the workshop. So I can  
14 anticipate those kinds of communication is upcoming.  
15 And the open discussion is always for the improvement.

16 DR. KUO: Dr. Ford, this effort here, the  
17 revision, is basically to incorporate the lessons  
18 learned and that includes the past precedents that the  
19 positions that the staff has taken during the past  
20 reviews. And also incorporates some of the ISGs that  
21 we have already published and the Committee has  
22 reviewed. And also some still in draft that the  
23 Committee may not have seen it.

24 But we have prepared the draft and instead  
25 of publishing the SNIC, this is the perfect timing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that includes in this version of the document so that  
2 this version will be reviewed by the Committee later  
3 on before we finally publish it in September. And  
4 also it will be subject to CRGR's review.

5 Basically this final version, when we  
6 publish it on September 30th, will subject the whole  
7 treatment of management review.

8 MEMBER BONACA: Just a comment. As we go  
9 forth, you know, and I participated in part of the  
10 workshop on Wednesday, I noticed that the changes are  
11 two categories. One is really organizational changes  
12 of the documents. And we're interested but I think we  
13 are more interested in the substantial, substantive,  
14 technical changes that have taken place in the license  
15 renewal.

16 So, you know, my suggestion would be that  
17 you give emphasis on those rather than just the  
18 organizational portion, which is interesting because  
19 we want to know how to use them, but not as  
20 interesting as the technical changes made.

21 DR. KUO: And talking about the workshop  
22 last Wednesday, I failed to mention, and I was  
23 reminded by Dr. Sam Lee, that a group of county  
24 legislators surrounding the Indian Point plant  
25 actually attended the workshop, although very late.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Dr. Bonaca, you may not have seen them --

2 MEMBER BONACA: No, I wasn't here.

3 DR. KUO: -- but they came in at 4:00 p.m.  
4 And we were there waiting for them and they all came  
5 in. So partly this is an answer to Dr. Wallis's  
6 question is the public interested in this. They are.  
7 And they actually came all the way, drive for five and  
8 a half hours.

9 MEMBER BONACA: Okay. I mean that would  
10 be my encouragement to spend more time on the  
11 technical changes you made. And probably less on the  
12 organizational report. Just a comment as you go  
13 through your presentation.

14 CHAIRMAN WALLACE: I thought it was more  
15 than a comment. It was a piece of advice.

16 (Laughter.)

17 MEMBER BONACA: Well, I mean, there is  
18 some substantive thing that we use in our review. So  
19 there is an interest in the CRS, in understanding  
20 where there have been those changes, you know, because  
21 we use them in our review.

22 MR. CHANG: Throughout this presentation,  
23 if any technical areas that the ACS members like to  
24 hear but it is not covered, please raise. We will try  
25 to accommodate that as much as we can.

1 MEMBER FORD: Okay.

2 VICE CHAIRMAN SHACK: Just a point of  
3 clarification. How much of the ISGs have now -- you  
4 know, have all the ISGs been informally incorporated  
5 into GALL? Or are there still GALL and ISGs?

6 MR. DOZIER: There -- about -- there was  
7 probably about maybe a half of the ISGs that were  
8 addressed in GALL. But the current ISG Program  
9 continues.

10 MEMBER BONACA: Why would you have only  
11 about half of them? Not all of them? Is it just the  
12 timing or --

13 MR. DOZIER: Mark?

14 MR. LINTZ: Jerry? If I may. Mark Lintz.  
15 I deal with the ISGs. Jerry is correct. About half  
16 have been incorporated into the GALL document as you  
17 see it now. Others remain simply because they have  
18 not been resolved. Either staff is working through  
19 the issues and some of them are -- one of them is  
20 fatigue, as already mentioned, and there are other  
21 issues that do not lend themselves to quick and easy  
22 resolution between staff and industry.

23 So the ones that do remain are bigger  
24 issues. There's one that we're working -- we're  
25 coordinating with VIP on. There's another that we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 coordinating with the issue on CASS. We already  
2 mentioned fatigue. So some of these issues just will  
3 take more time.

4 MEMBER BONACA: So that is still being  
5 contested by the industry?

6 MR. LINTZ: Correct.

7 MEMBER BONACA: So although you do have  
8 guidance on what you expect, so the current licensees  
9 will meet those requirements, they are still being  
10 contested and evaluated.

11 MR. LINTZ: In addition, I would like to  
12 add sometimes there is no unity of opinion within  
13 staff, which, of course, delays any progress.

14 MR. DOZIER: With this slide, I do want to  
15 emphasize that we will have a public comment NUREG  
16 considering all of these comments from the workshop  
17 and from the public comment period that will  
18 specifically address all of those comments.

19 Schedule, I'll just roughly go through  
20 this. We put the documents the 31st. We had the  
21 draft basis document available on the 7th. We had the  
22 public workshop. And now we're in the public comment  
23 period.

24 We do continue -- on April 21st, we do  
25 continue to plan to have public meetings throughout

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the remainder of this project. We'll provide the  
2 approved documents about the August time frame to be  
3 a month in advance. So the next ACRS meeting in  
4 September with the plan to publish these as final on  
5 September 30th.

6 VICE CHAIRMAN SHACK: You had a public  
7 comment NUREG before but I'm not sure that I can think  
8 of other licensing actions where we published public  
9 comment NUREGs. I mean it seems to me a good idea but  
10 is there a particular reason why it's done here?

11 MR. DOZIER: We want to make sure --

12 VICE CHAIRMAN SHACK: Or is it a just a  
13 decision that you make internally?

14 DR. KUO: Yes, this we consider our set of  
15 very importance guidance document. It's weighed like  
16 SRP because GALL really is the technical basis  
17 document for SRP. And we do publish for comments, say  
18 the standard review plan for the operating reactors,  
19 0800. And for that we do publish for public comments.

20 MR. DOZIER: Okay. And we also keep our  
21 members of the public and everyone informed on one  
22 license renewal guidance update page. And that's what  
23 it looked like. Actually in that, you'll see all the  
24 meetings, meeting summaries, downloads of the  
25 information, et cetera.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   With that, we'll get more into the meat of  
2 it with Kurt Cozens on the SRP.

3                   MR. COZENS: Let's see, Jerry skipped a  
4 couple -- can you hear me on this?

5                   Jerry skipped a couple of slides in the  
6 interest of satisfying your request. And I'll try to  
7 go through this fairly quickly because the standard  
8 review plan is largely an administrative document that  
9 talks about how to perform the reviews.

10                  It was written initially based upon having  
11 a few reviews completed. And subsequently, there's  
12 been a lot of lessons learned and also some structural  
13 changes within the NRC that dictated some additional  
14 process changes be added to it.

15                  The changes that have been implemented fit  
16 into basically three categories. The first one is to  
17 reflect any technical changes that had been  
18 incorporated into the GALL document itself that needed  
19 to be transferred over to the SRP, namely the further  
20 evaluation criteria, again, it's in GALL but it's also  
21 here. Also the table, the roll-up table summaries are  
22 the activities -- because of changes in the GALLs, the  
23 corresponding changes needed to be made.

24                  The second significant area of change was  
25 the acknowledgment of the structural changes within

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 RLAP, the creation of RLAP B, which is a section that  
2 actually performs audits and reviews, that's part of  
3 the license renewal group.

4 Lastly, we had to address insights gained  
5 for the performance of the LAR reviews that have been  
6 performed to date. And so it's just a matter of  
7 processing explanation that maybe we wanted some  
8 additional clarification.

9 And I'm going to speak about these a  
10 little bit more.

11 Next slide. We have revised Section 30.  
12 Before, it was literally just a title. We've added  
13 some significant text here to highlight the division  
14 of reviews between those which are performed within  
15 RLAP B and those which are performed by others. This  
16 would be the safety review portions, not the scoping  
17 and screening.

18 We've also provided some background on  
19 what does it mean to perform these reviews. It wasn't  
20 really explicitly clear when you read the 2001  
21 edition. And we chose to add some additional  
22 editorial text just to position the reader to  
23 understand what is happening in this document.

24 Then lastly we've, in this section, added  
25 clarification of some activities and commitments that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 have been made in an October 26th letter to Dr. Bonaca  
2 concerning the need to assure that operating  
3 experience is considered for extended power uprates.  
4 And that was a paragraph that was added to denote that  
5 criteria and commitment that we had made back in  
6 October.

7 Next slide please. Section 3.1 through  
8 3.6 of the SRP effectively do three things. They  
9 identify the areas of review, they identify the  
10 acceptance criteria, and they identify the review  
11 procedure. These have been enhanced over what was in  
12 the 2001 edition.

13 I will note that 3.1 through 3.6, which  
14 address the reactor coolant system, the Engineered  
15 Safety Features, the aux. system, the steam power  
16 conversion systems, and electrical systems all have  
17 the same nominal structures. And the changes to each  
18 sections were essentially the same type of changes.

19 Also we clarified how to perform aging  
20 management program reviews and how to perform AMR,  
21 aging management reviews, and what it means to perform  
22 the FSAR analysis that we perform as part of this.  
23 Those were changed to align with the audit process as  
24 we actually perform it because we've defined it a lot  
25 better now than we had before.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   We discuss the exceptions and enhancements  
2 to the GALL Report that being that GALL is a voluntary  
3 document, it does discuss what staff has defined as  
4 one acceptable way of satisfying the tendency of our  
5 Part 54 rule but we have noted since the beginning of  
6 use of GALL that licensees do, indeed, take exceptions  
7 to some of the criteria that is in the GALL Report and  
8 also may need to perform enhancements to existing  
9 programs.

10                   And that had been one of the confusions  
11 that had existed on some reviews where the licensee  
12 would be using the terminology of enhancements in a  
13 very broad perspective to mean everything they did  
14 beyond what they're doing today. But it may not be  
15 necessarily an enhancement or an action that was  
16 necessary to bring an existing program up to what  
17 GALL, the GALL criteria were.

18                   So we wanted to make a distinction that if  
19 they had an existing program and they were taking some  
20 action before the period of extent of operation, they  
21 would now make that existing program consistent. We  
22 wanted to give that definition so we could focus on  
23 those activities to assure that we're consistent with  
24 GALL.

25                   And lastly, we noted that in the document,

1 when they have taken exceptions, that those must be  
2 evaluated and documented in the SER and the basis for  
3 those exceptions documented. So now we've formalized  
4 that as a commitment. Although we had done that, it  
5 was never part of this RP before.

6 A large portion of these Sections 3.1  
7 through 3.6 are the further evaluation criteria when  
8 GALL has identified a further evaluation that is  
9 necessary. Some action beyond that which actually is  
10 explicitly defined in the GALL Report, the application  
11 needs to define how do they perform that.

12 The standard review plan contains the  
13 criteria that have been defined for that. Now through  
14 our reviews in the updating of the GALL Report, some  
15 of those had changed. And those needed to be  
16 reflected here. And that update has been done.

17 As I mentioned earlier, there is a series  
18 of roll-up tables in the GALL Report. Those were  
19 revised to, again, reflect the changes in the GALL.

20 MEMBER BONACA: Just a question. On the  
21 previous slide, you talk about the -- it discusses the  
22 exceptions process.

23 MR. COZENS: Yes.

24 MEMBER BONACA: Okay. And I have to look  
25 at it to understand better what the guidance is there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but, you know, I noted that in some cases, for example  
2 in, you know, an issue we have raised a number of  
3 times, which is inaccessible concrete, there is  
4 guidance there.

5 If you have non-aggressive soil, the  
6 tendency is the one of allowing no inspection,  
7 essentially, during the period of extended operation  
8 unless one happens to dig somewhere and then there is  
9 some indication that they would look at it.

10 When you look at the plans with aggressive  
11 soil, then the guidance is that there should be  
12 periodic inspections.

13 But then the licensees always take the  
14 position that they will do, you know, opportunistic  
15 inspections and they happen anyway. But there is no  
16 requirement for them to do it on a periodic basis.  
17 And, in fact, if they end up not ever excavating for  
18 any reason over a 20-year period, they would never do  
19 an inspection either.

20 I mean so what does it mean in that case  
21 to have a requirement for a period inspection if there  
22 is no, you know, there is no substance to that?

23 MR. COZENS: In response to your question,  
24 I can give you part of the answer and part of it a  
25 parallel example. I'm not certain I know the explicit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 answer here so I may let somebody else address that.

2 But GALL being a document that is  
3 equivalent basically to a Reg Guide demonstrates one  
4 acceptable way. A licensee does have permission to  
5 propose an alternate method. Those are, indeed,  
6 required to be evaluated and justified.

7 Now coming back to your specific activity  
8 on concrete, let me provide a parallel answer and  
9 maybe somebody else can answer the comment on  
10 concrete. In the buried piping and tank amp, we had  
11 some words in there that did permit an opportunistic  
12 inspection.

13 At a recent ACRS, this was discussed and  
14 a proposal was made that we assure that they perform  
15 an inspection of these buried pipings and tanks at  
16 least once every ten years.

17 MEMBER BONACA: That's right.

18 MR. COZENS: That has been added to the  
19 updated GALL and I'm not quite certain I recollect --  
20 bear in mind it's this thick -- what happened with the  
21 buried concrete.

22 MEMBER BONACA: But nothing is --

23 MR. DOZIER: With the -- I know for the  
24 inaccessible and accessible areas of concrete, we did  
25 incorporate IS, Interim Staff Guidance 3. And we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 clarified the accessible and inaccessible regions of  
2 the concrete a little better we felt.

3 DR. HULL: And this is Amy Hull speaking.  
4 To be more specific --

5 PARTICIPANT: Amy, you have to speak into  
6 the microphone.

7 DR. HULL: Okay.

8 DR. KUO: Your name please?

9 DR. HULL: Amy Hull, this is Amy Hull  
10 speaking.

11 The way that we've handled it for Chapter  
12 2, for example, we defined what an aggressive  
13 environment is and we establish whether there is an  
14 aggressive environment. For inaccessible areas, we  
15 have written for the AMP and the AMR line items  
16 examination of representative samples of below-grade  
17 concrete and, as you point out, when excavated for any  
18 reason --

19 MEMBER BONACA: Yes.

20 DR. HULL: -- is to be performed if the  
21 below-grade environment is aggressive, defined as pH  
22 less than 5.5, chlorides greater than 500 ppm, or  
23 sulfates greater than 1,500 ppm. Now what we do, we  
24 specify that there will be periodic monitoring of the  
25 below-grade water chemistry, including consideration

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of potential seasonal variations as an approach to  
2 demonstrate that this below-grade environment is  
3 aggressive or non-aggressive.

4 So you have the monitoring of the water to  
5 determine that the pH --

6 MEMBER BONACA: Yes.

7 DR. HULL: -- and chemical content. And  
8 then if it is aggressive, you have to go in. That's  
9 my understanding of what we have written.

10 MEMBER BONACA: Okay.

11 MR. CHANG: Dr. Bonaca, let me supplement  
12 this area. Since the draft GALL -- I mean the Rev. 1  
13 GALL was published January 31st and we have some  
14 requirement there for the opportunistic excavation and  
15 also focused inspection, people look into that and the  
16 other teams has already created communication to those  
17 pilot plants and other plants. We're persuading them  
18 to say hey, why don't you include those kind of  
19 requirements in there?

20 If somewhere you have excavating in the  
21 last ten years -- in the first ten years into the  
22 extended period of operation or just prior to that,  
23 they you do not need to have a focused inspection. If  
24 not, we'll ask you to commit to do that.

25 And where to do it is those high-risk,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 high-stress areas. And as an alternative, one  
2 applicant says we'll do this but we don't know whether  
3 we do enough. So we would do an engineering  
4 evaluation of what we have done to assure you that the  
5 coating and wrapping is safely protected and those  
6 components will serve the intended functions.

7 We have talked to at least three  
8 previously-reviewed plants. They all agreed to put  
9 those kind of statements in there. So the positive  
10 impact, you can see it already.

11 MEMBER BONACA: Okay.

12 MR. COZENS: Okay. The last slide I -- go  
13 ahead and push the button a couple of times because we  
14 get to use automated features. We've made some minor  
15 structural changes to the tables that are contained in  
16 the SRP to make them a little user-friendly.

17 Quite frankly, it was very difficult to  
18 find a particular line that you might have been  
19 talking about with anybody. And so we added something  
20 very simple, a number. So you can talk about line 32  
21 if you wish to.

22 Probably more important, the GALL Report  
23 used to be able to be referenced going from the GALL  
24 Report to the SRP. It was very difficult to go from  
25 the SRP into the GALL Report. Another column has been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 added to these tables that has some related links that  
2 permit you to now go from the SRP into the GALL so  
3 it's a better linkage. And we believe that will make  
4 it more user-friendly and easier to actually perform  
5 the reviews.

6 And that, indeed, concludes my prepared  
7 remarks. Are there any questions?

8 (No response.)

9 MR. COZENS: Thank you.

10 DR. HULL: Good morning. I'd like to  
11 point out that although my name is on this slide, I'm  
12 trying to represent the work of dozens of people at  
13 NRC, at Argonne, at Parallax.

14 P.T., thank you for your kind  
15 introduction. I want to point out I'm appreciative to  
16 my managers at Argonne and at NRC to have the  
17 opportunity to be here, to have this appointment in  
18 your group.

19 It's been exactly ten months today. I  
20 don't know if it is good or bad that you think I've  
21 been here for over a year.

22 DR. KUO: I'm sorry. I thought it was  
23 already a year.

24 DR. HULL: No.

25 (Laughter.)

1 DR. HULL: Okay. Let me go on.

2 All right. I'm going to try to get into  
3 some of the nitty-gritty of what's going on.

4 As you've noticed, we've made  
5 modifications, additions, and deletions to the AMPs.  
6 We've written three new AMPs that are currently  
7 included. There are others that will be coming online  
8 soon through the ISG process.

9 We've included E.4, the AMP for bus ducts,  
10 E.5, AMP for fuse holders, and E.6, electrical cable  
11 connections not subjects to 10 CFR 50.49,  
12 environmental qualifications requirements.

13 Two of the AMPs have been deleted. These  
14 are M.11 for nickel alloy nozzles and penetrations and  
15 M.16 for PWR vessel internals. I'll talk about them  
16 a little bit later.

17 One of the things that we have been trying  
18 to do is to make GALL, the AMR line items, less  
19 prescriptive as you mentioned. And so we're trying to  
20 standardize them without compromising safety.

21 Another thing that we're doing is trying  
22 to ensure that each line item in GALL '01 is traceable  
23 to the update so nothing has been lost. And --

24 MEMBER FORD: Amy, could I interrupt  
25 please?

1 DR. HULL: Yes, go ahead any time.

2 MEMBER FORD: How do you quantify,  
3 standardize without compromising safety? How is that  
4 quantified?

5 DR. HULL: Yes, it's a rather nebulous  
6 term isn't it?

7 What we've tried to do is keep the same  
8 amount of content or improve content from what we had  
9 before but to have it more consistent between  
10 chapters, between the different mechanical systems.  
11 There was some variation before between engineered  
12 safety features of steam power conversion systems or  
13 the RCS or the aux. systems where you might not  
14 necessarily expect them.

15 So we are looking at it in such a way now  
16 that it will be more clear, more general, less  
17 prescriptive to the licensee so that, you know, they  
18 can take what they need from GALL. We have the  
19 foundation of the 30 SERs that have been written in  
20 response to the licenses that have been done. And  
21 we've gone in and looked at them and compared the  
22 precedents and seen which, you know, are rigorously  
23 defensible and tried to incorporate them.

24 I don't know if that answers your  
25 question. This statement is pretty nebulous, I agree.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MEMBER FORD: I'm trying to understand.  
2 I can understand why you want to standardize. But  
3 without compromising safety, do you mean you are not -  
4 - I'm pretty sure you're not talking about if it fails  
5 and what's the impact on CDF, for instance. That's  
6 not --

7 DR. KUO: Dr. Ford, I think the more  
8 precise statement should be without changing the  
9 intent of the original GALL Report.

10 DR. HULL: Yes.

11 DR. KUO: See we had a program there in  
12 Revision 0. Now we are making changes. And we want  
13 to make sure the changes doesn't impact on the intent  
14 of the original report.

15 MEMBER FORD: And the intent of the  
16 original report was not to compromise the GTCs  
17 presumably.

18 DR. HULL: Yes.

19 MEMBER FORD: Not changes in CDF. Is that  
20 right? I'm just trying to understand that statement.

21 MEMBER BONACA: Well, regarding the  
22 prescriptiveness, you know, I notice that on the fire  
23 protection, for example, we noted that there were  
24 instructions in GALL that, you know, you will test  
25 your doors every two months.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MEMBER FORD: Right.

2 MEMBER BONACA: And you will do tests of  
3 the nozzles every year or six months or whatever,  
4 okay? And every licensee too exception with it  
5 because they felt that the program they had was  
6 adequate and maybe they were testing them every 12  
7 months. And there was a history of success, you know,  
8 with their testing frequency.

9 So what they've done, they have really  
10 eliminated all of this viability. They essentially  
11 said they should have a periodic program of testing.  
12 And then give some guidance on the range.

13 Okay, so --

14 MEMBER FORD: And leave it up to the  
15 licensee to meet the argument that they are not  
16 compromising engineering judgment of safety?

17 MEMBER BONACA: And on the basis of  
18 experience. Again, 20 years of experience or  
19 thereabouts --

20 MEMBER FORD: Right, okay.

21 MEMBER BONACA: -- where you are testing  
22 a door, you know, at that frequency and you find that  
23 you have not problem, I mean why should you now test  
24 it ten times more? I mean it just -- you know, so  
25 that's --

1 MEMBER FORD: Okay.

2 MEMBER BONACA: -- what I thought was an  
3 advantage because there would be so many less RAIs --

4 MEMBER FORD: Yes.

5 MEMBER BONACA: -- and also so many less  
6 exception. Every time there is an exception, they  
7 have to review it and they have to disposition it. So  
8 now I'm not sure that all of these changes are that  
9 way. But I think from what I've seen, that's --

10 MEMBER FORD: Okay.

11 DR. HULL: Al?

12 MR. BAIONE: My name is Al Baione. And  
13 I work with Parallax and I've worked with this team in  
14 the development of the update.

15 When you look at what Amy is trying to  
16 convey in this item, the aging management review line  
17 item changes, the overall process was an attempt to  
18 not make technical changes without specific intent.  
19 And here there was non-standard repetition of the same  
20 technical content throughout different chapters. And  
21 the basic language to identify the line item was  
22 standardized so that it could be more consistently  
23 applied when appropriate.

24 The key thing is that every line item in  
25 old GALL can be traced into new GALL. When technical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 changes were made in converting old to new, there is  
2 a technical basis document that we'll talk about which  
3 incorporates explicit justification for that change.

4 And the compromising safety I think was an  
5 attempt to say we made standardization but didn't  
6 change technical content unless explicitly identified.

7 MEMBER BONACA: Yes, and by the way, the  
8 technical basis document is very useful. I think it  
9 was quite clear and the organization or the document  
10 also is very helpful.

11 DR. HULL: We tried to make it reflect  
12 Volume Two of GALL.

13 MEMBER BONACA: Yes.

14 DR. HULL: It's very deep. You have to  
15 get into the tables. It's not very well explained in  
16 text form but all the information is there within the  
17 tables.

18 MEMBER BONACA: And it is clearer than it  
19 used to be.

20 DR. HULL: Thank you.

21 All right. Our primary focus has been on  
22 approved precedents interim staff guidance as  
23 discussed earlier and lessons learned from the review  
24 of many SERs. Argonne and also ISL were involved with  
25 reviewing a number -- rigorously reviewing a number of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the SERs on the basis of license renewal.

2 And we have lessons learned quoted in the  
3 basis document, for example, that include ANL-1,  
4 Dresden Quad Cities, Ft. Calhoun, Ginna, North Anna  
5 Surry, Robinson St. Lucie, VC Summers, as well as  
6 others. Our revision is based on hundreds of comments  
7 prior to the 131.05 draft of GALL. These are captured  
8 electronically in various databases that we have.

9 I mentioned that we have done some work  
10 looking at 10 CFR 54.4(a)(2), systems, directories,  
11 and components. And I'll talk about that a little bit  
12 later as will Mark Lintz in his presentation.

13 In another slide, I will talk about what  
14 we refer to sometimes as the null set, the common  
15 miscellaneous material environment combinations that  
16 would not be anticipated in the context of the AMR  
17 line item specifications to cause problems with  
18 degradation. And so consequently there is no AMP or  
19 no further evaluation listed for them.

20 In GALL 2001, we had sections for carbon  
21 steel components in Chapters 5, Engineered Safety  
22 Features, in Chapter 7 for Aux. Systems, Chapter 8 for  
23 Steam and Power Conversion Systems. These sections  
24 have been replaced by sections now addressing the  
25 external surfaces of components and miscellaneous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 bolting.

2 As you know, there have been revisions in  
3 all sections of NUREG-1801, mechanical, structural,  
4 electrical. We had an empty Chapter 9 in 2001. That  
5 has now been used to define some of what we call the  
6 MEAP, the MEAP, Materials Environment Aging Effects  
7 Programs Parameters.

8 And we've also made some revisions to the  
9 Time Limited Aging Analysis and the Aging Management  
10 Programs.

11 The configuration, much of it looks the  
12 same. Some looks different. In the first column, we  
13 have identifiers that are a little bit different than  
14 previously. So the first one, the VD2-13 is the 13th  
15 item in Chapter 5 for Engineered Safety Features in  
16 Section D2 for the BWR emergency core cooling system.

17 Underneath that, the E29, I find it's more  
18 useful because it refers to the 29th unique AMR line  
19 item in the Engineered Safety Features section. And  
20 when all of these are listed as we have in our GALL  
21 master, which is on the Web also, there about 646  
22 distinctive AMR line items, significantly decreased  
23 from 2001.

24 Since some of them are repeated in  
25 different chapters, if you boil it down, it comes to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 less than 500 we think because of the repetition.

2 Okay, when present as in the two last AMR  
3 line items here, EP-36 and EP-27, the second letter P  
4 identifies that there is a new MEAP combination based  
5 on the precedent. This is technical justification  
6 from the ISG analysis of comments received during the  
7 past four years or staff judgment.

8 The second column where it says link is  
9 important because that will either go back to the  
10 original GALL 2001 or it will go back to the basis  
11 document, for example, for EP-27 or EP-36.

12 And that's all that's really important to  
13 talk about here. I won't give you a tutorial about  
14 the other columns.

15 Okay, so I pointed out the link. And that  
16 we have new GALL AMR line items added with the  
17 nomenclature of the P for precedent following the  
18 designator for the given system.

19 One of the things that we have done is we  
20 have looked at the materials and the way we've handled  
21 materials. In 2001, it was more specified. And we  
22 tried to group together metals and materials as  
23 appropriate. Here we've created a new line item to  
24 address the selective leaching of copper alloy that  
25 occurs with over 15 percent zinc.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And as can be seen in the excerpt from the  
2 basis document at the bottom of this page, this new  
3 line item is used in all four of the mechanical  
4 systems chapters, in the aux., AP, EP, engineered  
5 safety features, RP, reactor coolant systems, and SP,  
6 steam and power conversion systems.

7                   Another thing that we have done, and I'll  
8 talk about it a little bit more, rather than spelling  
9 out the detailed piping subsystems or piping elements,  
10 we've been less prescriptive and we have defined them  
11 as being piping, piping components, and piping  
12 elements. As has been pointed out in GALL 2001 and  
13 GALL 2005, GALL is not meant to be a scoping and  
14 screening document.

15                   And I'm going to go on. I don't think I  
16 need to go into detail about the justification about  
17 copper and its alloys as metals resistant to -- with  
18 less than 15 percent, the resistance to stress  
19 corrosion, cracking, selective leaching, and pitting.  
20 And when it's over 15 percent, it's the opposite.

21                   VICE CHAIRMAN SHACK: Just -- before you  
22 leave that Amy --

23                   DR. HULL: Yes?

24                   VICE CHAIRMAN SHACK: -- this really means  
25 that I'm going to see this identical line in EP-27,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 RP-12, SP-29?

2 DR. HULL: Yes.

3 VICE CHAIRMAN SHACK: And it will always  
4 be linked back to this entry for the same  
5 justification for it? So there's a standardized  
6 treatment in all these systems --

7 DR. HULL: Yes.

8 VICE CHAIRMAN SHACK: -- for this  
9 particular problem?

10 DR. HULL: Yes.

11 VICE CHAIRMAN SHACK: Okay.

12 DR. HULL: And the basis document is a  
13 little bit farther behind in its evolution compared --  
14 because it's a brand new document, it's about 400  
15 pages. And so some of the precedents and the  
16 technical basis and the technical justifications that  
17 you see in the basis document will be made more  
18 rigorous by its release at the end of September.

19 This is particularly true where we define  
20 the changes to the AMPs. And I'll talk about that  
21 more later. I give an illustration of what I consider  
22 is a fairly good technical justification for an AMP  
23 change. Some of the others, we're not quite there  
24 yet.

25 Okay. The 10 CFR 54.4(a)(2) criteria,

1 okay. For the purposes of this presentation today, we  
2 corrected a slight typo we had in the excerpt from  
3 Chapter 7. In Chapter 7, Part K, we actually say non-  
4 safety-related category A2 systems. It's really  
5 system structures and components. And that's  
6 something that will be changed during the public  
7 comment period.

8 But to go on, this section in the aux.  
9 system and these changes are under consideration. As  
10 mentioned earlier, Mark Lintz will talk more about the  
11 Draft Guide 1140 and the NRC exceptions to the  
12 proposed alternative to the scoping of non-safety-  
13 related piping and supports as specified in parts of  
14 Sections 4 and 5 in Appendix F of NEI 95-10 Industry  
15 Guide on the revised 54.4(a)(2) scoping criteria and  
16 non-safety effecting safety.

17 But in this slide, what I'm showing you  
18 are two different examples on the way that we provide  
19 reference to Category A2. One of the aux. system  
20 where we seven different AMR line items in this  
21 section at this point.

22 And there is an approved precedent that  
23 exists for adding this on the basis of the evaluation  
24 we have done of one or more of the SERs reviewing the  
25 LRAs from licensees. In this case, we're using a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Plant-Specific Aging Management Program, evaluating  
2 that to provide reasonable assurance the component's  
3 intended functions will be maintained within the CLB  
4 for the period of extended operation.

5 The second is taken from the basis  
6 document description of Chapter 4 where we talk about  
7 steam dryers. And I'll talk more about that in the  
8 next slide.

9 Okay, this, you know, is a truism.  
10 Operating conditions effect the integrity of the  
11 system structures and components. So consequently, if  
12 you're going to have plants that are subjected to  
13 extended power uprates, you're going to change the  
14 operating conditions. And you might anticipate a  
15 possibility of a change in the kinetics of degradation  
16 of some of the materials.

17 In this particular situation, we've  
18 created a new line item for steam dryers that in the  
19 reactor coolant environment that are subjected to  
20 flow-induced vibration and might have an aging effect  
21 of cracking. For what we're doing here, we've used --  
22 we have written in a Plant-Specific Aging Management  
23 Program is to be evaluated.

24 Okay. Any questions on this?

25 (No response.)

1 DR. HULL: I'll go on then.

2 Another thing that we have done is we have  
3 had many working groups analyzing the way that bolting  
4 has been used in different chapters, different systems  
5 in GALL 2001, both closure bolting, external bolting,  
6 bolting in Chapter 4, just analysis of bolting in  
7 general.

8 Here we're addressing in Chapter 8 the  
9 steam and power conversion system the external  
10 surfaces of components and miscellaneous bolting. For  
11 Chapter 8, for Chapter 5, for Chapter 7, we have  
12 created this additional section to the main chapter.  
13 We've not done this for Chapter 4. It remains  
14 intrinsic to the chapter the reactor coolant systems,  
15 the bolting.

16 Now the thing to point out here is that  
17 this section includes the AMPs for the degradation for  
18 external surfaces of all steel structures and  
19 components, including the closure bolting in the SPC,  
20 steam and power conversion system in both PWRs and  
21 BWRs.

22 And for the steel components in PWRs, this  
23 section addresses only boric acid corrosion of  
24 external surfaces as the result of the dripping  
25 borated water leaking from adjacent PWR components.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Here is an example of where an item in  
2 GALL 2001, which is an excerpt from the bottom table  
3 in the section for the PWR Containment Spray System in  
4 the Engineered Safety Features has been revised to  
5 split out the different types of materials so it  
6 results in the GALL 2005 in two different line items,  
7 one for steel, another one for stainless steel,  
8 because the behavior is different in the context of  
9 this situation.

10 The other thing you can see that we've  
11 done here is for the structure and our components,  
12 we've made it less prescriptive. And we, you know,  
13 more talk about heat exchanger components or heat  
14 exchanger shell-side components including tubes.

15 And what this allows us to do is to use E-  
16 17 and E-19 repeatedly in the Engineered Safety  
17 Features chapter. So E-17 and E-19 are used many  
18 times instead of A6-C being used one time in GALL  
19 2001.

20 Okay. And the other thing to point out is  
21 the environment is handled differently now. Instead  
22 of spelling out chemically-treated borated water, dah,  
23 dah, dah, dah, we refer to closed cycle cooling  
24 water. And we define closed cycle cooling water in  
25 Chapter 9 of GALL Volume Two as being treated water

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 subject to the Closed Cycle Cooling Water Chemistry  
2 Program.

3 And then we list different examples of how  
4 it was alternatively treated in, you know, GALL Volume  
5 One, trying to have more consistency from section to  
6 section, from chapter to chapter. And if anybody has  
7 any questions about what exactly is meant by that,  
8 we've defined it in Chapter 9. And we've gone into  
9 more detail in the basis document.

10 One thing that is new here is what we have  
11 called common miscellaneous material environment  
12 combinations, sometimes referred to as the null set.  
13 And we've tried to define conditions in which we think  
14 the material environment combinations will be benign.  
15 So we've specified these.

16 Now this particular section includes the  
17 AMPs for miscellaneous material environment  
18 combinations which may be found to be engineered, ESP  
19 system structures and components.

20 And for these material environment  
21 combinations, we feel there are no aging effects which  
22 are expected to degrade the ability of a structure or  
23 component from performing its intended function for  
24 the extended period of operation and, therefore, no  
25 resulting AMPs for these structures and components are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 required. So there's no aging effect, no AMP, no  
2 further evaluation.

3 Some of the terminology is nebulous. Gas,  
4 for example, That's defined in Chapter 9. But what  
5 we have here is we define that as internal gas  
6 environments from air, both at atmospheric pressure  
7 and ventilation systems and compressed air used as a  
8 working fluid, e.g., instrument air, or nitrogen,  
9 carbon dioxide, freon, and halon.

10 This category assumes absence of corrosive  
11 species such as chlorine. And that's specified in  
12 Chapter 9 and the basis document.

13 With air, indoor, uncontrolled, that's  
14 defined for external surfaces of the piping, piping  
15 components, and piping elements as in EP-10, the first  
16 line. That's indoor air and systems with temperatures  
17 higher than the dew point. Condensation can occur but  
18 only rarely. Equipment surfaces are normally dry.

19 Lubricating oil is spelled out. There is  
20 no water pooling. And we feel that piping, piping  
21 components, and piping elements, whether copper,  
22 stainless steel, or steel, when exposed to lubricating  
23 oil that does not have water pooling, will not be  
24 subject to aging degradation because we do not believe  
25 there are relevant aging mechanisms.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   And so that's that. And again, it's very  
2 general, the structure or component defined as piping,  
3 piping components, and piping elements.

4                   GALL 2005 created a new section, Chapter  
5 9, for the materials environments aging effects and  
6 selective components as relevant to different Aging  
7 Management Programs, the MEAP. So we've standardized  
8 terms used for the MEA parameters to make the ARM line  
9 items more generic and less prescriptive.

10                  And as mentioned earlier, we're retraining  
11 traceability to GALL '01 because a lot of people are  
12 familiar with what is in GALL, where it is in GALL.  
13 And they're going to want to know where it is in the  
14 GALL '05. And we're keeping that linked.

15                  And we're trying to increase the  
16 universality, the applicability of the guidance  
17 without compromising re-licensing, rigor, or safety.

18                  So I'll give an example of some of the  
19 tables and the chapters. We defined more clearly some  
20 of the electrical terminology that was obscure to us  
21 and that we had many discussions about bus duct.

22                  And piping, piping components, and piping  
23 elements I mentioned earlier that is is a catch-all  
24 category. And this category includes various features  
25 that are within the scope of license renewal. And so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 we say examples include piping, fittings, tubing, flow  
2 elements, indicators, demineralizer nozzles, orifices,  
3 flex hoses, pump casing and bowl safe ends, sight  
4 glasses, spray heads, strainers, thermowells, and  
5 valve body and bonnet.

6 Okay. And as I pointed out earlier, the  
7 GALL Report does not address scoping of structures and  
8 components for license renewal. Scoping is plant  
9 specific and the results depend upon the plant design  
10 and current licensing basis.

11 The inclusion of a certain structure or  
12 component in the GALL Report does not mean that this  
13 particular structure or component is within the scope  
14 of licence renewal for all plants. Conversely, the  
15 omission of a certain structure or component in the  
16 GALL Report does not mean that this particular  
17 structure or component is not within the scope of  
18 license renewal for any of the plants.

19 That probably sounds like motherhood. But  
20 sometimes we get asked questions why isn't X in there?  
21 Why isn't Y in there? So this type of wording was in  
22 GALL 2001. It's in 2005. It's in the basis document  
23 as well.

24 Okay. A complete listing of all of the  
25 structures, the system structures and components terms

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are in the basis document appendices and I'll mention  
2 that more a little bit later.

3 So now the basis document. This is a team  
4 effort with input from Argonne people in Chicago,  
5 outside of Chicago, Parallax, and NRC. And it  
6 provides technical justification for both the revised  
7 and new AMR line items.

8 You know since I was very actively  
9 involved with that, I have to say it's still under  
10 development. It is a brand new document. And it  
11 contains 394 pages clarifying and explaining the  
12 relationship between GALL '01, GALL '05, and the  
13 SRPLR.

14 We tried to keep a similar format as that  
15 of GALL Volume Two document and it has a great wealth  
16 of information.

17 The listing, location, and frequency of  
18 the parameters, MEAP parameters used in the AMR tables  
19 as well as definitions of the selective terminology  
20 with the corresponding term used in GALL '01 is found  
21 in Appendix A.

22 A section exists for structures and their  
23 components in Appendix A-1, for materials in Appendix  
24 A-2, for environments in Appendix A-3, for aging  
25 effects and aging mechanics in Appendix A-4.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Something that I personally find very  
2 useful is Appendix A-5, which has the listing,  
3 location, and frequency of the AMP usage in the AMR  
4 tables.

5           Appendix A-6 is a summary of the different  
6 combinations of the MEAP combinations and it cross  
7 references the SRP -- Standard Review Plan for License  
8 Renewal identify number as well as the location of the  
9 AMR table and the item ID.

10           Appendix B provides 114 pages of system-  
11 specific audit tools cross referencing the SRP for  
12 License Renewal section and ID, the reactor type, and  
13 AMR table parameters.

14           All right. We have made revisions to both  
15 the TLAAs as well as the AMPs. Now the way that we  
16 have it, although we cite 6260, which is the report  
17 done by Ware, Morton, and Nitzel, at Idaho,  
18 referencing the work of Muscara, Chopra, and Shack at  
19 Argonne on interim fatigue design proof for carbon  
20 alloy in austenitic stainless steel in LWR  
21 environments, actually the revision to the TLA goes a  
22 little bit -- it goes beyond 6260, which gives some  
23 examples.

24           So as I mentioned earlier, some of the  
25 write up for the TLAAs and the AMPs will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 strengthened and expanded. This is one.

2 The program description and monitoring and  
3 trending revision shows that the scope of the critical  
4 components goes beyond those listed in NUREG/CR-6260.

5 Okay. There were no changes made to the  
6 TLA for concrete containment tend and pre-stress.  
7 There was a minor change made to the TLA for EQ of  
8 electrical components.

9 This is an example of a description of a  
10 change in the basis document for an AMP revision that  
11 is the level and kind of detail we plan to have for  
12 each revised AMP in this section.

13 As was mentioned before, there is a  
14 question about what ISGs have been incorporated. E-4  
15 was based on ISG-17. The AMP M-35, which will be  
16 finished I guess next week -- you said the ISG would  
17 be written and finished next week -- the ISG-12, one-  
18 time inspection of small bore piping. will feed into  
19 the AMP M-35.

20 Mark Lintz is NRC's coordinator for the  
21 ISG process as it relates to license renewal and the  
22 update guidance documents. He can provide more  
23 information.

24 VICE CHAIRMAN SHACK: Is there a specific  
25 link to the ISG? I can't see one here?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. HULL: Would that be useful if we had  
2 that link? Probably it would be useful to have in the  
3 basis document also.

4 VICE CHAIRMAN SHACK: I think it would be  
5 because, again, many people -- or many of the LRAs,  
6 you know, include references --

7 DR. HULL: Okay.

8 VICE CHAIRMAN SHACK: -- to the --

9 DR. HULL: It will be there.

10 VICE CHAIRMAN SHACK: -- ISGs.

11 DR. HULL: Okay. As mentioned, nickel  
12 alloys and penetrations, M-11, has been deleted. And  
13 that has been replaced in the AMR line items by  
14 reference to M-1, ASME Section 11, In-Service  
15 Inspection, Subsections IW-B, IW-C, and IW-D for Class  
16 One Components as well as Chapter 11, M-2, Water  
17 Chemistry for PWR Primary Water in EPRI TR-105714.

18 And for Alloy 600, we specified that  
19 commitment should be provided in the FSAR supplement  
20 to implement applicable orders staff-accepted industry  
21 guidelines. And we're working to clarify the wording  
22 to the substitute to M-11 if it's found that it needs  
23 to be more clear.

24 M-16, for the PWR Vessel Internals has  
25 been deleted but the placeholder remains. And here

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 also we have a commitment -- a replacement in the AMR  
2 line items, a commitment to apply industry programs to  
3 be developed in the future for proper management of  
4 the reactor internals.

5 VICE CHAIRMAN SHACK: Wait. You said that  
6 one real fast here.

7 DR. HULL: All right.

8 VICE CHAIRMAN SHACK: And I think that was  
9 a biggie. This is the PWR internals, the IASCC sort  
10 of thing --

11 DR. HULL: Yes.

12 VICE CHAIRMAN SHACK: -- which everybody  
13 is committing to some program to be developed in the  
14 future?

15 DR. HULL: Barry Elliot and I want to talk  
16 about this.

17 MR. ELLIOT: Barry at the Division of  
18 Engineering Staff.

19 VICE CHAIRMAN SHACK: Yes.

20 MR. ELLIOT: We originally had a program,  
21 PWR Internals Program, which specified things you  
22 could do for a program. And what we -- as the reviews  
23 continued, we found that nobody wanted to really do  
24 the program now. They wanted to rely on the MRP  
25 Program. And develop from that their own program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So in lieu of asking every licensee to  
2 develop their own program, we just said that everybody  
3 should develop a program from the MRP. But that it  
4 had to be submitted to us, to the staff for review and  
5 approval, two years before entering the license  
6 renewal period.

7           This would give us time to review whatever  
8 program came out of the MRP on a plant-specific basis.

9           VICE CHAIRMAN SHACK: Okay. Do you  
10 actually have some notion when you're going to have  
11 some sort of generic? I assume what you'll do some  
12 sort of generic program based on the MRP. And then  
13 the plants will show that it is applicable to them.  
14 Do you have any idea when that's going to happen?

15          MR. ELLIOT: I don't have an idea right  
16 now. But --

17          VICE CHAIRMAN SHACK: Two years before  
18 license renewal?

19          MR. ELLIOT: Well, no. I will say this.  
20 This is also a power uprate question, too. And so in  
21 their case, they have committed -- some plants have  
22 committed to do it for the power uprate within the  
23 next five years. So that means they would have to  
24 have some kind of MRP topical done within four years  
25 or three years.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So that's -- I'm not privy to what goes on  
2 inside the, you know, the --

3                   VICE CHAIRMAN SHACK:    But that's when  
4 you're expecting some sort of --

5                   MR. ELLIOT:    That's when I'm expecting  
6 things.  We haven't gotten that from license renewal.  
7 I've gotten that from the power uprate.

8                   MEMBER BONACA:  I had a question.  There  
9 is some change, you know, some recent changes which  
10 have been incorporated now in this update.  For  
11 example, the requirement that the re-piping, if it  
12 doesn't get an inspection for opportunistic reasons in  
13 the first ten years of the license, then it has to be  
14 inspected, you know, in some susceptible location.

15                   How applicable is this requirement that is  
16 now in GALL to plants we are reviewing right now.  For  
17 example Farley?

18                   MR. COZENS:  If I might address that.  We  
19 have spoken to those applicants that have an active  
20 review going on right now.

21                   MEMBER BONACA:  Yes.

22                   MR. COZENS:  And it's my understanding  
23 that all of them have agreed to perform that activity  
24 at least once every ten year.

25                   MEMBER BONACA:  Okay.

1 MR. COZENS: If it hasn't happened  
2 opportunistically, go dig one up.

3 MEMBER BONACA: And now will it be  
4 applicable also to plants we have already approved  
5 before and they haven't gone yet into license renewal  
6 but we do have a means of --

7 DR. KUO: Well, we -- that goes to  
8 actually a legal question that we discussed on  
9 Wednesday in this workshop. This particular provision  
10 in the rule is 54, 10 CFR Part 54(37)(b). That  
11 provision basically says that the licensee with the  
12 renewed license is responsible for doing the annual  
13 update.

14 And in this annual update, if they have  
15 identified any new components, systems, and structures  
16 that needed to be in the license renewal, then they  
17 need to bring those components in the annual update  
18 for the FSAR supplement. That's their responsibility.

19 MEMBER BONACA: So there is a way also to  
20 include those.

21 DR. KUO: Yes.

22 MEMBER BONACA: Thank you.

23 MR. CHANG: Since Dr. Bonaca asked about,  
24 you know, Farley, let me say a little bit about  
25 Farley. In a related issue like some reduction of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pressure toughness in the CASS piping, the audit teams  
2 goes there and find out that the applicant was not  
3 committing to something recommended by the GALL, we  
4 ask them to justify your recommendation and what you  
5 intended to do, how is that in line with the GALL?

6 Although we don't know what the final  
7 resolution is, we made them change their program to  
8 commit to something, an MRP or something that will be  
9 developed in the future. They agreed to do that.

10 And for the audit team for where we are  
11 today, we don't know the resolution. So that's the  
12 best we can do, make them commit to something  
13 recommended by the MRP and they will implement that.

14 DR. HULL: And I'd like to expand just a  
15 little bit further because one of your questions at  
16 the beginning was to discuss buried piping.

17 MEMBER BONACA: Yes.

18 DR. HULL: One of the things that have  
19 been changed in the AMP was the way that we had  
20 written about the detection of aging effects. And  
21 we've re-looked at that and we are including, again  
22 putting back in the line that inspections are to be  
23 performed in areas with the highest likelihood of  
24 corrosion problems and areas with a history of  
25 corrosion problems. We're also putting back in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 periodic inspections of susceptible locations.

2 And you asked about the opportunistic  
3 situation. What we say at the end is it is  
4 anticipated that one or more opportunistic inspections  
5 will occur within a ten-year period. And then we say  
6 implicitly, however within ten years of entering the  
7 period of extended operation, the licensee is to  
8 perform at least one inspection, which may be an  
9 opportunistic inspection.

10 So if there is not one that is  
11 opportunistic, they still have to do it.

12 Okay, I'm going to summarize my  
13 presentation now. As I've talked about, the changes  
14 to the GALL Report and the Standard Review Plan for  
15 License Renewal fall into general categories.

16 And, you know, perhaps this is too much on  
17 format or administrative and not so much on technical  
18 rigor but this is how I wrote the presentation. You  
19 can ask questions subsequently because we have  
20 everything we need in the computers.

21 We standardized and made less descriptive  
22 the MEAP, the Materials Environment Aging Effects  
23 Program parameters. We have looked at and  
24 incorporated the NRC-approved positions that were  
25 previously approved through other mechanisms in other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 documents such as the ISG, Interim Standard Guidance  
2 process, such as lessons learned from the review of  
3 the many license renewal applications and the writing  
4 of many Safety Evaluation Reports, through the rigor  
5 analyses that have been done by contractors such as  
6 Argonne, and these are called lessons learned.

7 Another thing that has been done, and  
8 Jerry was in charge of this, he had been in Operating  
9 Experience Group, is working with Argonne and others  
10 to look at both domestic and international operating  
11 experience quite rigorously. And he also worked with  
12 Research on this.

13 Another thing that we've tried to do are  
14 the technical clarifications and corrections and  
15 administrative changes, catching any spelling errors  
16 and typo mistakes in GALL 2001 and just made it  
17 better, typical editorial corrections.

18 And as Kurt pointed out, we've made  
19 clarifications to the audit and review process, which  
20 also is reflected in Volume One of the GALL documents.

21 We've been working on this project now  
22 since the middle of last May and there have been many  
23 positive notes to this sometimes rather grueling work.  
24 There has been active interdepartmental involvement  
25 and decision making.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Because of the teamwork here between the  
2 NRC and contractors, we were able to place a  
3 preliminary product on the Web by the end of  
4 September, the pre-NRC concurrence revision of the  
5 SRP, the basis document, GALL Volumes One and Two on  
6 the Web by the end of December. So September,  
7 December. And also all the license renewal guidance  
8 documents on the Web by the end of January for the  
9 public comment period.

10           People are reading and commenting and  
11 improving on what we put out there. It is truly an  
12 iterative process built upon a lot of good teamwork.  
13 I feel honored and privileged to be able to be a part  
14 of it.

15           Thank you.

16           MEMBER BONACA: Thank you.

17           While I must say that it, you know, it's  
18 grueling work but it certainly is an extremely  
19 valuable document for the plants. I mean I understand  
20 there are hundreds of reports that have been collapsed  
21 into this document.

22           DR. HULL: Yes.

23           MEMBER BONACA: And there is an organized  
24 source of information accessible to all the operators  
25 about environments, materials, et cetera, that, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 know, is useful irrespective of license renewal. So  
2 that's a -- I am impressed by the work that you did.

3 MR. CHANG: I'd like to take this  
4 opportunity to compliment the contractor that Amy came  
5 from, Argonne National Lab. In the last couple of the  
6 ASME Code Committee, the Fatigue Strength Group, which  
7 handled environmental impact on fatigue, they are  
8 trying to develop fatigue curves to cover for the  
9 environmental effects.

10 But they have a phrase there at the  
11 opening. They say this is for future plants, for new  
12 plants, for the plants in design. As for the license  
13 renewal part, they have developed FEM factors. And  
14 those FEM factors are working and successfully applied  
15 to license renewal process. We are not trying to rock  
16 the boat.

17 That's -- I'm sitting there listening to  
18 the Chairman saying. I feel very honored to be part  
19 of that organization. And I want to thank Argonne for  
20 doing that.

21 MEMBER FORD: But if I could just ask a  
22 question? This FEM values that are used are being  
23 proposed for, in fact, an environment on the ASME III  
24 Code. As I said earlier on, there's at least three  
25 approaches, the ASME approach being extremely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 conservative, i.e., short, number of cycles to  
2 initiation, which makes it almost impossible to  
3 operate some components during license renewal space.

4 The way I heard you talk, you say you  
5 don't want to rock the boat. What do you mean by  
6 that?

7 MR. CHANG: No, excuse me, I do not mean  
8 I will rock the boat. The ASME Fatigue Strength Group  
9 that says that says these curves, we are arguing,  
10 debating, massaging --

11 MEMBER FORD: Yes.

12 MR. CHANG: -- it's going to apply to the  
13 new plants. For license renewal process, the FEM  
14 factors are continued to be used. And Argonne even  
15 did a reasoned comparison of the three organizations  
16 who did work in the FEM. That's Argonne National Lab,  
17 PBRC, and Japanese. I think Bill, you are one of the  
18 authors named on there.

19 And they show, that's three organizations  
20 come up with almost identical equations except in one  
21 case, the curve shifted by a constant. But that  
22 doesn't mean anything.

23 PARTICIPANT: The bottom line of what Ken  
24 is saying is that in license renewal, we are not going  
25 to change our position.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHANG: They recognize our position.  
2 And they agree with our position. The reason they  
3 agree with our position of less super conservative as  
4 compared to the ASME is we have solid data to back it  
5 up.

6 MEMBER FORD: Can I change the subject a  
7 wee bit since maybe this is the last time I can bring  
8 this one up?

9 You were talking about the synergisms  
10 between -- and I'm looking at you, Amy, but I don't  
11 mean -- this is not a question to you -- about the  
12 synergisms between license renewal and power uprate.  
13 But there are other changes taking place.

14 And I'm thinking specifically in this  
15 concern of mine of the sump blockage problem where it  
16 has been proposed that you will remove CalSil from  
17 piping. And maybe some people will do that, you know,  
18 without direction from the NRC.

19 However if they do that, and that CalSil  
20 is over a stainless steel piping, a welded stainless  
21 steel piping exposed to the environment, it's quite  
22 possible that you can get condensation at lower  
23 temperatures. And you could get cracking.

24 Now CalSil happens to inhibit that  
25 cracking. If you remove the CalSil because of trying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to mitigate the sump blockage system, you may  
2 reintroduce the cracking, the transthermal cracking of  
3 the stainless steel.

4 Where in the decision space that we're  
5 discussing in here between licensing renewal, power  
6 uprate, sump blockage mitigation --

7 DR. KUO: Dr. Ford?

8 MEMBER FORD: -- does that fit? Yes?

9 DR. KUO: The decision space would be  
10 relying on the original engineering in terms of  
11 operating reactor operation. This is an operating  
12 issue and --

13 MEMBER FORD: So what happens if a plant  
14 comes to you -- and I don't mean to interrupt, I  
15 apologize.

16 DR. KUO: Sure.

17 MEMBER FORD: If a plant comes to you for  
18 a license renewal uprate and they proudly say, "And we  
19 have removed CalSil from our piping," will that action  
20 be automatically open for discussion by your group?

21 DR. KUO: We would discuss the issue. But  
22 we might not at the point have a resolution. So we  
23 will rely on the resolution, generic resolution, for  
24 that issue from the operating reactor operation space.  
25 Just like every emerging issue.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Yes.

2 DR. KUO: Basically what we were going to  
3 do is to ask the license renewal applicant to make a  
4 commitment.

5 MEMBER FORD: Yes, I guess I'm just being  
6 a wee bit impatient here because there's a Reg Guide  
7 1.32, which addresses this whole situation. And I'm  
8 just concerned that by pushing it off to another  
9 organization, that's Division of Engineering's  
10 responsibility, that somehow or another, this slips  
11 between the cracks. That's why I bring it up. Well,  
12 between -- yes, between proverbial cracks.

13 DR. KUO: Dr. Ford, it's not that we're  
14 pushing this thing to another organization. There is  
15 an organization of structure here that these are  
16 issues that belong to the operating reactor space.  
17 And we are just too small an organization by the  
18 license renewal itself, we don't have that resources,  
19 that expertise to resolve this kind of issue.

20 So we will have to rely on their  
21 resources, their expertise to resolve that issue.

22 MEMBER FORD: No, I understand that  
23 resource problem. It's just you do know about the  
24 issue and you will ask the Department of Engineering  
25 or the Division of Engineering. Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 DR. HULL: Okay. Do you want me to do  
2 this for you?

3 MR. LINTZ: Yes, please.

4 DR. HULL: Okay.

5 MR. LINTZ: I'm Mark Lintz and I will  
6 discuss an overview of Draft Guide 1140.

7 Draft Guide 1140 is the standard format  
8 and content for applications to renew nuclear power  
9 plant operating licenses. As noted, the corresponding  
10 Reg Guide is 1.188. This draft guide endorses, with  
11 exceptions, Industry License Renewal Document NEI 95-  
12 10, Revision 5.

13 NEI 95-10 is the industry guidelines for  
14 implementing the requirements of 10 CFR Part 54, the  
15 License Renewal Rule. It is the primary product of  
16 the Nuclear Energy Institute. Staff has provided  
17 numerous comments to NEI over the past several years  
18 on this document.

19 The purpose of these guidelines is to  
20 provide industry with a uniform and efficient process  
21 to obtain a renewed operating license.

22 It provides guidelines for identifying the  
23 systems, structures, and components within the scope  
24 of 10 CFR Part 54 and their functions that are subject  
25 to aging management review. And to assure the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 maintenance of aging effects.

2 Changes to NEI 95-10, the current  
3 revision. There have been many minor changes and  
4 updates, the typical typos and so on but these are the  
5 primary changes that have been made.

6 The first one is a standardized format.  
7 And I heard already from Dr. Bonaca that this is  
8 really not very interesting. But it's one of those  
9 that greatly aids us down at the worker bee level. It  
10 reduces the complexity of the overall document,  
11 provides greater organization, and it helps the review  
12 process.

13 Scoping process, it adds such requirements  
14 for the applicant to provide drawings, identify  
15 functions, and list components that are within the  
16 scope.

17 TLAAs, it adds numerous plant-specific  
18 TLAAs.

19 Among the changes to NEI 95-10 were two to  
20 which staff took exception.

21 VICE CHAIRMAN SHACK: Now this is the  
22 change from Revision 4 to 5?

23 MR. LINTZ: Correct.

24 The first exception is an NEI-proposed  
25 alternative to the scoping of non-safety-related

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 piping and supports. And I should add that this is  
2 that small subset that is in direct connection to  
3 safety-related piping.

4 And before I can really explain the  
5 exception, let me go back one step and explain what is  
6 within the scope.

7 DR. HULL: You want me to go back?

8 MR. LINTZ: No, no, no, no. You stay  
9 there.

10 (Laughter.)

11 MR. LINTZ: The items that are subject to  
12 the License Renewal Rule are primarily safety-related  
13 systems, structures, and components. Non-safety-  
14 related systems, structures, and components are  
15 included to the extent that they are connected to or,  
16 in particular, have an effect on the safety-related  
17 portion.

18 All plants have long been required to  
19 identify and have seismic anchors or equivalent  
20 anchors that will extend into this non-safety-related  
21 portion. Traditionally, that has been the end of  
22 these scope to be addressed. NEI 95-10 makes  
23 provision for these seismic anchors and the equivalent  
24 anchors.

25 And it also makes provision for an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 alternative in the event that either one of these two  
2 cannot be readily identified. And the reason this is  
3 so is that the original piping analysis may have been  
4 done 20, 30, 40 years ago. And at that point, they  
5 did it, they met the requirement, and put it in a safe  
6 place. But that exact location was not identified on  
7 any drawing or any other document.

8 So while the original requirement was met,  
9 there's no quick and easy way for the utility to go  
10 back and say this is where this particular seismic or  
11 equivalent anchor is. And thus to provide a quick  
12 identification of the extent of the scope for license  
13 renewal purposes.

14 The particular exception that we found is  
15 that there is an additional alternative to those  
16 provided in NEI 95-10. It extends the boundary not to  
17 an identified support but to connections. A flexible  
18 connection, a base-mounted component, even a safety-  
19 related component, or into the ground just to name a  
20 few examples.

21 There's no technical basis for any of  
22 these identified within the document. And they're  
23 using plant-specific information that will certainly  
24 change from one plant to another.

25 This alternative adds inappropriate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 criteria. The staff doubted the applicability to  
2 these identified connections.

3 And what it does is it complicates the  
4 application as opposed to providing a quick and easy  
5 way of identifying the scope. The staff thought that  
6 it would require a complete technical justification,  
7 perhaps even a detailed piping stress analysis that  
8 would justify that location. And, of course, that  
9 would add a commensurate burden to the staff in  
10 performing its review. So that is one exception.

11 A second exception is a proposed exposure  
12 duration criteria. This involves allowing short-term  
13 exposure --

14 CHAIRMAN WALLACE: Excuse me.

15 MR. LINTZ: Excuse me.

16 CHAIRMAN WALLACE: Throughout this  
17 discussion and throughout the tables that have been  
18 presented, criteria is used as the singular and  
19 criteria is the plural form of criterion?

20 MR. LINTZ: That is how I'm using yes.

21 CHAIRMAN WALLACE: Amy said she was going  
22 to fix up the --

23 DR. HULL: Yes.

24 CHAIRMAN WALLACE: -- that sort of a  
25 thing? I'm sorry. But since this occurred again, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 had to bring it to your attention. I was going to  
2 leave it but --

3 DR. HULL: Thanks.

4 MR. LINTZ: In my case, this is criteria.

5 CHAIRMAN WALLACE: It's many, it's plural?

6 MR. LINTZ: Correct.

7 CHAIRMAN WALLACE: Okay. Because in the  
8 tables Amy had, it's used -- it's singular.

9 MR. LINTZ: We will find that problem.

10 What this exposure duration does is it  
11 allows short-term exposure to spray or leakage to  
12 determine a need for aging management. And there are  
13 many other factors involved, the amount or type of  
14 spray.

15 But the first thing the staff noticed was  
16 that this was not in accordance with the regulation,  
17 which requires that the effects of aging on the  
18 intended functions will be adequately managed. This  
19 is basically being used as a screening criteria.

20 And further it allows failure of another  
21 component as a precursor for aging management. So  
22 this is a second exception that the staff took to this  
23 document.

24 NEI has been informed of these two  
25 exceptions and they are addressing them during the

1 current public comment period.

2 Thank you.

3 DR. KUO: And, Dr. Wallis, this concludes  
4 our presentation on the guidance document part. And  
5 let's see, based on what I heard, we will have two  
6 take home actions. One is whether we can link the  
7 description to ISG or not in GALL. The second one is  
8 just you mentioned, Dr. Wallis, that criteria was --

9 CHAIRMAN WALLACE: That's so minor that --

10 DR. KUO: Well, we will look into that.  
11 So if you have any comments to these four presenters  
12 or general comments that we can answer, we'll be glad  
13 to.

14 CHAIRMAN WALLACE: Mario, it's still your  
15 meeting.

16 MEMBER BONACA: Yes, I know. There is a  
17 second presentation.

18 CHAIRMAN WALLACE: Oh, there's another  
19 presentation?

20 MEMBER BONACA: Yes, we have about ten  
21 minutes left. So we'll have to stay within that time.  
22 Why don't we proceed with that.

23 Thank you for the presentation. It was  
24 informative.

25 Okay, let's proceed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LI: Good morning. My name is Chang  
2 Li from Plant Systems Branch, DSSA of NRR.

3 In September, the staff briefed ACRS on  
4 the sampling approach for the scoping review. The  
5 ACRS made some good comments and suggestions.

6 There was a suggestion from the Committee  
7 that the sampling approach need to be tested to see  
8 how it worked. There was another comment that in the  
9 context of the sampling approach, the staff need to  
10 address the issue of review completeness.

11 In addressing those comments, we tested  
12 the sampling approach on two previously-reviewed LRAs.  
13 From this testing, we learned some lessons and  
14 refined the sampling screening criteria.

15 Also in addressing the concern of review  
16 completeness, we improved the sampling approach to  
17 become a two-tier review process.

18 Subsequently, we had a follow-up  
19 discussion with Dr. Bonaca in November to introduce  
20 the two-tier review process. He suggested that we'd  
21 better give another briefing to the Committee to  
22 update this process. I'm going to explain the two-  
23 tier scoping review process.

24 The purpose of this presentation is to  
25 explain the process to be used for the scoping review

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 of the BOP Systems, Balance of Plant Systems, and show  
2 the benefits of this process which are focus the  
3 review of BOP systems on more important systems and  
4 provide efficient and effective scoping review.

5 This slide -- the new review process is an  
6 optional two-tier review process. By using two-tier  
7 process, all the system will be reviewed, however  
8 extensive efforts will be focused on more important  
9 systems.

10 Tier-1 includes screening and the  
11 reviewing of license renewal application and FSAR  
12 documents and to possibly identify systems for further  
13 inspections. I'm going to explain the Tier-1  
14 screening in the next two slides in more detail.

15 Tier-2 is a regular detailed review that  
16 we have done in the past and we'll keep doing it in  
17 the future for most of the systems. By being more  
18 detailed, we'll look into boundary drawings and other  
19 licensing basis documents in addition to the LRA and  
20 FSAR.

21 VICE CHAIRMAN SHACK: Now is Tier-2  
22 basically the guidance you have in the review plan  
23 now?

24 MR. LI: That's correct.

25 VICE CHAIRMAN SHACK: Okay. And so what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you're introducing now is this Tier-1, this first  
2 screening step?

3 MR. LI: That's right.

4 VICE CHAIRMAN SHACK: Now why is it  
5 optional? I mean can't --

6 MR. LI: Oh.

7 VICE CHAIRMAN SHACK: -- you guys direct  
8 the staff.

9 MR. LI: The option, which if the  
10 application comes with only a very few, we align the  
11 system in such a way that only few systems -- we are  
12 ranging -- the BOP systems ranging from sometimes we  
13 have 40 systems that we can do this process  
14 economically.

15 When it's -- in another case, we have  
16 application comes with BOP system like 14 BOP systems,  
17 it's not worth the efforts of this two-tier review  
18 process. We just do a regular review.

19 VICE CHAIRMAN SHACK: But doesn't the one  
20 with 14 trigger some sort of alarm that they've left  
21 something out?

22 MR. LI: It's not. They are aligning  
23 systems.

24 VICE CHAIRMAN SHACK: Oh, it's the way  
25 they're packaging things?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LI: Right.

2 By using the Tier-1 screening criteria  
3 outlined in the next two slides, our review, we'll  
4 focus on more important systems for Tier-2 review.  
5 And the remaining system may be selected for a less  
6 extensive Tier-1 review.

7 After we finish both Tier-1 and Tier-2  
8 review and the methodology review, we will take a look  
9 to see if any of the findings that may have generic  
10 implication on those Tier-1 systems that we may  
11 warrant for a reconsideration to bring those systems  
12 for a detailed review.

13 Okay, the next two slides explain Tier-1  
14 screening criteria. The screening criteria includes  
15 safety-important or risk-important or risk-significant  
16 systems and also from operating experience and  
17 previous license review experience that identified  
18 omissions.

19 MEMBER DENNING: Excuse me. On the safety  
20 -- important safety significance, is there some formal  
21 way that you are identifying what those systems are?  
22 And are they plant-specific? Or which --

23 MR. LI: Right, we developed a guidance  
24 for -- we're in the process of trying to develop what  
25 we consider as being highly safety significant. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 giving some examples. But as time goes on and  
2 experience picked up, we may be able to develop more  
3 solid guidance there.

4 CHAIRMAN WALLACE: Well, risk is a PRA  
5 thing.

6 MEMBER DENNING: Yes, that's what I was  
7 wondering. Are you using PRAs to make those  
8 judgements. I mean obviously some of those things are  
9 obvious. Like the ones you have up there are --

10 MR. LI: Right.

11 MEMBER DENNING: -- certainly obvious.

12 MR. LI: Right.

13 MEMBER DENNING: But are you going to PRAs  
14 to make those judgements? Or --

15 MR. LI: No, we don't go into the detailed  
16 PRAs. It's based on the experience of those systems  
17 are important. So it's clearly safety and control.

18 MEMBER DENNING: It's hard for me to  
19 understand how you say based upon the experience those  
20 systems are safety significant because I think that  
21 PRAs are the closest thing we have to an objective way  
22 to determine safety significance. And I'm not sure  
23 how you use experience then to say these are safety  
24 significant.

25 I mean I could see experience saying these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are problem systems but I think --

2 DR. KUO: If I may?

3 MEMBER DENNING: Yes.

4 DR. KUO: If I may, every plant has a  
5 current licensing basis. And the current licensing  
6 basis, at the beginning of the plant license, they all  
7 have this classification, safety-related and non-  
8 safety-related systems, based on a regulatory guide.  
9 I believe that this is a long time ago. I believe it  
10 is 1.26, regulatory classification of systems,  
11 structures, and components.

12 MEMBER BONACA: So a better definition  
13 would be to limit yourself to safety important maybe?  
14 Because risk significant gives the impression that you  
15 would use risk tools to risk tools to identify those  
16 and you don't.

17 DR. KUO: Yes, I understand. Maybe --

18 MEMBER BONACA: Now clearly on the generic  
19 basis, we know from generic -- from PRAs, I mean also  
20 what are the significant systems, aux. feed and EDG,  
21 I mean all of them, we can identify those. But it's  
22 also true that there are others which may not be  
23 generically risk significant without a PRA so --

24 DR. KUO: I understand.

25 MEMBER DENNING: That's right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: All right.

2 MR. LI: Those examples, of course, you  
3 bring out is very obvious like aux. feed water  
4 systems, EDGs and its support systems, essential  
5 cooling water systems.

6 And in terms of systems susceptible to  
7 common cost value of redundant trends, we have  
8 examples such as drain systems providing flood  
9 protection, makeup water to CCW systems without  
10 independent trends, and for operating experience that  
11 we bring up examples like raw water system and main  
12 steam in the feedwater systems.

13 Those previous LRA review experience are  
14 for missions we identified, spent fuel cooling  
15 systems, makeup water source to safety systems, those  
16 we have identified omissions in the previous review  
17 process.

18 In the September ACRS presentation for the  
19 sampling approach, the Committee suggested the staff  
20 testing the sampling approach to see how it worked.  
21 We did it on two previously-reviewed applications,  
22 H.P. Robinson and Dresden Quad Cities.

23 We learned lessons through this testing.  
24 And through this testing, we improved the Tier-1  
25 screening criteria and to add Tier-1 review process to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 those systems that were deemed to be not so important.

2 So we're not just make the decision and  
3 put it out. Those we screened out will have to review  
4 the application, LRA and FSAR description. It still  
5 goes through a review process. And we will show some  
6 examples later on for another plant.

7 For Robinson's the deepwater examples  
8 here, for deepwater pump and associated piping in the  
9 primary demineralized waters systems used for the  
10 long-term source of water to the AFW system following  
11 a dam failure.

12 Another case for Dresden Quad Cities, a  
13 number of values in the demineralized water systems  
14 are used for an alternate supply of makeup water to  
15 the isolation condenser, those components in the  
16 demineralized water system were initially omitted by  
17 the applicants and were identified in an SER during  
18 the previous detailed reviews by using the improved  
19 Tier-1 screening criteria. And we should be able to  
20 pick up those systems for detailed review.

21 VICE CHAIRMAN SHACK: It's not clear.  
22 What happens if you apply the Tier-1 screening  
23 criteria to Robinson?

24 MR. LI: The criteria, if I -- we used  
25 this, for example, this makeup water source to safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 systems. And that will pick up this demineralized  
2 water system.

3 VICE CHAIRMAN SHACK: So it would have  
4 worked on both Robinson and Dresden?

5 MR. LI: Right. So if you just looked at  
6 the function of the demineralizer system, there's not  
7 safety function. It's a non-safety-related system.  
8 Initially, you probably can drop it into Tier-1.

9 However, if it goes through this screening  
10 criteria we'll think carefully about FSAR. Even  
11 without going into the drawing, we still would pick up  
12 this system for Tier-2 review.

13 VICE CHAIRMAN SHACK: Okay.

14 MR. LI: And we applied this Tier-1  
15 screening criteria to Brunswick, which results in 15  
16 of the 39 BOP systems would receive a Tier-1 review.  
17 The remaining 47 of 62 mechanical systems, all  
18 electrical systems and the structures would continue  
19 to receive a Tier-2 review.

20 VICE CHAIRMAN SHACK: Okay. So the first  
21 bullet means I screen 15 of the systems out?

22 MR. LI: Yes. And this Tier-2 is not just  
23 throw it out. We still do the review. And it goes  
24 through this review, we reviewed the license renewal  
25 application. We reviewed the FSAR description, focus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on its identified functions -- intended function  
2 whether they are properly identified as intended  
3 function, and we looked at complement lists in the LRA  
4 about the complements that is subject to AMR.

5 And with that, we identified one RAI and  
6 also we identified three systems for inspection  
7 because we feel those three systems it would be better  
8 to go through the inspection rather than go in here  
9 doing a drawing review.

10 MEMBER BONACA: At the beginning, I  
11 thought that the process, however, would focus  
12 resources on Tier-1 and then some of the others BOP  
13 would not be reviewed. But you're telling me that all  
14 BOP is now getting reviewed?

15 MR. LI: All will get reviewed.

16 MEMBER BONACA: But they will get a lesser  
17 review?

18 MR. LI: That's right.

19 MEMBER BONACA: All right.

20 MR. LI: So these 15 systems out of 39 --

21 MEMBER BONACA: Yes.

22 MR. LI: -- will get less level of  
23 detailed review. But we'll have to make that  
24 determination -- go through that determination,  
25 through that screening criteria.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           And a complete scoping review, which  
2 contains a review of methodology, a scoping results  
3 reviews, and inspection. In the review of scoping  
4 results, it includes the plant never scoping at the  
5 systems and the structure level. And all mechanical  
6 systems, electrical systems, structures at the  
7 complement level.

8           The mechanical systems include reactor  
9 systems, engineering safety feature systems, auxiliary  
10 systems, and steam and power systems. I put the  
11 little stars there which the BOP systems include all  
12 the steam and power conversion system and most of the  
13 auxiliary systems.

14           By using this new process, we intend to  
15 maintain the completeness as described in these  
16 slides. Even if we put a star there, we're not really  
17 going to throw out any system without reviewing it.

18           The bottom line is that our reviews focus  
19 on most important systems and only a small portion of  
20 the BOP systems will receive less than full review.  
21 It will conserve the limited staff resource and reduce  
22 the burden of RAIs for low-safety-significant systems.

23           This concludes my presentation.

24           MEMBER BONACA: It looks like an effective  
25 process however I think that, you know, if there was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 available risk information on the site, that would be  
2 valuable to do some screening to see if that would  
3 suggest anything else. I mean any other system that  
4 should be really paid more attention to.

5 MR. LI: That's correct.

6 MEMBER DENNING: Perhaps I could make a  
7 comment on that, Mario? And that is I think that, you  
8 know, there certainly are people in the PRA branch  
9 that could take a quick look at the systems that you  
10 have identified from a more traditional approach. And  
11 see if there are some of those systems that they would  
12 -- because they've done these prioritizations.

13 And balance of plant, I think, is just the  
14 area where there could be surprises in terms of  
15 systems that one would not normally think of being  
16 that important but in risk based, turn out to be.

17 Now I realize that you're only screening  
18 out a few. And all of them are getting some level of  
19 review. So, you know, how far one has to go into the  
20 risk base -- but I do think that -- I'm a little  
21 surprised that in this day and age where there is so  
22 much emphasis on looking at risk, and in this case, I  
23 don't think it is a big deal to have some guidance --  
24 just a look by these people from the PRA Group, to  
25 oversee which of the balance of plant systems did you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 really highlight and which ones didn't you highlight -

2 -

3 MEMBER BONACA: Yes, that's a good --

4 MEMBER DENNING: -- with risk perspective.

5 MEMBER BONACA: -- suggestion. We'll take  
6 a look at it.

7 MEMBER BONACA: I think it's an  
8 interesting approach you're taking and I think that  
9 with that comment that I support, really, because, I  
10 mean, you have leeway for the review that you choose  
11 to do, to choose any means that you see appropriate.  
12 I mean it's not that it is an imposition on the  
13 licensee.

14 So with that, I think, however, that this  
15 is a good approach that you're taking.

16 MR. LI: Thank you.

17 MEMBER BONACA: Okay. Any other comments  
18 from the public?

19 (No response.)

20 MEMBER BONACA: From the staff?

21 (No response.)

22 MEMBER BONACA: From the Members?

23 (No response.)

24 MEMBER BONACA: If not, I want to thank  
25 you for the presentation. It was good information for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 us. And I'll turn it over to you, Mr. Chairman.

2 CHAIRMAN WALLACE: Thank you. Thank you,  
3 Mario.

4 MR. LI: Thank you for the Committee  
5 attention.

6 CHAIRMAN WALLACE: This March meeting is  
7 turning out to be a good performer in terms of keeping  
8 on time.

9 MEMBER POWERS: Because of the active  
10 effort by the Chairman to terrorize each one of the  
11 Members.

12 CHAIRMAN WALLACE: We have been a couple  
13 of minutes ahead or a couple minutes behind, I think,  
14 in every case. This is only due to the gentle hand of  
15 the Chair.

16 (Laughter.)

17 CHAIRMAN WALLACE: We will take a break  
18 for 15 minutes until quarter to eleven. And I think  
19 at this time, we can dispense with the transcript.  
20 And thank you very much.

21 (Whereupon, the above-entitled meeting was  
22 concluded at 10:24 a.m.)

23

24

25

CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: Advisory Committee on


Reactor Safeguards

520<sup>TH</sup> Meeting

Docket Number: n/a

Location: Rockville, MD

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



---

Eric Mollen  
Official Reporter  
Neal R. Gross & Co., Inc.

**NEAL R. GROSS**  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

# **License Renewal Scoping Review Process for BOP Systems**

March 4, 2005

Chang-Yang LI  
Plant Systems Branch  
Division of Systems Safety and Analysis  
Office of Nuclear Reactor Regulation

- **Purpose of the Presentation:**  
**Explain the process to be used for the scoping review of the BOP systems and show the benefits of the process.**
- **Benefits of the Process:**  
**Focus the review of BOP systems on more important systems and provide an efficient and effective scoping review.**

## **BOP Systems Scoping Review Process**

- **An Optional Two-Tier Review Process**
- **Tier-1: screen, review (LRA, FSAR), Identify systems for Inspection**
- **Tier-2: review (boundary drawings, and other licensing basis documents in addition to the LRA, FSAR)**
- **Post-review evaluation for findings with generic Implications**

2

## **Tier-1 Screening Criteria**

- **safety important/risk significant systems**
  - **high safety significant systems**  
(e.g., AFW, EDG & support systems, essential cooling water)
  - **systems susceptible to common cause failure of redundant trains**  
(e.g., drain systems providing flood protection, makeup water to CCW systems without independent trains)

3

## **Tier-1 Screening Criteria**

(Cont.)

- **operating experience indicating likely passive failures**  
(e.g., raw water systems, main steam and feedwater systems)
- **previous LRA review experience of omissions**  
(e.g., spent fuel cooling, makeup water sources to safety systems)

4

## **Testing & Lessons Learned**

- The following applicant's omissions were identified in the SER:
  - Robinson - the deepwater pumps and associated piping in the primary and demineralized water system for the long-term source of water to the AFW system following a dam failure
  - Dresden and Quad Cities - a number of valves in the demineralized water makeup system for an alternate supply of makeup water to the isolation condenser
- By using the Tier-1 screening criteria, the demineralized water makeup system would be identified for Tier-2 detailed review.

5

## **Brunswick Results**

- **Applying Tier-1 screening criteria to Brunswick results in that 15 of the 39 BOP systems would receive a Tier-1 review.**
- **47 of 62 mechanical systems, all electrical systems, and structures would continue to receive a Tier-2 review.**

6

## **Brunswick Tier-1 Review**

- **15 systems were selected for Tier-1 review.**
- **Review of the LRA and FSAR was focused on the intended functions and component list for AMR.**
- **One RAI and three systems for inspection were identified.**

7

## Completeness of a Scoping Review

- Methodology Review
- Scoping Results Review
  - < Plant-Level Scoping
  - < Mechanical Systems
    - Reactor Systems
    - Engineering Safety Features Systems
    - Auxiliary Systems\*
    - Steam and Power Conversion Systems\*
  - < Electrical Systems
  - < Structures
- Inspections
- BOP systems

8

## Efficient and Effective Review

- **Effective:**  
Focused on most important systems, only a small portion of the BOP systems will receive less than full review.
- **Efficient:**  
It conserves limited staff resources and reduces the burden of RAIs for low-safety significant systems.

9





---

# Proposed Revisions to Generic License Renewal Guidance Documents

Jerry Dozier

Kurt Cozens

Amy Hull

Mark Lintz

Office of Nuclear Reactor Regulation (NRR)  
Division of Regulatory Improvement Programs (DRIP)  
License Renewal & Environmental Impacts Program  
-License Renewal Section B

Presented at 520<sup>th</sup> ACRS Meeting  
March 4, 2005

---



---

# Updating License Renewal Guidance Documents

Jerry Dozier  
Senior Engineer & Team Leader

---



---

# Agenda and Introduction

- ▶ Background
- ▶ Schedule
- ▶ Scope
- ▶ Overview of Changes



---

## License Renewal Guidance Documents

- ▶ NUREG-1800, *Standard Review Plan for License Renewal Applications for Nuclear Power Plants (SRP-LR)*
- ▶ NUREG-1801, *Generic Aging Lessons Learned (GALL) Report*
- ▶ DG 1140, *Standard Format and Content for Applications to Renew Nuclear Power Plant Operating Licenses*



---

## Background of Effort

- ▶ Integrated participation
  - ▶ Multi-Office within NRC
    - ▶ Office of Nuclear Regulatory Research (RES)
    - ▶ Office of Nuclear Reactor Regulation (NRR)
      - ▶ Division of Regulatory Improvement Programs (DRIP)
      - ▶ Division of Inspection Program Management (DIPM)
      - ▶ Division of Systems Safety & Analysis (DSSA)
      - ▶ Division of Engineering (DE)
  - ▶ Contractors
  - ▶ NEI
  - ▶ Public groups
- ▶ Multi-disciplinary teams



---

# Background

- ▶ Enhanced public participation
  - ▶ September 30, 2004 - Preliminary draft update to GALL (AMR line-items) and SRP-LR posted on public website
  - ▶ Frequent public meetings
- ▶ Expanded explanations and justification
  - ▶ Bases document providing justification for technical changes in NUREG-1800 and NUREG-1801.
  - ▶ Public comment NUREG to be available 9/30/05



# Schedule: Completed

| Date                  | Accomplishment   |
|-----------------------|--|
| 1/31/2005             | Approved draft update to GALL, SRP-LR, DG-1140 available for public comment. |
| 2/7/2005              | Draft bases document available on website.                                   |
| 3/2/2005              | Public workshop  |
| 2/1/2005 to 3/30/2005 | Public comment period.   |



---

## Schedule: Looking Ahead

| Date       | Expectation   |
|------------|---|
| 3/4/2005   | ACRS meeting  |
| 4/21/2005  | Public meeting (tentative)  |
| 8/6/2005   | Approved documents will be provided to ACRS with new public comment NUREG |
| 9/2005     | ACRS/CRGR meetings  |
| 9/30/2005  | Final publication of GALL, SRP-LR, and DG-1140 with public comment NUREG  |
| 10/30/2005 | Bases document published.   |





---

## License Renewal Guidance Update Website

- ▶ Information is available such as relevant correspondence, meeting notices, summaries, NRC public presentations, 9/30/04 and 1/31/05 posting, etc.
  - ▶ <http://www.nrc.gov/reactors/operating/licensing/renewal/guidance/updated-guidance.html>



**NRC: Schedule and Background For Guidance Updates - Microsoft Internet Explorer provided by Provided by AT&T**

File Edit View Favorites Tools Help

Back Forward Stop Refresh Home Search Favorites Media

Address <http://www.nrc.gov/reactors/operating/licensing/renewal/guidance/updated-guidance.htm> Infoseek Go

The following license renewal guidance documents are currently being updated:

- [NUREG-1800](#), Standard Review Plan for Review of License Renewal Applications for Nuclear Power Plants
- [NUREG-1801](#), Generic Aging Lessons Learned (GALL) Report
- [RG 1.188](#), Regulatory Guide for Standard Format and Content for Applications to Renew Nuclear Power Plant Operating Licenses

### Background

This table lists, in chronological order, the notices, slides, transcripts and summaries regarding License Renewal Guidance Update:

| Date     | Description  |
|----------|--|
| 02/07/05 | Bases Document for Revision to: Generic Aging Lessons Learned (GALL) Report - NUREG-1801, Revision 1 and Standard Review Plan for License Renewal (SRP-LR) - NUREG-1800, Revision 1  |
| 01/31/05 | NRC staff is currently soliciting comments on the following updated license renewal guidance documents: <ul style="list-style-type: none"> <li>• <a href="#">NUREG-1800</a>, Standard Review Plan for Review of License Renewal Applications for Nuclear Power Plants</li> <li>• <a href="#">NUREG-1801</a>, Generic Aging Lessons Learned (GALL) Report               <ul style="list-style-type: none"> <li>◦ <a href="#">Volume 1</a></li> <li>◦ <a href="#">Volume 2</a></li> </ul> </li> <li>• <a href="#">DG-1140</a>, Regulatory Guide for Standard Format and Content for Applications to Renew Nuclear Power Plant Operating Licenses which endorses, with exceptions, <a href="#">NEI 95-10</a>, Industry Guidelines for Implementing the Requirements of 10 CFR Part 54 - The License Renewal Rule</li> </ul> |

Local intranet

Start Todo.doc - Micr... GroupWise - Mal... Microsoft Power... Search Results NRC: Schedule ... 9:00 AM

March 4, 2005



---

# Overview of SRP-LR Update

Kurt Cozens

Senior Materials Engineer

---



---

# Scope of Changes to SRP-LR

- ▶ SRP-LR changes corresponding to the update in GALL
- ▶ Update of review process
- ▶ Disposition of comments accumulated since issuance of the 2001 draft guidance documents



---

# SRP-LR Changes

- ▶ Revised Section 3.0 text
  - ▶ Division of reviews
  - ▶ Background on types of reviews
  - ▶ Expectations on extended power uprates



---

# SRP-LR Changes


- ▶ Revised Sections 3.1 through 3.6
  - ▶ Clarified review methodology of AMP, AMR and FSAR
    - ▶ Aligns with audit process
    - ▶ Discusses exceptions
    - ▶ Provides definition of enhancements



---

# SRP-LR Changes

- ▶ Revised Sections 3.1 through 3.6 (continued)
  - ▶ Further evaluation
    - ▶ Consistent with the GALL Report revisions
  - ▶ Tables updated
    - ▶ Reflects changes to the GALL Report



NEW

NEW

Table 3.2-1. Summary of Aging Management Programs for Engineered Safety Features Evaluated in Chapter V of the GALL Report

| ID | Type    | Component  | Aging Effect/Mechanism                                | Aging Management Programs  | Further Evaluation Recommended | SRP Ref  | Related Item   |
|----|---------|--|---|--|--------------------------------|--|--|
| 1  | BWR/PWR | Piping, piping components, and piping elements in emergency core cooling system        | Cumulative fatigue damage                             | TLAA, evaluated in accordance with 10 CFR 54.21(c)   | Yes, TLAA                      | Yes, TLAA (See subsection 3.2.2.2.1)             | E-10<br>E-13<br>E-16   |
| 2  | BWR/PWR | Ducting, piping, piping components, and piping elements internal and external surfaces | Loss of material due to general corrosion             | Plant specific   | Yes, plant specific            | Yes, plant specific (See subsection 3.2.2.2.2)   | E-25<br>E-26<br>E-29<br>E-30<br>E-35<br>E-44<br>E-45<br>E-46 |
| 3  | BWR/PWR | Piping, piping components, and piping elements   | Loss of material due to pitting and crevice corrosion | Plant specific   | Yes, plant specific            | Yes, plant specific (See subsection 3.2.2.2.3.1) | EP-32  |
| 4  | BWR/PWR | Piping, piping components, and piping elements internal surfaces                       | Loss of material due to pitting and crevice corrosion | Plant specific   | Yes, plant specific            | Yes, plant specific (See subsection 3.2.2.2.3.1) | E-33   |
| 5  | BWR/PWR | Partially encased tanks with breached moisture barriers                                | Loss of material due to pitting and crevice corrosion | A plant specific aging management program is to be evaluated because moisture and water can egress under the tank due to cracking of the perimeter seal from weathering. | Yes, plant specific            | Yes, plant specific (See subsection 3.2.2.2.3.2) | E-01   |
| 6  | BWR/PWR | Piping, piping components, and piping elements in contact with soil                    | Loss of material due to pitting and crevice corrosion | Plant specific   | Yes, plant specific            | Yes, plant specific (See subsection 3.2.2.2.3.2) | EP-31  |

March

Close Full Screen





---

# Overview of Changes to the GALL Report

Amy Hull  
Project Manager

---



---

## Types of Revisions to NUREG-1801, Generic Aging Lessons Learned (GALL) Report

- ▶ Aging Management Program (AMP) modifications, additions, and deletion
- ▶ Aging management review (AMR) line-items
  - ▶ Standardized without compromising safety
  - ▶ Every line-item in GALL'01 is traceable to the update so nothing has been lost.
- ▶ Primary focus on approved precedents, interim staff guidance, and lessons learned
  - ▶ Non-safety related 10 CFR 54.4(a)(2) SSCs
  - ▶ Common miscellaneous material environment combinations
  - ▶ External surfaces of components and miscellaneous bolting



---

## Revisions in all Sections of NUREG-1801

- ▶ Mechanical
  - ▶ Reactor Vessel Internals & Reactor Coolant System (RCS)
  - ▶ Engineered Safety Features (ESF)
  - ▶ Auxiliary System (AUX)
  - ▶ Steam & Power Conversion System (SPCS)
- ▶ Structures
  - ▶ Containment Structures
  - ▶ Structures & Component Supports
- ▶ Electrical
- ▶ New Chapter IX: Definitions
- ▶ Aging Management Programs & TLAAs



## New Configuration of GALL'05

Link gives GALL'01 Counterpart

| Item#                   | Link#    | Structure and/or Components                    | Materials                        | Environment                        | Aging Effect/Mechanisms                                   | Aging Management Program (AMP)   | Further Evaluations                                |
|-------------------------|----------|--|----------------------------------|------------------------------------|---|--|--|
| V.D2-13<br>¶<br>(E-29)  | V.D2.5-a | Piping and components internal surfaces        | Steels                           | Air—indoor uncontrolled (Internal) | Loss of material—general corrosion                        | A plant-specific aging management program is to be evaluated.  | Yes, plant-specific                                |
| V.D2-14<br>¶<br>(E-27)  | V.D2.1-a | Piping and components internal surfaces        | Steels                           | Condensation (Internal)            | Loss of material—general, pitting, and crevice corrosion  | A plant-specific aging management program is to be evaluated.  | Yes, plant-specific                                |
| V.D2-15<br>¶<br>(EP-2)  | EP-2     | Piping, piping components, and piping elements | Aluminum                         | Air with borated water leakage     | Loss of material—boric acid corrosion                     | Chapter XI.M10, "Boric Acid Corrosion"   | No   |
| V.D2-16<br>¶<br>(EP-28) | EP-26    | Piping, piping components, and piping elements | Aluminum                         | Treated water                      | Loss of material—general, pitting, and crevice corrosion  | Chapter XI.M2, "Water Chemistry" ¶<br>The AMP is to be augmented by verifying the effectiveness of water chemistry control. See Chapter XI.M32, "One-Time Inspection," for an acceptable verification program. | Yes, detection of aging effects is to be evaluated |
| V.D2-17<br>¶<br>(E-11)  | V.D2.1-d | Piping, piping components, and piping elements | Cast austenitic stainless steels | Treated water >250°C (>482°F)      | Loss of fracture toughness/thermal aging embrittlement    | Chapter XI.M12, "Thermal Aging Embrittlement of Cast Austenitic Stainless Steel (CASS)"  | No   |
| V.D2-18<br>¶<br>(EP-30) | EP-36    | Piping, piping components, and piping elements | Copper alloy                     | Closed cycle cooling water         | Loss of material—pitting, crevice, and galvanic corrosion | Chapter XI.M21, "Closed-Cycle Cooling Water System"  | No   |
| V.D2-19<br>¶<br>(EP-27) | EP-27    | Piping, piping components, and piping elements | Copper alloy >15% Zn             | Closed cycle cooling water         | Loss of material—selective leaching                       | Chapter XI.M33, "Selective Leaching of Materials"  | No   |

GALL'05 AMR Line-Item added (P)

Close Full Screen



## Materials Reclassified: New Generic AMR Line-Item

Excerpted from GALL'05:

| V ENGINEERED SAFETY FEATURES           |       |  |                      |                            |                                     |   |                    |
|--|-------|--|----------------------|----------------------------|-------------------------------------|---|--------------------|
| D1 Emergency Core Cooling System (PWR) |       |  |                      |                            |                                     |   |                    |
| Item                                   | Link  | Structure and/or Component                     | Material             | Environment                | Aging Effect/Mechanism              | Aging Management Program (AMP)                    | Further Evaluation |
| V.D1-15<br>(EP-27)                     | V.D1: | Piping, piping components, and piping elements | Copper alloy >15% Zn | Closed cycle cooling water | Loss of material/selective leaching | Chapter XI.M33, "Selective Leaching of Materials" | No                 |

Excerpted from Draft Bases Document'05:

| Table II.A New AMR Line Items based on new 'MEAP' combinations relevant to Mechanical Systems ("A" Auxiliary, "E" Engineered Safety Features, R" for Reactor Coolant, "S" for Steam and Power Conversion) |  |                      |                            |                                     |   |   |
|---|--|----------------------|----------------------------|-------------------------------------|---|---|
| Item  | Structure and/or Component                     | Material             | Environment                | Aging Effect/Mechanism              | AMP   | Precedent and Technical Basis for New Line-Item   |
| AP-43<br>EP-27<br>RP-12<br>SP-29  | Piping, piping components, and piping elements | Copper alloy >15% Zn | Closed cycle cooling water | Loss of material/selective leaching | Chapter XI.M33, "Selective Leaching of Materials" | An approved precedent exists for adding this material, environment, aging effect and program combination item to the GALL Report. The staff has accepted the position that selective leaching of copper-alloy in a closed cycle cooling water environment is properly managed by the Selective Leaching of Materials Program, which includes a one-time visual inspection and hardness measurement of selected components to determine whether loss of material due to selective leaching is occurring. |



## 10 CFR 54.4(a)(2) Criteria

Structures, systems, and components (SSCs) satisfying this criteria require an aging management review in accordance with 10 CFR 54.21(a)(3). This criteria includes identification of:

- Non-safety related SSCs that are connected to safety related SSCs, and
- Non-safety related SSCs not connected to safety related SSCs but that could spatially interact with safety related SSCs.

Excerpted from GALL'05 Vol. 2

| VII AUXILIARY SYSTEMS                     |        |   |                 |  |  |   |                     |
|---|--------|---|-----------------|--|--|---|---------------------|
| K Non-Safety Related Category (A)(2) SSCs |        |   |                 |  |  |   |                     |
| Item                                      | Link   | Structure and/or Component                    | Material        | Environment                              | Aging Effect/<br>Mechanism                         | Aging Management Program (AMP)                                | Further Evaluation  |
| VII.K-3<br>(AP-67)                        | VII.K. | Piping, piping components and piping elements | Stainless steel | Waste water (untreated or treated water) | Loss of material/<br>pitting and crevice corrosion | A plant-specific aging management program is to be evaluated. | Yes, plant-specific |

Excerpted from Draft Bases Document'05:

| Table II.A New AMR Line Items based on new 'MEAP' combinations relevant to Mechanical Systems ("A" Auxiliary, "E" Engineered Safety Features, R" for Reactor Coolant, "S" for Steam and Power Conversion) |                            |                 |                 |                                  |   |  |
|---|----------------------------|-----------------|-----------------|----------------------------------|---|--|
| Item  | Structure and/or Component | Material        | Environment     | Aging Effect/<br>Mechanism       | AMP   | Precedent and Technical Basis for New Line-Item  |
| RP-18   | Steam Dryers               | Stainless steel | Reactor coolant | Cracking/ flow-induced vibration | A plant-specific aging management program is to be evaluated. | For plants performing extended power uprate, steam dryers are in scope for category (a)(2), and may exhibit cracking due to flow-induced vibration and therefore require management by a program. A plant-specific aging management program will be evaluated to provide reasonable assurance that the component's intended functions will be maintained within the CLB for the period of extended operation |



# Operating Conditions Affect Integrity of SSCs

Excerpted from GALL'05:

| IV REACTOR VESSEL, INTERNALS, AND REACTOR COOLANT SYSTEM |        |                            |                 |                 |                                  |   |                     |
|--|--------|----------------------------|-----------------|-----------------|----------------------------------|---|---------------------|
| B1 Reactor Vessel Internals (BWR)                        |        |                            |                 |                 |                                  |   |                     |
| Item   | Link   | Structure and/or Component | Material        | Environment     | Aging Effect/ Mechanism          | Aging Management Program (AMP)                                | Further Evaluation  |
| IV.B1-15<br>(RP-18)                                      | IV.B1. | Steam Dryers               | Stainless steel | Reactor coolant | Cracking/ flow-induced vibration | A plant-specific aging management program is to be evaluated. | Yes, plant-specific |

Excerpted from Draft Bases Document'05:

Table II.A New AMR Line Items based on new 'MEAP' combinations relevant to Mechanical Systems ("A" Auxiliary, "E" Engineered Safety Features, R" for Reactor Coolant, "S" for Steam and Power Conversion)

| Item  | Structure and/or Component | Material        | Environment     | Aging Effect/ Mechanism          | AMP   | Precedent and Technical Basis for New Line-Item  |
|-------|----------------------------|-----------------|-----------------|----------------------------------|---|--|
| RP-18 | Steam Dryers               | Stainless steel | Reactor coolant | Cracking/ flow-induced vibration | A plant-specific aging management program is to be evaluated. | For plants performing extended power uprate, steam dryers are in scope for category (a)(2), and may exhibit cracking due to flow-induced vibration and therefore require management by a program. A plant-specific aging management program will be evaluated to provide reasonable assurance that the component's intended functions will be maintained within the CLB for the period of extended operation |



## Careful Analysis of Bolting Line-Items in GALL'01

| VIII STEAM AND POWER CONVERSION SYSTEM                      |            |                            |                            |  |  |  |                         |
|---|------------|----------------------------|----------------------------|--|--|--|-------------------------|
| H External Surfaces of Components and Miscellaneous Bolting |            |                            |                            |  |  |  |                         |
| Item  | Link       | Structure and/or Component | Material                   | Environment                                | Aging Effect/ Mechanism  | Aging Management Program (AMP)                                   | Further Evaluation      |
| VIII.H-1<br>(S-32)  | VIII.H.    | Bolting                    | Steel                      | Air – outdoor<br>(External)                | Loss of material/<br>general, pitting,<br>and crevice<br>corrosion | Chapter XI.M18, "Bolting Integrity"                              | No                      |
| VIII.H-2<br>(S-40)  | VIII.H.    | Bolting                    | Steel                      | Air with borated<br>water leakage          | Loss of material/<br>boric acid<br>corrosion                       | Chapter XI.M10, "Boric Acid Corrosion"                           | No                      |
| VIII.H-3<br>(S-03)  | VIII.H.2-b | Closure<br>bolting         | High-<br>strength<br>steel | Air with steam or<br>water leakage         | Cracking/ cyclic<br>loading, stress<br>corrosion cracking          | Chapter XI.M18, "Bolting Integrity"                              | No                      |
| VIII.H-4<br>(S-34)  | VIII.H.    | Closure<br>bolting         | Steel                      | Air – indoor<br>uncontrolled<br>(External) | Loss of material/<br>general, pitting,<br>and crevice<br>corrosion | Chapter XI.M18, "Bolting Integrity"                              | No                      |
| VIII.H-5<br>(S-33)  | VIII.H.    | Closure<br>bolting         | Steel                      | Air – indoor<br>uncontrolled<br>(External) | Loss of preload/<br>stress relaxation                              | Chapter XI.M18, "Bolting Integrity"                              | No                      |
| VIII.H-6<br>(S-02)  | VIII.H.2-a | Closure<br>bolting         | Steel                      | Air with steam or<br>water leakage         | Loss of material/<br>general, pitting,<br>and crevice<br>corrosion | Chapter XI.M18, "Bolting Integrity"                              | No                      |
| VIII.H-7<br>(S-29)  | VIII.H.1-b | External<br>surfaces       | Steel                      | Air – indoor<br>uncontrolled<br>(External) | Loss of material/<br>general corrosion                             | A plant-specific aging management<br>program is to be evaluated. | Yes, plant-<br>specific |
| VIII.H-8<br>(S-41)  | VIII.H.1-b | External<br>surfaces       | Steel                      | Air – outdoor<br>(External)                | Loss of material/<br>General corrosion                             | A plant-specific aging management<br>program is to be evaluated. | Yes, plant-<br>specific |
| VIII.H-9<br>(S-30)  | VIII.H.1-a | External<br>surfaces       | Steel                      | Air with borated<br>water leakage          | Loss of material/<br>boric acid<br>corrosion                       | Chapter XI.M10, "Boric Acid Corrosion"                           | No                      |





# Engineered Safety Features: '05 Revision of '01 Item

## GALL 2005

| V ENGINEERED SAFETY FEATURES     |         |  |                 |                            |  |   |                    |
|----------------------------------|---------|--|-----------------|----------------------------|--|---|--------------------|
| A Containment Spray System (PWR) |         |  |                 |                            |  |   |                    |
| Item                             | Link    | Structure and/or Component                           | Material        | Environment                | Aging Effect/<br>Mechanism                                   | Aging Management Program (AMP)                      | Further Evaluation |
| V.A-3<br>(E-17)                  | V.A.6-c | Heat exchanger shell side components                 | Steel           | Closed cycle cooling water | Loss of material/<br>general, pitting, and crevice corrosion | Chapter XI.M21, "Closed-Cycle Cooling Water System" | No                 |
| V.A-4<br>(E-19)                  | V.A.6-c | Heat exchanger shell side components including tubes | Stainless steel | Closed cycle cooling water | Loss of material/<br>pitting and crevice corrosion           | Chapter XI.M21, "Closed-Cycle Cooling Water System" | No                 |

## GALL 2001

### V Engineered Safety Features A. Containment Spray System (Pressurized Water Reactor)

| Item                                      | Structure and/or Component   | Material                         | Environment  | Aging Effect/<br>Mechanism                                  | Aging Management Program (AMP)                      | Further Evaluation |
|---|--|----------------------------------|--|---|---|--------------------|
| A.6-c<br>A.6.1<br>A.6.2<br>A.6.3<br>A.6.4 | Containment spray heat exchanger (serviced by closed-cycle cooling water)<br>Bonnet/cover<br>Tubing<br>Shell<br>Case/cover | Carbon steel,<br>stainless steel | Chemically treated borated water on tube side and closed-cycle cooling water on shell side | Loss of material/<br>General, pitting and crevice corrosion | Chapter XI.M21, "Closed-Cycle Cooling Water System" | No                 |



## Specification of Benign Material/ Environment Combinations

Excerpted from GALL Vol. 2

| V ENGINEERED SAFETY FEATURES                             |      |  |                      |                                      |                            |                                |                    |
|--|------|--|----------------------|--------------------------------------|----------------------------|--------------------------------|--------------------|
| F Common Miscellaneous Material Environment Combinations |      |  |                      |                                      |                            |                                |                    |
| Item   | Link | Structure and/or Component                     | Material             | Environment                          | Aging Effect/<br>Mechanism | Aging Management Program (AMP) | Further Evaluation |
| V.F-4<br>(EP-10)   | V.F. | Piping, piping components, and piping elements | Copper alloy         | Air – indoor uncontrolled (External) | None                       | None                           | No                 |
| V.F-5<br>(EP-9)  | V.F. | Piping, piping components, and piping elements | Copper alloy         | Gas                                  | None                       | None                           | No                 |
| V.F-6<br>(EP-11)   | V.F. | Piping, piping components, and piping elements | Copper alloy         | Lubricating oil (no water pooling)   | None                       | None                           | No                 |
| V.F-7<br>(EP-12)   | V.F. | Piping, piping components, and piping elements | Copper alloy <15% Zn | Air with borated water leakage       | None                       | None                           | No                 |



---

## GALL 2005 (Added Definitions)

- ▶ New Definition section (Chapter IX) provided for Materials, Environments, Aging effects/mechanisms, and selected components as relevant to different aging management Programs.
- ▶ Standardization of terms used for MEA parameters to make the AMR line-items more generic
  - ▶ Traceability to GALL'01 retained
  - ▶ Guidance applicability enhanced without compromising relicensing rigor and safety



# Chpt. IX: Standardized SSC Terms

## IX.B Selected Definitions of Terms Used for Describing and Standardizing Structures, Components, Materials, Environments, Aging Effects, and Aging Mechanisms

### Definition of Selected Terms for Structures and Components

| Term   | Definition as used in this document  |
|--|--|
| Bus duct                                       | Bus ducts are electrical buses installed on electrically insulated supports and are constructed with all phase conductors enclosed in a separate metal enclosure or a common metal enclosure.  |
| Phase bus                                      | Bus that is enclosed [either within its own enclosure (duct or inside a vault) that is not part of an active component such as a switchgear, load center, or motor control center]   |
| Piping, piping components, and piping elements | This general category includes various features of the piping system that are within the scope of license renewal. Examples include piping, fittings, tubing, flow elements/indicators, demineralizer, nozzles, orifices, flex hoses, pump casing and bowl, safe ends, sight glasses, spray head, strainers, thermowells, and valve body and bonnet. |
| Switchyard bus                                 | Switchyard bus is uninsulated, unenclosed, rigid electrical conductor used in switchyards and switching stations to connect two or more elements of an electrical power circuit such as active disconnect switches and passive transmission conductors.  |
| Transmission conductors                        | Transmission conductors are uninsulated, stranded electrical cables used in switchyards, switching stations and transmission lines to connect two or more elements of an electrical power circuit such as active disconnect switches, power circuit breakers, and transformers and passive switchyard bus.   |



---

# Overview of Bases Document

- ▶ Team Effort – input from ANL, Parallax, and NRC
  - ▶ Provides
    - ▶ Technical justification for both revised and new AMR line-items in GALL'05.
    - ▶ Listing, location, & frequency of terms used in AMR tables.
    - ▶ Changes in TLAAs and AMPs.
    - ▶ Listing, location, & frequency of AMP usage in AMR tables.
    - ▶ Summary of update changes for SRP-LR.
    - ▶ System-specific audit tools with cross-reference to SRP-LR section and ID, reactor type, and AMR table parameters.
    - ▶ Summary of MEAP combinations with cross-reference to SRP-LR ID, location in AMR table, Item ID.
-



## Revisions to Time-Limited Aging Analyses: Evaluation of Aging Management Programs under 10 CFR 54.21(C)(1)(iii)

**Excerpted from Bases Document:**

| GALL TLAA | Time Limited Aging Analyses                               | TLAA Revised (Y or N) | Summary of Change and its Basis  | Referenced GALL'05 Chapters |
|-----------|---|-----------------------|--|-----------------------------|
| X.M1      | Metal Fatigue of Reactor Coolant Pressure Boundary        | Y                     | Revised the program description to note that examples of critical components are identified in NUREG/CR-6260.<br>Revised monitoring and trending to indicate that the sample of high fatigue usage locations includes the locations identified in NUREG/CR 6260 and any additional critical components in the plant. | III, IV, V, VII, VIII       |
| X.S1      | Concrete Containment Tendon Prestress                     | N                     | N/A  |                             |
| X.E1      | Environmental Qualification (EQ) of Electrical Components | Y                     | Deleted reference to GSI-168 in program description. It is no longer an open issue.  | VI                          |



## Examples of Revisions to Aging Management Programs

### Excerpted from Bases Document:

| AMP  | Summary of Change and its Basis   |
|--|---|
| XI.M19<br>Steam<br>Generator<br>Tube Integrity | <p>The following changes were made:</p> <ol style="list-style-type: none"> <li>1) Eliminating reference to "staff review of NEI 97-06" &amp; eliminating the requirement for NRC plant-specific review of a licensee's steam generator tube integrity AMP - The staff is reviewing generic revisions to the standard technical specifications, based on the provisions of NEI 97-06, which are intended to upgrade the standard technical specifications to assure the condition of the tubes remains adequate for the period of time between inspections. Also, considering that there is a framework in place, including Code of Federal Regulations, plant technical specifications, industry guidelines, and NRC oversight and review of plant's steam generator integrity activities, makes the further review of this AMP unnecessary.</li> <li>2) Clarifying that the AMP scope includes steam generator sleeves and plugs. This will make the AMP consistent with the line item in GALL volume 2 section IV.</li> <li>3) Including tube support lattice bars and tube support plates made of carbon steel in the AMP scope, and eliminating the requirement for NRC plant-specific review of the aging management program for these components - All PWR licensees have committed voluntarily to a SG degradation management program described in NEI 97-06. The staff has concluded that if the steam generator tube integrity AMP includes the carbon steel tube supports and lattice bars in the program scope, references the licensee's response to NRC GL 97-06 and the licensee's intent to maintain steam generator secondary-side integrity in accordance with NEI 97-06 guidelines, a separate plant-specific program is not needed for these programs. In addition, subsequent NRC plant-specific review of the steam generator tube integrity AMP for these components is not necessary.</li> </ol> |



---

## Summary

- ▶ Changes to the GALL Report and SRP-LR fall into the following general categories:
    - ▶ Standardization of MEAP parameters.
    - ▶ NRC positions previously approved in other documents.
    - ▶ Lessons learned.
    - ▶ Operating experience.
    - ▶ Technical clarifications or corrections.
    - ▶ Clarifications to the audit and review process.
-





---

# Overview of Draft Guide-1140

Mark Lintz

Project Manager



---

# Draft Guide-1140, Standard Format and Content for Applications to Renew Nuclear Power Plant Operating Licenses

- ▶ Endorses, with exceptions, industry license renewal document NEI 95-10, Revision 5



---

# NEI 95-10, Industry Guidelines for Implementing the Requirements of 10 CFR Part 54 - The License Renewal Rule

- ▶ Guidelines for
  - ▶ Scope of 10 CFR Part 54
  - ▶ Subject to aging management review
  - ▶ Maintenance of aging effects



---

## Changes to NEI 95-10, Revision 5

- Standardized format
- Scoping process
- Potential TLAA's



---

## Exceptions to NEI 95-10, Revision 5

- ▶ NEI proposed alternative to the scoping of non-safety-related piping and supports
  - ▶ Alternative adds inappropriate criteria.
  - ▶ Complicates the application.



## Exceptions to NEI 95-10, Revision 5, continued

- ▶ NEI proposed exposure duration criteria
  - ▶ Allows short term exposure to spray/leakage to determine need for aging management.
  - ▶ Not in compliance with the regulation.