

UNITED STATES OF AMERICA

+++++

NUCLEAR REGULATORY COMMISSION

+++++

PUBLIC MEETING

EXELON GENERATING COMPANY
EARLY SITE PERMIT

TUESDAY

APRIL 19, 2005

+++++

CLINTON, ILLINOIS

+++++

The Nuclear Regulatory Commission Public
Meeting at Clinton Junior High School, 701 Illini Drive,
Clinton, Illinois, at 7:00 p.m, Chip Cameron presiding.

+++++

Corrected Transcript

PRESENT:

Chip Cameron - Facilitator

Andrew Kugler

John Segala

Thomas Kenyon

Laura Dudes

Eva Hickey

Lance Vail

Van Ramsdell

INDEX

| <u>AGENDA ITEM</u> | <u>PAGE</u> |
|--|-------------|
| Welcome | 4 |
| Overview of the early site permit review process | 11 |
| Overview of environmental review process | 13 |
| Results of the environmental review | 20 |
| How comments can be submitted | 37 |
| Closing | 127 |

PROCEEDINGS

(7:03 P.M.)

1
2
3 MR. CAMERON: Welcome to the Nuclear Regulatory Commission's
4 public meeting tonight. My name is Chip Cameron, and I'm the Special Counsel for
5 Public Liaison at the Nuclear Regulatory Commission, the NRC. And that's one, we'll
6 try to stay away from acronyms, but that's one we will be using tonight, the NRC.

7 And it's my pleasure to serve as the facilitator for the meeting
8 tonight. And my general responsibility will be to try to help all of you to have a
9 productive meeting tonight.

10 The subject of the meeting is the draft environment impact statement
11 that the NRC has prepared as one part of its evaluation of an application that we
12 received from the Exelon Generating Company for something called an Early Site
13 Permit for the Clinton Site. And the NRC staff will be explaining what an Early Site
14 Permit is.

15 I just wanted to cover a few meeting process issues before we get
16 into the substance of our discussions tonight. And I'd like to tell you about the format
17 for the meeting, some very simple ground rules and to introduce the NRC's speakers
18 who will be providing you with information tonight.

19 In terms of the format for the meeting, we're going to have a two part
20 format. And the first part is to try to give you clear information about what the NRC
21 looks at when it's evaluating an Early Site Permit application, what our process is. And
22 specifically to tell you about the information and the analysis that's in the draft
23 environment impact statement. And we'll be taking questions to make sure that we did
24 get the information across clearly.

25 I want to emphasize one word and that's the word draft, draft

1 environmental impact statement. That draft statement that you're going to hear about
2 tonight is not going to be finalized until we evaluate the comments that we hear from
3 you tonight and also written comments that we receive.

4 That's the second part of the meeting. It's to give us an opportunity
5 to listen to you, to your concerns, recommendations, advice on the draft environmental
6 impact statements, issues related to that statement and on the Early Site Permit
7 process. We are taking written comments and NRC staff will tell you how those are to
8 be submitted and when they should be submitted. But I just want to emphasize one
9 thing to all of you. Any comments that you give to us tonight are going to be given the
10 same weight as a written comment. Okay? You may hear some things tonight that
11 would prompt you to submit a written comment. And that's perfectly fine. But we will
12 give the same weight to the comments tonight.

13 In terms of ground rules, when we get to the question part of the
14 meeting after the NRC's presentations, if you could just, if you have a question, just
15 signal me and I'll bring you this cordless microphone. And give us your name and
16 affiliation, introduce yourself to us. And then we'll try to answer your question.

17 I would just ask that only one person speak at a time tonight. Most
18 important reason's so that we can give our full attention to whomever has the floor.
19 We are also taking a transcript that's going to be the NRC record and your record of
20 the meeting. And our Court Reporter tonight is Mr. Stuart Karoubus. He's over here
21 busily working already, I can see. But one person at a time allows us to get a clean
22 transcript so we know who is talking.

23 When we get to the comment part of the meeting, usually we ask
24 people to come up to the front and give their comments. If you prefer to stay in your
25 seat, I can bring you the cordless mike but it's nice to come up and be face to face with

1 the people you're talking to.

2 I'm going to set a -- we have about a hundred people who want to
3 talk tonight. And I want to make sure that everybody has an opportunity to speak. I'm
4 going to set a three minute ground rule for talking. It's a guideline. If you go a little bit
5 over, that's going to be fine. But in order to hear from everybody, I'm going to ask you
6 to confine your comments to three minutes.

7 Usually I found three minutes gives people an opportunity to make
8 their main points. And it accomplishes, even though it's short, it accomplishes two
9 very important things. One, it alerts the NRC's staff to issues that we should start
10 evaluating and thinking about even tonight and to talk to you further after the meeting,
11 perhaps, about your comments.

12 Second thing it accomplishes is it, it gives other people in the
13 audience an idea of what some of the concerns are that people might have. And
14 you're going to be hearing a little bit more about this and have an opportunity to ask
15 questions about it. But it seems like an issue that I probably should clear up at this
16 point.

17 This is a public meeting. You're going to hear about an NRC
18 hearing, okay? A hearing is an adjudicatory process. That will all be explained to you.
19 But don't confuse it with a public meeting like this. And we can go into some of the
20 implications of that later.

21 Let me introduce the NRC's staff who are going to be talking to you
22 tonight. We're going to have Mr. Andy Kugler, who's right here, give you a formal
23 welcome in just a moment. And Andy is the Chief of the Environmental Review
24 Section at the NRC. And Andy and his staff, some of whom you'll hear and meet
25 tonight, they're responsible for doing the environmental reviews on any licensing action

1 for a nuclear reactor, be it an early site permit, license renewal, anything like that. And
2 Andy is the Chief of that section.

3 He's been with the NRC for about 15 years. He was with the United
4 States Navy submarine program and worked for a utility who operated a nuclear power
5 plant. He has a Bachelor's in mechanical engineering from Cooper Union and a
6 Master's degree in technical management from Johns Hopkins University. And will
7 give you a short welcome.

8 Then we're going to go to the safety aspects of the NRC evaluation
9 of an early site permit application. And we have Mr. John Segala right here. He's the
10 project manager for the safety review on the Clinton early site permit application. He's
11 going to tell you a little bit about that. He's been with the NRC for 14 years in a variety
12 of positions. He's worked on these new reactor issues. For example, he was a project
13 manager on the NRC's certification process for, what we call advance reactor designs.
14 He has a Bachelor's in mechanical engineering from the University of Maryland.

15 Then we're going to go to Mr. Tom Kenyon. He's the project
16 manager for the environmental review, which is the main subject of the meeting
17 tonight. He's been with the NRC for 23 years. He also was a project manager in
18 reactor design certification and also on license renewal. Issued a Bachelor's in nuclear
19 engineering from the University of Michigan.

20 After we hear those three, we're going to just go on to for questions
21 on the process before we get to the heart of the information we want to tell you about
22 tonight, which is Eva Hickey, who is right here. Eva is going to tell you about the
23 findings and analysis in the draft environmental impact statement.

24 Eva's the team leader for a group of experts that are helping the
25 NRC to evaluate the environmental impacts of this license, this early site permit

1 application. She's with Pacific Northwest National Lab. She's a staff scientist there,
2 who specializes in environmental analysis of many types of energy and other projects,
3 including nuclear power plant issues. She is also an emergency preparedness
4 consultant for not only the NRC but for the Department of Homeland Security. And her
5 Bachelor's is in Biology from Virginia Tech and a Master's in health physics from
6 Georgia Tech.

7 And one other person I want to introduce from the NRC is Ms. Laura
8 Dudes, who's right here. And Laura is a Section Chief in our office of New Reactors.
9 And they are the folks that the NRC who, who supervise and manage the reviews for
10 these early site permit issues and reactor design certifications.

11 And with that I'm going to ask Andy Kugler to come up. It's a little
12 dark in here and the lights are gradually, they're going to come on probably at some
13 point during the presentation. So did we turn them off again? Okay. So, when we're
14 done with the slide show, we'll get some lights so we can all see each other.

15 Andy?

16 MR. KUGLER: Thank you, Chip. And I do apologize but if we left
17 the lights on it would be very difficult to see the screen. And we did want you to be
18 able to see what we were presenting.

19 I'd like to thank you all for coming out this evening, first of all, for
20 taking the time to be with us for this meeting where we're discussing the draft
21 environmental impact statement for the early site permit at the Clinton site. I hope the
22 information that we provide to you tonight will be useful to you. And we also look
23 forward to answering any questions you have and to receiving your comments on the
24 draft.

25 I'd like to start off by talking a little bit about the NRC. We're an

1 independent regulatory agency in the federal government. We don't promote, build or
2 operate nuclear power plants. Our mission is to regulate the civilian use of nuclear
3 materials in the United States to ensure the health and safety of the public, to protect
4 the environment and to ensure the common defense and security. In carrying out this
5 mission we have an experienced staff with expertise in the areas necessary to regulate
6 nuclear reactors.

7 I'd also like to mention that we have resident inspectors at every site.
8 There are at least two resident inspectors at each site in the country. At this particular
9 site we currently have three inspectors, one senior resident inspector and two resident
10 inspectors. The senior resident is Billy Dixon, and I believe he's here this evening.

11 Are you here, Billy?

12 He's right there.

13 We also have two resident inspectors, Carrie Brown and Douglas
14 Star. So they're there on a day to day basis monitoring operations of the plant,
15 performing inspections and making sure that the plant is operated in accordance with
16 our regulations.

17 Next slide, please.

18 Now this slide gives you an overview of the entire combined licensing
19 process. And this is a relatively new process that's in part 52 of all regulations. Those
20 regulations can be found in Title 10 in the Code of Federal Regulations. If a company
21 wants to request a combined license to build and operate a nuclear power plant, one of
22 their options is to reference an approved early site permit and also to reference a
23 standard design that's been approved by the NRC. This is just one way that they can
24 use it.

25 But use of an approved design and an approved early site permit

1 means that many issues related to licensing of the plant will already have been
2 resolved. If the NRC does approve a combined license, we would then monitor the
3 construction of the plant and we would also make sure that there were certain key
4 aspects of it that were in conformance with the design that we had approved.

5 Exelon's request for an early site permit at the Clinton site is the
6 second of three that the NRC is currently reviewing. If the early site permit is
7 approved, they do not have permission to build a plant but they have received a review
8 of siting issues related to the plant.

9 If in the future they decide that they do want to request a combined
10 license, they could then reference that early site permit. However, at this time Exelon
11 has not declared whether or when they might request a license to build a plant.

12 Next slide.

13 Now, before we go into the details of the early site permit, I would
14 like to speak a little bit about what an early site permit is and is not. An early site
15 permit is essentially a site suitability review. We're reviewing whether or not this site
16 would be suitable to build one or more nuclear power reactors. As I said, the approval
17 of an early site permit does not give the utility permission to build a plant or to operate
18 it. If they wanted to get permission to do that, they would have to submit an additional
19 application and we would have to review that application.

20 Exelon could conduct certain site preparation activities if they
21 provided a site redress plan as part of their early site application and if we determine
22 that the site redress plan is appropriate. The intention of a site redress plan is if they
23 were to start the site preparation activities and then not build the plant; the site redress
24 plan would be used to restore the site to an environmentally stable and aesthetically
25 acceptable condition for other uses.

1 The reason ... a site redress plan was included in the application for
2 this early site permit, and the staff has made a preliminary, reached a preliminary
3 conclusion that it is acceptable.

4 Next slide, please.

5 Why would Exelon want an early site permit? The bottom line
6 answer is what an early site permit does is resolve a number of siting issues early in
7 the process before they've invested a lot of money in construction. When a utility
8 thinks about building a new plant, anything that would reduce the uncertainty ... and
9 the licensing process later on ... is very valuable to them. So they end up with a piece
10 of property for which a number of issues have been resolved for use in the future. And
11 that's the advantage it gives to them.

12 And that completes my remarks. Chip?

13 MR. SEGALA: Good evening. This flow chart shows the major
14 steps in the review process for an early site permit application. Significant points of
15 public involvement are shown in the irregular shaped yellow boxes. As reflected here,
16 the first opportunity for public involvement occurs before we receive the application.
17 We came here back in March of 2003 to explain the process. And we held the
18 meeting, the pre-application public meeting at the Vespasian Warner Public Library.

19 The application arrived in late September of 2003. And that initiated
20 the NRC's staff review of the application. There are two major branches of this
21 process because the review involves implementation of the Atomic Energy Act and the
22 National Environmental Policy Act or NEPA.

23 The top portion shows the site safety review process under the
24 Atomic Energy Act. This part of the review involves an evaluation of site safety issues,
25 emergency planning along with inspections related to site safety attributes. After the

1 NRC develops the safety evaluation report, it is reviewed by the Advisory Committee
2 on Reactor Safeguards or ACRS, an independent body which advises the
3 Commission.

4 The ACRS will hold public meetings during its review of the drafts, of
5 the safety evaluation report. The report from the ACRS will be provided to the
6 Commission and considered in the Commission's decision on the early site permit
7 application. The Safety Evaluation Report will be one of the items considered in the
8 hearing that will be part of this review.

9 The lower portion represents the environmental review process
10 under the National Environmental Policy Act. Early in the review process we carry out
11 scoping by deciding what issues should be included in our environmental review. We
12 held a scoping meeting at the library in December of 2003 and many of you may have
13 attended that meeting.

14 The purpose of today's public meeting is to inform you of the NRC's
15 review and to receive your comments on the draft environmental impact statement.
16 And that will be discussed in later presentation.

17 Next slide, please.

18 Breaking down the site safety review a little bit more, the key aspects
19 of this review are the evaluation of site characteristics as they relate to the safety of
20 the plant and emergency planning. The staff will determine whether the site is
21 physically suitable for siting a new nuclear plant. In addition, the staff will determine
22 whether there are significant impediments to successfully implementing an emergency
23 plan.

24 Next slide, please.

25 The draft Safety Evaluation Report was made available to the public

1 in March of this year, 2005. It is posted on our web site at the address shown on the
2 slide. And is, a copy is available at the Vespasian Warner Public Library and at the
3 Public Document Room in Rockville, Maryland.

4 There are approximately 33 open items in the draft Safety Evaluation
5 Report. And open items are issues where the applicant needs to provide further
6 information to the staff so the NRC staff can complete their review.

7 The NRC staff is currently reviewing Exelon's performance-based
8 methodology regarding earthquake effects. It is a new approach, which has not been
9 reviewed or approved by the staff. A supplement to the draft safety evaluation report
10 summarizing the staff's review process for seismic issues is expected by the end of
11 May. At that time the staff will provide the revisions of the schedule for the final safety
12 evaluation report. And we will not issue the final safety evaluation report
13 until all the open items are resolved.

14 If you have any questions related to the Safety Evaluation Report or
15 the Site Safety Review, please feel free to contact me at the information on the slide. I
16 also have business cards available, if you could ask me after the meeting.

17 Thank you and I'd like to turn over the discussion to Tom Kenyon,
18 the Environmental Project Manager.

19 MR. CAMERON: Okay, thank you very much, John

20

21 MR. KENYON: Good evening. My name is Tom Kenyon and I'm the
22 NRC Environmental Project Manager.

23 I'm going to spend the next ten or 15 minutes talking about the
24 environmental review process and really giving you some background about why we're
25 here today.

1 Now, to give you a little bit of background, the National
2 Environmental Policy Act was enacted in 1969 and requires all federal agencies to use
3 a systematic approach to consider the environmental impacts during certain decision
4 making proceedings. It's a disclosure tool that involves the public. And as such, it
5 involves the process in which information is gathered by federal agencies. We
6 evaluate that information and then we document that information and invite public
7 participation to help us evaluate it.

8 In accordance with NEPA, an environmental impact statement is
9 required for any proposed action that may significantly affect the quality of the human
10 environment. And it's been determined that issuing an early site permit is such a major
11 federal action.

12 Now this next slide gives you a little more detail about the
13 environmental review process that John showed you earlier. It's the lower half of the
14 slide that he was showing you. And just to hit a few of the key dates, the application
15 was submitted in September of 2003. As we've mentioned, we had a scoping process
16 in 2003 and 2004. And we held a meeting here down at the Vespasian Warner Public
17 Library. And I recognize a number of your faces from that meeting.

18 We came out to the site in March of 2004 to take a look at the site
19 and gather information not only at the site and get information from Exelon, but also to
20 talk to federal, state and local authorities to get information. We issued the draft
21 environmental impact statement last month. And now we're in a 75 day comment
22 period in which we're soliciting comments from members of the public on our draft
23 environmental impact statement.

24 Our current intent is ... once we receive ... the comment period ends
25 on May 25th of this year. Once we receive those comments we will take them,

1 evaluate them and determine whether or not it's necessary to modify our
2 environmental impact statement. And once we make any final modifications we will
3 issue the final EIS this fall.

4 At that point, the final environmental impact statement as well as the
5 final safety evaluation report that John is working on the site safety issues, will be
6 considered during the adjudicatory hearing by the Atomic Safety and Licensing Board.
7 Once they make their decision and recommendation to the Commission, the
8 Commission will make the final decision as to whether or not it's appropriate to issue
9 the early site permit. And that's currently scheduled for the summer of 2006.

10 Now, this slide gives you kind of a summary of where we got our
11 information when we came out here last March 2004. We obtained information, as I
12 said, from the early site permit. We get it from Exelon. We talk to state, federal and
13 local authorities. And we've also considered the public comments that we received
14 during the scoping process.

15 The kind of things that we look at, the major thing is whether or not
16 we look at the environmental impacts of the construction and operation of a new
17 nuclear plant should it be located at that site. In addition, we look at alternatives of
18 that proposed action, which are including putting the plant at an alternative site. And
19 then we look at the environmental impacts of that alternative. And finally, we look at
20 possible mitigation efforts that are things that Exelon could do to decrease the
21 environmental impacts from construction and operation of the plant.

22 Now there are certain things that are not required to be looked at at
23 the early site permit part of the review. And that's the need for power, the cost of
24 power and the alternative energy sources. Now, having said that, Exelon had decided
25 that it was appropriate to address alternative energy sources. And so we've taken a

1 look at it, evaluated it. And we'll talk about the results of that review shortly.

2 Now, in terms of review of the need for power and the cost of power,
3 although we don't need to look at it at this stage of the review, should Exelon decide to
4 come in with a combined construction and operating license, at that point then we
5 would review those issues and consider them during that review process.

6 This gives you an idea of the kinds of things that.... issues that the
7 staff takes a look at during our review. We look at human health issues. We look at
8 the impacts of constructing and operating a plant; on the terrestrial and aquatic
9 ecology. We look at land use issues, water quality issues, hydrology issues and social
10 economics.

11 And to perform these reviews, the NRC has assembled a team of
12 NRC staff with backgrounds in the specific technical and scientific disciplines
13 necessary to perform these kind of environmental reviews. And then in addition to
14 supplement the technical expertise of the staff, we've engaged the assistance of the
15 Pacific Northwest National Laboratory to ensure that we have a well rounded
16 knowledge base to perform our reviews.

17 In all we have a team of about 20 people performing this review. And many of
18 whom are here today to hear what you have to say.

19 And next, Eva Hickey, who is the team leader from the Pacific
20 Northwest National Lab will present the results of our review.

21 MR. CAMERON: Okay, thanks, Tom. Before we get to Eva's
22 discussion of the results of the review, let's see if there's any questions about the NRC
23 process, anything that you or John or Andy talked about. Any questions there on
24 process?

25 Yes, sir. And please just introduce yourself to us.

1 MR. HANG: Some years ago, I came when it was planned to put two
2 reactors here at this site. They actually have a foundation for a second one. Isn't
3 some of this work redundant?

4 MR. CAMERON: Okay. And this is Mr. Dan Hang. And you heard
5 the question; is any of the work that we're doing now redundant in the sense it was
6 done before, perhaps several years ago. Tom?

7 MR. KENYON: Well, this is a separate application than the work that
8 was done for the original Clinton application, for the original plants. The actual
9 footprint of the plant will be about 700 feet away from the facility. Now, we've been
10 able to take some of the information that was done, some of the, what we call the final
11 environmental statement that was performed 20 or 30 years ago. And we considered
12 some of that information in our review.

13 So some of it was considered during our review but it's not really
14 directly applicable.

15 MR. CAMERON: But anything that needed to be updated, obviously,
16 was updated. Is that correct?

17 MR. KENYON: That's correct.

18 MR. CAMERON: All right. Any other questions out here on the
19 process?

20 Yes, ma'am, and please introduce yourself.

21 MS. MOODY: Sandy Moody. Did I hear you say that an alternative
22 energy source was possibly discussed by Exelon? And is that a different licensing
23 application? And are you free to discuss what type of source that is?

24 MR. KENYON: Well, no. Perhaps I've mis-spoke. We look at
25 alternative energy sources in lieu of putting a nuclear plant there at the site. So we

1 look at what would be the environmental impacts of, say building a coal fire plant there
2 instead of the nuclear plant or an oil fire plant there or solar and wind power, those
3 kind of things.

4 It's not that it's really under consideration. It's what would be the environmental
5 impacts of doing that.

6 MR. CAMERON: And that type of information will be available to the
7 public. Is that correct?

8 MR. KENYON: Well, the results of our review are in Chapter 8 of our
9 draft environmental impact statement.

10 MR. CAMERON: All right, go ahead, Sandy.

11 MS. MOODY: I have one other question. I think this should be
12 directed to John. According to the Nuclear Energy Institute, I know that doesn't have
13 anything to do with you guys, but it says that the NRC has approved four new designs.
14 How new are they and are you free to discuss what they are? And tell us how they
15 work.

16 MR. CAMERON: Okay. And Sandy, that's a great question. And
17 John? Andy? Okay, Andy is going to answer and is, I think you're going to have to
18 keep it to the major, major points and then perhaps get Sandy information in some way
19 on more of the details.

20 MR. SEGALA: Okay. Just briefly, in Part 52 of the regulations,
21 which is the same part we're operating under and reviewing the early site permit, there
22 are appendices for three designs, advance designs that the NRC has already
23 reviewed. Now this is a safety review that's done for these designs. In other words,
24 they looked at the design issues related to these new plants.

25 And there is a fourth design for which we've performed the review.

1 And I believe the rule making is coming in the near future. It's in progress. Is that
2 correct?

3 MR. CAMERON: Laura, let's get you on the transcript.

4 MR. SEGALA: Well, the staff is working on a proposed rule. Is that
5 correct?

6 MS. DUDES: The proposed rule for AP1000 was actually published
7 Monday, April 18th in the Federal Register Notice. So, that will be available for public
8 comment now.

9 MR. CAMERON: Okay, thank you.

10 MR. KENYON: So those are the four designs you were hearing
11 about.

12 MR. CAMERON: Okay, and let's make sure that it's not too late, and
13 Sandy's still here or anybody else who wants to hear about this, perhaps John and
14 Laura can explain a little bit more about those designs.

15 So we have one last question before we get into the heart of it.

16 Yes, sir.

17 MR. HUCKLEBERRY: Hi, my name is Phil Huckleberry. My
18 question is specifically about the NRC's solicitation of public comments. I'm curious as
19 to by what process the NRC decided to not hold hearings in other potentially impacted
20 communities beyond Clinton, especially considering that the reactor will be located
21 practically as close to Farmer's City as Clinton.

22 MR. CAMERON: Thank you, thank you very much. Just again, keep
23 in mind this distinction. I know it's so easy to use hearing instead of meeting. In
24 hearings in the NRC world have a special legal significance. But the question is pretty
25 clear. Why didn't we hold public meetings in other places?

1 MR. KENYON: Well, we're holding the public meeting in the central
2 location. You know, admittedly we could be holding meetings in a large number of
3 other places. But to me it makes most sense to hold the meeting right near the Clinton
4 plant. And this is the closest city that we have to do that at.

5 MR. CAMERON: And if you want to comment on that, please do,
6 okay, with suggested other locations. Okay, let's get Eva and then we'll go for
7 questions. This is Eva Hickey. And this is the results of the draft EIS, Environmental
8 Impact Statement.

9 MS. HICKEY: Good evening. I'm glad to see everybody here. We
10 really appreciate your attendance and we look forward to -- is that better? Okay. I
11 can't see my notes. It's too dark.

12 Thank you for coming. I would like to say I'm going to keep my
13 comments very brief because there's a lot of people here that would like to speak. I
14 have a number of my team here with me and we would be glad to answer any specific
15 comments related to the draft environmental impact statement after the meeting. And
16 just so you can recognize us, we have Van Ramsdell. He's in the back. Lance Vail,
17 Lance, where are you? There. And Kim Leigh. And they're all part of the Pacific
18 Northwest National Lab team that is here tonight.

19 First, I'd like to start with talking a little bit about what, how the
20 applicants performed their analysis. And they used what is called a Plant Parameter
21 Envelope. They used a Plant Parameter Envelope. And that is used instead of
22 actually looking at a specific reactor design. And this gives the applicant an
23 opportunity to look at a number of designs for reactors before they actually choose a
24 design. A design will be, if they chose to build a plant at a later date then a specific
25 design will be picked.

1 So this is a surrogate for the plant. And there's a list of parameters
2 that are supposed to bound all the impacts from operation of this reactor. There were
3 five light water reactor designs looked at and two gas cooled reactors. And just to give
4 you an example of what the plant parameter is, if you look at the two types of cooling
5 towers. There's a natural draft cooling tower. And that is about 550 feet high. So that
6 particular parameter would be used and we would look at that for aspects of, say
7 aesthetics or perhaps bird collisions.

8 But another type of cooling tower would be a mechanical draft
9 cooling tower. And there the impact might be the noise level. And so we would look at
10 both the noise level from the natural, I mean, the noise level from the mechanical draft
11 and then the height of the natural draft cooling tower.

12 Next.

13 Let me take just a minute to tell you about the approach that we
14 looked at. As I mentioned, we use the Plant Parameter Envelope. And we did an
15 assessment looking at both the construction of the plant and then also the operation of
16 the proposed Exelon early site permit unit for issues I will discuss in just a minute.

17 As part of the overall review, we evaluated Exelon's site redress
18 plan. Now the site redress plan is a plan that explains that if the early site permit is
19 given and Exelon starts the construction process but then they decide for some reason
20 not to complete the plant, that they would put the environment back into a state that's
21 aesthetically acceptable.

22 We also evaluated the environmental impacts of alternative sites.
23 And I will go into this in a little more detail. Exelon chose six sites as alternative sites
24 and I will discuss that later.

25 Then we compared the impacts from the Exelon early site permit site

1 here at the Clinton Nuclear Station with that of the alternative sites. And we
2 determined that there was not an obviously superior site. And therefore our
3 preliminary conclusion is that from the environmental standpoint the early site permit
4 should be issued.

5 Next.

6 Let me take just a minute to discuss how we quantify the impacts.
7 For each issue that we look at, there's an impact level assigned. These are described
8 in Chapter 1 of the draft environmental impact statement. And these impacts are
9 consistent with those described by the counsel's environmental quality for the NEPA
10 analysis. To be categorized as a small impact, we look at affects that are not
11 detectable or they may be detectable but they are so small that they do not de-stabilize
12 any of the important attributes of the resource.

13 Let me give you an example so you have something to consider that
14 with. Each plant will have an intake structure and this intake structure can pull in adult
15 and juvenile fish. If the loss of fish from the intake structure is so small that it cannot
16 be detected in relation to the total population of the fish in the lake, we would call that
17 impact small.

18 The next impact is moderate. And this one is such that there's a
19 sufficient impact to alter noticeably but it would not de-stabilize an important attribute
20 of the resource. So taking our example, again, you would see that there is a lower,
21 there's a decline of the fish in the lake. However, that stabilizes at a lower level but
22 then it does not go beyond that level. We consider that impact moderate.

23 And finally, for an impact to be large, the affect must be clearly
24 noticeable and sufficient to de-stabilize important attributes of the resource. So, in this
25 case, the fish loss would be large and it would continue to decline. And we would call

1 that a large impact.

2 Next slide.

3 I mentioned that we looked at the environmental impacts both of
4 constructing a new nuclear facility at the Exelon ESP site and also at operation. I'd like
5 to take just a minute to step you through how our environmental impact statement is
6 laid out. In Chapter 2, we discuss some of the general attributes about the
7 environment around the proposed Clinton site. In Chapter 3 we discuss the site layout
8 and we also have a description, again, of the plant parameter envelope.

9 Chapter 4 is where we evaluate the impacts from construction. And
10 in Chapter 5 we evaluate the impacts of station operation. Here you can see the
11 primary areas that we looked at. Not yet, no. So let me take just a second. There's a
12 lot of detail in the report that, unfortunately, I'm not going to have time to go through it.
13 So I'm just going to talk very briefly.

14 For land use, the proposed units would be located adjacent to the
15 current Unit 1. And it would be within the Clinton exclusion boundary. We looked at
16 air quality and air emissions. We looked at threatened and endangered species. And
17 there are two federally listed species; the threatened bald eagle and the endangered
18 Indiana bat. And these species may occur in the vicinity of the Exelon early site permit
19 site. And also perhaps on the transmission corridors.

20 We looked at socio-economics and this includes physical impacts,
21 demographics, community characteristics, which also include historic and
22 archeological resources and environmental justice. We looked at human health,
23 radiological impacts and we also looked at non-radiological impacts such as public and
24 occupational health, noise effects and effects from electric magnetic fields.

25 Also, in Chapter 5, we reviewed the environmental impacts from

1 postulated design basis and severe accidents. In Chapter 6, we looked at the
2 environmental impacts of the uranium fuel cycle and solid waste management. We
3 also looked at transportation of radioactive material and decommissioning of the
4 postulated early site permit plant.

5 In Chapter 7 we summarized accumulated impact of the proposed station
6 construction and operation.

7 I want to take just a few minutes to discuss a few of the highlights of
8 our review. First, next slide. We looked at the Clinton Lake usage. And Clinton Lake
9 was a lake that was created to provide cooling for the original Clinton Units 1 and Unit
10 2. And this lake was created in 1977 and it was filled in early 1978. The lake is
11 managed by the Department of Illinois, the Illinois Department of Natural Resources. It
12 currently provides once through cooling for the Clinton power station. It's the proposed
13 source of makeup water for the new proposed unit.

14 However, the early site permit plants would use cooling towers and they will
15 not be once through plants.

16 Okay. We looked at the cooling system impacts of the proposed
17 unit. And there were three types of cooling systems that were considered. There was
18 a wet system, a dry system and then a wet/dry hybrid. The dry option would require no
19 consumptive use of water. But it involves a significant parasitic energy cost.

20 The wet/dry was discussed only in general terms in the application.
21 And so our analysis and our conclusions were based on wet cooling towers, which
22 bound the impact of a wet/dry alternative. The wet towers would result in a significant
23 increase in the consumptive use of water. There's natural evaporation and an induced
24 evaporation from the current operating plant.

25 The increased consumptive water loss will inevitably result in lower

1 pond elevations and less water released downstream than would occur without adding
2 another nuclear unit at the Clinton site. Impacts would be more pronounced in dry
3 years.

4 The early site permit does not alter the requirements that the
5 applicant obtain the permits from the State of Illinois to alter water supply and water
6 quality of Lake Clinton.

7 Next.

8 I'd like to take just a minute to talk about the radiological impacts of a
9 new unit at the Exelon early site permit site because I know many of you are interested
10 in this. We evaluated the exposure to the public and to the workers. And we also
11 looked at the impacts to plants and animals around this site. In all cases we found that
12 the doses were within regulatory limits.

13 We performed an independent evaluation of estimated doses of what
14 we call a maximally exposed individual. We looked at all the exposure pathways for
15 this individual from all of the releases from the nuclear plant or from direct radiation.
16 We then calculated the doses and we compared them to federal limits.

17 We found that these doses were well below federal limits.

18 We also took the releases and the estimated doses from the current
19 operating site and combined them with the proposed site. And once again, those
20 exposures were well below federal limits.

21 Next.

22 Okay, now I'd like to switch and talk a little bit about our review of
23 alternatives. As was mentioned before, Exelon chose to evaluate alternative energy
24 sources. And therefore, we also examined the potential environmental impacts from
25 the energy sources. And those are listed here.

1 I'll summarize our findings from these in just a minute.

2 Next.

3 We looked at the alternatives of plant cooling technologies. And I've
4 discussed these; wet cooling towers, dry cooling towers, and hybrid and wet/dry
5 towers. I won't go into any more detail on that.

6 Next.

7 Finally, we looked at alternative sites. Now, Exelon chose a region of
8 interest. And that region is the State of Illinois. So they chose all of the reactor sites
9 that are in Illinois. There are six sites. Five of those have currently operating plants on
10 them. And one of the sites, Zion, has been permanently shut down.

11 So we did a review of these sites using the information that the
12 applicant provided us and some additional information we collected. We did a review
13 that we call Reconnaissance level. We did not do the same level of detail review that
14 we did for the Exelon ESP site. I talked about the Zion site. We also looked at
15 Dresden, LaSalle, Braidwood, Byron and Quad Cities.

16 Okay. To summarize, what we found on our alternatives. First, I'd
17 like to mention that we did evaluate the no action alternative. From this alternative
18 there would be environmental impacts. However, if that's the case we would also not
19 see the intended benefits from an early site permit, which we talked about earlier; early
20 resolution of siting issues, banking the site and the ability to look at environmental
21 impacts and perhaps mitigate them.

22 So looking at the conclusions regarding alternative energy sources,
23 what we found was that there are some alternative energy sources that we considered
24 to be economically viable. However, for those economically viable alternatives, we did
25 not find that the environmental impacts were less than that from a new nuclear facility.

1 And that information is detailed in Chapter 8 of our environmental impact statement.

2 And then also in Chapter 8, we did a comparison of the
3 environmental impacts from the six alternative sites to the impacts, the environmental
4 impacts from the Exelon early site permit site here at Clinton. And we determined that
5 none of the alternative sites were environmentally preferable to the Clinton site.

6 With that, do we want to take questions now or move on?

7 MR. CAMERON: I think we do.

8 MS. HICKEY: Okay.

9 MR. CAMERON: And then we just have a real short piece. So let's
10 try to answer a few of your questions, at any rate.

11 Yes, sir.

12 MR. LAMBERT: Just a real quick question. In the on-line version, it
13 references the dry cooling tower but I don't see it in here. Could you explain what that
14 option is.

15 MR. CAMERON: And, sir, your name is?

16 MR. LAMBERT: Gary Lambert.

17 MR. CAMERON: Gary Lambert, thank you.

18 MS. HICKEY: Okay, I think I'll have Lance try to answer that. He's
19 my expert. Lance?

20 MR. CAMERON: Lance, where are you? Okay.

21 MS. HICKEY: And you said that that was on the on-line but it -- I'll
22 see if we can find it for you.

23 MR. CAMERON: Lance?

24 MR. VAIL: A dry cooling tower basically is one where you don't rely
25 on the evaporation of water to provide the cooling. So basically it's a tower where

1 there's a direct exchange of heat to the atmosphere and isn't relying on evaporation.
2 So the technology, I don't think has been applied on a site this, for a project this large
3 and generally would mean that you'd have a system with very large network of fans to
4 conduct the heat off and large fans required to blow air to dissipate that amount of
5 heat.

6 MR. LAMBERT: Would that have any impact on --

7 MR. CAMERON: Let's get you on the transcript here.

8 MR. LAMBERT: You know, I don't know anything about this stuff but
9 does that have an impact then on the amount of radiation released?

10 MR. CAMERON: Okay, that's a good question to clarify.

11 MR. VAIL: No, this is just a cooling side of the system and this is
12 actually isolated from where the impacts are going to be as far as the radiation
13 release, the radiation would be involved. So the impact that is clearest is just on the
14 water use. So basically instead of this water being evaporated, you no longer have
15 that water evaporated.

16 MR. CAMERON: Okay, thank you. Andy, do you want to add
17 something?

18 MR. KUGLER: Just real quick because I'd like to put it in simpler
19 terms. Think of it like a car radiator. The water is circulated through the cooling
20 system and then cooled by a fan blowing air over the radiator. So it's very similar to
21 that just on a much larger scale. And it's isolated from the reactor systems, as Lance
22 was saying, so it's not radioactive water that's flowing through the system. It's clean
23 water that's flowing. And because it's just flowing through and being cooled and not
24 evaporating, you don't have to keep replenishing from the lake. And that's why it's
25 referred to as a dry system.

1 MR. CAMERON: Okay, thank you, Andy.

2 Do you have a question?

3 MS. SPRINGWOOD: My name is Cheryl Springwood. The
4 environmental impact is performed utilizing a surrogate, as I understand. My question
5 is if ten, 15, 20 years down the road, an actual design for a plant is approved, then is
6 the environmental impact statement refined?

7 MR. CAMERON: Thank you. Tom?

8 MR. KENYON: What we will look at is whether or not there have
9 been changes to the site, site characteristics, and whether those changes are new and
10 significant. We will do an environmental impact statement should Exelon come in and
11 request a construction and operating license. We'll look at any new issues that may
12 crop up, if they are new and significant. We also look at the issues that I mentioned
13 earlier that we have not looked at, such as the need for power and the cost of power.

14 MR. CAMERON: Hopefully, that clears that up.

15 And is there a question up here?

16 MS. BUTTERWORTH: Hi, I'm Amy Butterworth, the student
17 environmental coalition. Just going back to the slide on the environmental impacts of
18 construction and operation. I have a question about specifically in the environmental
19 justice and how the NRC comes up with the definition of environmental justice
20 considering that the People of Colors Caucus demands, that's the guiding document
21 for environmental justice in the current environmental movement, demands an end to
22 all toxic waste production, which has historically impacted people of color and the poor.

23 So, just knowing what the definition of environmental justice is
24 because we can all look at that document and read it, can you just clarify for me how
25 the NRC can analyze environmental justice without green washing it?

1 MR. CAMERON: Okay. Tom, do you want to, I think the best thing
2 to do is to tell Amy how we look at environmental justice issues and what our authority
3 is to look at those particular issues because I think Amy has cited a publication that is
4 by a group of non-governmental organizations, perhaps. So can you tell her what are
5 process is?

6 MR. KENYON: Well, when we perform the environmental justice
7 review, we look to see if any minority or low income people are disproportionately
8 affected by the construction and operation of the nuclear power plant. We are
9 following federal guidelines. Unfortunately, I can't think of what they are off the top of
10 my head. They are Part 50 or 51? No?

11 It's the executive order but I can't think of what the -- it's a policy
12 statement. So that's how we do our review. We look at whether or not the minorities
13 or low income people are disproportionately affected by the plant.

14 MS. CAMERON: Amy, should we look at that? Would you like to
15 comment? Let's make that a formal comment that we should look at that document to,
16 as part of the public comment, okay?

17 Other questions? And we won't be able to take, we're going to take
18 these few. And then we need to go on so that we can try to get out of here before
19 midnight.

20 Yes, sir.

21 MR. RADER: Hi. I just have a question. Which alternative energy
22 generating technologies were deemed to be economically viable? My name is Matt
23 Rader.

24 MR. CAMERON: Do you understand the question?

25 MS. HICKEY: Van, do you have the answer to that?

1 MR. CAMERON: Okay, Van Ramsdell is going to answer that
2 question. Repeat the question.

3 MS. HICKEY: The question was which of the alternatives did you we
4 consider as economically viable.

5 Maybe we need to get back to you on that.

6 MR. CAMERON: Van, why don't you speak on this. Do you
7 understand the question now?

8 MR. RAMSDELL: As I understand the question is which energy
9 alternative we considered economically viable. Clearly coal, gas are economically
10 viable. There is a question whether wind energy is economically viable or not. The
11 other energy alternatives I believe we decided were not economically viable or were
12 not viable for some other reason.

13 MR. CAMERON: And if anybody has comments on that, they look at
14 the information on which those conclusions are based, if you want to bring new
15 information to us, please do so.

16 We're going to go right over here. Yes.

17 MS. LOWERY: I'm Karen Lowery. I live in Beeson, Illinois, right on
18 the edge of DeWitt County Line. My question is about solid waste. In the entire
19 impact statement there are 29 lines on radioactive waste management. There are 33
20 lines on transportation of radioactive waste.

21 This is a big issue. Is there more in there that I missed because it
22 seems like there's not much discussion of the problem that nuclear energy causes?

23 MR. CAMERON: Eva? Tom? Do you want to talk about why
24 there's. not more analysis of those two issues?

25 MS. HICKEY: Well, I didn't count the number of lines but we have,

1 Chapter 6 is almost totally related to the uranium fuel cycle and transportation. And we
2 also have an appendix in the back that describes that also.

3 MR. CAMERON: So you think that we -- that's a comment.

4 Obviously there's going to be comments raised by implication by the questions. And I
5 think that comment is is that there needs to be more analysis on those issues.

6 Tom, do you have anything to add?

7 MR. KENYON: Well, I'm not quite sure if you're focusing on the
8 spent fuel concerns or just solid waste?

9 MS. LOWERY: Just spent fuel.

10 MR. KENYON: Okay. Now we have, we work under Part 51, which
11 discusses the, what we call the Waste Confidence Rule. We believe it is safe for
12 spent fuel to be stored on site or off site in dry or wet, wet casts for up to 30 years
13 beyond the life of the plant. We also, our position of the Commission is that we expect
14 that there is going to be a geologic repository available for taking that spent fuel in the
15 first quarter of this century.

16 So, although we do address spent fuel, as Eva said, we address the
17 issues in Chapter 6. We also rely on that waste confidence rule when we do our
18 review.

19 MR. CAMERON: So, you're saying that there's not a whole lot in
20 there on the spent fuel issue because we're relying on the Commission's findings in
21 the waste confidence rule.

22 MR. KENYON: Yes, that's true to some extent. But we do address it
23 in Chapter 6.

24 MR. CAMERON: All right.

25 MR. KENYON: And our transportation concerns.

1 MR. CAMERON: Okay, let's go on to questions here.

2 Yes, sir.

3 PARTICIPANT: I'd like to know if the nuclear power plant is going to
4 emit radiation. And if so, which compounds will be the source of the radiation and how
5 long will those compounds be around emitting radiation at all, if there's any radiation at
6 all from the nuclear power plant in the surrounding area.

7 MR. CAMERON: Okay, is that question clear?

8 MS. HICKEY: Yes, I believe so. The nuclear reactors are designed
9 to release small amounts of radiation. There will be radiological effluents. In the Plant
10 Parameter Envelope, they looked at all the designs considered. And in, there's an
11 appendix and I can't remember which one it is, where it lists the radionuclides that may
12 be released from the plant. And there's a whole variety of them. I don't know, I don't
13 know the number off hand and I don't know the amounts. And they all have different
14 half-lives. But there is an expectation of a very small releases of radiological material.

15 MR. CAMERON: Okay, thank you. Yes, ma'am.

16 MS. HERBENER: Hi, my name's Rachel Herbener. I may be
17 missing something. You said you did an environmental impact, a study of alternative
18 sources. So are you saying that the potential environmental impact of this plant is not
19 any greater than say a windmill going berserk or a coal plant? Is that what you're
20 saying? There's no greater environmental impact, potential environmental impact of
21 this plant than alternatives?

22 MR. CAMERON: Okay.

23 MS. HICKEY: Van, do you want me to try it? Do you want to?

24 MR. CAMERON: Okay, Van, you heard the question, right? Okay.

25 MR. RAMSDELL: As I stated in response to the earlier question, we

1 considered that coal and gas were economically viable. And when you start
2 considering the gaseous emissions, the waste from those kind of facilities, air quality,
3 we found that they were not environmentally preferable to nuclear.

4 The other question that we said was or statement I made was wind
5 power may be economically viable. It may not. I think that's a debatable issue. The
6 problem with wind power is that in order to maintain baseload capacity you have to
7 geographically diversify the wind energy system over a very large area, considerably
8 larger than the State of Illinois. So for that reason we found that wind was not viable.

9 MR. CAMERON: And if some of the staff could provide some more
10 details after the meeting, perhaps that would be a better explanation.

11 Was there someone, I think I missed someone over here. We're
12 going to take one question back there and then we're going to take these two and then
13 we're going to move on. Okay? I'll be back to you and go to the public comment part
14 of the meeting.

15 Yes, your question is?

16 MS. GARIBALDI: Yes, my name is Kathleen Garibaldi, and I was
17 wondering, you were discussing about the other alternative sites. And you said that
18 none of them were preferable to this site. What makes this site in particular preferable
19 to all the other sites?

20 MR. KUGLER: This is Andy Kugler again. The proposed action or
21 the request from Exelon was to approve an early site permit at this site. So if none of
22 the other sites is environmentally preferable, in other words, if none of them are
23 markedly different in a way that would make them a better choice, then the site that
24 was proposed by the applicant prevails because that was what they asked for.

25 Now, if one of the other sites had turned out to be obviously superior

1 to the Clinton site, then we would have had to evaluate that in our environmental
2 impact statement and deal with that. The way the cases related to this have been
3 written, essentially what it says is that the, we would not expect to approve the
4 proposed site if there is an obviously superior alternative. But we didn't find that in this
5 case. We found that the alternative sites were not environmentally preferable, they're
6 not all equal. And that's not what we're saying. We're not saying that Clinton is
7 necessarily superior to the other sites. They all have advantages and disadvantages.
8 But on the whole the other sites were not markedly better than the proposed site.

9 MR. CAMERON: And Andy, is that something that if people want to
10 question that part of the analysis, is that open for comment?

11 MR. KUGLER: Certainly. If you have comments regarding that, if
12 you feel there's something that we didn't consider that should have been in that regard,
13 please provide us with those comments.

14 MR. CAMERON: Okay, thank you. We're going to go to two
15 questions here and then go --

16 MR. ROWE: My name is Bill Rowe. I'd like to know why you didn't
17 consider coal gasification technology, which makes coal a relatively clean fuel source
18 since it doesn't burn coal? And Illinois has a lot of coal.

19 MR. CAMERON: Van Ramsdell, right? Van, are you still here?
20 Okay, this is Van Ramsdell. Van, coal gasification.

21 MR. RAMSDELL: Coal gasification is still in the demonstration
22 phase. It's not been demonstrated to be viable on a, on a scale that would be
23 necessary. If we can find that, we would look at it. We could look at it.

24 MR. CAMERON: Okay, so comments welcome on coal gasification.
25 Let's take one more question. Yes, ma'am.

1 MS. RILEY: Sarah Riley from the McClain County Green Party. Can
2 you please explain why the NRC's environmental reviews are contingent on a request
3 from the Exelon?

4 MR. KUGLER: I'm not sure I fully understand. We don't propose,
5 promote or build nuclear power plants. Our job is to regulate them. So unless
6 somebody requests a review, we're not going to perform a review. Is that what you
7 were asking? I'm not sure.

8 MS. RILEY: It seems as though for the environmental reviews you
9 were saying at the request of Exelon that those were specifically the environmental,
10 the impacts, the small, medium and large were reviewed based on the request from
11 Exelon. I'm wondering if that's only, are those, the environmental aspect, is that only
12 at the request of Exelon?

13 MR. KUGLER: I think I understand what you're asking. No. Exelon
14 requested, they requested an early site permit from the Commission. As we
15 mentioned there's a safety review and an environmental review. We perform the
16 environmental review. Now, we do take their environmental report as a starting point.
17 But we perform our own review. We go to a lot of different sources.

18 I think what you're saying is if Exelon didn't address a certain impact,
19 does that mean we wouldn't address it? And the answer is no. If there's an aspect, an
20 impact that they did not address, we would still address it.

21 MR. CAMERON: Okay, thank you. Thank you all for good
22 questions. I'm sorry we don't have more time to address questions. We're going to
23 have one last piece very short for you but important for you to submit comments.

24 Tom Kenyon?

25 MR. KENYON: This slide shows you a summary of the key

1 remaining milestones that are remaining from our review. The one I just want to focus
2 mostly on is that the comment period for which you need to get your comments to us in
3 order to ensure that they're considered in our evaluation is going to be May 25th. In
4 fact, I mentioned that our goal, our current schedule is to issue the final EIS in
5 October. And, of course, the overall process is expected to end by 2006.

6 As you leave this meeting you might have some more questions you
7 might think of later on. As you're sitting down writing down your comments, you might
8 think of some questions. So there's my phone number you can contact me at. In
9 addition, if you have similar questions you could contact John Segala if it has to do
10 with site suitability issues, site safety issues.

11 Our draft environmental impact statement is also available at the
12 Vespasian Warner Public Library in hard copy form if you want to go take a look at it
13 there. You can get it off of our web site. And if you wanted to leave your name and
14 address up at our registration desk, if you want to get a copy of our environmental key
15 documents, such as the environmental impact statement, the final one, then feel free
16 at the end of the meeting to leave your name and address up there at the registration
17 desk.

18 Next.

19 And the last thing, again, I wanted to say is you can provide your
20 comments to us in a number of different ways. Today, obviously, you can provide us
21 your comments orally and we're transcribing the meeting. So we will treat those
22 transcribed comments as if they were received by us formally.

23 We have comment sheets up at the front desk that if you're not
24 comfortable standing in front of this crowd and giving your comments, you can write
25 down your comments and give them to us. And we will include them as part of our

1 meeting summary. And we will also include them in our consideration of your
2 comments.

3 Most people provide us with their comments in writing by sending
4 them to us through the Post Office at that address. If you're ever up in our offices in
5 Rockville, Maryland, you can bring by your written comments and hand them to us.
6 And we've established a special e-mail address where you can send us your
7 comments as well.

8 And that concludes my formal comments. Again, I want to thank you
9 all for coming. We've gotten an excellent turn out. And I appreciate it. Thank you.

10 MR. CAMERON: Thank you, Tom. And now we're looking forward
11 to listening to you. Our Public Affairs officer also reminded me that if you have general
12 questions about nuclear energy, waste disposal, you can also contact our Office of
13 Public Affairs at the NRC web site, which is www.nrc.gov.

14 Tom pointed out that there are comment sheets. We want to hear
15 from each and every one of you. I know three minutes is short. If you can say what
16 you need to say in less than that, that would also be fine so that we can get through
17 everybody. And if you want to amplify or just use the comment sheet, they're up here.

18 So, the first person we're going to go to is Terry Ferguson. Terry,
19 are you here? And then we're going to go to Roger Massey and Curt Hochbein. And
20 this is Terry Ferguson.

21 MR. FERGUSON: Thank you. I don't know how I always get the
22 honor of going first, but here goes.

23 I want to start out by stating I'm a lifelong resident of Harp Township,
24 a graduate of the University of Illinois. I've been a farmer for 31 years. I've been the
25 Highway Commissioner for Harp Township for 29 years. And I'm currently serving as

1 the Land Use Chairman for the DeWitt County Board.

2 And, yes, I have an interest in the safety and the future possible
3 construction of Unit 2 of the Clinton Power Station. I grew up on the site of the current
4 power plant and currently reside about four miles from the plant today.

5 I'd like to comment on some things I found in reading the draft report
6 for the Exelon ESP site. On Page 2-62, for the cultural background, Section 2.9.1 Line
7 31, it's a minor thing but it states that the Methodist Church at Birkbeck is there as a
8 historical building in the township. It's no longer there.

9 Page 4-20, Section 4.5.1.3 under Roads, I'd like to comment that as
10 the Harp Highway Commissioner, I would say that the local roads serving the power
11 plant site are very adequate and able to handle any expected traffic.

12 When the first power plant was built, many of these roads were 14
13 foot wide gravel roads. And many of them only served a dozen or so cars a day.
14 During construction, I updated the roads. They're currently 20 foot asphalt roads. And
15 in the past have been able to handle over 700 cars a day safely.

16 I might also add that currently the overweight loads that are brought
17 into the Clinton Power Plant are brought in sometimes on the Harp Township road
18 system because of weight restricted bridges on Route 54.

19 Page 4-24, Section 4.5.3.2, taxes, I'd like to challenge the statement
20 that no new property taxes would be paid during the construction period. During the
21 construction of Unit 1, the assessed value was increased as the construction
22 progressed. I would expect the same to happen with new construction unless these
23 are waived by the local taxing bodies.

24 I would like to now offer my testimony concerning the ESP for the
25 site. First of all, I believe that nuclear power should be a larger part of our energy

1 supply. It's an absolute travesty to waste a finite resource such as natural gas to
2 create electricity. The impact of limited gas supplies and increasing demands has
3 made it financially impossible for low income families to heat their homes. And as a
4 farmer, my fertilizer costs have doubled as the price of the precious natural gas has
5 increased.

6 For the people that are concerned about the safety of nuclear power
7 I ask what alternatives do you want? Lives are lost every year in coal mine accidents.
8 People are killed running into coal trains. Natural gas explosions kill people. And the
9 alternative wind power sounds good until you really need the power on those hot,
10 sultry, windless days in August.

11 We need a dependable baseload plant to prevent brownouts during peak
12 demand periods.

13 Risk is a part of life. For the concerned folks from Bloomington and
14 Champaign, I would offer that having a nuclear plant in Clinton must not be a great
15 concern for these cities as they would not be the boom towns they are for the
16 downstate Illinois. If you were really threatened by the fact of living 25 miles from a
17 nuclear plant, would you be living where you live? Or do you live there because of a
18 good quality of life, good jobs and an adequate power supply?

19 All of us took a much greater risk in driving to this meeting tonight
20 than in living next to nuclear power plant.

21 MR. CAMERON: And, Terry, could I just ask you to --

22 MR. FERGUSON: I'm about done. We need to keep things in
23 perspective. We in Illinois did not experience drastic increases in our electric rates or
24 shortages of power because of the utility companies invested in nuclear power 30
25 years ago. We cannot take the attitude of the NIMBY groups without running the risk

1 of making Illinois another California. And I think we can come to the conclusion that
2 Clinton is a fine site for the next nuclear power plant.

3 MR. CAMERON: Okay, thank you very much, Terry. And is it
4 Sheriff? Sheriff Massey?

5 SHERIFF MASSEY: I will definitely keep mine way under three
6 minutes. I'm Roger Massey. I'm DeWitt County Sheriff here. And I want to speak just
7 from the aspect of our local community. And that is I think a proposed second reactor
8 out here would have the same impact as the first, and that has been nothing, in my
9 opinion, but positive things for our community.

10 I've been involved with the security and some of the operation people
11 out here in safety of the plant for most of my career in law enforcement. And I have
12 the utmost respect for both the operational people and the security people in keeping
13 our community safe. And I can honestly say that I don't feel that our community has
14 been at risk at any point in my career.

15 From the other aspect, as far as the impact on our community,
16 economically it has been huge. We would not have the things that we have today,
17 especially the infrastructure without that plant having been built here in our community,
18 even down to the building that we're in here this evening.

19 So I think it would have the same impact and that would be positive.
20 Thank you.

21 MR. CAMERON: Thank you very much, Sheriff. Mr. Hochbein?

22 MR. HOCHBEIN: I'm here. My name is Curt Hochbein from
23 Representative Jacobson's office. She represents Champaign and Urbana. The
24 Representative regrets that she can't be here tonight. She has an environmental
25 meeting of her own that she had to attend.

1 She has provided written comments to be entered into the record.
2 And she has two main concerns. What are the health risks for the surrounding towns
3 and the other is our state should be moving towards wind energy or another renewable
4 source of energy as opposed to harmful nuclear energy.

5 MR. CAMERON: Great, thank you very much, Mr. Hochbein.

6 We're going to go to Steve Vandiver and then Carolyn Treadway and
7 then Bruce Macking. Steve?

8 MR. VANDIVER: My name is Steve Vandiver. I am the Economic
9 Development Director and the Chamber Director for the Clinton area. And on a
10 personal note, I grew up in the shadow of the Cordova plant in the Quad Cities and
11 don't think I'm any worse for wear for it.

12 And since coming to this position I've had the privilege and the honor
13 of working with many of the emergent employees. And they have always been good
14 neighbors and provided many much needed jobs for our area for over a generation.

15 And so on behalf of the city and the chamber, we fully support and
16 encourage the selection of Clinton for the second reactor. Thank you.

17 MR. CAMERON: Thank you very much, Steve.

18 Carolyn, would you like to join us? This is Carolyn Treadway.

19 MS. TREADWAY: For more than two months I have been preparing
20 for this meeting, reading, studying and learning and discussing. And there is
21 something rather disheartening about having three minutes to speak of what my heart
22 is full of.

23 My name is Carolyn Treadway. I live in Normal, Illinois. I'm a
24 personal life coach, counselor, therapist and a pastoral counselor. I am greatly
25 appreciative of this opportunity to speak on behalf of what I value so very deeply, the

1 preciousness and sacred value of life on earth. I will do my very best to keep this to
2 three minutes. I don't know if I can.

3 I love this earth. I love this earth. And I know you do also. You love
4 the places, the species and your special people. Think of them now. Think of the
5 particular people you love the most and the particular places here in Clinton and in
6 Illinois and elsewhere that are so precious to you.

7 Image those special people. You may have children and
8 grandchildren like I. I wear my grandson's picture tonight speaking on his behalf and
9 on behalf of all the children of the world. Image your special people.

10 Deep in your heart, feel the longing for what you want for them, your
11 fervent wishes for their well being. We all want this for our descendants. Everyone of
12 us in this, we are united, truly united.

13 Now imagine what it would mean to you if this were lost. If that
14 precious child or grandchild or neighbor child looked at you with hollow eyes due to
15 leukemia or due to genetic malformation because radiation is carcinogenic. And
16 children are especially vulnerable. Radiation is also mutagenic. It changes our genes.
17

18 There could be an accident. There could be. There already have
19 been; Chernobyl and Three Mile Island. There have already been countless near
20 misses. So an accident could happen here to you and to me. And I disagree
21 completely with the idea that the environmental risk is small. It is potentially
22 catastrophic.

23 Illinois has 14 nuclear reactors; three are not operating. We thus
24 have more nuclear waste than any other state. Nuclear power is touted as safe, clean,
25 cheap and inexhaustible. It is none of these. Do not believe these myths. Instead you

1 can pick up Helen Caldicott's Nuclear Madness or you can pick up Gail Algreen's The
2 Woman Who Knew Too Much. Or you can look at the web site for our organization,
3 NoNewNukes.org and click on the link and find volumes of information.

4 A 1,000 megawatt reactor, the size of Clinton, generates 20 to 30
5 tons of high level radioactive waste per year. This waste contains byproducts of
6 nuclear fission, which nature does not. They are man-made. One of these products is
7 plutonium, the half life of which is 24,000 years.

8 Plutonium is so deadly that less than one millionth of one gram is
9 carcinogenic. 24,240 years, which is the lethal life, is 10,000 generations. What on
10 earth are we leaving our children? Are we even going to leave them an inhabitable
11 earth?

12 We keep generating more and more nuclear waste and yet there is
13 absolutely nowhere for it to go. Yucca Mountain is not safe. Dry casks are not safe.
14 Cooling pools right here in Clinton are not safe. And I'm sure that nuclear engineers
15 could differ with me. I am not a nuclear engineer. I'm a human being.

16 Right here in Clinton and in reactors the size of Clinton, in the cooling
17 pool sits spent fuel. The spent fuel is thousands and thousands of times more
18 radioactive when it's taken out of the reactor core than when it went in. In the cooling
19 pool there is the radioactive equivalent of one thousand Hiroshimas.

20 I have lived in Japan. I have been to Hiroshima many times. I have
21 witnessed with my own eyes the horrendous pictures of people running to the river with
22 their skin hanging from their bodies. I have seen the shadow on the granite where
23 there was a person sitting who was vaporized. And that was one small atom bomb
24 that we dropped. One thousand of that, one thousand times that radioactive power
25 sits over here.

1 MR. CAMERON: Carolyn, I hate to interrupt.

2 MS. TREADWAY: I will quickly end.

3 MR. CAMERON: Thank you.

4 MS. TREADWAY: We are at a pivotal moment this night. This is a
5 night of enormous opportunity because we are gathered here standing on a fine line
6 between past and future. Are we going backwards toward nuclear power plant
7 proliferation or will we right here in Clinton tonight have the courage and foresight to
8 turn the tide of history by saying no more to nuclear power until its long term effects,
9 long term effects on health can be fully understood and the nuclear waste riddle can
10 be solved.

11 Beginning right here tonight in Clinton, the NRC could step up to its
12 stated mission of protecting public health, safety and the environment instead of
13 clouding with a nuclear industry whose motive is profit, not safety. The NRC could act
14 for safety by closing down aging reactors, approving no new ones and taking
15 leadership in handling responsibly nuclear waste we have already created over 50,000
16 tons of high level waste.

17 And the NRC could develop and implement guidelines for ethical
18 management of radioactive materials as already proposed by Johanna Masey. If the
19 NRC would do this, it would be incredible. The opportunities here and now before us
20 tonight, we are the ones tonight who can take bold, new steps in a direction of safety,
21 morality and justice.

22 You can dismiss what I say but somewhere in your heart of hearts
23 you too know the huge difference between clean air and invisible nuclear pollution.
24 You will also know you do not want your own precious descendants to suffer the
25 burden and the fall out of our nuclear waste. 10,000 generations should not pay the

1 penalties so that you and I can have electricity today.

2 Stop. Listen. Listen within your own self just for a moment. One
3 moment, Chip. You know these things. Through my voice you can hear the sounds of
4 your own heart. You can also hear the voice of earth speaking for earth and for all
5 generations, I implore you, stop. Listen. Tune in. Wake up. Act now to preserve all
6 future beings while you still can. Thank you.

7 MR. CAMERON: I know we have Bruce Macking is coming up. I
8 know we have a lot of heartfelt and articulate and intelligent comments to hear tonight.
9 And I just apologize that we can't give you as long as you would need.

10 Bruce? Bruce Macking.

11 MR. MACKING: I will try to be brief. My name is Bruce Macking. I'm
12 here from Chicago. First of all, I'd like to say to the people of Clinton here, I
13 understand that you think this is a good idea, that the risk is acceptable and this is a
14 big part of your tax base. And if I was living here, that would be a much, much larger
15 part of what I would focus on and I appreciate that.

16 I have several concerns though. I'm not a fan of nuclear power, as
17 you probably can divine. My first concern I want to state here is as far as alternative
18 energy sources that the NRC has looked at here, I would say the most important one
19 that we have in this country is conservation, which is not much talked about and it's not
20 actually a technology. But look how refrigerators have improved in the last ten years.
21 Look at how air conditioners have gotten better. Look at how computer monitors use
22 much less power than they did.

23 You know, if the federal government subsidized, give tax credits for
24 people who didn't -- so you get rid of the oldest refrigerators, the oldest air
25 conditioners, the air conditioners is what produce the peak load, which is what these

1 nuclear power plants and other plants are designed to meet. They're designed to meet
2 the peak load. And if we had less inefficient air conditioners, that would be a huge
3 step forward. And this is something that's not a technology. But it's the equivalent of a
4 technology.

5 Of course, I appreciate that Exelon, they want to sell electricity.
6 That's where they make money. But for the rest of us, where are our needs best
7 served? That's one point I'd like to make.

8 I'd like to make another point about the cooling. And if there is a wet
9 cooling system for this, my concern is that is it going to be sufficient for like what we
10 might say is a worse case scenario, to cool both, what would be both units here at
11 Clinton.

12 We take our weather for granted. But the weather comes and goes
13 over the decades. I happen to believe that global warming seems to be a very likely
14 thing that's happening. I mean, it's not, a hundred percent of the scientists don't
15 agree, but there's a large and emerging consensus that do. I don't think that was
16 addressed in the NRC. And if global warming is true, then we are going to have more
17 droughts.

18 I mean, Arizona and California just came off of some major droughts.
19 They had some tons of rain in L.A. but before that, I mean, the water table had just
20 dropped and dropped and dropped. The reservoirs had dropped and dropped and
21 dropped. And that can very easily happen at this lake. And I don't think that's given
22 due consideration because we tend to think of, well, lately it's been hunky-dory and it
23 probably has. But, you know, we have to plan.

24 I think this planning has to go on. We have to think much farther in
25 the future than we're used to thinking. Those are my basic concerns. Thank you very

1 much.

2 MR. CAMERON: Okay, thank you, Bruce. We're going to go to
3 Laura Ekem, then Sandy Lindberg, then Harold Weinberg. Laura?

4 MS. EKEM: Hi, my name is Laura Ekem and I'm a resident of
5 LaSalle County, Illinois. I have a degree in electrical engineering from the University of
6 Wisconsin, Madison and I've worked in the nuclear industry for almost three years.

7 I'm also a member of the North American Young Generation of
8 Nuclear. NAYGN was formed in 1998 as an organization that unites young
9 professionals that share a personal conviction that nuclear science and technology
10 make an important and valuable contribution to our society.

11 One of the group's primary mission is public information. We believe
12 that public discourse often does not give fair play to the benefits of nuclear technology
13 or the truth about solutions, to safety and environmental concerns. As young nuclear
14 professionals, we are in a unique position to give balance to the issues and share our
15 firsthand knowledge and expertise with our friends, neighbors, elected officials and
16 media representatives.

17 As nuclear technology relates to electricity generation, we want to tell
18 everyone the success story that is nuclear power in our country. Nuclear energy is
19 safe, clean, reliable and is an important part of our balance energy mix.

20 Currently, nuclear power provides one fifth of our nation's electricity
21 and about 50 percent of Illinois's electricity. Nuclear electricity also has one of the
22 lowest productions cost per kilowatt hour.

23 Furthermore, NAYGN supports the ESP process and a means to
24 guarantee an open and thorough evaluation of future nuclear projects while ensuring
25 the timeliness and the predictability of the process. The environmental report of

1 Exelon's ESP application and the NRC's draft environmental impact statement
2 demonstrate in great deal what has become obvious in the area of increasing
3 concerns about global warming, air pollution, environments of protection and industrial
4 safety.

5 That is nuclear power has perhaps the smallest impact on
6 environment including water, land, habitat, species and air resources. And life cycle
7 emission analysis show that per kilowatt hour, the impact of nuclear electricity is
8 among the lowest of any electricity generation, including wind and solar.

9 So as nuclear professionals and concerned local citizens, we in
10 NAYGN concur with the NRC's conclusion that the environmental impacts would not
11 prevent an early site, will not prevent issuing an early site permit in the Clinton site.

12 To that end, we have with us today a petition with over 360
13 signatures collected in the last two days supporting Exelon's application.

14 MR. CAMERON: Okay, thank you. Thank you, Laura. Sandy?

15 MS. LINDBERG: My name is Sandra Lindberg. I live in
16 Bloomington, Illinois. Formerly I lived in Clinton. Two years ago the NRC and Exelon
17 announced the possibility of a second reactor in Clinton. I asked at a meeting much
18 like this one, how many protesters and how much critical information it would take to
19 stop this plan. I was told at that time that it didn't matter if there was one protester or a
20 thousand. This plant would be built as long as the NRC followed its regulations.

21 Two years have gone by. I've read and studied, including nuclear
22 engineering textbooks, which seem mostly intent on prolonging their industry. I've also
23 found the PhD's, physicians, epidemiologists not on the nuclear payroll whose
24 research I find more compelling.

25 I'm afraid to say that the experts in this room do not appeal to me much. Nor

1 does this sham of a process.

2 And here's the core of my complaint. On the NRC's web site they
3 proclaim their statement of purpose. They exist to safeguard the health, welfare and
4 safety of U.S. citizens. In fact, the NRC was created to end the abuses of its
5 predecessor, the AEC, which became a cheerleader for the civilian reactor rather than
6 its watch dog.

7 The spirit with which the NRC was created was a good one. It was
8 supposed to put citizen interests first. Unfortunately, the NRC has a bad habit of
9 forgetting why it was created. It's become a letter of the law commission. Current
10 NRC regulations are written to favor the nuclear industry, not U.S. Citizens.

11 For example, the early site permit process is not supposed to
12 examine radioactive waste issues or reactor design, not in detail anyway. The NRC
13 also refuses to analyze studies that challenge existing radiation standards, instead
14 trodding out its favorite pro-nuc studies without examining new data in a substantive
15 way.

16 These regulations stymie the NRC's ability to fulfill its mandate.
17 Approving generic designs in what they call the plant parameter envelope does not
18 protect the people in this room. The NRC's slavish adherence to its carefully
19 engineered regulations flies in the face of its mission statement.

20 A couple of thousand years ago, the importance of a law's spirit was
21 born in the Middle East. A very brave Jew dared to break holy laws. He healed a man
22 on the Sabbath. When he was criticized, he replied that he was observing the spirit of
23 the law. This idea has wound its way into our culture for the good, I believe. Martin
24 Luther King, Jr. and many U.S. Supreme Court Justices have campaigned spirit of the
25 law, condemning those who sought to wrap their injustice actions in the manitou or

1 letter of the law.

2 I demand that the NRC re-embrace the spirit of the laws that brought
3 it into existence. I insist they wait to give Exelon this early site permit until everyone in
4 this country knows if there is a truly viable way to handle radioactive waste. I insist
5 they go beyond their own regulations, which are minimum standards, after all, and
6 deny an ESP until Exelon reveals what kind of reactor it intends to build on Clinton
7 Lake.

8 I call for Exelon to pay for Clinton's school district shortfall caused by
9 the devaluation of the first reactor as a demonstration of good faith to this community
10 that Exelon promises to enrich with a second reactor. I cry out along with many other
11 scientists and activists that the time has come for the reactors to release for
12 independent scientific scrutiny, the radiation emission data that they have been
13 gathering for over 40 years.

14 And I insist that the NRC and Exelon fund independent, extensive,
15 epidemiological studies of Illinois populations and that these studies be those critical,
16 that they, in part, will be allowed feedback from those critical current radiation emission
17 standards.

18 Two more sentences.

19 If the NRC wants me to retract my characterization of this process as
20 a sham, then I want some proof that it is taking criticism of its process seriously. The
21 NRC must become a watch dog, not a lap dog of the nuclear industry.

22 MR. CAMERON: Thank you very much for those comments. Thank
23 you.

24 This is Harold Weinberg.

25 MR. WEINBERG: Harold Weinberg, resident of Clinton. I was

1 almost out the door.

2 I was living in Clinton since the beginning of the power plant and still
3 live in Clinton. As a result of the radiation that the power plant has put out, I've gotten
4 older, my hair has gotten whiter, there are lines in my face. And that's the result of the
5 radiation that's come about.

6 I ought to hear some snickering but I'm not getting it. I see a couple
7 of them.

8 When the last hearing was made at the Public Library in Clinton, I
9 simply asked the question are there more people in the country? Is the demand for
10 electric power still there? Has it increased? The answer to both of those questions is
11 yes. The population has increased and the demand for power has increased. This is
12 an opportunity to fulfill that need for power.

13 If you want to assume the worse, that there is going to be a radiation
14 accident, I challenge the people who were here from out of town. And I see them in
15 their automobiles out here. I resent the fact they've come into town and polluted our
16 air with their automobiles. What are you folks doing here? Why don't you go home?

17 MR. CAMERON: Okay, thank you, thank you, Harold.

18 We're going to go to Cheryl Lietz and then Corey Conn and Ken
19 Bjelland. I'm not sure how to pronounce that. Cheryl?

20 MS. LIETZ: My name is Cheryl Lietz. I live here in Clinton. I live
21 about five miles from the power plant. I have to say that personally I'm not crazy about
22 nuclear power but I am crazy about my air conditioning. And I am crazy about leaving
23 my lights on all the time. And I live in a world of huge consumption of power.

24 And because of that, we all need to have access to power. I
25 understand that there are risks. But there are risks to all kinds of power which we

1 need. I spent much of my life working with people with respiratory diseases. And I
2 can tell you there are a lot of complications and many issues surrounding fossil fuels.

3 So to assume that we're not living every day with some of our
4 consumption needs would be naive. For me, the community has been well served by
5 the power plant. And I personally would support moving on with this application.

6 MR. CAMERON: Thank you, Cheryl. We're going to go to Corey
7 Conn and then to Ken Bjelland. Corey?

8 MR. CONN: Good evening. My name is Corey Conn, C-o-r-e-y, last
9 name, C-o-n-n. I've come down from Chicago. And I wanted to observe that the
10 Commission has streamlined its process of developing the environmental impact
11 statements and has essentially declared that 69 of the 92 issues are the same for all
12 plants with similar features. And these issues are classified as Category 1.

13 And among these are human health. Yet this has become a very site
14 specific, it has become very site specific if only because this site, Clinton, brings the
15 applicant, Exelon Corporation, before you. And you must consider whether any
16 potential human health impact associated with living in proximity to their existing and
17 proposed reactors are being fully investigated and addressed.

18 And it should be of some assistance to the Commission that
19 Congressman Edward J. Markey, sitting on the Energy and Commerce Committee, a
20 ranking member of the sub-committee on telecommunications and the Internet, on the
21 Resources Committee and the select committee on Homeland Security did ask the
22 chairman, the NRC Chairman to us in a letter dated January 19 of this year for specific
23 information from the applicant.

24 And that, I just, in my time remaining, I would like to identify Item 7 in
25 Congressman Markey's letter asking that the commissioner to please provide copies of

1 all documents related to any unanticipated releases of tritium and/or radioactive
2 containments from the Exelon Corporation's Dresden, Braidwood and LaSalle stations
3 since 1990.

4 Please correct me if I am wrong, but my understanding is as of
5 yesterday's date, these documents have not been submitted by the applicant.

6 Thank you very much.

7 MR. CAMERON: Thank you, thank you, Corey. Ken? I know I've
8 mangled your name, so I'm curious to hear what it --

9 MR. BJELLAND: I'm Ken Bjelland and I'm representing the DeWitt
10 County Economic Development Committee. I also, as many of you know, work for
11 Farm Yuel. And when I moved down here, during my interview, I was asked if I had a
12 problem living close to a nuclear power plant.

13 Previously you saw on the map, Dresden, Braidwood and LaSalle
14 Plants. I lived in the middle of that triangle. So I obviously, you know, it may have
15 affected me a little bit but I don't think it was too bad.

16 On behalf of the Economic Development Committee, I just want to
17 say that we strongly support the Unit 2.

18 MR. CAMERON: Okay, thank you very much, Mr. Bjelland. We're
19 going to go to Nan Crang, then Michael Duerr and then Delores Pino. Is Nan here?
20 Oh, you want to give it back though.

21 MS. CRANG: I will. I'm Nan Crang. I'm a resident of DeWitt County
22 all my life. I've had a career here in DeWitt County all my life. I've raised a small
23 family here. I support Exelon. I salute nuclear power. And I think the permit should
24 be permitted. Thank you.

25 MR. CAMERON: Thank you. Thank you, Nan. Michael, Michael

1 Duerr.

2 MR. DUERR: Good evening. My name is Michael Duerr. This
3 procedure reminds me of a comment Otto von Bismarck made. He talked about how
4 he accommodated dissent. He said I let them say anything they like and I do anything
5 I like. Although now we're only allowed to say three minutes of that which we like.

6 First of all, I noticed in the draft environmental impact statement that
7 looking at temperature data, they took a period from 1972 to 1977 and used that as a
8 basis. This fails to account for global warming. I noticed in the section on severe
9 weather, you know, the baseline taken was 1950 to 2003. So at least we have some
10 of the recent era. But as the weather becomes increasingly unstable, we get much
11 greater highs and much greater lows and much more of the severe events such as the
12 tornados.

13 So, you know, I would very much hate to see one of those hit the
14 earthen dam and lose coolant or something like that.

15 Comments have been made about, in a statement about nuclear
16 being a good answer to global warming and being a cleaner source. It turns out that
17 much worse than the carbon dioxide that comes from fossil fuels, for example, are
18 chlorofluorocarbons. Most of the CFC114 released in the world comes in the nuclear
19 fuel cycle down in Paducka and Metropolis. So nuclear is not clean. CFC's have a
20 global warming potential on the order of 10,000 times more than carbon dioxide. So
21 five orders of magnitude. And there's tons of this stuff coming out every year just for
22 the nuclear fuel cycle. This is a huge problem and is not addressed in this document.

23 The other thing about the fuel cycle, if the plans of the industry and
24 the politicians they bought in their apparatchiks come to fruition and we have a nuclear
25 economy, there's only something on the order of 30 years worth of uranium.

1 So that makes no sense unless there's a plan afoot not fully
2 communicated to build breeder reactors and go to plutonium. And I think that's even
3 more horrible.

4 In a discussion on energy alternatives, it's been said that wind is not
5 viable because of its intermittent nature. Zion and Three Mile Island turned out not to
6 be particularly reliable. The life time capacity for all operating nuclear plants are far
7 short of hundred percent, even though those statistics allow and discount the off time
8 for refueling, which is an extended period of time.

9 The Dresden Plant had to shut down when there were cracks in the
10 turbine. They came very close to turbine missile scenario, which is a worse case
11 accident that's unresolved and there's no solution for that at this time. The LaSalle
12 Plant is operating much under its designed capacity yet along its EPU capacity
13 because of a piece of sheet metal that got loose and I guess is in an unknown location
14 and they're running at reduced power, I understand, until the next fueling cycle.

15 So it turns out the Commonwealth Edison's reactors and reactors in
16 general are much less reliable than we're led to believe. So I actually feel that wind
17 combined with the ability to wheel power across states is a much more reliable source
18 of energy than nuclear reactors. When we have a calm day it lasts a day not several
19 years, such as in the case of the Clinton shut down, actually, right? There was an
20 extended period of several years. From, what, '96 to '99 when it was shut down, which
21 enabled studies to be made determining that there was a huge increase in infant
22 mortality when that unit was brought back on line. We would expect to see another
23 increase in infant mortality if the second unit was brought on line.

24 So that's my comments. Thank you very much.

25 MR. CAMERON: Well, thank you, Michael. Delores, Delores Pino.

1 MS. PINO: Hello. I am a Board member of the Nuclear Energy
2 Information Service, a 23 year old nuclear energy watch dog in Evanston, Illinois.
3 We're very concerned about the health and safety, health effects and safety problems
4 with nuclear energy.

5 While we view our participation in these NRC hearings about Clinton
6 as necessary to preserve our standing in this process, we must almost point out how
7 utterly insufficient these hearings are, especially in the context of getting out of the box
8 of NRC and the nuclear industry mind set, inadequate and illusory regulations and
9 outright self fulfilling prophecies.

10 These proceedings simply fail to deal openly and sufficiently with issues that
11 the public, not just some distant NRC staffers view as important.

12 And I should say that these are the comments of Dave Kraft, the
13 Executive Director of the Nuclear Energy Information Service. I'm going to focus on
14 the concept of quality assurance. Quality assurance is not merely the presence of
15 standards that are both necessary and sufficient to protect the public and the
16 environment. Quality assurance also requires the active presence of credible
17 regulators. Agents willing to regulate assertively in the public interest and on the
18 public's behalf.

19 In this sense, the well documented historic record of the NRC's
20 catering to every conceivable whim of the nuclear industry leaves this process without
21 a credible agent. And by extension, quality assurance deficient. The safety issues
22 and quality of this process simply can't be assured given its lack of credibility. The
23 NRC's documented history includes systematically re-writing its public participation
24 process in ways that continuously weaken or make irrelevant public participation in
25 events like this meeting tonight.

1 Ignoring or persecuting whistleblowers and members at the NRC
2 staff with different professional opinions on issues of safety and security such as
3 resident inspectors at Illinois reactors in the 1980's and in Connecticut in the 1990's.
4 And security experts shortly before and after the 9-11 attacks.

5 Ignoring for nearly ten years, prior to the September 11th attacks,
6 the constant warnings and pleas to improve reactor safety from the public NGO's, like
7 the Nuclear Control Institute and the Committee to Bridge the Gap, whose warnings
8 were amply validated on 9-11. Yet, almost up to that fateful date, the NRC was
9 promulgating plans to permit the nuclear industry to defacto regulate itself on security
10 issues in spite of an operational history of failure.

11 Also, pretending to promote balance between the public's right to
12 know and participation in decisions on the one hand and security concerns on the
13 other. Yet for the first 30 days after September 11th, the NRC did absolutely nothing
14 to restrict the flow of information on the NRC web site. Then shut down the whole site
15 under the guise of security just before the critical votes in the Congress on nuclear
16 issues took place, which required access to critical information on the NRC web site.

17 Cherry picking the factual information provided on reactor safety and
18 security issues and dismissing what does not fit or worse, what outright embarrasses
19 the prevailing agency mind set, just as the U.S. Department of Energy has done and
20 continues to do at Yucca Mountain.

21 Violating its own questionably inadequate regulations by approving
22 construction permits for radioactive waste canisters before approving the actual
23 designs for those canisters. In two cases this resulted in accidents which members of
24 the public warned against but which the NRC dismissed as, quote, unlikely.

25 Continuing to insist that 9-11, like a tax on reactors and spent pools

1 using commercial jet liners are unrealistic scenarios. While integrations of al Quaida
2 operatives and other evidence from al Quaida have confirmed that reactors were and
3 presumably are indeed considered targets for such attacks.

4 And while professionals at the National Academy of Sciences state an attack
5 would be certainly no more difficult than the September 11th attacks.

6 We can go on with those examples. With this documented record,
7 the NRC is in no position to make quality assurance statements about the validity or
8 reliability in this or any other matter regarding nuclear power, waste or safety.

9 MR. CAMERON: And Delores, can you just hit the remaining main
10 points and we could perhaps have that for the record?

11 MS. DUERR: Sure. The NRC may retain the legal authority to do so
12 but has long ago forfeited its credibility. It can go through the motions of filing its
13 regulatory mandate by conducting hearings like this one tonight. But this will not add
14 one iota of legitimacy to either the process or the information promulgated. The
15 actions belie any claim to legitimate authority.

16 Because this legitimate authority, the authority to be legitimate must
17 be based on the cherished principles of this country of informed consent and a
18 democratic process. And the NRC's actions have eviscerated both largely to the
19 benefit of the nuclear industry.

20 So because we chose to participate in these hearings, while we know
21 that many people at the NRC do their jobs with the highest standards of operation and
22 integrity in mind, the overall agency mind set and agenda will thwart such attempts at
23 excellence every time.

24 You come to our home state of Illinois tonight to preside over a
25 process that will ultimately have real consequences for real people. We do not view it

1 as another dry statistical run. We are not data. We are not interested in satisfying
2 irrelevant or inadequate regulatory requirements. We're here to address the bottom
3 line as it will affect us.

4 We understand that the consequences debated in this room in
5 certain terrible situations could have survival implications for us all. From now on, we
6 will respond to this process with our citizen efforts in a manner commensurate with its
7 effects on the survival and well being of our people and our communities.

8 Thank you.

9 MR. CAMERON: Okay, thank you. Could we have Darren Black,
10 Mark Sterr, Roy Treadway? Darren Black? And how about Mark Sterr? Okay. Roy
11 Treadway? Oh, who do we have here?

12 MR. BLACK: Hi, my name is Darren Black. And I'd just like to first
13 start by thanking Exelon for all the stuff that they've given our communities; our
14 schools, our equipment for our fire departments; our educational stuff for our children.
15 They sponsor our ball teams. They sponsor all of those items.

16 What is the alternative if we don't get this? Well, I mean, our
17 community, things, businesses just keep leaving and leaving. There is nothing. There
18 isn't. We need this. We have to stand together in this community and take this risk.

19 Thank you.

20 MR. CAMERON: Thank you. And I think Darren, you're with the fire
21 department, right?

22 MR. BLACK: Yes.

23 MR. CAMERON: Yes, sir, come on up. Mr. Treadway?

24 MR. TREADWAY: I'm Roy Treadway, a professor emeritus from
25 Illinois State University in Normal, a demographer and statistician by training. And I

1 was involved in making some of the population projections used in this report.

2 So I looked at the projections to see how they were used. And I find
3 many problems with them, particularly in how they extrapolate to 2026 for no reason or
4 purpose that I can see. And I just hope the rest of the report is done better than what I
5 see in the demographic parts of the report.

6 Many of the problems that I see in the report have already been
7 discussed tonight. So I will be brief and move over them. I think it's very clear that
8 one of the differences of opinion on, from different sides is how important a problem or
9 catastrophe with the nuclear explosion or nuclear radiation is. And those of you who
10 are willing to live with the risks, that is your choice. To me, those risks are
11 considerable and would be catastrophic if there was an accident.

12 The report says the probabilities are small. I think the risks are very high.

13 A major problem that I see with the report is that I didn't see anything
14 in there on how the radiation waste would be taken care of. It assumes that the Yucca
15 Mountain will or something alternative to it, will take place. I just don't think that's a
16 certainty. I think these wastes will remain in Clinton for over 100,000 or maybe more
17 years with all the potential radiation leakage, drainage, water problems and so on.

18 And for that reason I think the report is defective and should be
19 rejected.

20 MR. CAMERON: Thank you, Mr. Treadway. Mr. Mark Hannon and
21 then Shannon Fisk and then Gregg Brown. Is Mr. Hannon here? Still here? Okay.
22 Mr. Shannon Fisk.

23 MR. FISK: Hello, I'm Shannon Fisk. I'm a staff attorney at the
24 Environmental Law and Policy Center. We will be planning to file more substantive
25 comments at a later date but for now I wanted to address two fundamental flaws that

1 we see in the draft EIS. The first is that the draft EIS fails to give a reasonable and
2 objective analysis of alternatives. The draft EIS essentially defers blindly to first to
3 Exelon's stated purpose of creating new base load power.

4 The sensible question that the law requires to be asked here instead
5 is how should we meet our future energy needs? And we believe that alternatives
6 such as wind and solar power, energy efficiency in combination with natural gas and
7 clean coal technology is a more sensible and preferable way to meet our future energy
8 needs in new nuclear power.

9 In particular, there would be four major benefits. First, wind, solar
10 and energy efficiencies have very little to no environmental impacts, which in contrast
11 nuclear power creates significant human health, radiation, land use, air and water
12 quality impacts from the mining and enrichment of uranium, the operation of the plant,
13 the transportation of nuclear waste and then the storage of high level nuclear waste for
14 tens of thousands of years. The draft EIS, unfortunately, down plays or entirely
15 ignores these impacts.

16 Secondly, on the issue of cost, wind, natural gas and energy
17 efficiency efforts can meet future energy needs at a cost of approximately three to six
18 cents per kilowatt hour. Credible estimates of nuclear power cost are much higher and
19 history has shown are often underestimated. And, in fact, the U.S. Department of
20 Energy, its most recent energy outlook states that new nuclear power plants, quote,
21 are not expected to be economical. It's pretty clear that the government itself
22 considers new nuclear power not economical.

23 Third, a combination of alternatives is better for the reliability. Rather
24 than having a single source it will shut down, like the Clinton plant did, if you have wind
25 farm, solar, natural gas and energy efficiency distributed throughout the state, it's

1 better for reliability.

2 And then fourth, alternative energy sources can be great for the
3 economy. Wind turbines are a cash crop for farmers as they can place them in the
4 middle of their farms and they're perfectly capable with growing crops right around
5 them.

6 We just believe that the draft EIS fails to objectively analyze these
7 alternatives.

8 Secondly and just briefly, I wanted to touch on another reason why a
9 proposed nuclear power plant is a bad idea is that there is no way designs currently to
10 permanently store the waste created by the plant. Nuclear power creates radioactive
11 waste that must be stored for tens of thousands of years. Yet there is currently no
12 repository for storing this waste. And we believe building a nuclear power plant without
13 having a way to dispose of the waste is similar to building a house without a toilet. It
14 just doesn't make sense.

15 The draft EIS tries to dodge this by relying on a waste confidence
16 rule. It says there will be a site but the only site under consideration, Yucca Mountain,
17 has been delayed for decades and it couldn't open till at least 2015, most likely, and
18 most importantly, wouldn't even have capacity to store the waste from the existing
19 plants much less from a new plant.

20 So a whole new repository would be needed. And clearly there's no
21 plans on the table for creating such a repository. So for those two reasons we believe
22 that the early site permit should be denied.

23 MR. CAMERON: Mr. Gregg Brown?

24 MR. BROWN: Okay, for those of you who are still here, thank you
25 for coming and being a part of this. This is democracy at work. This is really important

1 and it's really important that we take a look at this and think about this very seriously.

2 So this is serious and I see serious faces. So that's a good thing.

3 I want to say that I'm not a scientist myself, but I've been looking at
4 this really hard. And one thing I can see is or I believe I can see is that the scientist
5 are on our side, and I'm obviously opposed to nuclear power, the scientists on our side
6 are the equal to the scientists on the other side, in all possible ways except the
7 scientists on our side don't have the same, cannot get the same connection to the
8 money in the power structure.

9 So that's the difference. But the two sides have very different points
10 of view. But I would ask you, those of you who are so sure that this is safe and this is
11 green and this is clean and this is the right thing to at least be willing to listen to the
12 other side. The scientists, some of the people that I know who are working so hard on
13 this, they're working out of their own time, they're working out of their own pockets.
14 They're working because they believe in this. And that says something to me about
15 the quality of what they, why they would say what they would say. So I would ask you
16 to consider it very carefully.

17 I want to read a couple of statements from real scientists, real health
18 professionals about this that just have torn me up the last few days and gives me
19 nightmares and make me difficult to live with. But I want you all to understand this
20 because it's important to all of us.

21 So from 1999 to 2003, the radiation and public health project studied
22 environmental radiation from nuclear reactors in childhood cancer in southeastern
23 Florida. The latest baby teeth study report issued in 2003 concluded that, I know it's
24 hard to understand like this, just from hearing it but try to grasp this. Here's what the
25 study concluded. Exposure to radioactive releases from nuclear reactors is a

1 significant factor in increasing childhood cancer and other adverse effects in southeast
2 Florida.

3 The report also found that radioactive levels are significantly higher
4 in the teeth of children with cancer than in teeth of healthy children. That difference
5 cannot be underestimated. That difference should be something we all should think
6 very, very carefully about.

7 Dr. Samuel S. Epstein, a physician and professor of environmental
8 and occupational medicine at the University of Illinois in Chicago said it is now critical
9 to recognize that radioactive emissions from commercial nuclear power plants propose
10 a grave threat to public health in southeast Florida and throughout the nation.

11 Now, as we were told earlier, the admission was made that the
12 reactor releases small, quote, unquote, small amounts of nuclear radioactive material.
13 Well, think about that. A small release. Sounds reasonable. Maybe harmless,
14 maybe. But another small release and another and another and another. It's the
15 cumulative over and over and over again. That's the problem. If it was one small
16 release and only that, it would be different. But the cumulative impact of many small
17 releases builds up.

18 To what extent? Here's one more quote. Dr. Rosaley Purstel, an
19 epidemiologist who's been studying effects of low level ionizing radiation for decades.
20 She writes this. We know now that radiation exposure to one generation induces
21 genomic instability in offspring. Induces genomic instability in offspring.

22 What does that mean? It induces instability in our genetic coding.
23 What is the most important thing in the world? Maybe our generic coding that allows
24 us to be human and for humanity to be passed on from generation to generation. To
25 induce instability in the genetic coding. It's a crime against creation to be taken very

1 seriously.

2 And I want to close it with a good thing. There's going to be a
3 Sustainable Living Fair in Bloomington-Normal at Illinois Wesleyan University this
4 weekend. It includes very important issues; renewable energy, green build, organic
5 farming, land loose, healthy living. Come to the Shirk Center at Wesleyan. We've got
6 fliers over here. Friday and Saturday, this coming Friday and Saturday. These issues
7 will be talked about. It'll be a chance to learn about these things.

8 We can put together, we can put this together that let's us have our
9 future. Please come, please come and be a part of this. Please come and meet some
10 good people. Make some connections. Gather some information. And let's make this
11 a real success. Come to Bloomington this weekend and be a part of this.

12 Thank you very much.

13 MR. CAMERON: Okay, thank you, Gregg. We're going to go to
14 Kelly. Kelly Taylor and then Roger Blomquist. And then were going to go to Amy
15 Butterworth and Paul Huckelberry. And this is Kelly Taylor.

16 MS. TAYLOR: Good evening. My name is Kelly Taylor and I live in
17 Virginia. I came here tonight for my own benefit to hear you all speak. So I apologize
18 for taking your time. I'll try not to take too much of it.

19 I have heard many sides of this issue just today. And I applaud you
20 all for coming out to learn and to speak on an issue that you care about. I heard at a
21 press conference earlier today passionate and involved people extol the virtues of
22 diverse, renewable, sustainable energy supplies.

23 In many cases I applaud the spirit of their intent. I look forward to
24 more reliance on solar, wind, geothermal and other renewable energy sources. But we
25 need both. Nuclear can continue to reduce emissions by fueling a conversion to a

1 hydrogen economy. Renewables can't do that.

2 But since you're here clearly seeking more information, I would also
3 have you consider the following information in support of why I believe nuclear power
4 is clean, safe and a reliable source of base load energy generation. Nuclear life cycle
5 emission factors of greenhouse gases ranks below solar cells, hydro power, biomass
6 and wind power. This includes the releases from the mining and from the
7 reprocessing and the enrichment processes.

8 Furthermore, the technology is available now to use different
9 enrichment processes that have even lower greenhouse gas releases using centrifuge
10 technology instead of gas diffusion technology. Nuclear is significantly lower in cost
11 than many of the alternatives. You can support a cleaner environment and limit your
12 growing power bills.

13 Production cost for nuclear including paying construction, operation,
14 decommissioning and waste disposal costs and still it is cheaper than coal, natural gas
15 or wind power, none of which includes their full life cycle costs.

16 Also bear in mind that when you're comparing alternative energy
17 sources, a thousand megawatts of wind power does not equal or replace a thousand
18 megawatts of nuclear power. There is an issue of capacity factor. How often nuclear
19 energy is available versus how often the wind energy is available. The wind capacity
20 factor best worldwide is about 35 percent. And nuclear on average right now runs
21 about 92 percent.

22 So if you have a thousand megawatts of nuclear 92 percent of the
23 time, you can count on that power being available instead of one third of the time or
24 less if you have less than ideal conditions for a thousand megawatts of wind power.

25 I won't take much more of your time although there is much more

1 that I'd like to share you with. But I encourage you not to accept claims or even facts
2 about any of the alternatives out of context to make sure you evaluate both sides of
3 the story within the context that's available. Thank you.

4 MR. CAMERON: Thank you, Kelly. We're going to go to Mr.
5 Blomquist.

6 MR. BLOMQUIST: Hi, I'm Roger Blomquist. I promise not to use all
7 of my three minutes. I have a little experience with nuclear as a former Naval Officer
8 so I've been involved in reactor operations. And I don't work for Exelon, by the way.

9 There are just a couple of factual errors that I wanted to clear up,
10 one of which was addressed by the immediately preceding speaker, plant available
11 compared with wind. And basically over the last several years, across the United
12 States nuclear plant availabilities have been about 90 percent. So 90 percent of the
13 time these plants have been operating and operating more or less at full power.

14 Obviously there are exceptions. There are plants that have to shut
15 down to refuel and occasionally there need to be some repairs made. But 90 percent
16 is a pretty fair number.

17 The second thing I'd like to point out is several people have asserted
18 that the NRC is a lap dog of the industry. Now, I'm sure the NRC is not perfect but
19 that's when you saw the flow chart up here in this review process, it had loops or
20 repetitions or extra steps for corrections and environmental impact statements and so
21 forth. So they understand that they're not perfect and that's why they ask for input and
22 comment and so forth.

23 Furthermore, if the NRC were the lap dog of industry, I'm very puzzled by the
24 fact that the Clinton power station was shut down for three years. I think the NRC had
25 something to do with that. So I don't think we need to worry too much with the NRC

1 doing the beck and call of the industry.

2 And lastly there was a mention of nuclear explosion. And I noticed
3 all T.V. shows on nuclear energy open with a mushroom cloud. That's nonsense. We
4 have national labs like Los Alamos and Livermore who spent big bucks designing
5 things that will explode, okay? It takes that much expertise and effort. Nuclear plants
6 don't do that. The fuel is a ceramic, a little bit like floor tile in your bathroom. It's kept
7 pretty much chemically inert and it sits in cans. And when it's removed from the
8 reactor, it's placed in other cans and stored.

9 So, it's exactly what you would imagine doing if you wanted to design
10 such a system yourself. So, thank you.

11 MR. CAMERON: Okay, thank you; thank you, Mr. Blomquist. Amy,
12 Amy Butterworth and then we're going to go to Paul Huckelberry.

13 MS. BUTTERWORTH: Okay. I've kind have been writing
14 ferociously and my handwriting's a little messed up. But I'll try to be as quick as
15 possible. I think what has just been recently said about hydrogen really emphasizes
16 the point of the no new nukes movement and moving away from nuclear power.

17 I want to go back, and by this I mean the uranium cartel we have,
18 these sorts of things. All you're going to do is switch it with water. Water's not, not
19 renewable, not a renewable resource.

20 And the issue, I think, really goes back to that issue of environmental
21 justice that I questioned the NRC about earlier. And I'd like to first request again that
22 the NRC look at the People of Caucus Deceleration of Environmental Justice, which
23 really is the guiding document for the environmental justice movement.

24 And I think the people of Clinton are well aware of economic injustice
25 and are affected by it. And economic and environmental injustice are interrelated.

1 They are not mutually exclusive. And I think that the NRC, I think it's a fact that the
2 NRC knows what environmental justice is and what the real definition of environmental
3 justice is otherwise they wouldn't have taken it out of their list of environmental
4 contentions in 2004.

5 That's just absolutely inexcusable that the Nuclear Regulatory
6 Commission would do that. So I would really like you guys to look back at that
7 because environmental justice is important. And I think it's really indicative that the
8 NRC being basically an unjust organization and not a true clinical independent
9 organization because an independent organization would look into the effects on the
10 environment that is all encompassing; the physical, the economical, the political, the
11 social aspects. That's environmental justice.

12 And I want to emphasize to move away from environmental injustice
13 you need to have sustainable community development. And in order to do this
14 everyone has to get involved in it. And I think it's up to the people in Illinois to really
15 support economical and sustainable energy development. To demand that Exelon
16 create wind farms. If it's not feasible, of course, I mean, of course, it's not going to be
17 feasible where they put the plant. I mean, anyone can say that. So you find a place
18 where it is feasible.

19 And if not, then you go to an area in DeWitt, in Clinton where you
20 can develop wind, solar, biomass, all of these. And also I want everyone to seriously
21 think about the connection between Exelon sponsoring your schools, sports teams,
22 between Exelon sponsoring your education system. Why does Exelon have to do
23 this? Why can't you have public funding? Why aren't there public funds to do it?

24 Well, because Exelon manipulated the tax base. Exelon over the
25 past 30 years has created a dependency of people in Clinton on the corporation. And

1 now we can't envision anything else, right? Like, please save us, Exelon, right?
2 Exelon's great for the community. But I don't think, I don't think it has to be this way.
3 And I think that it's up to people in Illinois, the residents of Clinton to really demand that
4 their leaders, that the corporations are held accountable and start developing
5 sustainable development.

6 And I want everyone to listen to Phil Huckelberry's statement tonight
7 and read his vision for Central Illinois because that is really positive and empowering
8 and that will really speak to what we can do. It's possible. It's just that we have to do
9 it. It's hard and a lot of things that are worth it aren't easy, so.

10 Thank you.

11 MR. CAMERON: Thank you, Amy. Go to Phil. Phil, I'm sorry, I
12 keep calling you Paul. Phil Huckelberry and then we're going to go to Patricia Swarts.
13 And this is Phil Huckelberry.

14 MR. HUCKELBERRY: Hi, my name is Phil Huckelberry. I'm the
15 Chair of the McClain County Green Party. I'm also co-chair of the Illinois Green Party.

16 I understand that the community does have a need. One speaker
17 that came up here spoke about how important it was to get a nuclear plant. And I also
18 understand that one of the reasons for this need is because you have an existing
19 nuclear reactor that costs \$4.4 billion in construction that is now valued at \$100 million
20 because Exelon has pushed and pushed for devaluation.

21 I don't even think 78 Ford Pintos devalue quite that poorly even if it's not
22 running.

23 But the current Clinton reactor is running. And it's running quite well
24 in terms of reactors running. And I find it pretty offensive that it would be devalued like
25 that. I know two weeks ago this community voted down a school referendum. I

1 certainly wouldn't dispute that. I understand that you feel that that wasn't necessary.
2 But probably this wouldn't have happened at all had Exelon actually treated you fairly
3 and not try to take money away when they still got the same reactor turning out just
4 like it was.

5 So I want to talk about alternatives. And I do have a statement. I'm
6 not going to read the whole thing because there's no way near enough time. But if
7 you're in the Chamber of Commerce here in DeWitt County, if you're on the Farm
8 Bureau, if you're involved in any such organization, we're not coming down here.
9 We're not coming up here to be nay sayers. We have actual visions for what you can
10 do in your community.

11 It involves wind. There's a wind farm going in, in Arrowsmith that's
12 not too far that will employ many people from this community. You have wind
13 resources here in DeWitt County. There's also other resources available. And I
14 recommend that you look into that.

15 What I want to close with is something that I think is very important, it
16 really needs to be addressed. And I have to use an analogy for this. A couple of
17 years ago everyone should remember that there was quite a scare in this part of the
18 state and this part of the country about West Niles Virus. We all know where West
19 Niles Virus comes from. You can track it by being bitten by a mosquito.

20 If you catch West Nile, you know you have West Nile because you can go to
21 the doctor and figure it out.

22 Not everyone in this room contracted West Nile but that doesn't
23 mean that it was an insignificant thing. If you've lived in this community your entire life,
24 and I know that many of you have and I know this is something you think about quite a
25 bit. Just because you live in this community where West Nile existed, doesn't mean

1 you contracted it. That doesn't mean that people that you know didn't. That doesn't
2 mean that you couldn't have.

3 It's the exact same way with the effects of radiation from the existing
4 nuclear plant. The reality is we have numbers that demonstrate that there is a higher
5 incidence of infant mortality in DeWitt, Hyatt and Champaign Counties when Clinton
6 No. 1 is in operation than when Clinton No. 1 was not in operation, when it was closed
7 down in the late '90's.

8 We can't epidemiologically prove that the reactor causes a higher
9 incidence of infant mortality. But I've seen the numbers and I believe it. I can't prove
10 to you tonight that there is a God. But I believe that there is. The same way that I
11 believe that those numbers are accurate and that that nuclear reactor has caused the
12 death of infants in your county. And I think that that's a serious enough thing to give
13 you pause not only about the construction of a new reactor but to seriously think that
14 maybe it's time to shut that one down.

15 Thank you.

16 MR. CAMERON: Thank you, thank you. And we're going to go to
17 Patricia Swarts right now and then Mr. Horn and Michael Stuart. Patricia?

18 MS. SWARTS: My name is Patricia Swarts and I'm currently the
19 exalted leader of the Clinton Elks Lodge here in Clinton.

20 On behalf of myself and as a spokesman for the Clinton Elks, we
21 support the construction of a second nuclear generating unit at the Clinton power
22 station. We appreciate the support and concern of Exelon and the Clinton power
23 station and look forward to a long relationship.

24 Thank you.

25 MR. CAMERON: Okay, thank you. Thank you, Patricia.

1 We'll go to Delbert and then to Michael Stuart. And then we're going
2 to go to Paul Gunter and Brenda Hoffman. This is Delbert Horn.

3 MR. HORN: Hello. I'd like to make a quick detour real quick and
4 address the misconception about hydrogen and water not being renewable.

5 Just real quick. You start with water. You add energy and you split it
6 into hydrogen and oxygen. You put those into a fuel cell. What comes out? Energy
7 and water. How perfectly renewable is that?

8 Okay. I have an allegory for you tonight related to nuclear power.
9 Like many of you, gas prices in the economy have me thinking about the new
10 generation of hybrid vehicles. Let's say as a college student you do your homework
11 and you decide that a hybrid car is the way to go. So over spring break with the whole
12 family at the dinner table, you announce that you've applied for a permit to buy a new
13 hybrid vehicle.

14 Immediately your mother says, they're too dangerous. And again
15 brings up that horrible accident in Pennsylvania. You remind her that it was 25 years
16 ago and no one got hurt. The driver shut off the back up cooling, the engine over
17 heated and was ruined. But the car's safety systems worked and the damage was
18 confined to under the hood.

19 You tell her that there were 103 other hybrids in operation still today,
20 11 in your own neighborhood. They all have upgraded instrumentation and every
21 driver is trained not to shut off the back up cooling system. This new generation of
22 hybrids are safer than ever and they're so much better for the environment than
23 regular cars. But she's still worried. She always be. She's your mother.

24 Now, your sister, the economics major, says that they're heavily
25 subsidized and it's just too expensive, that you'd be better off with a regular car. But

1 you know that it's worth paying more money for an environmentally friendly car with
2 rising fuel costs and rumors of a carbon tax. It's only a matter of time before hybrids
3 cost the same or less to buy and operate than a regular car. Your sister always
4 focused on the moment and was never one to plan ahead.

5 Your brother, the environmentalist, he applauds your desire to
6 reduce pollution. But he reminds you that hybrids use lead and cadmium batteries that
7 you'll have to replace frequently. And you'd be generating waste that's deadly for a
8 million years. He's cynical about the government's storage facility for used batteries.
9 He says it's unsafe and it may never open. You tell him that even if you have to store
10 the used batteries yourself, that driving a hybrid is still better for the environment. The
11 lead and cadmium is in stable solid form. It's in thick sealed cases and it's not going
12 anywhere until the government can eventually take your batteries.

13 They even recycle batteries in Britain, France and Japan. And we'll
14 still have that option one day if we decide to use it. You point out to your brother that
15 it's not deadly waste if it can be stored safely and 95 percent of it can be reused.

16 Finally, your grandmother says, we're just too wasteful of our
17 resources these days, that we don't really need cars at all, fossil fuel or hybrid. She
18 tells you that she went to work or school. She walked or rode her bike. These
19 alternative forms of transportation were free and they had no impact on the
20 environment at all.

21 You explain that our generation travels a lot more than hers did and
22 that you would still walk or ride your bike for short trips. But you need an all weather,
23 reliable form of transportation that you can use every day. You like to drive at night
24 after the sun goes down. You like an air conditioned car on those sweltering hot
25 summer days when the wind isn't blowing at all.

1 You have nothing against walking or riding bikes, but you will need a
2 car and the hybrid has the least environmental impact of cars available today.

3 As you finish dinner with your family you think about how unique they
4 all are. They're each shaped by different life experiences and this affects the way they
5 reacted to your announcement. While their reactions are heartfelt, you've done the
6 research. You know the facts. And you know that it's the right thing to do for the
7 future of our planet. Your children and your grandchildren will know that and they will
8 thank you too.

9 Thank you for your time.

10 MR. CAMERON: Thank you very much, Delbert. We're going to,
11 Sydney Baiman has been waiting to speak and we're going to ask her to come up right
12 now. And then we're going to go to Michael Stuart; Michael and Paul Gunter and
13 Brenda Hoffman. Sydney?

14 Apparently there are some people who signed up in advance who did
15 not also fill out a yellow card and I apologize for any confusion. But if there's anybody
16 here who signed up in advance that did not fill out a yellow card, please see me so that
17 I can get you on.

18 This is Sydney Baiman. Sydney?

19 MS. BAIMAN: I think that what's happening is that we're getting lost
20 and sort of daydreaming. I think we have to look at the history of this technology and
21 look at all the accidents that have occurred for the last 50 years starting with Chalk
22 River in Canada, Browns Ferry, Indian Point, Three Mile Island. Many accidents in
23 Russia.

24 There have been so many accidents all over the world, in Brazil, with
25 waste. Now it would take me about 20 minutes to list all the world-wide cast nuclear

1 accidents. And here we are down here next to a nuclear power plant. Right now this
2 place is quite contaminated. There's a lot of radiation coming out of that plant,
3 especially the older they get.

4 And nuclear, if Illinois was a country, we are fifth in line as being the
5 most nuclear country in the world because we have 14 nuclear power plants, two aren't
6 operating or 13. But still they have the waste; Zion 1 and 2. And now you want to
7 create another power plant? Are you immune to the fact that this state could have an
8 accident? I mean, you've had lots of accidents but they haven't been reported.

9 Everybody talks about Indian Point. They've had lots of accidents.
10 Every time Indian Point -- do you know where Indian Point is? I'm sure you've heard
11 about it. Why? Because it's in New York City. And why has everybody heard about
12 Indian Point? Because due to 9-11, what if the planes had crashed into Indian Point?
13 Also, they have a lot of activists in the area, including the politicians, including the
14 media helps report.

15 Here the media doesn't report anything. They keep us totally in the
16 dark. The only way you're going to find out about what's happening to these reactors
17 is to talk to David Lochbaum, a nuclear safety engineer from the Union of Concerned
18 Scientists. Says that if nuclear reactors prove too expensive to operate and too costly
19 to shut down, we could have an economic recipe for a nuclear disaster like Three Mile
20 Island.

21 He also says that a typical nuclear power plant consists of 100 ton
22 mix of uranium and plutonium fuel. I got into this in 1978 out in California. I went to a
23 protest of Diablo Canyon. And this Chinese girl said, didn't you know a nuclear power
24 plant is a silent bomb? And she turned me on in 1978 out in California. Ever since
25 then I've been an anti-nuclear person.

1 If this radioactivity is not controlled, long lasting hazardous
2 radioactive materials, such as strontianite, Cesium 132, Cesium 134, Strontium 80,
3 Strontium 90, Lanthanum 132, Barium 140, Zirconium 95, Molybdenum 90, Ruthenium
4 103 and 106, Neptunium 239, Plutonium 238 and 240, Cobalt and not to mention
5 Iodine 131, which affects the thyroid glands of the children.

6 Now let's get back to Chernobyl, okay? What happened with
7 Chernobyl? What happened to Belarus? Did you know that the thyroid has gone up
8 500 percent, which every other child has a thyroid problem in Belarus? That they have
9 to have these horrible operations? Even main media, even the doctors admit that the
10 Iodine 131 has affected the thyroid in most children in Belarus.

11 Now the areas with plutonium contamination will be radioactive for
12 infinity. The half life of plutonium is 24,000 years. There is no access to clean food.
13 People still till their fields, herd their cattle, eat the produce of vegetables, milk and
14 meat. 432 towns in Belarus are heavily contaminated. I could go on and on about
15 what's happening in Russia. I know I haven't got much time.

16 But still today, and it's going to go on for the next hundred years
17 because the food is so contaminated and the whole agricultural belt that in the summer
18 when they bring in the food in little boxes, they test it with a radioactive Geiger counter.
19 So the food is tested in the market in Moscow today, every summer, with a radioactive
20 Geiger counter. Okay? And this is going to go on forever.

21 What does nuclear power do? It makes sacrificial zones for 24,000
22 years. That's 5,000 generations literally making people take care of the waste for
23 5,000 generations ahead. Now this is a very evil carcinogenic technology and every
24 plant should be shut down now immediately at once. And we shouldn't even be
25 considering building another plant. The waste problem isn't solved.

1 I'm sorry I haven't got much more time but I want to say one more
2 thing. There's a radioactive powder milk. Now what happened? Ireland got
3 contaminated from Chernobyl and from Selfield. Winscale, they had to change the
4 name. That's another plant and dumps everything into the Irish Sea. That's why the
5 Irish are so anti-nuke because they consider Selfield over in Encompa like their
6 Chernobyl.

7 They have a lot of cows and they produce a lot of milk. What
8 happened after the accident, this milk became radioactive --

9 MR. CAMERON: And Sydney, can you wrap up?

10 MS. BAIMAN: Just one minute, damn it. I'm just at the punch line
11 and he cuts me off. Now what happened is, politicians in Mexico made a deal in Cuba
12 to buy this powder milk from Ireland. So in Mexico all the milk products are made with
13 contaminated powdered milk for Chernobyl. Now this food moves around the globe,
14 okay?

15 I'll end there.

16 MR. CAMERON: Okay, thank you. Thank you, Sydney.

17 Now we have Michael, Michael Stuart and then Paul Gunter and then
18 Brenda Hoffman.

19 MR. STUART: I only have one page. I'll make it quick.

20 My name is Michael Stuart. I'm a member of Nuclear Professional
21 Organizations including American Nuclear Society and the North American Young
22 Generation of Nuclear. I've also been a worker in the nuclear industry for 15 years.

23 But I'm not here representing a power company or an organization.
24 I'm sure that the last thing you need is some outsider to come in and tell you what's
25 best for the citizens of this area. I stand before you tonight as a citizen of this country

1 who cares about this country's future, both the economy and especially the
2 environment.

3 While I'm sure you recognize the significant economical benefits of
4 Clinton station and the good corporate citizenship, I'm not so sure that you realize the
5 positive environmental impact that Clinton has already provided. But before I mention
6 them I have some bad news and some worse news.

7 The bad news is we have an energy crisis in this country and in the
8 world. Measurable climate change has occurred as a result of our desire for energy.
9 Each year brings more people, more cars, more pollution and even worse effects on
10 our environment.

11 The worse news is the projections indicate that the demand for
12 energy in the United States will increase by about 50 percent in the next 15 years.
13 And by 2040, the world's energy use will double. Under the current trends, this is very
14 bad news indeed.

15 To combat this, we need all forms of non-polluting energy supplies in
16 this country. We will need renewable energy sources such as wind and solar. But
17 these are not enough to meet all of our future energy needs. Coal is plentiful and
18 cheap and will no doubt play a part in our energy future. But in light of this crisis we
19 cannot eliminate an energy with one of the smallest environmental footprints.

20 Will there be an environmental impact from the use of nuclear power
21 in this country? The answer is most definitely yes. There will be a profound
22 environmental impact. In Illinois alone, in the year 2003, 50 percent of the energy that
23 was generated was provided by nuclear power. This means that nuclear power
24 avoided the emission of over 150,000 metric tons of nitroxide, 400,000 tons of sulfur
25 dioxide and nearly 100 million tons of carbon dioxide. That's in Illinois in one year

1 alone.

2 Imagine the pollution savings that nuclear power has provided in the
3 last 40 years. And spent nuclear fuel can hardly be considered waste when 95 percent
4 of it can be recycled as fuel for future reactors. When considering these facts it is
5 easy to see while several environmental leaders, including Green Peace founder
6 Patrick Moore, have come out in support of nuclear energy.

7 And that is why I applaud Exelon for being a pioneer and taking this
8 step toward a proven, safe, clean and reliable and important part of the future energy
9 mix of this country.

10 Thank you.

11 MR. CAMERON: Thank you very much, Michael. Next we have Mr.
12 Paul Gunter.

13 MR. GUNTER: My name is Paul Gunter. I'm Director of the Reactor
14 Watch Dog Project for Nuclear Information and Resource Service in Washington, D.C.
15 We are one of the intervenors before the NRC Atomic Safety and Licensing Board on
16 the Clinton ESP.

17 And I'd like to take a few minutes that we have tonight to address the
18 nuclear waste issue. In particular, the NRC draft environmental impact statement has
19 trivialized the harmful environmental impacts of both the current and new nuclear
20 waste generation with the proposed expansion of the Clinton site.

21 The NRC staff has concluded that the environmental impacts of the
22 radioactive waste is small and they interpret that as the effects are not detectable. In
23 the same time, the EIS states that the staff acknowledges that there is uncertainty with
24 respect to off site releases of radiation from Yucca Mountain, Nevada, should that be
25 the site. And it's the only site under consideration right now before the Licensing

1 Board.

2 Yet how do you quantify uncertainty? Can you be just a little bit
3 unsure? The NRC DEIS has, in fact, failed to quantify the uncertainty. More detail,
4 what it's done is it's now relying upon the waste confidence decision. In fact, you've
5 heard tonight that the Agency has said that they have confidence, that, in fact, they will
6 develop a site by 2025, someplace, somewhere, somehow, that will hopefully comply
7 with current health and safety standards and limits for peak radiation dose exposure to
8 the U.S. populations.

9 With regard to this application, however, the NRC Atomic Safety and
10 Licensing Board has already dismissed contentions with regard to the nuclear waste
11 generated from this new facility basically using this same waste confidence decision.
12 But where does the confidence come from? That's the question tonight. Or are the
13 impacts much larger than the Nuclear Regulatory Commission is willing to disclose?

14 In fact, it's our concern that to pass the environmental liability of
15 nuclear waste on to succeeding generations that won't give one watt of electricity is
16 more akin to revealing this confidence decision as a confidence game. Now we all
17 know that a confidence game is, in fact, where the victim is defrauded after his or her
18 trust has been won.

19 And let me look at some of the events that raises the question about
20 whether, in fact, this is a confidence decision or a confidence game. The Yucca
21 Mountain safety standard; the Energy Department has for years been planning on
22 designing for Yucca Mountain that would pass off as being safe for 10,000 years. But
23 last year federal court threw out that standard for the mountain 90 miles northwest of
24 Las Vegas. And the court, in fact, has deferred the recommendation back with regard
25 to coming up with a standard that more appropriately addresses the hazards for

1 hundreds of thousands of years.

2 Now, the EPA is working on that standard. But I can tell you that the
3 nuclear industry is hard at work to push that conclusion back to 10,000 years. Now is
4 that a confidence decision or a confidence game? Yucca Mountain capacity;
5 according to DOE, in 2011 current reactors will produce 63,000 metric tons of highly
6 radioactive waste across the country. Yucca Mountain's technical and legal limit,
7 should it be licensed, will not even be open yet. And it will have surpassed that
8 volume.

9 By 2046, according to DOE figures, with the license extensions to
10 Illinois' current reactor fleet, the state will be left with more than 5,000 tons of nuclear
11 waste that would be in excess to Yucca Mountain. If an additional two units at Clinton
12 are brought on line, we're talking about an additional 1,736 metric tons in excess to
13 Yucca Mountain. Is that a confidence decision or confidence game?

14 The U.S. Geological Survey staff is currently under FBI investigation
15 for falsifying scientific data on water infiltration data into the proposed Yucca Mountain
16 repository. Congressional hearings only point that this is the tip of the iceberg for
17 cooked scientific data in the attempt for location on the State of Nevada. Is this a
18 confidence decision or a confidence game?

19 February 2005, the Commission briefing on fuel cladding and fuel
20 performance indicates that as much as one third of the nation's reactors are now
21 operating with failed fuel, where the cladding has been either split open or there are
22 leaks where radioactive isotopes are now coming into the cooling. But more
23 importantly, the first barrier in this so called Defense in Depth has been breached.

24 Exelon itself disclosed that it operated 11 of its 16 reactors with failed
25 fuel. And this, what's interesting here is that the failed fuel is an indication of a nuclear

1 waste gambit that only raises the, the threat with regard to unanalyzed condition and
2 staff assumptions that follow for storage in the pool, transportation, dry cask and,
3 ultimately, where ever this stuff will go.

4 MR. CAMERON: Paul, could you wrap up for us?

5 MR. GUNTER: Certainly. Is this a confidence decision or a
6 confidence game? On April 7th, 2005, the National Academy of Science disclosed
7 that the Nation's reactors are vulnerable to terrorist attack on these fuel pools.

8 We are sure that the folks here, that work at Clinton, know that we
9 have about several hundred metric tons of irradiated fuel stored on the top of the
10 reactor building, that is, would be vulnerable to an attack.

11 But more recently, a Government accountability office report
12 disclosed that there is now even missing fuel, from the Nation's reactors. Particularly
13 Humboldt Bay, Millstone and Vermont Yankee. But, again, this is only the tip of the
14 iceberg.

15 Now, again, where is all this confidence coming, that would state that
16 the public is not even allowed to raise these issues, in a licensing proceeding.

17 And I submit to you that we are all victims of this confidence game.

18 MR. CAMERON: All right. Thank you. Brendan Hoffman, and then
19 we're going to go to Mr. Lee Jankowski. And then to Mr. Craig Pohlod.

20 MR. HOFFMAN: This microphone is taller than I am. All right.
21 Thank you very much. I will be brief, I don't have any interest in staying here any
22 longer than any of you do.

23 I applaud you all for coming out here tonight. The NRC certainly did
24 not make it easy. I believe there were no fewer than three different addresses for this
25 hearing floating around.

1 That's the first point I would like to address. This process is
2 extremely important. The process of the public coming out and discussing these
3 issues, and debating the merits and demerits of adding another plant, and what are
4 our alternatives here.

5 And I commend you for sticking around until past 10:00 at night, on a
6 weeknight, to hear these, these important points.

7 We, we heard this eluded to earlier, but I would submit that it is
8 crucial that we have, not only a single hearing in Clinton, no one wants to take away
9 the idea of doing a hearing here in Clinton, though it makes more sense here than
10 anywhere else.

11 But, you know, this is not only a local issue. It's a very important
12 local issue, but it's also an important issue in other parts of this state, and other parts
13 of this country.

14 I would submit that it's important for us to do more hearings of this
15 nature, more here in Clinton. Obviously, people have a lot to say about this, and there
16 should be more opportunities for them to do that.

17 We also should do it around the state, other places like Peoria,
18 Bloomington, Decatur, Springfield, Chicago, Champaign, Urbana, all of those places.

19 All of those people have an interest in this, and a stake in what's
20 happening tonight. And they should all have an equal opportunity to come out and
21 give comments and, and debate the issue, the same way that you guys are tonight.

22 So, that is the first point that I would like to make. We need more of
23 this process. This is democracy in action.

24 Second of all, we're supposed to be talking about this draft
25 environmental impact statement here tonight. And it's certainly an impressive

1 document, 670 pages long, if I'm not mistaken, cover to cover.

2 And that may give you the false impression that, just because of its
3 sheer bulk, it's got all the answers. And if, if that's the impression that you've been left
4 with, then I, I have to inform you that you're mistaken.

5 In fact, all of the important questions are either postponed until after
6 Exelon is granted this early site permit, or they're left out entirely.

7 We've heard all about the issue of waste being left out. I think that's
8 insane, first of all. Waste is the, one of the primary drawbacks to these nuclear power
9 plants. The security of the waste, the inability to store it safely, as, as Paul said. The
10 FBI is currently investigating staff as the USGS, for falsifying data on the, on the safety
11 of --

12 Beyond that, the need for power, here in Illinois, make no mistake,
13 we're not going to have brownouts here if we don't build another nuclear power plant.
14 You guys are already generating way more electricity than, than Illinois uses. And
15 you're exporting it to other states.

16 And you've got the option to either build another nuclear plant here
17 for, for this base load power need, that Exelon has identified. But that's just letting
18 Exelon set the terms of the debate.

19 We believe wind is a viable alternative. There are ways to do it, as
20 was alluded, spreading it out geographically, that can contribute to the stability and
21 regularity of that wind producing needed power.

22 But wind is, is a resource that not everyone is blessed with. And you
23 guys here, you've got it. And I believe that you should take advantage of this
24 opportunity. You know, we can't, we can't make your decisions for you. All we can do
25 is let you know what the options are and what our views are.

1 And, and I would say that wind is one great option for folks here in
2 Clinton. It will bring in tremendous investments. I think more of those investments will
3 stay here in Clinton, if you go with wind versus a nuclear plant.

4 And, and that can't help but have an even more positive impact than
5 any other type of investment that where, where more of those dollars can go to, you
6 know, big construction companies that have to be brought in to build this nuclear plant.
7 And experts that need to be brought in.

8 You can, you can have more of that money stay right here in Clinton
9 with wind, than you can with a nuclear plant.

10 And, finally, I will wrap up here. I don't think I've heard anyone talk
11 tonight about what the, what the specific impact is going to be on, on Clinton Lake.

12 And while there are certainly major problems with that draft
13 environmental impact statement, there's a few valuable nuggets in there. One being
14 that "the consumptive water loss of the atmosphere, from the cooling tower of a new
15 nuclear unit, could lower the water level of the lake significantly, during times of
16 drought." Which, as we heard, are likely to become only more prevalent with, with
17 future climate change.

18 This could impact both boating and fishing at the lake, because of
19 increases in temperature, and lower lake levels for more evaporation.

20 And I would also point out, while the NRC has, has tentatively
21 approved this permit, the impact of, on temperature, is still unclear. No one knows
22 exactly, just because that data doesn't exist yet.

23 There are major gaps in this environmental impact statement. And I
24 would, I would request that not only are those gaps filled in, before the permit is
25 granted, but there be another draft version of this statement put out that then people

1 can, can re-evaluate.

2 Thank you.

3 MR. CAMERON: Okay. Thank you. Go to Mr. Lee Jankowski. But I
4 just wanted to point out, Brendan, you stated that we had technically approved this
5 permit. And I didn't know whether you talked about this early site permit application, or
6 was something.

7 MR. HOFFMAN: I said tentative, I didn't --

8 MR. CAMERON: Oh, tentatively. If you could, this is just one part of
9 the NRC's evaluation. This being the draft environmental impact statement. And that
10 won't be finalized until we evaluate these comments.

11 But there's also the safety evaluation, that we heard about earlier. It
12 is in the NRC adjudicatory hearing process. So, I don't think that you can say that we
13 have tentatively approved it, yet.

14 Although, this is the draft environmental, impact statement, and I
15 think you see what the staff's tentative conclusions might be, on the draft.

16 So, I just wanted to make sure there wasn't any misunderstanding of
17 that.

18 Mr. Jankowski?

19 MR. JANKOWSKI: Thank you. I'm Lee Jankowski. And this is the
20 first of these meetings I have ever been to. I came with a lot of questions.

21 I guess what's standing out to me here tonight, is this process. I'm a
22 Quaker, and so I'm not used to solving problems using such competitive, I guess,
23 forms of debate, et cetera.

24 I've heard some wonderful minds here tonight. And I think to myself,
25 in the process that is often used in Quaker meeting is, is more collaborative. It's where

1 we take everybody's sources, great information of everybody and collaborate. We
2 come together and see where, what truth we find.

3 Because I believe not just one person has the truth. Each one of us
4 carries a part of the truth. And the more people we bring together, the closer we come
5 to a greater truth.

6 And I see people just going at each other, having their minds made
7 up, and not listening to each other, to see where we come together, and then work.
8 And work to solve what we need.

9 I mean, I, I guess I have a feeling that there are some hearts and
10 minds here, that could really work together beautifully, even though you may differ in a
11 lot of ways.

12 And I just, I just wanted to add that. Thank you.

13 MR. CAMERON: Thank you very much, Lee. And if, you know, if
14 you do have any suggestions, over long process lines like that, please, please submit
15 them too. Thank you.

16 Craig, are you ready?

17 MR. POHLOD: Yes.

18 MR. CAMERON: I'm not going to try the last name again, I already --

19 MR. POHLOD: Yeah, it's easier than it looks.

20 MR. CAMERON: Is it? Okay.

21 MR. POHLOD: I'd like to thank Roger Blomquist for his eloquence. I
22 had planned to say about the same thing he had.

23 These folks from the NRC are not perfect, but they're working pretty
24 hard. And I want to tell you that I was at the first series of hearings, for Unit 1. And
25 that was 30 years ago, I was 28 years old and I was right out of the Nuclear Navy, and

1 I went to the University of Illinois to get a degree, in Nuclear Engineering, and to do
2 something about a problem that, that I was appalled at. And that was the lack of public
3 information and public knowledge about nuclear power.

4 There are some things different with this hearing. For one thing, all
5 of you people that have spoken up, for approving this plant, there were very few
6 people that showed up at that time and spoke up.

7 I have spent the 30 years since then working with teachers, working
8 with students, working with the Boy Scouts, working with the Girl Scouts, doing energy
9 workshops.

10 And I was asked how I felt, when I spoke at the first hearing, or first
11 meeting that I went to. And I got to tell you, I was pretty intimidated. And I was also
12 pretty naive, because these folks that have come up here, and I learned this the hard
13 way, but these folks that have come up here and, and talked to you about not doing
14 this, and about not having nuclear power, let me tell you, that what they want is not to
15 protect you, they want access to your lifestyle. They want to control that.

16 Now, I'm very happy to support the adoption of the, or the issuance
17 of the early site permit, as well as the ultimate environmental impact statement.

18 One of the things that nobody has mentioned here, and there have
19 got to be people that have lived here for a long time, and that's what it looks like
20 around Clinton Lake, and what you can do. And what the environment is there.

21 Has anybody seen any environmental impact at the, at the Clinton
22 Power Station? I've been over there dozens of times in the, ensuing 30 years since
23 they first started working on building it. I have not seen that.

24 I brought up here something that was picked up off of one of the
25 tables, which I wish to read to you, so that you understand the nature, at least, of part

1 of what you've heard tonight.

2 This is from, this flyer, called Radiation Nation, and this is what it
3 says in the first paragraph.

4 "The nuclear industry and its allies in Government, want to transfer
5 nuclear, its nuclear waste problem to the American public. The industry is working
6 behind the scenes to deregulate nuclear waste so that it can be recycled into
7 household products and dumped into landfills."

8 That is one of the most ludicrous statements I have ever read. I
9 heard stuff like this when we were talking about siting a low level waste repository in
10 this state.

11 There were people out there that had fuel elements going into a low
12 level waste site.

13 So, you have to take what you hear here, with a grain of salt.
14 Sometimes more than a grain of salt.

15 I wanted to say two more things. One, about the fission process not
16 being natural. One of the things that we do, in studying, to make sure that the waste
17 repository, when it goes into operation, is operated properly, is that we look for natural
18 analogs.

19 That is, an analog in nature where we can find radioactive materials
20 and see how it works, and how it moves in the environment.

21 In the Republic of Gabon in Africa, there is a sight called the Oklo
22 Site, where natural reactors have operated maybe two billion years ago.

23 There are traces of the fission products. There are, there are
24 measurements that are made that tell us exactly how this stuff moved in an
25 environment where water flowed in and out freely.

1 These things operated for as much as 10,000 years, and produced
2 fission products. The reason they worked is because the enrichment of U-235 was
3 much higher, two billion years ago, okay?

4 The other thing that I wanted to mention is, the woman who talked to
5 us about the Jew who healed somebody on the Sabbath, I think she was talking about
6 Christ and I think she missed by about a 1,000 years, because he was here about
7 2,000 years ago.

8 So, in closing, I would simply close with this. And for those students
9 here, I'm very impressed with what you had to say. You need to make a commitment
10 to public education that stretches throughout your technological career.

11 MR. CAMERON: Okay. Thank you, Craig. Let me read out the next
12 four or five speakers, so that you know where we are.

13 Oh, this is, it's Craig Pohlod?

14 MR. POHLOD: Pohlod.

15 MR. CAMERON: Pohlod, Craig Pohlod. Okay. All right. We're
16 going to go to Dennis Nelson, Dorian Breuer. Then we're going to go to Gary Lambert,
17 Vic Connor, Norris McDonald and then Karen, Karen Lowery.

18 MR. NELSON: Good evening. My name is Dennis R. Nelson, and
19 I'm from the windy city of Chicago. As of around this coming Earth Day, April 22nd, I
20 will be energy environmental activist for 35 years.

21 I am a board member of the Nuclear Energy Information Service,
22 NEIS, a Chicago area non-profit, no-nuke safer energy group, working with the local
23 no new nukes group.

24 Because of this evening's time constraints, I will be e-mailing more
25 detailed comments.

1 Right now, I will brief and to the point. I will let other speakers deal
2 with topics such as the impacts of the proposed Clinton II reactor, on the oncology and
3 recreation of Clinton Lake, or why the second reactor will be just another tempting
4 target for terrorists.

5 I am in favor of denying Exelon's early site permit application for the
6 second Clinton reactor. Instead, I am in favor of passing a state-wide renewable
7 energy portfolio standard, this year in Springfield.

8 The pro-nuclear cheerleaders are hyping up the so-called nuclear
9 renaissance, what they consider to be a nuclear rebirth of what I consider to be a failed
10 technology.

11 I say so-called because this nonsense is more accurately described
12 as a nuclear relapse. Like a reoccurring nightmare from a B science fiction movie.

13 Exelon sees Clinton II as a crucial test case, in the nuclear industry's
14 campaign to make this very thing happen. This should not be allowed to happen.

15 In the matter of Clinton II, Exelon's total and blatant arrogance is
16 twofold. First off, there is a State moratorium on new nuclear reactor construction
17 already passed by the General Assembly. The State moratorium calls for no new
18 construction of nuclear plants until the issue of where to finally store a high level of
19 radioactive waste is settled.

20 Knowing Exelon, it will probably ask Springfield for an exemption,
21 from this moratorium, but my view maintains that this moratorium is sound.

22 The NRC should respect this State's rights issue, and deny Exelon's
23 application for an early site permit.

24 While I already have this statement in my comments, you heard it
25 first from Shannon Fisk, the attorney from the Environmental Law and Policy Center.

1 But I'm going to say it again.

2 Building Clinton II, without an approved nuclear waste site, is like
3 building a new house without a toilet.

4 Secondly, Exelon makes no bones about opposing a state-wide
5 renewable energy portfolio standard. This would set realistic goals to ramp up our use
6 of renewably generated electricity, requiring three percent of all electricity by 2007 to
7 come from renewable sources, solar, wind and biomass, and then 10 percent by 2012.

8 Such a renewable energy portfolio standard, should be passed in
9 Springfield first, before Exelon's proposed second Clinton reactor is even considered.
10 In fact, Exelon should be mandated to help meet our electricity requirements, using
11 these renewable resources.

12 Please say no to Clinton II. Thank you.

13 MR. CAMERON: Okay. Thank you, Dennis. And next we're going
14 to go to Mr. Breuer. And then to Gary Lambert and Vic Connor, Norris --

15 MR. BREUER: My name is Dorian Breuer, B-r-e-u-e-r. One of, my
16 first question is for the community. I heard some positive statements about Exelon
17 here, and its role in the community. I have a question for the community.

18 Do they really think that Exelon is providing a lot of financial
19 donations, to here in the community for the community's benefit itself? Or does it have
20 a corporate interest in making sure that people here in this community get money from
21 this corporation?

22 Clinton does get a lot of money from this company, Exelon. But a
23 number of communities in the area outside it, which are also affected by the situation
24 of the plant here, do not receive the donation. So, I'd just like the community to think
25 about that.

1 And, on page 2.4, of the, this environmental impact study, I would
2 like to recommend that the NRC look more closely at the two major geological faults
3 that run through this area, the Wabash fault, and more seriously, the New Madrid fault.

4
5 The New Madrid fault is the location, the fault location with the
6 greatest earthquake that there's ever been in North America, was on the New Madrid
7 fault. These are not solid faults. They're active. And the most serious result, again,
8 another risk factor and you've heard a lot of them here, for the people that live here in
9 Clinton, and for the people that live around the area, including Chicago, for a major
10 meltdown.

11 What would happen if you had a, an earthquake, the only thing
12 holding up Clinton Lake is an earthen damn. That damn would liquify, and the lake
13 would retract. And then the, there would be no more water for the reactors.

14 This issue has not been properly addressed in this environmental
15 fact study, or in the current running of the Clinton reactor there. Thank you.

16 MR. CAMERON: Okay. Thank you, very much. And now Gary
17 Lambert, and then Vic Connor. Gary?

18 MR. LAMBERT: My name is Gary Lambert, just a retired shoe clerk.
19 Just a, something that jumps out at me, I've listened tonight. For those that are in
20 favor, that seem to be speaking in favor, are either being paid to be here, or are
21 employed by the industry in some way, or are, on almost, or are, in some ways, getting
22 some financial benefit. Whether it's new jobs in the immediate community, or
23 decreased taxes. The, this building we're in tonight.

24 But this project affects more than just Clinton, Illinois, DeWitt County,
25 or central Illinois. It impacts the entire state.

1 This is not for Illinois, this right here says they're going to export all
2 the power. Just a quick comment, this is all new to me. I don't know anything about
3 nuclear power, it's very evident. But I did read part of this.

4 Section 5.9, it talks about natural background radiation, expected to
5 be such and such, and within some limits.

6 When I went back and looked at some of the previous comments,
7 somebody asked the question, and as near as I could find, they did not answer it. Said
8 what the NRC does not point out is that the background radiation includes the
9 emissions from radioactive chemicals which occur naturally and on and on.

10 But it says, in fact, emissions released by a nuclear reactor are still
11 considered background radiation after one year. So, I don't know if that's true or not,
12 the response to this series of questions didn't answer it.

13 But if that's true, we had an initial background radiation, we added
14 the initial power plant, that added some level. And now, we're now saying that that
15 increased amount is now the background, so now we can go up incrementally from
16 that.

17 And then we go up from that. So, can you kill us slowly,
18 incrementally? Thank you.

19 MR. CAMERON: Thank you, Mr. Lambert. And now Mr. Connor?

20 MR. CONNOR: Thank you very much, I hope you're awake, it's
21 getting pretty late.

22 I have a masters in electrical engineering. I've worked on three
23 doctorates. IBM hired me as a design engineer years ago. I've taught at Illinois State
24 University, and I was an analyst for State Farm. I'm used to reading large amounts of
25 data and summarizing it very quickly.

1 This document does contain a lot of good information. But at the
2 same time, the way it emphasizes and de-emphasizes information is really curious.
3 And some of the statements they make are quite questionable.

4 In fact, there's so many questionable statements in this document,
5 that it would probably take me on the order of 10 hours to talk with your employees.

6 Now, because there were so many things I decided just to act, to
7 look at one item, on one line of one page.

8 In 1943, through the world's greatest scientist wrote a letter to the
9 general who was in charge of making the first atomic bomb. In that letter, they warned
10 that one millionth of a gram, of a uranium inhaled or ingested, could prove fatal.

11 If you take a sharp pencil and make a small dot on a sheet of paper,
12 that's the size of that tiny bit of uranium. What concerns me most about this document
13 is that on line 26, on page 6-4, it states that 400,000 curies, of the radioactive gas
14 krypton 85 would be released every year by the new reactor, as is already probably
15 being done by the current reactor.

16 This means that a little bit of this highly radioactive gas is released
17 into the air every day, or at least every week.

18 Now, curie is a measure of radiation, or actually, radioactivity. But
19 how does 400,000 curies relate to that dot of uranium? One curie is the radioactive
20 equivalent of 3 million of those dots, or those, I might say possibly lethal dots.

21 The question we need to ask is how much will this affect the health
22 of the people and the animals downwind of the plant? Nobody knows. Governance
23 made no studies, there's no statements to this.

24 But it may just partially account for the fact that when the current
25 reactor was shut down in 1996, infant mortality of the downwind counties dropped in

1 half. And that by 1999, after the reactor was restarted, infant mortality jumped back up
2 to its pre 1996 levels.

3 If this second reactor is build, then it would double the production of
4 krypton 85. Krypton 85 is not made in nature, it's not a natural isotope. It's a noble
5 element, which doesn't want to combine chemically with anything. But it's also krypton
6 85 which means it's relatively heavy, so when it's pushed out of the plant, it stays close
7 to the ground.

8 But since it's a noble element, it doesn't want to combine chemically
9 with anything. So it'll blow for 50, 100 miles before it finally resides somewhere.

10 Now, this is a side note, when I was getting my masters in
11 engineering, back in the '70s, I thought nuclear power would be incredible, I thought it
12 would be great. But I never, ever considered the whole process of making the fuel for
13 nuclear power. And also, I never realized that nuclear reactors actually made a lot of
14 gasses that cannot be contained, it builds up tremendous pressure, and the
15 government allows nuclear power plants to just vent this gas off weekly, if not more
16 often.

17 So there are a lot of other things to consider. Now, I know the
18 people here would like this for economic reasons. But it's just not affecting you, what's
19 created here gets blown away 50, 100, 200 miles. Thank you.

20 MR. CAMERON: Okay. Thank you very much. Norris, Norris
21 McDonald, and then Karen Lowery, and then we're going to go to David Pointer, Ross
22 Radel, Kevin Austin, and some other people.

23 So, Norris McDonald?

24 MR. McDONALD: Good evening. My name is Norris McDonald, I'm
25 president of the African-American Environmentalists Association. We're a national

1 environmental group, and we support nuclear power. We support building a new plant,
2 a new nuclear plant in Clinton.

3 Let me just say that I have asthma, and I haven't heard anybody talk
4 about asthma tonight. My son has asthma. I guess I inherited asthma from my father.
5 I've been intubated twice, you see that on television, those shows like ER where they
6 ram a tube down your throat, ram it down into your lungs so that you can breathe.

7 I was intubated for four days in 1991, intubated again in 1996, for
8 four days, almost died. So I take nuclear power, I mean I take clean air very seriously.

9 Let me just say that I also heard about environmental justice here
10 tonight. And I know a little bit about environmental justice, and if you would like to
11 know more, please go to our website, www.aaenvironment.com. As a matter of fact,
12 the meeting that was referred to, I actually attended that in 1991. So if you want to
13 know about new environmental justice, please go to our website.

14 But let me just say this. We're at a crucial time, extremely crucial
15 time. The U.S. Congress is considering energy legislation right now and that's part of
16 the reason we came here today.

17 We drove 13 hours, from Virginia, and the Washington D.C.
18 metropolitan area where we're based. We drove 13 hours for this hearing because it's
19 so important.

20 Congress is considering energy legislation. The House just passed it
21 out of committee, House, Energy and Commerce Committee. The Senate is going to
22 be considering it soon.

23 Clinton stands at the crust of our energy future. This situation here is
24 incredibly important. We would drive here, and I brought my son, we would come back
25 again and drive 13 hours, this is just how important Clinton is.

1 And I'll tell you what, I'll tell you what, I will, I'll say it again. I'll tell you
2 what, I love Clinton. It's my first time coming here. And I love Clinton. And let me tell
3 you something, we get smog and pollution to the east, and you don't send it here from
4 Illinois.

5 I not only love Clinton, I also love Illinois, because you get 50 percent
6 of your electricity from nuclear power. So, you're not sending smog, you're not
7 sending nitrogen oxide, sulfur dioxide, mercury. You're not sending any of these
8 things over to us in the east.

9 So let me just say, I look forward to the 13 hour drive back, delighted
10 that we could come tonight. And I tell you, I just want to thank Clinton.

11 MR. CAMERON: Thank you very much, Norris. Thank you. Karen?
12 Karen Lowery. And then David Pointer and Ross Radel. Karen? Thank you.

13 MS. LOWERY: Good evening. My name's Karen Lowery, and I'm a
14 high school environmental science teacher. I've been teaching since '75. I was one
15 that took those energy classes. I toured Clinton nuclear power plant before it had fuel
16 in it. And I observed where they store nuclear fuel, spent nuclear fuel.

17 I am sure that Clinton is a viable place for a nuclear reactor for the
18 next 40 years. It meets immediate needs of a depressed area, a rising energy
19 demand, with the least objection because we're in a central Illinois community.

20 But the radioactive waste, there isn't a long term plan. After
21 decommissioning, who will take care of it? Chapter 6, as they referred to, in the EIS,
22 addresses many factors, but not long term storage. Who takes care of it? Who pays
23 for it? What is an acceptable risk?

24 According to the EPA, one death in a million is an acceptable risk.
25 Hazardous waste sites were to be cleaned up by a super fund. Now, we don't clean it

1 up, we contain it.

2 No longer industry is responsible, the taxpayer is. Who will be
3 responsible for this nuclear solid waste, when Exelon's done with Clinton, Illinois? Not
4 Exelon. We will. The taxpayer. We will pay.

5 Not us, no, we will be gone. But our children, our children's children,
6 and our children's children's children, and on and on, they will pay. It's a sacrifice I'm
7 not willing to make with a nuclear power plant. Are we ready to sell out, to sell our soul
8 to the highest bidder, because we want energy?

9 What happened to safe conservation alternative energy, micro-power?
10 We must look to the future, for the future.

11 I do not want to see another reactor, not for me, not for Clinton, but
12 for the future.

13 MR. CAMERON: Thank you, Karen. David? Oh, good. David
14 Pointer.

15 MR. POINTER: Good evening. I certainly sympathize with
16 everybody's desire to go home soon, so I'll keep my remarks brief. Even though I had
17 two pages of remarks, I've kind of marked most of those out.

18 As you said, I'm David Pointer. I'm the vice president elect of the
19 North American -- Nuclear. I just passed off our petition, with a total of 400 signatures,
20 for, with the addition of some collected here tonight.

21 I'm also a member of the American Nuclear Society's Public
22 Information Committee, which I joined because I felt that there was a need to provide
23 more information to the public, on both sides of the issues associated with nuclear
24 power.

25 I believe, personally, that it's time to address the need for safe,

1 reliable, local and environmentally sound energy resources, by developing new nuclear
2 energy options for Illinois, as the best option for the citizens of Illinois, including myself
3 and my family.

4 When I first decided to pursue a career in nuclear energy, my
5 intention was to work towards the development of a solution toward the nuclear waste
6 problem, which I -- because I don't believe the problem really exists.

7 As I obtained a bachelors degree and then a masters degree and
8 then a PhD in nuclear engineering, it became apparent to me that there were
9 numerous technically sound, and scientifically valid options to deal with nuclear waste.
10 The most important of which was recycling and reprocessing the spent fuel.

11 It is my opinion that the only reason that these options have not
12 developed and implemented is political grandstanding by those who oppose anything
13 nuclear, because the development of the implementation of a, as of the viable solution
14 to the nuclear waste problem would remove the primary, their primary objection to
15 nuclear energy in general. And eliminating the need for their life mission and, in some
16 cases, their livelihoods.

17 With that little segment, little side note, I'd like to go back and say
18 that I believe that nuclear energy is safe and reliable. I like that nuclear energy is not
19 susceptible to changes in weather and climate, and I've worked in areas associated
20 with the development of wind power, so I'm familiar with the benefits of wind and I fully
21 support the implementation of wind power in Illinois as well.

22 I also like that nuclear power is not susceptible to fluctuations in
23 natural resource pricing resulting from frequent unrest in certain regions of the world.
24 It's not necessary to list what those are.

25 I believe that nuclear energy benefits the local communities because

1 it does provide affordable power. It creates jobs. It contributes to local economies,
2 and it reduces the dependence on natural resources controlled by foreign
3 governments.

4 Finally, I'd like to say that there was some discussion earlier of the
5 emissions that come from nuclear Z. Nuclear Z is truly a near zero emissions energy
6 in comparison to other energy forms, including renewables.

7 And I think it's important that we consider all of the benefits of this
8 technology, and not focus completely on the, the very small risk that in reality exists, as
9 we, we try to move forward and determine the best path for our state. Thank you.

10 MR. CAMERON: Okay. Thank you. Thank you very much. Ross, it
11 says Ross Radel and then we're going to go to Tracy Radel and Kevin Austin.

12 MR. RADEL: Thank you. My name is Ross Radel. I'm a graduate
13 student in nuclear engineering at UW Madison. And while I am a nuclear engineer, I
14 did want to point out that my particular research interests and career path don't rely on
15 the success of the nuclear industry in any way.

16 That being said, I'm excited and happy to see Exelon applying for
17 this early site permit. Because I believe nuclear energy is a clean, affordable, reliable
18 and safe way to generate electricity.

19 And I'd like to focus on safety here for a minute. The nuclear
20 industry has had an amazing track record. Not only is it one of the safest industries in
21 this country, but while maintaining this safety culture, they have been constantly
22 improving their capacity factors along the way.

23 This is largely due to this philosophy of defense and depth, which
24 essentially means that there are redundant engineering safety systems designed in
25 layers to prevent to contain any incidents that we can foresee.

1 And no matter which reactor Exelon ultimately chooses to construct,
2 I'm confident that these new reactors will adhere to these principles, and deliver this
3 area with more safe, clean, affordable and reliable nuclear generated electricity.
4 Thank you.

5 MR. CAMERON: Thank you, Ross. Tracy?

6 MS. RADEL: Good evening. My name is Tracy Radel, and I am also
7 a nuclear engineering student at the University of Wisconsin, Madison.

8 I know I'm not from this area, but I came because I admire what is
9 being done here in Clinton, and I only hope that this will encourage Wisconsin to look
10 at nuclear, look into nuclear as an option for our energy needs.

11 I'm going to talk to you about why I feel that nuclear power is the best
12 choice for our environment. Nuclear power composes over 70 percent of our non-
13 greenhouse gas emitting power.

14 This is very important because our energy sources, such as coal and
15 gas produce enormous amounts of carbon dioxide, sulfur oxides, nitrous oxides and
16 mercury. All of these are being put up into the atmosphere, into the air that we breathe
17 every day.

18 They are also contributing to global warming, which is becoming a
19 major concern throughout the world.

20 For my second point, nuclear power also uses less land than a lot of
21 other energy sources. And often, the land that it does use can double as nature
22 preserves, protecting the local wildlife.

23 And finally, I'd like to say that we have the technical expertise to deal
24 with the nuclear waste. The thing standing in the way are social and political issues.
25 And the technical expertise is out there, and processes are already developed. Thank

1 you.

2 MR. CAMERON: Thank you. It says Kevin Austin and then we're
3 going to go to Steve Mullet, Alan Bolind, Barbara Kessel. Go ahead.

4 MR. AUSTIN: Thank you. My name is Kevin Austin and I'm also, I
5 got it. I'm also a student from the University of Wisconsin in Madison. And I would
6 first of all like to say that I would hope that you would consider more strongly the
7 statements of those people who are locally from, from the Clinton area.

8 But having said that, it is also a statewide issue and even our
9 statewide issue. I do apologize for contributing for the car air pollution, by driving into
10 your state. But we did try to car pool, so I hope that helps.

11 I wanted to mention that there's a greater issue of energy demand.
12 And you could argue about whether or not our need for electricity is justifiable or not.

13 I believe that it is. There are, there are disadvantages, there are
14 consequences to our large energy demand. But it has so significantly contributed to
15 our quality of life, that I believe that this trade off is worth it.

16 Just think about the quality of life that you, that you have, that you
17 enjoy, and possibly take for granted. And possibly think about what, what it would be
18 like if you didn't have that.

19 So, having said that, the only practical options, for generating large
20 base load power, would be nuclear power or fossil fuels. Wind certainly can play a
21 part, you know, solar not so much, hydro certainly helps out already.

22 But the only options for increasing significant demand is nuclear and
23 fossil fuels. And when you compare the statistically small risks of nuclear power,
24 compared to the very real risks and consequences of fossil fuel, such as asthma and
25 the, the many deaths of lung cancer. These are very real, known consequences of

1 coal. And that needs to be considered.

2 And I'd also just like to point out that I am a nuclear engineering
3 student, but that's not why I'm in favor of nuclear power. I am a nuclear, yeah, I'm not
4 in favor of nuclear power because of I'm a nuclear engineering student. I'm a nuclear
5 engineering student because I'm in favor of nuclear power. Does that make more
6 sense?

7 And then, finally, just to conclude, I hope haven't gone over my three
8 minutes. Earlier somebody, I can't remember who, pointed out that, you know,
9 admitted that they're not a nuclear engineer, but they're a human engineer.

10 Well, I'm a nuclear engineer and I just want to make it clear that I am
11 also a human being. So, thank you.

12 MR. CAMERON: Thank you. Is Mr. Mullet still here? Do you, okay.
13 And who are you?

14 MR. BOLIND: I'm Alan Bolind.

15 MR. CAMERON: Oh, come on up, Alan. I thought you were Mr.
16 Mullet's agent there, for a minute.

17 MR. BOLIND: Good evening. My name is Alan Bolind and I'm a
18 graduate student at the University of Illinois at Urbana-Champaign.

19 Tonight I'd like to frame the environmental impact of the proposed
20 new nuclear reactor, in terms of the larger picture of environmentally friendly sources
21 of energy generation in Illinois.

22 According to official data from the U.S. Department of Energy, in the
23 year 2003, the state of Illinois generated over 187 million megawatt hours of electricity
24 from non-renewable sources, including nuclear power.

25 This translates into over 21,000 megawatts of actual non-renewable

1 generation capability in Illinois, at that time, accounting for things such as capacity
2 factor and the like.

3 It would be good to replace this capacity with renewable sources,
4 such as wind, solar and biomass sources, if that could be possible.

5 According to the Department of Energy's wind map for Illinois, about
6 9,000 megawatts of wind power capacity exists in Illinois, and that's including both the
7 good and the not so good sources.

8 Solar power can help to supplement this amount, but will require
9 significant capital expenditure, and I doubt we'll be able to make up the 12,000
10 megawatt gap, on its own.

11 Now, biomass energy is a promising source for an agricultural state
12 like Illinois. Crops such as Miscanthus Giganteus might be able to, to help with that.
13 However, to obtain large amounts of energy, would require us to divert large amounts
14 of our valuable farmland, away from producing food crops for ourselves, our nation
15 and our world.

16 Now, maybe, just maybe, if we put solar panels on all of our
17 buildings, if we tapped all of the wind power which nature provides to us, and if we
18 used our less valuable tracts of farmland to grow -- fuels, we could reach the 21,000
19 megawatts of actual electrical generating capacity, that we had in 2003, from non-
20 renewable sources.

21 And that would be great. We need a diversified energy portfolio. But
22 if our population grows, if our economy grows, and most importantly, if we want to
23 replace our gasoline powered vehicles with ones running on hydrogen, produced from
24 non-hydro carbon sources, then we need another carbon free energy source to make
25 up the difference.

1 And the only such source that we know of today, is nuclear power,
2 like the power that the new Clinton power plant would provide.

3 Now, that is my main point, but I want to make a second point. And
4 that is the educational benefit. And I want the NRC people to pay attention to this.
5 The educational benefit of siting the power plant here, in Clinton, as opposed to any of
6 the other places.

7 Earlier this year, myself and several other students, from UIUC,
8 came and toured the nuclear power plant. And we got to talk with the engineers, got to
9 see the equipment in action. That was very valuable. And a new design sited here
10 would be even more valuable. And this education, the educational benefits of siting it
11 here can improve the education of, of the students and, for example, I'm dealing with
12 technologies to deal with nuclear waste.

13 So, I just wanted to point that out. Thank you.

14 MR. CAMERON: Well, thank you, Alan. Is Barbara Kessel still
15 here? Ronald Dean? Mr. Dean? Anthony DiMaggio? George, is it Gore, G-o-r-e,
16 George Gore? Hi.

17 MR. GORE: Hi. Thank you for the opportunity to speak tonight. My
18 name is George Gore. I've got a background in engineering economics and business
19 education. I was an officer in the Navy, taught high school.

20 Some concerns about the environmental impact statements, just one
21 specific example, the fuel cells, it was essentially described as a non-viable source.
22 Actually, this applies not just the fuel cells, but all of the alternative options that are
23 available, described as a non-viable economically.

24 But that was based on the present value, but not the future. That's
25 an arbitrary and capricious decision, that was made in that decision, in that process.

1 There's no reason to reasonably expect that that shouldn't be five
2 years out, in terms of building the plants, if not 10 to 15, 20, for evaluating whether it's
3 going to be economically viable.

4 I want to also go into some of the alternatives. We've already heard
5 about wind. But just to mention, Bloomington Normal has a plan for 400 megawatts of
6 wind. That's one of the two ends of the major transmission line coming from Clinton.
7 So that pretty well takes care of it, on that end.

8 Some other alternates, in the geothermal section, there was, there
9 was no mention whatsoever of getting energy from the ground.

10 Not from the traditional geothermal that you find out west, where it's
11 really hot springs, but the ground source heat pumps where you can actually get the
12 heating and the cooling for your home, right from the ground beneath your feet.

13 It's free, it doesn't cost anything other than a little of energy to run a
14 pump, to either circulate water, or to circulate air if you're using an earth tube.

15 Now, you can use an earth tube if you actually have a well enough
16 insulated house, that, and the insulation is going to be far cheaper than actually
17 building a nuclear power plant.

18 So, when you're looking at ways to save, conservation, it's always
19 the cheapest, fastest, healthiest, safest. It can be done like that.

20 Energy efficiency is next. I mean, in terms of the payoff, the air
21 conditioning. Everybody wants to have that cool, everybody wants, everybody wants
22 to have their fridge with the cold beer, you can do that, but if you get a more efficient
23 fridge, then you don't need as much electricity generated in the first place.

24 Some other alternatives that were considered. Micro-water turbines,
25 micro-natural gas turbines, combined, I don't recall combined heat and power, pulling

1 energy off the waste heat. Methane hydrates. Mechanical solar as opposed to
2 photovoltaic, bio gas from algae sources and such.

3 Was mentioned before, coal gasification. Since we're talking 15, 20
4 years down the line, most likely. And then, in the combination section of putting all of
5 those alternatives together, it wasn't, and the whole problem with the alternatives was
6 that there were no specific numbers.

7 You couldn't see what are the potential megawatts available from
8 this, that or the other source, in the EIS. Those should be addressed.

9 On page 1.2, it talks about the construction that's allowed, and I'm
10 not a lawyer, but just reading that, it sounds like you can essentially construct just
11 about everything.

12 And perhaps if you got a creative lawyer, you could construct just
13 about everything because it doesn't, it says that you can't do anything that would
14 reduce the amount of impact, if there were a major accident or something to that
15 effect. Major security problem.

16 But it's an incredibly vague statement, and it sounds like it could be
17 very loosely interpreted and essentially you could build the whole thing and have it all
18 done, and then apply for the construction and operating permit.

19 That's, it's very, the wording is just very vague.

20 In the socio-economic impacts of the EIS, with the National Academy
21 Science report that came out talking about how LaSalle and Dresden are extremely
22 vulnerable in particular. Apparently, here in Clinton, the fuel pool is sitting on top of
23 your, sitting on top of your reactor.

24 A medium long range mortar has a range of five to eight miles. It
25 would be very hard, very difficult, it fires about 30 rounds per minute. It would be very

1 hard, very difficult to neutralize that. And we don't know whether it's actually safe from
2 that sort of an attack, because that information is not publicly available.

3 MR. CAMERON: George, are you, can you --

4 MR. GORE: Okay.

5 MR. CAMERON: -- sum up for us, please.

6 MR. GORE: That's, it's pretty much that's all the major ones. I'll be
7 submitting written comments with a lot more detail.

8 MR. CAMERON: Thank you for those specifics. Is Savannah Nolan,
9 Linda Lewison and Richard Douglas, is Savannah still here? How about Linda?
10 Linda? Thank you for staying.

11 MS. LEWISON: Hi. I came down here from Chicago. My
12 background is in economics education and I worked in the energy industry, in various
13 capacities, for 25 years.

14 Someone, I have three points to make. One was made to me by Dr.
15 Helen Caldicott and two were made through Paul and David Lochbaum.

16 So, I just want to, want to, they haven't been mentioned tonight, I
17 don't think specifically, so I want to make them now.

18 One is about Chicago and why people should come from there
19 because we're not local. If you, if you look at the blast maps, in the worst case
20 scenarios, we are, in Chicago, totally at risk from either an explosion or a meltdown.
21 And that's current data that, that is publicly available.

22 As Dr. Caldicott said, many times tonight it's been mentioned that it's
23 a nuclear accident. Her point is that an accident is something that surprises you
24 because you didn't know about it. So there are no more nuclear accidents from
25 nuclear generators, because we know the consequences. It is a silent bomb. That's

1 number one.

2 Number two. 50 years ago, there were four nuclear plants in the
3 world. Now there are 400. If we would invest in renewables, and in this diversified
4 portfolio of options that we have in the same way, for the next 50 years, we would
5 certainly get to that sustainable future in energy that we all want.

6 And we need to keep that perspective in mind.

7 And last, but not least, the nuclear industry itself can't get insurance
8 because the risk is too high. They are asking the public to do the insuring. It seems to
9 me self-evident that if the nuclear industry itself won't insure itself, that that's the
10 bottom line.

11 That they know the risks are too great, and they refuse to insure their
12 own plants. They want the public and the taxpayers to, to pay for it.

13 Thank you.

14 MR. CAMERON: Thank you, Linda. Next we have Mr. Richard
15 Douglas then Stirling Crow, Mr. Bradley, Geoff Ower.

16 MR. DOUGLAS: My name is Richard Douglas. I've lived here all my
17 life, in this community. I'm co-owner of two businesses in this town, and I live two
18 miles from the plant. And I'm for this second reactor.

19 In regards to a comment that was mentioned earlier, about when the
20 power plant was shut down, back in '96 or '97, I do have one comment in support of
21 the NRC. I had one of those representatives out at my motel during that time, which I
22 own the, the hotel next door here.

23 And, when they checked in, when it was shut down, I had a
24 representative that was there, and he booked in for three months. And after the three
25 months, he extended another six months.

1 And I was kind of curious because all these times, you know,
2 different dates we were full out there, and then he would extend it on, and I'd go, and I
3 approached him, I said, you know, do you know how much longer you're going to be
4 here?

5 And he told me, he says, until they, until it's perfect out there. That's
6 the only way. And after, over two years, he stayed with us. And then I knew it was
7 perfect.

8 And then I told him, I said it felt real comfortable that they, that it was
9 done right. And so I'm in support of the NRC, looking out after us. And, in turn, I also
10 support the early site.

11 So, I, I'm very much, very much, needed, I think this is needed for
12 this town. And being in the business in this town, I support it.

13 Thank you.

14 MR. CAMERON: Thanks Mr. Douglas. Is Stirling Crow?

15 MR. CROW: Good evening. My name is Stirling Crow. I am a
16 history student at the Illinois State University. I'm also a resident of Normal. And I am
17 a member of the student environmental action coalition, at Illinois State University.

18 I wanted to clarify something a gentleman said earlier, regarding the
19 recycling of nuclear fuel. Their processing of spent uranium rods in the U.S. has
20 proven uneconomical. It's just cheaper to mine fresh uranium and enrich it.

21 The three reprocessing facilities here in the U.S. oil field, there's one
22 in New York had a legacy of fires and accidents.

23 There was one here in Morris, Illinois. And there's one somewhere
24 else, I can't remember where. But, they all had to shut down. Five days before the
25 presidential elections in 1976, President Ford ordered all of those reprocessing efforts

1 to shut down.

2 Jimmy Carter kept those provisions. Reagan tried to resurrect the
3 process, the reprocessing facilities. But no one would do it, because it was just too
4 expensive.

5 The Department of Energy will probably submit an application to the
6 NRC later on this year, pertaining to the approval of operation for the Yucca Mountain
7 Repository.

8 It's my understanding that states such as Illinois, Wisconsin,
9 California have moratorium laws forbidding the construction of any new nuclear power
10 plant until a storage solution is available.

11 If the licenses for Yucca Mountain are approved, it is my
12 understanding that those moratorium laws will be invalid. And that the dominoes will
13 start following, and the first of many nuclear power plants will probably be built here, in
14 Clinton, after the NRC permit processes.

15 I believe that the current energy policy, endorsed by the current
16 administration is a step in the wrong direction. Instead of subsidizing nuclear power
17 plants, why not invest and explore renewable energy sources.

18 Why not explore and create renewable energy sources, rather than
19 creating nuclear waste.

20 The Nuclear Waste Policy Act, to my knowledge, allows for only
21 70,000 tons of nuclear waste in a repository. Even if a repository begins accepting the
22 annual waste load of 3,000 tons, in 2010, we'd have to find another place to store the
23 nuclear waste by 2035.

24 I believe we should not take a step in the wrong direction for our
25 Nation's energy needs.

1 Therefore, I oppose any permit, proclaiming that a site is suitable for
2 nuclear power. Thanks.

3 MR. CAMERON: Mr. Bradley?

4 MR. BRADLEY: I'm Harry Bradley. I'm executive director of the
5 American Nuclear Society. I'm here today on behalf of the American Nuclear Society.

6 As a not for profit membership organization, the American Nuclear
7 Society represents the dedication of more than 10,000 engineers, scientists,
8 educators, and other nuclear professionals.

9 Our members volunteer their time and talents in the use, research
10 and development of nuclear science technology to improve our day to day life.

11 And, as serves as a resource on scientific, technological and policy
12 issues. Our position is that the building of the next generation of nuclear power plants
13 is very important, to provide the electricity that will be needed in the year 2020.

14 Currently, nuclear power constitutes 20 percent of our electrical
15 production in the United States, much higher here in Illinois.

16 To control the increase of emission of greenhouse gasses or harmful
17 particulates in our atmosphere, we must increase the share of renewables, such as
18 nuclear, hydro-power, solar, wind in our electrical mix.

19 We recognize that new power plants, of any kind, must be
20 competitive in the market place. Operators must be able to supply power reliably and
21 affordably.

22 The U.S. Nuclear Regulatory Commission's new licensing process,
23 which we are taking part in now, demonstrates how predictable and timely this process
24 can be, while assuring that it is thorough.

25 The Nuclear Regulatory Commission's mandate is to protect our

1 health and safety. The American Nuclear Society believes that the new process
2 provides us with confidence that the NRC meets its mandate. Thank you.

3 MR. CAMERON: Thank you, Mr. Bradley. Is Mr. Ower, Geoff Ower?

4

5 MR. OWER: Hello. I'm a biology student at Illinois State University.
6 I'm glad to be here tonight.

7 Basically I'm here tonight because of radiation knows no city limits.
8 And we have been given an opportunity to publicly comment, because of the NRC isn't
9 hold a, isn't holding public hearings in the other communities that will also be impacted
10 by a new nuclear reactor.

11 I think the NRC needs to hold more heavily publicized hearings. For
12 this hearing, we had three different locations advertised that, you know, was very
13 hectic trying to correct that. There needs to be better preparation going into these
14 hearings.

15 I also grew up in Zion, Illinois. I lived a mile from the Zion nuclear
16 power plant, and attended school a mile away from the Zion nuclear plant at East
17 Elementary School.

18 And I remember very clearly that our school was not very well
19 prepared at all for a nuclear accident, despite the fact that mine had one of the worst
20 safety records in the country.

21 You know, recently, Vermont Yankee tried to, tried to do a drill, back
22 in December. And the emergency management officials were astounded by the failure
23 of half the busses did not show up. This left thousands of students stranded, waiting
24 for the busses to come.

25 Now, what about all the other reactors, where we haven't done any

1 kind of drill preparation. This, this needs to be taken seriously.

2 And, to make matters worse, a lot of Exelon reactors don't have
3 backup power systems on their emergency sirens. So, if there's a power failure in the
4 event of an accident, when these systems are needed the most, no one's going to be
5 able to, no one's going help.

6 I mean, you're relying on police with bullhorns trying to evacuate a
7 community. That's insufficient. The people of Clinton deserve better.

8 I'm also disgusted by Exelon's role as a, as a citizen, as a corporate
9 citizen. They have not been a good corporate citizen. They, they cut and run on
10 property taxes here. They undermine your property values. They're not paying their
11 fair share. They're not, they're not paying their fair share in Zion either.

12 We had to pass a referendum to pick up their responsibility. So now,
13 the property tax, the property taxes, residential property taxes in Zion, Illinois, are
14 paying what Exelon should be paying, their fair share.

15 They're still using that facility, they should be paying for our school
16 funding. And I think Exelon owes it to this community. It's not a gift, it's, it's owed.
17 You deserve it.

18 That's all I have to say tonight. Thank you.

19 MR. CAMERON: All right. Thank you. We're going to, we're going
20 to go to Brian, Brian. And then Hannah, Hannah Yount. And it is officially Brian
21 Kiedrowski?

22 MR. KIEDROWSKI: That is correct.

23 MR. CAMERON: Brian Kiedrowski.

24 MR. KIEDROWSKI: Hello. My name is Brian Kiedrowski, I'm a
25 student at UW Madison. I'm here today to voice my support for nuclear power. And

1 my career path will probably not make me, in any way, a part of the traditional nuclear
2 power industry.

3 So, the only benefit that I see is a clean energy future. So, there are
4 a few points that I'd like to talk about that, that were brought up.

5 One is the nuclear industry doesn't have insurance. Well, it is true
6 there is the Price Anderson Act, and that only covers liability insurance. And the
7 nuclear industry does pay quite a good premium for this Act's insurance.

8 However, this in no way pays for any of the, this only pays for the off
9 site health losses and in no way pays for any onsite damages. So, the nuclear
10 industry is not getting subsidized that way.

11 The issue of reprocessing was brought up, and yes, it is not
12 economical now. But with special nuclear material from, from, with weapons created
13 from plutonium, we're buying back our warheads, that's understandable.

14 But eventually, the supply of uranium will run out. And the political
15 pressure of building another repository will make, will make it so reprocessing will
16 become politically economical, rather than just right, than just straight up costs I
17 believe.

18 And I guess I want to talk about radiation. And there's a lot of, I just
19 want to put it all into perspective. I bet there's a lot more radiation from the bricks in
20 this room, with all the uranium and thorium and that, than I'm getting, than I would get
21 if I were to stand right on the edge of the exclusion zone from the power plants.

22 And the amount, so we have to put this into perspective of what we
23 get from a natural background, because there's radiation all around us in the air, the
24 cosmic rays penetrating our bodies, doing lots of stuff to us right now.

25 When life evolved, natural background was 10 to 20 times higher.

1 There are places on this planet where natural background is naturally 10 to 20 times
2 higher. And these areas observe no increase in cancer in any way.

3 In fact, most of those areas have a decrease, people are more
4 healthy in those areas. This is a very interesting find. So, so the amount from a
5 nuclear power plant is less than one percent, probably closer to one tenth of one
6 percent at the exclusion zone.

7 And remember about radioactive emissions, well the effluence
8 they're radioactive so they'd decay away. Unlike gas, like CO₂ from your car, and OX
9 which never go away. These are here forever. Whereas radioactive byproducts do.

10 A medical X-ray, that's around 100 times of what you get staying on
11 the, on the edge of the exclusion zone.

12 And if you're a smoker, you smoke a pack a day and you smoke
13 heavily, that is 5000 times radiation you are getting than if you just, if you just sat at the
14 exclusion zone, 24 hours a day, 24, seven, 52 days a week, 365 days a year.

15 And someone brought up that plutonium is the most deadly
16 substance on earth. Well, chemically, caffeine is far more deadly, which is, which is
17 shown to be true. And there have been studies of people who were at Los Alamos,
18 back in 1943, and we know a lot more about radiation now, then we did back then.
19 And they'd ingest a lot of plutonium.

20 And actually, their, their health rates were a lot higher. Their
21 mortality rates were lower than what was in the normal population.

22 So, with that, I'd just like to sum up that, I'd like people to just keep
23 their risks in perspective. And just, just keep an open mind and everything. We need
24 a diverse energy mix for our future.

25 Thank you very much.

1 MR. CAMERON: Thank you, Brian. Hannah? This is Hannah
2 Yount.

3 MS. YOUNT: I'm really short, sorry. Thanks. My name is Hannah
4 Yount. I'm also a nuclear engineering student at UW Madison. I'm a graduate student
5 in nuclear engineering. And my career path also probably will not rely solely on the
6 industry.

7 Although I do support the industry. And I'd like to take a moment to
8 thank the NRC for their excellent job for the past few decades, and regulating the
9 nuclear industry. We really do appreciate that.

10 A couple of points that I would like to make. Most of the good things
11 have been said. The important thing is that we are facing an energy crisis right now in
12 the United States.

13 It's a critical time and I think we recognize that for the fact we're, by
14 the fact that we're here and we're talking about it.

15 And we need a source of energy that is economical. And quite
16 frankly, nuclear energy is a reliable and economical source of energy, merely by the
17 fact that people are looking at it. Exelon may be looking, in the future, at building a
18 plant. And they wouldn't be doing that if it wasn't good business. So, we can trust
19 that.

20 By forcing an immature technology that cannot carry base load such
21 as wind energy, that may be able to diversify our energy mix but not carry base load,
22 will in fact, ultimately hurt a lot of the minorities or lower income groups that we have
23 been talking about. Because those groups can't afford the higher energy prices that
24 would cost.

25 I guess the only other thing that I did want to mention, that the

1 Government does invest quite a bit in renewable energy research. They do more in
2 renewable energy research than they do nuclear energy research. And when that
3 develops, I do hope that it becomes a part of the energy mix. And I would like to say
4 that I fully support this early site permit and I hope it happens.

5 MR. CAMERON: Thank you, Hannah. Mr. Steve Cohn and Mr.
6 Scott Madison. Steve?

7 MR. COHN: Thanks. My name is Steve Cohn. I teach economics at
8 Knox College, in Gillsburg, Illinois, about 120 miles northwest of here.

9 *From the late 1970's, the late 1990's, I specialized in the economics*
10 *of nuclear power. And I'm the author of a 1997 book on the economics and history of*
11 *nuclear energy.*

12 In a time a rising oil and natural gas prices, and greenhouse
13 concerns about burning coal, I can, as an economist, appreciate the potential appeal
14 of nuclear energy.

15 But as someone who spend decades researching nuclear
16 economics, I am skeptical about the technology's economic viability.

17 From the earliest days of the Atomic Energy Commission, people
18 have underestimated the economic implications of nuclear power's unique hazards.
19 They have also fought to shift the cost responding to these hazards, from private to
20 public shoulders.

21 In a post 9/11 world, this underestimation, and mis-accounting
22 seems especially unwise. The last 40 or so nuclear plants, completed in the 1990's,
23 generated electricity at more than four times the real inflation adjusted cost predicted
24 in the 1960's.

25 The dominant reason for this, was the underestimation of the cost of

1 containing nuclear hazards. I expect these unpleasant surprises to continue. And the
2 proposed plan to cost more than predicted.

3 I also urge you to deny a license to any nuclear plant, for which the
4 contractor is unwilling to assume full liability for serious accidents, as a contractor
5 would for any other energy technology.

6 I urge you to include liability for terrorist related accidents, in the full
7 costs of nuclear power, otherwise we can't have a fair competition, between nuclear
8 energy and alternative energy options.

9 The market cost of such liability, could be proxied for, by requiring
10 private sector insurance coverage, and waiving Price Anderson.

11 Without including the implications of terrorist hazards, we will bias
12 technology development in potentially dangerous ways.

13 Now, I might end with just two comments. It's been 50 years since
14 the passage of the Price Anderson Act, which could originally be justified as a infant
15 industry a situation where we didn't know much about the technology.

16 But I see no reason to continue this protection. We usually allow the
17 market and the private sector to assess the risks of different technologies. We do this
18 by holding the firms liable for any hazards they might cause. And requiring them to get
19 insurance, to make sure they can meet that liability.

20 If this technology cannot find private insurers, then it should not go
21 forward. If it can get insurance, it should pay for it.

22 Now, if you had a house on a flood plain and couldn't get private
23 insurance, what would that tell you? If the private sector is unwilling to assume the full
24 liability for accidents, what is that telling you? Thank you.

25 MR. CAMERON: Thank you. Thank you Mr. Cohn. Scott Madison,

1 Scott Summers. Mr. Summers, please come up.

2 MR. SUMMERS: Good evening everyone. Thank you for hanging
3 on. My name is Scott Summers, S-u-m-m-e-r-s. I'm a member of the Illinois Green
4 Party. I'm a lawyer from Harvard, Illinois, way up on the Wisconsin state line. A town
5 just about the same size as Clinton, so I, I fancy I know a thing or two about a town
6 your size.

7 I know how a small town aches. Indeed, I know what a project like
8 this means to the citizens of Clinton. Perhaps you heard about the Motorola plant in
9 my small town of Harvard, that ended up shuttering.

10 So, I have a lot of empathy for what a lot of you are going through
11 here tonight.

12 I've thought about nuclear power for a long time. There are pluses
13 and minuses to a whole lot of things in life and nuclear power has been one of them,
14 over the course of my lifetime. As a young boy, it was the, it was going to be the
15 savior of energy. We were going to have un-metered electricity. It was going to be as
16 cheap as water. Of course, over time, it's not really worked out that way.

17 I've come over the course of my adult life, to a rather unhappy
18 conclusion on the subject. I conclude that nuclear power is on balance a failed
19 experiment. And the time has finally come, for us as a society, to wrap it up. To cut
20 our losses. To do our very best to stuff the genie back in the bottle, if indeed that's at
21 all possible, and to move on to other forms of energy.

22 Common sense, I think, dictates where I have come to my
23 conclusion. And the very simple common sense thing that I think has not really been
24 articulated quite yet, is that over the course of the nuclear age, which is now over 60
25 years, we have yet as society, we have yet as a world community, to figure out what to

1 do with the stuff. The stuff is a polite term, isn't it?

2 I think with the best intentions, we've continued to license nuclear
3 power plants and site them, thinking that we could push off into the future a
4 satisfactory solution. But the solution has not materialized. 60 years on, no solution
5 for long term storage. No solution for long term protection.

6 I think Yucca Mountain has been the last best hope of our
7 generation. I think many of are aware now that the science that has gone into Yucca
8 Mountain is, to be polite, suspect.

9 Yucca Mountain may not at all come on line. And since we can't
10 figure out what to do with the stuff, in our generation, let us not license any more
11 plants until we figure out what the heck to do.

12 Some other points that I'd like to make. Many of which have been
13 eloquently made, more, most recently the professor from Knox. I thank you, I was
14 going to all the capital arguments. And indeed I may touch on a few here as I, as I
15 wrap it up.

16 One thing that's not been touched on is the 9/11 implications. I was
17 looking at background here, the NRC put out on the table. Nuclear security
18 enhancements since September 11th. And I commend them for that, they recognize,
19 the Department of Homeland Security recognizes, President Bush and the Congress
20 recognize, that nuclear power plants are a prime target for terrorism.

21 But what are we doing here in Clinton? We're not mitigating the
22 threat, we're increasing the threat. We are going to make the attractiveness of a
23 nuclear facility more enhanced for terrorists. They're going to want to come to Clinton
24 more than ever to, to wreak havoc on us here in this community, throughout the state.

25 For anybody who thinks this won't happen in Clinton, tell it to the

1 folks in Oklahoma City who would never have thought that they would be the subject of
2 the worst terrorist attack 10 years ago today.

3 In closing, I'd like to point out and reiterate what some other people
4 said about Exelon. If we let market forces ride, nuclear power would be an absolute
5 non-starter. Price Anderson is one, as the professor pointed out.

6 We have a very peculiar thing that's going on here. We have lost
7 track of capitalism in this country. We have privatized the reward and socialized the
8 risk. What kind of deal is that?

9 The shareholders of Exelon should be shouldering the risk. That's
10 what classic capitalism is about. That's what made America great. And we're doing it
11 time and again. We're palming off the responsibilities of the shareholders, of the
12 capitalists on to the public sector. That's the rottenest deal in town.

13 If this plant is licensed, let's not palm off the responsibility on the
14 taxpayers and the rate payers, let's make Exelon and any other nuclear utility in this
15 country, put an escrow up front, multi-millions of dollars. Probably hundreds of millions
16 of dollars, to ensure that the waste will be disposed of properly.

17 No more free rides. Let capitalism and nuclear energy will be
18 out of business altogether. Thank you very much.

19 MR. CAMERON: Thank you, Mr. Summers. Is Peter McAvoy here?
20 Or Mr. Taj? Jason Harris? John Gilpin was, had to leave, but he just has a very, very
21 short statement, that we're going to have read to us, by Carolyn Treadway.

22 And I looked, it is short.

23 MS. TREADWAY: It is two paragraphs. There were three carloads
24 from Champaign, they all had to leave before they had a chance to speak, and they
25 were registered speakers.

1 John Gilpin asked me to read this, if possible. So this is from John
2 Gilpin, Champaign, Illinois.

3 There is one overriding reason why Clinton II should not be built, and
4 indeed why Clinton I should be decommissioned, with all deliberate speed. Namely, if
5 anything really serious should ever go wrong, the resulting devastation would go
6 beyond what most people can imagine.

7 Ah, but our design is so modern, so technologically advanced, that
8 nothing could ever go wrong, Exelon might say. So thought the builders of the Titanic.
9 And indeed, the builders of the World Trade Center.

10 But things can go wrong, as the recent years long shut down of
11 Clinton I confirms. And lying in the background is the New Madrid earthquake fault.
12 The pool is full of radioactive waste. And the ingenuity and dedication of terrorists.
13 Ridiculous, way overblown say proponents. Bad things could never happen.

14 But there is an incontrovertible fact that proves them wrong. The flat
15 refusal of insurance companies to touch nuclear power. The judgment of the
16 professionals, whose basis it is to assess risks, has been 100 percent consistent from
17 the beginning.

18 Nuclear power is too risky for us to touch, they say. That is an
19 objective judgment we would do well to heed today.

20 MR. CAMERON: Thank Mr. Gilpin for us. Thank you for reading
21 that to us.

22 I hate to ask this, but did I miss anybody? Okay. Well, I thank all of
23 you for your comments and fortitude. And I'm just going to have, Andy, do you want to
24 say just one sentence?

25 MR. KUGLER: Well, maybe.

1 MR. CAMERON: No, he doesn't have three minutes. I can control
2 him.

3 MR. KUGLER: No, I mainly want to thank you all for coming out.
4 And particularly those who hung in there this long, I thank you for your patience.

5 Remember that you can submit comments, through May 25th, in
6 writing or by e-mail. And other than that, please drive safe going home.

7 Thank you.

8 (Whereupon the meeting was concluded
9 at 11:32 p.m.)

10

11

12

13

14

15

16

17