

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

ORIGINAL

Title:

Telephone Conversations at
NRC Headquarters during
the Millstone Alert Declaration
on April 17, 2005

Event Number:

41607

Location:

(telephone conference)

Tape:

COMMISSION ASSISTANT, 13:05-13:27

Work Order No.:

NRC-372

Pages 1-19

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

F/4

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

HEADQUARTERS OPERATIONS CENTER

+ + + + +

TELEPHONE CONVERSATION(S)
RE MILLSTONE ALERT DECLARATION
OF APRIL 17, 2005

+ + + + +

EVENT NO. 41607

Commission Assistant Bridge 9, 13:05-13:27

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

13:05

MR. HEADQUARTERS OPERATIONS OFFICER: This is Headquarters Operations Officer. I believe we have everyone up on the Commissioner Assistant's Briefing Bridge, and that bridge is cross tide now with the ET Bridge.

Mr. Lanning, at Region I, are you on the bridge, sir?

MR. LANNING: Yes.

MR. HEADQUARTERS OPERATIONS OFFICER: Mr. Dyer, can you hear me in the ET room, sir?

MR. DYER: Yes. I can.

MR. HEADQUARTERS OPERATIONS OFFICER: All right. With your permission, Mr. Lanning, I understand you're going to conduct the brief. I'll execute a roster playback so we can find out who's on the bridge.

MR. LANNING: Okay.

ELECTRONIC VOICE: There are currently 18 participants in your conference. The following people are in the conference.

MR. COE: Douglas Coe, Office of Commissioner Lyous.

MR. RAMSEY: Jack Ramsey, International

1 Programs.

2 MR. BRENNER: Eliot Brenner, Headquarters
3 Public Affairs.

4 MR. LEE: Sam Lee, Office of the EDO.

5 MR. ANDREWS: Tom Andrews, Region 4.

6 MR. JONES: Andrew Jones, Region 4.

7 MR. CROTEAU: Rick Croteau, Chairman's
8 office.

9 MR. MARSH: Tad Marsh, NRR.

10 MS. VIETTI-COOK: Annette Vietti-Cook,
11 Office of the Secretary.

12 MR. REIS: Jerry Reis, Commissioner
13 Jaczko's office.

14 MR. GIITTER: Joe Giitter, NMSS.

15 MR. NERSES: This is Vic Nerses, NRR,
16 Project Manager, Millstone 2, backup Millstone 3.

17 MS. HAYDEN: Beth Hayden, Public Affairs.

18 MR. WEBER: All right. This is Mike Weber,
19 NSIR.

20 ELECTRONIC VOICE: Roster playback is
21 complete.

22 MR. BLOUGH: Okay. And in the Region, this
23 is Randy Blough and Wayne Lanning's here and Wayne's
24 a IRC manager, I'm the assistant. Also with us are
25 Diane Screnci, John White, Jim Trapp, Paula

1 (inaudible), Jim Wiggins. We have a few others that
2 are not participating in the call.

3 MR. HEADQUARTERS OPERATIONS OFFICER: Okay,
4 Headquarters Operations Officer. I believe there are
5 a number of people on the bridge that were not called
6 out on the roster playback. If they could identify
7 themselves?

8 MS. HARRINGTON: Holly Harrington, Public
9 Affairs.

10 MR. JONES: Brad Jones, Commissioner
11 McGaffigan's office.

12 MR. LANNING: Okay. And we also have Max
13 Schneider who's at the site and cannot be part of the
14 briefing.

15 We've been following an incident, ahh an
16 interesting transient, at Millstone that has put the
17 plant in an alert and put the region in the monitoring
18 phase.

19 We've got a full regional audience of
20 response center staff here, including a Government
21 liaison manager, public affairs manager, a full
22 reactor safety team and others. We've been
23 coordinating through a Government liaison manager with
24 the states of New York and Connecticut and FEMA I.

25 Our public affairs is prepared to respond

1 to press inquiries regarding the event, although we've
2 had none. We plan to prepare a press release. The
3 company's had a number of press inquiries and has
4 issued one press release.

5 As I said, the plants in an alert. They
6 may be ready to terminate now. It's an interesting
7 transient that will require us to follow up on our
8 part. There were no significant releases from the
9 plant and no real hazard to the public as it turns
10 out.

11 We have Max Schneider who's been following
12 this event. In fact he's one of three inspectors on
13 site - he is the Senior Resident, and he's going to
14 take you through the technical details of what
15 happened this morning.

16 Go ahead, Max.

17 MR. SCHNEIDER: Okay. Good afternoon.
18 8:29 this morning, Millstone, Unit 3 experienced an
19 automatic reactor trip. Alpha-train safety injection
20 actuation system actuated and Alpha-train main steam
21 isolation from a Bravo steam generator low steam line
22 pressure. Operators followed up with manual
23 initiations. Note that the Bravo-train, SIAS and the
24 HD isolation did not actuate. Steam generator safety
25 on Bravo and Charlie steam generators opened and

1 stayed open and then cycled until they stabilized
2 about 15 minutes later. For your information there
3 are five safeties each steam generator.

4 At 08:42, operators declared an alert
5 based on unisolable steam line leak outside
6 containment and in accordance with their emergency
7 action level tables due to steam generator safety
8 staying open.

9 Pressurized Porus and safeties lifted and
10 reseated due to the primary plant going solid on the
11 pressurizer from the safety injection. The highest
12 primary pressure that they saw was approximately 2,345
13 pounds.

14 PRT level increased. This is where the
15 safeties and Porus relieved to, pressure relief tank,
16 the PRT level increase to approximately 82 percent,
17 pressure was approximately 70 pounds. The ruptured
18 disk, which ruptures about 86 to 100 pounds, did not
19 rupture.

20 Complications to the event, the Alpha-
21 train of SI-MSI actuated only. Turbine driven aux
22 feedwater pump, one of three, two motor driven and one
23 turbine driven, tripped when called upon. That has
24 since been reset and is working properly.

25 One steam generator's safety lifted

1 approximately 40 pounds below its set point, it lifted
2 about 1140 pounds as compared to 1180 pounds lift set
3 point.

4 Additionally, a charging system valve,
5 661, on Alpha charging pump recirculation line valve
6 had a packing leak that had a significant steam plume
7 associated with it. That has since been isolated and
8 they have not had any indications of airborne
9 contamination or releases into the auxiliary building.
10 That's something to follow up on.

11 Current plant conditions; they are
12 removing heat via the atmospheric dump valve bypass
13 valves. On a main steam isolation, basically you're
14 isolating the steam generators, - so the MSIVs are
15 shut, their bypasses are shut, atmospheric dump valves
16 are shut and accordingly when you button up a steam
17 generator you get the safeties lifting.

18 Pressurizer level is currently 53 percent,
19 pressure approximately 2260 pounds, temperature
20 approximately 558 degrees. The steam generator levels
21 are approximately 69 percent and pressure is around
22 1200 pounds, or I mean 1100 pounds. The PRT level is
23 82 percent and 75 pounds. The licensee is in a
24 procedure where they charge to the PRT to reduce
25 temperature and then subsequently drain the PRT.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Primary sample has been drawn. There are
2 not results yet. And they're also looking at steam
3 generator secondary samples to ensure there's no
4 primary to secondary leak.

5 Current activities, the licensee has
6 activated the site emergency response organization.
7 Both the technical support center and your emergency
8 operations facility are activated. Along that lines
9 I responded to the site this morning and two residents
10 that work for me are here, Kevin Mangen, Silas
11 Kennedy. Kevin is in the Unit 2/3 control room with
12 me. Silas is responding to the TSC.

13 The tampering investigation is in
14 progress. There are no results yet, but there are
15 also no indications of tampering at this point. TSC
16 is leading that effort.

17 The licensee remains in alert and is
18 evaluating termination criteria. According to the
19 licensee, the termination criteria would be getting
20 containment pressure back in the normal band.

21 When they initiated the safety injection
22 actuation signal, they lost their containment
23 chillers' nonsafety related modes, which trip on SI.
24 As a result, currently containment pressure is
25 approximately 14 pounds. Normally they maintain at

1 bout 13.5. Containment chillers have been restored
2 and they're looking at getting that containment
3 pressure back down. That's the only one of their
4 alert criteria that they've discussed.

5 Unit 2, outage activities: Unit 2 is in an
6 outage. They intended to do an RCS drain down drain
7 down below the head flange today. Unit 2's
8 significant outage activities are on hold until they
9 evaluate and decide to deactivate the (inaudible).

10 The licensee is reviewing tech specs.
11 They are in tech spec 3.7.1. That's for steam
12 generator code safeties. It takes six hours to get to
13 hot standby and a subsequent six hours to get the hot
14 shutdown.

15 And then following on, they will need to
16 investigate the initiator and determine electronic
17 failure or actual low main steam line pressure.

18 I really haven't got a solid indication
19 from the licensee as to the understanding which
20 occurred first, the low steam generator pressure
21 causing the SI, MSI, and SIAS or actual steam
22 generator relief lifting causing a low steam line
23 pressure.

24 That's what I have Randy.

25 MR. PARTICIPANT: May I just add a couple

1 points. They were not operating with any known fuel
2 leakers and they've completed the chemistry on three
3 of the four steam generators, and they're not
4 detecting any indication of primary/secondary leakage.

5 MR. SCHNEIDER: That's correct.

6 MR. LANNING: So our plant's gone forth,
7 then are to continue to monitor their efforts from the
8 site and the Region 1 IRC calling upon headquarters as
9 we need them.

10 It looks like the plant is at a stable hot
11 shutdown now with a need to continue to watch that
12 pressurizer relief tank where the primary reliefs
13 discharges to. And then the plant plans to go on and
14 cool down.

15 So we'll be monitoring their efforts. We
16 think the licensee of these probably will be de-
17 escalating from an alert fairly soon here. I guess
18 we're ready at this point for questions that you might
19 have.

20 MR. GIITTER: This is Joe Giitter. Could
21 you talk about the turbine driven aux feedwater pump
22 again?

23 MR. HEADQUARTERS OPERATIONS OFFICER: Go
24 ahead, Max.

25 MR. SCHNEIDER: In response to the event,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the reactor tripped. The turbine driven and motor
2 driven aux water pumps start to feed the steam
3 generators. In this case, the turbine driven aux
4 feedwater pump, when it was asked to start, it started
5 and then tripped. Subsequently they reset it and it
6 is currently working correctly. That would be a
7 followup activity to determine why it tripped.

8 MR. GIITTER: Could you also explain again,
9 please, the -- you said -- I'm not quite sure, did the
10 a-train SI actuation occur before or after the a-train
11 main steam isolation valve closure?

12 MR. SCHNEIDER: The Alpha-train safety
13 injection actuation signal and main steam isolation
14 signal came in. And that comes in on one of things,
15 on a low steam line pressuring. And that did come in
16 on the Alpha-train, but not the Bravo-train. And
17 that's another thing that needs -- this licensee needs
18 to understand.

19 MR. GIITTER: And the steam generators, B
20 and C, in which the safety valves opened, were
21 associated with the a-train?

22 MR. SCHNEIDER: This is Alpha-train in
23 terms of electronics. You have four steam generators,
24 A, B, C, and D.

25 MR. NERSES: Max, this is Vic Nerses.

1 MR. SCHNEIDER: Yep.

2 MR. NERSES: What's the normal PRT level
3 they operate at?

4 MR. SCHNEIDER: They do operate with a
5 level I'm not sure, I'm thinking 40/50 percent, but I
6 really wouldn't want to pass that along as fact here.
7 I'll have to find that out.

8 MR. NERSES: Okay.

9 MR. REIS: Max, Terry Reis. Would you
10 please go over one more time the current heat removal
11 methodology?

12 MR. SCHNEIDER: It's atmosphere dump valves
13 have bypass valves. Now the ADV's, when you have an
14 MSI, they get a signal to close, they're buttoning up
15 the steam generator. And so that MSI signal is not
16 yet reset. If they reset the signal, then they could
17 operate them manual electric, if you will. But right
18 now, they're controlling the decay heat using the
19 bypasses around those valves.

20 MR. REIS: Okay. Thank you.

21 MR. NERSES: Okay. So, I just wanted to
22 follow up on that question that I had on the a-train
23 low steam line pressure, there was not an associated
24 b-train low steam line pressure. Correct?

25 MR. SCHNEIDER: Right. If you had a Bravo-

1 steam generator main steam line actual low pressure,
2 you would expect the Alpha and Bravo reactor
3 protection systems to pickup on that and generate an
4 ESF actuation and have a SIS and an MSI. That didn't
5 happen. It only happened when the Alpha-train ESF.
6 So that's unusual. You would have expected both
7 trains to have seen the same thing and come in.

8 MR. NERSES: And when that happens and the
9 a-train SI actuation occurs, how many of the four
10 steam generator isolation valves would be effected by
11 that Alpha-train low steam line pressure signal?

12 MR. SCHNEIDER: Well, it was buttoning up
13 all the steam generators.

14 MR. NERSES: All of them?

15 MR. SCHNEIDER: Yes.

16 MR. NERSES: And is that what happened?

17 MR. SCHNEIDER: Yes.

18 MR. NERSES: Okay. And then you mentioned
19 -- I thought that you said that the steam generators,
20 Bravo and Charlie, they're steam safety valves did
21 open, correct, and they actually stayed open
22 unexpectedly, and then they closed, and then they kind
23 of cycled on and off and didn't stabilize until about
24 15 minutes later, which is unusual? But not the Alpha
25 and the Delta steam generators, they did not open?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHNEIDER: They did not.

2 MR. NERSES: Okay. And there are five
3 safeties on each steam generator?

4 MR. SCHNEIDER: I'm not sure the total, how
5 many on Bravo and how many on Charlie opened and
6 stayed open and then cycled.

7 MR. NERSES: Okay. I see. Thank you.

8 MR. MARSH: I'm Tad Marsh. Are those
9 safeties in the same area, the same vicinity,
10 Bravo/Charlie, generator C? Do you know?

11 MR. SCHNEIDER: Excuse me?

12 MR. MARSH: This is Tad Marsh. Are the
13 Bravo and Charlie steam generator safeties in the same
14 physical area?

15 MR. SCHNEIDER: Approximately -- I'm not
16 sure to tell you the truth. I know what you're
17 talking about and they are in the main steam safety
18 building, but I don't know if they're located right
19 next to each other.

20 MR. MARSH: I mean they're upstream of
21 their respective main steam isolation valves. Right?

22 MR. SCHNEIDER: That's correct. You have
23 both atmospheric dump valves and the steam generator
24 safeties that are upstream to the MSIVs. If you
25 needed to relieve steam generator pressure and, of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 course, decay heat without a condenser, you can still
2 do that to atmosphere.

3 MR. MARSH: If this manual operation to
4 remove the decay heat, is that being done in the same
5 physical area as the main steam safeties or is that
6 done remotely from the control room?

7 MR. SCHNEIDER: It's done remotely from the
8 control room. It's a little more difficult to control
9 that way, then having a full AD available because they
10 because they already do it.

11 MR. MARSH: Do we have an estimate of how
12 much longer it will take to sample the fourth steam
13 generator to verify primary to secondary leakage
14 status.

15 MR. SCHNEIDER: I haven't got an estimate
16 on that.

17 Did -- Wayne, did they talk anything about
18 that from the licensee's brief?

19 MR. LANNING: Nothing more than it was
20 underway. You know, we expect it soon. And it is the
21 Delta steam line that they're evaluating. The other
22 three stream lines have been evaluated.

23 MR. SCHNEIDER: Any other questions at this
24 time?

25 MR. CROTEAU: Yes, Max. Max, this is Rick

1 Croteau. Is AFW feeding the generators right now?

2 MR. SCHNEIDER: Yes. All three.

3 MR. CROTEAU: And is there indication of
4 continued in leakage into the PRT from the PRV's, or
5 the relief valve, the safety valve?

6 MR. SCHNEIDER: Before they started the
7 procedure to cool that down and then subsequently
8 drain it, they had seen it stabilized about 82 percent
9 or so. They are still looking at the PORVs and
10 safeties. There are three pressurized safeties and
11 two PORVs. They're still looking at down stream tail
12 pipes and evaluating that. But they saw some
13 stabilization. The reason I tell you that is in order
14 to cool it down, they have to pump to the PRT from the
15 primary grade storage tank. So, they're, you know,
16 you can't -- if you're sending something in there, you
17 can't where it's coming from.

18 MR. CROTEAU: Yes. But they are not having
19 trouble with the level's not getting away from them,
20 or the pressure or anything. Is it pretty stable?

21 MR. SCHNEIDER: Right. The pressure's
22 about 70 pounds, level's about 82 percent. The
23 rupture disc ruptures between 86 and --

24 MR. CROTEAU: Yes. I guess. All right.
25 So, they're below that. Okay. Thanks.

1 MR. BRENNER: Eliot Brenner for Diane
2 Screnci.

3 MS. SCRENCI: Yes.

4 MR. BRENNER: Is it your intent to put
5 anything out or just respond to query right now?

6 MS. SCRENCI: No. We're going to write a
7 press release and put that out.

8 MR. BRENNER: I'm sorry. Say again.

9 MS. SCRENCI: I'm going to write a press
10 release and we're going to put that out.

11 MR. BRENNER: Okay.

12 MR. PARTICIPANT: Max, there was an earlier
13 report that that pressurizer might have gone solid.
14 Has that been withdrawn or is there any firm
15 information on that?

16 MR. SCHNEIDER: The firm information is the
17 pressurizer did go solid. When they had a safety
18 injection and are pumping all this water into the RCS,
19 they went solid. And that's what caused the PORVs to
20 -- or the safeties to lift on the primary side.

21 MR. PARTICIPANT: And as well, might want
22 to follow up and find that out if we got through the
23 event as with other aspects of this event because the
24 other PORVs were probably -- you're operating under
25 water environment and such and we don't know how many

1 times they cycled and that sort of thing. So there'll
2 be a lot to follow up on this event, during the
3 follow up inspection.

4 MR. SCHNEIDER: Okay. Thank you. And yes,
5 that sounds good.

6 MR. PARTICIPANT: Do you know if the
7 operators have detected any evidence of a steam bubble
8 under the head?

9 MR. SCHNEIDER: Yes. The report the gave
10 us on their debrief is that 100 percent solid.

11 MR. PARTICIPANT: Okay. Thanks. No
12 bubbles. Okay. Thanks.

13 MR. CROTEAU: This is Rick Croteau again.
14 Diane, what's the main thing that you're going to
15 stress in the press release?

16 MS. SCRENCI: I haven't written yet, but
17 I'll say that the NRC's monitoring the situation. We
18 have residents there. We looking at it here and
19 there's been no detectable release.

20 MR. CROTEAU: Okay. Are you planning on
21 waiting until we hear from that fourth steam generator
22 first?

23 MS. SCRENCI: It will probably take me that
24 long anyway.

25 MR. PARTICIPANT: (inaudible)

1 MS. SCRENCI: Yes. We think they're almost
2 done and I haven't even started yet.

3 MR. CROTEAU: All right.

4 MR. HEADQUARTERS OPERATIONS OFFICER: Okay.
5 Last call for additional questions.

6 MR. PARTICIPANT: Good brief, Max. Thanks
7 very much.

8 MR. SCHNEIDER: All right. Thank you.

9 (Whereupon, the phone conference ended at
10 13:27)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE


This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: Telephone Conversation at
NRC Headquarters during the
Millstone Alert Declaration
On April 17, 2005

Event Number: 41607

Location: teleconference

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings as recorded on tape(s) provided by the NRC.



Judy Hadley
Official Transcriber
Neal R. Gross & Co., Inc.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701