

**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
525th Meeting

Docket Number: (not applicable)

PROCESS USING ADAMS  
TEMPLATE: ACRS/ACNW-005

SISP - REVIEW COMPLETE

Location: Rockville, Maryland

Date: Friday, September 9, 2005

Work Order No.: NRC-592

Pages 1-126

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

TRO4

**ACRS OFFICE COPY**  
**RETAIN FOR THE LIFE OF THE COMMITTEE**

ORIGINAL

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

September 9, 2005

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on September 9, 2005, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected and edited and it may contain inaccuracies.

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

525<sup>TH</sup> MEETING

+ + + + +

FRIDAY,

SEPTEMBER 9, 2005

+ + + + +

The meeting was convened in Room T-2B3 of  
Two White Flint North, 11545 Rockville Pike,  
Rockville, Maryland, at 8:30 a.m., Dr. Graham B.  
Wallis, Chairman, presiding.

MEMBERS PRESENT:

GRAHAM B. WALLIS	Chairman
WILLIAM J. SHACK	Vice-Chairman
GEORGE E. APOSTOLAKIS	ACRS Member
RICHARD S. DENNING	ACRS Member
THOMAS S. KRESS	ACRS Member
MARIO V. BONACA	ACRS Member
DANA A. POWERS	ACRS Member
JOHN D. SIEBER	ACRS Member-at-Large

## 1 ACRS STAFF PRESENT:

2 SAM DURAISWAMY ACRS Staff, Designated Federal  
3 Official

4 JOHN T. LARKINS Executive Director, ACRS/ACNW

5 CAYETANO SANTOS, JR. ACRS Staff

6 MICHAEL L. SCOTT ACRS/ACNW Staff

7 ASHOK C. THADANI Deputy Executive Director,  
8 ACRS/ACNW

9

## 10 NRC STAFF PRESENT:

11 TOM ALEXION NRR

12 KIRSI ALM-LYTZ NRR/IPSB

13 HANS ASHAR NRR/DE/EMEB

14 RAMIN ASSA RES

15 RAJENDER AULUCK NRR/DRIP/RLEP/RL

16 DAN BARSS NSIR/DPR/EPD

17 TOM BLOUNT NSIR/DPR/EPD

18 BRUCE BOGER NRR/DIPM

19 BILL BORCHARDT NRR

20 KEN CHANG NRR/DRIP/RLEP

21 YOIRA DIAZ NRR/RLEP

22 RICHARD DIPERT NRR/DSSA/SPLB

23 JENNIFER DIXON-HERRITY EDO/OEDO

24 JERRY DOZIER NRR/DRIP/RLEPB

25 MARY DROUIN RES/DRAA/PRAB

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1	NRC STAFF PRESENT:	
2	BARRY ELLIOT	NRR/DE/EMCB
3	GREGG GALLETTI	NRR/DIPM/IPSB
4	GEORGE GEORGIEV	NRR/DE/EMCB
5	FRANK GILLESPIE	NRR
6	ANTHONY GODY	OEDO
7	CHRIS GRIMES	NRR/DE
8	JOHN HANNON	NRR
9	JON HOPKINS	NRR
10	KAIHWA HSU	NRR/DRIP/RLEP
11	AMY HULL	NRR/DRIP/RLEP-B
12	RONALDO V. JENKINS	NRR/DE/EEIB
13	PETER J. KANG	RES/MEB
14	ANDREA KEIM	NRR/DE/EMCB
15	SAMSON LEE	NRR/DRIP/RLEP
16	MARK LINTZ	NRR/DRIP/RLEP
17	TILDA LIU	NRR
18	LOUISE LUND	NRR/DE/EMEB
19	EILEEN McKENNA	NRR
20	DUC NGUYEN	NRR/DE/EEIB
21	AMAR PAL	NRR/DE/EEIB
22	CARL J. PAPERIELLO	RES
23	VERONICA RODRIGUEZ	NRR/RLEP
24	THOMAS SCARBROUGH	NRR/DE/EMEB
25	RAMACHANDRAN SUBBARATNAM	NRR/DRIP/RLEP

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 NRC STAFF PRESENT:

2 GREGORY SUBER NRR  
3 DAVID TERAQ NRR/DLPM/PD41  
4 LINH TRAN NRR/DRIP/RLEP-B  
5 SUNIL WEERAKKODY NRR/DSSA/SPLB  
6 JARED WERMIEL NRR/DSSA/SRXB  
7 J.T. WIGGINS RES  
8 ADAM WILSON RES/DET/MEB  
9 JAKE ZIMMERMAN NRR/DRIP/RLEP

10

11 ALSO PRESENT:

12 AL BAIONE Parallax  
13 MICHAEL B. DETAMORE PPL Susquehanna, LLC  
14 MICHAEL HEATH Progress Energy  
15 JONATHAN HINZE International Access Corp.  
16 DONALD C. KOSLOFF FENOC-Beaver Valley  
17 DAVID KUNSEMILLER FENOC-Beaver Valley  
18 ALEX MARION NEI  
19 CHALMER MYER Southern Nuclear  
20 VIJAY NILEKANI IAC  
21 ERACH PATEL Parallax  
22 JAMES ROSS NEI  
23 ROGER RUCKER First Energy  
24 KAZUNOBU SAKAMOTO JNES  
25 CHARLES WILLBANKS ATL International

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

## I-N-D-E-X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PAGE

Opening Remarks . . . . .	6
Draft Final Updates to License . . . . .	8
Renewal Guidance Documents	
Meeting with the EDO, Deputy EDOs, . . . . .	47
and NRC Program Office Directors	
Adjourn	

## P-R-O-C-E-E-D-I-N-G-S

8:32 a.m.

CHAIRPERSON WALLIS: Good morning. The meeting will now come to order. This is the second day of the 525<sup>th</sup> Meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting the Committee will consider the following. Draft final updates to license renewal guidance documents. Meeting with the EDO, Deputy EDOs and NRC Program Office Directors.

Interims results of the quality assessment of selected NRC research projects. Future ACRS activities. Report of the Planning and Procedures Subcommittee.

The reconciliation on ACRS comments and recommendations. And the preparation of ACRS reports. This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

Mr. Sam Duraiswamy is the Designated Federal Official of the initial portion of the meeting. We have received no written comments from members of the public regarding today's session.

We have received a request from Mr. Marion, at NEI, to make oral statements regarding the license renewal guidance documents. A transcript of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 portions of the meeting is being kept, and it is  
2 requested that the speakers use one of the  
3 microphones, identify themselves and speak with  
4 sufficient clarity and volume, so that they can be  
5 readily heard.

6 I would like to remind the members about  
7 the interview of candidates during lunchtime today.  
8 We'll turn immediately to the first item. Dr. Bonaca  
9 is our expert on the subject of license renewal  
10 guidance documents, and Mario, would you please lead  
11 us.

12 MEMBER BONACA: Yes, good morning. When we  
13 reviewed the first time, the guidance documents for  
14 license renewal it was a few years ago now, we  
15 commented on the importance that we have these  
16 documents.

17 I mean we, I believe we used the words, a  
18 remarkable compendium of information in the GALL  
19 Report that it's, I think it's fundamental to support  
20 license renewal, as well as support good pressure on  
21 the plants, good maintenance, insightful, and most of  
22 all, the distribution of information from unit-to-  
23 unit, which I believe is responsible for improvements  
24 in the Agency performance in the past ten years.

25 Now we have, since that time, a large

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 number of license renewals, and of course there has  
2 been an accumulation of exemptions, ACR precedence  
3 situations, as well as a need to reorganize the  
4 information inside the GALL Report.

5 And that's what the staff has really been  
6 doing now. They have upgraded, significantly, the  
7 guidance documents and they're here to talk to us  
8 about that.

9 You may remember that in last March we met  
10 to review this effort and before the document would go  
11 out for comment. I believe the comments have been  
12 received, have been addressed.

13 I believe there is some comments still  
14 that will be provided by NEI today about a couple of  
15 issues. But, in general, they've all been  
16 incorporated, and so we're here to listen to the final  
17 presentation of the final update of these documents.  
18 With that, I'll turn to Mr. Gillespie.

19 MR. GILLESPIE: Mario, thanks, Frank  
20 Gillespie, NRR. This document, actually, I'm going to  
21 say it's even more important than what Mario said.

22 This is a major mid-course correction at  
23 about the six-year point in about a 12-year program,  
24 if you look at the number of plants we've done and the  
25 number of plants we still have to do.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           We've actually had an organizational  
2 change based on this document. Section B, which is  
3 the Audit, or basically a technical support section  
4 self-contained in renewal, was developed with the idea  
5 that anything that was consistent with GALL, this  
6 dedicated group would become the experts in it.

7           And the expansion of GALL now, has allowed  
8 the Audit Program to expand, so that we're not  
9 remaking the same decisions over and over, but we're  
10 actually looking at applicability.

11           So it actually has changed, significantly,  
12 the distribution of work within NRR, relative to  
13 what's in the self-contained, technical support group  
14 or the Audit Group, in what was formally being  
15 actually re-reviewed time after time after time, down  
16 in the Engineering Group.

17           So this is, this is not just a guidance  
18 document, the guidance document has already had an  
19 impact on organization, how we do it.

20           You heard from Millstone yesterday, where  
21 they extensively used past precedence. So we used  
22 them as a practice plant on kind of the expanded GALL-  
23 kind of concept.

24           And I don't think we're going to do it  
25 again. We've got a set here, and I'm only saying that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 in that it was so hard to do it this time, it was very  
2 tedious.

3 I could recognize the technical support  
4 contractor was a company, Parallax, and Al Baione was  
5 our Project Manager there, he did a bang up job in  
6 supporting Jerry as the leader.

7 Amy Hull. Amy is on loan to us from  
8 Argonne. Plus the staff that helped. So this became  
9 a very important document. There is a disagreement.  
10 And I was quite pleased.

11 This is probably not what you'd normally  
12 hear. Quite pleased to see that us and industry  
13 actually didn't agree on the whole document. There's  
14 a couple of areas in the electrical area I think  
15 you're going to hear from NEI.

16 And I think the importance of saying there  
17 are some minor disagreements is, in the end, this is  
18 an NRC document. This is an expression of what the  
19 NRC staff has found acceptable.

20 It's very nice to have a consensus with  
21 industry, but I think each Licensee needs to know what  
22 the baseline the staff is thinking from, as a minimum,  
23 and then each utility can then decide what they want  
24 to do that's different.

25 It's not a rule, it's a guidance document.

1 And relative to at least putting that information out,  
2 it's probably kind of nice to say that the staff  
3 didn't fold every place.

4 And those points are still under  
5 discussion. I think we will, you'll see a more active  
6 program in the future, relative to keeping it up-to-  
7 date. But, right now, GALL covers, with this new  
8 publication, about 90 percent of those kinds of  
9 decisions we've been making over and over and over  
10 again.

11 And there's about a ten percent increment  
12 that we'll be looking at in the future. That's also  
13 why I don't think you'll see this major before. It  
14 was kind of a midpoint.

15 It had input from about 25 renewals that  
16 had been done. And we're actually seeing a lot of  
17 repetition. When you break a plant down into  
18 components and pieces, all of a sudden they actually  
19 start looking very much more alike than what you might  
20 think.

21 Traditionally, we say every one is unique.  
22 The other think I'll say is the same team has input to  
23 an international program that I chair with IAEA, that  
24 has a first draft of an international GALL,  
25 interestingly enough.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   There's four working groups. P.T. Kuo  
2                   heads one, which is the Regulatory Group. Then  
3                   there's a Mechanical Group, which is headed by the  
4                   Russians.

5                   The EC actually provided the working group  
6                   chair for the Electrical INC Group, and Hungary and  
7                   Romania, Hungary and Bulgaria chair the Structural  
8                   Group.

9                   So there's actually been some spin off  
10                  applications on what other countries have been seeing.  
11                  because we put everything on our page, it's had a very  
12                  favorable influence.

13                  To have a document that both the regulator  
14                  and operator can use and know what a general baseline  
15                  of acceptable practice from operating experience, this  
16                  is really what this document is from. It's from  
17                  operating experience.

18                  MEMBER APOSTOLAKIS: Are the Germans and  
19                  French participating in this?

20                  MR. GILLESPIE: Because of the Germans  
21                  having officially declared that they're no longer  
22                  going to have nuclear power, they are observing.

23                  And until the political situation in  
24                  Germany would change, the German government actually  
25                  cannot participate. And the French have not.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           It's interesting that the French have not.  
2           And that has a lot to do with the fact that the entire  
3           Eastern Block, Spain, Sweden, Finland and Japan, are  
4           in, but the Eastern Block piece, there was some  
5           initial discussion of the idea that this is countries  
6           with the old VVR-440 designs. That this is applicable  
7           to them also.

8           And that created some friction two years  
9           ago when we started the project. The project ends in  
10          July. We're looking at a first draft, the Steering  
11          Committee is, this January.

12          It won't be as refined as what we have  
13          nationally, because it's a consensus document, but  
14          it's a tabular form, it looks very much like it. And  
15          so it's a first start.

16          It's like, internationally, it's GALL 1,  
17          which we had five years ago. Yeah, so it's had a  
18          significantly influence in sharing this kind of  
19          operational experience internationally.

20          So, the effort has been just, just, been  
21          a horrendous one, on tight schedules and we made it.  
22          But it's in a bigger context. This is actually a  
23          guidance document that's had a significant influence  
24          both internationally and domestically.

25          And on us, organizationally and process-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 wise on how we do a license renewal. So with that,  
2 Gary, I'll turn it over to you.

3 MR. DOZIER: Okay, thank you very much.  
4 Dr. Hull and myself actually are up here as leaders of  
5 this effort. However, I have to thank tons of people  
6 for making this actually happen.

7 If you get the GALL Report and open it up,  
8 you'll see pages of contributors to this effort. From  
9 all of the affected organizations. The NRC, the  
10 contractors, the national labs and Argonne, a lot of  
11 effort.

12 So we're just standing here to represent  
13 an effort that was a lot of sweat of a lot of people.  
14 So thank you for those, those people. Actually, to  
15 address your question a little bit on, before I start,  
16 on the international effort.

17 We did have international participation  
18 and in this we also took this information to Paris.  
19 Bill Borchardt at the Nuclear Conference in Paris,  
20 presented a paper that was given to the French and  
21 also about this effort.

22 There were two conferences in China that  
23 representatives from RLF went to. And also we did  
24 make local presentations. An international GALL group  
25 came in the NIST. They were there and we gave a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 presentation there. So there has been international  
2 interest and somewhat participation.

3 As Dr. Bonaca indicated, in March we came  
4 to basically show some of the types of changes that we  
5 had made to the GALL Report. In June, June of 2004,  
6 that's basically, that was one of the earlier ACRS  
7 presentations.

8 And we said that that's what, you know, we  
9 shared with ACRS what we had planned to do. So with  
10 this presentation, basically, I'm carrying forward  
11 from the March time period into today.

12 And I'm going to focus on the changes that  
13 occurred. If you said, well, what are all the  
14 changes, we could show you a basis document and of  
15 course we delivered our stack of paper and I think it  
16 was about, it was probably about this thick.

17 So I appreciate you guys looking at that  
18 information. So in this presentation I'll also share  
19 the remaining schedule that we have, and of course  
20 we'll be focusing on the license renewal documents.

21 First of all, the documents that we  
22 already had and basically we revived, of course, was  
23 GALL, SRP and Reg Guide. We have two new documents.

24 One is basically, when we put out the  
25 information for public comments, in the February/March

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 time frame, we captured those comments. We placed  
2 them in a document. We addressed the comments. If we  
3 incorporated the comment, we told them that we  
4 incorporated it and where.

5 If we didn't, we explained why we didn't  
6 incorporate that comment, and provided a  
7 justification. I'll talk about that document a little  
8 more in a few minutes.

9 Also the Technical Basis Document. This  
10 is new and actually it shows the changes from 2001.  
11 So if you say, well what are the changes from 2001?  
12 And why did you do it? That's what's contained in New  
13 Reg 1833, and that's, that's our Basis Document.

14 Remaining activities, we have a CRGR  
15 meeting on the 13<sup>th</sup>. We hope to issue this document  
16 September 30<sup>th</sup>, 2005. We'll have everything but the  
17 Basis Document available on GALL and the website.

18 About a month later we should have the  
19 hard copies, the official, bound copies. If you  
20 notice the Basis Document is lagging about one month.  
21 That was intentional. And what that's really doing is  
22 actually giving even a second QA check to, you know,  
23 the staff has to look at it again.

24 Are you sure this is the, does this  
25 accurately reflect our staff position? And from this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 second QA check we got very positive results out of  
2 that. So the Basis Document is coming soon, soon  
3 after the other documents, one month later.

4 So back to the analysis of public comments  
5 on New Reg 1832. We have various appendices in here.  
6 We have a special section for ACRS. We break it up,  
7 also, into the NEI comments.

8 We had, also during the workshop we  
9 solicited comments. A lot of, and we got some comments  
10 from that. We also got written comments that came in,  
11 and a lot of those comments dealt with, most of them  
12 weren't specific to our documents but they related  
13 more to specific Licensees or considerations of other  
14 things in license renewal, such as security and off-  
15 site response and terrorism and things of that nature.

16 We also addressed those types of things  
17 generally in that Appendix D. One other thing we did  
18 to make it easy for the stakeholder to see how their  
19 comment was addressed, was we did a side-by-side  
20 comparison of, for example, the aging management  
21 review line items.

22 We showed what it looked like in January  
23 and right below it would be how it looks today. So  
24 they could, without flipping to a bunch of different  
25 documents, they could see how their changes were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 incorporated.

2 One of the items that we asked for in the,  
3 we felt like GALL was complete but it could, we also  
4 wanted to do one other thing. And that was in GALL,  
5 and in a lot of the, in several of the aging  
6 management review line items, we didn't specify a  
7 particular generic program.

8 We would use the term plant-specific and  
9 we would evaluate it on a, on a plant-specific basis.  
10 We wanted to give a specific aging management program  
11 for some of those if, you know, a generic program  
12 could be applied for, to that AMR line item.

13 And so we asked for that. And we,  
14 actually in it we even got new AMPs and that will kind  
15 of the topic that I'm later talking about. NEI  
16 proposed a couple of AMPs. We also found some  
17 additional AMPs that we could write to do, so that we  
18 could provide some specific guidance on these AMR line  
19 items.

20 So that gives one reason why we had some  
21 of these new AMPs. We also were, we have interim  
22 staff guidance. And interim staff guidance program is  
23 a program that's in place so that, for example, when  
24 GALL 2001 was written, there were some things that  
25 still needed to be worked out, some things that needed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to be changed.

2 We have a process in place that kind of  
3 makes the document living. That we can adjust. We  
4 can provide our stakeholders with our current staff  
5 positions. And if things change a little bit, we can  
6 reflect it in this interim staff guidance process.

7 Also in these, some of the reasons for  
8 providing these new AMPs, was we had some emerging  
9 issues, and we wanted to address those. With that,  
10 for example, on an emerging issue, nickel-alloy in the  
11 heads.

12 That's a, you guys have seen the bulletins  
13 and high attention that this has been given. We  
14 address that in this. We have a new AMP, M11A, on the  
15 closures heads. It basically reflects the, our  
16 precedence on what we have found acceptable, and we  
17 included it in this version.

18 M35 was a one-time inspection. We had,  
19 this one came out of a, we had interim staff guidance.  
20 Basically, this was just an incorporation of that  
21 internal staff guidance.

22 M36, external surfaces monitoring. This  
23 was an AMP that was proposed by NEI, and we, after  
24 rigorously reviewing that and we made a few changes,  
25 we incorporated that AMP. Another one proposed by NEI

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 was flux thimble tube inspection. That was also  
2 modified slightly and incorporated.

3 Since we had the external surfaces monitoring  
4 AMP and we, we could also say we had, based on past  
5 precedent, we could also say that, well, we've  
6 accepted the PM Program for some of the inspections.

7 Now this is primarily focusing on the carbon steel  
8 and general corrosion within these internal surfaces.

9 But, basically, we had a program that we  
10 would accept that, when you go into your PM and you're  
11 looking inside and you can perform the inspection.  
12 Look for general corrosion, and we would accept that.  
13 That's primarily what this new M38 is out.

14 Another one that we have accepted many  
15 times and had been reflected in several of the  
16 applications, was the lube oil analysis AMP, so we  
17 also added that in.

18 VICE CHAIR SHACK: Jerry, just one, when  
19 you pick this document up we all have our different  
20 ways of approaching it. Of course what I did was to  
21 leap to the aging management programs and leaf through  
22 them.

23 And I come to one for PWR internals and I  
24 find out it's been deleted. I'm sitting there  
25 shocked. You know, you're not going age management of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 PWR internals anymore? And then of course I run back  
2 to the tables to find out, look for components in PWR  
3 internals and I find out they are being managed, it's  
4 just that it's a commitment to the industry program  
5 that's going to be developed.

6 It would seem to me to be better to  
7 capture that sort of thing back in the aging  
8 management description of the internals, rather than  
9 just say deleted. Say that, you know, an aging  
10 management program doesn't exist, but you know, why  
11 since these are committed to following research in  
12 this area, you know.

13 Whatever you say for the components really  
14 should be reflected back in the aging management  
15 program, rather than, you know, as I say, my first  
16 shock is it's deleted?

17 MR. DOZIER: A more accurate word should  
18 have been replaced. Because we do have -

19 VICE CHAIR SHACK: Right.

20 MR. DOZIER: - the new, you're referring  
21 to M11. M11 was replaced by M11A.

22 VICE CHAIR SHACK: No, it's M16. I know,  
23 M15. PWR Vessel Internals, deleted.

24 MR. DOZIER: Oh, I'm sorry, that is a  
25 separate issue. I was, my thought processes was on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the nickel-alloy, I'm sorry.

2 Yes, that was deleted and just as you've  
3 summarized there, we've said that you, you still  
4 follow the bulletins, generic letters and the industry  
5 programs to do it.

6 It is an emerging issue. It is being  
7 addressed.

8 VICE CHAIR SHACK: I'm just saying it would  
9 be helpful to have that flagged or something.

10 MEMBER BONACA: I think Mr. Elliot would  
11 like to make a statement.

12 MR. ELLIOT: Barry Elliot. I want to tell  
13 you our thought process on that. We originally had a  
14 PWR internals AMP. And it was generated from the  
15 first two reviews we did, which was Calvert Cliffs and  
16 Oconee.

17 And at the time, we had a lot of muscle  
18 and we were forcing them to do a lot of stuff. And  
19 during the process of review of other plants, we  
20 decided there were a lot more issues that needed to be  
21 addressed within the internals for PWRs.

22 Then, that we were initially talking  
23 about. So what happened was the material, the PWR  
24 owners groups got together and formed an MRP and  
25 started developing a specific PWR internals program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 And hopefully it will be comparable to the BWR VIP  
2 Program.

3 And so we decided that designating a  
4 program at this time, for PWRs, was not the right  
5 thing to do. It would be much better if we just had  
6 a placeholder which said that we will fill in the rest  
7 of this when the MRP finishes their work and develops  
8 a program similar to the BWRs.

9 VICE CHAIR SHACK: I agree absolutely.

10 MR. ELLIOT: And that's why we deleted the  
11 program, because nobody was following the guidance  
12 there. They were all saying we'll do whatever the MRP  
13 wants to do.

14 VICE CHAIR SHACK: It's just at the moment  
15 your placeholder says deleted.

16 MR. GILLESPIE: I understand. Let me, we  
17 have a nomenclature issue and we can deal with the  
18 nomenclature issue.

19 VICE CHAIR SHACK: I mean I realize the,  
20 you haven't lost the problem.

21 MR. GILLESPIE: Let me throw something out  
22 for the Committee, which actually might be interesting  
23 as we proceed with further plant-specific reviews.  
24 And this is a good example and there are several of  
25 these in the whole thing. Is that we got some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Licensees who's licenses actually could, they'll hit  
2 the period of their first license.

3 And generally what we've done is put a  
4 license condition on people that says you either have  
5 to do what the MRP-approved program was, or, and it  
6 has to be submitted and approved to the NRC 24 months  
7 in advance.

8 We actually have some older licensees, who  
9 likely will hit the 24-month point, before an approved  
10 program exists. And the interesting question for the  
11 Committee, as those happen to come up, and for example  
12 Oyster Creek and some of these facilities will be that  
13 close.

14 Is we're actually going to have to make a  
15 judgement on a plant-specific program that meets, that  
16 answers the mail. And so we're going to have, with  
17 some of the older, real older plants coming in, some  
18 real unique problems where we haven't got the generic  
19 program that exists.

20 And the generic program might actually  
21 have to come out of the plant-specific ones by  
22 necessity. And I say that only because Oyster Creek  
23 is in, and that's one of those older plants that  
24 actually might have to do something plant-specific on  
25 some of these references. So this thing is actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 going to get us in kind of a box with some Licensees  
2 that you're going to see over the course in the next  
3 24 months.

4 MR. ELLIOT: Recent BWRs have exactly that  
5 condition for PWR in terms that within, either give us  
6 a program before license renewal, or two years before  
7 license renewal, or give us your own program.

8 You know, give us an MRP program or give  
9 us your own program within two years of anything in  
10 the period. I think the first plant that really has  
11 a significant problem there is probably Ginna, because  
12 they're running pretty close.

13 But most PWRs were, you know, they have  
14 plenty of time. And the PWR internals program will be  
15 developed in time.

16 MEMBER BONACA: Still this is a good  
17 comment. The question I have is, I haven't seen it  
18 and think it's very, very significant. I think this  
19 is a comment that can be addressed.

20 MR. GILLESPIE: It's a parenthetical we can  
21 get, it is misleading to just say delete, because it  
22 gives the idea that we're ignoring the issue, when in  
23 fact there's major efforts going on throughout the  
24 industry on the issue.

25 VICE CHAIR SHACK: I mean, and that's clear

1 when you look at the rest of the document.

2 MR. GILLESPIE: Yeah.

3 VICE CHAIR SHACK: And as I say, for the  
4 guy who does it like me and just starts to go through  
5 the -

6 MR. GILLESPIE: Good comment.

7 MEMBER BONACA: We realize that these are  
8 examples where you would need additional updates in  
9 the future. At some point you said that never do it  
10 again.

11 MR. GILLESPIE: No, no, but we're going to  
12 have that ten percent and this is part of that ten  
13 percent that's going to need careful attention. And  
14 if the industry doesn't make it with the generic  
15 answer soon enough, they may find us needing to just  
16 fill something in based on what we approved plant-  
17 specifically.

18 MEMBER BONACA: Okay.

19 MR. GILLESPIE: So there's actually kind of  
20 a race going on.

21 VICE CHAIR SHACK: Presumably you'll be  
22 more conservative because you'll have less  
23 information.

24 MR. GILLESPIE: Remember, I always tell the  
25 Licensees, remember, you're asking us for the license.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DOZIER: We will remove that word  
2 deleted and we want to think about the best way of  
3 doing it, but basically, I think, we would probably  
4 say that it's addressed in the specific AMR line items  
5 for the components.

6 We also had new electrical AMPs in the  
7 electrical area. All of these AMPs were in the  
8 January version. And we've had comments on these  
9 AMPs. Metal-enclosed bus, actually, one of the areas  
10 that NEI had told us in a public meeting a while back,  
11 there was an issue there.

12 An actually, you don't have this slide,  
13 but I have a hidden slide I can show you for E-4, and  
14 also in this if Amar Pal would be prepared to also  
15 speak.

16 This AMP E-4, basically what's  
17 controversial a little in this, was that it had a  
18 testing requirement in there to do thermography or  
19 connection resistance every ten years.

20 We listen to that comment and we provided  
21 an alternative. This alternative was visual  
22 inspection. We also placed a frequency on this visual  
23 inspection. We said that, you know, our real desire  
24 was for them to continue with the testing using the  
25 thermography or connection resistance, but for those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 who may choose another way, we said visual inspection.

2 And, like I said, we felt like that it was  
3 not as an effective of an inspection technique. And so  
4 the frequency of five years was chosen. If you say,  
5 well, why wasn't it ten years?

6 Well, if you, like I said, we felt it was  
7 less effective, and, if you put it at the same  
8 frequency and you had a choice between visual  
9 inspection and the testing, you would probably do  
10 really what we prefer, not what we preferred.

11 So we placed it at a five year frequency.  
12 That was one of the comments made at a public meeting  
13 regarding this. Realize that this addition of -

14 CHAIRPERSON WALLIS: What can you tell by  
15 visual inspection of the bolt? You can about tell  
16 it's still there, aren't you? What else can you tell?

17 MR. DOZIER: There's, I'll refer to the,  
18 Amar Pal, actually, if he can come up. But my  
19 understanding is discoloration, you know, could be  
20 seen. It is a less effective technique but, to give,  
21 let me just give it to the expert and let him answer.

22 MR. PAL: Amar Pal, NRRDE. Yes, this  
23 bolted connection, they are covered with something  
24 like a tape or sleeves or some insulating material.  
25 Then visual inspection would, may identify if there's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 some hardening going on, some discoloration, chipping  
2 or something, you can see.

3 So that's the reason why we included that  
4 option. But since visual inspection may not be as  
5 effective as the testing, that's why we wanted a more  
6 frequently distributed.

7 MR. DOZIER: But actually the contention,  
8 I mean the area that's controversial actually is it,  
9 that industry didn't like that we added the visual  
10 inspection at five years. That was really the  
11 criticism.

12 But really the staff's primary desire was  
13 having the testing at ten. So we tried to respond to  
14 a comment, but they didn't like the, actually, the  
15 alternative that we had provided.

16 Another, E-5 dealt with fuse holders and  
17 their, it was basically we had an interim staff  
18 guidance for the fuse holders and we incorporated  
19 that. No controversy, I do not believe, on that  
20 issue.

21 E-6 was another new AMP. We provided it  
22 for public comment, and realized that actually, in our  
23 interim staff guidance position, that's really how we  
24 get stakeholder input.

25 We come up with the guidance. We put it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 out for public comment. They comment on it, and then  
2 we come up with a final position. So that's really,  
3 and there is some dialogue in there along the way.

4 This parallels that type of process. So  
5 this was new. It does address one of their emerging  
6 issues and it dealt with connections and it, it also  
7 supplements, we already had an AMP called E-1, that  
8 dealt with some connections, but it only looked at the  
9 localized environments.

10 It didn't look at some other environments.  
11 One of the criticisms of this was that it was  
12 increasing scope. But actually, all it does is, you  
13 know, GALL is not a scoping document. All GALL says  
14 is that if you have a situation that you, a particular  
15 situation, you can point to certain AMPs.

16 And that's what this is. It's not an  
17 attempt to increase scope. Scoping is done a lot  
18 earlier in the process. If you have the situation  
19 that this AMP talks about, then you can point to the  
20 AMP.

21 Otherwise, the AMP wouldn't apply. So it  
22 does not increase scope. And what, another concern of  
23 it was that it had wording in it that, well, even if  
24 it goes, you know, whether or not it goes to an active  
25 or passive component. But we're talking about the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 piece of wire and the connection. It's not the active  
2 piece of equipment.

3 Okay, so I'm getting back to -

4 VICE CHAIR SHACK: Jerry, one more question  
5 on those Aging Management Programs. One of the nice  
6 things I like now was that the references came back on  
7 the Aging Management Program.

8 But what was the rationale for selecting  
9 the references? First I thought it was only NRC-  
10 approved documents, and every once in a while I would  
11 find a literature reference, and every once in a while  
12 I'd find, you know, a New Reg CR, which, again, is not  
13 an approved document.

14 So, was there, you know, you just picked  
15 what you thought were the best documents and if you  
16 didn't have approved documents then you fell back to  
17 journals and CRS?

18 MR. DOZIER: Amy, do you want to address  
19 that?

20 DR. HULL: That was sort of a consensus  
21 decision on the basis of different people who were  
22 developing different Aging Management Programs. So,  
23 it was what they found and thought what provided the  
24 most comprehensive information.

25 In the 2001 version of GALL also there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 were some documents and EPRI documents that were  
2 referenced that are not normally publicly available.

3 But if they contain the most succinct or  
4 useful information they were referenced. In some  
5 cases, for example, there may have been some  
6 controversy and so an additional literature reference  
7 might have been included to try to help substantiate  
8 the staff's claims and intentions.

9 MEMBER APOSTOLAKIS: Isn't that the way it  
10 should be done, Bill? I'm surprised what you're  
11 saying?

12 VICE CHAIR SHACK: I'm pleasantly  
13 surprised.

14 MR. GILLESPIE: Let me say that the staff's  
15 job in this case was to come up with the right safety  
16 answer. And GALL is an approved document. So once we  
17 put it in GALL, it's there.

18 MEMBER APOSTOLAKIS: Wait, wait, wait a  
19 minute. Just because GALL is approved, that doesn't  
20 mean you approve all the references.

21 MR. GILLESPIE: No, but in pulling it in it  
22 was, where's the best information that the staff would  
23 accept, based on the staff's position. And it was  
24 unprejudiced by the fact that we hadn't written it  
25 down before or claimed ownership.

1 MEMBER APOSTOLAKIS: I think what Dr. Hull  
2 said makes perfect sense. And what Dr. Shack said  
3 explains something to me, that over the years we were  
4 always wondering out there why do Sandia documents  
5 only reference Sandia reports?

6 And why do Argonne documents reference  
7 Argonne reports? Now I understand that.

8 (Laughter.)

9 MEMBER APOSTOLAKIS: Nobody else has  
10 anything to say.

11 MR. DOZIER: Okay, so that was the  
12 electrical. Also we did, we did, we were very  
13 transparent in this process. We, the ACRS may  
14 remember that we started this project, the contract to  
15 Parallax actually started in June.

16 We started and we had, even an initial  
17 draft, a work-in-progress, in the September time  
18 frame. And we placed it on our website that you see  
19 before you.

20 That, you know, that was kind of different  
21 because we were show them, okay, this is where we're  
22 at at this point. That set the frame work for  
23 dialogue with stakeholders, you know, from September  
24 until the January time frame.

25 January we, of course, again published the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information based on some of the, based on the  
2 interaction that we got from the September version.  
3 And that was the January version.

4 We again, as you see here on, when we gave  
5 this information to ACRS we again provided it to  
6 stakeholders so that they could see, you know, what  
7 the works-in-progress were.

8 On this website we have, not only, we have  
9 our meeting announcements and our meeting notes. This  
10 is kind of like a one-stop area that shows what we've  
11 done and where we've gone with information that we  
12 had.

13 We also had some ACRS issues. They're  
14 addressed in the public comment New Reg. I can  
15 quickly go over some of those. ACRS asked for a link  
16 for the interim staff guidance and the revised  
17 documents. That is now in the public comment New Reg.

18 They also wanted to, us to assure them  
19 that we have not lost any of the GALL '01 AMR line  
20 items. We have a table in Appendix C that provides  
21 that.

22 In one of the ACRS reviews of the ACRS, of  
23 the, let me back up a little. In one of the ACRS  
24 reviews of the SER, one of the ACRS members said that  
25 the GALL report should clarify under what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 circumstances aging effects would be expected from  
2 halon/carbon dioxide in the fire suppression system.

3 We worked very closely with DSSA to look  
4 at that issue and make sure that the documents  
5 reflected that, I mean, or was complete. On risk-  
6 informed ISI, that was also made another one of the  
7 ACRS reviews of the ISI.

8 So that wasn't specific to this, but we  
9 captured them in a document anyway. Risk-informed  
10 ISI, we, actually on that, what we did do, was we  
11 updated the reports to reflect what's currently in 10  
12 CFR 50.55(a), and that is the 2001 edition of the Code  
13 through the 2003 Addenda.

14 However, based on, and naturally on risk-  
15 informed ISI we have had plants and successfully  
16 reviewed those applications. However, based on the  
17 time constraints and the money and all these things,  
18 we were not able to incorporate that comment in this  
19 edition.

20 We had two exceptions to NEI 95-10.  
21 Basically we presented those in the March time frame.  
22 One dealt with exposure duration criteria, which we  
23 didn't agree with, and they took it out in revision  
24 six.

25 And they also had some criteria for

1     scoping of non-safety-related piping and supports.  
2     We, they provided some additional clarification where  
3     it did incorporate the staff's comments, and so  
4     basically now Reg Guide 1.188 fully endorses NEI 95-10  
5     Rev. 6.

6                 So endnote, basically this is a work of  
7     numerous staff, contractors and stakeholders. A lot  
8     of hard work. We believe that the collection of these  
9     inter-related documents reflect the staff's current  
10    position and considers stakeholders' comments and  
11    interactions.

12                We completed this in about 14 months and  
13    we, just like the risk-informed ISI, everything is not  
14    solved, and everything is not complete in this. But  
15    we've got a much better document.

16                That we've had feedback, that it gives us  
17    a more efficient, effective process and consistency.  
18    We're getting the 90 percent matches in GALL, and I  
19    think the important thing is that we intend to  
20    continue the dialogue on the issues that we need to,  
21    to go with, and would like for the ACRS endorsement of  
22    these documents to be published in September.

23                MR. GILLESPIE: Mario, let me add one other  
24    comment because this is a key word and Jerry didn't  
25    say it. And that's capturing the information for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 future.

2 And one of the things we added this time  
3 which I think was one of the most important things  
4 that we add to the whole thing was the basis document.

5 Actually something that explains how we  
6 got from 2001 to now, and, because it was difficult in  
7 2001. I asked the guys, I said where did the  
8 information in the 2001 version come from?

9 And I actually made them go find 150 or so  
10 research reports that were the basis for them. And we  
11 found out they were hidden in closets at various  
12 national laboratories.

13 But we did get a complete collection, and  
14 you'll find those also on the web page. And so I  
15 thought it was important for this idea of leaving it  
16 for the next guys who come along, to have that string.

17 And that's something you, I think this is  
18 one of the first times, other tech specs, which has a  
19 basis document, that you see an attempt, at least, to  
20 put the rationale down so people actually know where  
21 the criteria came from in some sense.

22 MEMBER BONACA: By the way, for my review,  
23 was a string useful.

24 MR. GILLESPIE: Yeah, I'm hoping it was.  
25 Before you disagree with a criteria, understand where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the criteria came from and disagree with where it came  
2 from and now we can talk.

3 Give me some new information. And it  
4 provides a better way to evolve the document.  
5 Knowledge management, that was the word I needed, and  
6 this is part of knowledge management.

7 CHAIRPERSON WALLIS: If someone wants to  
8 disagree can they find these documents that are in  
9 closets, or have you made an effort to -

10 MR. GILLESPIE: They're all on the web page  
11 now.

12 CHAIRPERSON WALLIS: - electronic?

13 MR. GILLESPIE: Yeah, they are all on the  
14 web page electronically.

15 CHAIRPERSON WALLIS: Oh, good.

16 MR. GILLESPIE: Yeah, that was a major, we  
17 literally found them in closets and places because  
18 people had forgot about them. They're really very  
19 important research reports that were put together  
20 through the 1980s.

21 MEMBER BONACA: Okay, any other questions  
22 for the presenters?

23 (No response.)

24 MEMBER BONACA: If not, I thank you very  
25 much for a good presentation and we have some comments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 from the Agency, I believe, Mr. Marion.

2 MR. MARION: Good morning, my name is Alex  
3 Marion, I'm with NEI, I'm the Senior Director of  
4 Engineering, and I do have a couple of comments I'd  
5 like to make.

6 First of all, I'd like to thank the ACRS  
7 for the opportunity to express a couple of points this  
8 morning. Apparently, I'm going to have to hold this  
9 microphone. That's all right. Do we have an AMP for  
10 this device?

11 (Laughter.)

12 MR. MARION: We should. Okay, I'd like to  
13 complement Frank and, Frank Gillespie, P.T. Kuo and  
14 his staff because they've done a tremendous job in  
15 documenting and incorporating many lessons learned  
16 from the past review of license renewal applications.

17 And I'm sure you can appreciate, by the  
18 volume of paper that you have, that's been presented  
19 to you, for this meeting, it gives you a good sense of  
20 the momentous amount of effort put forth by the staff.

21 One thing that has approved tremendously  
22 has been the communications and the opportunities for  
23 communication and the interactions between the  
24 industry and the NRC.

25 But there are two issues that I want to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 bring to your attention, and Jerry spoke to them and  
2 these are two of the Aging Management Program line  
3 items that are in the Gall Report.

4 One dealing with aging management for  
5 metal-enclosed bus duct, and this is E-4, as Jerry  
6 covered. And the other deals with Item E-6 that  
7 refers to bolted connections. And these are  
8 electrical circuit connections.

9 The industry has not had an opportunity to  
10 really engage the NRC in detailed discussion on the  
11 second item. It's not clear to us that there is an  
12 aging management effect associated with E-6, that's  
13 going to be adequately addressed by an Aging  
14 Management Program as proposed by the staff.

15 And we would like to have an opportunity  
16 to engage in discussion on that topic. Going back to  
17 E-4, the issue, as Jerry indicated in his  
18 presentation, was the schedule for the visual  
19 examination.

20 We have yet to find any kind of basis for  
21 NRC identifying the five-year interval for the visual  
22 examination. And quite frankly, we think that there  
23 will be a number of exceptions taken by future  
24 Applicants to these two areas, that will unnecessarily  
25 consume resources in two areas that, quite frankly,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 are questionable at this particular point in time.

2 And let me just make a point to follow on  
3 with something that Frank Gillespie said about the  
4 healthy aspect, if you will, of disagreements within  
5 the industry.

6 I do appreciate the fact that we will  
7 never agree on everything, and that is healthy, at  
8 least from the perspective of having an opportunity to  
9 vent your points of view and listen to what the other  
10 side has to say.

11 Our objective is never to achieve  
12 consensus with the NRC in full agreement, however, our  
13 concerns and our objectives are much more fundamental.  
14 We would like to see the NRC demonstrate the burden of  
15 proof in identifying new positions, if you will,  
16 within the GALL Process.

17 Absent the NRC establishing a basis for  
18 the new positions, our perception is that that new  
19 position appears to be arbitrary, and I'm trying to be  
20 as complementary as I possible can.

21 Secondly, we do believe in the public  
22 participation process and the opportunity to have  
23 these kinds of discussions and to vent these differing  
24 opinions and points of view.

25 However, I do want to exercise a note of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 caution. We've made a tremendous amount of progress  
2 with the license renewal process and the industry  
3 overall is very pleased. But it's these small items  
4 that keep cropping up that continually raise concern.

5 And I would ask the ACRS to consider the  
6 evolution of such items that are integrated into the  
7 license renewal process and the fact that there isn't  
8 a basis for incorporating those items.

9 There isn't any basis that relies on past  
10 operating experience, and there isn't any basis from  
11 the standpoint of any known aging effects. And so I  
12 go back to the two items that I raised previously.  
13 And that's all I have to say this morning. Again, I  
14 thank you for the opportunity.

15 MEMBER BONACA: Any comments on that?

16 MR. GILLESPIE: No, and I do appreciate,  
17 and I think it is healthy, it's been a great dialogue  
18 and it's going to continue. And it's interesting,  
19 only yesterday, and this was on a plant-specific issue  
20 we were talking about.

21 There's a, there's a comment in 54.21  
22 which addresses what's in scope and how much aging  
23 management you have to actually have. And I think it  
24 gets to the crux of what Alex said and why we need to  
25 continue to dialogue on these two points. And in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       there it says something to the effect, the Aging  
2       Management Program has to be sufficient to ensure the  
3       adequacy of the COB function.

4               Which doesn't mean it's as deterministic,  
5       there's adequacy says you have a judgement in there.  
6       And so there is room, in fact, for staff judgement  
7       which GALL tries to document.

8               And that means there is room for continued  
9       dialogue. And I think the onus is on the staff to  
10      demonstrate. And we're going to have to do it in  
11      these cases too. Why the Aging Management Program  
12      we're proposing is necessary to ensure the function?

13              And it's interesting that the rule, the  
14      way it's worded is an interesting way the way that  
15      sentence is worded. It's not quite as deterministic  
16      as people would maybe sometimes like to pose it.

17              So there is room for discussion. And, in  
18      fact, it's the COB function of the thing. And if  
19      there's no known aging mechanism then we should  
20      basically acknowledge that.

21              So there is room for dialogue and we're  
22      going to keep it up and that is healthy. I don't want  
23      it to exhume extraordinary, I agree with Alex, on  
24      minor issues that have maybe minimal safety  
25      involvement. We shouldn't, we have to be pragmatic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and shouldn't just spend resources arguing over them.

2 So I think we're going to get these  
3 settled as we go to the final version. And the basis  
4 document needs to document what our basis is.

5 MEMBER BONACA: The main concern I heard  
6 from the industry is that they feel that the basis are  
7 arbitrary or there is no basis for this problem. And  
8 that expresses some level of frustration with the -

9 MR. GILLESPIE: Yeah.

10 MEMBER BONACA: - you know, when you don't  
11 have a basis.

12 MR. GILLESPIE: And we'll just have to keep  
13 dialoguing on these.

14 MR. DOZIER: Actually just on the higher  
15 level, I did release all of the documents that have  
16 been concurred upon, which was everything except for  
17 the basis document.

18 So industry had an opportunity to look at  
19 the public comment New Reg, however the basis document  
20 is still in concurrence, so they have not had an  
21 opportunity to look at the basis document.

22 MR. GILLESPIE: And that's where the  
23 argument is. Again, it's the criteria is less  
24 important than understanding the basis. And if our  
25 basis is flawed, and that can be shown and we have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 stand up and say, you know what, this is new  
2 information, then the criteria changes.

3 So we've got to get the basis document  
4 out. So we've got about a month to go, Jerry, a month  
5 and a half? And then let's go toe-to-toe on the  
6 basis, get it done and make a new decision if that's  
7 what's required.

8 CHAIRPERSON WALLIS: I have a question for  
9 Mr. Marion. I think you expressed a view that you had  
10 an objective not to achieve consensus with the NRC.  
11 Now you have a couple of questions here which you  
12 brought back to the NRC, and you may well achieve  
13 consensus eventually on those matters.

14 Would it then be a tragedy if there were  
15 no bone of contention left?

16 (Laughter.)

17 MR. MARION: Dr. Wallis, don't take it  
18 personally but I'm a practical man, at least I try to  
19 be. And I recognize that we're never going to be in  
20 full agreement 100 percent of the time.

21 But I have to say, you know, the bottom  
22 line on this is if we don't keep track of these little  
23 issues that come up, we're really going to, we're  
24 really setting up a situation where the whole public  
25 comment process is null and void.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. GILLESPIE: Okay.

2 MR. MARION: And I think there is an  
3 opportunity here, and I feel compelled to make the  
4 request that maybe we need to take these two items and  
5 open them up for public comment.

6 MR. GILLESPIE: Yeah, I, again, I think  
7 it's going to be important, we need to get the written  
8 basis in black and white down, and allow the industry  
9 to critique our basis in black and white.

10 And sometimes you end up having too many  
11 meetings and nothing is in black and white. So the  
12 basis document will address it, and then let's put on  
13 the gloves, have a fight and we'll be done.

14 MR. DOZIER: But I did want to say that  
15 both of these issues were in the 60-day public comment  
16 period.

17 MEMBER BONACA: Okay, well, I thank you for  
18 the presentation. I wonder if there are any further  
19 questions from the committee members?

20 (No response.)

21 MEMBER BONACA: If none, again, thank you  
22 very much for a job well done. And Mr. Chairman.

23 CHAIRPERSON WALLIS: Thank you. The next  
24 item on the agenda is at 10:00, a meeting with EDO. We  
25 will take a break until 10:00. Thank you very much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 for your presentation this morning.

2 (Whereupon, the foregoing  
3 matter went off the record at  
4 9:28 a.m., and went back on the  
5 record at 10:00 a.m.)

6 CHAIRPERSON WALLIS: Okay, we'll please  
7 come back into session. Welcome Luis and your  
8 colleagues, and I'll just make a very short  
9 introduction.

10 We meet with you periodically, about once  
11 a year, to share a high level view of your and our  
12 anticipated activities. This helps the ACRS members  
13 and our staff and you to make suitable plans.

14 You will be particularly useful to explore  
15 those areas in which increased future activity is  
16 expected and those to which we, the ACRS, our best  
17 able to add value.

18 I understand that the way this meeting is  
19 planned is for it to be a presentation by you, which  
20 we will interrupt, in our usual way -

21 MR. REYES: Good.

22 CHAIRPERSON WALLIS: - with questions and  
23 comments. So please go ahead.

24 MR. REYES: Good morning and thank you for  
25 sponsoring the meeting. Since our last meeting in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 March of 2004, our organization and the outlook of our  
2 future work have both changed extensively.

3 We welcome this opportunity to meet with  
4 you and discuss these changes. The agenda that we're  
5 about to go through specifically deals with the areas  
6 that you requested, including License Renewal Program,  
7 power uprate, fire protection, PWR sump performance  
8 and new reactors.

9 In addition to the offices originally  
10 discussed, Roy Zimmerman has joined us to project the  
11 Nuclear Security Incident Response Office expected  
12 work in the area of emergency preparedness.

13 During this presentation we want to  
14 communicate to you the number of projected  
15 applications in different areas, the complexity and  
16 the fact that most of the expected work will be done  
17 for the first time, which will make meeting the  
18 schedule for the completion of the work, over the next  
19 several years, challenging for the staff and for the  
20 ACRS.

21 We greatly appreciate your continued  
22 support in meeting the Commission needs and the  
23 challenges that we have before us. Our presentation  
24 will follow, Jim Dyer will start the presentation.

25 Carl Paperiello will be second and Roy

1 will play clean up. And if that's agreeable with you,  
2 Jim.

3 MR. DYER: Okay, thank you, Luis, and good  
4 morning. I think just following on Luis' and Dr.  
5 Wallis' opening remarks and that, I think, can I get  
6 Slide 2, please. This is the topics that we discussed  
7 with the staff to give you an overview on.

8 I was looking back at the agenda from the  
9 March, 2004, meeting that we held, and noted that  
10 sumps, power uprates, license renewals and new  
11 reactors were the key, some of the key topics there,  
12 and noted that 50.46, PRA quality and grid reliability  
13 were the subjects that weren't repeated this time.

14 And, as could very well have been also  
15 listed on this, because they're still very much active  
16 issues that we have ongoing dialogue with ACRS and  
17 work with the Commission and the industry on.

18 And, also, as you heard yesterday from  
19 Exelon and the staff, our ongoing initiatives in re-  
20 analysis or methods used for seismic analysis for  
21 plants is an issue that's emerging or has emerged as  
22 something that jointly the Office of Research and NRR  
23 are working on.

24 I think, as Dr. Wallis said, the intent  
25 with these subjects is, from my perspective, is to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 provide an overview of where we think we're at and  
2 where we think we're going and how that's going to  
3 impact our future activities.

4 And I hope that it facilitates the  
5 recognition as Luis, we're not too subtle that we  
6 recognize that going forward, particularly in the area  
7 of new reactors, we have a lot of work on our plates.

8 And I was speaking Mr. Sieber before the  
9 meeting but, you know, the Office of NRR is  
10 reorganizing right now to facilitate that. We're in  
11 a very much hiring, expansion and realignment and  
12 really trying to focus our work in moving forward in  
13 preparation for a rather substantial increase in  
14 workload, particularly in the out years and starting  
15 now, which will translate into additional work for the  
16 ACRS as we go forward.

17 So, if I can go to Slide 3, the first area  
18 of discussion is our License Renewal Program. So far,  
19 to date, we've renewed, issued 35 reactors at 20,  
20 issued license renewals for 35 reactors at 20 sites  
21 and currently have, under review, licenses for 14  
22 reactors at eight sites.

23 And, of course, they all go through the  
24 ACRS on their way to the issuance and our review  
25 process. Approximately, this, with what we have in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 house right now, it's about 50, halfway through the  
2 existing operating fleet.

3 And so far, as far as we, in our informal  
4 communications with the industry, is we know of no  
5 plants that do not intend to pursue license renewal,  
6 so it's a matter of scheduling.

7 Also, I believe, as you dealt with and  
8 deliberated on and discussed with the staff this  
9 morning, we are in the process of updating our  
10 guidance documents.

11 The standard review plan, the generic  
12 aging lessons learned, or as referred to update, as  
13 it's referred to as GALL 2. And then the commensurate  
14 regulator guides and that is a major effort that we  
15 need to update our activities to improve our lessons  
16 learned from these multiple renewals that we have  
17 done.

18 And we certainly, you know, as we hope to  
19 have those issued by the end of the month. Also in  
20 our future review, as I said, we're halfway through  
21 our continued budgeting in the area of, for license  
22 renewals.

23 And I think it's, we have plants  
24 identified or spots reserved to handle six a year.  
25 And so it's a steady forecasted workload for the next

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 several years that we're going to be maintaining that  
2 rate.

3 So, as we go forward, we expect to  
4 continue at this pace.

5 CHAIRPERSON WALLIS: I'd like to comment on  
6 that.

7 MR. DYER: Yes.

8 CHAIRPERSON WALLIS: This is a significant  
9 load for this Committee. As we've got experience with  
10 it and as you folks have got experience with it, the  
11 process has become more efficient, I think, every  
12 time, we seem more efficient.

13 But we may have reached the point of  
14 minimum that we can possibly do. And we can't reduce  
15 our effort below a certain amount, we have a certain  
16 obligation.

17 And so we've got to talk about where we  
18 are. We still have to read a lot of paperwork and see  
19 if there's anything in there that requires attention.

20 MR. DYER: I think in our, from our  
21 perspective if it's, if we're just dealing with the a  
22 standard license renewal, it's as you said, we were in  
23 a very much production, making sure if they stick to  
24 the guidance that we've issued, things go very  
25 smoothly. Where we've seen the challenges, and I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 sure you've seen it, too, is when it gets creative.

2 And some Licensees will marry up a license  
3 renewal with a power uprater, in the case of Browns  
4 Ferry, the restart, and that's when we're out of our  
5 plan or we've got concurrent major licensing  
6 activities ongoing.

7 And those are the ones that challenge the  
8 staff.

9 MEMBER BONACA: And we are looking, in  
10 fact, at Browns Ferry, and it's, you know, giving us  
11 some new challenges just because of construction going  
12 on still for a plan that is presumed to continue  
13 operation and to be renewed based on that operating  
14 experience, but this plant is not running.

15 So there are challenges there and we're  
16 dealing with it right now, for example.

17 MR. REYES: We understand that we're  
18 probably at the level where we may not be able to get  
19 anymore efficiencies out of the process. I just  
20 wanted to add to what Jim said.

21 In terms of looking forward and my  
22 comments will be more relevant as he goes to the next  
23 slides, but this particular workload, when we look  
24 into the horizon, we continue at the same level  
25 through year 2009. After the year 2009, the workload

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 continues at a much reduced pace, regarding license  
2 renewal.

3 And that is really important for your  
4 group because the next workload he's going to talk  
5 about happens to be in the same time frame. So our  
6 challenge that we talk about, why we're realigning  
7 organization, etcetera, etcetera, is that in the  
8 horizon we don't see this particular work going down  
9 before the other one takes off.

10 So the years between now and 2009, are  
11 going to be particularly challenging to both of our  
12 entities.

13 MR. DYER: Okay, Slide 4, please. New  
14 reactor work. And of courses this is the area of the  
15 great unknown and the great amount of work on the  
16 horizon, as Luis said.

17 Let me start off first by the design  
18 certifications and recognize that the ACRS  
19 contributions are in a number of areas and in this,  
20 you know, as we look to the new reactor work and  
21 historically, in the past, the review of all the  
22 design certifications and a lot of, sometimes, the  
23 review of specific pre-application reviews.

24 And I didn't put the pre-application  
25 reviews on the slide, as we go forward, but recognize

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 that you did contribute to the ACR-700, and again we  
2 do have some pre-application reviews ongoing with some  
3 novel designs in the IRIS.

4 Just started the EPR Review. But from a  
5 design certification, certainly we're at the last  
6 stages of AP1000 rulemaking. We're on schedule to  
7 deliver hopefully by the end of this year, and involve  
8 the ACRS in that final action.

9 Additionally, just last month, I think  
10 it's, we're up to about two or three weeks ago we  
11 received the ESBWR design from the General Electric  
12 Company.

13 We're in the process of doing our  
14 acceptance review and then we'll be laying out our  
15 schedule. I know that ACRS has had, in our previous  
16 design certification reviews you review in-process, at  
17 the end, in the middle, key subjects and areas like  
18 that.

19 And it's very much, as we really  
20 understand what we've got and what the vendor is  
21 asking for. We'll be in discussions with you about  
22 what is the appropriate, when do you want to be  
23 involved and when do we think we'll have something,  
24 our conclusions and independent analysis.

25 So this is very much a significant and a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 flexible workload over the next few years, as we  
2 undertake this review.

3 CHAIRPERSON WALLIS: Jim, I notice you only  
4 refer to ESBWR in AP1000. These are reactors that are  
5 cooled by light water. They look like things we've  
6 seen before, existing codes work for them and, you  
7 know, it's not all that difficult to extend our  
8 expertise to a few areas we may need to do so.

9 But in some of the other designs, there  
10 are differences from previous machines are more  
11 significant, and I noticed you haven't put them up  
12 here. But we're anticipating, sometime down the road,  
13 we'll have to deal with new reactors which are not  
14 like familiar machines.

15 MR. REYES: Yes, we expect the next one to  
16 come will still be familiar to all of us, the APR.  
17 That's the next design certification we expect. After  
18 that, it's very hard for us to decide which one is  
19 next.

20 In our fiscal year '07 budget, Carl has  
21 some small amount of money to try to get ahead of the  
22 issues you talk about. We have to develop codes. You  
23 have to develop some basic expertise in anticipation  
24 of some of those designs.

25 But are problem is that it's hard for us

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to give you an insight on when those applications are  
2 going to come in. We, ourselves, don't know, so we're  
3 just starting to do a little bit of preparatory work  
4 in the Office of Research in anticipation of that.

5 MR. DYER: And we're dialoging with the  
6 vendors on those designs to get a better understanding  
7 of what is their schedule and do they have a sponsor  
8 here in the United States that is going to use the  
9 design?

10 MEMBER KRESS: Did EDF submit the EPR?

11 MR. DYER: No, what they did is they sent  
12 us a letter that it looks like it could be in 2008.

13 MR. REYES: What they're doing is they have  
14 opened an office in the United States. They're  
15 translating all the documents from French to English.  
16 They have had some discussions with us and we do  
17 expect them, as Jim said, to be the next design to  
18 come right after the ESBWR, and that's the extent of  
19 what we know with their plans.

20 We can tell you that in informal  
21 discussions, some of the utilizes that are considering  
22 putting, that have announced COL or are considering  
23 and we can tell you that every week we were told  
24 there's another announcement coming up next week,  
25 there's another announcing coming up next week. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 some of those utilities who have not revealed their  
2 technology decision or are in that group that tell us  
3 we're going to make an announcement next week, are  
4 considering the EPR in the options, in the options.

5 MR. DYER: And as I go through and, with  
6 most of them are announcing the combined license  
7 request and everybody is coming in in 2008.

8 That's just the way the announcements are  
9 going. Okay, any other questions on design  
10 certification or pre-application reviews?

11 (No response.)

12 MR. DYER: The next subject is certainly  
13 our early site permit reviews. And, again, we're in  
14 the, wrapping up the reviews on the first three pilots  
15 that we've undertaken.

16 ACRS has completed their review on the  
17 North Anna early site permit and the, our goal now is  
18 the Grand Gulf safety evaluation to be issued in  
19 October and schedule an ACRS meeting in December.

20 And the Clinton SER to be issued in  
21 February of '06, and then try to get an ACRS meeting  
22 in March, is our near-term schedule.

23 On the horizon, as Luis said, we have a  
24 number of utilities talking to us about filing for an  
25 early site permit, and in the same light, certainly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Southern Company yesterday came in to discuss with us  
2 filing an early site permit at Plant Vogtle, Site  
3 Vogtle, at the Vogtle site in the summer of next year,  
4 2006.

5 And we have, Constellation has talked and  
6 may submit an early site permit for a site that hasn't  
7 been designated, in 2007. And so those are the  
8 activities in the early site permit area.

9 I think the discussion you had yesterday  
10 with the Clinton site and the proposing a new  
11 methodology of seismic analysis is certainly one of  
12 the areas that we're going to, we'll be coming to you  
13 and we'll be continuing dialogue in this area.

14 MR. REYES: I tried to explore with utility  
15 executives trying to get an idea, are we going to see  
16 a shift on utilities going directly to the combined  
17 operating license versus going first to the early site  
18 permit?

19 And the feedback I got is there are still  
20 some utilities who prefer to go to the early site  
21 permit first. It fits their business horizon. So if  
22 I have to tell you, I think we're going to continue to  
23 receive some of that work.

24 Perhaps not as aggressive as getting three  
25 in one year, but I, I was surprised, to be honest with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 you, but they tell that they, we should expect some  
2 additional early site permits to come down the road.

3 MR. DYER: I think one of the challenges  
4 with the early site permits, too, is the interest in  
5 some of the designs that the utilities have interest  
6 in some of the designs that are yet to be certified.

7 And so the early site permits are coming  
8 in with their, with a plant parameter envelope and  
9 it's lack of specificity in some of the uncertainty as  
10 they come in. And that's a challenge for the staff in  
11 our review in defining this envelope accurately in our  
12 safety evaluations and in presenting it to you.

13 The next subject is certainly  
14 infrastructure. And in the near term we're working to  
15 issue a proposed rule to revise 10 CFR Part 52, to get  
16 that proposed rule out.

17 And after public comments and that, then  
18 we anticipate we'll make the revisions and be working  
19 through ACRS to, as we prepare the final rule of the  
20 Commission.

21 Also, we are anticipating and are planning  
22 for a significant increase in workload, internal to  
23 the staff, in developing and improving our licensing  
24 infrastructure.

25 Our standard review plan, the chapters,

1 the main chapters in that that ACRS has reviewed to  
2 take a look at updating that. As you may be well  
3 aware, our budget so far, as it's gone for is, for  
4 Fiscal Year 2006, contained a 20 million dollar  
5 supplemental funding to get ready for the new reactor  
6 growth.

7 And a large portion of that is going to be  
8 invested in improving our infrastructure of the  
9 standard review plan. So the staff is now putting  
10 together a schedule for dedicating the resources that  
11 we're getting from Congress to enhancing the standard  
12 review plan chapters and updating them in the reg, in  
13 the requisite reg guides that go along with them, in  
14 preparation.

15 And that, I would anticipate that, as we  
16 develop that schedule, that will be of interest to you  
17 because we will be coming to you for the technical  
18 reviews and presenting them to you as part of our  
19 infrastructure development process.

20 Now, the combined licenses is the looming  
21 work on the horizon. And as I said earlier, there's  
22 a number of combined licenses coming. Dominion has  
23 declared that they are looking to be the first to  
24 submit a combined license application in 2007.

25 Then that will be followed, we've also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 heard from Duke, Progress Energy, and then two from  
2 the NuStart Consortium of utilities. And those are all  
3 looking in the 2008 time frame.

4 What I think makes this a real challenge  
5 is that they haven't identified the designs. And, in  
6 fact, if they are interested in EPR or the ESBWR,  
7 something other than the AP1000 or the ABWR or the CE  
8 System 80 Plus, their combined license may in fact  
9 come in before the design certification process is  
10 complete.

11 Which would then have the staff and  
12 possibly ACRS looking at the technical merits of the  
13 designs as part of a combined license, as well as part  
14 of the design certification process.

15 And so that's a challenge as we go  
16 through, as we work this out and develop these  
17 schedules and look at these overlaps as to when are  
18 the utilities going to come in with this rather  
19 significant workload, quite frankly.

20 So that's one of our challenges.

21 MR. REYES: Let me just add to that to help  
22 you paint a picture that I've been trying to read.  
23 The yet to be announced Applicants, the rumors that  
24 there's more announcements coming, we're worried and  
25 we think we know the answer. Which is they're going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 to continue to come in for 2008, and the question is  
2 what's magic with 2008?

3 Well, let me explain you the driver. The  
4 need for generation for the year 2017, for the period  
5 2015 to 2017 is what's driving it. There are parts of  
6 this country where the electrical generation needs for  
7 that period of time, the projections are significant  
8 in terms of the need.

9 If you assume you have a five year  
10 construction program and you subtract those numbers  
11 and then you subtract the time that the Agency has to  
12 review the application, the math quickly leads you to  
13 2008.

14 So we are expecting announcement that we  
15 don't know of, but we're expecting everybody to  
16 continue to announce 2008. Which go back to my  
17 original comment with license renewal still at the  
18 same pace to 2009, now you see the picture for both of  
19 our organizations in terms of what's looming ahead.

20 MR. DYER: And I, I forgot to admit  
21 knowledge that South Carolina Electric and Gas has  
22 recently announced that they are, they are looking at  
23 a combined license at a date to be determined. So  
24 that is also on our horizon, there's another utility.

25 MR. REYES: And they have hinted that it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 2008.

2 (Laughter.)

3 MR. DYER: Okay, Slide 5, please. One of  
4 our technical, ongoing technical dialogues with the  
5 ACRS is certainly the power uprates and the ACRS  
6 reviews of extended power uprate amendments, as well  
7 as some of the emerging technical issues that have  
8 come out of the power uprate program.

9 Certainly one of those technical issues is  
10 the BWR Steam Dryer issues that were most prominent at  
11 the Quad Cities Nuclear Station when the dryer broke  
12 apart, but it has raised questions about some of the  
13 other square hood design dryers and the ability to  
14 adequately predict.

15 And most notably now it's an issue that is  
16 one of the open items certainly for our review and  
17 soon to be, you know, your involvement with the  
18 Vermont Yankee extended power uprate review on that.

19 The BWR Owners Group has been and General  
20 Electric has been working on testing and instrumenting  
21 the Quad Cities in Dresden dryers and getting that  
22 information and putting together a modeling concept  
23 and presenting it to the staff.

24 And that work has been ongoing. And I  
25 think the staff is gaining a better understanding of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 what's going on inside these steam dryers with the  
2 increased velocities of steam and as we go forward.

3 The other, a more emerging, new technical  
4 challenge, and I think this, this we've had dialogued  
5 before because ACRS recommended, as a result of some  
6 of our previous EP, Extended Power Uprate Reviews,  
7 that the staff look more critically at some of the  
8 accident and transient analysis codes and method used  
9 as we have issues with both, some of the PWR and BWR  
10 methodologies issues.

11 One of them is an open item that we're  
12 still working with the Entergy for the Vermont Yankee  
13 Extend Power Uprate. And we had issues raised with  
14 some of our PWR LOCA analyses recently that we're  
15 working on as part of our resolution of some of the  
16 extended power uprate issues.

17 This is an area that is still evolving.  
18 You know, extended power uprate from when we last  
19 talked it was, it was, power uprates was an issue that  
20 was an emerging technical issue.

21 Unfortunately, I think it's still emerging  
22 and we're still learning things about the Extended  
23 Power Uprate Reviews and doing some first-of-the-kind  
24 reviews, and that's an area where we, the staff, are  
25 going to be focusing a lot of attention in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 upcoming year. In that we, you know, we set a budget  
2 and we allocate our resources based on what we think,  
3 what our best engineering judgement is going to tell  
4 us is what it takes to do a thorough review to these  
5 proposed uprates.

6 And in almost all cases it's taking more  
7 than we're planning, because of surprises as we go in  
8 and start doing the review. So this is very much an  
9 emerging issue.

10 Additionally, the infrastructure issues  
11 were, you know, we've issued the review standard '01,  
12 for the extended power uprates. I think the Ginna  
13 Extended Power Uprate will be the first plant that's  
14 going to come in using the format prescribed by the  
15 Review Standard '01, and we now have that in-house and  
16 I believe, if not already, but sometimes during the  
17 September meeting you're going to be talking to staff  
18 about Reg Guide 1.82, the latest revision.

19 And that's an important part of, for the,  
20 particularly for the boilers on the power uprate and  
21 net positive suction head.

22 We, as I said, the Power Uprate Review  
23 Schedule looming on the horizon is, we currently have  
24 seven extended power uprates under review and expect  
25 to have three more in next fiscal year. We have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 total of 20 more power uprates coming.

2 Some of those, the majority of those are  
3 measurement uncertainty recapture and the stretch  
4 power uprates that traditionally ACRS has not reviewed  
5 but never, you have handled some of the emerging  
6 technical issue such as the questions that were raised  
7 about the ultrasonic flow meters and its ability to  
8 accurately predict the flows.

9 So this is an area that I think we need to  
10 be sensitive to and going forward it's one that we may  
11 have new resolutions and new questions and new issues  
12 to bring before ACRS. Slide 6, please.

13 Fire protection. Fire protection is an  
14 issue I wished I wasn't reporting on, but I am and it  
15 is still something that is very much an ongoing issue.

16 The first part, of course, the  
17 Performance-Based Fire Protection Rule, NFPA 805. We  
18 issued the final rule in June. We issued a Draft Reg  
19 Guide in 2004, and we're anticipating going to the  
20 ACRS full Committee next month in October of 2005, and  
21 hope to issue a final Reg Guide before the end of the  
22 year, hopefully in November.

23 This also, and related to this is the,  
24 with the final rule out, we now have two pilot plants  
25 or pilot utilities that have identified. Both Duke

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and Progress Energy have come forward and identified  
2 their intention to implement or to pilot the NFPA 805  
3 Risk-Informed Fire Protection Rulemaking.

4 And so we're in the process of, you know,  
5 following through on their transition to this  
6 alternative rule. Circuit issue resolution. We have  
7 a, we were, sort of had a minor course correction, I  
8 think, at the beginning of the calendar year, end of  
9 last year.

10 And on circuit issues we issued a  
11 regulatory information summary earlier this year and  
12 now have a draft generic letter with we're going to  
13 propose to get out for comment this month and  
14 hopefully and after we get the public comments, look  
15 forward to briefing the ACRS in February of 2006, on  
16 this generic letter associated with, well, associated  
17 with the circuit analysis, circuit issue resolution.

18 Another issue is Hemyc and MT Fire Barrier  
19 Resolution. I think as a result of some recent  
20 research findings, a good research effort, completed  
21 a testing on these barrier materials.

22 We've issued a regulatory information  
23 summary concerning those and we're looking to issue a  
24 generic letter on this subject and hope to have that  
25 to ACRS in December of this year. And then lastly,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the manual action rulemaking.

2 We've gone out on a proposed rule to  
3 identify, you know, what the value would be for the  
4 industry and potential use of the manual action  
5 rulemaking and how many exemptions is it going to  
6 eliminate going forward.

7 We're currently evaluating those results  
8 and depending on whether or not, we need to make a  
9 decision whether or not we're going to proceed with  
10 the manual actions rulemaking. And depending on that  
11 will be whether or not we're going to be coming to  
12 ACRS on this particular subject. Next slide, please.

13 Slide 7. PWR Sump Performance, commonly  
14 referred to as Generic Safety Issue 191. I think this  
15 is an issue where the ACRS and the staff have had an  
16 extensive and continuing dialogue.

17 This first slide sort of lays out our  
18 overview of the sump performance strategy. The top  
19 line was our compensatory measures were more on the  
20 short-term actions that we've taken to address the  
21 concerns of GSI-191.

22 CHAIRPERSON WALLIS: We're reading from the  
23 slide because the screen shows that you have no, you  
24 have no approach to this problem.

25 (Laughter.)

1 MEMBER APOSTOLAKIS: That's very  
2 unfortunate.

3 (Laughter.

4 MR. DYER: I've got to go speak quickly  
5 now, huh?

6 (Laughter.)

7 CHAIRPERSON WALLIS: I think we can just  
8 use the written paper handout.

9 MR. DYER: On your handouts, the gold  
10 slides, the gold blocks are those blocks that are  
11 currently in progress, where we're at on these slides.

12 And so for the top block, where we're  
13 talking about our compensatory measures and we're  
14 currently reviewing the bulletin responses that we had  
15 sent out with Bulletin 2003-01.

16 We've had dialogue with a number of  
17 utilities and feel comfortable that the utilities have  
18 taken the compensatory measures that can significantly  
19 reduce the risk associated with this issue.

20 The longer term path, the Generic Letter  
21 2004-02, is, the issues are still ongoing. I know  
22 that we've had several letters back and forth on this  
23 particular issue as the staff moved forward.

24 But the staff has taken some actions, you  
25 know, on our part to address your concerns. I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 this is one where from the staff's perspective we're  
2 trying to make progress as we go forward.

3 CHAIRPERSON WALLIS: There are two things  
4 that occur to me. One is that these Licensee  
5 submittals have come in.

6 MR. DYER: Yes, sir.

7 CHAIRPERSON WALLIS: I think they're  
8 available on the Internet.

9 MR. DYER: I think as they're being  
10 catalogued and presented, given the due dates for the  
11 submittals that came in on September 1<sup>st</sup>, was the due  
12 date. And so whether or not they're available -

13 CHAIRPERSON WALLIS: I think, I think there  
14 will be some form in which we can access them.

15 MR. DYER: There will be soon if not. Yes.

16 CHAIRPERSON WALLIS: But what we're really  
17 looking for is the staff response to them. I think  
18 we're very much in suspense about what these will  
19 show.

20 MR. DYER: So are we.

21 CHAIRPERSON WALLIS: And the other thing is  
22 that there's still some technical areas which, you  
23 guys don't even know, well, maybe we'll hear about it  
24 later, are being researched.

25 And this gives the potential for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 surprises.

2 MR. DYER: I think we agree. If I can go  
3 to Slide 8. This is the near-term schedule that sort  
4 of fits those blocks as we were talking about. And I  
5 think, Dr. Wallis, getting your point, we're also  
6 still in the process of doing the pilot plants.

7 And I think we're on our second one now.  
8 And, at the Fort Calhoun Station. And then also  
9 effective, you know, for the most part, the first of  
10 September, we started getting in the Licensees  
11 responses to the Generic Letters and we're in the  
12 process of reviewing them and certainly we can  
13 schedule a summary briefing of the ACRS as we  
14 understand them and we're going to put them on the, if  
15 they're not, they'll be in the ADAMS System and  
16 available for you.

17 Also, after I complete -

18 VICE CHAIR SHACK: Is everyone going to  
19 meet that 9/1 deadline?

20 MR. DYER: I don't know. I think they'll  
21 probably tell us something. I've got David Solorio  
22 here and John, Tom, can you -

23 MR. O'HARA: Yeah, Tom O'Hara from the  
24 staff. We currently have 68 out of the 69 PWRs are in  
25 one way or the other. Waterford requested an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 extension because of the hurricane so they're not  
2 quite in yet.

3 MR. DYER: So I think everybody has made a  
4 good faith effort to get it in. And the staff has  
5 acknowledged that as we review them, we're going to be  
6 reasonable as we go forward.

7 Carl will touch on some of the research  
8 aspects, too, but our overall goal is to have this,  
9 have resolution of this GSI by the end of 2007,  
10 calendar year 2007.

11 And, of course, as a result of that, in  
12 order to do that, once the staff gets its resolution,  
13 then we'll have to present it to the ACRS and I'm sure  
14 we'll have, as was requested, we'll have several  
15 dialogues between now and then on this subject.

16 MEMBER SIEBER: Do you expect any of the  
17 research and experiences that the PWRs will have in  
18 the next two years, will cause you to look again at  
19 DWRs?

20 MR. DYER: I do not see, I think Carl can  
21 talk about some of the research activities. I don't  
22 think it's going to, what we're going to learn is  
23 going to address the BWRs.

24 I think we may have to re-look at some of  
25 the PWR solutions as whether or not our margins was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 correct and what some of the solutions are. But this  
2 is very much, the research is just being done now.

3 MR. REYES: Carl is going to touch on it  
4 but I think the chemical reactions are the drivers of  
5 the issues. And I think you'll have a different  
6 situation in the environment on the boilers in the  
7 PWRs, but we're going to share with you where we are  
8 on that.

9 MEMBER SIEBER: All right.

10 CHAIRPERSON WALLIS: I see you put down  
11 12/05, PCR Subcommittee meeting. This is a detail we  
12 shouldn't really need to get into, but I don't think  
13 it's on my schedule.

14 MR. DYER: Okay.

15 CHAIRPERSON WALLIS: I'm just curious about  
16 it.

17 MR. DYER: Okay, we'll take that for an  
18 action item. Okay, with that, let me turn it over to  
19 Carl to talk about some of the research activities  
20 going on in GSI-191.

21 DR. PAPERIELLO: Okay, if I could have  
22 Slide 9. Before I talk about an overview, I'm just  
23 going to talk about the research supporting Generic  
24 Safety Issue 191.

25 We stated about a year ago in conjunction

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the industry, ERPI, the integrated chemical  
2 effects testing.

3 The, further, as a result of some of the  
4 earlier results, there additional lines of research  
5 were added. Head loss, downstream effects and  
6 coatings transport. They are being done by us and not  
7 in conjunction with the industry.

8 For the chemical effects testing, the  
9 experimental work is done and with our agreement with  
10 EPRI, we share the raw data. Each of us interpret,  
11 does our own data interpretation. And we're in a  
12 process of doing that, as well as getting further  
13 research on the compounds.

14 We got different chemical compounds as we  
15 ran different tests in different configurations, you  
16 have different chemical reactions.

17 Some people were surprised. From my  
18 viewpoint, at least in some cases, they remind me of  
19 what you learned in general chemistry, sodium  
20 hydroxide reacts with aluminum and forms hydrogen in  
21 a gel, aluminum hydroxide.

22 We know what compounds of phosphate are  
23 insoluble and what are soluble, from our general  
24 chemistry classes. And so some of these things I'm  
25 surprised, from my side, that they haven't been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 thought of before.

2 But we have them. The question is what  
3 are the actually detailed compounds, all of them?  
4 What are their physical forms? The various types of  
5 crystalline structures or amorphous structures and  
6 things like that.

7 If you know anything about boron, you know  
8 that boron can have incredibly complex chemistry, so  
9 I don't know if there's any straight, what I'll call,  
10 straightforward. We only have to deal with general  
11 chemistry compounds or whether or not we got some  
12 compounds that can form more complex molecularly.

13 We'll know that when we're done all those  
14 analyses.

15 CHAIRPERSON WALLIS: Carl, not to get into  
16 details, but you said this research is done.

17 DR. PAPERIELLO: Right.

18 CHAIRPERSON WALLIS: Did it answer the  
19 questions or are you going to have to do more?

20 DR. PAPERIELLO: I don't know. What I'm  
21 hoping, and there has been some testing of chemical  
22 thermo-hydraulic codes, and one code seems to be  
23 promising.

24 I don't see how we can possibly do more  
25 testing. I guess you could, but we're going to need

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 some, a lot more resources to do it. We have already  
2 put several millions of dollars into these tests.

3 And I, it looks like things depend on so  
4 many different changes, that running two or three more  
5 tests may not help us very much. You might have to,  
6 and, if anything, we may have to run every  
7 configuration out there, or somebody has to run them.

8 It might be the burden end question is why  
9 not the Licensee, if that is required. I'm hoping  
10 that we can get, as a result of these data, we can  
11 come up with - I'm hoping, this is my personal view,  
12 not necessarily my staff, is we could find a thermo-  
13 hydraulic, not thermo-hydraulic but a , thermo-dynamic  
14 chemical, thermo-dynamic code which works well enough.

15 The issue is well enough to predict what  
16 would likely happen. Headlosses we're looking at in  
17 terms of the kind of materials that are being used and  
18 how they behave under flow and under compression with  
19 variable flow rates.

20 Downstream effects if material gets  
21 through the screens what will happen to them as they  
22 pass various choke points in the system. Right now  
23 we're looking at the high pressure safety injection  
24 throttle valve performance.

25 And then coatings transport. If coatings

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 material comes off containment and various objects in  
2 containment, what do they do when they hit the pump  
3 screen?

4 We expect most of the current research  
5 program to be done by April. Now whether we're going  
6 to have some results that require additional work, I  
7 don't know. I would be surprised if everything is  
8 wrapped up.

9 I will not be surprised if we have loose  
10 ends that have to be dealt with and we're going to  
11 have to figure out where to go.

12 MR. REYES: One of the questions that I  
13 don't want to be ruled out, that I think we need to  
14 reflect on is concentrate the effort here on the  
15 chemical reactions on all that, but we need to ask the  
16 basic question do we know now a lot more than we did  
17 when we decided to have those chemicals be put in?

18 We may be solving the wrong problem. So  
19 the issue is still broad enough that we can give you  
20 a good feeling of where it is but I think the testing  
21 has given us enough to try to raise the questions.

22 DR. PAPERIELLO: It raises the question.

23 MR. REYES: To raise the questions and  
24 we'll have to go in that particular endeavor to find  
25 out how do we solve it?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. PAPERIELLO: We use, I mean, and one  
2 reason for using additives is fixing iodine so it  
3 doesn't go airborne after it's washed out.

4 The question is do you need it? Or is  
5 there another way to do it? I mean, I think, but that  
6 is an option.

7 MR. REYES: And we learned a lot in Three  
8 Mile Island about the, how the partition occurred  
9 etcetera, etcetera, and all those decisions with the  
10 chemicals preceded all that.

11 And, but there has been, there hasn't been  
12 a driver that has forced us to take a hard look and  
13 say did the decision we made in the '60s and '70s, in  
14 today's environment, do we know better?

15 And that may be, it's completely different  
16 with the approach that we're taking, but it all comes  
17 out of the same issue.

18 DR. PAPERIELLO: Okay, can I have Slide 11,  
19 move two slides forward. Okay. I want to start my  
20 presentation with expressing my appreciation for the  
21 ACRS's review and input to research products. And we  
22 see your review as value-added.

23 Having said that, my observation is we  
24 don't always agree with you and I have always  
25 expressed the view to my staff, that that's okay. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 if we do disagree with you I want it said and not  
2 sometimes, frankly, I've seen documents come across my  
3 desk where we really didn't agree, but we just  
4 swallowed our tongues and put out what I'll call a  
5 politically nice answer and I don't like that.

6 I'm a Scientist and I, frankly, am  
7 pursuing what is the truth. And that doesn't solve  
8 the problem. But I do, it's important if you see  
9 weaknesses in what we do, you point them out.

10 But if we disagree with you, it's  
11 important for us to disagree and we'll hash it out so  
12 we come out in the right place.

13 You're also part of our quality  
14 initiative. When I took over research I was very much  
15 concerned with the issue of quality. Actually, I'm  
16 less concerned today than I was when I first took  
17 over.

18 I mean my view of, as a manager, I'm  
19 interested in quality, quantity and timeliness, the  
20 three performance goals. I can measure timeliness, I  
21 can generally measure quantity, but quality is  
22 something very difficult to do.

23 Usefulness in my book is a, is somewhat of  
24 a surrogate for quality in what we do. What I've been  
25 struck with, since I've taken over research, is how,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the worldwide use of NRC research results.

2 And particularly our computer codes. Our  
3 major computer codes are used in countries around the  
4 world. They are used by educational institutions.

5 Fire Protection Codes. I was at NIST two  
6 weeks ago and what I was very much surprised to learn  
7 is the codes that we have developed with them, we  
8 worked with them for 25 years now, are not only used  
9 in the nuclear industry, but used all over the world  
10 in fire protection period.

11 Fire Marshall use the codes to determine  
12 whether or not a building can be evacuated before  
13 smoke builds up to the point where people can't find  
14 their way out. So there is, and my, it gives me some  
15 assurance that if there were errors in these products,  
16 there's a lot of people - my concern is we publish new  
17 Regs, they're great literature.

18 They don't get normal peer-reviewed like  
19 the peer publications and scientific journals, and I'm  
20 much more familiar with. Well, I'm familiar with,  
21 when I published, I published in peer-review journals,  
22 before I came to work for the Agency.

23 So anyway, but, it's important, your  
24 review in my mind is extremely important because we  
25 don't, it's part of a peer review of the work. I will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 talk in a few minutes about the work that we expect to  
2 bring you over the next two years.

3 I know you periodically review our program  
4 and there's a new Reg put out. I want to express  
5 also, though, a philosophy that I've been promoting  
6 since I took over the Office of Research.

7 We're careless with the term. It is not  
8 the Office of Research, it's the Office of Nuclear  
9 Regulatory Research, that the, our function is to  
10 support the licensing and regulatory offices.

11 There's a lot of research that's nice to  
12 do, but if it doesn't support the regulatory process,  
13 it's not within our mission. We have limited  
14 resources. We have very little, in fact almost no  
15 anticipatory research going on anymore.

16 Almost everything is based upon a need of  
17 an office. In the past we had far less than we said  
18 we had, because a lot of stuff that the Commission  
19 gave us to do was put in, just called, bookkeeping  
20 called anticipatory, like preparation of the Agency's  
21 Abnormal Occurrence Report, the Generic's Safety Issue  
22 Program.

23 If we didn't have a user need it was  
24 called anticipatory. Well, a lot of stuff, when I  
25 looked at the numbers, they really weren't. But right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 now we have almost none.

2 We have a fixed budget, and so if we get  
3 new work we have to shed something. We have to go  
4 through an add-shed process which basically means  
5 something that somebody has requested has to be  
6 deferred.

7 I just need you to understand that because  
8 sometimes you make recommendations that we ought to do  
9 this, that or the other thing. Well, to take that on,  
10 it means that something has to go away.

11 CHAIRPERSON WALLIS: Carl, you're talking  
12 about budget and how you have to be careful how you  
13 allocate it. I know that glancing at your slides that  
14 the slide, the topic that gets the most presentation  
15 here is this technology neutral framework.

16 DR. PAPERIELLO: Right.

17 CHAIRPERSON WALLIS: And I'm not aware that  
18 has a large budget.

19 DR. PAPERIELLO: There's not what?

20 CHAIRPERSON WALLIS: I'm not aware that  
21 that has a large budget, yet it is the topic that you  
22 address the most in your slides.

23 DR. PAPERIELLO: I'm going to get, okay.  
24 Okay, let's go to the next slide and the technology  
25 neutral frame work.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MEMBER APOSTOLAKIS: Well, let me ask  
2 something, though, before we go there. The previous  
3 slide, assessment of quality of selected NRC research  
4 projects.

5 You said earlier that you didn't, you had  
6 quantitative measures for timeliness and so on. The  
7 ACRS was giving you quantitative measure for quality  
8 too.

9 DR. PAPERIELLO: Right.

10 MEMBER APOSTOLAKIS: I mean you can  
11 disagree if you want. I feel that, I mean what  
12 happens to these quantitative? Okay, we send you a  
13 report that says, you know, this particular project is  
14 a five, whatever that means.

15 DR. PAPERIELLO: Right.

16 MEMBER APOSTOLAKIS: Then what? I mean are  
17 there any consequences for that?

18 DR. PAPERIELLO: If there are weaknesses  
19 we'll correct them. If it's okay, then it's good.

20 MEMBER APOSTOLAKIS: But it does not  
21 contribute to the long-term use of the office as to  
22 who is good and who is bad?

23 DR. PAPERIELLO: Well, no, it is. It is.  
24 The question is how do I know, I need a measure on  
25 whether or not the research has quality? Is it good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 research? I mean, as I said, there were, when I  
2 first took over the office that was a concern.

3 I actually have less of a concern today  
4 than I had when I took over the office. And because  
5 I know realize that I have a whole lot of people  
6 looking at this thing, even though the mechanisms  
7 aren't the mechanism of peer-review literature where,  
8 you know, whatever you publish gets sent out to a  
9 group of peers to look at before the journal accepts  
10 it.

11 I mean we put out a lot of gray literature  
12 and that, it's of mixed quality, you know. We all  
13 know the gray literature can have mixed quality.

14 MEMBER APOSTOLAKIS: Is the information we  
15 send to you forwarded to other places or just stops  
16 with you?

17 MR. REYES: How do you use the feedback  
18 mechanism? When ACRS gives us feedback on quality,  
19 he's asking how do we use it in our organization?

20 DR. PAPERIELLO: Well, my staff and I look  
21 at it and if there are things that need to be fixed,  
22 we fix them. And I know the Commission looks at it  
23 too.

24 MR. REYES: If there's another office  
25 involved, that will be shared with them?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. PAPERIELLO: Right, we would do that,  
2 yes.

3 MEMBER APOSTOLAKIS: Okay. That's fine.

4 DR. PAPERIELLO: Okay. But, you know zero  
5 sometimes is a good answer. I mean if there's no  
6 problems, that's worthwhile knowing.

7 MEMBER APOSTOLAKIS: Yes, because it raises  
8 some very interesting discussions among ourselves  
9 here, you know, as to what is quality? I mean, some  
10 projects do not require any particular degree of  
11 creativity, right?

12 And others do. And you have to take all  
13 these things into account.

14 DR. PAPERIELLO: I understand that. No, I  
15 understand that.

16 MEMBER APOSTOLAKIS: Okay, good, that's  
17 fine, let's go on.

18 DR. PAPERIELLO: Slide 12. The technology  
19 neutral framework and the research, the regulatory  
20 structure.

21 The question is, for future technology,  
22 particularly new reactors that are not like water  
23 reactors, and Mr. Dyer touched on this in his  
24 presentation.

25 What should the regulatory framework be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 like? In the past, my understanding is we wrote  
2 exemptions and did it by exception, because we did  
3 license high temperature gas-cooled reactors.

4 Right now we're primarily in Part One, the  
5 guidelines and the criteria. How do you do it? Can  
6 I have Slide 13?

7 We feel we have established a concept. We  
8 established staff positions on various policy and  
9 technical issues. The Commission has voted on some of  
10 these.

11 There's other issues that need to be  
12 worked on. There is a paper in front of the  
13 Commission right now that addresses the issue of risk  
14 guidelines for new reactors and how should those risk  
15 guidelines be applied?

16 Should they be applied to the site?  
17 Should they be applied to individual units at the  
18 site? And, anyway, that is ongoing.

19 MEMBER APOSTOLAKIS: Well, this, you use  
20 some words now that make me ask a question. You said  
21 how they're applied? I mean that is something, you  
22 know, this Committee reviews proposed regulatory  
23 guides through making and so on.

24 DR. PAPERIELLO: Right.

25 MEMBER APOSTOLAKIS: We very rarely as I,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as far as I know, actually see how these things are  
2 actually implemented later. Because then it goes to  
3 NRR and, you know, there is reviews and so on.

4 But my impression is from what I have seen  
5 that we may have a gap between what some of these  
6 documents say that the Licensees ought to be doing and  
7 what they're actually doing.

8 I'll give you an example. Regulatory  
9 Guide 1.174, which we all know is a landmark  
10 Regulatory Guide. It's a beautiful discussion on  
11 various kinds of uncertainties that people have to take  
12 into account when they submit a request for a license  
13 basis change.

14 And I'm really wondering whether anyone  
15 has ever done that, and why the staff does not object  
16 when they don't do it. I don't know. I mean I cannot  
17 say that nobody has ever done it, but from what I have  
18 seen, uncertainty analysis of various kinds,  
19 especially, you know, when it involves models and so  
20 on, I don't know to what extent the Licensees are  
21 questioned when they submit the risk-informed  
22 application.

23 DR. PAPERIELLO: I don't know -

24 MEMBER APOSTOLAKIS: I'm not sure that this  
25 is something that we can resolve now, but I just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 wanted to bring that to your attention that we may  
2 have a gap sometimes between the beautiful stuff we're  
3 saying in some of the regulatory documents, I'm sure  
4 the rules are not, are really obeyed, but the guides,  
5 the regulatory guides, and what is actually being  
6 done.

7 And that is very important to the  
8 technology neutral framework, and this is one of the  
9 many, many things that this Committee has been  
10 debating among itself for the last three months, I  
11 think it is now.

12 DR. PAPERIELLO: Umm hmm, right.

13 MEMBER APOSTOLAKIS: I preparation of the  
14 letter. But you can't really separate it, coming to  
15 this now, the requirements and the framework from the  
16 ability and willingness of people to do a good job  
17 meeting whatever requirements we tell them they have  
18 to meet.

19 In other words, if we -

20 DR. PAPERIELLO: I'm going, I'm going to  
21 back off, I'm going to give you a legal response. A  
22 regulatory guide is not a requirement. A regulatory  
23 guide is just that, a guide.

24 The Licensing Office, when it gets an  
25 application in, legally, they have to make a decision

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 on whether that's applicable. When they issue a  
2 License Amendment or issue a license, they made a  
3 judgement that what the Licensee submitted or the  
4 Applicant submitted, was acceptable. And the guide is  
5 only one way of doing it.

6 MEMBER APOSTOLAKIS: Yeah, I know.

7 DR. PAPERIELLO: I mean in a very precise  
8 way, you know.

9 MR. DYER: Dr. Apostolakis, I think one of  
10 the things, rather than get bogged down here, I'll  
11 take it as an action item.

12 MEMBER APOSTOLAKIS: No, that's fine.

13 MR. DYER: Part of our reorganization,  
14 we're consolidating our risk activities into one  
15 organizational unit as opposed to being dispersed.  
16 And I think possibly when we stand up that  
17 organization we'll take that on for a question and get  
18 back to you.

19 MEMBER APOSTOLAKIS: I fully agree with  
20 you, and I'm fully aware of what Dr. Paperiello just  
21 said. I mean I know that the regulatory guides are  
22 not rules but I think it's something that maybe senior  
23 management ought to investigate.

24 MR. DYER: That's a good feedback for us.

25 DR. PAPERIELLO: The, we've had public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 workshops. We did have a, we're initiating some work  
2 on other parts. And our overall, we will be coming to  
3 you in the, over the next six months on a number of  
4 issues.

5 The, and we expect to have, our goal is to  
6 have the draft framework for public review and comment  
7 by next summer. At that point we should be  
8 transitioning. And the lead for this effort will go  
9 from research to NRR in the form, probably, we  
10 haven't, I know Jim and I discussed this a number of  
11 months ago, and it would be an ANPR on the, for rule.

12 MEMBER APOSTOLAKIS: My impression is that  
13 the industry is not too crazy about this. Is your  
14 impression different?

15 DR. PAPERIELLO: Pardon?

16 MEMBER APOSTOLAKIS: The industry, is the  
17 industry supporting this? I'm not sure that they are.

18 DR. PAPERIELLO: The industry supports it.  
19 The industry, we had a public meeting on the 25<sup>th</sup> of  
20 August. The industry supports it.

21 I'm not sure the industry supports it in  
22 the sense that, how much effort, in other words, how  
23 much resources they can devote to it. In other words,  
24 there may be more of a burden on us to develop  
25 proposals for rule than the industry developing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 proposals for a rule.

2 That's my, that's a sense, I don't have a  
3 real statement to that effect, but that's my sense.

4 MR. REYES: But I think it's related to the  
5 earlier comment we made, which is that in the short-  
6 term horizon, the utilities, the customers of the  
7 technology, are concentrating on live water reactor  
8 technology is familiar for all of us. And so it  
9 becomes a -

10 MEMBER APOSTOLAKIS: And they should  
11 actually.

12 MR. REYES: - it becomes a business  
13 decision in terms of where do you put your resources.  
14 And if you're contemplating different technology for  
15 that company it may be wise for them to do that, but  
16 I think Carl is saying they're interested in it, but  
17 when it comes down to putting the research, the money  
18 to support it, then you don't see the same energy and  
19 desire.

20 DR. PAPERIELLO: He said it, I was trying  
21 to skirt it.

22 MEMBER APOSTOLAKIS: This framework really  
23 would apply to Generation 4, I mean the way I see it.

24 DR. PAPERIELLO: That's exactly right.

25 MEMBER APOSTOLAKIS: Yeah, I mean

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 everything else before that cannot wait for this.

2 DR. PAPERIELLO: That's right.

3 CHAIRPERSON WALLIS: I have a comment here.

4 My colleague, Mr. Apostolakis raised the question of  
5 how does industry react to this? It seems to me  
6 there's another player in this and that is the public.

7 And one of the great services you could do  
8 to the public would be to give a clear, logical,  
9 unequivocal and all sorts of adjectives I could add,  
10 description of your basis for regulating these new  
11 reactors.

12 DR. PAPERIELLO: Slide 14. The issues that  
13 we expect to be discussing with the ACRS is the use of  
14 probabilistic approach to establishing plant  
15 licensing.

16 The identification, selection and  
17 acceptance criteria for design basis events. The  
18 safety classification of systems. The reliability  
19 criteria to be used instead of single failure.

20 Defense-in-depth. How do you define  
21 defense-in-depth? Model, how do you determine if you  
22 have sufficient defense-in-depths? And changes to the  
23 PRA Policy Statement to include defense-in-depth.

24 Containment performance standards. And  
25 what the, what is a containment? Emergency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 preparedness considerations, PRA requirements, and the  
2 integration of security.

3 The Commission is very interested in  
4 having security integrated into the design. Next  
5 slide, 15.

6 MEMBER APOSTOLAKIS: These are all easy  
7 subjects.

8 DR. PAPERIELLO: They are not easy  
9 subjects.

10 (Laughter.)

11 DR. PAPERIELLO: And, but, when you go  
12 forward with a rulemaking you're going to have to deal  
13 with them. And the other thing, even when you see  
14 even new reactors, new light water reactors, one of  
15 the things that has struck me is that the rest from  
16 external events dominates.

17 The internal PRAs are well below the risk  
18 from the external events. I see this being the same  
19 thing for these new designs. And so there are things  
20 that have to be considered.

21 MEMBER APOSTOLAKIS: Because it's awfully  
22 expensive to bring down the seismic risk, as we heard  
23 yesterday. Anyway, I'm sorry, go ahead.

24 DR. PAPERIELLO: Other major issues and  
25 many of these I think you know about, is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 instrumentation and control research plan and results.

2 I know you've put a lot of effort in  
3 reviewing that. When I took over research, that was  
4 a major initiative of mine. I wanted to get my hands  
5 around what we were doing.

6 It was the largest area of research that  
7 was classified as anticipatory. I now have a plan  
8 that basically, the offices we support buy into and  
9 has your review, and puts discipline in a process.

10 Because as I've looked into this issue, we  
11 have to be careful where we spend our money. Billions  
12 are probably being spent on other parts of the U.S.  
13 economy because this is not unique. Many of the  
14 issues are not unique to nuclear.

15 And we need to primarily focus, I mean,  
16 one of the things that impressed me with the national  
17 labs when I visit them, is everybody wants to work on  
18 solving problems. This is one area where I'm more  
19 interested in defining the problem.

20 In other words, what are the regulatory  
21 requirements and not how do you fix them? Because I  
22 know billions are being spent on fixing them. I'm  
23 trying to come up with what are an objective set of  
24 performance requirements for digital instrumentation  
25 and control, because there's no, and there's also no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 tight dividing line between computers and the digital  
2 instruments.

3 So it's a question of dedicated micro-  
4 processors and flash memories and things like that  
5 versus something that has a keyboard attached to it.

6 There's a lot of issue. Don't go into the  
7 details but it's a question of discipline into the  
8 program to support the licensing function, the  
9 regulatory function of the Agency.

10 Which is primarily performance criteria  
11 and not how do you do it, because there's billions  
12 being spent out there.

13 MEMBER APOSTOLAKIS: I do have a comment on  
14 that. Those billions do not necessarily solve  
15 problems.

16 DR. PAPERIELLO: Understood.

17 MEMBER APOSTOLAKIS: And they have made, in  
18 the literature there's a lot of stuff that has not  
19 undergone the scrutiny that the nuclear people usually  
20 compose on their own stuff.

21 DR. PAPERIELLO: I understand, but a few  
22 million versus billions, I mean, it has to be wisely  
23 in focus.

24 MEMBER APOSTOLAKIS: I don't disagree with  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. PAPERIELLO: The purpose of the plan is  
2 to focus it and get everybody to agree.

3 MEMBER APOSTOLAKIS: Yes. Absolutely, I'm  
4 with you.

5 DR. PAPERIELLO: Yeah, okay. Regulatory  
6 Guides. I have a list, I don't know exactly how many  
7 you will see over the next two years. The numbers I'm  
8 given are between 35 and 40.

9 There are about eight of them that deal  
10 with radiation or Division 8 radiation protection, and  
11 the remainder are in Division 1, and they're spread  
12 over seismic issues, there's a number dealing with  
13 seismic.

14 Some dealing with containment, some with  
15 PRA. A number with instrumentation and control.  
16 Generic issues are -

17 CHAIRPERSON WALLIS: Can I say something  
18 about Reg Guides, Carl?

19 DR. PAPERIELLO: Pardon?

20 CHAIRPERSON WALLIS: Can I say something  
21 about Reg Guides? There are two things that come to  
22 mind that we've talked about over the years, since  
23 I've been a member.

24 One is do the Reg Guides, some have been  
25 there for an awful long time and then they're pulled

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 out and used and we say, gee whiz, that doesn't  
2 really, that's not really the best thing we could do  
3 today.

4 The other thing is there's been at least  
5 one Reg Guide which was just about to come out, it  
6 seemed, when I joined the Committee eight years ago,  
7 and it still hasn't appeared. It's still about to  
8 come out, and I'm a bit mystified by that.

9 Why does it take so long? This is  
10 something that would seem to be ready to issue eight  
11 years ago.

12 DR. PAPERIELLO: A major problem in the  
13 Office of Research, in terms of timeliness, and this  
14 has been something I've spent the whole time I've,  
15 it's been the concurrence process.

16 Of all offices, we need a wider range of  
17 concurrences and approvals for what we do than most of  
18 the other offices. Because, you know, we're  
19 supporting.

20 Sometimes that doesn't go all that fast.  
21 People get things in and they've got a stack of things  
22 to do and it doesn't always, yeah, it's not an excuse,  
23 it just facts that we have to - I've been working with  
24 my staff to take a better into the planning time.

25 I'll look into the particular Reg Guide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you raised and see where it's stuck. The generic  
2 issues that we plan on, we expect to bring up are the  
3 pipe effects, pipe break effects on control rod drive,  
4 hydraulic lines, heavy loads and ECCS suction, and  
5 cavitation due to gas binding, vapor locking and the  
6 like.

7 We'll plan on discussing some of our code  
8 work with you, thermo-hydraulics and severe accidents.  
9 Again, both codes, which I note are widely used around  
10 the world. Human reliability.

11 MEMBER DENNING: Carl, could I interject  
12 here on the codes. As far as SPAR is concerned, and  
13 I don't know if you plan to say anything about that,  
14 George's Subcommittee.

15 We're going to be looking in greater  
16 detail at SPAR, but I, one of the codes that we're,  
17 I'm sorry, one of the projects we're looking at right  
18 now for the quality does involve SPAR.

19 And it looks to me like SPAR really is an  
20 important part of all of our risk-informing work. And  
21 it's one that I'm really surprised at how far it's  
22 gotten in the last couple of years.

23 Change in direction from earlier, but in  
24 a quite positive way. But it does look like it  
25 involves a major investment, still in the future.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 DR. PAPERIELLO: It is.

2 MEMBER DENNING: And so I was just kind of  
3 curious as to how you see that and whether you see  
4 that as an area of major future investment?

5 DR. PAPERIELLO: In my, in the '06 budget,  
6 it's I believe a couple of million dollars. So it is  
7 a major investment.

8 MR. REYES: It's a significant investment.

9 DR. PAPERIELLO: The fact - I was out at  
10 Idaho last week and this was one of the topics we  
11 discussed.

12 MEMBER APOSTOLAKIS: Yeah, this Committee,  
13 as Dr. Denning pointed out, is planning to review the  
14 details of SPAR. For some reason we haven't done it,  
15 I don't know why, but given the importance of the SPAR  
16 models, we plan to, and you'll probably see a few  
17 letters from us starting next year on the SPAR models.

18 DR. PAPERIELLO: Okay.

19 MR. REYES: Good, we welcome that. It is  
20 our plan to use that tool more and more.

21 MEMBER APOSTOLAKIS: Absolutely.

22 MR. REYES: So it has to be a good tool.

23 DR. PAPERIELLO: Human reliability  
24 analysis. I'm going to throw something out on the  
25 table, because it struck me when I was being briefed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 on this subject out at Idaho.

2 What's the difference between safety  
3 culture and human reliability?

4 MEMBER APOSTOLAKIS: Safety culture is one  
5 of the contributors of the performance shaping factors  
6 of human performance.

7 DR. PAPERIELLO: I told the staff I want a  
8 briefing on the work we're doing on safety culture to  
9 understand, as a Scientist, what it means. And human  
10 reliability seems to me something I can measure.

11 I'm speaking as a Scientist. Safety  
12 culture, I have more difficult - I guess I just know  
13 it when I see it and when Idaho described what they  
14 were doing, I was trying to figure out how they the  
15 two were related.

16 Because one looked almost like the other.  
17 And when they looked at the example, but anyway,  
18 that's just something I'm throwing out and I'm  
19 churning in my own mind.

20 MEMBER APOSTOLAKIS: Is ATHEANA a big part  
21 of your budget?

22 DR. PAPERIELLO: Pardon?

23 MEMBER APOSTOLAKIS: ATHEANA?

24 DR. PAPERIELLO: Yes. I don't know how  
25 much, though, I don't know the, I can't tell you. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 just know -

2 MEMBER APOSTOLAKIS: Oh, that's okay.

3 DR. PAPERIELLO: SPAR I know because I  
4 looked at it last week because I was meeting with  
5 Idaho on the subject.

6 The, and there will be human reliability  
7 issues in new reactor design and operation, but that's  
8 not until '07. Risk-informing Part 50. There will be  
9 issues that come to you on that, PRA standards and Reg  
10 Guide 1.200.

11 I'm going to throw out a point that you,  
12 that ACRS has raised. I'll have to frankly say I  
13 disagree. And that deals with iodine spiking. We  
14 have it as a generic issue, because, from my  
15 understanding, ACRS raised it.

16 And I happen to be a Health Physicist and  
17 I'm well aware of iodine spiking. I would like to  
18 know what is the safety benefit, the regulatory  
19 benefit of understanding it mechanistically. I mean  
20 it might be nice to know.

21 But I guess quantitatively, I'm just  
22 concerned that it's going to cost a great deal of  
23 resources to do, and is it cost benefit? I'm not  
24 asking for an answer right now, but I raised the point  
25 initially that there are times I disagree or the staff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 disagrees, and that's okay.

2 MEMBER APOSTOLAKIS: We never claim  
3 infallibility.

4 MR. REYES: We agree on that one, we agree  
5 on that one.

6 (Laughter.)

7 DR. PAPERIELLO: And I would argue, as a  
8 Scientist, there's probably never closure, never real  
9 closure. There is, though, practical closure, but  
10 anyway.

11 MEMBER APOSTOLAKIS: But I have another  
12 question which is related a bit to what Professor  
13 Wallis said earlier. I'm really surprised that risk-  
14 informing Part 50 is one of other major topics and  
15 technology neutral framework had three slides of its  
16 own.

17 I would expect this to be the major issue.  
18 Isn't the risk-informing Part 50 really the big thing?  
19 Am I missing something or you just happened to put it  
20 there?

21 I would expect to see three or four slides  
22 on that, and then the technology neutral framework to  
23 be a bullet, one bullet among many. What am I missing  
24 here?

25 DR. PAPERIELLO: Maybe it's what -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: 50.46, I mean that's  
2 big deal, isn't it?

3 DR. PAPERIELLO: I know.

4 MEMBER APOSTOLAKIS: I'm sure you do.

5 DR. PAPERIELLO: Okay, noted, duly noted.

6 MEMBER APOSTOLAKIS: Okay. Or did you  
7 think it was more challenging, the other thing?

8 DR. PAPERIELLO: Yeah. I will turn it over  
9 to Roy Zimmerman.

10 (Laughter.)

11 MR. ZIMMERMAN: Good morning, I appreciate  
12 the opportunity to be able to talk with the Committee  
13 this morning. Initially I want to align with the  
14 comments that Jim and Carl made with regard to the  
15 value that we get from the Committee's review and the  
16 enhancements to quality that come from those reviews.

17 I recognize that with our office there is  
18 a smaller quantity of activities that come in your  
19 direction, but those that do come, we clearly benefit  
20 and for that we thank you.

21 One that we are engaged on and I wanted to  
22 chat with you about a little bit, as we move forward  
23 in a post-9/11 world to where emergency preparedness  
24 rulemaking, one of the fundamentals, the building  
25 blocks associated with that is the Bulletin 2005-2,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that we issued this past July.

2 And you reviewed it shortly before its  
3 issuance. And I view this, this Bulletin as being a  
4 fair amount of a paradigm shift with regard to  
5 emergency preparedness.

6 When you overlay security as an initiating  
7 event, and it challenges some of the premises that in  
8 in the past, we haven't really needed to focus on so  
9 much.

10 As I know you know from the briefing, what  
11 we're trying to do through this Bulletin and then  
12 after public comment being considered and going  
13 through the process, if it makes it's way through into  
14 the rulemaking is more of a leaning forward, an  
15 anticipatory recognition.

16 That if we were to wait for the  
17 degradation of hardware systems or damage to the core,  
18 we're basically losing time. And in this type of  
19 scenario is the recognition that there are adversaries  
20 that are purposely trying to cause that, that type of  
21 damage.

22 So we tend to lean forward more in terms  
23 of the unusual event classification and alerts in site  
24 area, in terms of what security events get into those  
25 classifications. And we recently had a public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 meeting, last week, for a day and a half.

2 And that was the other topics I'm going to  
3 mention. It made for some well energized discussion,  
4 because there's a lot of different stakeholder views  
5 on that. But I think on this particular topic, I  
6 think the various stakeholders recognize that some  
7 additional anticipatory efforts are appropriate,  
8 rather than waiting for potential degradation or signs  
9 of losing barriers.

10 We also have, in this Bulletin, and had a  
11 fair amount of discussion at the public meeting, about  
12 our desire in the NRC to improve upon what we require,  
13 which is a one-hour notification.

14 We recognize post-9/11 and the way a lot  
15 of attacks have occurred. We're interested in getting  
16 a phone call within 15 minutes that will be very  
17 brief.

18 And that's a key for the industry and for  
19 the state and locals that we get informed of it, that  
20 they're confirming for us that there has been an  
21 attack, and then we have to fight our instincts and  
22 hang up the phone, because we know that they're very  
23 busy and we have a lot of other people to call.

24 And that allows us to be able to get other  
25 federal responders engaged and to blast dial our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Licensees, recognizes the tactic of concurrent attacks  
2 and wanting to be able to get others on their toes at  
3 other facilities that we regulate.

4 And that discussion, again, we'll give you  
5 more briefing when we talk to you in early October to  
6 go over the results from it. That was a lively  
7 discussion as well.

8 And, again, a lot of focus that if the NRC  
9 gets an earlier call, does that mean I'm not going to  
10 get mine, as a member of the state or local responder?  
11 And that's a fair concern.

12 And it was good, good healthy discussion  
13 on it. It also challenges aspects such as, how do you  
14 keep the people that work at the site safe? If you  
15 end up having an attack and you have people that are  
16 firing weapons or you've had, you know, an aircraft  
17 crash, you've got large fires.

18 The site accountability location is where  
19 you would normally go. It may not be the right place  
20 to go in evacuating the site, it may not be the right  
21 thing to do, sheltering and hunkering down and trying  
22 to stay out of harm's way.

23 So it's those types of issues that are in  
24 this Bulletin. I know you're familiar with it. What  
25 we're doing in we are gathering the responses. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 have all the responses now. Then we're assimilating  
2 and reviewing that input.

3 The actual public comment period doesn't  
4 expire until the middle of October, I believe the  
5 17<sup>th</sup>. So the timing for giving you a detailed  
6 briefing in early October, after we've assimilated the  
7 information, I think is very timely.

8 We'll benefit from your reactions. We'll  
9 see what the comments are that we get from the public.  
10 And, again, I look at this as a building block to  
11 bringing additional work, coming your way, as we move  
12 forward into a rulemaking scheme from this.

13 Let me move to the new reactors and -

14 CHAIRPERSON WALLIS: Can I say something  
15 about -

16 MR. ZIMMERMAN: Please, please.

17 CHAIRPERSON WALLIS: - new reactors to  
18 make a connection with what, I think, Carl said  
19 earlier. That in these risk evaluations sometimes the  
20 external events turn out to dominate.

21 Well, if we were clever enough, we could  
22 design new reactors such that the internal events  
23 were, came down as almost to zero.

24 And then the kind of thing you're talking  
25 about would presumably assume much more importance,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 relatively, in design space. And if you can design  
2 away all the internal events, then you have to worry  
3 about the kind of thing you're talking about perhaps  
4 more, in future reactors.

5 MR. ZIMMERMAN: It's interesting that I'm  
6 confident that you're very familiar with what we refer  
7 to as beat-by-beast from the February 25<sup>th</sup> Order.

8 And in watching the hurricane unfold and  
9 the Waterford facility and the steps that they took,  
10 some of it under a, I'll call it a security hat, if it  
11 had an initiating event like that.

12 But that same equipment, those skid-  
13 mounted diesels, those temporary air compressor that  
14 they brought on. Regardless of your initiating event,  
15 if the plant is about to have a bad day, and you know  
16 it's going to have a bad day, having that staging  
17 available is very useful.

18 And they made, they took advantage of that  
19 staging and pre-thought out equipment, that just like  
20 you're saying, it gives you that additional defense-  
21 in-depth, so that you don't need to go further,  
22 perhaps, with regard to getting to a stage of  
23 sheltering or having to move people.

24 So we are very focused on that, and we  
25 have looked at, we've looked at Waterford and we plan

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 on looking at Waterford more closely, for what we can  
2 learn from it.

3 And I see that factoring into something  
4 again that may be a good topic for discussion down the  
5 road. And then a bigger picture, the entire federal  
6 government response to the hurricane which, as we all  
7 know is getting a lot of attention right now, I think  
8 as things die down a little bit, we need to take  
9 advantage of what are those global learnings and how  
10 do they apply to our business?

11 And how can we improve things here? So,  
12 again, as I look forward, over the next year or so,  
13 these would be the types of topics that I would see us  
14 engaging on.

15 MEMBER APOSTOLAKIS: Well, one thing you  
16 might learn about is that you can have a plan to  
17 evacuate people, but what happens when you actually  
18 try to do it?

19 MR. ZIMMERMAN: Right. And that puts the,  
20 that puts the look back on sheltering, where  
21 sheltering may be a better way of going.

22 We do have a contract with Sandia that's  
23 looking at the merits of sheltering in certain  
24 situations, vice evacuations. So, these are  
25 decisions, as well all know, that have to be made very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 quickly, but you need to have the information so you  
2 can make that informed decision.

3 And so we look forward to your input, the  
4 Sandia Report, as we move forward. Again, I don't, I  
5 will touch new reactors lightly beyond the dialogue  
6 thus far, since Jim Dyer covered it very well.

7 We'll be focused on, again, learning from  
8 the early site permit reviews and trying to factor  
9 that learning in to enhance our process. And we  
10 recognize that the rulemaking that's underway, we need  
11 to be looking towards consistency between Part 50 and  
12 Part 52, and trying to make things as clear as we can,  
13 while trying to maintain a performance-based overview.

14 So we will be doing that. And with that,  
15 I'll be glad to take questions.

16 MEMBER APOSTOLAKIS: I have a question.  
17 Who decides how much of the information you generate  
18 in this area that becomes public?

19 MR. ZIMMERMAN: In the area of emergency  
20 preparedness or -

21 MEMBER APOSTOLAKIS: Well, the reactor  
22 studies and all that.

23 MR. ZIMMERMAN: Well, we have criteria that  
24 we use. Some of it was pre-existing and defined in  
25 terms of confidential and safeguards information,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that's known quite well.

2 We found, post-9/11, that there was other  
3 sensitive information that previously, our prior mind  
4 set, pre-9/11, had some of that information made  
5 available because when we looked at it, we weren't  
6 thinking like an adversary to the degree that we do  
7 now.

8 And when we look at it and we see  
9 blueprints and it gives dimensions and rebar sizes and  
10 recognizing that -

11 MEMBER APOSTOLAKIS: I agree with that, but  
12 it seems to me that you have to balance this against  
13 what Professor Wallis mentioned earlier, public  
14 confidence.

15 MR. ZIMMERMAN: Right.

16 MEMBER APOSTOLAKIS: And it seems to me  
17 that there is a lot of useful information that has  
18 been generated that the public is not aware of.

19 And, as a result, they are concerned. I  
20 mean a lot of the public are not even aware that this  
21 is going on, and there was a news item last week that  
22 maybe the federal government is overdoing it  
23 classifying everything after 9/11.

24 MR. ZIMMERMAN: Sure. Well, when we took  
25 the -

1 MEMBER APOSTOLAKIS: So, after all this, I  
2 mean is it possible to revisit these issues?

3 MR. ZIMMERMAN: We've been revisiting.  
4 It's a very good point and we have been revisiting it  
5 and we're not done revisiting it.

6 One of the most pronounced ways that the  
7 public saw it is when we took the ability to go to the  
8 ADAMS documentation -

9 MEMBER APOSTOLAKIS: Yes.

10 MR. ZIMMERMAN: - and took that down.  
11 That was, you know, -

12 MEMBER APOSTOLAKIS: It was pretty drastic.

13 MR. ZIMMERMAN: It was something that the  
14 public quickly recognized they lost a lot of  
15 information for, what we tried to make as short a time  
16 as possible.

17 But we have modified our criteria from  
18 information that could clearly be used by an  
19 adversary, to information that could reasonably be of  
20 use to an adversary.

21 And that actually tended to sweep more  
22 information into it. So we continue to work to strive  
23 for that balance. We pride ourselves in being a very  
24 open Agency, and we talked about this at the Security  
25 public meeting that we had right after the emergency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 preparedness one.

2 And we had a lot of stakeholders there and  
3 a lot that are critical of us. But they indicated, to  
4 my comment, that we are a very open Agency and they  
5 agree.

6 Security is the exception to that. And  
7 the Commission has tasked the staff to take a look at  
8 that pendulum swing and to say has it swung too far,  
9 and it's looking for the staff's position on whether  
10 it can swing back and at what appropriate time.

11 There's one area where there's agreement  
12 that if there's an existing vulnerability that is  
13 known to exist, that would be beneficial for an  
14 adversary.

15 That wouldn't be good to put that  
16 information out there while that vulnerability is  
17 there.

18 MEMBER APOSTOLAKIS: And obviously that's  
19 not what I mean.

20 MR. ZIMMERMAN: I know, I know. So taking  
21 that and planting that one, it leaves a lot wide open  
22 for a continued review. And that's exactly what we're  
23 in the process of doing.

24 MR. REYES: Yeah, where we are is that  
25 after September 11, we had to take some relatively

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       drastic moves and we're exactly at the point you're  
2       talking about.

3               Which, we're now reflecting on that, and  
4       saying perhaps the pendulum swung too much, we need to  
5       come back a little bit closer to the middle. And the  
6       Commission has instructed to that.

7               And I'm pretty sure we're going to move  
8       from where we are.

9               MR. ZIMMERMAN: I think so, I believe so.

10              MR. REYES: It's obvious to me we're going  
11       to move to a more reasonable position from the public  
12       access.

13              MEMBER APOSTOLAKIS: Good, thank you.

14              MEMBER POWERS: You have, in the course of  
15       this presentation, laid out a fairly aggressive  
16       program that you see for yourself. In some cases  
17       you've indicated you were hiring in order to address  
18       that.

19              I know for a fact you're bringing a lot of  
20       bright, young people on board to address your manpower  
21       needs. That expansion in your manpower capabilities  
22       is not one open to us.

23              And yet we see a lot of these things  
24       coming to us. Do you have any advice in that regard?

25              Some of our obligations are, in fact,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 statutory in nature and so it's not open to a  
2 prioritization.

3 MR. REYES: Yeah, I think, and as for the  
4 reason I emphasize the '08 dilemma. There's a period  
5 of time forthcoming, in front of both groups, starting  
6 now and I don't see it subsiding until, right now with  
7 information we have until 2010.

8 Then we are going to have maximize every  
9 process we have and every planning tool we have,  
10 because of the sheer workload. And I understand that  
11 there are some things that are mandatory.

12 MEMBER POWERS: I have reviewed three early  
13 site permits in the last three months. Each one of  
14 them seems to be something over 2,400 pages combined.

15 They are written in a fashion such that,  
16 especially, certainly the Licensee has a prescribed  
17 format, and he follows it judiciously. It is not,  
18 when conducive, to prompt review, it is conducive to  
19 breaking up to be reviewed by groups in individual  
20 specialties.

21 MR. ZIMMERMAN: Umm hmm.

22 MEMBER POWERS: On the other hand, the  
23 staff seems to parallel that so that one does not find  
24 quickly where the rough points and the difficulties  
25 are. Now I have chosen early site permits. They are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the least bad of the offenders. In fact, we have  
2 written to you and explicitly acknowledged that they  
3 write very, very nice safety evaluation reports in  
4 general.

5 So I err in bringing them up first as my  
6 example. But I have on the floor of my kitchen now,  
7 by my own measure, well over a yard of documents that  
8 seem to be fairly turgid and dense, to review and they  
9 lack the summary that the early site permit people  
10 have striven to provide.

11 And, quite frankly, many of these  
12 documents that you're talking about, particularly the  
13 license renewal and power uprate documents, will  
14 gravitate toward the routine.

15 And then unless you wish us to become a  
16 checkpoint, you might consider highlighting for us the  
17 areas that you would like to focus.

18 MR. REYES: I think this is good feedback  
19 for us because we definitely want to highlight those  
20 because that's where you can help us the most. And to  
21 the extent that our products can do that, we'll take  
22 that as a -

23 MEMBER POWERS: Well, you might want to  
24 look at the early site permits. I mean they've  
25 definitely tried, and quite frankly, I think they've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 succeeded.

2 And maybe that would be helpful, so that  
3 we don't become a checkpoint.

4 MR. REYES: That's good feedback, I  
5 appreciate that.

6 CHAIRPERSON WALLIS: And going back to my  
7 earlier point about are we adding value? If we have  
8 a series of PWRs all over which look very similar,  
9 license renewal applications all look about the same.

10 And then you improve your process so you  
11 have to in GALL and so on, it's almost become a  
12 checkoff with GALL, where are we going to add value?  
13 We spent a lot of time, but are we really contributing  
14 particularly to anything.

15 MEMBER DENNING: Since we're talking about  
16 that, would like to ask a question and then make a  
17 request. I'm Chairman of the Plant Operations  
18 Subcommittee and we just went down to Browns Ferry to  
19 look at the plant and talk to the Licensee about their  
20 upcoming plans, which are, in my opinion, very  
21 aggressive.

22 And also to look at the preparatory work  
23 that they're doing to restart Unit 1. And on my tour  
24 of the plant, I was reminded of the days when we were  
25 building these plants. Browns Ferry Unit 1 is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 undergoing a major construction project, and that  
2 plant, I think they're going to spend over two billion  
3 dollars on it.

4 They're replacing lots of pipe, lots of  
5 component, pieces of equipment, wiring and so forth,  
6 and are getting ready for a restart.

7 And, of course, our involvement,  
8 statutorily, will be in license renewal and extended  
9 power uprates, both of which require knowledge and  
10 experience in operating the plant.

11 And so now you've got a unit where you  
12 don't have experience with the equipment because it's  
13 new, a lot of it. You don't have experience with the  
14 materials, necessarily, because it's new.

15 And so that makes those reviews  
16 complicated. And we have to do those by statute. On  
17 the other hand, your already going through a restart  
18 process and a construction and inspection process.

19 And because of the complexity of the  
20 issues, at that plant, I think that the ACRS must be  
21 involved in the Restart Panel Report. I think we have  
22 to review that.

23 I think we have to follow the commodities  
24 that are being installed and the staff's methods of  
25 inspection, the tools that they're using, in order to,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 for us to be able to do the other reviews.

2 And so I'd like to make that request right  
3 now, which is that we be apprized of the restart  
4 effort and the Restart Panel's Report prior to TVA  
5 restarting that unit.

6 And I think that will help us fulfill our  
7 responsibilities with regard to license renewal and  
8 power uprate. But I do think putting all that in one  
9 basket is a very complex undertaking for all of us.

10 MR. REYES: Yeah, I understand the  
11 feedback. I do have to question or maybe challenge is  
12 a better word, when you said before the unit starts  
13 up.

14 Because license renewal is not linked to  
15 the start up of the unit. So, I -

16 MEMBER SIEBER: Well, what I asked to do  
17 was to review the report prior to the start up. Not  
18 complete license renewal or uprate. All I'd want to  
19 do is review the report.

20 MR. REYES: Yeah, and I'm understanding  
21 that, but when you say prior to the start up of the  
22 unit, that link is the one that I'm raising a question  
23 with.

24 But we have no problem briefing you and  
25 making you apprized of the start up report and all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that.

2 MEMBER SIEBER: Right.

3 MR. REYES: I'm not ready to commit that  
4 we'll do that all before they pull the rods, because  
5 of the sequence.

6 MEMBER SIEBER: Well, right now you don't  
7 have a regulatory handle to keep them shut down, as I  
8 understand it.

9 MR. REYES: Correct.

10 MEMBER SIEBER: They shut down on their own  
11 volition.

12 MR. REYES: Yes.

13 MEMBER SIEBER: And they hold a valid  
14 license, if they satisfied their technical  
15 specifications, and safety limits. They could start  
16 up if they have informally agreed to ask permission.

17 MR. REYES: Yeah, correct.

18 MR. DYER: And we have to issue the tech  
19 specs to align with their systems.

20 MEMBER SIEBER: That's right.

21 MR. REYES: Correct.

22 MR. DYER: I mean if they have a really  
23 substantial licensing actions that are going to  
24 require prior to restart.

25 MR. REYES: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DYER: So there is a hook.

2 MR. REYES: Practically shouldn't be a  
3 problem. They also committed to have a Commission  
4 meeting where the Commission will review that. So  
5 practically shouldn't be a problem.

6 I'm just not ready to tell you today that  
7 prior to start of the unit. But we, we will be glad  
8 to share with you the -

9 MEMBER SIEBER: Yeah, and I understand that  
10 you may not be able to do, to make that kind of a  
11 commitment, but we do have an interest and as close as  
12 you could come to it, we would appreciate it.

13 MR. REYES: Yes. Yeah, we'll endeavor to  
14 support that, there's no issue with that.

15 MEMBER SIEBER: Okay.

16 MEMBER BONACA: Since we're talking about  
17 Browns Ferry, I mean you were talking about license  
18 renewal and the hope and expectation that it becomes  
19 much more routine in the application.

20 So that, you know, for us it's more, it's  
21 easier to go through the reviews. Browns Ferry is an  
22 example where this is not happening and we hope that  
23 we don't get many, because, again, it's been lumped  
24 together with, you know, Unit 1 is lumped together  
25 with Unit 2 and 3.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 And so we're wrestling with this issue of  
2 operating experience, applicable from Unit 2 and 3 to  
3 Unit 1, when Unit 1 is up here and fully defined.

4 I mean this plant is not completed yet.  
5 There are decisions being made on a daily basis of  
6 what's being replaced, what's being refurbished, what  
7 materials?

8 And then we also know that the plant will  
9 never run up to 3,200 megawatt-thermal around, to  
10 almost 4,000 is going to be the highest power on the  
11 BWR, running there and using operating experience from  
12 Unit 2 and 3.

13 So I'm saying that by accepting these  
14 application at times, the way the Licensee has  
15 proposed, I think we are not, in fact, easing our  
16 burden.

17 I mean, it's, you know, we will be  
18 reviewing that license renewal in the short-term and  
19 it's challenging for the ACRS, I believe and think  
20 about how operating experience from Unit 2 and 3 will,  
21 in fact, fulfill the requirements of the rule.

22 MR. REYES: Yeah, we don't have any other  
23 unit, we're just in the same situation as Browns  
24 Ferry, so, it's kind of a unique situation and I agree  
25 with you that the particular way the Licensee packaged

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 this together, it's really been a tough review for all  
2 parties.

3 I wish they would have separated them, I  
4 think it would have made life a lot easier and going  
5 in pieces.

6 MEMBER BONACA: We, you know, as ACRS, we  
7 don't have a full staff to do the review. I mean  
8 we're trying to cover and do our statutory  
9 responsibility.

10 And it's, we're scratching our head on how  
11 to meet the challenge.

12 MR. REYES: Yeah, I, all this is good  
13 feedback for us, because we tried to convey that to  
14 the Licensees. We just had a meeting yesterday about  
15 a Licensee who wants to start in ESP, jump into CRL in  
16 the middle of it and pick up a design who is not fully  
17 certified.

18 And we tried to convey to them, this is a  
19 business decision you're making, you need to  
20 understand the degrees of freedom that you're  
21 providing in this review because it does add to the  
22 complexity and it does add potentially to a delay on  
23 what we can do, both organizations.

24 MR. DYER: Yeah, we've, I think we've laid  
25 out in working with ACRS and the Commission and for

1 new reactors and license renewal, a very well-script,  
2 you know, process that lends itself well to  
3 standardization.

4 But, based on the market needs, and that,  
5 and the industry has got a different script. And so  
6 we find ourselves reacting to that and I know we've  
7 had considerable discussions with TVA on Browns Ferry,  
8 as well as some of other license renewals that are  
9 combining power uprates and steam generator  
10 replacements and a number of, you know, complicated  
11 activities all at once.

12 MEMBER SIEBER: Right, that's right. Thank  
13 you.

14 CHAIRPERSON WALLIS: Any other members have  
15 points to make?

16 (No response.)

17 CHAIRPERSON WALLIS: Any of you gentlemen  
18 wish to say anything more?

19 MR. REYES: I hope the briefing was useful.  
20 I hope we covered the topics. I, personally, enjoyed  
21 the exchange. I do welcome the feedback and we do get  
22 your requests.

23 And perhaps we need to do it more  
24 frequently than once a year, but I don't want to add  
25 more work to my plate and yours, but I'll just leave

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that an open offer that if you find such an exchange  
2 useful and all that, we'll be open to come here in  
3 shorter notice to dialogue with you.

4 MR. DYER: I think I was reflecting on Dr.  
5 Powers' comments, too. And one of the things that  
6 would facilitate it is making sure we have good  
7 communications.

8 And, you know, if there's a different  
9 strategy for piece-meal review or working its way up  
10 when you have a lighter schedule and your workload is,  
11 it might be facilitated.

12 CHAIRPERSON WALLIS: Well, I wanted to  
13 thank you. I think it has been very useful, helpful,  
14 frank meeting. I was thinking about you coming here  
15 from the other important work that you're doing and I  
16 was wondering whether I should thank you for taking on  
17 this extra task of coming here, or whether in fact  
18 this would be relaxation for you.

19 (Laughter.)

20 CHAIRPERSON WALLIS: Compared with all the  
21 other harder work that you're doing somewhere else.  
22 Anyway, thank you very much for coming here and it's  
23 been a very, very good meeting.

24 (Whereupon, the proceedings in the above-  
25 entitled matter were concluded at 11:46 a.m.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



CERTIFICATE

This is to certify that the attached proceedings  
before the United States Nuclear Regulatory Commission  
in the matter of:

Name of Proceeding: Advisory Committee on  
Reactor Safeguards  
525th Meeting

Docket Number: n/a

Location: Rockville, MD

were held as herein appears, and that this is the  
original transcript thereof for the file of the United  
States Nuclear Regulatory Commission taken by me and,  
thereafter reduced to typewriting by me or under the  
direction of the court reporting company, and that the  
transcript is a true and accurate record of the  
foregoing proceedings.



William Click  
Official Reporter  
Neal R. Gross & Co., Inc.



## ACRS Meeting with EDO and Office Directors

Jim Dyer, Director  
Office of Nuclear Reactor Regulation  
September 9, 2005

### Overview

- License Renewal Program
- New Reactors
- Power Uprate Issues
- Fire Protection
- PWR Sump Performance

## License Renewal Program

- Renewal status
  - Approximately 50% of plants either received renewed licenses or are currently under review
- Guidance document updates
  - ACRS Full Committee Meeting: 9/9/05
  - Final version to be issued: 9/30/05
- Future reviews
  - Projected to receive approximately 6 applications per year for the next 4 - 5 years

3

## New Reactors

- ACRS review/support will be needed for the following:
  - Design certification: ESBWR and AP1000 Rulemaking
  - Early site permit reviews
    - Completed: North Anna (ACRS meeting held: 7/6/05)
    - Scheduled: Grand Gulf (ACRS meeting scheduled: 12/8/05) and Clinton (ACRS meeting scheduled: 3/9/06)
    - Submittal Planned: Southern Nuclear Operating Company (Summer 2006)
  - Infrastructure: 10 Part 52 Proposed Rule, update of Infrastructure
- Combined licenses reviews are planned for:
  - FY 2007: Dominion
  - FY 2008: NuStart (2 applications), Duke, and Progress Energy
  - TBD: South Carolina Electric & Gas

4

## Power Upgrades

- BWR steam dryer issues
  - Achieving resolution to steam dryer failures
  - Better understanding of steam dryer loadings with extended power upgrade (EPU)
- New technical challenge
  - Accident/Transient analysis codes and methods issues
- Use of EPU Review Standard RS-001
- Power upgrade review status
  - 12 PU applications under NRC review (7 are EPUs)
  - 20 PU applications in next 5 years (3 EPUs in FY 06)


5

## Fire Protection

- Performance-Based Fire Protection Rule (NFPA 805)
  - ACRS Meeting on Draft Regulatory Guide: 10/05
- Circuit Issue Resolution
  - ACRS Meeting on Draft Generic Letter: 2/06
- Hemyc/MT Fire Barrier
  - ACRS Meeting on Draft Generic Letter: 12/05
- Manual Actions Rulemaking
  - Public Meeting on Issue Closeout: 9/05

6

## PWR Sump Performance (GSI-191)



7

## PWR Sump Performance (GSI-191) Expected Schedule for Key Activities

- NRC Pilot Audits: 6/05 to 10/05
- Licensee GL Submittals: 9/1/05
- Research Test Activities: through 4/06
  - ACRS Subcommittee Meetings: 12/05 and 4/06
- NRC Audits/Inspections to be completed by 12/31/07
  - ACRS Subcommittee Meeting by Spring 2007
- Plant Modifications to be Completed by 12/31/07
- GSI-191 Closure: 6/30/08
  - ACRS Subcommittee Meeting: Winter 2008
  - ACRS Full Committee Meeting: Spring 2008

8

## Research Supporting GSI-191 Resolution

- NRC staff briefed ACRS subcommittee in July 2005
- Research is focused in four technical areas:
  - Chemical effects
  - Head loss
  - Downstream effects
  - Coating transport

9



## ACRS Meeting with EDO and Office Directors

Dr. Carl Paperiello, Director  
Office of Nuclear Regulatory Research  
September 9, 2005


## Overview

- Technology Neutral Framework
- Other Expected Major Topics
- Review of NRC Research Program
- Assessment of Quality of Selected NRC Research Projects

11

## Regulatory Structure for Technology Neutral Framework (TNF)

(Focus of TNF is on reactor designs beyond those currently under review)



12

## Regulatory Structure for Technology Neutral Framework

- Staff has focused on the technology neutral framework
  - Initiated efforts to start testing the criteria
  - Two policy issue currently under review (level of safety and integrated risk)
- Draft framework for public review and comment scheduled for June 2006
  - Discuss staff position with ACRS on policy and technical issues
- Staff initiating work on the other parts
  - Requirements, Framework, and Reg Guides

13

## Framework Issues to be Discussed with ACRS, Examples

- Probabilistic approach to establish plant licensing basis
- Defense in Depth (DID)
- Containment performance standards
- Emergency planning considerations
- PRA requirements
- Integration of security into the design

14



## Other Major Topics

- **I & C Research Plan and Results**
- **Regulatory Guides**
- **Generic Issues**
  - GI 80, Pipe Break Effects on CRDM
  - GI 86, Heavy Loads
  - GI 93, BWR ECCS Suction
- **Codes**
  - Thermal Hydraulics
  - Severe Accidents
- **Human Reliability Analysis**
- **Risk Informing Part 50**
- **PRA Standards and RG 1.200**

15



## ACRS Meeting with EDO and Office Directors

Roy Zimmerman, Director  
Office of Nuclear Security and Incident Response  
September 9, 2005

## EP Initiatives

- Post 9/11 EP Rulemaking
- Post 9/11 EP Guidance Revisions
- New Reactors
  - Early Site Permit Reviews
  - Updated Guidance and Inspection Program
  - Standard Design Certification
  - Rulemaking for Part 50/52

17

Thank you for your support!

18



---

# Proposed Revisions to Generic License Renewal Guidance Documents

Jerry Dozier  
Amy Hull

Office of Nuclear Reactor Regulation (NRR)  
Division of Regulatory Improvement Programs (DRIP)  
License Renewal & Environmental Impacts Program  
License Renewal Section B

Presented at the 525<sup>th</sup> ACRS Meeting  
September 9, 2005

---



---

# Agenda and Introduction

- ▶ Schedule
- ▶ Focus on License Renewal Guidance (LRG) documents for safety review
  - per 10 CFR Part 54 *Requirements for Renewal of Operating Licenses for Nuclear Power Plants*
- ▶ Overview of selected significant changes since the last ACRS meeting (3/4/05)



---

## Revised LRG Documents

- NUREG-1800, Rev. 1, *Standard Review Plan for Review of License Renewal Applications for Nuclear Power Plants (SRP-LR)*
- NUREG-1801, Rev. 1, *Generic Aging Lessons Learned (GALL) Report*
- RG 1.188, Rev. 1, *Standard Format and Content for Applications to Renew Nuclear Power Plant Operating Licenses*



---

## New LRG Documents

- ▶ NUREG-1832, *Analysis of Public Comments on the Revised License Renewal Guidance Documents*
- ▶ NUREG-1833, *Technical Bases for Revision to the License Renewal Guidance Documents*



## Schedule: Looking Ahead

Date	Activity
9/13/2005	CRGR meeting
9/30/2005	GALL, SRP-LR, RG 1.188, NUREG-1832 in ADAMS and on Website
10/31/2005	NUREG-1833 in ADAMS and on Website
10/31/2005	Official bound copies of GALL, SRP-LR, RG 1.188, NUREG-1832 available
11/30/2005	Official bound copies of NUREG-1833



---

# | NUREG-1832, *Analysis of Public Comments*

- Appendix A - NEI Comments
- Appendix B - ACRS Comments
- Appendix C - Comments from the 3/02/05 workshop
- Appendix D - Public stakeholder comments
- Appendix E - Comparison of the AMR line-items from 1/05 GALL to 9/05 GALL





---

# Federal Register Notice Request

- ▶ Requested comments for changing aging management review (AMR) line-items from “plant-specific” to generic aging management programs (AMP)
- ▶ Our subsequent resolution included pointing to existing AMPs and in some cases developing new AMPs



---

# Rationale for New AMPs

- ▶ Provide generic program that can be credited in an AMR line-item
- ▶ Incorporate Interim Staff Guidance
- ▶ Provide an acceptable way to address an emerging issue



---

## New AMPs for Mechanical Systems

XI.M11A	<i>Nickel-Alloy Penetration Nozzles Welded to the Upper Reactor Vessel Closure Heads of PWRs</i>
XI.M35	<i>One-time Inspection of ASME Code Class 1 Small-Bore Piping</i>
XI.M36	<i>External Surfaces Monitoring</i>
XI.M37	<i>Flux Thimble Tube Inspection</i>
XI.M38	<i>Inspection of Internal Surfaces in Miscellaneous Piping &amp; Ducting Components</i>
XI.M39	<i>Lubricating Oil Analysis</i>

---



---

# New AMPs for Electrical Systems

XI.E4 *Metal-Enclosed Bus*

XI.E5 *Fuse Holders*

XI.E6 *Electrical Cable Connections Not Subject to 10 CFR 50.49 Environmental Qualification Requirements*



## Transparent Process

NRC: Schedule and Background For Guidance Updates - Microsoft Internet Explorer provided by USNRC	
File Edit View Favorites Tools Help	
Back Forward Stop Home Search Favorites Media Print Copy Paste	
Address: http://www.nrc.gov/reactors/operating/licensing/renewal/guidance/updated-guidance.htm Infoseek Go	
Date	Description
08/23/05	Excel spreadsheet providing AMR line items in Draft (August Version) GALL Volume II
08/15/05	<p>NRC staff has transmitted the following draft documents for ACRS Review:</p> <ul style="list-style-type: none"> <li>• <u>NUREG-1800</u>, Rev. 1, Standard Review Plan for Review of License Renewal Applications for Nuclear Power Plants</li> <li>• <u>NUREG-1801</u>, Rev. 1, Generic Aging Lessons Learned (GALL) Report <ul style="list-style-type: none"> <li>◦ <u>Volume 1</u></li> <li>◦ <u>Volume 2</u></li> </ul> </li> <li>• <u>NUREG-1832</u>, Analysis of Public Comments on the Revised License Renewal Guidance Documents</li> <li>• <u>RG 1.188</u>, Rev. 1, Regulatory Guide for Standard Format and Content for Applications to Renew Nuclear Power Plant Operating Licenses which endorses, <u>NEI 95-10</u>, Rev. 6, Industry Guidelines for Implementing the Requirements of 10 CFR Part 54 - The License Renewal Rule</li> </ul>
06/10/05	<p>Written comments on the License Renewal Guidance Documents</p> <ul style="list-style-type: none"> <li>• <u>Public</u></li> <li>• <u>NEI</u></li> </ul>
05/16/05	<p>Public Meeting to discuss Interim Staff Guidance and selected NEI comments on the License Renewal Guidance Update (5/16/05, 9:00-4:00, 01F16)</p> <ul style="list-style-type: none"> <li>• <u>Notice</u></li> <li>• <u>Meeting Summary</u></li> </ul>
Local intranet	
Start 4 Micr... WordP... Docum... IAEAop... NRC Te... 2 Nov... Microso... NRC: S... 12:25 PM	

September 9, 2005



---

# ACRS Issues

- NUREG-1833
  - Provides link for Interim Staff Guidance and revised documents (located in affected sections)
  - Traceability of GALL'01 AMR line-items (Appendix C)
- Clarify under what circumstances aging effects would be expected from halon/carbon dioxide in the fire suppression system
- Risk-Informed ISI



---

## RG 1.188, Rev.1, Endorses NEI 95-10, Rev.6

- ▶ NEI incorporated NRC comments on two previous exceptions to NEI 95-10, Rev 5:
  - ▶ Exposure duration criteria
  - ▶ Criteria for scoping of non-safety-related piping and supports



---

# Endnote

- ▶ The success of this update process is due to the efforts of numerous NRC staff, contractors, and stakeholders.
- ▶ The collection of interrelated documents reflect the staff's current position (based on technically rigorous and generically applicable precedents) and considers stakeholder comments and interactions.





# Conclusion

- The update was completed in about 14 months (initial contract June 2004)
- A process for continuing stakeholder dialogue and resolution is in place
- The new documents increase the efficiency, effectiveness, and consistency of the license renewal review