

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: The Generic Letter on Grid Reliability  
Public Meeting Workshop

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Monday, January 9, 2006

Work Order No.: NRC-817

Pages 1-282

**NEAL R. GROSS AND CO., INC.**  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

U.S. NUCLEAR REGULATORY COMMISSION

\* \* \* \* \*

THE GENERIC LETTER ON GRID RELIABILITY

\* \* \* \* \*

PUBLIC MEETING/WORKSHOP

\* \* \* \* \*

MONDAY,

JANUARY 9, 2006

\* \* \* \* \*

The meeting was held in the Waterford Suite of the Hyatt Regency Bethesda, 7400 Wisconsin Avenue, Bethesda, Maryland, Chip Cameron moderating.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C O N T E N T S

PAGE

Introduction, Chip Cameron . . . . . 3

Opening Remarks, Jim Dyer . . . . . 8

Presentation of Brian Sheron . . . . . 18

Overview of Generic Letter Questions, Paul Gill 38

Risk Insights Discussion:

    Dale Rasmuson . . . . . 95

    Bill Raughley . . . . . 101

    Gary Vine . . . . . 117

Transmission System Operations:

    Ronaldo Jenkins . . . . . 163

    Dave Nevius . . . . . 172

    Phil Kleckley . . . . . 181

P R O C E E D I N G S

(8:30 a.m.)

1  
2  
3 MR. CAMERON: Hi. My name is Chip  
4 Cameron. I'm the Special Counsel for Public Liaison  
5 within the Office of General Counsel at the Nuclear  
6 Regulatory Commission, and it's my pleasure to serve  
7 as your facilitator for this meeting today and  
8 tomorrow, and I just want to welcome all of you.

9 I have a few brief comments about meeting  
10 process before we get into the substance of our  
11 discussions today, and I just want to talk a little  
12 bit about what the focus of the meeting is, the format  
13 of the meeting, some real simple ground rules, and  
14 just give you a real quick agenda overview.

15 In terms of the focus of the meeting,  
16 you're going to hear more about this from Mr. Jim  
17 Dyer, who is the Director of the Office of Nuclear  
18 Reactor Regulation at the NRC, but at least three  
19 questions, I think, for you are:

20 Are the objectives of the generic letter  
21 on grid reliability clear?

22 Are the information or is the information  
23 requested by the questions in the generic letter, are  
24 they clear what information the NRC needs?

25 And is it clear what the tie is between

1 the objectives of the generic letter and the questions  
2 seeking information?

3 And the NRC is going to give you  
4 information on all of this and then we want to hear  
5 any comments that you might have, any questions that  
6 you might have on all of this.

7 In terms of format, we're going to be  
8 basically having some presentations on the generic  
9 letter. We're going to have some panels of various  
10 organizations, and we're going to go to you for  
11 discussion and questions.

12 We built some redundancy into the agenda.  
13 For example, there are going to be panels on the  
14 generic or on the questions in the generic letter, but  
15 also we have a panel tomorrow, an industry panel with  
16 NEI and INPO and the NRC, and obviously that's going  
17 to revisit some of the issues that we talk about.

18 Today we also have a general question and  
19 answer question at the end of tomorrow morning so that  
20 we can revisit some issues that you may not have had  
21 a chance to explore more fully today.

22 In terms of ground rules, when we do get  
23 to the discussion part of the agenda, if you have  
24 something that you want to say, please signal me, and  
25 I'll try to come out with the cordless mic. We also

1 have microphones in the audience, but I would hope  
2 that we will not have people queuing up at the mics.  
3 That's why I'll try to get to you with cordless.

4 When I do get to you, please introduce  
5 yourself to us, your name and affiliation, if  
6 appropriate.

7 I would ask that only one person talk at  
8 a time for two important reasons. One is that so we  
9 can give our full attention to whomever has the floor  
10 at the moment, and secondly, so that we can get a  
11 clear transcript. We have our stenographer with us in  
12 the back of the room. His name is also Chip. We're  
13 making it easy for you. For future meetings, just  
14 assume the facilitator's name is Chip and the  
15 stenographer's name is Chip. So all very simple.  
16 That's sort of a joke, I guess.

17 (Laughter.)

18 MR. CAMERON: But not a very big one.

19 When we do get to the panels, and the  
20 panels are going to go right through in their  
21 presentations, we're going to try to keep the  
22 presentations brief, about 15 minutes each. When  
23 we're done with the panel presentations, we're going  
24 to give them an opportunity to ask questions of each  
25 other or comment before we go out to you for comment.

1           As much as possible, and it may be a  
2           little bit difficult in this type of meeting, I'd like  
3           to try to follow discussion threads. If someone in  
4           the audience raises an issue, before we move on to a  
5           different issue, I'd like to check in and see if  
6           anybody has any additional views on that particular  
7           issue.

8           Please try to be concise. I think we have  
9           plenty of time, but there's a lot involved with this  
10          issue. So just try to be concise in your comments and  
11          questions.

12          We will have a parking lot up here that  
13          I'll keep. There may be questions that come up that  
14          are not relevant to the topic we're discussing at the  
15          time, but are relevant to something later on in the  
16          agenda. We'll put those up there and make sure that  
17          we come back to those when we get to the appropriate  
18          part of the agenda.

19          There are going to be cards, comment cards  
20          that the NRC staff will make available to you. Those  
21          serve two purposes. One is if you have a comment on  
22          some of the issues you hear that you don't get to  
23          bring to the floor, the NRC staff will have the  
24          benefit of that comment.

25          I'd like to encourage everybody to speak

1 up rather than using the cards to get your comment  
2 before us, but obviously if we run out of time at some  
3 point, please put your comments on there.

4 You can also put a question on there, and  
5 we'll make sure when we get to the general discussion  
6 area tomorrow morning before we close, we'll go  
7 through those questions and see if there's any that  
8 have not been answered and then we'll use them to  
9 answer those questions.

10 And finally, in terms of the agenda, we're  
11 going to have some introductory remarks this morning  
12 from Mr. Jim Dyer, who is the Director of Nuclear  
13 Reactor Regulation, and from Mr. Brian Sheron, who is  
14 the Associate Director of Energy and Safety Systems in  
15 our Office of Nuclear Reactor Regulation.

16 There's an opportunity for some clarifying  
17 questions to both Jim and Brian after that, and then  
18 we're going to move to an overview of the generic  
19 letter, and we have Mr. Paul Gill from the NRC staff  
20 who's going to give you that overview. Again, an  
21 opportunity for clarifying questions.

22 We do have specific items on the agenda  
23 for the questions in the GL. So we don't necessarily  
24 want to get into a big discussion after Paul's  
25 presentation, but we do want to give you the

1 opportunity to ask some questions there.

2 Next we have risk insights. The NRC and  
3 EPRI are going to present that. After that discussion  
4 we'll go to transmission systems, and we have an  
5 excellent panel who's going to present on that.

6 We're going to try to adjourn at four  
7 o'clock today. At 11:30, there's a lunch break. In  
8 the morning, we have a break scheduled for 10:20; in  
9 the afternoon a break at 2:45; and tomorrow we're  
10 going to get started at 8:30.

11 I just would thank you all for being here.  
12 It's going to be an interesting day and a half, and  
13 with that I'm going to turn it over to Jim Dyer.

14 Jim.

15 MR. DYER: Is this thing hooked up? Okay,  
16 good. The reason I asked is there's a cable sitting  
17 here.

18 (Laughter.)

19 MR. DYER: I just said, "Oh, well, I might  
20 be tough."

21 First of all, let me say thanks for coming  
22 out on a Monday, particularly those of you who  
23 traveled in from afar.

24 Just to get a profile of what my audience  
25 is today, is there a Federal Energy Regulatory

1 Commission member here, a member of FERC?

2 (Show of hands.)

3 MR. DYER: Well, managed to come in.  
4 Good. Welcome.

5 How about North American Electric  
6 Liability Council? Anybody?

7 (No response.)

8 MR. DYER: Any members of transmission  
9 system operators, independent system operators?

10 (Show of hands.)

11 MR. DYER: Somebody in the back, the  
12 middle, the end. Good.

13 How about utilities, NRC licensees or  
14 otherwise? What's the utility reps.?

15 (Show of hands.)

16 MR. DYER: Good. How about NRC? How many  
17 of the NRC staff have we got?

18 (Show of hands.)

19 MR. DYER: Okay. Good. Look like a good  
20 representation, which is important for a workshop.

21 The intent of my opening remarks is really  
22 just from a high level to talk a little bit about what  
23 this generic letter, why we're doing it, what this  
24 generic letter means to me, and then I'm going to  
25 leave and let you try to figure out if we're in

1 alignment in that.

2 But I think the actual purpose of this  
3 meeting was really outlined in a Commission staff  
4 requirements memorandum to us that outlined it. It  
5 really asked us to look at three questions:

6 What is intended by the generic letter  
7 questions?

8 What does the NRC expect from the answers?

9 And how do we anticipate using this  
10 information?

11 And the challenge we have is with the  
12 proposed generic letter right now is to take a look at  
13 whether we need to make changes to that, you know,  
14 conduct this meeting, decide whether we need to make  
15 changes to the generic letter to accomplish what we  
16 want to, and then get back to the Commission to  
17 support getting the generic letter issued by the end  
18 of the month.

19 And that goes to allowing the utilities  
20 and NRC licensees time to respond and then for us to  
21 get back and to be prepared for the summer of '06.

22 So just with that in mind, let me give you  
23 a couple of my high level views, I guess, to frame the  
24 discussions today. And first of all, you know, this  
25 workshop is necessary. The Commission SRM that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 directed the staff, the only question about that was  
2 whether we held it before or after we issued the  
3 generic letter and based on schedule and talking to  
4 the Commission, you know, we're doing it now before  
5 we've issued the generic letter so that you have the  
6 opportunity to influence how we can adjust the  
7 questions in that.

8 And on a higher level, we're still  
9 working, you know, in the post August of 2003  
10 environment, whether it was the grid drop of the  
11 northeast and into the -- I've been into the Midwest,  
12 and we had our lessons learned. We've had a number of  
13 action items coming out of that.

14 But the one question that still is before  
15 me is whether our current regulations for off-site  
16 power are adequate in the current deregulated  
17 environment, and that's a question that, you know, we  
18 asked ourselves that the NRC staff took a look at and  
19 reviewed, and we came to the conclusion they are.

20 You know, off-site power is considered in  
21 licensing of the plan as preferred power source, and  
22 it provides defense in depth to the on-site power  
23 supply. So it has a regulatory purpose, and it's a  
24 question of our regulations, and we really looked at  
25 three regulations that are outlined in the generic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 letter.

2 One, the general design criteria of Part  
3 50 that are translated from operating reactors into  
4 your technical specifications and your licensing  
5 basis; the maintenance rule, and particularly, 10 CFR  
6 5065(a)(4) for risk management; and lastly, the  
7 station blackout rule, 10 CFR 50.63, which concerns  
8 coping studies and procedures for recovery.

9 You know, one of the things we have  
10 though, one of the questions we have though is whether  
11 our understanding of the regulation reflects the way  
12 the industry implements these regulations, and making  
13 sure we're in alignment is the purpose of this, of the  
14 generic letter.

15 And in the generic letter when we worked  
16 through the Office of General Counsel and to get the  
17 interpretation of the regulations and to make sure  
18 that our understanding as articulated in the generic  
19 letter is consistent with OGC's, you know, is  
20 supported by the Office of General Counsel, and it is,  
21 and so that sort of lays out the way we view the world  
22 for off-site power with respect to these three  
23 regulations.

24 Now, we've got the results from the TIs  
25 that we conducted prior to the summer of '05 and the

1 summer of '04 where we went out and we took at some of  
2 these areas, and that's what leads us to question  
3 whether or not the implementation really reflects the  
4 way we understand the regulations and our views on  
5 compliance with what the regulations are.

6 And I'll acknowledge that we may not have  
7 been asking the right questions, that we may have  
8 miscommunicated. We may not have looked under or  
9 asked the right people in the organization to get it,  
10 and our decision was to go forward with this generic  
11 letter in order to facilitate that general  
12 understanding of whether or not implementation is as  
13 the NRC sees compliance.

14 Let me talk a little more specifics in the  
15 four areas that are outlined in the generic letter.  
16 The generic letter is framed. It has eight questions  
17 in the four areas concerning the three regulations.  
18 So let me just give you my views on what the NRC needs  
19 are and what we don't need from the generic letter in  
20 these areas.

21 And the first area is the general design  
22 criteria and the technical specifications which govern  
23 off-site power operability and operational constraints  
24 on nuclear power plants. You know, what the NRC needs  
25 to know is that if your off-site power source is

1 unreliable that you'll declare it inoperable, enter it  
2 into the action statement and take actions to fix it  
3 and report it.

4           You know, nuclear power plants need off-  
5 site power when they've lost the output from the  
6 reactor and the generator. If the utilities -- if the  
7 nuclear power plant is the only one holding up the  
8 grid, then you're not operable, our view. If there's  
9 another plant on the grid, another supply onto your  
10 grid that if it's lost would cause you to trip and the  
11 off-site power to go away, then we don't think they're  
12 operable. That's not a reliable source of off-site  
13 power.

14           But one of the things we're not asking you  
15 to do is to come up with a double contingency, as I  
16 think I've heard discussed or I've been questioned in  
17 other avenues where you have to figure out how much of  
18 -- you know, whether or not a loss of another plant  
19 and then taken on top of that another loss of your  
20 plant.

21           Unless the two are interconnected, we're  
22 not looking for a double contingency or, you know, two  
23 layers -- that's it -- of defense in depth.

24           We're also not requiring you to use  
25 specific codes or real time contingency analysis

1 methods. I think those are regulated by FERC, NERC  
2 and chosen by the transmission system operators'  
3 independent system operators.

4 So we're not trying to influence. You  
5 have to influence your transmission system operator.  
6 If, in fact, that's a question and the utilities can't  
7 get good information, we'd like to know about it.  
8 We'll address our counterparts in FERC and talk to  
9 NERC about whether or not there's adequate  
10 communications now.

11 But our understanding is that the system  
12 operators in that have the information and do that.

13 The maintenance rule, 10 CFR 5065(a)(4)  
14 requires power plant licensees to both assess and  
15 manage risk of maintenance activities. This includes  
16 considering whether in the grid conditions, and it's  
17 outlined in Reg. Guide 1.182 and endorses NEI 9301.

18 You know, what this regulation requires  
19 licensees to do is to be able to know the predicted  
20 grid conditions for the duration of a planned  
21 maintenance outage of a critical piece of equipment.  
22 From the NRC's perspective, recently research  
23 finalized their NUREG on grid activities, grid  
24 reliability, and in our view the grid is more unstable  
25 in the summer months and you really shouldn't be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scheduling extended outages for diesel generators,  
2 batteries, and the turbine driven pumps during the  
3 time frame when your grid is predicted to be unstable.  
4 That's for long-term planning.

5 Also, the NRC recognizes that when you do  
6 schedule things that emerging conditions occur, that  
7 a grid you thought would be stable, something happens  
8 and it doesn't. What we really expect then is that  
9 you'll know about it when it happens and have a Plan  
10 B, you know, which may be to reschedule the  
11 maintenance, to accelerate the completion of it, or to  
12 back out based on what's the best interest in safety.

13 You know, the third area is the station  
14 blackout rule with respect to the coping capabilities  
15 where each plan is required to cope with the station  
16 blackout for a specific period of time based on the  
17 vulnerabilities that are expected of that plan.

18 One of those vulnerability considerations  
19 is loss of off-site power frequency. You know, what  
20 we need to know is that plants are updating their  
21 analysis to make sure they're in the right bin and  
22 have the right coping abilities, given the conditions  
23 of their local grid around them and that they consider  
24 all of the loss of off-site power events, that they're  
25 not arbitrarily excluding events because of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 potential root cause.

2 And the last area is also the station  
3 blackout rule, and that also requires plant staff  
4 procedures to restore off-site power and using nearby  
5 sources. You know, what the NRC needs to know is that  
6 the deregulated environment doesn't prevent those  
7 kinds of recovery procedures from being implemented  
8 and that they're still current under the current  
9 environment.

10 You know, in the deregulated environment  
11 that we're operating in today, the utilities, you  
12 know, they're not an island. They don't control all  
13 these different factors anymore. There's a number of  
14 different players, and that's why I'm very pleased  
15 that we've got, you know, FERC and the transmission  
16 system operators and a wide variety of utilities in  
17 our licensees and in our staff.

18 You know, what we need to do is to have a  
19 healthy discussion, and I'll be the first one to  
20 admit, you know, I read through the generic letter  
21 again this weekend after I had spoken to NEI and taken  
22 a look at it from a different perspective, and I think  
23 we need to fill in some of the questions.

24 So from my perspective, the NRC shouldn't  
25 be dug into the wording as it is right now. If the

1 intent is to get to a healthy exchange of information  
2 and communication about how the grid is managed by the  
3 nuclear power plant licensees to the NRC, it's not us  
4 trying to infringe ourselves and get into managing the  
5 grid ourselves, but it makes sure we have to have a  
6 healthy discussion and dialogue about how that occurs.

7           So I wish you the best in the next two  
8 days. I think it's a very important meeting. I think  
9 what we need to do is to try to get to, you know, a  
10 simple understanding of what's expected on the NRC's  
11 part and understanding what the kinds of answers that  
12 we're going to get and have a good dialogue about that  
13 so that when the written submittals come in later this  
14 year and it gets close to the summer months, that we  
15 can have the assurances and I can assure the  
16 Commission that we're ready for any kind of  
17 challenging grid summer conditions.

18           So with that, let me just turn it over to  
19 Brian and let him make some opening remarks.

20           MR. SHERON: Good morning. I don't have  
21 too much more to say than what Jim has already told  
22 you. I share his thoughts completely in terms of the  
23 purpose of the workshop and everything.

24           For those of you who don't know me, I'm  
25 Brian Sheron. I'm the Associate Director for

1 Engineering and System Safety. I guess it would be  
2 easier if I told you my name is Chip, right?

3 (Laughter.)

4 MR. SHERON: Anyway, I want to reiterate  
5 that the principal goal of the workshop is for  
6 everyone to have a common understanding of the  
7 questions contained in the generic letter. Because of  
8 concerns that were expressed by the industry, the  
9 Commission issued a staff requirements memorandum as  
10 Jim said on December 20th that instructed us to hold  
11 a public workshop to clarify the questions contained  
12 in the generic letter.

13 I want to point out this is not an  
14 opportunity. This is not an additional comment period  
15 for the generic letter. I mean, that has come and  
16 gone. This is a workshop to help clarify what's in  
17 the letter.

18 If changes are needed, as Jim said, to the  
19 letter to clarify what we're looking for, we will  
20 revise the letter accordingly, but I just want to  
21 reiterate that we're not back in the public comment  
22 period.

23 We plan on issuing the generic letter no  
24 later than January 27th of this year, and we're also  
25 making preparations to issue a temporary instruction

1 to our inspectors that will provide guidance for  
2 performing inspections in the area of off-site power.

3 We're going to review the results of these  
4 inspections, and we'll determine whether nuclear power  
5 plants are prepared for continued safe operation  
6 during the summer of 2006.

7 Let me digress a second here. It was  
8 actually because of deregulation in the electric  
9 industry and as well as the operating events in the  
10 past few years, including the August 14th, 2003 East  
11 Coast blackout. The reliability of the grid has come  
12 into question.

13 Our initial assessment is that our current  
14 regulations remain adequate, and I think Jim pointed  
15 out the three that we believe apply here, GDC-17, the  
16 station blackout rule, and the maintenance rule.

17 However, we believe that additional  
18 actions are required to provide assurance that the  
19 licensees remain in compliance with the regulations.  
20 This is not a new concept. Okay?

21 As times change, as the situation changes  
22 in nuclear plants, we reexamine our regulations for  
23 whether they're still relevant, whether they still  
24 apply. In many cases they still apply, but what we  
25 need is because of changing situations in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 industry, we need further assurance that compliance is  
2 still -- you know, that plants are still complying  
3 with the regulations.

4 And for that reason sometimes we believe  
5 that because of different circumstances, licensees  
6 have to take additional actions. As I said, these  
7 regulations are embodied in GDC-17, which is electric  
8 power systems; 5065, the maintenance rule; and 5063,  
9 the station blackout rule.

10 Either licensees need to provide us with  
11 further assurance of a reliable off-site power supply.  
12 Now, remember, a generic letter is just a request for  
13 information under 50.54(f). Okay? It is not a  
14 requirement. It just seeks information, and really  
15 what we're asking you is we're saying that we are  
16 questioning whether or not you are still in compliance  
17 with these regulations for the following reasons, and  
18 we outlined them in the generic letter.

19 And so what we're asking you is we're  
20 saying if you still believe that you're in compliance,  
21 then you need to tell us why you believe you're in  
22 compliance, but if you agree with these concerns that  
23 we've articulated in the generic letter, we are  
24 proposing that there are some actions that we think  
25 are necessary that will provide the assurance that you

1 are in compliance, and you need to tell us whether or  
2 not you intend to take these actions or, if not, then  
3 what actions do you intend to take to demonstrate  
4 compliance and to address the staff's concerns, or if  
5 you're not going to take actions, to explain why you  
6 don't believe any actions are necessary.

7 We will take that information then and we  
8 will decide whether or not we believe you've made a  
9 sufficient case for compliance or whether we need to  
10 take further regulatory action.

11 But I do want to emphasize that this is a  
12 generic letter and it's a request for information.  
13 It's not imposing any new requirement.

14 As I said, either licensees need to  
15 provide us with further assurance of reliable off-site  
16 power supply, which is the focus of the generic  
17 letter, or we may need to revisit past decisions that  
18 were made based on the assumption of a reliable off-  
19 site power supply.

20 For example, extended diesel generator  
21 allowed outage times where licensees have come in and  
22 made, using risk arguments based on the reliability of  
23 off-site power that they can go from 72 hours, for  
24 example, to a 14-day allowed outage time, and we need  
25 to go back. We may have to go back and revisit and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 say is that still a valid assumption to make that the  
2 off-site power remains reliable enough to warrant this  
3 kind of a tech spec change.

4 The other thing we're obviously concerned  
5 about, and I think Jim alluded to it, is the seasonal  
6 variations in the likelihood of losing off-site power  
7 and whether licensees need to take further actions to  
8 make sure, for example, that you're not taking diesels  
9 or turbine driven pumps or batteries or the like out  
10 of service during periods when there's probably a much  
11 higher likelihood of losing off-site power, for  
12 example, in the summer months when there's a lot of  
13 electrical storms, when there's hurricanes that are  
14 bearing down on the coasts and so forth.

15 We need to make sure that the plants are  
16 at their maximum readiness during these periods.

17 I want to reiterate we understand -- you  
18 know, I've heard some concern that we were trying to  
19 regulate the grid, and I want to emphasize that we  
20 understand our limits of authority as a regulatory  
21 agency, and we are not attempting to regulate the  
22 grid.

23 But we want to make sure that we  
24 understand what the reliability of the grid is so that  
25 we can take appropriate actions with regard to how you

1 operate your plants.

2 To minimize stress in this area that may  
3 be caused by interfacing, the staff will continue to  
4 work with the Federal Energy Regulatory Commission to  
5 insure that the two regulatory bodies are fully  
6 coordinated. In fact, our Commission is planning to  
7 meet with the Federal Energy Regulatory Commission in  
8 the near future, although I don't think a date has  
9 been actually set yet.

10 In closing, I just want to remind you  
11 NRC's regulatory responsibility is to insure nuclear  
12 power plant safety. We believe issuing a grid  
13 reliability letter and ultimately reviewing the  
14 licensee responses will allow the staff to determine  
15 if licensees are adequately complying with the  
16 regulations.

17 With that, Chip, I'm finished. We'll turn  
18 it over to you if there are questions.

19 MR. CAMERON: Okay. Thank you, Jim.  
20 Thank you, Brian.

21 We may not have Jim and Brian for the  
22 entirety of the meeting. So we wanted to give you an  
23 opportunity to ask any questions you might have based  
24 on the remarks that you heard from both Jim and Brian  
25 this morning.

1           And let's go back to this gentleman, and  
2 we need to get everything into the microphone so that  
3 we have it on the transcript, and if you could just  
4 introduce yourself to us, sir.

5           MR. ALEXANDER: Hi. I'm Steve Alexander.  
6 I'm with the Maintenance Rule Group at the NRC, and  
7 actually I was just here to answer questions in case  
8 there are any beyond what Paul Gill says about the  
9 maintenance rule.

10          MR. CAMERON: Okay. Thank you very much.

11          Any questions for Jim and Brian based on  
12 what you heard this morning?

13          Okay. Alex, please introduce yourself.

14          MR. MARION: Alex Marion, NEI.

15          I'm getting the sense that the NRC has  
16 already drawn some conclusions on the performance of  
17 the grid in terms of reliability. Is there any data  
18 that's been published that's been shared for peer  
19 review?

20          MR. CAMERON: Okay. Thank you, Alex.

21          Jim or Brian, on data, and we may be  
22 getting into that in more depth later on.

23          MR. DYER: I don't have the details.

24          MR. RAUGHLEY: That's part of a  
25 presentation later this morning. NERC/P is giving us

1 some data, and we've worked with them to analyze that.  
2 We'll be showing some of the results.

3 MR. CAMERON: Okay. This is Bill Raughley  
4 from NRC staff.

5 MR. RAUGHLEY: Bill from NRC research  
6 staff.

7 MR. CAMERON: Okay. So we'll put that in  
8 the parking lot.

9 MR. DYER: Alex though I will say that I  
10 think that as I said before, I think we had a research  
11 study that's been out, and I think you've commented on  
12 it. We referred to it in the draft stages at the last  
13 Commission meeting where our review of loss of off-  
14 site power events since 1997, it has changed.  
15 They're, you know, grid centered versus plant  
16 centered, and the duration has changed, and that has  
17 had some influence on us.

18 Again, you know, the initiating events,  
19 one of the action items we took away after the August  
20 2003 blackout, you know, the power plants performed  
21 well, but we took a look at what if. What if there  
22 had been extended diesel outages? What if? And we  
23 asked ourselves the question do we have assurance that  
24 that's the way the plants are always going to operate  
25 and always the conditions going to be and if the

1 conditions occur as well as what can we do to enhance  
2 the communications to make sure that there's an  
3 understanding if the grid does get into an unstable  
4 condition, that the power plants are going to know  
5 that.

6 And so that's sort of the background that  
7 led us to where we're at right now, but as far as  
8 coming up with a conclusive risk argument that says  
9 that we have to demonstrate to show that this is  
10 absolutely positively necessary, I don't think we need  
11 to do it, and like I said, we've got some information  
12 we're going to share today.

13 MR. CAMERON: Okay. Thanks, Jim.

14 MR. SHERON: Chip, if I could.

15 MR. CAMERON: Go ahead, Brian.

16 MR. SHERON: I wanted to bring in one  
17 thing on that, which I think has at least influenced  
18 me a little bit, and that is that, you know, a lot  
19 of times the NRC gets criticized for being a day late  
20 and a dollar short in terms of waiting for something  
21 to happen before we take action. You know, we are  
22 well aware that, for example, the licensing form which  
23 NEI sponsored back in November, one of the senior  
24 executives in his opening remarks pointed out that I  
25 think the East Coast was going to have negative

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 spinning reserves in about two or three years.  
2 Because this was obviously a discussion about new  
3 reactors.

4 But he expressed a concern which I think  
5 kind of struck a nerve with me, and that was that he  
6 said, "I don't know where the power is going to come  
7 from."

8 And so we need to be prepared for the fact  
9 that, in fact, the reserves, the spinning reserves,  
10 are not what they used to be, and I think when we get  
11 into summer months and stuff, grids are going to be  
12 strained even further than what they were in the past,  
13 and that's of some concern.

14 And so I think that's something else that  
15 motivates and drives us to want to have further  
16 assurance of reliable off-site power.

17 MR. CAMERON: Okay. Thanks, Brian.

18 Let's go right here.

19 MS. WEBER: My name is Jennifer Weber,  
20 Tennessee Valley Authority on the transmission side of  
21 things.

22 In working closely with our nuclear  
23 plants, in making sure we're communicating with each  
24 other, one of the biggest things that I find is that  
25 we need to have a common vocabulary. So I wanted to

1 mention four key words that are used throughout the  
2 generic letter and in the discussion that have a  
3 different meaning to the transmission side of things  
4 than they do to the nuclear house and to perhaps  
5 suggest that these terms be defined very clearly in  
6 the generic letter and in our discussions.

7           The first term is "unit trip." It is used  
8 throughout the generic letter. The grid always  
9 operates so that their system is secure for loss of a  
10 unit, but I think perhaps in the generic letter you're  
11 referring more to a design basis event, such as a LOCA  
12 shutdown or a full load rejection.

13           Those are very different events in terms  
14 of grid impact from a simple unit trip.

15           The second term is "off-site power," and  
16 I think that needs to be distinguished clearly between  
17 an external source of power to the plant versus a  
18 qualified off-site power source for tech spec  
19 purposes. Those are different.

20           To be a qualified off-site source, you  
21 have to postulate, again, a design basis and insure  
22 that your voltage would hold up in that postulated  
23 event. That's different from the physical loss of an  
24 external power source.

25           And then the third and fourth words are

1 "reliable" and "unstable." Reliability and stability  
2 have very specific definitions in the NERC side of the  
3 house in transmission. Like reliability means we can  
4 lose a large building or a large line, and we maintain  
5 positive control of the grid. That has a very  
6 specific definition.

7 Stability has to do with oscillations and  
8 system recovery to steady state following a  
9 disturbance. So I think those words are used by  
10 general people in a different sense than we understand  
11 them in implementing them on the grid.

12 MR. DYER: Thank you.

13 As you were saying, you know, as you go  
14 through it, the devil is really in the details, you  
15 know, and I think that's the real benefit of this  
16 meeting, is if we can make sure we've got -- you know,  
17 what we're transmitting is what you're receiving and  
18 what you transmit, what the licensees transmit back to  
19 us is what we receive, you know. It's those kinds of  
20 details that are going to be important.

21 MR. CAMERON: Okay, and thanks, Jennifer.  
22 I put common vocabulary in the parking lot, and I'm  
23 going to ask all of you to be a guide for me about  
24 when is the most appropriate time to address, during  
25 the next day and a half, to address those issues, but

1 we do have it in the parking lot.

2 Yes, sir.

3 MR. KLECKLEY: Good morning. I'm Phil  
4 Kleckley, and I'm in the transmission planning group  
5 at the South Carolina Electric and Gas Company.

6 And while we're talking about definitions,  
7 I was going to wait until we had a little more  
8 discussion, but maybe this is a good time to go ahead  
9 and do this.

10 In referring to operability of the off-  
11 site power supplies, not being a nuclear person, I  
12 don't have much of a background in the usage of the  
13 term, but in reading through some of the materials,  
14 I'm getting a little bit of vagueness in what I'm  
15 understanding it to mean.

16 Does this mean that the off-site power  
17 supplies are reliable to the point that it is not  
18 necessary to go to the on-site power supplies, or does  
19 it mean that if the off-site supplies are lost, they  
20 will become available before some other requirement is  
21 met?

22 Thank you.

23 MR. CAMERON: Okay. I think that I don't  
24 know if, Brian or Jim, you want to say anything or  
25 Paul at this point, but certainly it's going to be an

1 issue that we're going to come back to later on.

2 MR. DYER: I think the former. I think  
3 the first thing you said, but I --

4 MR. GILL: Jim, I think I'll elaborate on  
5 that when I get it in my discussion.

6 MR. CAMERON: Okay. Good. So we won't  
7 lose that one. Okay. We'll come back to it.

8 Let's go to this gentleman right here.

9 MR. ROSENBLUM: Dick Rosenblum from  
10 Southern California Edison. I'm the CNO there now,  
11 but I used to be the head of the transmission and  
12 distribution business for the last ten years.

13 Brian's comment about negative reserve  
14 causes me to ask that people think about one more  
15 definitional difference that I think is going to  
16 become important, and it's one not commonly made.  
17 There's a difference between grid reliability or grid  
18 operability or whatever the defined term we choose to  
19 use, which for a transmission person means you've got  
20 the right frequency, the right voltage, adequate VAR  
21 (phonetic) support, and a bunch of other thing.

22 In-service reliability, a term I have just  
23 made up, which means your customers have lights,  
24 that's a distinction not commonly made by anybody.  
25 Brian talks about negative spinning reserve. The way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you get spinning reserve back is you show a bunch of  
2 your customers off.

3 The grid is a happy camper through all of  
4 that. So I think as we go forward, and I'm not trying  
5 to lecture here; you know, it sounds like it; we need  
6 to start differentiating between those two things.  
7 The nuclear power plant requires grid reliability.  
8 Service reliability is immaterial and is, in fact,  
9 used to create grid reliability, and that is a  
10 distinction that has not historically been made by  
11 either the nuclear people or the transmission people  
12 in the way I just described it, but is important to  
13 this issue.

14 MR. CAMERON: Thanks for offering that  
15 distinction, Dick.

16 Anything else before we go on? We'll go  
17 right here and then we'll go right over there. Yes,  
18 sir.

19 MR. LEAKE: Hi. I'm Harvey Leake with  
20 Palo Verde.

21 I think the two points that Jim made were  
22 pretty important for the industry one. The industry  
23 is not asking for an analysis of double contingencies,  
24 and second, that there's not a new requirement for use  
25 of real time contingency analyzers.

1                   So my question is: is this going to be  
2 clarified anywhere in writing?

3                   MR. CAMERON: Okay. Thank you.

4                   And just before you answer that, Jim, I  
5 just want to check in and make sure that the two  
6 things that you heard are correct assumptions about  
7 what you said.

8                   MR. DYER: Yeah, I think we don't require  
9 a double contingency, but the one caveat I made was  
10 but if you have an off-site supply or a supply to the  
11 grid another unit supply -- you're going to get me  
12 tangled up now because I know it's probably butchering  
13 whatever the vernacular is in the transmission  
14 world -- but there's another supply, you know, besides  
15 the nuclear plant that will, in fact, take down the  
16 grid and cause the nuclear power plant to trip. That  
17 would be the largest contingency.

18                   The same thing with the real time  
19 contingency analysis. We're not specifying a code, I  
20 mean, but I'm glad the Federal Energy Regulatory  
21 Commission is here, and my understanding is that the  
22 transmission system operators are all using literally  
23 state of the art codes for our purposes that can  
24 predict or do the kinds of analysis that's needed for  
25 the NRC regulatory needs in the utilities.

1           If we're wrong, then we need to understand  
2           that, but I think you're right.

3           MR. CAMERON: Okay, and the final point,  
4           Jim, about whether these issues will be clarified in  
5           the generic letter.

6           MR. DYER: Yeah, I thought they were, but  
7           I think there's a footnote on the real time  
8           contingency analysis code, and it explains -- it  
9           doesn't say we're not going to do double contingency,  
10          but it does talk about what we are going to ask for,  
11          which is the single largest contingency.

12          MR. CAMERON: Okay, and that point that  
13          you raised is before us, and it's one of the things  
14          that the staff will look at after this meeting.

15          Let's go to Bruce.

16          MR. POOLE: Yeah, my name is Bruce Poole.  
17          I'm from the Federal Energy Regulatory Commission, and  
18          I guess what you have to say is everyone is judged in  
19          NERC on meeting standards. Okay? And so you always  
20          have your contingencies because that's set up in the  
21          standard.

22          Some people run a computer program that  
23          does an on-line contingency analysis all the time, but  
24          not everybody does that. Okay? So not every utility  
25          will be doing that currently. There are some that are

1 developing systems now that will, and there are some  
2 that haven't converted or aren't using that.

3 So I just want you to know that when you  
4 say real time contingency analysis, not everybody does  
5 that, but they all manage to meet NERC reliability  
6 rules by some other method. They may have a program  
7 that's not running all the time. It may run every  
8 five minutes or every ten minutes. Okay? But it may  
9 not be real time.

10 MR. DYER: I think our main thrust is that  
11 when the ISO or transmission system operator realizes  
12 or analyzes that there's a problem, that there's  
13 communications to the utility and what the utility  
14 does with that information.

15 MR. CAMERON: Okay. Great. Let's go for  
16 one more comment/question, and then we're going to go  
17 to Paul. This is a good preview and prelude to some  
18 of the issues that are important for discussion.

19 MR. ATTARIAN: Thank you.

20 George Attarian, Progress Energy and  
21 Chairman of Working Group 4.6 on off-site power IEEE.

22 My question is that in the last three  
23 years the nuclear industry has not been, so to speak,  
24 in a hole. There's been a lot of things that are  
25 happening. What weight did the staff give to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generic letter to the actions that have been taken by  
2 the INPO SOERs and the other actions that are in  
3 progress right now by the industry?

4 MR. CAMERON: Great. Thank you.

5 MR. DYER: From my perspective, I think  
6 that you're right. The industry has done a lot; the  
7 NRC and the industry have both done a lot to  
8 understand what's going on, what the conditions are.

9 Clair is here from the Institute of  
10 Nuclear Power Operations to participate, and he'll be  
11 able to shed some light on that.

12 I think what INPO has done has gone, in  
13 particular, beyond, you know, what our regulations  
14 are. What we want to know is that the floor is there,  
15 you know, what we consider the minimum stuff  
16 acceptable.

17 So it's not our intent to regulate to what  
18 INPO is expecting because it goes beyond, but it is a  
19 subset or below that that we feel our regulations  
20 require to regulate at that level.

21 And so hopefully, and I've talked to  
22 George Fellgate (phonetic) at INPO, and that what INPO  
23 is doing would cause the utilities to exceed what  
24 we're doing, but we need to know that that floor is  
25 there.

1 MR. CAMERON: Okay. Thanks, Jim, and we  
2 do have Mr. Clair Goddard with us who is going to be  
3 on a panel tomorrow and will specifically address what  
4 the implications are for the generic letter from what  
5 INPO is doing, and I'm sure we'll hear about that  
6 before tomorrow, too, but I would just thank Jim and  
7 Brian for being here this morning, and I'm sure  
8 they'll be here as much as they can throughout the  
9 next day and a half, but I think we're ready to move  
10 on to the overview.

11 Mr. Paul Gill from the NRC staff.

12 Just let me ask. Brian, Jim, do you have  
13 anything else that you want to say before we go on?

14 MR. DYER: No.

15 MR. CAMERON: Okay, great. Thank you.

16 MR. DYER: I've got to run.

17 MR. CAMERON: Okay. Thank you, Jim.

18 MR. GILL: Good morning. My name is Paul  
19 Gill. I'm the technical lead on the generic letter,  
20 and I'm going to use slides to discuss the generic  
21 letter.

22 Mr. Dyer and Dr. Sheron have already laid  
23 out, I think, to a great extent what I was going to  
24 talk about. So what I'm going to do is talk in a  
25 little more detail of the overview and the reasons

1 that they laid out.

2 So if I could go to my first slide,  
3 please. Go to the next one, Objectives.

4 Okay. I think you heard the objective  
5 this morning from Mr. Dyer and Dr. Sheron, but let me  
6 follow up on that. The objectives of the generic  
7 letter is essentially one to seek information from you  
8 in terms of assessing where we are in terms of meeting  
9 out regulations. So there's one objective is to  
10 verify compliance.

11 And the second objective I would say is  
12 that based upon that information, to see if we do need  
13 to do something different, such as maybe rulemaking,  
14 if that is the case.

15 So we need that information to assess  
16 within our agency to find out where we are, and what  
17 I want to do also here is to -- my objectives for  
18 discussing the generic letter is to provide you what  
19 we think is the regulatory basis for asking the  
20 questions that we are asking; also to tell you what's  
21 intended by these questions, what kind of information  
22 we are looking for; and also what we would expect in  
23 terms of answers, trying to help you along in terms of  
24 what we are looking for rather than send you a very  
25 general question and then get responses which may

1 require further elaboration and requests for  
2 additional information. So we want to minimize that.  
3 We'd like to make it a very smooth transition in terms  
4 of getting responses that we understand in terms of  
5 what our needs are.

6 And also how are we going to use this  
7 information?

8 Next slide, please.

9 We are asking questions. Jim mentioned  
10 four areas, but in essence actually, you know, if you  
11 got up and looked at it, it's really three areas,  
12 although we could make it into four areas. The one  
13 is, of course, into the off-site power system, and I'm  
14 going to get into the off-site power system to kind of  
15 give you the basis, the regulatory basis, and to  
16 determine its you heard the words "operability" or  
17 "availability," and so on. So I'm going to talk about  
18 that as we go through my discussion.

19 And the second area is the maintenance  
20 rule, and again, in terms of using looking at the  
21 grid, are you taking the grid into when you make risk  
22 assessments? Before you take risk significant  
23 equipment off, as well as while you are in the  
24 maintenance of that equipment.

25 And the third area is station blackout,

1 and I'm going to talk about that a little bit to give  
2 you some background, what the requirements were, what  
3 your licensing basis is regarding station blackout,  
4 and why we think at this time we need to kind of look  
5 at it again, given the operating experience as to  
6 whether we are still in compliance or not.

7 So those are the three areas that we're  
8 going to look at.

9 Now, let me go to the next slide, which  
10 will talk about the regulatory requirements, and I'm  
11 going to go through each area, first dealing with the  
12 off-site power system.

13 You heard mentioned GDC-17. On this slide  
14 I've listed the other GDCs, or the general design  
15 criteria, that talk about off-site power system, and  
16 these other GDCs are the 33, 34, 35 all the way to 44,  
17 and they all have requirements for off-site power  
18 system.

19 And let me kind of sort of paraphrase  
20 what's in those GDCs and you can look at the 10 CFR 50  
21 and read in more detail.

22 And what this talks about is -- the next  
23 slide -- it talks about the requirements in these  
24 GDCs, and these are required for ESF type systems, and  
25 it says that for off-site electric power system

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operation and for on-site electric power system  
2 operation, the system safety function can be  
3 accomplished assuming a single failure.

4 What it's saying in these guides, general  
5 design criteria, is that you have to have an off-site  
6 power system available, assuming the on-site is not  
7 available, as well as -- the emphasis being on  
8 "and" -- have an on-site power system available  
9 assuming the off-site is not available.

10 And the single failure, of course, applies  
11 to the on-site system because we don't take a single  
12 failure in the off-site system.

13 So if you look at these design criteria,  
14 it's saying that you have to have both available. So  
15 it's not one or the other.

16 I've heard the argument or discussion from  
17 people, well, gee, I got my diesels. My diesels work  
18 fine. So what's the problem with the off-site?

19 Well, the problem here is that if you  
20 strictly look at the design criteria, it's requiring  
21 that both be operable at the same time. So what we  
22 want to make sure is given the operating experience,  
23 do we have an off-site system that is operable and  
24 available to perform its safety function? Okay?

25 So that's the regulatory basis for the

1 off-site power system, as well as if you look at GDC-  
2 17.

3 Next slide, please.

4 Now, GDC-17, I've kind of pulled out a  
5 small subset from the criteria that's listed in the  
6 GDC-17 because it talks about the number of off-site  
7 power sources into the plant and the design aspects of  
8 it, but it also has provisions where it says that you  
9 should minimize the probability of losing electric  
10 power from any of the remaining supplies, you know,  
11 that are coming into the plant to power the safety  
12 buses. Okay?

13 And it specifically talks about loss of  
14 power from the transmission network. Now, I've heard  
15 the arguments, and I think it will be resolution of  
16 comments. I think a number of commenters said, "Well,  
17 GDC-18 is only a design guide. Well, that is true,  
18 but I will then argue that any design, the adequacy of  
19 any design, including the power system, can only be  
20 determined by reference to the conditions under which  
21 it's going to be operating. Okay?

22 Now, whether the system meets the design  
23 criteria can only be determined by analyzing the  
24 system response under the most extreme operating  
25 conditions. So what good does it do to have a design

1 that we think is adequate, but when you actually need  
2 it, it's not there?

3 My point being that, sure, there are  
4 design requirements, but along with it, you have the  
5 operating requirements. Now, the operating  
6 requirements are imbedded in the technical  
7 specifications. So for those of you that are familiar  
8 with the technical specifications for a nuclear power  
9 plant, it talks about, you know, the limiting  
10 condition of operation should you use one line or two  
11 lines. Okay?

12 So that's what we want to emphasize.  
13 That's what we want to find out. Given the grid  
14 conditions today -- and I'm not going to argue whether  
15 the grid is reliable or unreliable at this point. I  
16 think the discussion following my presentation will,  
17 you know, make a point that grid, you know, of course,  
18 is -- that we see on the horizon some issues with the  
19 grid.

20 The point that I want to make here is are  
21 you in compliance with your technical specifications  
22 if you know that the grid is not going to be there or  
23 the off-site power is not going to be there if you  
24 have a unit trip.

25 I know we had talked about what's a unit

1 trip. In this case it would be a nuclear unit, and so  
2 the point being that, you know, are we in compliance  
3 or not. Are you meeting your licensing basis or not?  
4 Are you meeting the tech spec or not?

5 So the regulatory basis for the Questions  
6 1 through 4 that are in the generic letter basically  
7 are based upon the GDC's criteria, the technical  
8 specifications that, you know, are part of your  
9 licensing basis. You know, I'm talking about the  
10 nuclear power plant licensees now.

11 Okay. Let's go to on the next slide, and  
12 I will come back and talk about, you know, in a little  
13 more detail the off-site power system when we get to  
14 the questions.

15 Now, let me just come back to the off-site  
16 power system. I forgot about this slide. If you look  
17 at this slide, we talked about this RTC, real time  
18 contingency analysis, and so on.

19 Now, let's go back to the bold where the  
20 4(d) regulation. Okay? All the utilities were  
21 vertically integrated utilities. The transmission  
22 folks were part of the same group that were the  
23 nuclear unit or the fossil units. They all talk to  
24 each other openly.

25 And one of the licensing bases or one of

1 the criteria that if you go back and look at our  
2 standard review plan, NUREG 800, Chapter 8, it lays  
3 out very specific evaluations that you have to make  
4 for the off-site power system, and it talked about  
5 this contingency analysis. Okay?

6 And here Jim talked about single  
7 contingency versus double contingency.

8 Now, if you review your, say, licensing  
9 basis, you'll find in the U.S. FAR that the analysis  
10 that you perform at that time during the license was  
11 to look at three areas. One was the loss of the  
12 largest single supply, and in most cases it most  
13 likely is going to be the nuclear unit, or it could be  
14 some other unit that is even larger than the nuclear  
15 unit.

16 You have to assume that failure of that  
17 unit and show that the off-site system is available  
18 and functional. Okay. I'll use those words instead  
19 of being "operable," or you look at the most critical  
20 transmission line and assure us or assure yourself  
21 that there's adequate voltage or adequate, you know,  
22 power available to power the safety buses.

23 And the third criteria was the largest  
24 load, that if you lost the load rejection, for  
25 example, that you still would have off-site power.

1           Now, the question in terms of being  
2 available, operable, or functional, what we have to  
3 look at is for most plants today we have the degraded  
4 grid wall ditch (phonetic) set points because that's  
5 what's going to cause you to lose off-site power or  
6 going to cause you to lose power to the safety buses.  
7 Because if your voltage dips below the degraded grid  
8 wall ditch set points, you're going to lose off-site  
9 power.

10           So the real key issue from our perspective  
11 is do you have adequate voltage in the switch yard,  
12 which is the off-site power system, to power the  
13 safety buses?

14           So that's one simple way of looking at or  
15 assuring adequate off-site power system. Okay?

16           Now, let's go to the slide that talks  
17 about the maintenance rule, and, Steve, thanks for  
18 coming, for answering any questions on the maintenance  
19 rule since I'm not an expert in that.

20           The maintenance rule requires under (a) (4)  
21 to perform, you know, risk evaluation or do a risk  
22 evaluation before you take equipment out of service,  
23 and it was alluded that now we are doing a lot of  
24 maintenance at power. For example, diesels from three  
25 days Dr. Sheron mentioned, and now we have going to 14

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 days when the unit is at power or when the nuclear  
2 power plant is supplying -- the grid is supplying  
3 power.

4 And the question is that you need to look  
5 at the maintenance. You have to look at the -- before  
6 you take that diesel out or any other what we call  
7 risk significant equipment out, that, indeed, the grid  
8 risk is factored into your risk evaluation, not only  
9 when you go into the maintenance, but you should also,  
10 you know, keep on top of it while you're maintaining  
11 it to see if conditions change.

12 So that's an area where we have, you know,  
13 questions. We want to have some information. So we  
14 can better understand how you are implementing that  
15 provision of the maintenance rule with respect to the  
16 off-site power system.

17 Next slide, please.

18 Now, in the station blackout area, if you  
19 look at the statement of considerations, the EDG or  
20 the emergency diesel generators, which are the on-site  
21 power sources, its reliability or -- I'm sorry -- its  
22 availability was considered to be very, very low, and  
23 that was based upon only looking at the corrective  
24 maintenance that was done at power for the emergency  
25 diesel generators. And as indicated here, it was less

1 than one percent.

2 Now, in terms of station blackout rule,  
3 the target reliability that is factored into the rule  
4 is either .975 or .95.

5 Now, you know, this low availability that  
6 was assumed in the station blackout determined those  
7 targets. Now, what if your current unavailability is,  
8 say, three percent or something different? Then you  
9 say, you know, the question is going to be how are you  
10 meeting your .975 reliability target if your diesel is  
11 not available to you for three percent.

12 So that there's a concern now that not  
13 only the diesels that you have. You're taking them  
14 out for ten, 14 days, say, during a refueling cycle  
15 and doing maintenance at power. What is the real  
16 unavailability of those diesels?

17 And as I understand it, and somebody can  
18 correct me, that according to the industrial guide,  
19 preplanned maintenance unavailability is not counted  
20 into the overall unavailability of the diesels. So it  
21 would seem to me that perhaps the unavailability will  
22 be something that if you factor that in it might be  
23 even higher than what it is being reported.

24 I think I'm going to take a little bit of  
25 water. My mouth is all drying up.

1           And also under the station blackout rule,  
2           the assumptions that we made, for example, to  
3           determine the coping duration, and again, the station  
4           blackout rule is not a very easy rule. It's very  
5           cumbersome, and in the sense that before you determine  
6           your coping duration you have to go through a lot of  
7           analysis of calculations.

8           And one of the items in determining the  
9           coping duration is looking at the off-site power  
10          characterization. Let me put it that way. In other  
11          words, you look at the off-site power system and  
12          determine what kind of off-site power system you have.  
13          In the station blackout rule, it gives you three  
14          grades: P-1 through P-3. In other words, from the  
15          very best to the very worst, and based upon what group  
16          that a specific site or plant fell into the off-site  
17          power group determines, along with emergency diesel  
18          generator reliability target that was chosen, as well  
19          as, you know, some other factors. You determine what  
20          would be your coping duration.

21          That is, that if you had a station  
22          blackout, for how long would it take for you to  
23          recover off-site or on-site power? So that is a  
24          coping duration that you have to maintain the plant in  
25          safe shutdown condition.

1           And most of the plants according to  
2 station blackout rule either fall into four hours or  
3 eight hours. So let's assume that you have a plant  
4 that has a four-hour coping duration, and its original  
5 determination was made upon the off-site power group  
6 being either P-1 or P-2, and the question that we are  
7 asking in this area is based upon the operating  
8 experience, given the loss of off-site power events  
9 which you will hear later on about, what if you now  
10 become a P-3 group? What would be the coping  
11 duration?

12           And if you look at the guide, the Reg.  
13 Guide 1.55 or the NUMARK (phonetic) 8700, you're  
14 coping duration might be higher than four hours. It  
15 may be eight hours or 16 hours.

16           So given that, now the question is that  
17 from our perspective is the four-hour coping analysis  
18 adequate to keep that plan safe if you don't expect to  
19 recover that off-site or the on-site, you know, either  
20 from four hours to eight ours.

21           Now, for four-hour plants, the majority of  
22 them depend upon natural circulation. So the analysis  
23 has been done for those plants that are four hours  
24 using the natural circulation, that they have enough  
25 water. Okay? They have enough battery for four

1 hours.

2 So now from the staff's perspective, what  
3 if your duration became eight hours? Do you have  
4 enough battery? Do you have enough water?

5 And I don't think, you know, we can sit  
6 back and say, "Gee, everything is going to be all  
7 right." Maybe it would be all right, but I think the  
8 question needs to be answered, and we have to ask this  
9 question: that if, indeed, your original coping  
10 duration is still being maintained, if it is, then  
11 your analysis is okay. And if your coping duration is  
12 now changed, then you need to ask yourself, you know,  
13 do I need to do something different now.

14 So that's where the questions in the  
15 station blackout area are being driven from. Now, we  
16 are concerned that if your coping duration changes or  
17 increases -- let me put it this way -- then your  
18 current analysis is no longer valid, and you need to,  
19 you know, tell us one way or the other whether it is  
20 or not.

21 But the first step you have to do is to  
22 determine whether your coping duration is impacted or  
23 not. Okay? So that's a real safety concern there.

24 All right. Chip only gave me what, about  
25 45 minutes to an hour? So I need to move fast here.

1           Let's go into the generic letter itself  
2           and talk about some of the questions and hopefully  
3           later on in the workshops or in the clarification  
4           period we can answer some of your questions.

5           In the first area, off-site power, there  
6           are four questions as I mentioned, and those four  
7           questions basically go:

8           Question No. 1 goes to the agreements with  
9           your transmission system operator or your ISO, since  
10          various terms are being used, for monitoring off-site  
11          power. That's kind of the handshake arrangement that  
12          we are asking you about. What kind of arrangement you  
13          have with your transmission system operator in terms  
14          of communicating with him, or the transmission system  
15          operator communicating with you about the grid.

16          Now, as I mentioned earlier, your  
17          licensing basis established the contingency analysis  
18          that was done during the license. That is your  
19          licensing basis.

20          Now, as we know, today many of the  
21          transmission systems are separated from generation or  
22          even for those utilities that have not gone to  
23          deregulation, I believe your generation is separated,  
24          although be part of the same company.

25          Now, as I understand it, the grid is being

1 operated -- let me put it this way -- in a different  
2 manner than was originally envisioned. As I said, in  
3 the old system, you did a contingency analysis, and  
4 you operated the grid within the bounds of that  
5 contingency analysis.

6 Today I don't think we can say that  
7 definitively, that the grid is being operated within  
8 the bounds of that contingency analysis. Well, that's  
9 the question we are asking you. You need to tell us  
10 whether it is or not.

11 Now, remember the old contingency analysis  
12 assumed, you know, the flow, okay, megawars,  
13 megawatts, whatnot, how many lines and so on. Maybe  
14 physically nothing has changed, but certainly I think  
15 you will agree the flows have changed, and if the  
16 flows have changed, your analysis I would think  
17 changes, and that was the case at Callaway back --  
18 what was it? -- 1999. They had excessive flows  
19 through their system which were not part of,  
20 originally analyzed. Now, the question is where else  
21 is this happening. We know that, you know, of course,  
22 the famous blackout. I won't go there.

23 But the question that we want to know, and  
24 I think rightfully so, we need to ask you that is your  
25 grid being operated within the bounds of your

1 analysis, or I could put it another way. Is your  
2 analysis still valid?

3 And you need to tell us whether it is or  
4 not. And we talked about the programs or, you know,  
5 the tools that are available today. Mr. Poole  
6 mentioned that some utilities are using, you know,  
7 these tools; some are not. But even if you don't have  
8 on-line tools for a given, say, plant, that if you're  
9 using off-line tools, that you can periodically look  
10 at different scenarios or your transmission system  
11 operator will look at, you know, different scenarios  
12 and operate the grid, and I assume that that's what  
13 they're doing, is operating the grid within the bounds  
14 of that analysis.

15 The real question is: does that now match  
16 up with the licensing basis type of analysis that was  
17 done during, you know, the original license?

18 So the first two questions for the off-  
19 site power system deal with those two areas. One is,  
20 you know, communication with your transmission system  
21 operator. Second is what kind of tools is your  
22 transmission system operator using, and how often it  
23 is updated.

24 How often is communicating to you as a  
25 nuclear power plant operator what's going on in the

1 grid? Okay?

2 And the two other questions within that  
3 off-site power system is now talking about the  
4 availability or operability of the off-site power  
5 system. Okay?

6 So next slide, please.

7 And I'll come back to those questions in  
8 a little more detail, but for the maintenance rule,  
9 again, let me mention that there are two questions in  
10 that area where we are asking in terms of the risk  
11 evaluations as a part, you know, of your overall risk  
12 for taking an important piece of equipment that you  
13 need for mitigating either a loss of off-site power  
14 or, you know, any other occurrence on the plant and  
15 maintaining that.

16 How often are you updating that evaluation  
17 while the equipment is out for maintenance? Okay?

18 Let's go to Slide 13.

19 Okay, and this goes back to now off-site  
20 power system again. The first question says:  
21 describe any formal agreements with the transmission  
22 system operator to promptly notify the nuclear power  
23 plant when conditions of the surrounding grade are  
24 such that the greater voltage below tech spec  
25 requirements or a loop could occur following a trip of

1 the reactor.

2 And I could have very well said trip of  
3 the reactor or a critical transmission line or largest  
4 load rejection. But our focus was that we believe  
5 that the nuclear unit or the nuclear generator  
6 probably is most likely the largest generator on the  
7 system, and what we want to know is if that generator  
8 is providing support to the grid for maintaining that  
9 voltage, now if that trips, are you still going to  
10 have adequate voltage, you know, in the switchyard to  
11 power the safety buses?

12 Now, if you don't, if the voltage is not  
13 adequate, your degraded voltage relays are going to  
14 isolate or trip the off-site power and go on to the  
15 emergency diesel generators.

16 Now, you know, if you've got both diesels  
17 ready and available, great. Okay. That's what we  
18 want, but what if you have a diesel on the floor,  
19 you're doing a major overhaul, and the other diesel  
20 fails to start and you've lost off-site power?

21 Now you're into station blackout, and I  
22 don't think we want to go there. Okay? Now, I hear  
23 arguments. "Yeah, we've done analysis. We're okay  
24 for station blackout," but I don't think, you know, we  
25 want to force, challenge our systems through where,

1 you know, something might work, might not work. Okay?

2 So the first question basically is saying  
3 in terms of these agreements that you have with your  
4 TSO to let you know when things are not so good on the  
5 grid, as well as for you when you're taking something  
6 out when it might impact the grid. So it's a two-way  
7 communication. Although we don't have any -- we can  
8 regulate that as I understand it, but certainly we can  
9 ask the question what are you doing as a nuclear power  
10 plant operator to keep on top of this, meet your  
11 licensing basis.

12 And this particular question has -- now we  
13 could have left that question as a general question  
14 and gotten responses, which may or may not have been  
15 adequate, and then we would have to go out for a  
16 request for additional information. So we decided  
17 that it would be better and more effective in terms of  
18 asking you very specific honed questions in terms of  
19 what information we're seeking.

20 So that's why you see these subparts to  
21 these questions. We have broken each question down in  
22 terms of the information that we want you to send back  
23 to us.

24 So we will ask the question: was the  
25 required notification timed for example, that if your

1 transmission system operator, you know, whatever tools  
2 he's using, determines that the grid is in stress  
3 condition, how long does it take for him to let you  
4 know?

5 Okay. And how often does he do that or  
6 how often do you check with your transmission system  
7 operator?

8 Okay. So those subpart questions are  
9 essentially to help you and help us get the  
10 information from you that we need.

11 Now, the question is that if you don't  
12 have any of these arrangements with the TSO, then one  
13 of the subpart questions is tell us how do you think  
14 you're meeting your licensing basis if JDC-17?

15 So you know, you might think there are a  
16 lot of questions, but actually many of these questions  
17 are very simple, straightforward answer and this was  
18 essentially to make it more efficient for you and for  
19 us to get the information.

20 The question as I mentioned talks about  
21 the tools. How do you insure that the off-site system  
22 will remain operable following a trip off your unit or  
23 nuclear power plant?

24 And we are not mandating. You know, you  
25 used the reliably centered -- I mean, these modern

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tools, real time contingency analysis and so on, but  
2 given that your grid is changing, let me say hour by  
3 hour or maybe day to day -- I don't know. Okay? It  
4 depends on what part of the country or what part of  
5 the grid you are associated with -- that if you don't  
6 use these tools, and I'll just throw this questions up  
7 to you, tell me how you're going to find out what's  
8 happening on that transmission system. That is now  
9 supplying power to your plant.

10 Now, you know, I think it seems to me that  
11 if the grid conditions are changing, then you have to  
12 use a tool that tells you what's going to, you know --  
13 or get heads up as to if type scenarios, that what if  
14 I lose that unit or if I lose that transmission line,  
15 what's going to happen?

16 And from a nuclear power plant operator  
17 perspective, you know, you would want to know. Do I  
18 have that off-site available to me or not?

19 Now, remember in the context of off-site  
20 power we always refer it to as preferred power. That  
21 is the most reliable preferred power source that you  
22 can gave for the nuclear power plant.

23 Now, if that is not going to be preferred  
24 in the sense that it is not -- you know, again, I'm  
25 kind of a "what if" type of conjecture here -- if that

1 power source becomes unreliable, then maybe we ought  
2 to start thinking in terms of, gee, we can rely on the  
3 off-site power. Maybe we ought to look at something  
4 different. You know, maybe we need to go to another  
5 power source that we can rely upon.

6 So it seems to me that, you know, in the  
7 resolution of the comments I saw a lot of questions  
8 about, you know, RTCA. You know, it's not required by  
9 your regulations. Sure, it's not required by  
10 regulations, but tell me how you're going to do it.  
11 Okay? I'll throw it back at you.

12 You know that your grid, for example --  
13 and, again, it may or may not be true in every case --  
14 your grid is not being operated in the manner on which  
15 your license is based, and I went through the  
16 licensing basis.

17 Now, you tell me: is the grid being  
18 operated in the bounds of that analysis that was  
19 submitted to get the license? Okay, and it appears to  
20 me that the only way you're going to be able to do it,  
21 that your TSO has to use these tools either on line or  
22 off line, and we're not fussy about which, you know,  
23 whether you do it on line or off line, but you need to  
24 assure yourself and us that, indeed, you're meeting  
25 your licensing basis. Okay. As simple as that.

1           Now, if you're not using any of the tools,  
2           if your TSO is not using any of the tools, then tell  
3           us how you're meeting, you know, -- you know, how do  
4           you assure you have adequate and reliable off-site  
5           power system?

6           So the questions are basically focused in  
7           that area, and we can, you know, talk more about these  
8           questions if need be.

9           And the third question talks about  
10          operability determination for post trip, and that  
11          would be slide number 18, please, and let's go to the  
12          gist of the questions on 19 and 20. I'm sorry. Just  
13          19. That has six subset questions.

14          Voltage inoperability triggers. In other  
15          words, we want to know what triggers do you have in  
16          terms of that you don't have adequate voltage in the  
17          switchyard?

18          And it talks about double sequencing  
19          operability. This is not the double contingency that  
20          Jim was referring to.

21          Now, as I understand it, you may not be  
22          licensed to double sequencing, you know, type of  
23          scenario. It assumes that you have a trip of the  
24          reactor and your off-site power is still there and  
25          assumes that you have a LOCA at the same time, but if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you have a LOCA you have a unit trip.

2 And it assumes that you still have power.  
3 You haven't lost the off-site power. So to meet  
4 mitigate LOCA, you're going to have to sequence on all  
5 the safety equipment that you need.

6 Now, the question is: what if you lose  
7 power, delayed loss of off-site power? That you lose  
8 off-site power some time into when you are sequencing  
9 on the safety equipment.

10 And I think this issue has been discussed  
11 with the industry, you know, over the years, and I  
12 don't think you reached any conclusions on that as far  
13 as I know, but we are asking that question: have you  
14 thought about it? What if you lose off-site power  
15 now? Are you now going to, you know -- you know, is  
16 that diesel that comes on, is going to now block load  
17 or is it going to -- or some other, you know, safety  
18 equipment fails -- have you looked at in terms of  
19 those type of scenarios?

20 And tell us, you know, what's the outcome  
21 and if you, you know, declare that equipment to be  
22 inoperable if that should happen?

23 Okay. So that's kind of a, you know,  
24 "what if" scenario that you lose off-site power at  
25 some time later than when the reactor trips.

1           And of course, in all of these questions,  
2 we are asking, you know, training and procedures. Do  
3 you have adequate procedures and training for your  
4 operators? I think that's a very important one.

5           And the fourth question in that area is  
6 tech specs require that plant's off-site system be  
7 operable as part of the plan limiting condition of  
8 operation. So if you are familiar, for those of you  
9 that deal with tech specs, you will find that it has,  
10 you know, allowable values. These days we are  
11 changing from the actual trip values to allowable  
12 values, and we are looking at or we are asking you,  
13 you know, do you have any guidance in place that  
14 alerts your operators in terms of the set point trip  
15 values as well as on-site equipment, such as voltage  
16 tap changing, you know, transformers or some of the  
17 voltage control equipment that you are using within  
18 the plant or within the switchyard that helps you  
19 maintain that voltage or the operators are, you know,  
20 familiar with it, trained in it, you know, in that  
21 equipment. Okay?

22           And so those are the questions that we are  
23 asking in the off-site area, in the four areas, and as  
24 I said, the reason why we kind of made it into four  
25 questions was to help you, you know, understand and

1 also to focus on the type of information that the  
2 staff was looking for or is looking for. Okay?

3 Let's go to Slide 22 and 23. More onto  
4 the risk area. Under (a)(4) you're required to  
5 evaluate off-site power system or include it in your  
6 risk evaluations.

7 The questions that deal in this area is  
8 input into the risk assessment. During the  
9 maintenance are you monitoring the grid? The question  
10 came up about seasonal variation. I think according  
11 to our maintenance rule experts, yeah, you're not  
12 required to do it, but wouldn't it be nice to know  
13 what you're doing and when do they occur. Are they in  
14 the summer months, as we think it is, or are they in  
15 the winter months?

16 You know, depending upon the geographical  
17 area that you're in your seasonable variations that  
18 impact the grid might be different. You might have a  
19 winter peak rather than a summer peak.

20 So those are the questions that we, you  
21 know, are asking in that area. In terms of the  
22 seasonal variation, do they impact your loop  
23 frequency? Okay?

24 And then also this goes back to the  
25 communication between the TSO and the nuclear power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plant operators. If they find things, you know, that  
2 are becoming stressed on the grid, how long does it  
3 take for the TSO to inform you or do you make periodic  
4 checks with the TSO to keep on top of it?

5 And you know, for us to think that, gee,  
6 I'm just going to sit here and wait for the TSO to  
7 tell me, that may not happen. So I think, you know,  
8 we need a very smooth, very effective, you know,  
9 communication type of agreements or protocols or  
10 whatever you want to call them between the  
11 transmission system operator and the nuclear power  
12 plant operators.

13 And then there's the second question that  
14 deals with -- it's how are the results of the  
15 maintenance risk assessment included in the results of  
16 the grid stability evaluations used in managing risk?

17 Okay, and this has nine subparts to it.  
18 Again, you know, dealing with the maintenance and the  
19 communication with the TSO.

20 Okay. Let's go to Slide 28 on station  
21 blackout.

22 Now, for station blackout I mentioned  
23 about, you know, how we arrive at the coping duration.  
24 There's a very cumbersome process to go through to  
25 come up at the coping duration. Now, the regulatory

1 guide that addresses station blackout is 1.155, and  
2 the complement document or the industry guidance is  
3 NUMARK; I believe now might be NEI 8700. I don't know  
4 how they numbered it. But those were the two  
5 documents that were used for implementing station  
6 blackout rule.

7 And if you examined the Reg Guide 1.55,  
8 Section 2 that talks about off-site power and the  
9 NUMARK 8700, Section 4.3.2, those two sections or  
10 those sections in the Reg. Guide and the NUMARK very  
11 specifically talk about having procedures for  
12 restoring off-site power and the use of nearby local  
13 power sources.

14 The question we are asking in that area is  
15 I believe that from our feedback from the TIs, that  
16 either all or the majority of the plants have  
17 procedures for restoring off-site power. What we did  
18 not see is that the use of nearby power sources -- and  
19 they are defined in the reg. guide as to what they  
20 are, and also in the NUMARK it talks about local power  
21 sources such as the generators or black star diesels  
22 and so on, and it also talks about in the NUMARK that  
23 you should coordinate all of this with the load  
24 dispatchers.

25 Okay. In the old days we did not use this

1 fancy term about transmission system operator. The  
2 transmission system operator was basically a load  
3 dispatcher. The guy that controlled the transmission  
4 system.

5 So now if you don't have the  
6 communication, you know, agreement or protocols in  
7 place with your transmission system operator, the  
8 question that we want to know is how are you now going  
9 to implement this feature of using the local power  
10 sources. Have these arrangements been carried through  
11 from the old system to the new system or they've kind  
12 of just fell off the deck?

13 Okay. So we want to know, you know, where  
14 are you, you know, for your specific plan. Have you  
15 carried that, you know, feature across from the old  
16 system to the new system, and based upon the answer,  
17 you know, then we would evaluate it and see what we  
18 need to do.

19 The other question that we are asking is  
20 about the loop frequency or loss of off-site power due  
21 to grid related events. In the station blackout, they  
22 looked at loss of the off-site power due to many, you  
23 know, in plant type of losses or losses due to the in-  
24 plant type of equipment failures, loss from the  
25 sweeter weather (phonetic), extremely sweeter weather

1 and so on, and also looked at the grid related losses.

2 Now, given that we've had some loops, and  
3 again, that's a question for debate. I think you will  
4 hear both sides saying, now, the industry is probably,  
5 EPRI is probably going to say, well, you know, we  
6 haven't had that many or haven't had any. Staff is  
7 going to show you differently, I think.

8 But leave that aside. The question that  
9 we want to know from our electrical area in terms of  
10 implementing the station blackout rule, that if your  
11 frequency has changed due to grid related loops, how  
12 is your impact duration?

13 Okay, and I talked about that. What if  
14 you go from four hours to eight hours? Okay. Now, it  
15 depends on the answer, that if you're still four  
16 hours, you have analysis that shows the plant is going  
17 to be safe for four hours, but should you now go to  
18 eight hours, your old analysis is no longer valid.

19 And we need to ask that question because,  
20 you know, we can't sit here and get a warm feeling  
21 that everything is going to be all right if, indeed,  
22 you're coping duration has changed. Now, we can argue  
23 whether, you know, what are grid related losses and so  
24 on, and I think with some plants we've argued that  
25 back and forth, but we need to ask you that question,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and it's a very serious question in the sense that  
2 let's not fool ourselves. If, indeed, your coping  
3 duration has changed, you no longer are meeting the  
4 station blackout rule.

5 Okay. Because if you get to station  
6 blackout as I kind of told you, you know, with one  
7 diesel on the floor, the other one doesn't start and  
8 you've lost off-site power; you are in station  
9 blackout. Now, the worst thing is that if you don't  
10 recover within the time period for which you are  
11 licensed, you've got a very serious safety issue  
12 because you're going to run out of battery; you're  
13 going to run out of water. Okay? And you know,  
14 you're going to have serious consequences.

15 I think with that, I'm kind of done.

16 MR. CAMERON: Okay.

17 MR. GILL: I don't know why my mouth is  
18 drying up. Maybe I'm nervous, right?

19 MR. CAMERON: thanks, Paul. That was a  
20 pretty comprehensive overview of the generic letter,  
21 the regulatory requirements, the assumptions.

22 We have a few minutes for questions and  
23 commentary. Keep in mind that all of the questions  
24 are going to be addressed in detail by the panels, and  
25 Paul is going to be here as a resource on that.

1 Perhaps questions, he went through the regulatory  
2 requirements. Maybe questions on the regulatory  
3 requirements or assumptions that the NRC is basing the  
4 GL on might be appropriate at this point.

5 Let's go to Alex Marion. You're going to  
6 use this? Okay, great.

7 MR. MARION: Alex Marion, NEI.

8 Point of clarification and a couple of  
9 other comments. Mr. Gill, in your presentation you  
10 talked about the off-site power characterization  
11 that's used as part of the station blackout coping  
12 analysis, and that's the P-1, the P-1 category, and if  
13 I understood you correctly, you indicated it goes from  
14 the very best to the very worst, and I'd like to  
15 clarify that.

16 MR. GILL: Well, what I was saying was --

17 MR. MARION: The categorizations represent  
18 the configurations of off-site power for the U.S.  
19 plants.

20 MR. GILL: That's right.

21 MR. MARION: Not necessarily quantifying  
22 good, bad, or indifferent.

23 MR. GILL: I was probably using -- just to  
24 make my point, if I have three categories, P-1 to me  
25 is the best. P-3 says if you're in P-3, you have the

1 worst off-site characterization of the off-site power  
2 configuration to your plant.

3 So if you will indulge me, in my passion  
4 I say that's the worst. Now, I'm not saying that in  
5 a derogatory manner. I'm saying in a very relative  
6 term, going from the very best to the very not so  
7 best.

8 (Laughter.)

9 MR. GILL: If that's what you like. I  
10 mean, you know, I'm about semantics here.

11 MR. MARION: Since this is being  
12 transcribed, I want to make sure the record is clear.

13 MR. GILL: Sure, no.

14 MR. MARION: And they do represent the  
15 off-site power configurations for plants who were  
16 licensed by the NRC.

17 MR. GILL: That's correct. I'm not saying  
18 that's not acceptable.

19 MR. MARION: Now, the methodology, the  
20 methodology plays out a process where you're  
21 penalized, if you will, for certain configurations.  
22 That's part of the process.

23 MR. GILL: Right.

24 MR. MARION: And I respect your opinion.  
25 You did make a couple of comments that some of the

1 information that's being requested is not required,  
2 and I agree with that.

3 You also clearly in the generic letter,  
4 the basis for requesting the information is to obtain  
5 information to make a decision on the operating  
6 license of a plant under the provisions of 50.54(f).

7 Just a comment, again, for the record.  
8 Since the subject of the questions are not required,  
9 then how does 50.54(f) play out since they're clearly  
10 not in the licensing basis of the plant? And that's  
11 a subject we can talk about for hours, but I just want  
12 to put that on the record.

13 Lastly, there's a new provision or a new  
14 portion of the proposed generic letter that's  
15 different than what was released for public comment,  
16 and that deals with training. Given that that was  
17 added and the public stakeholders did not have an  
18 opportunity to comment, could someone explain the  
19 rationale for not putting it out for comment or at  
20 least seeking stakeholder comment on that particular  
21 area?

22 MR. CAMERON: Do you want to address that  
23 last point?

24 MR. GILL: Well, the last point in terms  
25 of adding the training procedures and training, the

1 Commission issued an SRM, the same SRM that it asked  
2 us to issue a generic letter, had a provision in  
3 procedures and training. If I can be up front about  
4 it, we kind of missed it, and then when we discovered  
5 that it needed to be done, so we included that.

6 It was cleared with the Office of General  
7 Counsel. They said we didn't have to go back out  
8 again for re-comments, that we could include it in the  
9 generic letter.

10 MR. CAMERON: Okay, and I guess the bottom  
11 line here is, as you heard Mr. Sheron talk about  
12 earlier, this is not meant to be a reopening of a  
13 comment period, but anything that you say during the  
14 next day and a half is going to be looked at by the  
15 NRC staff. So I guess the most important thing is if  
16 there are substantive issues related to the training  
17 procedures, raise them during the next day and a half  
18 so that the staff will have the benefit of your  
19 comments.

20 In terms of the last point before that  
21 that Mr. Marion raised in terms of the 50.54(f), Paul  
22 or Brian? Brian.

23 MR. SHERON: Fifty, fifty-four (f), you  
24 know, as you know, it allows the staff to request  
25 information. I think the words are to determine if we

1 want to suspend, modify, or whatever your license.  
2 Okay?

3 We use that as an opportunity to gather  
4 information if we believe there is a safety concern  
5 associated with principally compliance. We can use it  
6 for two reasons.

7 One is we can gather information to  
8 determine if we need to change our regulations. In  
9 other words, if we are seeking information to  
10 determine if our regulations are inadequate, you know,  
11 we need to, for example, promulgate a new regulation  
12 or in this case, we determined that we believed our  
13 regulations were adequate and covered the situation  
14 that we're dealing with, but it raised -- the  
15 situation raised questions about whether we had  
16 assurance that compliance was being achieved.

17 And you know, we use the generic letter.  
18 Again, what's in the generic letter, what is  
19 requested, as Alex said, it's not a requirement or  
20 anything. What we're doing is we're saying that this  
21 is what we think would be sufficient to demonstrate  
22 compliance. We're trying to help the industry to some  
23 extent. We're telling you what we would accept.

24 And if a licensee comes in and says, "Yes,  
25 we're doing this. We have these protocols with our

1 TSO. You know, we take a look at risk or grid  
2 reliability when we go into a maintenance outage or  
3 whatever," you know, then we would probably find that  
4 acceptable and say, "Yes, you know, we're satisfied  
5 you're complying with the regulations."

6 Now, if you don't want to come in and say,  
7 you know, I agree with the NRC and am doing all of  
8 these things, then you want to know what you are  
9 doing. Okay? You know what the underlying concern  
10 is. So you need to tell us what provisions you've put  
11 in place to help us provide that assurance.

12 We will evaluate that and, you know, I'll  
13 be quite honest. You know, if we don't find it  
14 acceptable, then we'll decide what we have to do,  
15 whether it's a plant specific backfit or not.

16 You've got to remember a lot of times  
17 people always say, "Well, why don't you just backfit?"

18 Well, we could do that, okay, if we had  
19 perfect knowledge and we knew that every licensee was  
20 definitely not complying with a regulation. But we  
21 don't know that, and we'd like to give the industry  
22 the benefit of the doubt, and that's why we go with  
23 the generic letter, and that's why it requests  
24 information that says we don't think you're complying  
25 or we think there's a compliance issue here. We need

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more information before we can make a decision. Okay?

2 We're not at that point where we can just  
3 say everybody has to be backfit and do the following.  
4 We want to give you an opportunity. If you have other  
5 information that says, you know, "Well, look. I don't  
6 have this specific protocol or whatever with my TSO,  
7 but this is what I do have," we'll evaluate it, and if  
8 it makes sense, then that's fine.

9 But that's the whole purpose of a generic  
10 letter, okay, is we explain what our concern is, what  
11 the safety concern is. We give you an opportunity to  
12 either tell us what you are doing, why you don't think  
13 it's a concern, or as I said, we try and be helpful  
14 and say this is what the NRC will find acceptable, and  
15 if you want to do it this way, then you know, you can  
16 commit to it and, you know, we'll all move forward.

17 MR. CAMERON: Hey, thanks, Brian.

18 Alex, Brian put a finer point on the  
19 50.54(f) issue. Do you have anything else that you  
20 want to say on that before we move on?

21 MR. MARION: Alex Marion.

22 Our comments that were submitted on the  
23 draft generic letter, I think, contain all of the  
24 details.

25 MR. CAMERON: Thank you.

1 Dick.

2 MR. ROSENBLUM: Thank you.

3 Dick Rosenblum from Southern California  
4 Edison again.

5 I get a little confused both when I read  
6 the generic letter and when I listen to various people  
7 from the NRC discuss this about what the NRC  
8 expectation is concerning the interface between the  
9 nuclear power plant and the grid operator,  
10 transmission operator in this respect. Hypothetically  
11 if the power plant were designed appropriately and  
12 operated appropriately to GDCs and station blackout  
13 rule, et cetera, et cetera, and if the grid operator  
14 used whatever interface criteria were in an agreement  
15 between the nuclear power plant operator and the grid  
16 operator to notify the plant operator any time those  
17 conditions weren't being met; so you've got a clear  
18 interface requirement, all the criteria are adequately  
19 assessed and known, the grid operator operates the  
20 grid. Any time you are outside let me just say  
21 acceptable operating space on the grid, they call the  
22 nuclear power plant operator and let them know.

23 Is that acceptable, or do you have to have  
24 that, which is sort of Question 1(a), and 1(b) which  
25 says, "And, oh, by the way, periodically talk to your

1 grid operator above and beyond that," because that's  
2 very unclear and it permeates this discussion.

3 If you have acceptable operating interface  
4 requirements, is it okay for the grid operator to  
5 operate and let you know when those are no longer  
6 being fulfilled, or do you somehow have to do more  
7 than that?

8 MR. CAMERON: Okay. Thank you, Dick.

9 And I think the question is very clear.  
10 Paul, do you understand the question, Paul?

11 MR. GILL: No, I understand the question,  
12 and again, I don't see where the confusion is coming  
13 from. What we are asking is that, yeah, as I  
14 explained, there is a licensing basis. There is a --  
15 you know, for the off-site power system. Is the  
16 transmission system being operated in the confines of  
17 that analysis?

18 Now, if it is not, then the TSO needs to  
19 tell the nuclear power plant operator that if I lose,  
20 say, a nuclear unit or lose a transmission line or  
21 whatever, then you're not going to have adequate  
22 voltage. He needs to communicate that to the nuclear  
23 power plant operator.

24 MR. CAMERON: And, Dick, let me make sure  
25 you're on the record. No, don't worry about that, but

1 I guess the question you had is if there is an  
2 existing protocol that will cover when the TSO has to  
3 communicate, et cetera, et cetera, is that sufficient  
4 or is there something over and above that that you  
5 need to do?

6 And based on what you have heard from  
7 Paul, is there still an ambiguity there?

8 MR. ROSENBLUM: Well, I fully understood  
9 the answer, but it seems as I listen to the  
10 discussions and as I read the generic letter to be  
11 inconsistent with some of the assumptions underlying  
12 some of the questions in the generic letter, and  
13 that's why I thought that seminal issue needed to be  
14 resolved.

15 If that interface criteria, assuming  
16 everything is appropriate, and notifications across  
17 that interface criteria are necessary and sufficient  
18 and you need do no more than that, then the clarity  
19 that that is necessary and sufficient is very  
20 important to us.

21 MR. CAMERON: Okay, and I guess that one  
22 of the objectives of the generic letter might be for  
23 the NRC to determine whether that arrangement is  
24 necessary and sufficient, and if it is necessary and  
25 sufficient, is that the end of the question?

1 Paul, do you have anything?

2 MR. GILL: You know, again, as I said,  
3 unless they just want to talk. I mean, the nuclear  
4 power plant operator needs to know when that  
5 transmission system, the basis for having reliable  
6 off-site power is outside the bounds of that.

7 MR. CAMERON: Is some of the information  
8 that's given to us in response to the generic letter  
9 if the operator, the licensee, rather, said that we  
10 think that our arrangement is going to provide us with  
11 everything necessary and sufficient to address these  
12 concerns, then that would be something that would be  
13 useful to know.

14 Brian? Okay. Let's go to Mike, and I  
15 forgot that Steve Alexander, our maintenance expert,  
16 had one caveat that he wanted to add to Paul's  
17 presentation, but let me go to Mike on this issue.

18 Mike.

19 MR. MAYFIELD: Mike Mayfield, Director of  
20 the Division of Engineering at NRR, and this generic  
21 letter is coming out of my division.

22 So at some point I'm the one that  
23 everybody seems to be steamed at.

24 (Laughter.)

25 MR. MAYFIELD: I think as Jim Dyer opened

1 this up this morning, part of what we're willing to do  
2 is see if there are areas we need to clarify in the  
3 generic letter. This strikes me as one that we don't  
4 want to get out today and give you an answer. It's a  
5 fair question, and it's plainly something we need to  
6 go back and be real clear on in the generic letter.

7 So that's the commitment you'll get, is  
8 we'll go back and look at the way we're posing the  
9 questions and the background information, and  
10 hopefully we'll make that real clear as we go forward.

11 MR. CAMERON: Great. Thank you for that  
12 comment, Dick, and leading to clarification that the  
13 staff is going to take a look at.

14 Steve, did you want to add anything to  
15 Paul's presentation on maintenance? Go ahead.

16 MR. ALEXANDER: Steve Alexander.

17 The new name for our reorganized branch is  
18 PRA Operational Support and Maintenance in the  
19 Division of Risk Assessment, and I had some input into  
20 the generic letter in the maintenance rule area.

21 And just a couple of clarification.  
22 People talk about simply taking risks equipment out of  
23 service prior to maintenance. The maintenance rule,  
24 Paragraph (a) (4), talks about maintenance activities,  
25 and that's a little bit broader definition.

1           And so what we did is in the generic  
2 letter we coined a term "grid risk sensitive  
3 maintenance activities." So it's important to keep in  
4 mind that those include three categories of things.

5           One is maintenance activities that could  
6 cause or require a plant trip or a plant shutdown, and  
7 to clarify a question we had earlier, you know, once  
8 a plant trips for whatever reason, it doesn't have to  
9 be for a design basis accident. You still have to  
10 remove decay heat, and so the unit trip for whatever  
11 reason is going to be affected by the availability of  
12 off-site power.

13           And so that's one of our categories of  
14 grid risk sensitive maintenance activities. So  
15 that's, again, anything that could cause a plant trip  
16 or could require a plant trip or plant shutdown.

17           The second is anything that might cause  
18 loss of off-site power for no other reason, just  
19 because it could cause a trip in breakers in the  
20 switchyard. So switchyard maintenance might be an  
21 example of something that could be grid risk  
22 sensitive, because it may cause you to divorce from  
23 short power, to use my old life here, and therefore,  
24 affect the availability of power for safety buses.

25           And the third category of grid risk

1 sensitive maintenance activities that we talk about  
2 are those that could affect the ability to cope with  
3 a loss of off-site power or station blackout. So you  
4 kind of are trying to maintain when we're thinking  
5 about this the big picture of all three of those types  
6 of maintenance activities that can affect maintenance  
7 risk, which is what Paragraph (a) (4) requires you to  
8 assess.

9           And even though it doesn't specifically  
10 require formal agreements with the transmission system  
11 operator, in fact, there's no documentation  
12 requirements or procedural requirements whatsoever,  
13 and also because it doesn't require things like RTCAs,  
14 but what we want to know with respect to the  
15 maintenance rule is because we believe that off-site  
16 power availability, reliability, stability, all of  
17 those things are an external condition that affects  
18 plant risk, therefore it should be taken into account  
19 in the assessment; we also think that in order to do  
20 a meaningful grid reliability evaluation as part of  
21 your (a) (4) risk assessment, you need to be able to  
22 communicate with the TSO, and so we'd like to know is  
23 that being done and how it's being done just to  
24 provide some reasonable assurance and expectation of  
25 consistent compliance.

1 Thank you.

2 MR. CAMERON: Thank you very much, Steve.

3 Let's take a couple more questions. We  
4 will be going back through these issues. Let's take  
5 a couple more because we're headed for a break time,  
6 and let's go to this gentleman right here. Yes, sir.

7 MR. THORSON: Yeah, James Thorson, Detroit  
8 Edison.

9 I had a very specific, I guess, question  
10 and possibly a comment with respect to the RTCA  
11 programs. The generic letter in question, 2(f), asks  
12 about nuclear power plant actions with respect to when  
13 the TSO might notify the nuclear power plant on the  
14 loss of their RTCA capability.

15 And I guess my question is: what was it  
16 that caused the NRC to try and put the onus on the  
17 nuclear power plant to produce an operability  
18 determination upon the loss of an RTCA, which will be  
19 very difficult for the nuclear power plant to do  
20 without the same tools as a TSO? Why did it end up in  
21 that category rather than perhaps over in the risk  
22 area, which may have been a little, at least in my  
23 opinion, you could recognize perhaps that you were in  
24 a state of increased risk as opposed to a state of  
25 needing to determine operabilities?

1 I was just curious what caused the balance  
2 to shift towards operability as opposed to a state of  
3 increased risk.

4 MR. CAMERON: Paul.

5 MR. GILL: I guess the way I would answer  
6 that question, what it's asking is that if your TSO  
7 does not or loses the RTCA program, for example, he  
8 has no way of now looking at the grid or transmission  
9 system to see the status in terms of meeting the NPP  
10 requirements.

11 Remember, I talk about the licensing  
12 basis. For example, if he doesn't have the RTCA, you  
13 know, for a unit trip, for example or critical  
14 transmission line, he has no way of knowing that  
15 you're going to lose off-site power at the nuclear  
16 power plant.

17 So the question that we are asking is that  
18 if he does not have the RTCA, therefore you don't have  
19 the information that if the reactor trips you're going  
20 to have adequate power in the switchyard or adequate  
21 voltage. Let me put it that way.

22 Now, if you don't have adequate voltage,  
23 then the question of operability comes in. For  
24 example, if the unit trips or reactor trips, your  
25 voltage goes down below the degraded grid voltage set

1 point. So you're going to lose off-site power to the  
2 safety buses.

3 So now the question is one could pose a  
4 question, is your off-site system operable under those  
5 circumstances or not?

6 MR. THORSON: (Speaking from an unmiked  
7 location.)

8 MR. GILL: No, but your TSO should be able  
9 to communicate to you and say, "I don't have the RTCA  
10 program available to me," to tell you that your system  
11 is going to be -- everything is fine. So as a nuclear  
12 power plant operator, you have two choices. You could  
13 just sit there and do nothing or declare off site  
14 unavailable, for example.

15 MR. CAMERON: Okay. It sounds like this  
16 is --

17 MR. GILL: You know, you --

18 MR. CAMERON: It sounds like this question  
19 is raising a lot of concerns, and I'm going to put  
20 this question in the parking lot right now, and we'll  
21 come back and explore it because it seems like it's a  
22 big issue. Okay?

23 MR. GILL: All the question is posing is  
24 it says when you get such a notification, okay, do you  
25 conduct an operability evaluation or not.

1 MR. CAMERON: Okay. James, we're not  
2 getting you on the record here, and I am going to put  
3 this in the parking lot because it sounds like there's  
4 several of your colleagues who also have a concern  
5 her, and we are going to be -- I'll check with the  
6 staff in terms of when the best time to discuss that  
7 is.

8 So let's take two more comments now and  
9 we're going to take a break, and we're going to get to  
10 everybody, but it just won't be right now.

11 Yes, sir.

12 MR. MOIENI: Parviz Moieni from the PRA  
13 Group. Oh, sorry. I thought I was speaking too loud.  
14 Parviz Moieni from the San Onofre PRA Group.

15 I'm glad Steve Alexander is here so he  
16 basically will have an answer for me.

17 When you look at the generic letter, the  
18 grid reliability evaluation has been mentioned a lot,  
19 and of course, RCTAs have been mentioned a lot. Grid  
20 reliability relation, I hope the staff basically  
21 realizes what that means, and it basically clarifies  
22 the term very well for the PRA engineers because, as  
23 we know, when we do the PRA evaluations or risk  
24 evaluations for (a) (4), we go back to our PRA, and we  
25 have a safety monitor at the plant, real time safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 monitor. So we use that.

2 The attributes for grid reliability right  
3 now for our PRA and I believe for most of the PRAs is  
4 loss of off-site power frequency and duration, which  
5 basically translates into recovery.

6 How do we basically translate the grid  
7 conditions to the grid reliability? This is really  
8 important, especially when the two attributes are lot  
9 frequency and recovery or duration. It's not an easy  
10 task, especially when you go outside the switchyard.  
11 When you go to the grid, this becomes almost an open  
12 ended problem.

13 Then the other thing is that I heard that  
14 RCTAs reliability of the grid. How do you relate the  
15 RCTA results to grid reliability? Let's say I want to  
16 do a risk evaluation and I call my grid operator or  
17 the grid operator, and he gives me some ideas. How do  
18 I translate it to my low frequency and duration?

19 So are there any reports? Are there any  
20 published data that shows me any correlation between  
21 RCTAs even on a generic basis, not plant specific  
22 base, to grid reliability?

23 Back in 1997 -- this is just for  
24 information -- we had to do the PRA group with the  
25 engineering, had to do a blanket start study to show

1 that when we sell our fossil plants, the blanket start  
2 capability or reliability is pretty high.

3 So we had to do a study basically for  
4 consideration San Onofre blanket start units, San  
5 Diego Gas & Electric, even consider the Hoover Dam for  
6 some other power sources.

7 Believe it or not, it took us about three  
8 months, and a group of like ten engineers, some from  
9 the grid operators back then or grid control centers,  
10 to come up with a reliability of the blanket start  
11 because we went outside the switchyard. We considered  
12 the grid, other sources.

13 So it's not an easy task. I don't think  
14 when we want to do basically a weekly control  
15 evaluation or equipment control evaluation to consider  
16 the grid reliability in the sense of grid reliability.  
17 So it's very important. The generic letter, I think,  
18 redefines what we mean by grid reliability, how we  
19 translate or correlate the grid reliability, grid  
20 conditions to grid reliability.

21 Right now if you ask us, we say, yeah, we  
22 basically have some conditions that raises the loop  
23 frequency and duration for certain conditions, but is  
24 it a real time? No, it's not a real time because we  
25 don't know how to do it.

1           So I hope that this would be basically  
2 clarified. Otherwise I think the answers would be yes  
3 or no. So I don't think we would basically give very  
4 exact answers because we don't know. At least I don't  
5 know how to do it.

6           Thank you.

7           MR. CAMERON: Okay. Did the NRC staff  
8 note that request for a clarification on grid  
9 reliability?

10           And, Steve, if you're going to say  
11 something on that, I guess try to make it quick.

12           MR. ALEXANDER: I can't address his  
13 question with respect to the entire generic letter,  
14 but with respect to the maintenance rule area, those  
15 of you who are familiar with Paragraph (a)(4) of the  
16 maintenance rule realize and are also familiar with  
17 the way that we have inspected and enforce those area  
18 of the last five years we don't expect that every  
19 external condition or event be quantitatively analyzed  
20 and evaluated. We recognize that it is difficult, in  
21 some cases impossible for people to do quantitative  
22 analysis of various external conditions, including  
23 grid reliability or availability or conditions.

24           And so what we expect as far as  
25 maintenance rule compliance is that you recognize that

1 under some conditions there may be increased plant  
2 risk. If you can't quantify that, it's going to  
3 translate, as you said, basically into additional risk  
4 management action, some of which involved making  
5 decisions on what kind of maintenance you're going to  
6 do.

7 So to comply with the maintenance rule,  
8 you can do a qualitative analysis of the risk,  
9 qualitative risk assessment and decide if the way that  
10 you're doing the maintenance things may need to be  
11 postponed, rescheduled, done a different way,  
12 contingency plans or compensatory measures may need to  
13 be taken, and in fact, with all kinds of things that  
14 have to be analyzed qualitatively in terms of risk,  
15 the risk assessment amounts to a recognition that the  
16 risk is increased and then taking some kinds of  
17 actions that can reduce overall plant risk or that  
18 target specific areas that need to be looked at  
19 because of the nature of the external conditions that  
20 are causing the increased risk.

21 So it can be done qualitatively in a  
22 blended fashion.

23 MR. CAMERON: Okay. Thank you.

24 And, Mike, again in keeping with perhaps  
25 necessary clarifications in the letter. Okay. Good.

1 I think that we probably should take a  
2 break now and see if we can get back on schedule. I'm  
3 putting Mr. Thorson's issue, which is RTCA capability,  
4 does that transfer into inoperability or increased  
5 risk; I'll put that in the parking lot, and we will  
6 come back and discuss that.

7 And I think right now we're slated for  
8 about 15 minutes on the break. We do have more hard  
9 copies of the slides coming. There is a USB one of  
10 those little gadgets for those of you who want to plug  
11 it into your laptop and download it, but we will have  
12 hard copies for you.

13 Restrooms are back in that corner.  
14 There's coffee on the lobby level. I have about 17 to  
15 11. Why don't we come back in about 17 minutes and  
16 we'll get started.

17 (Whereupon, the foregoing matter went off  
18 the record at 10:42 a.m. and went back on  
19 the record at 11:00 a.m.)

20 MR. CAMERON: Okay. Just a couple of  
21 announcements before we get started with what we're  
22 calling the risk insights panel which are going to  
23 cover material related to GL Questions 5, 7 and 8.  
24 One is Mr. Thorson raised the issue of RCTA capability  
25 and whether that corresponds to inoperability or

1 increased risk, and excuse my ignorance in  
2 characterizing that, but I think you all know what the  
3 issue is.

4 We're going to -- it seems like that fits  
5 into the discussion of not this panel but the next  
6 panel. So we're going to try to get to it there, and  
7 we're going to go to Mr. Tom Koshy of the NRC staff to  
8 sort of address that for us, and then we'll get into  
9 a discussion.

10 Another overarching issue that we need to  
11 get to at some point that I've heard people express a  
12 concern about is the whole idea of providing  
13 information to the NRC, the licensee providing  
14 information that really is in the province of another  
15 organization over whom the licensee has no control  
16 over.

17 So that seems to be something that runs  
18 through these discussions.

19 We're going to go to the next panel and we  
20 have Dale Rasmuson from the NRC staff Office of  
21 Nuclear Regulatory Research; Mr. Bill Raughley from,  
22 again, NRC Office of Nuclear Regulatory Research; and  
23 then we have Mr. Gary Vine from EPRI, the Electric  
24 Power Research Institute.

25 So are we going to start with Dale or

1 Bill? Dale, then Bill, then Gary, then we'll give  
2 them an opportunity to ask each other a question or  
3 so, and then we're going to just go to you.

4 There's supposed to be a lunch break in  
5 the middle of this panel, and we'll just see how the  
6 time is going.

7 So okay. Let's turn it over to Dale.

8 MR. RASMUSON: Thank you very much.

9 I'm Dale Rasmuson from the Office of  
10 Nuclear Regulatory Research, and as you know, NRC  
11 recently finished a detailed update of station  
12 blackout risk in terms of core damage frequency. The  
13 report has been published as NUREG CR 6890, and it's  
14 currently in printing and will be issued soon.

15 Next slide or this slide. That's the one  
16 I want.

17 Okay. Station blackout risk measured in  
18 core damage frequency is highly dependent on four  
19 factors. They are loss of off-site power frequency,  
20 loop duration, emergency diesel generator reliability,  
21 and plant specific coping features such as battery  
22 depletion time, turbine driven pump performance,  
23 alternate on-site AC power sources, and reactor  
24 coolant pump seal design.

25 These four elements are included in the

1 models, the standardized plant analysis risk models  
2 that were used in our analysis.

3 Next slide, please.

4 In our next few slides, I will summarize  
5 some insights from our recent study and then Bill will  
6 discuss insights he has gleaned from his analysis of  
7 some NERC data.

8 Next slide.

9 We first began with a review of the  
10 definition of loss of off-site power event and station  
11 blackout event. Note that these definitions are plant  
12 based or, if you want to use units, I'm referring to  
13 plant. We've used that to refer to a single unit,  
14 opposed to site based or recent based, and they're  
15 independent of the cause of the event.

16 Loop events were classified as plant  
17 status, critical or shutdown, and also as to the type  
18 of the event, plant centered, switchyard centered,  
19 grid related or weather related, following the  
20 protocol set up in NUREG 1032 and NUREG CR-5496.

21 Next slide, please.

22 This slide compares loop frequencies for  
23 two periods, 1986 through 1996 and 1997 through 2004,  
24 and these periods were defined in NUREG CR-1784, and  
25 this is showing the types of events and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operational status.

2 For critical operation, plant centered and  
3 switchyard centered frequencies have decreased, but  
4 the grid related frequency has increased. The weather  
5 related frequency remains about the same, and may I  
6 say that for the -- there was only one shutdown or one  
7 plant centered event for the latter period, 1997  
8 through 2004.

9 For shutdown operation the switchyard  
10 frequency has decreased and grid related frequency has  
11 increased, but is not dominant compared with the  
12 results for critical operation. Notice the difference  
13 in the Y scales between the two graphs. The overall  
14 shutdown frequency is approximately five times the  
15 overall frequency for shutdown operation.

16 Next slide, please.

17 In this slide we compare seasonal  
18 variation in loop frequency. The summer period is  
19 defined as May through September, with the non-summer  
20 period being the other seven months. For critical  
21 operation, all four category frequencies are higher  
22 during the summer period. In particular, the  
23 switchyard centered and grid related frequencies are  
24 much higher during the summer period.

25 For shutdown operation, the frequencies

1 for most categories are about the same. However, the  
2 grid related frequency is greater during the summer,  
3 but again, it's not dominant compared with critical  
4 operation.

5 Next slide, please.

6 This slide shows a comparison of critical  
7 looped events by months within the two time periods.  
8 In the first graph we notice that the events occur  
9 about equally across the months, 1986 through 1996.  
10 And the dark ones, the blue ones are the summer  
11 period. The lighter ones are the non-summer.

12 The second graph shows that the vast  
13 majority of the events occurred during the summer  
14 period during 1997 through 2004. The different summer  
15 versus winter is highly statistically significant,  
16 even with the August 14 2003 events removed and if we,  
17 in addition, remove the Palo Verde events, the three  
18 vents that occurred in '04.

19 Next slide, please.

20 This slide shows the number of switchyard  
21 centered and grid related events for critical  
22 operation and shutdown operation for the summer and  
23 non-summer periods. The number of critical operations  
24 switchyard centered events has decreased, but the  
25 majority occurred during the summer period for 1997 to

1 2004. For the grid related events, most occurred  
2 during critical operation, and all occurred during the  
3 summer period.

4 This slide shows the annual loss of off-  
5 site power frequency for critical operation from 1996  
6 to 2004. There is a decreasing trend from '86 through  
7 '96. The trend is essentially flat from '97 to '02.  
8 The decrease in the number of loop events is due to a  
9 decrease in plant centered and switchyard centered  
10 events beginning in the mid-1990s.

11 Only one plant centered loop event  
12 occurred during the period 1997 to 2004. Note that  
13 the number of critical looped events in 2003 and '04  
14 is much higher than in previous years. For 2003 there  
15 were 12 loop events and for '04 there were five loop  
16 events.

17 Note that there were only, well, zero  
18 events in '05, you know, for a critical operation, and  
19 two for shutdown operation.

20 Next slide, please.

21 This slide shows the trend in annual  
22 average duration for loop events. The trend is  
23 increasing for the period '87 through '96, and the  
24 trend for loop duration for '97 to '03 is essentially  
25 flat.

1 Average durations have been increasing, in  
2 part, because of the number of shorter duration events  
3 has been decreasing, while the number of longer  
4 duration events has remained about constant.

5 Next slide.

6 This slide shows the results of the  
7 station blackout evaluation together with two results  
8 from sensitivity studies. The industry mean, median,  
9 and the max and minimum -- these are point  
10 estimates -- are being shown, and that shows the range  
11 for all the plants. So that represents 103 values in  
12 those ranges there.

13 The industry annual mean SBO risk is in  
14 the mid ten to the minus six range based on updated  
15 loop frequencies, including '97 to '04 and updated  
16 component data from mainly '98 to '02. Know that if  
17 only the '03 and '04 data are used to determine the  
18 loop frequency, the SBO risk would increase by  
19 approximately a factor of three over the baseline  
20 case. This is not shown in the figure.

21 The two sensitivity study show an  
22 increased loop frequency during summer and decreased  
23 loop frequency during the non-summer, and you can see  
24 that there is an increase in the loop frequency for  
25 the summer event, which is based on an increase in the

1 frequency of the loss of off-site power frequency.

2 I will now turn the time over to Bill.

3 MR. RAUGHLEY: FERC Order 888 was issued  
4 in April 1996 and require that generators have open  
5 access to the electric power transmission system.  
6 Open access transmission generally results in more  
7 power transactions and consequently more power train  
8 transfers that change the power flows.

9 Increased power flows on the transmission  
10 system have the potential to lower the nuclear power  
11 plant off-site voltage to a level of impact.

12 Regardless of the restructuring status or  
13 participation in the power market, all states and all  
14 MPPs are exposed to the design and operating changes  
15 associated with revised power flows attributable to  
16 open access transmission. The case in point is the  
17 1999 Callaway event. In this event the reactor  
18 tripped from a problem in the heater drain system. At  
19 the same time heavy power flows from interregional  
20 transactions in the power market depressed switchyard  
21 and safety bus voltages below that required for 12  
22 hours.

23 This event prompted an IN and subsequent  
24 RES interest in NERC transmission operating data that  
25 I'll discuss later.

1           The next bullet, the U.S.-Canadian August  
2 14th blackout task force report states that with the  
3 absence of major transmission projects in the past ten  
4 to 15 years, utilities have increased the utilization  
5 of existing transmission facilities to meet increasing  
6 demand without adding major equipment.

7           The task force report goes on to state  
8 that the systems being operated closer to the edge of  
9 reliability than it was a few years ago, and if  
10 nothing else changed, we'll see more widespread  
11 events.

12           In 2004, we had the West Wing event that  
13 involved the simultaneous trip of three Palo Verde  
14 units along with three loops.

15           As I've mentioned already, experience has  
16 shown grid initiator reactor trips and loops impact  
17 nuclear plant operation, and I've listed a few  
18 examples here.

19           They also discussed the loops. Similar to  
20 the loops, many of the recent reactor trips initiated  
21 in the nuclear plant switchyard, the transmission  
22 network or were widespread grid event.

23           At the March 2005 regulatory information  
24 conference, Mr. Dyer who first spoke stated that in  
25 2003 there were 23 reactor scrams of nuclear power

1 plants associated with grid problems, eight of which  
2 were the blackout, and in 2004 there were 15 scrams  
3 associated with group problems.

4 And as the last point, during the blackout  
5 everything went as planned. There were no safety  
6 problems, and the plants performed as expected, but  
7 there were some event anomalies, I think, that  
8 highlight some of the concerns that were expressed.

9 During this blackout, one of the licensees  
10 was testing his EDG to the grid for its monthly  
11 surveillance. The operator tripped the EDG and it  
12 realigned to the safety bus, but it shows one of the  
13 concerns about the risks for maintenance activities  
14 with reactor power. In this case you'd lose both the  
15 loop and the diesel from a single initiator, and in  
16 this case if you carry that thought forward through  
17 the single failure criteria, if another diesel, then  
18 you'd be in a station blackout, and that's one way to  
19 get to a station blackout.

20 Had the transmission operator understood  
21 the importance of a diesel or the nuclear power plant,  
22 the operator, the condition of the grid that day, this  
23 activity may have been delayed or stopped to avoid the  
24 risk of exposure.

25 Next slide.

1                   What I've shown, this slide relates  
2 directly to Paul's point about the last paragraph in  
3 GD-17 where the licensees need to take provisions with  
4 regard to the probability of a reactor trip given a  
5 loop.

6                   And this slide shows increases and  
7 seasonal variations in that probability, and it is  
8 sometimes referred to as a consequential loop. On the  
9 left are the results of a study that was finished  
10 before the August the 14th blackout, and on the left  
11 are the results of the L study. On both studies you  
12 can see that the annual frequency is doubled, and then  
13 the summer frequency is approximately doubled against.

14                   In these events, the reactor trips for  
15 whatever reason, typically resulting in a loss of  
16 generation in addition to a relatively large load from  
17 the transfer of the NPP house loads, nuclear power  
18 plant, house loads from auxiliary power to off-site  
19 power. About 90 percent of the plants are designed  
20 such that this happens.

21                   This results in a voltage depression that  
22 lasts a few seconds until the grid makes up the  
23 difference. During an accident there would be an  
24 additional load and voltage drop from the starting of  
25 a safety load.

1           In either case if the voltage dropped low  
2 enough, they operate at the greater voltage relays,  
3 which operate or which automatically start the EDGs.

4           Reactor trips of random tests of the  
5 capacity and capability of the grid in the events that  
6 are driving the numbers here, the capability of  
7 transmission system to supply power was affected by  
8 transmission and non-safety nuclear power plant  
9 equipment. In one case the plant owned transmission  
10 load tap changer had been inoperable for 11 months,  
11 and the plan grid operator response following the  
12 reactor trip was ineffective.

13           In another case, the transmission system  
14 owned both its regulator, had been wired incorrectly,  
15 and the licensee reported that heavy power demand and  
16 transmission outages contributed to the voltage  
17 suppression.

18           In another case, a switchyard circuit  
19 breaker, the generator circuit breaker, which is in  
20 the switchyard, faulted, failed to open, and it  
21 resulted in a second fault that caused the loss of  
22 off-site power.

23           The grid is being operated in a condition  
24 for whatever reason such that a reactor trip will  
25 result in the loop than the probability of a loop for

1 that period of time is significantly above the numbers  
2 on this slide and in Dale's presentation.

3 The entity that knows whether or not the  
4 reactor trip or unit trip or reactor trip will result  
5 in a loop relies on input from the transmission  
6 entity.

7 What I also showed in the NUREG 1784 is I  
8 pointed out that the typical risk analysis is to  
9 consider a reactor trip in the loop to be independent  
10 events. That is, the probability of a loop  
11 initiating event is not impacted by the trip. As  
12 shown in this NUREG, parsing out the consequential  
13 loops from the typical loop fault tree in the  
14 assessment of risk for maintenance and tests provides  
15 for a way to do sensitivity analysis to evaluate the  
16 impact of combinations of degraded grid EDG  
17 unavailability, summertime probabilities and the  
18 remaining loop frequencies.

19 As shown in this NUREG, these risks may be  
20 made partially or fully offset the risk reduction from  
21 SBO implementation.

22 Next slide.

23 And that might help to answer some of  
24 Parviz's questions that he asked at the end of the  
25 last presentation.

1           What we did here is after the August  
2 blackout, we were tasked to obtain and analyze grid  
3 data to assess the grid reliability so as to identify  
4 changes, emerging trends that may be precursors to  
5 impacts on NPP operation and risk. The nexus between  
6 the grid and the NPP, or I keep calling NPP nuclear  
7 power plant, is that the nuclear power plant is  
8 connected to the grid as the generators of load and  
9 subject to the same condition.

10           What I'm going to show in the next few  
11 slides is an assessment of grid reliability based on  
12 performance trends developed from their NERC  
13 definitions of grid reliability. These are the only  
14 definitions of grid reliability I could find, and this  
15 includes the 600 grid disturbance events from their  
16 database. It's the disturbance analysis database,  
17 which is on their Website, and approximately 8,000  
18 transmission load relief requests from '97 through  
19 2005.

20           We used the data to provide reliability  
21 measures to gauge the recent changes in grid  
22 operation. The work benefitted from the guidance and  
23 peer review by several NERC members.

24           What I did basically was bend the NERC  
25 events according to their definitions. Examples of

1 adequacy events -- well, first off, NERC obtains a  
2 subset of events reported to the Department of Energy  
3 that are required by one of the CFRs, and they're  
4 really looking at the big stuff. Examples of adequacy  
5 events are areas wide voltage reductions, more than  
6 three percent. Examples of operating reliability  
7 events are losses of more than 50,000 customers for an  
8 hour, the loss of 300 megawatts of load for more than  
9 15 minutes or load shedding of more than 100 megawatts  
10 under emergency conditions.

11 And there's a bunch of other criteria  
12 which is on the NERC Web page. All of the adequacy and  
13 operating liability events were blackouts, not to be  
14 confused with the NRC station blackout. About 15  
15 percent of the NERC events only affected the  
16 distribution system, and the rest involved a  
17 transmission generator system. So what we're looking  
18 at is predominantly the performance of the  
19 transmission system.

20 The data contained some nuclear planned  
21 events. Basically about once every five years one of  
22 these impacts a nuclear power plant.

23 Next slide.

24 In this slide the adequacy trend is on the  
25 left and the operating reliability on the right. The

1 year-to-year days vary cyclic just like the loop data.  
2 I had 20 years of the data and divide it into five-  
3 year intervals on the horizontal axis and the number  
4 of events on the vertical axis.

5 For the operating reliability, I came up  
6 with the number of weather events in yellow and the  
7 non-weather events in red. The NERC data clearly  
8 indicates decreases in grid reliability.

9 As another observation, there's enough  
10 change that the data since 1997 may be more  
11 representative of grid operation than before.

12 On the left, improvements in adequacy of  
13 the generation supply over the 15 years prior to 1999  
14 have been offset by the declining group performance  
15 from '99 through 2003. On the right, the operating  
16 the liability was less from '99 to 2003 than it was  
17 for the preceding 15 years for both weather and non-  
18 weather events.

19 Next slide, please.

20 This slides is a subsort of the operating  
21 reliability data. On the left are the larger events,  
22 those involving a load loss of more than 800 megawatts  
23 and the outage was around 750, 760 megawatts, and I  
24 rounded it up to 800.

25 On the right are the events where it took

1 more than four hours to recover power to most  
2 customers.

3 The figures show that since 1999, the  
4 bigger blackouts are getting bigger, and of longer  
5 duration the blackouts that occurred before '99.

6 I've got tons of sorts of this information  
7 and some of them that the parallel Dale's data are  
8 that since '99 the median size and median duration of  
9 blackouts have increased.

10 Thus it appears that pushing the  
11 transmission harder has diminished the grid's  
12 capability to withstand contingencies when not  
13 operated within reliability limits. It appears that  
14 the U.S.-Canadian blackout task force assessment was  
15 correct.

16 We would expect the implementation of  
17 enforcement of reliability standards would improve the  
18 situation and only time will tell. It's going to take  
19 four or five years at least to change the reliability  
20 trends that we're looking at on either the nuclear  
21 plant side or the grid side.

22 Next slide.

23 This is the sort of NERC disturbance data  
24 by months similar to Dale's sort by month. In this  
25 slide I measured, and it's from 1997 and 1993.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Clearly, there's seasonal variation in the NERC  
2 disturbances which increased sharply and peak in the  
3 May-December time frame.

4 As you can see, you must be prepared for  
5 a loop all the year, but what we're trying to  
6 communicate here is that the things are changed enough  
7 in the summer that you need to use different numbers  
8 for your summertime risk assessment.

9 Next slide, please.

10 This slide was taken from the NERC long-  
11 term reliability assessment. You heard earlier Mr.  
12 Dyer or Mr. Sheron say that there was some indication  
13 that in some areas there's a depression of or lack of  
14 a reserve.

15 This slide deals with the capacity margin,  
16 which is what's left over after you take the connected  
17 load less planned/unplanned outages, less your reserve  
18 requirement so that this is what's left over.

19 Now, what NERC is that they do a ten-year  
20 forward looking assessment and the executive summary  
21 of the current assessment which looks out to 2014  
22 states resource adequacy is dependent on new  
23 generation projects and the transmission system will  
24 be operated at or near limits more frequently and that  
25 the fuel supply in most regions are adequate.

1           These assessments examine, among other  
2 things, the seasonable variation in the load and  
3 capacity margins. Other information in the NERC  
4 assessment shows the load growth of approximately two  
5 to three percent per year and a decline in new  
6 generation projects.

7           This will lead to the decrease in capacity  
8 margins which are projected in the NERC slide here.  
9 In this figure NERC compared a series of four ten-year  
10 capacity margins for the summer operation of U.S., and  
11 on the top you're starting with 2002, and as time goes  
12 on, as you proceed from top to bottom, it's 2002,  
13 2003, 2004, 2005.

14           So for 2005 in comparison to 2004 -- I'm  
15 sorry -- the capacity margin for 2006 is about 15  
16 percent less than the last projection, and decreases  
17 to nine percent.

18           The curve shows the capacity margins are  
19 shrinking with time. With less margin the grid will  
20 be less robust and have less give to it.

21           The NERC regions have input to these  
22 assessments and typically evaluate the information,  
23 and if you pull that thread, if you go from the NERC  
24 assessments to the ISO assessments, that that's where  
25 you can get into where some of the ISOs are showing an

1 erosion of reserve requirements in the 2008-9 time  
2 frame.

3 And likewise these NERC assessments, I  
4 think, are very insightful. If you keep pulling these  
5 threads, things seem to go the way they say.

6 As a result of the Callaway event, RES  
7 took interest in the NERC transmission load relief  
8 request logs and trends that are available on the  
9 Website. Anticipating transmission line congestion  
10 for more power transactions in the power market,  
11 they're created the system of procedures and logs to  
12 manage the congestion in eastern interconnection.

13 The reliability coordinators in the  
14 transmission operation monitors the transmission line  
15 limits. As predetermined limits are approached. The  
16 reliability coordinator issues a TLR Level 1 to Level  
17 5. Level 1 is an alert. Two to five require actions  
18 such as backing out of a transaction or reconfiguring  
19 some portion of the system.

20 The TLRs come from approaching the limits  
21 as a result of power transactions. We've used the  
22 info here to once again show the seasonal variations.  
23 In addition, the chart shows the TLR data has become  
24 more -- the system has become increasingly congested  
25 from '99 to 2005. So if you start, the bottom line is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 '97, '98, '99, and you work your way up to 2005. So  
2 as deregulations kicked in and the power transactions  
3 have increased, just a lot more activity.

4 And then I've done other sorts of this  
5 data to show that there's a concentration of problems  
6 at some flow gates and at some times in here. So that  
7 I've indicated some bottlenecks or problem areas.

8 Next slide.

9 In this slide what I did was a log-log  
10 plot of both the NERC data on the top and the NRC  
11 Dale's loop data on the bottom. The durations, the  
12 actual recovery times for the nuclear plant data, and  
13 the restoration times reported in the NERC data, and  
14 the blackout data, the nuclear plant blackout data is  
15 up in the -- near the curve and goes down to the --  
16 much before the 1,000 minute drop-off.

17 The NERC data, they have eight or nine  
18 points reported from the different regions, but that  
19 falls up in the knee of the curve also, but the point  
20 here is that the August 14th blackout event is not an  
21 outlier on either curve.

22 Note also on the curve if you look at the  
23 grid events are longer than the nuclear plant events,  
24 but it goes to show that the nuclear plants could be  
25 exposed to events longer than those that they're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 experiencing.

2 The events on the bottom of the NERC chart  
3 are largely from ice storms where several transmission  
4 towers were toppled at the same time. The risk here  
5 comes from the fact that as the event gets longer, the  
6 diesel reliability drops off. So if you plug in some  
7 of the longer event numbers, you get much lower diesel  
8 reliabilities than you would from typical nuclear  
9 plant event.

10 The other thing that's happened here is  
11 that most of the recent events are at or below the  
12 knee of the curve and the events before 1996 are up  
13 above, and most of them before 1996 were plant  
14 centered. So what has happened is the plants have  
15 corrected their problems. There has been a  
16 disappearance of plant centered events as shown on  
17 Dale's slide, and what that has left is a lot of  
18 switchyard transmission system and grid events, so to  
19 speak, and the recovery times of those are longer. So  
20 that I think that explains the increase in the loop  
21 duration.

22 But nonetheless, the numbers are the  
23 numbers, and that's what you've got to use in the  
24 analysis.

25 On the last two slides here, I've

1 summarized what Dale and I have told you, and our  
2 bottom line is that we think the overall data and  
3 experience support the generic letter. There's a lot  
4 of offsetting variables going on here, and looking at  
5 them all at the same time, the overall loop frequency  
6 of the looped events have been declining since '88,  
7 '86, but there was an upturn in 2003-2004. The grid  
8 center loops are up significantly in recent years.  
9 The average loop duration has increased significantly  
10 since '86.

11 In recent years, almost all of the loop  
12 events have occurred in the summer, May to September,  
13 and that's where NRR is getting their seasonal  
14 variation conclusion from.

15 And then the last slide, recent events  
16 have raised questions about the likelihood of a loop  
17 caused by reactor scrams. The seasonal variations in  
18 loop fence and grid reliability raises questions about  
19 maintenance of EDGs or SBO coping features during  
20 summer months or during times of grid distress.

21 The fact that there's change going on adds  
22 uncertainty about the future. You've got a moving  
23 target here we're trying to hit, and the point of all  
24 this loop stuff that I went over from NERC is that  
25 there's a lot of loop precursors, but as a NERC grid

1 disturbance have risen significantly in recent years.

2 And then I also wanted to mention that  
3 SECY 050192 was recently issued by Research, and  
4 that's the status of the accident sequence precursor  
5 program and the standardized risk models, and it shows  
6 a statistically significant increasing trend in  
7 accident precursors involving a loop from '93 to 2004.

8 In the ASP events, the accident sequence  
9 precursor events are those events which have occurred  
10 where the condition of core damage probability is more  
11 than ten to the minus six, more than one in a million.  
12 When they reach ten to the minus five, that triggers  
13 more investigation by the NRC, and ten to the minus  
14 four and so on. We reach higher and higher level of  
15 interest in response from the NRC.

16 Gary.

17 MR. VINE: Hi. I'm Gary Vine from EPRI.

18 Next slide, please.

19 All right. We've been working with both  
20 NRC and with the industry for over 20 years on grid  
21 and diesel liability data. This goes back to the  
22 early to mid-1980s when the station blackout rule was  
23 taking shape and we were looking at the data. We  
24 found in those early days that there was a rather huge  
25 divergence between our analysis of the data and NRC's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis of the data, but those differences have been  
2 largely reconciled over the years.

3           What was happening in the early years is  
4 that both industry and NRC were relying heavily on LER  
5 information for assessing the frequency and duration  
6 of either diesel events or grid events, and it turns  
7 out that a lot of that data was not very useful.

8           We ended up having to go talk to  
9 individual plants and find out exactly what happened  
10 in each of these events, and we determined in many  
11 cases, for example, that maybe the grid had been  
12 declared inoperable for a period of two days when it  
13 was available within an hour or two, but it was not --  
14 the plant was not put back on the grid until we were  
15 really confident that it was a stable situation, and we  
16 would continue to operate off the diesels, and of  
17 course, that would skew the data tremendously toward  
18 a longer even than was really deserved in the data  
19 analysis.

20           There were similar cases where there were  
21 back-up or alternate AC power supplies available off  
22 site or on site that weren't reflected in the LER. We  
23 would learn about those things as we investigated the  
24 event in more detail.

25           As we began looking at the data much more

1 comprehensively, NRC joined us and then through the  
2 '90s and into this decade we usually found that the  
3 raw data differences between our analysis of these  
4 events and the NRC's event, pretty minimal. We've  
5 been pretty close on the raw data since those early  
6 years.

7 We've published a number of reports. We  
8 continued in this analysis of both grid and diesel  
9 reliability since the station blackout rule and  
10 continue to do so. We've had very good cooperation  
11 with NRC Research, which we have an MOU with and we've  
12 done a lot of work together in this and other areas.

13 But there has been some divergence in our  
14 analysis of the event since the August 14th event, and  
15 perhaps a little bit earlier than that as well as we  
16 began looking at grid centered events a little  
17 differently.

18 Again, not a huge divergence in the raw  
19 data, but significant divergence in interpretation of  
20 the data. It's important to recognize just for  
21 perspective that the goals of the station blackout  
22 rule have been met or exceeded, and I'll say a little  
23 bit more about that later, and also that the industry,  
24 I think, even though the grid situation that we all  
25 face due to deregulation and technology changes and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 everything else is moving. We've generally kept the  
2 pace of that with our own programs at our plants with  
3 configuration risk management and our maintenance rule  
4 programs.

5 Next slide, please.

6 Again, for perspective, no nuclear plant  
7 either caused or contributed to the August 14th event,  
8 and all of the affected plants performed as designed.  
9 You need to remember those, those important factors.

10 Arguments about the dominance of the  
11 summer events I think needs a little closer  
12 examination. First of all, you know, if you look at  
13 this statistically, some of this is absolute data, and  
14 some of it is relative data, and if you look at it on  
15 a relative basis, you get a pretty skewed picture, and  
16 I think some of that came out in the last two slides  
17 that NRC presented.

18 First of all, a lot of our data is skewed  
19 by one event, the August 14th event, which, again, all  
20 of our plants did perform as designed in the August  
21 14th event.

22 The root cause of all these loop events is  
23 generally not correlated to season. Now, this is an  
24 important point. If, in fact, the summer is driving  
25 a large increase in loop events, one would assume that

1 if you go down and look at the root cause of these  
2 summer events that you'd see a seasonal basis or a  
3 seasonal driver for that higher frequency, and in  
4 fact, that's not the case. I'll get to some more  
5 details on that later.

6 Emergence of longer duration grid events  
7 as a higher percentage of the total loop events is  
8 really driven by the fact that we have reduced the  
9 number of the shorter duration or the plant centered  
10 events over the last 20 years. It's pretty parallel,  
11 I think, to the performance we've seen in or the  
12 outcomes we've seen from PRAs in general that have  
13 shown that you've reduced plant risk by roughly an  
14 order of magnitude over this period primarily by  
15 dealing with plant centered risks and improving our  
16 plant performance, design operations, and so forth, to  
17 reduce our PRA numbers or core damage frequency  
18 numbers, and that what that leaves you, of course, is  
19 a higher percentage of external event contribution to  
20 risk.

21 The same thing is happening here with the  
22 grid. As we continue to improve our plant  
23 capabilities, the residual that is left is going to be  
24 more externally driven.

25 The total number of loop events over

1 history has actually gone down over this 20-year  
2 period. So I guess the point there at the end is that  
3 no good deed goes unpunished as we continue to improve  
4 our plant safety. The focus gets on that residual  
5 risk, and that's where we're focused today.

6 Grid weaknesses can occur at any time.  
7 It's not strictly a summer related phenomenon. You  
8 have to be on guard 12 months out of the year. Just  
9 some simple points here. The longest recent  
10 occurrence of a sustained grid weakness that lasted  
11 for 776 hours -- that's quite a period of time --  
12 occurred in California in January and February. This  
13 is when they were less than 1.5 percent reserve margin  
14 for an extended period of time.

15 The major northeast blackout that occurred  
16 that kind of drove the creation of EPRI occurred in  
17 November. Picked up last week's Nucleonics Week.  
18 Weather conditions forced four parallel units off the  
19 French grid. This event occurred at the end of  
20 December, 6,000 megawatts down.

21 So there are events throughout the year,  
22 and I'm going to say a little bit more about the  
23 summer connection here at the bottom of this slide and  
24 later, but we need to recognize that this is not just  
25 a simple, you know, worry about this in the summer and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not 12 months out of the year.

2 Grid weaknesses can occur any time. If  
3 you look at some of the charts that we're shown by NRC  
4 having to do with reserve margin, reserve margin is a  
5 relative term, and if you've got a lot of plants out  
6 and spring outages and fall outages, whether it's  
7 nuclear plants or fossil plants, and your reserve  
8 margin can come down quite a bit if you've got  
9 unexpected warm weather in the spring or something  
10 like that.

11 The next bullet is an example of that when  
12 they had a pretty serious problem in California just  
13 April of this last year, because it warmed up quite a  
14 bit before all the plants were back on line from their  
15 spring outages.

16 The primary causes of loop events over the  
17 last ten years and in order of importance are shown  
18 here at the bottom of this slide. Random equipment  
19 failures, adverse weather conditions, the August 14th  
20 event which was the third largest contributor which  
21 was really mostly maintenance related, driven out of  
22 the grid, and then random human errors. These are the  
23 first four. There are others. Animals created quite  
24 a few of them as well. That's number five and number  
25 six.

1           But the important point is that of these  
2 four primary causes or root causes, none of them are  
3 really specifically restricted to a summer type of a  
4 problem. Random equipment failures can occur 12  
5 months out of the year, as can adverse weather  
6 conditions. We have adverse weather conditions in the  
7 winter as well as in the summer.

8           So we just need to keep this perspective  
9 on this summer data.

10           The draft generic letter talks about the  
11 summer months being May through October. That's a  
12 five-month span, and there's also concern about  
13 hurricanes. I think Brian mentioned that this  
14 morning. Those, as we know from this last year's  
15 bitter experience in the South, extended into November  
16 and I think even early December.

17           So we're kind of categorizing a six-month  
18 period, five to six-month period here as a period of  
19 concern, and if we end up taking, you know, an extreme  
20 position here that basically says no maintenance on  
21 plant electrical equipment during an extended period  
22 of time like that, we could have some unintended  
23 consequences.

24           So I think from a more sophisticated risk  
25 approach we would prefer to see a look at this. It's

1 not just as simplistic as watch out for the summer and  
2 not any other time.

3 The top bullet here just repeats the point  
4 I made earlier about the conclusions of NUREGS  
5 analysis of the station blackout rule. It was  
6 effective in meeting NRC's expectations and, in  
7 particular, diesel reliability has been higher, higher  
8 than was originally anticipated when the rule was  
9 crafted, and this has kept our overall station  
10 blackout effectiveness quite high over the years.

11 The likelihood of grid induced loop is a  
12 function of plant location. Again, not a one size  
13 fits all solution here. We worry sometimes about  
14 plants at ends of transmission lines. There are a  
15 number of plants in situations like this, the Florida  
16 peninsula and so forth. They have a different  
17 situation than the rest of the country.

18 Weather vulnerable regions. Again, this  
19 is not just summer phenomenon. There are different  
20 weather concerns at different parts of the countries  
21 at different times.

22 Industry's capability against loop events  
23 has improved greatly since the days of the station  
24 blackout rule implementation. It's not that we've  
25 simply complied with the coping times and the station

1 blackout rule and haven't done anything since then.  
2 We've done a huge amount of work. You're going to  
3 hear a lot more from what INPO has done in this area.  
4 We've created a lot of tools that have been very  
5 helpful in helping plants, and of course, the advent  
6 and continued improvement in plant specific risk  
7 models has helped a great deal in dealing with grid  
8 reliability.

9 Next slide.

10 We have a forum, an EPRI committee, in  
11 effect, that is called the configuration risk  
12 management forum. It's actually meeting concurrently  
13 as we speak here. Their annual forum is occurring  
14 this week down in Florida.

15 This forum is the focal point for  
16 industry's assessment of CRM practices across the  
17 fleet. CRM, of course, is essentially a real time  
18 capability to analyze plant risk and to be able to  
19 make operational decisions by operations people,  
20 maintenance people and so forth, to optimize the  
21 timing of those factors that you have control over,  
22 such as placing equipment out of service for  
23 maintenance.

24 The workshop at the same place as we speak  
25 is explicitly including discussion of grid related

1 events in the agenda, and there are NRC personnel in  
2 attendance.

3 CRM is focused on managing risk due to  
4 both unplanned and planned conditions as primarily  
5 those are controlled by operators, and it explicitly  
6 includes consideration of grid issues. Based on a  
7 lengthy survey that we did within the CRMF in 2004, a  
8 little over a year ago, we've determined that grid  
9 reliability is being addressed in the majority of  
10 plant models. You'll see at the bottom of this 85  
11 percent of the plants responded, and of those 85  
12 percent, the vast majority of them are either  
13 quantitatively or qualitatively addressing grid  
14 performance in the way they do their CRM modeling, and  
15 obviously their management decisions on making outage  
16 decisions and maintenance rule decisions.

17 Next slide, please.

18 The survey that was conducted in 2004  
19 examined three specific type of grid disturbances:  
20 severe weather, switchyard maintenance activities, and  
21 other external events that could affect the grid,  
22 including grid instabilities, regional flooding,  
23 forest fires, and other things that are in effect.

24 And conditions affecting risk may or may  
25 not be under the control of plant staff. Obviously

1 plant staff has control over switchyard maintenance,  
2 but it doesn't have control over maintenance that's  
3 being done, you know, 100 miles away from the plant.

4 It doesn't have control over weather  
5 obviously, but at least it can anticipate weather  
6 conditions.

7 We've talked a lot about quantitative and  
8 qualitative means being used to assess grid  
9 performance and grid reliability. This is kind of a  
10 repeat of a point that the gentleman from San Onofre  
11 made before the break, and that is that we can do a  
12 reasonably good quantitative job of assessing  
13 switchyard reliability, and we can quantitatively,  
14 although not with the same degree of accuracy, but at  
15 least quantitatively make some reasonable assumptions  
16 about weather related events, if there's a storm  
17 coming or stuff, you know that you've got a heightened  
18 condition of risk.

19 The area that EPRI has, as far as we can  
20 tell from all the CRM activities in the industry, have  
21 not been able to quantitatively model is the grid  
22 itself. We've been working on this for a number of  
23 years. We've got a pretty significant cross-sector  
24 effort at EPRI with our nuclear sector, our fossil  
25 sector, and our power delivery sector working on these

1 grid reliability issues, and although we've done a lot  
2 of pretty sophisticated modeling of the grid, the  
3 ability to feed back a reliability number back to the  
4 plant on what the condition of that grid is at any  
5 point in time is a pretty impossible task at the  
6 present time.

7 CRM obviously requires increased  
8 maintenance controls when conditions indicate, but  
9 it's determining when those conditions really indicate  
10 that that is the tough thing to do. I mentioned that  
11 we've got a pretty significant cross-sector activity  
12 at EPRI looking at grid related risk and performance.  
13 We're involved in establishing industry-wide guidance  
14 across the board in both plant and grid areas. You  
15 can see the list of the things that we've got covered  
16 there.

17 We also addressing a lot of equipment  
18 reliability issues through either configuration risk  
19 management or pretty extensive switchyard users group,  
20 transformer users group that's looking at those  
21 aspects of plant performance working hard on such  
22 things as switchyard breakers, transformer liability  
23 and so forth, with guidance on both maintenance and  
24 operations of those components for improved  
25 reliability.

1           We're looking at turbine generator  
2 torsional problems that have cropped up as a result of  
3 grid oscillations. We're going a lot of work with  
4 devices for voltage support for maintaining VARs.

5           The next slide, as I mentioned, we've  
6 issued about 50 reports over the last 20 years on  
7 reliability. These are the last four that have been  
8 issued related to off-site power reliability and  
9 causes of losses of off-site power. We do a  
10 cumulative update about every year or so.

11           And finally, as I said, the ongoing CRM  
12 workshop in Florida has taken away the top EPRI  
13 experts on grid performance and grid reliability. So  
14 I'm filling in and probably will not be able to answer  
15 as many questions as these guys would. Frank Rahn is  
16 the overall coordinator of our grid reliability work  
17 and works with people in power delivery and  
18 generation.

19           His boss, John Gaertner, and Ken Canavan  
20 are deeply involved in the PRA side of this. Wayne  
21 Johnson is our equipment reliability expert for grid  
22 related matters.

23           And that's it.

24           MR. CAMERON: Okay. Thank you very much,  
25 Gary, Bill, Dale.

1           We do have the hard copies of the slides  
2 available out in the back. So all of those helpful E-  
3 mail addresses and hone numbers will be on there.

4           You just heard a presentation on the data  
5 and on the implications of the data, and I guess the  
6 focus of this discussion should be on what the  
7 implications of the data are, and I think it would be  
8 helpful for Mike Mayfield and all of his staff if you  
9 had suggestions on how the GL should be adjusted based  
10 on what your view is about the data, please bring that  
11 forward.

12           I'm going to give the panelists an  
13 opportunity if they want to ask a question or comment  
14 on what the other panel has said before we go out to  
15 all of you.

16           Gary, anything at all? Bill?

17           MR. RAUGHLEY: I had a couple  
18 clarifications. One is I don't think the NRC ever  
19 said no maintenance. What we're trying to do is get  
20 the proper numbers used in the assessments of risk  
21 when you do maintenance tests outage activities.

22           Ma'am, if you could go back to my next to  
23 the last slide. That one -- next one. One more.  
24 There you go.

25           With regard to this plant, you know, the

1 fact that I said that the plants had eliminated the  
2 plant centered events, if you look on these curves, it  
3 provides a way to visualize the problems, is you have  
4 a relatively flat, large number of events which are of  
5 low consequence. They're actually much, much less  
6 than 100 minutes, and those are the ones that are  
7 largely plant centered, and those have been  
8 eliminated.

9 The risk significant events are on the  
10 straight part of the curve, and those are the ones  
11 that remain. So what they've done is you have  
12 eliminated the low risk events from a risk  
13 perspective. It's not to say that the plants haven't  
14 done an outstanding job in eliminating the actions to  
15 prevent recurrence of the problems, but from a risk  
16 perspective, you haven't done anything.

17 MR. CAMERON: Okay. Dale, anything?

18 MR. RASMUSON: Yes, just one  
19 clarification. In the comments that we received from  
20 EPRI and from others on our reports in that regarding  
21 the August 14th event, a lot of the comments focused  
22 that we ought to count it as one event, but I'd just  
23 like to point out that that is changing the definition  
24 of loss of off-site power. We're not saying that the  
25 definition that we've used that you saw here was that

1 it affected the plant, and we're calculating risk of  
2 the plant.

3 There was one event in August 14th, but  
4 it's not a loss of off-site power event, you know. I  
5 mean according to our definition. According to our  
6 definition, there were eight occurrences of loss of  
7 off-site power where plants lost -- their safety buses  
8 went dead and the EDG started, and so that's what we  
9 are counting, and with the fact that if you look at  
10 the distributions, that's when the events occurred,  
11 changing the subject here.

12 The events occurred during the summer. I  
13 mean, no one can argue with that, you know. We're not  
14 saying what the causes are. We're not looking at  
15 that. We're just saying they occurred during the  
16 summer. Those are the facts.

17 And so we can go and say some other  
18 things, but that's when the events occurred. And  
19 people bring up like other blackout events, but you  
20 know, like the '96 grid blackout in the West. No  
21 nuclear power plants lost power to those things, and  
22 so you know, they're not relevant to our PRA analyses.  
23 So that's just some clarification I'd like to point.

24 MR. CAMERON: Okay. Thank you, Dale.

25 And just a couple of words about lunch,

1 which is always important to people. We originally  
2 were going to give you lunch at 11:30 so that you  
3 could avoid the rush of lunchtime in Bethesda.

4 We're running late now. So we're just  
5 going to keep going for a while with you and then take  
6 the hour long lunch break, but we won't go longer than  
7 12:30 with this.

8 But with that comment, Alex, do you want  
9 to come up?

10 All right. Alex Marion, Nuclear Energy  
11 Institute.

12 MR. MARION: Alex Marion, NEI.

13 Thank you.

14 I have a dilemma. At NEI we represent the  
15 industry in interactions with the Nuclear Regulatory  
16 Commission. Here we have a situation where the  
17 organization that the industry relies on for these  
18 kinds of analyses and data assessment is EPRI, and  
19 they're saying one thing relative to the historical  
20 performance of the grid and how you characterize and  
21 assess events, et cetera.

22 Then we have the NRC, on the other hand,  
23 taking a different approach, and I understand what you  
24 said, Dr. Rasmuson, in terms of how you analyzed the  
25 events, but we're in a quandary. Is there any way to

1 bring the two parties together so that we get a common  
2 understanding and treatment going forward?

3 Because I see the different opinions just  
4 compounding over time and the gap getting broader  
5 instead of coming together to a common approach. So  
6 I would just like to offer as a potential follow-up  
7 action item for us to get together and get into some  
8 down-to earth dialogue so that we don't have these  
9 inconsistencies in interpretation and assessment.

10 MR. CAMERON: Okay. Thank you.

11 And obviously that's not only just a  
12 short-term related to the GL, but a longer term.  
13 John, do you want to talk to that?

14 Go ahead and please introduce yourself.

15 MR. KUECK: This is John Kueck at the  
16 Advisory Committee for Reactor Safeguards, although I  
17 am not here representing the Advisory Committee but  
18 myself.

19 As Gary said, this work has been going on  
20 for 20 years, and I guess maybe him and I are the  
21 oldest folks in the business since I started that work  
22 back in the '80s myself.

23 MR. CAMERON: We'll let the record show  
24 that.

25 MR. KUECK: Yes. Looks can be deceiving.

1           Yeah, that's a great comment that I think  
2 Alex has made, and you probably need a third party in  
3 this, and that's NERC. I think it would be important  
4 to get NERC's views on this. I know when Bill  
5 released his report there were comments raised by both  
6 NERC and NEI, and they're very contrasting.

7           When you look at one set of comments from  
8 the people that do this for a living, you get a  
9 different perspective than NEI. So I think it's very  
10 important that all of these statistics has a  
11 fundamental engineering basis as to why they represent  
12 what they represent, and unless you have that basis,  
13 statistics are just numbers.

14           So I think it's important; it's extremely  
15 important to probe down and find out the basis and  
16 then agree on that basis. I mean, I think no one more  
17 important to get involved in that process would be  
18 NERC.

19           And I guess from having done this work for  
20 all these years, I mean, we're only kidding ourselves  
21 if we believe nothing has changed in the last 20  
22 years. A lot has changed in the last 20 years, and  
23 things are going to continue to change, as you can see  
24 with the plots that Bill had put up earlier about the  
25 reductions in spending reserves and so on.

1           So I think it's not only today that we're  
2           needing to deal with this problem. We also have to  
3           think what's going to happen over the next ten years.  
4           When they came in for advanced reactors and they  
5           talked to the Commission, the driving need for new  
6           reactors is based load capacity by 2015.

7           Okay. What's going to take us to 2015?  
8           I think we have to look also into the future in this  
9           and say are we doing the right thing. Are we getting  
10          prepared to carry this load into the next generation  
11          of nuclear power plants?

12          Because if we don't do it now, there is  
13          not going to be a new next generation. We have to be  
14          able to address the most important risk contributor to  
15          nuclear power plants today, and that is station  
16          blackout. Anybody that does risk knows that that's  
17          driving things. So just a few comments from my  
18          perspective.

19          MR. CAMERON: Okay. Thank you, John.

20          And I'm going to ask the panel if they  
21          have any comments, but two issues on the table. One  
22          is a longer term action, not just in the NRC's lap,  
23          but in EPRI's, NERC, but is there a mechanism that can  
24          be used to try to reach consensus on the implications  
25          of the data?

1           So I know that Mike Mayfield has that on  
2 his action list. Short term, again, Alex  
3 characterized it. There's a difference of opinion  
4 here on what the implications are for the GL. I guess  
5 that the NRC staff would be interested in any comments  
6 on how the GL might be changed to accommodate these  
7 different opinions.

8           So I'll leave you with that for a second,  
9 and then I'll go to Dale and Bill and Gary to see if  
10 they have any comments at all on what we heard from  
11 Alex and John Kueck.

12           Dale.

13           MR. RASMUSON: I just wanted to say that,  
14 you know, we have met with EPRI, you know, to  
15 coordinate some of these things, and we do differ on  
16 the August 14th event. There is a difference on that,  
17 but the definition that we have been using is the  
18 definition that has been around since 1032. You know,  
19 that was the definition that was used there for loss  
20 of off-site power.

21           And so we're not changing definitions at  
22 all in that regard. I'd just like to emphasize that.

23           MR. CAMERON: Bill, anything you want to  
24 say in regard to the dilemma that Alex has and the  
25 suggestion that he made?

1 MR. RAUGHLEY: As Dale said, we've met, I  
2 think, three times with EPRI. Dale is the last word  
3 on the statistics. We do have the same raw data.  
4 Dale did base his risk. Baseline risk is based on the  
5 minimum recovery time. He's done sensitivity analysis  
6 for the actual times, and with regard to the numbers  
7 of events, one other major point of disagreement is  
8 EPRI definitions include events when the reactor is  
9 not at power, which have absolutely nothing to do with  
10 station blackouts. So they don't enter into Dale's  
11 statistics, and that's the fundamental difference in  
12 the numbers, is that they exclude -- you reduce the  
13 summertime event from eight to one, and then you add  
14 eight non-power events that are largely in the winter,  
15 and then that masks the summertime phenomena.

16 So I think we understand the difference,  
17 and I don't know how long we want to beat this horse  
18 to death, but Dale is using numbers that have been  
19 around since 1970-whatever, you know, when John was a  
20 youngster with hair, and he hasn't changed a thing.  
21 It's just pumping the same data into the same formulas  
22 and getting the answer, and it shows change, and I  
23 think we need to respond to it.

24 And, yes, we would love to meet with the  
25 industry and keep this discussion going for the long

1 term, but I think for the short term, the numbers are  
2 the numbers. You know, unless we want to change the  
3 definitions, and again, that's a long term thing.

4 MR. CAMERON: Okay. Let's ask Gary to  
5 comment on this.

6 MR. VINE: Sure. I appreciate Alex's  
7 comment. I think to one of the points made here about  
8 including shutdown events or not, we think that  
9 shutdown events, even though the plant is down at the  
10 time, is relevant operating experience to learn from,  
11 and so it does tell you if the plant was up what would  
12 have happened, and so we look at it more broadly, and  
13 I think that helps balance the picture.

14 But I think the most important point to  
15 make here is that the differences of view between the  
16 industry and the NRC this time around as compared to  
17 20 years ago when the station blackout rule is  
18 originally being formulated are fundamentally  
19 different.

20 In the early run through this in the '80s,  
21 it really was the raw data that we disagreed about,  
22 and we worked through a process to get to a joint  
23 understanding of that raw data, and then things went  
24 pretty smoothly, and in fact, our MOU with the Office  
25 of Research is pretty much restricted to analyzing the

1 raw data, getting that understood and agreed to on  
2 both the industry and the NRC side, and then we give  
3 the data to NEI and RES gives it to NRR, and NRR and  
4 NEI work on how to interpret it and what it ought to  
5 mean in regulatory space.

6 But we are then pretty successful in  
7 getting agreement on the raw data. In this particular  
8 case, although there are some differences of opinion  
9 on the raw data, the fundamental difference, I think  
10 between what we're coming up with and what RES is  
11 coming up with is that interpretation of the data as  
12 it goes forward to the decision makers, and we just  
13 see the data differently than does RES in terms of  
14 what it ought to mean for plants in the country and  
15 what they ought to be doing about it.

16 So we're really into an area of judgment  
17 that really is not just a difference of opinion on  
18 data, but really a judgment issue between NRC and  
19 industry as to is this picture that we see here  
20 significantly different than what was expected in the  
21 station blackout rule. Is it significantly less safe  
22 than it was at the time the station blackout rule was  
23 written to justify major new actions?

24 And that's not a data question, and it's  
25 not an EPRI question. That's an NEI and NRC question.

1 MR. CAMERON: Okay. Let's hear from Rich  
2 Barrett. Rich.

3 MR. BARRETT: Thank you, Chip.

4 I'm Rich Barrett. I'm with the Office of  
5 Research at the NRC.

6 And I can certainly appreciate Alex's  
7 question. You know, we have a number of regulators  
8 and regulated entities here today, and they've got to  
9 make decisions about where to go next in putting out  
10 this generic letter and in responding to this generic  
11 letter, and it can be confusing when you're hearing  
12 different perspective from the research entity of the  
13 NRC and the principal risk entity of the industry.

14 And I can say certainly from the  
15 perspective of the NRC that we are committed to  
16 continue this work and to cooperate with EPRI and  
17 others to get to the very best possible insights from  
18 what the data are telling us so far and what the data  
19 in the future will be telling us as we see more  
20 experience and we pile up more years of experience in  
21 this area, and as the grid continues to evolve and the  
22 performance of the grid continues to evolve.

23 What I thought was interesting this  
24 morning in the three presentations was not just the  
25 information about the numbers of frequencies of losses

1 of off-site power, the durations of losses of off-site  
2 power, but I think it's important as both Bill and  
3 Gary did to go beneath the data and ask yourself  
4 what's going on here. What's going on in the grid?

5 For Gary, from Gary's perspective, he took  
6 a closer look at some of the root causes, and I think  
7 it's important to look at the root causes, and some of  
8 these root causes that you saw are not seasonally  
9 related. We know that there are others that are  
10 seasonally related.

11 I think you also saw that there were some  
12 important insights here related to other trends,  
13 plants that are near I believe he called it the edge  
14 of the grid, plants that are in extreme weather  
15 situations. These are all questions that need to be  
16 considered in response to this generic letter.

17 Conversely, Bill presented some  
18 information that we've gotten, we, the NRC, have  
19 gotten from NERC related to precursors to loss of off-  
20 site power, and I think it's very important to take a  
21 look at these deeper -- a deeper look at some of the  
22 things that relate to the vulnerabilities of the grid  
23 or the reliability of the grid both from the trends  
24 from year to year and the trends from season to  
25 season.

1           One of the things I saw this morning that  
2 I hadn't seen before was what appears to be an upturn,  
3 more and more of an upturn during the December time  
4 frame than there was in previous data, and I think  
5 that's a long-term challenge for all of us.

6           But at the moment, I think there is no  
7 question that we have to address the questions that  
8 have been raised. Gary said that a lot has changed  
9 and a lot has improved in the electrical systems since  
10 the station blackout rule was put in place, and he  
11 gave some examples, which I'm not in a position to  
12 evaluate, but I think it's also clear that there is a  
13 difference in the grid. I think it's also very clear  
14 that there are some differences in the way in which  
15 the plants are being operated, the technical  
16 specifications have been changed significantly with  
17 regard to allowed outage times, and it's difficult for  
18 us at the NRC to evaluate how all of that plays out in  
19 terms of the risk to the plant and continued  
20 compliance with the regulations.

21           And so that's the reason why what to some  
22 extent has been a research question because it's now  
23 moving more and more over the past two or three years  
24 into the regulatory arena and the issuance of this  
25 generic letter.

1           So I guess my bottom line would be, yes,  
2           absolutely, Alex, we need to go forward, the Office of  
3           Research and NRR and EPRI, to continue to try to maybe  
4           get back to what Gary said was the case a few years  
5           back where we understand each other's analyses and we  
6           can come to agreement, and in the meantime we need to  
7           continue to gather more information about the health  
8           of the grid. We also need to take a very close look  
9           at the responses to this generic letter to make sure  
10          that we understand how the plants are being operated.

11           MR. CAMERON: Great. Thank you. Thank  
12          you, Rich. A very positive.

13           I guess I would just put the question,  
14          again, in a different way. Is there anything in the  
15          generic letter now based on the NRC's interpretation  
16          of the data that would produce unintended  
17          consequences? Is there anything that should be  
18          adjusted or changed in the generic letter?

19           And I guess that's a good segue for Mr.  
20          Thorson.

21           MR. THORSON: James Thorson, Detroit  
22          Edison.

23           I guess having listened to this recent set  
24          of presentations, the Question 5 "Charlie" on the  
25          draft generic letter, is there a seasonal variation in

1 the stress on the grid in the vicinity of your nuclear  
2 power plant site? Is there a seasonal variation in  
3 the loop frequency? And then if yes, discuss when  
4 they do occur and what's the magnitude of the  
5 variations.

6 I guess, you know, one of the objectives  
7 for this form was for the industry to kind of  
8 understand what the NRC's expectations was and how we  
9 would provide information to you with respect to this,  
10 and I guess I'm a little reluctant to get quantitative  
11 in my response to the NRC to this question based upon  
12 the general, I guess, lack of agreement or on how to  
13 interpret the data.

14 And then secondly, in particular, the  
15 seasonal variation and the loop frequency for our  
16 plant. I'm hoping that our frequency is such that I  
17 can't detect a variation. So I guess what I'd like to  
18 ask specifically: is it acceptable to remain  
19 qualitative when we answer this question or are you  
20 requiring a quantitative assessment?

21 MR. CAMERON: Good question. Bill, are  
22 you down?

23 MR. RAUGHLEY: NRR needs to answer that.

24 MR. CAMERON: And who are we going to go  
25 to, not NRR but Research?

1 MR. ALEXANDER: No, this is NRR.

2 MR. CAMERON: Oh, it is. Sorry, Steve.  
3 Sorry.

4 MR. ALEXANDER: Oh, yeah. That's all  
5 right. Oh, I'm not insulted. Maybe research is. I  
6 don't know.

7 (Laughter.)

8 MR. ALEXANDER: But I'm perfectly happy to  
9 be part of either one of them as long as I can, you  
10 know, make a contribution.

11 Anyway, no, that's one of the maintenance  
12 rule related questions, I think, and of course, it's  
13 information that we want to know in general for the  
14 generic letter, but quantitative and qualitative are  
15 both valid kinds of information. If it's something  
16 that you can't quantify, then what we want to know is  
17 from that if we don't concentrate on loop frequency  
18 per se, are there seasonal variations however you  
19 define the reliability and availability of off-site  
20 power and in your specific area.

21 We recognize, for instance, that looking  
22 at national averages that seem to show there's more  
23 loop events in the summertime may be misleading  
24 because some plant in certain areas may have more  
25 stressed conditions at other times perhaps due to

1 reduced generation capacity, such as in Southern  
2 California in the wintertime, for example.

3 So what we want to know is, and  
4 qualitative is fine, what are the variations in grid  
5 reliability and availability and off-site power  
6 availability that you see in your area, if you see  
7 any.

8 If the answer is there aren't any, then  
9 that's a valid answer.

10 MR. CAMERON: Okay. Great. So in other  
11 words, I'm not sure the way it's phrased, but the  
12 intent of the generic letter would allow specific  
13 companies to answer that question based on their  
14 specific situation about what do you see as variations  
15 in grid reliability.

16 It could be seasonal. It could be  
17 something else?

18 MR. ALEXANDER: The intent we wanted is to  
19 get the story on that from each individual plant.  
20 That's why we're sending it to everybody.

21 MR. CAMERON: Okay. Thank you very much.  
22 Let's go to Southern California.

23 MR. ROSENBLUM: This is Dick Rosenblum,  
24 again.

25 Going to the exact same questions, I'm

1 going to try to honor the way the question was asked.  
2 Is there anything in the generic letter that we'd like  
3 clarified or changed?

4 The same Question 5, I guess it's (c) and  
5 (d). The one point I would make is I would like to be  
6 sure that the questions being asked are precisely the  
7 questions that are intended to be asked, and I say it  
8 for this reason.

9 There is an imbedded assumption that  
10 somehow grid stress relates to loop frequency, and  
11 some of the data I heard and some of the discussions  
12 I heard in this session pointed out that loop only  
13 occurs when the plant is operating by the definitions  
14 we're using -- station blackout. Excuse me. And  
15 plants tend to operate in California more in the  
16 summer. So the frequency will go up.

17 I'm not sure what's what was really  
18 intended. If the question is really about the grid,  
19 then it doesn't matter whether the plant is operating  
20 or not. The grid has a certain number of events.  
21 They do include losses of power whether the plant is  
22 operating or not. That's one set of data that  
23 responds to one question: what's the grid doing?

24 Firm load interruptions, rolling  
25 blackouts, service interruptions, service reliability

1 has nothing to do with that, and all of the  
2 presentations, both Gary's and William's, had service  
3 reliability interruptions in them that are not germane  
4 in my personal opinion.

5 So we have to be really careful, and I  
6 would ask people to go back and look at the generic  
7 letter and make sure the question you're asking, which  
8 we will answer, is precisely the question that's  
9 intended to be answered and that the data will then be  
10 used to answer that question, not say because plants  
11 operate more in the summer than in the winter, the  
12 grid is less reliable in the summer. Those two things  
13 are not related.

14 So we have to keep the data sets  
15 consistent, and we have to make sure that we bring to  
16 bear the data that really applies to the question  
17 being asked.

18 I'm not sure. I think among the experts  
19 that's occurring. I'm not sure among the decision  
20 makers that's occurring.

21 MR. CAMERON: Great, and that goes back to  
22 the point you brought up earlier about grid  
23 reliability versus system reliability.

24 Does the NRC staff have anything that they  
25 want to say on that issue? I think it's exactly the

1 type of thing that we're looking for a comment on.  
2 Anybody want to say anything about that? You don't  
3 need to. I'm just giving you an opportunity.

4 Research or NRR this time?

5 MR. ALEXANDER: Whatever, as my son likes  
6 to say. No, it doesn't really matter, but in this  
7 case, yes, NRR still, I hope.

8 No, seriously, if you take a look at  
9 Question 5(c), it says there a seasonal variation in  
10 the stress on the grid in the vicinity of your nuclear  
11 power plant site. Is there a seasonal variation in  
12 the loop frequency?

13 We didn't mean to assume that there's an  
14 iron clad causal relationship between those two. We'd  
15 like to get both sets of data. We'll maybe then try  
16 to decide what it means, but we'd like to know are  
17 there seasonal variations in the stress on the grid.

18 Question D maybe should have included the  
19 stress part also, but that's the intent. We want to  
20 find out, and we also, at least in the staff we  
21 recognize the difference between service reliability  
22 and grid reliability.

23 We're concerned about grid reliability in  
24 terms of what's available to the nuclear power plant  
25 to maintain the safety buses for whatever event, and

1 so we want to know if there is a reason, for example,  
2 in July at a given plant, which maybe is more of the  
3 average, to factor in something to your grid risk  
4 assessments that is not needed at other times of the  
5 years. Maybe there isn't, but that's what we're asking  
6 the question for, is to find out.

7 MR. CAMERON: Does that explanation help,  
8 Dick? And should there be any words added of  
9 clarification along those lines into the GL?

10 MR. RASMUSON: I think that answer does  
11 help, and it's what I perceived by listening to this  
12 whole discussion, but I do believe the GL needs to be  
13 clarified about exactly what question is being asked  
14 and what that means.

15 So for instance, don't tell us about  
16 service reliability issues. What is grid stress? You  
17 know, what is a loop? So that the people that answer  
18 the question that's truly intended.

19 MR. CAMERON: That's great.

20 Yes, sir. It's Dan?

21 MR. GOLDSTON: That's right. Dan  
22 Goldston, South Carolina Electric & Gas.

23 In Slide 4, number four from Dr.  
24 Rasmuson's and Raughley's presentation, they gave some  
25 definitions of loss of off-site power and station

1 blackout, and then later on you seem to imply that the  
2 station blackout definition may be incomplete because  
3 you only address that if the plant was on line.  
4 That's not in the definition in your slide, and--

5 MR. RASMUSON: No, loss of off-site power  
6 can occur at either where the plant is either up or  
7 shut down. It is loss of off-site power to the safety  
8 bus irrespective of whether the plant is up or down.

9 MR. GOLDSTON: That's all safety buses.  
10 Okay. So that's clear on that.

11 Now, station blackout, wasn't that the one  
12 that you did say it mattered?

13 MR. RAUGHLEY: Yes, sir. If you look at  
14 the definition of station blackout in the regulations,  
15 it starts with the turbine trip. It's the loss of all  
16 AC power following the turbine trip. That's when you  
17 have the decay heat. When you shut down, you don't  
18 have much.

19 MR. GOLDSTON: So perhaps it would help me  
20 at least if the definition that we used here was  
21 exactly the same that we used elsewhere in all the  
22 other documents, including the generic letter, because  
23 I just got confused. I didn't realize that there was  
24 that discrepancy.

25 MR. CAMERON: Okay. Is there any reason

1 why we can't be consistent?

2 Okay. Well, I guess the point is taken,  
3 right, Ronaldo? Do you have that?

4 MR. JENKINS: Sure.

5 MR. CAMERON: Okay. Before we go over to  
6 San Onofre, let's go to Paul.

7 MR. GILL: Yeah, I just want to follow up  
8 on the --

9 MR. CAMERON: Paul Gill.

10 MR. GILL: Paul Gill.

11 -- station blackout.

12 PARTICIPANT: NRR.

13 MR. GILL: NRR. Thanks.

14 The definition for station blackout is  
15 loss of all AC power to the safety buses, excluding  
16 the batteries. Okay? So if you have battery power  
17 inverters, they're not part of the station blackout  
18 definition. It's all AC power that is from the off-  
19 site system as well as from the on-site system to all  
20 safety buses.

21 So that's the basic definition that is  
22 used in the rule.

23 MR. CAMERON: Okay. Thank you. Thank  
24 you, Paul.

25 If we need to go for clarification on

1 that, we will. Let's go to this gentleman, Parviz  
2 Moieni from San Onofre. Again, as Dick said.

3 Question 5(c), it seems we are talking  
4 about risk. What is the staff expectation that -- who  
5 is the best group at the nuclear power plant to answer  
6 this question? Do you think this is -- because this  
7 is risk assessment. So usually PRA group has a role.  
8 Do you think PRA group can answer this question or  
9 this should go to the grid people?

10 And what type of data we should look at to  
11 answer this question? Because right now I'm looking  
12 at it, and I thought I could answer this question.  
13 Right now I don't think I can answer this question.  
14 So who is going to answer this question?

15 And a second part of my question is that  
16 maybe they can answer this question. We saw a lot of  
17 viability, seasonal variability and low plant  
18 duration. Do you have information also on the  
19 regional like western grid, eastern grid? Are they  
20 sensitive through the seasonal or this is just an  
21 overall the nation's frequency and duration?

22 MR. ALEXANDER: Let me answer the first  
23 question. The answer is yes to your first question.  
24 In other words, any group at the plant that has  
25 meaningful information to contribute we'd like to get

1 that incorporated into your responses. PRA can answer  
2 part of it. Operations can answer part of it.  
3 Anybody that's got useful information to contribute,  
4 we'd love to hear about it. It doesn't have to come  
5 from one group.

6 MR. CAMERON: Okay, and if you need to put  
7 a finer point on that, maybe we can discuss that off  
8 line with Steve.

9 Quickly, anything on the regional issue?

10 MR. RAUGHLEY: Yes, we do have sorts or  
11 you can sort the data to show the differences between  
12 the eastern Texas and the western interconnection, and  
13 I divided up, you know, had the two NERC bins there,  
14 you know, NERC definitions I've been following.

15 And then the events in the western  
16 interconnection are largely capacity events and events  
17 in the eastern interconnection are largely operating  
18 reliability. So you've got both ends of the spectrum,  
19 depending on where you are.

20 MR. CAMERON: Okay, great. Thank you,  
21 Bill.

22 We're going to take two more questions,  
23 and then we'll break for lunch and we'll figure out  
24 where we are on this when we come back from lunch.

25 But let's go to -- it's Phil and then

1 we'll go to Jennifer.

2 MR. BRADY: Yes, Phil Brady, PPL,  
3 Susquehanna.

4 This one, I'm looking at the data that was  
5 provided on like the grid disturbances, the forecasts  
6 as far as capacity margin, TLRs. All that data is  
7 dated, and I'm not sure how we are going to relate it  
8 to our specific plant and be able to then give any  
9 sort of information back.

10 It appears you've used that to look at a  
11 summer, you know, as being the worst time frame, but  
12 yet it could be very much regional as where the  
13 problem is in the grid, and therefore, you know, the  
14 question may be that when you look at this data, it  
15 would be to get much more specific as far as what  
16 region, what location had the problems with load  
17 flows, had problem with these disturbances to get a  
18 better feel for what we need to be then in our  
19 response.

20 MR. RAUGHLEY: We agree. I just shared  
21 four or five slides. I was told to keep this to 15,  
22 20 minutes, and as I mentioned, I'll give you the --  
23 what we do have is on our Website. It's ML043000125.  
24 So if you want to -- ML043000125.

25 MR. CAMERON: I'll write that on the flip

1 chart, too, for everybody.

2 But let me ask a question of Mr. Alexander  
3 again. In terms of that question, the response you  
4 gave before about as perhaps needs to be clarified a  
5 little bit as you discussed, but your explanation from  
6 before about looking for variations, is that relevant  
7 to this gentleman's question or am I off the mark here  
8 in terms of what we're looking for? Does that help  
9 him out any?

10 MR. ALEXANDER: Well, what we're looking  
11 for is we might be able to, from the data that we get  
12 from each individual plant, in our discussions which,  
13 of course, will be ongoing with Research and with  
14 EPRI, the data that we get or the information that we  
15 get if it's not, you know, in the classical form of  
16 data per se, but any insights that we can gain from  
17 the responses from each individual plant, from that  
18 information we might infer some patterns that could  
19 emerge about regional differences as well, and I think  
20 this question was focusing on regional differences.

21 And we already have some information as  
22 was already said about what some of the different  
23 causes of things are in different regions being  
24 related to operation in one area more so and  
25 historically related to generation capacity losses in

1 other areas.

2 And maybe patterns like that will emerge  
3 when we start to get the information. So the answer  
4 is I guess until we sort of see the data we don't know  
5 if there's going to be a correlation necessarily  
6 that's identifiable region to region.

7 MR. CAMERON: Okay. Thank you very much.

8 And we're going to go to Jennifer for her  
9 comment or question, and then we're going to take a  
10 break. Keep in mind I think Bill said a Website this  
11 -- when you go to our Website, this ML number is an  
12 accession number for the so-called ADAMS system.  
13 Okay? Just in case you might be confused.

14 Jennifer.

15 MS. WEBER: Just real quick, if I'm  
16 understanding what you're trying to accomplish here,  
17 maybe focusing on seasons is predetermining the answer  
18 you're going to get whereas what Mr. Vine said was  
19 things like reserves can be a very important function,  
20 and I'm wondering if I'm understanding it correctly if  
21 what you're trying to get at in C&D is to ask are  
22 there definable periods of inquired risk to off-site  
23 power adequacy, for example, seasonal variations or  
24 low reserves, and -- okay. That's it.

25 Oh, and just to mention that stress on the

1 grid is not necessarily -- having the grid not  
2 stressed doesn't mean you're off-site power is good.  
3 That's important to capture also, is not periods of  
4 grid stress. It's periods of off-site power  
5 vulnerability, I think is what you're trying to get  
6 to.

7 MR. CAMERON: Okay. Thanks, Jennifer.  
8 Thanks for that suggested language, and we'll go to  
9 Steve again, which I think which Jennifer is saying is  
10 consistent.

11 MR. ALEXANDER: Yes. As a matter of fact,  
12 what she's saying is very consistent with the intent,  
13 and perhaps we can, you know, craft some better  
14 language, but the point is that we would like to know  
15 what periods of time during the year, whether they're  
16 related to particular seasonal conditions or not, do  
17 you experience consistently for whatever institutional  
18 or historical reasons a higher probability of problems  
19 with off-site power? And we'd like to know that, and  
20 then we're going to wonder if that needs to be  
21 factored into routine risk assessments at certain  
22 times of the year because you have some reasonable  
23 expectation of the risk being higher at that  
24 particular time for whatever reason.

25 MR. CAMERON: Okay, good. Thank you.

1 I think that was a positive discussion,  
2 and let's not lose track of the long-term  
3 recommendation that Alex Marion brought up at the  
4 beginning of the discussion, but let's go for lunch.

5 I have about 25 to one. So if you can get  
6 back here around 1:30, we'll be on time, but we won't  
7 start exactly at 1:30.

8 (Whereupon, at 12:34 p.m., the meeting was  
9 recessed for lunch.)

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

AFTERNOON SESSION

(1:40 p.m.)

1  
2  
3 MR. CAMERON: Just as a point of order, I  
4 think that was a good discussion on the risk insights  
5 panel. We're going to start with our next panel on  
6 Transmission System Operations.

7 If there are further issue related to the  
8 risk insights panel, we'll pick those up tomorrow at  
9 some point, but we have a distinguished panel, and we  
10 wanted to get them on at the time we said we were  
11 going to get them on, and we're going to go with  
12 Ronaldo Jenkins from the Nuclear Regulatory Commission  
13 who is going to go first. He's with at least at this  
14 point Nuclear Reactor Regulation.

15 Okay, and then we're going to go to Susan  
16 Court, who's the Director of the Office of Market  
17 Oversight and Investigation at the Federal Energy  
18 Regulatory Commission.

19 Next we're going to David Nevius, and he's  
20 the Senior Vice President at the North American  
21 Electric Reliability Council.

22 Then we're going to go to Frank Koza with  
23 PJM, and we're going to finish up with Sam "Jimmy"  
24 Erven from North Carolina, but with the National  
25 Association of Regulatory Utility Commissioners.

1                   And, again, we're going to run through the  
2 panel, and then we'll give the panelists the courtesy  
3 of questions or comments on what the other panelists  
4 said, and then we'll open it all up to you.

5                   So let's start with Ronaldo.

6                   MR. JENKINS: My name is Ronaldo Jenkins.  
7 I'm the Branch Chief of the Electrical Engineering  
8 Branch in the Division of Engineering. I work for  
9 Mike Mayfield.

10                  Just a few remarks. I didn't want to take  
11 up anymore time from the other panelists. The purpose  
12 of this workshop is to hear from you, hear your  
13 comments, any kind of feedback you might have, and  
14 that's sort of why I was kind of holding back, wanted  
15 to jump out of my seat on some of the questions that  
16 were being asked this morning, but that would have  
17 meant less time for you to make your comments.

18                  So I'd just like to encourage you to kind  
19 of let everything hang out, what you feel needs to be  
20 changed, but in order to make any clarifying changes  
21 to the GL, we do need specific comments, and so if  
22 there is language that is confusing that might lead  
23 you to an unintended consequence, please let us know  
24 and we'll certainly factor that into our  
25 deliberations.

1 Thank you.

2 MS. COURT: I wanted to make sure I had  
3 all of the electronics down here correct.

4 Good afternoon, ladies and gentlemen. My  
5 name is Susan Court, and I am, as indicated, the  
6 Director of the Office of Market Oversight and  
7 Investigation at the Federal Energy Regulatory  
8 Commission, and for the purposes of this statement in  
9 this presentation, I'm going to refer to the  
10 Commission, my Commission, as the FERC to avoid any  
11 confusion with your Commission, Ronaldo.

12 I've been a member of the FERC staff for  
13 about 24 years, and have held a variety of positions.  
14 Before becoming the OMOI Director a couple of months  
15 ago, I served as Chief of Staff and had the honor of  
16 signing the memorandum of agreement between the NRC  
17 and the FERC. Accordingly, I'm very pleased to  
18 participate today in this workshop on the proposed GL  
19 on grid reliability.

20 At this time I'd like to introduce two of  
21 my colleagues who will also be available to answer  
22 questions. Mr. Bruce Poole, sitting in the front row,  
23 is an engineer with the FERC's Division of Reliability  
24 in the agency's Office of Energy Markets and  
25 Reliability.

1 Ms. Demi Anas is an attorney with the  
2 FERC's Division of Enforcement in my office, OMOI.

3 As you may know, the FERC is currently  
4 engaged in crafting rules to create an electric  
5 reliability organization or ERO and develop procedures  
6 to establish, approve, and enforce electric  
7 reliability standards.

8 This rulemaking, by the way, is mandated  
9 by the Energy Policy Act of 2005, which we call around  
10 the FERC "EPACT." We're very clever people, we people  
11 at FERC, EPACT.

12 As a member of the FERC's Reliability  
13 Division, Mr. Poole has been involved in that effort,  
14 which is pending final agency action. Mr. Poole was  
15 also very active in the FERC's efforts following the  
16 2003 blackout, which in large part prompted the FERC's  
17 involvement in reliability matters before the passage  
18 of EPACT.

19 Ms. Anas was very instrumental in  
20 developing the FERC's Standards of Conduct, applicable  
21 to electric and natural gas companies subject to the  
22 FERC's jurisdiction.

23 As it is our understanding that the  
24 request to have the FERC participate in this workshop  
25 was primarily sought because of the operation of those

1 standards and their impact on off-site power, I will  
2 briefly describe the standards of conduct and the  
3 provisions that the FERC has made with respect to  
4 nuclear facilities.

5 In November 2003, the FERC issued a final  
6 rule on the standards of conduct for transmission  
7 providers. That's the title of the rule in an order  
8 entitled Order No. 2004. So you'll hear these two  
9 terms used interchangeably, Order No. 2004 or  
10 standards of conduct.

11 The rules became effective on September  
12 22nd, 2004, and the regulations are codified in Part  
13 358 of Title 18 of the Code of Federal Regulations,  
14 for all of the lawyers in the room. I know lawyers  
15 like to know about those CFR things, right? Right.

16 In brief, the standards of conduct govern  
17 the relationship between FERC jurisdictional natural  
18 gas pipelines and electric public utilities, which are  
19 referred to as transmission providers, and they're  
20 marketing and energy affiliates.

21 Now, a very brief FERC 101, the FERC's  
22 jurisdiction is over natural gas companies. The sale  
23 for resale of natural gas in interstate commerce and  
24 the transportation of natural gas in interstate  
25 commerce and also the facilities, natural gas

1 facilities. We have a licensing or certificate  
2 function with respect to natural gas companies.

3 The FERC's jurisdiction with respect to  
4 electric utilities is over the sale for resale of  
5 electric energy in interstate commerce, and over the  
6 transmission of electric energy in interstate  
7 commerce, and because of EPACT, we also have backstop  
8 authority with respect to the siting of transmission  
9 facilities.

10 Anyway, going back to the standards of  
11 conduct again, standards of conduct apply to these  
12 transmission providers. That's natural gas pipelines  
13 and electric utilities and their marketing and energy  
14 affiliates.

15 A marketing affiliate is a transmission  
16 provider's energy sales unit, unless the unit engages  
17 solely in what we would call a bundled retail sale.  
18 Again, FERC's jurisdiction is over wholesale sales.  
19 State commissions have jurisdiction, as Jimmy will  
20 point out to you I'm sure, over retail sales.

21 An energy affiliate is an affiliate of a  
22 transmission provider that engages in or is involved  
23 in transmission transactions, manages or controls  
24 transmission capacity of a transmission provider,  
25 buys, sells, trades or administers natural gas or

1 electric energy or engages in financial transactions  
2 relating to the sale or transmission of natural gas or  
3 electric energy.

4 So generally speaking, the transmission  
5 providers' affiliates, and there are some major  
6 exceptions like local distribution companies that sell  
7 at retail, natural gas at retail are not covered under  
8 this definition of affiliate.

9 Now, the standards of conduct are designed  
10 to prevent these transmission providers from granting  
11 undue preference to their marketing or their energy  
12 affiliates. They require the transmission provider,  
13 one, to function independently from its marketing or  
14 energy affiliates, treat all transmission customers  
15 affiliated and nonaffiliated on a nondiscriminatory  
16 basis, and, three, operate its transmission system in  
17 a way that will not unfairly provide benefit to its  
18 marketing or energy affiliates.

19 Our enabling statutes, by the way, the  
20 FERC's major enabling statutes are the federal PAR Act  
21 from 1935, and the Natural Gas Act from 1983, and  
22 they're rather simple, straightforward statutes. They  
23 basically say that companies can only charge just and  
24 reasonable rates and may not discriminate or unduly  
25 discriminate in the provision of their sales or their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transportation or transmission services.

2 So these rules really are grounded in  
3 these fundamental principles, especially the  
4 prohibition against undue discrimination that's found  
5 in these 1930 depression era statutes.

6 The standards of conduct also require a  
7 transmission provider to insure that employees of its  
8 marketing or energy affiliates have access only to  
9 information available to the transmission provider's  
10 transmission customers, namely information posted on  
11 the company's OASIS, or open access same time  
12 information system.

13 The FERC requires electric transmission  
14 providers to post on the OASIS, their OASIS, a variety  
15 of information to give all users of the open access  
16 transmission system access to the same information.

17 As relevant here, the FERC has adopted  
18 several exceptions to the constraints on communication  
19 between transmission providers and their marketing or  
20 energy affiliates.

21 First, under emergency conditions, a  
22 transmission provider may take whatever steps are  
23 necessary to keep a system in operation. That's a  
24 pretty simple, straightforward proposition. Under  
25 emergency conditions, a transmission provider may take

1 whatever steps necessary to keep a system in  
2 operation.

3 Thus, under the circumstances like those  
4 experienced in August 2003 during the blackout, a  
5 transmission provider would be permitted to engage in  
6 any type of communication and to share any employees  
7 needed to keep the system in operation.

8 Subsequently, the transmission provider  
9 would be required to report to the FERC each emergency  
10 that resulted from any deviation from the standards of  
11 conduct.

12 Also, as a general matter, the FERC  
13 permits a transmission provider to share with its  
14 marketing or energy affiliates information necessary  
15 to maintain the operation of the transmission system,  
16 and this information is defined as information  
17 necessary to operate and maintain the transmission  
18 system on a day-to-day basis, but does not include  
19 transmission or marketing information that would give  
20 the transmission providers market or energy affiliates  
21 undue preference over the nonaffiliated customers of  
22 that company.

23 Of particular note here, the FERC has  
24 explicitly stated -- now say that ten times fast --  
25 the FERC has explicitly stated that this exception

1 covers nuclear plant operators.

2           During the rulemaking proceeding leading  
3 up to the issuance of Order No. 2004, one commenter  
4 expressed concern that nuclear plant operators  
5 belonging to an energy affiliate of a transmission  
6 provider would be prohibited from receiving  
7 information they need to satisfy certain requirements  
8 of the NRC's regulations.

9           The commenter also pointed out that  
10 station blackout rules require that nuclear stations  
11 have real time information on disturbances and  
12 duration of power unavailability under Title 10 of the  
13 CFR, specifically Section 5063.

14           In Order No. 2004, the FERC ruled that the  
15 transmission provider would be provided to share this  
16 type of information with its energy affiliates.

17           The FERC has also permitted transmission  
18 providers to share with generation dispatch employees  
19 information necessary to perform such dispatch  
20 provided that such information does not include  
21 specific information about individual third party  
22 arrangements.

23           In sum, the FERC's standards of conduct  
24 are intended to prevent the communication of  
25 commercial information that would give a company's

1 affiliates an undue advantage in the marketplace.  
2 They are not intended, definitely not intended, to  
3 impede necessary communication between operators of  
4 the transmission systems and nuclear power plant  
5 generators.

6 On behalf of the FERC, Chairman Joseph  
7 Kellaher and other members of the FERC, I thank you  
8 for inviting my colleagues and me to participate in  
9 this workshop, and of course, we'd be happy to answer  
10 any of your questions.

11 MR. CAMERON: Thank you very much.

12 And if you could, please, Dave.

13 MR. NEVIUS: And if you could put my  
14 slides up, please.

15 Thanks, again, to the NRC for inviting me  
16 to be here. I apologize for my voice. I t's either a  
17 change of life or I'm reaching puberty. I'm not sure  
18 which it is.

19 This is an extremely important subject,  
20 and one in which NEC has been involved for some time.  
21 Certainly the August 2003 blackout which has been  
22 mentioned here a number of times drew increased  
23 attention to grid reliability, especially regarding  
24 off-site power for nuclear power plants.

25 I'd like to highlight a few of the things

1 that NERC has done and is involved in today that are  
2 relevant to this issue.

3 Next slide.

4 The four topics I'm just going to touch on  
5 briefly and then hopefully open it up to you for  
6 questions, what we're doing in our reliability  
7 readiness audits and what we've learned from those;  
8 some collaborative studies that we're conducting with  
9 the NRC staff, the status of the off-site power  
10 reliability standard that NERC is developing, and a  
11 study that was done by one of our regions, the  
12 Southeastern Electric Reliability Council on the  
13 transmission nuclear interface.

14 Next slide.

15 On the reliability readiness audit, this  
16 program was initiated in March of 2004 to address  
17 specific issues raised by the August 2003 blackout.  
18 In many respects, this program is similar to the INPO  
19 evaluations program. The differences are that we will  
20 publish or we do publish the results of these audits  
21 on our Website.

22 To date we've conducted audits of well  
23 over 100 regional reliability coordinators, RTOs, ISOs  
24 and other transmission grid operators. Thirty-four of  
25 these by my count have been systems and entities that

1 have nuclear units within their footprints.

2 Early on we added the transmission grid  
3 nuclear power plant interface topic to our audit  
4 questionnaires and to the on-site visit agenda. There  
5 were some good practices that we've identified with  
6 regard to this interface, and some areas for  
7 improvement that we've also identified.

8 Some of the good practices, several  
9 utilities and transmission operators have special EMS  
10 alarms and displays that give a higher category of  
11 importance to situations where post contingency  
12 voltages at nuclear safety buses may fall below tech  
13 spec limits.

14 Also, one utility in particular, which we  
15 cited as an example of excellence, that's American  
16 Electric Power, has a special nuclear power plant  
17 voltage adequacy load flow program that they run every  
18 30 minutes. The details of this are also on our  
19 Website.

20 Some entities set more conservative system  
21 voltage limits at the place where the nuclear plants  
22 are connected to their system, and then lastly, a  
23 number of utilities have rather specific interface  
24 agreements which include individualized voltage  
25 support guidelines.

1           One point that I didn't put on here that  
2 I should have is that a number of these agreements  
3 require regular coordination meetings, sometimes  
4 weekly, at least monthly, between the transmission  
5 grid operator and the nuclear plant operator.

6           Next slide.

7           Some of the things that we found that we  
8 felt were in need of some improvement, and again,  
9 these audits began in the spring of 2004. So some of  
10 these issues have already been addressed, that is,  
11 communication of nuclear power plant voltage  
12 requirements to the transmission system operators.

13           So the operator of the grid knows what  
14 those limits are. Also, more detailed modeling and  
15 monitoring of the post trip voltages at critical buses  
16 in the nuclear power plant using real time contingency  
17 analysis or other similar analysis programs.

18           There are some examples. I think Frank  
19 Koza will talk about one of them where there's some  
20 more detailed modeling of the specific loads in a  
21 power plant so that the grid operator can actually  
22 determine when critical safety bus voltages may fall  
23 below limits under various contingency conditions.

24           And then as Susan Court mentioned,  
25 improved understanding of the code of conduct

1 exceptions for nuclear power plants. That was an  
2 issue that we've heard about in a number of places,  
3 and I'm glad that she was here today to clarify that.

4 All of these readiness audit reports are  
5 posted on our public Website, [www.nerc.com](http://www.nerc.com), pretty  
6 simple.

7 Next slide.

8 I also signed a memorandum of agreement  
9 with the NRC. The basic agreement was signed in  
10 August of 2004, and then I signed four appendices in  
11 June of 2005. One of those appendices is a  
12 coordination plan for the exchange of operational  
13 experience data and information. It describes how  
14 NERC and NRC staffs will communicate and cooperate  
15 regarding the assessment of grid performance data over  
16 time to identify changes, emerging trends, potential  
17 vulnerabilities, local problems, statistics,  
18 probabilistic risk assessments, et cetera.

19 We're working with the NRC staff to  
20 include the nuclear power plant operating parameters  
21 in all regional and interregional study work and  
22 collaborating on these technical assessments of grid  
23 performance, and after the discussion just before  
24 lunch, I think we do need to make sure that this work  
25 looks very closely at how we count things.

1           There's lots of data, but we need to be  
2 smart and intelligent about how things are counted and  
3 categorized.

4           We're also looking to expand some of the  
5 grid models to represent the nuclear power plants in  
6 more detail, and Frank Koza will talk about this pilot  
7 project at Susquehanna Nuclear.

8           The next slide.

9           One of the most important initiatives, I  
10 think, that NERC has underway is developing a standard  
11 on off-site power reliability. NERC was requested to  
12 develop this standard by the Nuclear Energy  
13 Institute's Grid Reliability Task Force because of  
14 changes to grid operation brought about by industry  
15 deregulation and restructuring and because of recent  
16 operating events. Some of these have been touched on  
17 earlier today and are covered in the INPO addendum to  
18 SOER 99-1 and in the topical report TR-440.

19           The standard will address required  
20 coordination between nuclear power plants and  
21 transmission system operators to insure safe operation  
22 and shutdown of nuclear plants. The standard will  
23 have certain requirements that apply to nuclear  
24 plants, to transmission owners and operators, to  
25 transmission planners, reliability coordinators, et

1 cetera.

2 Next slide.

3 The interface requirements covered by this  
4 standard cover off-site power supply to enable the  
5 safe shutdown of the plant during an electric system  
6 or a plant event and avoiding preventable challenges  
7 to nuclear safety as a result of an electric system  
8 disturbance, transient or condition.

9 Here's a list up here on the slide of some  
10 of the things that the standard will cover, and I  
11 emphasized at the bottom that once NERC becomes the  
12 electric reliability organization, which we hope will  
13 happen early next year or some time next year,  
14 compliance with all of these standards, all of NERC  
15 standards, including this one, will be mandatory.

16 We're fortunate today to have Terry  
17 Crawley from Southern Company here. He is the  
18 Chairman of the standard drafting team for this  
19 standard, and when we get into questions, I'm going to  
20 drag Terry up here so that he can answer all of  
21 your -- he's hiding, but I'll drag him up here anyway.

22 The next slide.

23 The first draft of this standard is posted  
24 right now for comment through January 17. Terry asked  
25 me to encourage all of you to look at this standard.

1 You'll see the address on the Website. It's easy to  
2 find if you get to the NERC Website.

3 It's incumbent upon all of you whether you  
4 work in a nuclear plant or you're a grid operator,  
5 even folks in the NRC. We welcome any and all  
6 comments on this standard. I think the way it is  
7 drafted it addresses many of the issues that were  
8 brought out in this morning's discussion.

9 I should say that if things go as we  
10 expect and we get through several drafts of this  
11 standard and we have a ballot of the standard, we  
12 would propose the effective date to be around July 1  
13 of 2007.

14 The last point I want to make is a study  
15 that was done by one of our regional counsels, the  
16 SERC region. I noticed there are several folks from  
17 that region here today both from the nuclear plant  
18 side and the grid operating side.

19 SERC is one of eight NERC regional  
20 liability counsel members, and they launched this  
21 initiative in October of 2004 to investigate the  
22 interface between grid operations and nuclear power  
23 plant operations. It's significant because SERC  
24 includes over 30 nuclear units within its footprint.  
25 The study focused on interface practices, enhancing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 safe and reliable operation of the plants and off-site  
2 power supply, the unique aspects of nuclear power  
3 plant operating requirements, and then to share  
4 noteworthy practices within the region and with other  
5 regions in four areas, which are listed here.

6 Last slide.

7 The white paper, which is somewhat  
8 restricted distribution I understand right now, does  
9 have a number of areas identified for additional  
10 study. They are to investigate the interface with the  
11 large RTOs and independent transmission operators and  
12 independent transmission companies as opposed to the  
13 individual utility transmission operators; to address  
14 code of conduct issues regarding communications  
15 between transmission operators and nuclear plants; to  
16 look at standards for real time tools and model  
17 validation; and finally, training and education for  
18 improved communications between transmission operators  
19 and nuclear plant operators.

20 And I'll conclude by saying I think the  
21 word "communication" was used many, many times today  
22 and it should be used many, many times as we go  
23 forward. There is no substitute whatsoever for  
24 learning what happens in the other person's work  
25 environment.

1           Grid operators need to know what's going  
2           on in a nuclear plant control room and nuclear plant  
3           operators need to know what goes on in a system  
4           operations control room. That would go a long way, a  
5           long, long way to addressing many of the concerns and  
6           issues that we're all here to solve.

7           Thank you very much.

8           MR. CAMERON: (Speaking from an unmiked  
9           location.)

10          MR. KLECKLEY: Okay. Thank you very much,  
11          Chip.

12          And I would also like to thank the NRC for  
13          the opportunity to appear before you this afternoon.

14          I'm going to speak about voltage control  
15          for the nuclear power plants in PJM. It's a topic  
16          that is criss-crossed throughout the generic letter.  
17          Our thoughts and comments about how PJM does it are  
18          mandatory here.

19          I will say this at the top though. This  
20          certainly isn't the only way to do things, and this  
21          just happens to be the PJM way of doing it, and there  
22          are certain other acceptable ways to conduct business.

23          The first slide, please.

24          Just a couple of introductory comments  
25          about PJM. If you could just focus your attention on

1 that pie chart on the right side of the slide, in PJM  
2 nuclear power is approximately 30 percent of the  
3 energy in PJM. So nuclear power is an extremely  
4 important portion of the PJM marketplace.

5 The next slide, please.

6 The next slide kind of indicates all of  
7 the nuclear units in PJM. There are 31 separate  
8 units, and I'm going to touch upon that a little bit  
9 later.

10 The next slide, please.

11 I want to, I guess, pay a small tribute  
12 here to the people within PJM who do most of the work,  
13 and it's not necessarily PJM. We have a very active  
14 group of the nuclear generation owners. That group  
15 meets on a monthly basis. We have active  
16 participation from all of our nuclear owners, and a  
17 lot of the things and improvements that PJM has been  
18 able to put in place have been at the encouragement  
19 and support of our nuclear owners.

20 The process basically is the nuclear  
21 owners work with the PJM staff and our operating  
22 committee. Our operating committee is basically the  
23 non-nuclear generators plus the transmission owners in  
24 PJM.

25 Any kind of new requirement that the

1 nuclear generation owners would bring forward are  
2 vetted through that committee structure, discussed  
3 with all of the parties and then agreed to and then  
4 entered into the PJM manuals.

5 Next slide, please.

6 Okay. This is basically our obligation to  
7 the nuclear power plants with respect to voltage  
8 control. We're to operate the system within limits,  
9 and even if the nuclear power plant has more  
10 restrictive limits, we're to operate to those limits  
11 as well.

12 The tools we use, real time contingency  
13 analysis, a real time contingency analysis application  
14 is basically running 4,000 separate contingencies in  
15 PJM and it runs about every minute.

16 Beyond that, we are reactively limited in  
17 PJM, which means there's a finite amount of transfers  
18 we can reliably handle going from west to east across  
19 the system. Therefore, we have a second application  
20 called transfer limit calculator that is running every  
21 five minutes and basically calculating the maximum  
22 amount of transfers we can handle from the west to  
23 east perspective.

24 Now, beyond those tools, and Dave  
25 mentioned in his talk we are I'll say peeling the

1 onion back one more layer with respect to the modeling  
2 of the nuclear power plants. We're working with PPL,  
3 Susquehanna, and what we're going to try to do there  
4 is beyond the real time contingency analysis. We're  
5 going to go deeper into the plan and basically model  
6 the emergency buses at Susquehanna and for the purpose  
7 there of running and making sure that we're able to  
8 handle even post accident loads in a reliable manner.

9 Next slide please.

10 These two slides or this slide basically  
11 summarizes the voltage standards in PJM. The one  
12 that's in the upper left are really our baseline  
13 voltage limits, and they apply to all facilities in  
14 PJM.

15 The one in the lower right are basically  
16 documents, our actions that we take for any kind of  
17 voltage situation. So all of these things are well  
18 documented, well understood, all published, all public  
19 information that both the nuclear power plants, PJM,  
20 and all of the market participants know about.

21 Next slide, please.

22 In one of our PJM manuals, that being  
23 manual M3, transmission operations, and the link for  
24 that is at the bottom of the page here, it outlines  
25 the mitigation protocols that we have in place for

1 nuclear power plant voltage limits. Basically it's a  
2 three-step process. There's a lot of communication,  
3 and the communication goes from PJM to the  
4 transmission owner who is connected to that plan, and  
5 then out to the plan itself.

6 A lot of communication, a lot of  
7 information being shared.

8 The second aspect of this procedure is  
9 that we do respect the special needs of the nuclear  
10 power plant to have the actual voltage information.  
11 So to dovetail Susan's comments, we've made exceptions  
12 here for the idea that we need to share additional  
13 information to the nuclear power plants that we  
14 ordinarily would not share with others.

15 And the final thing is taking action. We  
16 were one generation out of its economic merit order.  
17 If we are in a situation where we are at least  
18 simulating a violation of the voltage limit, so we'll  
19 do what we need to do in the economic dispatch to take  
20 care of those things.

21 Next slide, please.

22 I do have one example here. This happens  
23 to be the Exelon example. We have a number of combat  
24 area nuclear power plants. This basically summarizes  
25 the process that we go through right now with Exelon

1 to manage.

2 They have a series of higher voltage  
3 requirements than the baseline that I showed you  
4 earlier. Anyway, PJM builds the conditional  
5 contingencies in our real time contingency analysis to  
6 monitor post contingency voltage.

7 Then we were running, as I mentioned, we  
8 were running this calculation about every minute. If  
9 we determine that we'll have a simulated violation, we  
10 will contact through the transmission owner a person  
11 on the Exelon staff who's the nuclear duty officer.  
12 This is an on-shift nuclear person who will have the  
13 decision making authority.

14 Once that person is contacted and made  
15 aware of the voltage situation, they can either  
16 authorize us to run a generation or they can take  
17 action at the nuclear power plant to mitigate the  
18 problem, and down at the bottom side, if the NDO does  
19 authorize generation, then PJM will put additional  
20 generators on as necessary to mitigate that post  
21 contingency voltage within limits.

22 And if the limit is violated, then Exelon  
23 goes into an LCO until the post contingency voltage is  
24 brought within limits. Like I say, that's an example  
25 of the actual practice we're using for the Exelon

1 plants in the combat area.

2 Next slide, please.

3 Just a couple of words about our outage  
4 coordination process. Maintenance risk assessments  
5 are mentioned significantly in the generic letter. A  
6 process in PJM is that the plan outages are submitted  
7 many times almost a year ahead of time to PJM. A  
8 consideration is made and PJM has the ability to, I  
9 guess, accept the request of any kind of outage  
10 request. I'm sorry. We can accept or reject any  
11 outage request.

12 And then the real activity begins like one  
13 to seven days from the start of the outage where a  
14 repeating set of analyses are run to make sure that  
15 given the configuration of the grid and the situation  
16 with regard to economic dispatch, that we can still  
17 accommodate that outage reliably.

18 And then on the outage start date a final  
19 analysis is done right before the equipment is  
20 switched out of service to insure that we can handle  
21 that out age reliably. So there's a whole multiple  
22 step process that goes into place to make sure that we  
23 can accommodate nuclear outages reliably.

24 Next slide, please.

25 Now, I want to shift gears a little bit

1 here in the spirit of Ronaldo's comments about  
2 providing feedback about the generic letter. I've got  
3 a series of questions here, and the format of these is  
4 the italicized part are the words out of the draft  
5 generic letter, and then I posed some questions, and  
6 I just want to mention that this comes from the  
7 perspective of the grid person who doesn't necessarily  
8 know the details of the intent, I'll say, of the  
9 nuclear regulation, but like I say, I would just like  
10 to offer these up as questions as I'll say an  
11 uneducated grid person looks at the generic letter.

12 The first topic, degraded grid reliability  
13 conditions, and I know in the generic letter there is  
14 a definition provided of what that means, but that  
15 definition, if you will, is kind of in nuclear terms.  
16 So as I step back and look at that, the questions that  
17 I have are kind of in the middle there.

18 Could a degraded grid reliability  
19 condition be any kind of circuit breaker maintenance  
20 in the substation? Could it be outages of any  
21 adjacent transmission lines? Could it be any routine  
22 maintenance on the protection systems? Could it be  
23 any high load conditions?

24 I would submit to you that any one of  
25 those activities in some fashion increases the risk

1 for the nuclear power plant. The question is  
2 interpretation. You know, the intent of the generic  
3 letter was to address things like that.

4 And my further question is and who decides  
5 that. I believe the generic letter places that in the  
6 hands of the licensees to decide, and my only question  
7 there is the licensee may not be a good judge of the  
8 grid risk, and I can tell you for sure that we aren't  
9 a good judge of the nuclear power plant risks. It  
10 gets back to kind of Dave's point. There has got to  
11 be significant communication here.

12 And, I guess, my point here would be that  
13 maybe there's some further definition of these points  
14 that needs to be in the generic letter because  
15 conceivably you could take somewhat extreme  
16 interpretations of that term.

17 Next slide, please.

18 The next topic is about basically when to  
19 do maintenance, and I guess it kind of puts on the  
20 licensee the responsibility to potentially reschedule  
21 maintenance based on degraded grid conditions.

22 I think in the earlier sessions this  
23 morning we talked about -- and I don't want to get  
24 into that discussion about whether there's more risk  
25 in the summer or not -- but anyway, you could get to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the situation where -- and I'm going to jump to the  
2 bottom one -- you would not do maintenance in a high  
3 load scenario. That is, in the winter or the summer  
4 when there's high peak loads, you would not do any  
5 maintenance at all.

6 The flip side of that is -- and those of  
7 you who are involved in the grid know this, I guess --  
8 in the maintenance season in the spring and the fall  
9 there is a lot of equipment out of service, a whole  
10 lot of equipment, and I guess if you're looking at it  
11 from a risk perspective, that's also a risk factor.  
12 Is the grid degraded, so to speak, in that facilities  
13 are out of service that you would not entertain doing  
14 nuclear maintenance in those periods.

15 So you can do the math there. If you take  
16 the spring and the fall and the winter and the summer  
17 away, that doesn't give you much time left.

18 So I don't want to be, you know, trite  
19 about that, but I mean, you do have to be -- there's  
20 a consideration to think about the ability to do  
21 maintenance and to do it with the minimal amount of  
22 risk.

23 Next slide, please.

24 The next topic I want to just briefly talk  
25 about is formal agreements. One could interpret the

1 words in the generic letter to assume a separate  
2 agreement, if you will, between each nuclear power  
3 plant and their transmission owner. All I would tell  
4 you about that is in PJM what we have is like umbrella  
5 agreements that each member of PJM signs, is legally  
6 bound to, and establishes the requirements in our PJM  
7 annual for compliance.

8 So I just would offer out to the staff  
9 that hopefully you're open to that kind of an  
10 agreement kind of scenario as opposed to either  
11 bilateral or trilateral agreements between the nuclear  
12 power plant owner and the transmission owner and  
13 potentially the TSO.

14 Next slide, please.

15 The next topic has to do with the periodic  
16 check-in. I know as was mentioned, I guess, from Dick  
17 from -- I'm sorry. You mentioned that this morning,  
18 whether there has to be a periodic check-in.

19 In reading the words, I was also concerned  
20 about that in that it does seem to imply that the  
21 nuclear power plant should be calling their  
22 transmission system operator on a periodic basis to  
23 make sure everything is okay, so to speak.

24 I just put the numbers up there. We have  
25 31 plants. We have eight owners. We have 16

1 transmission owners. We really don't need to put a  
2 call center in place for the transmission owners, and  
3 as funny as that sounds, I just hope that exception  
4 reporting in our minds would be the way to go here and  
5 not, in essence, calling periodically to make sure  
6 everything is okay, and I just hope that the NRC folks  
7 are --

8 (Applause.)

9 MR. KLECKLEY: Thank you.

10 I hope they're in favor of that as a way  
11 to go.

12 My last slide has to do with the  
13 recommendations in Reg. Guide 1.155, and I guess it  
14 talks about what I'll call local power sources that  
15 could be put into play here in a restoration activity.  
16 The point I wanted to make here was it's very  
17 difficult, I guess, to guess or analyze every  
18 conceivable restoration scenario. In a situation  
19 where the nuclear power plant is located immediately  
20 adjacent to some other kind of black start facility  
21 that could be used in a restoration, I think that's  
22 pretty easy to work with.

23 The thing is though and the point I want  
24 to make was there are so many combinations of what  
25 could be in service, out of service, available, not

1 available so that in the restoration scenario, it's  
2 too simple to say that you're immediately adjacent  
3 generators would be employed to facilitate your  
4 restoration.

5 In PJM we already give deference in our  
6 procedures in our manuals to the importance of  
7 establishing feeds into the nuclear power plants.  
8 They go basically to the top of the list, and I just  
9 want to be cautionary about the idea of specific  
10 generators being tied to certain restoration  
11 scenarios.

12 I think this is way too complicated a  
13 picture to deal with in that situation. If you look  
14 at even the August '03 blackout, there were portions  
15 of the system on the edges that were very strong and  
16 could be immediately employed to start the restoration  
17 procedure, and we just have to be careful about that.

18 I think a lot of the restoration  
19 literature has been based on a total blackout in a  
20 very wide area, and I think what we've seen most  
21 recently is that there are portions of this system  
22 that are strong around the areas that are blacked out  
23 and can really accelerate the restoration activities  
24 that way.

25 So my guidance here or my thought is not

1 to be necessarily so specific about how the  
2 restoration would be conducted, except to say that we  
3 want to give deference to the nuclear power plants in  
4 the restoration scenario.

5 And with that I will conclude and  
6 certainly be happy to answer any questions that you  
7 have in the other period.

8 MR. CAMERON: Thank you, and I know we'll  
9 be going back to those thoughts. (Speaking from an  
10 unmiked location.)

11 MR. ERVEN: Thanks, Chip.

12 As has been said several times, my name is  
13 Sam Erven or Jimmy Erven. I'm a member of the North  
14 Carolina Utilities Commission. I also serve as  
15 Chairman of the Committee on Electricity of the  
16 National Association of Regulatory Utility  
17 Commissioners and since everything has an acronym,  
18 ours is NARUC.

19 In addition, I also served as chairman of  
20 the nuclear issues and waste disposal subcommittee of  
21 the NARUC electricity committee from late 2002 until  
22 early last year.

23 I'm speaking today on behalf of NARUC and  
24 do want to thank the NRC for the opportunity to come  
25 today and be with you.

1 NARUC, for those of you who don't know, is  
2 the national organization of the state commissions  
3 responsible for economic and safety regulation over  
4 the intrastate operations of regulated utilities. So  
5 as Susan said, we do the intrastate retail regulation  
6 in general. They do the interstate wholesale  
7 regulation. It's not always easy sometimes to find  
8 where the line is there, but those are sort of the  
9 black letter law principles that we all follow.

10 NARUC's members have the obligation under  
11 state law to insure the establishment and maintenance  
12 of such energy utility services as may be required by  
13 the public convenience and necessity, as well as  
14 insuring that such services are provided at just and  
15 reasonable rates.

16 Our members include the governmental  
17 agencies in the 50 states, the District of Columbia,  
18 Puerto Rico, and the Virgin Islands charged with  
19 regulating rates, terms, and conditions of service  
20 associated with the intrastate operations of electric,  
21 natural gas, water, and telephone utilities. So we're  
22 kind of generalists. We're not specialists like  
23 virtually everybody else here is.

24 The statement that I'm going to give you  
25 today is an update of one that was provided to the NRC

1 by my colleague Commissioner Burt Garvin of Wisconsin.  
2 On that occasion he described a resolution for state  
3 action on mandatory reliability standards, which NARUC  
4 adopted on February 16, 2005.

5 That resolution encouraged state  
6 commissions to consider making compliance with  
7 existing NERC reliability standards mandatory under  
8 state law. We adopted this resolution because at that  
9 time, and for some considerable time before that,  
10 Congress had not passed legislation authorizing the  
11 development and enforcement of mandatory reliability  
12 standards.

13 NARUC has consistently supported  
14 legislation that would result in the implementation of  
15 a mandatory reliability regime, given the interest  
16 that all state commissions share in the preservation  
17 of a reliable bulk power system.

18 As you know, the Energy Policy Act of 2005  
19 -- and we call it EPACT, too -- was signed into law on  
20 August 8, 2005. Section 215 of the Federal Power Act,  
21 which was enacted as part of EPACT, provides for the  
22 creation of the electric reliability organization that  
23 both Susan and David referred to.

24 The ERO under this law would have the  
25 authority to adopt and enforce mandatory reliability

1 standards. NARUC, as we've said a number of times,  
2 applauds the adoption of this reliability provision,  
3 and we have attempted to assist in its implementation  
4 to the greatest extent possible.

5 On September 1, 2005, the FERC -- and I'm  
6 going to call them "FERC" because that's just the way  
7 I do it -- issued a notice of proposed rulemaking for  
8 the purpose of developing rules governing the  
9 operation and approval of an ERO as contemplated under  
10 Federal Power Act Section 215. In the NOPR, the FERC  
11 proposed regulations addressing a wide variety of  
12 issues, such as the criteria that an entity must  
13 satisfy to qualify as an ERO, the procedures that must  
14 be followed in an enforcement action by the ERO and by  
15 FERC.

16 The criteria under which the ERO may agree  
17 to delegate authority to propose enforced reliability  
18 standards to a regional entity in the manner in which  
19 the ERO should be funded.

20 Prior to the issuance of the NOPR, NARUC  
21 was glad to participate with certain other interested  
22 parties in an attempt to try to work out some of these  
23 issues in advance, and I think most people believe  
24 that was a fairly useful preliminary process.

25 On October 7th of 2005, NARUC filed

1 comments addressing the issues raised in the  
2 reliability NOPR. In our comments we urged the FERC  
3 to recognize that the NERC currently develops minimum  
4 national reliability standards through an open  
5 stakeholder process; that there are differences in the  
6 design of the bulk power system in different parts of  
7 the country; that regional reliability organizations  
8 currently implement the national standards promulgated  
9 by NERC in a manner consistent with regional  
10 conditions; and that the FERC should build on the  
11 existing structure in implementing the new reliability  
12 legislation.

13 Although NARUC recognized that existing  
14 regional reliability organizations are going to have  
15 to adopt and implement certain changes in their  
16 operations in order to be eligible to receive  
17 delegated authority from the ERO, we urge the FERC to  
18 allow the existing regional reliability organizations  
19 the opportunity to transform themselves into the  
20 regional entities envisioned by the EPACT in order to  
21 preserve the existing storehouse of regional  
22 reliability information and to provide continuity to  
23 the new organizations.

24 The logic behind our emphasis upon the  
25 importance of preserving a significant role for

1 regional entities, I hope, is obvious. Historically  
2 regional standards criteria and rules had gone beyond  
3 the bare minimum level needed to prevent cascading  
4 blackouts and have attempted to provide other  
5 reliability requirements intended to insure that local  
6 problems didn't develop into major ones as a result of  
7 the intention.

8 The current allocation of responsibilities  
9 recognizes that a national organization lacks the  
10 detailed local knowledge of system events and  
11 conditions necessary to effectively implement and  
12 enforce reliability standards that exist at the  
13 regional level.

14 Similarly, a national organization lacks  
15 the regional knowledge of local system design,  
16 demographics and requirements necessary for customized  
17 regional reliability rules.

18 As a result, while NARUC fully supports  
19 enforcement of the provisions that call for the  
20 adoption and enforcement of minimum national  
21 reliability standards, NARUC also believes that the  
22 differences among regions necessitate a significant  
23 role for regional entities and that FERC should  
24 recognize this fact in the final rule that's adopted  
25 in the reliability rulemaking.

1           Our participation in the reliability  
2 rulemaking proceeding has not been limited, however,  
3 to the filing of comments. On December 9, 2005, the  
4 FERC held a technical conference that dealt with the  
5 reliability issue, and we were privileged to be  
6 permitted to participate in that proceeding. My  
7 colleague, Commissioner Alan Freifeld of Maryland gave  
8 a statement on behalf of NARUC at that time, and he  
9 stated that the states have a significant role to play  
10 in the maintenance of reliable electric service, and  
11 pointed out the provision in EPACT that specifically  
12 preserves the rights of states to act to insure the  
13 safety, adequacy, and reliability of electric service  
14 within the state's boundaries, as long as that action  
15 is not inconsistent with the reliability standard  
16 developed by the ERO and approved by FERC.

17           As a result, in our view at least,  
18 responsibility for the maintenance of a reliable bulk  
19 power system is shared among state, regional, and  
20 federal and national authority.

21           We look forward to the adoption of the  
22 FERC's reliability rules and hope we'll be able to  
23 continue to participate constructively in the process  
24 of implementing this very important piece of  
25 legislation.

1           In our statement last year, we informed  
2           you that there's a close relationship in many ways  
3           between NARUC and NERC. For several years, a number  
4           of our state commissions have actively participated in  
5           the NERC standard development process. We have tried  
6           to encourage more of that in recent years and adopted  
7           a resolution that was approved by the NARUC Board in  
8           July of last year that called on states to join the  
9           NERC registered ballot body and to participate in the  
10          development of and the casting of informed votes on  
11          electric reliability standards applicable to the bulk  
12          power system.

13                 Since NARUC adopted that resolution, at  
14          least two other state commissions have taken the steps  
15          necessary to participate in NERC's standard  
16          development processes. NARUC believes that state  
17          participation in the development and approval of  
18          reliability standards will and should continue in the  
19          future.

20                 At present NARUC and its members actively  
21          participate in NERC in several ways. NARUC and  
22          various states are active observers of NERC's  
23          activities. NARUC and at least several individual  
24          states are registered as voting members of NERC.

25                 The states have two representatives on

1 NERC's standards authorization committee, which  
2 develops reliability standards. States have two  
3 representatives on NERC's compliance and certification  
4 committee, which is the enforcement arm of NERC.

5 The states also have representatives on  
6 such NERC standing committees as the planning  
7 committee and the operating committee. State  
8 regulators and staff also participate in regular NERC  
9 briefings that are held by Webcast. Recent briefings  
10 have focused on questions such as proposed changes to  
11 NERC's reliability standards and industry compliance  
12 with existing standards.

13 Finally the states have representatives on  
14 the NERC stakeholder committee.

15 In addition to our activities within NERC,  
16 we also participate in the activities of the North  
17 American Electric Standards Board, which for those of  
18 you that don't know what NAESB is, it's a body that  
19 attempts to develop uniform business practices for  
20 electric and gas industries.

21 Within NAESB NARUC has attempted to insure  
22 that the standard business practices that are  
23 developed by that organization don't undermine  
24 reliable bulk power system operations.

25 Finally, as we indicated in April of last

1 year when Commissioner Garvin was here, the National  
2 Regulatory Research Institute, which is affiliated  
3 with NARUC, had performed a survey about individual  
4 state actions to insure liability at the distribution  
5 level. A written version of these remarks is, I  
6 think, somewhere floating around the room and there's  
7 a summary of the survey results that are available if  
8 anybody is interested in looking at them.

9 Chip, that concludes my prepared remarks.  
10 If we haven't totally anesthetized everybody by this  
11 point, I'll be happy to answer any questions that  
12 anybody may have.

13 MR. CAMERON: Okay. Thank you, Jimmy.

14 And thank all of you.

15 You just heard a lot of valuable  
16 information about grid reliability, and it goes beyond  
17 the immediate issue of discussion, which is the  
18 generic letter, but we do have the experts, the  
19 resources here. So I would just say take advantage of  
20 that if you have questions about grid reliability  
21 generally.

22 But we are here to discuss the generic  
23 letter and Frank Koza was kind enough to give us some  
24 specific examples of some language in the generic  
25 letter that may be problematic. So don't lose that

1 focus.

2 I would give the panel an opportunity for  
3 any questions between panelists, including any  
4 comments that any of you might have on Frank Koza's  
5 slides, and maybe just in anticipation, if we could  
6 just put the last three or four slides from Frank  
7 Koza's presentation up there in case we need them.

8 But, panelists, anything? Ronaldo, you  
9 have something?

10 MR. JENKINS: Yes, I have a few questions.

11 Susan, I'd like to thank you for your  
12 presentation on the standards of conduct. At the  
13 February 2005 INPO, EPRI, NEI workshop in Atlanta  
14 there was quite a bit of comments from the  
15 participants basically say that, you know, FERC rules  
16 prohibited us from sharing information, and I was just  
17 going to follow that up with a question.

18 Is there anything with respect to the  
19 generic letter that the FERC rules prohibit the  
20 nuclear power plants from getting that information  
21 from the transmission system operators?

22 MS. COURT: Actually I can't speak to the  
23 generic letter itself because our participation, as  
24 you may know, was relatively late, and so as far as  
25 actually studying the generic letter, vis-a-vis our

1 specific requirements, I can't speak to that, and I  
2 apologize for that. I don't think my colleagues can  
3 either because I don't think we have really had the  
4 opportunity to look at it from that perspective.

5           However, I don't know where they were  
6 coming from, to tell you the truth. Because my  
7 understanding from what the RECD has said about this,  
8 there should be no impediment in communication between  
9 the nuclear plant and their affiliates.

10           So maybe there was just a general  
11 statement like that. It's hard to kind of address,  
12 but the FERC specifically addressed that concern in  
13 one of its iterations on those topic.

14           Order No. 2004 was not just a single  
15 order. It was actually a combination of orders that  
16 were issued over a year and a half period. So maybe  
17 they missed that version. I don't know.

18           MR. JENKINS:       Thank you for that  
19 clarification.

20           MR. CAMERON:   And Ronaldo, before you go  
21 on, let me ask whether David or Frank has anything  
22 that they want to add on on that issue.

23           Okay. Thank you very much, Susan.

24           MR. JENKINS:   You had a slide up there  
25 that basically indicated that standard would be

1 mandatory compliance. Is that mandatory for nuclear  
2 power plants? And exactly how does that dovetail with  
3 regulatory requirements?

4 MR. NEVIUS: Well, as the DRO if we  
5 establish a standard which we submit to FERC and the  
6 provincial regulators in Canada for their approval,  
7 once that approval is given, the standard is  
8 applicable to all of the NDs that are called out in  
9 the standard.

10 In this particular case, the draft calls  
11 for compliance with the standard by generation owners,  
12 transmission order, operators, et cetera. So, yes, it  
13 would apply to nuclear generator ownership and  
14 operators.

15 MR. JENKINS: Is there any deference to  
16 NRC requirements or do you consider them above and  
17 beyond?

18 A similar question that you had this  
19 morning about INPO's standards of conduct being  
20 higher.

21 MR. NEVIUS: Yeah, I don't think there's  
22 anything inconsistent. Terry, don't hide behind your  
23 pad this time. There's nothing inconsistent in the  
24 draft standard with NRC requirements as far as I can  
25 tell. Do you?

1 MR. CRAWLEY: No. The intent is to  
2 actually reinforce that so that mainly the primary  
3 responsibility the nuclear power plant owner has in  
4 this is, number one, to clearly communicate its  
5 requirements to the transmission planners, operators,  
6 and so forth so that they understand them. Okay?

7 As Dave mentioned, I think a lot of the  
8 problems have been just communications or maybe lack  
9 of understanding of communications because  
10 communications were not concise, and of course, this  
11 involves more than just written. You know, you can  
12 have a requirement to have a written agreement, but  
13 you can only put so much detail into that agreement.

14 So the standard is not intended to go to  
15 that level of detail, but it's really to get the two  
16 or three or four -- actually there are going to be  
17 multiple parties as you well know now with the way the  
18 deregulated industry is structured. So it's to bring  
19 those parties together to make sure that those  
20 requirements, whoever they apply to on the  
21 transmission side, are clearly communicated

22 Now, obviously, the nuclear plant owner  
23 has other responsibilities as well, such as related to  
24 the maintenance rule as far as communicating that type  
25 of information.

1           So we've tried to cover all of that within  
2 the standard really, as you said, to dovetail the  
3 regulatory requirements back into the transmission  
4 side so that they get factored into and not overlooked  
5 by the transmission planners and operators when  
6 they're doing their thing.

7           So we'll take a second look at it, but I  
8 don't see anything at this point.

9           MR. CAMERON: Okay.

10          MR. CRAWLEY: Anyone else who's involved  
11 on the development of the standard, if you have any  
12 thoughts on that, please speak up.

13          MR. CAMERON: Okay, and that's Terry  
14 Crawley.

15          MR. CRAWLEY: Sorry. Terry Crawley. I'm  
16 with Southern Company Generation, representing  
17 Southern Nuclear here.

18          MR. CAMERON: Thank you, Terry.

19          MR. JENKINS: You'll be hearing from us  
20 regarding our comments on the standard.

21          MR. NEVIUS: Ronaldo, one point because it  
22 came up in discussion this morning. One of the  
23 specific requirements placed by this standard on  
24 transmission NDs is to inform nuclear plant entities  
25 when the transmission entity loses the ability to

1 assess the operation of the transmission system  
2 affecting the nuclear plant interface requirements.

3 And that was brought up specifically this  
4 morning. So basically if Frank loses his eyes and  
5 ears on what's going on in the system, he would be  
6 obligated to let the nuclear plants know that he can  
7 no longer tell what their post contingency voltages  
8 would be, right?

9 MR. JENKINS: And, Frank, what would your  
10 response then be?

11 MR. KOZA: Well, we've got two responses.  
12 First, if we lose our EMS system, we have a backup EMS  
13 and a back-up control center. So we would relocate  
14 the operating staff for that backup control center,  
15 fire up the backup EMS, and probably be in business  
16 within like 30 minutes.

17 Now, within that 30 minute period, we also  
18 have our transmission owners who run the same kind of  
19 software that we do, can do those calculations, and we  
20 would basically hand off to them those calculations  
21 and make sure that they informed the nuclear power  
22 plants until you're up and running again.

23 MR. JENKINS: Okay. One other question  
24 for you, Frank. In terms of action levels, emergency  
25 action levels that you outlined there, is the role in

1 blackouts or load shedding actions that will be taken  
2 -- that's considered an off normal?

3 MR. KOZA: Well, I think actually July  
4 27th would be a good example to just step through  
5 briefly. July 27th we ended up calling a five percent  
6 voltage reduction in Washington and Baltimore.

7 One thing we do have is we do have a  
8 Website that publishes all of the emergency  
9 procedures. So anybody, you know, the general public  
10 can see all of that stuff.

11 We communicated heavily with both our  
12 transmission owners and the generation owners on that  
13 day about what we were facing in this area, and even  
14 though we had a lot of capacity to the west of us, we  
15 had difficulty delivering into Washington and  
16 Baltimore.

17 So to me that's the more likely scenario  
18 of an emergency situation. At no time were any of the  
19 nuclear power plants in this area at any kind of risk.  
20 We did at one time consider if the load continued to  
21 increase, and if you'll remember that day I think it  
22 was like 98 degrees here and so on, but basically  
23 we're in a situation where the next step we would have  
24 considered would have been a load shed, but we would  
25 have done the load shed to protect the reliability of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the system.

2 MR. JENKINS: Okay. Thank you.

3 MR. CAMERON: Ronaldo, is that the extent  
4 of your questions of the panelists?

5 MR. JENKINS: yes.

6 MR. CAMERON: Any of you want to talk to  
7 any of the others before we go to the audience?  
8 Susan.

9 MS. COURT: I don't want to talk, not that  
10 I wouldn't want to talk to you gentlemen. I'm sure it  
11 would be a very interesting conversation.

12 (Laughter.)

13 MS. COURT: The one thing I just thought  
14 I'd mention because I can now mention it even as I  
15 speak, the FERC is issuing a press release indicating  
16 that it's going to consider the ERO rule at a special  
17 meeting on February 2nd. So for timing for the ladies  
18 and gentlemen in the audience, you might be interested  
19 in that rule that Jimmy just described and also has  
20 been mentioned by several of us here, will be  
21 considered by the FERC on February 2nd.

22 MR. CAMERON: Okay. Thank you very much,  
23 Susan.

24 Let me ask all of you. Our agenda called  
25 for a break at 2:45. Of course, that was based on

1 coming back at 12:30. I think we're going to go on  
2 for a while before we take a break if that's okay with  
3 everybody.

4 And I know that some of our panelists have  
5 planes, et cetera, et cetera. So let's try to take  
6 advantage of them being here.

7 So I'll open it up to all of you. Let's  
8 go to Mr. Thorson.

9 MR. THORSON: James Thorson from Detroit  
10 Edison.

11 I have a question, I guess, for Frank.  
12 It's related to my previous question, and that is, you  
13 know, if I get a phone call from yourself saying,  
14 "Gee, we've lost our RTCA," what kind of actions would  
15 you expect the utility to have the capability of doing  
16 in the event of that notification?

17 MR. KOZA: I can tell you the transmission  
18 owners at PJM all have real time contingency analysis  
19 and are doing virtually the same calculations that we  
20 are. Obviously we're focused on the bulk power  
21 system. They are focused on the lower voltage, but  
22 I'm pretty confident all of them can duplicate the  
23 post contingency voltage calculations at the nuclear  
24 plants that are necessary.

25 MR. THORSON: So we're being required to

1 ask the next question, which is: what if they can't?

2 MR. KOZA: You mean if we lost both>

3 MR. THORSON: Yes, sir.

4 MR. KOZA: Well, I guess that's where you  
5 go into your LCO and that kind of thing.

6 MR. CAMERON: Can I just check that  
7 assumption that Mr. Thorson put out there when you  
8 said we're being required to go beyond that? Can you  
9 -- being required by what?

10 MR. THORSON: Well, if you look at I  
11 believe it was two, "Charlie," but I don't have my  
12 notes here, there seems to be a strong suggestion that  
13 in the event of loss of the total RTCA, that the  
14 utility is required to perform an operability  
15 determination, and I guess I'm deeply struggling with  
16 what we would do in that operability determination  
17 because we do not have the capability to duplicate  
18 your either regional or local RTCA.

19 MR. CAMERON: Is this your question about  
20 operability versus risk? Ronaldo, can we?

21 MR. JENKINS: Well, I guess the main point  
22 of that question is going back to essentially the  
23 first question, which is that the first question says,  
24 well, I have agreements. I have communication with my  
25 transmission system operator who is acting for me to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically make that operability determination for me.

2 They are saying that they are providing me  
3 with off-site power, and that off-site power will meet  
4 my needs.

5 Then if you run into the situation where  
6 a tornado or some other catastrophic event takes them  
7 out, then the nuclear plant is sitting there  
8 operating, and the question is: well, what is the  
9 change in status?

10 Now, you know, there is this discussion on  
11 the real time contingency analysis versus anything  
12 else. If you are using something else, then we would  
13 like to know what that something else is, and I want  
14 to stay away from trying to tell you what the answer  
15 is or what we specifically would say, "Okay. You  
16 should come back to us with this particular answer."

17 But there have been examples, for example,  
18 Southern Cal Edison, where they use nomograms. They  
19 have analyzed and basically developed an envelope in  
20 which their plant operates within, and as long as they  
21 stay within that envelope, then they're okay, and so  
22 if in a situation that you lost your computers, then  
23 we go as engineers back to our manual, more primitive  
24 types of calculations that we use, that we rely on.  
25 So that would probably be an example of something that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be okay.

2 Does that answer your question?

3 MR. CAMERON: This is the issue, and we're  
4 going to go here now. Obviously it's an appropriate  
5 time. This is the issue that Mr. Thorson brought up  
6 before, that there was a lot of murmuring on after we  
7 heard the NRC response to it that's in the parking  
8 lot. Let's keep going with this and see if we can  
9 illuminate it a little bit more.

10 Yes, sir.

11 MR. JURY: Yeah, Keith Jury from Exelon.

12 The question on inoperability evaluation,  
13 I mean, obviously we had a discussion very early this  
14 morning that not all plants have an RTCA or analogous  
15 system, and the generic letter does -- I agree with  
16 Mr. Thorson -- it does imply that if you do an RTCA  
17 and it does become unavailable, that there's an  
18 expectation that you do an operability determination  
19 which has very specific meaning to those of us at the  
20 nuclear power plants.

21 What I just heard you say was that you  
22 would go to some sort of a manual method to try and  
23 determine what your voltage is. There's a huge  
24 difference between an operability determination and  
25 that impact in doing a manual evaluation with whatever

1 tools you have available for your voltage, and I think  
2 that that definitely needs to be clarified in the  
3 generic letter.

4 MR. CAMERON: If I could ask you, is there  
5 any easy, simple language that you would recommend  
6 that the NRC put in or is it more complicated?

7 MR. JURY: Well, I think it's more  
8 complicated. I guess the question after I've heard  
9 the full benefit of the discussion that the NRC is  
10 asking is what will you do, if anything, if you lose  
11 your RTCA, and I think that's a fair question.

12 I think to tie it to the operability of  
13 off-site power even implicitly is not what I heard the  
14 intent to be, and I think that earlier when you heard  
15 the murmuring, I was one of the murmurers, and the  
16 reason I murmured is because you're not going to  
17 necessarily default to say we need to do an  
18 operability evaluation on off-site power unless we've  
19 had one of the by exception phone calls telling us  
20 that we have a problem before they lost it.

21 MR. CAMERON: So you might change 2(f) to  
22 just very simply say what would you do if you lost  
23 your RTCA. All right. Okay.

24 Let's go right here. Yes, sir.

25 PARTICIPANT: Well, Keith pretty much

1 asked the same question, but I'll take it a step  
2 further. You have 31 nuclear plants using the same  
3 RTCA potentially, at least in our region potentially  
4 five or six. If we enter into operability issues  
5 associated with the loss of an RTCA and you've got six  
6 plants that basically end up with both off-site power  
7 sources being declared inoperable, I think that's the  
8 last thing we want in a situation like that to have to  
9 deal with it.

10 MR. CAMERON: Okay. Thank you.

11 We have some other comments here. This is  
12 Phil, I think.

13 MR. BRADY: Yeah, Phil Brady, PPL-  
14 Susquehanna.

15 I guess when plants were originally  
16 licensed we didn't necessarily have these RTCAs. They  
17 were licensed based on studies and analysis, and I  
18 guess my position would be that if you ever got into  
19 this type of position, you'd go back to your studies  
20 and your analysis to confirm that your operation of  
21 your system is still valid, and you're basically in a  
22 stable environment.

23 MR. JENKINS: That's right.

24 MR. BRADY: And they haven't said that  
25 they've lost the capability to monitor the grid.

1 They've just lost the capability to run the software  
2 package. That's all we're talking about here, right?

3 MR. KOZA: That's correct, and there are  
4 also -- we would go to off-line power studies, but you  
5 know, everybody just needs to understand it's not  
6 going to be as accurate as the real time information.  
7 That's all.

8 MR. JENKINS: Right.

9 MR. CAMERON: Okay. Great. Let's hear  
10 from one of the NRC staff. Tom.

11 MR. KOSHY: This is Thomas Koshy from  
12 Electrical Engineering Branch, NRR.

13 What we are trying to find out, the higher  
14 goal is when the transmission system operator tells  
15 you that my program to predict what your off-site  
16 power supply will be is not work; when you hear that  
17 news, if you continue to believe unless I hear from  
18 him everything is fine and I have my off-site power,  
19 that's wrong. We shouldn't be reaching that  
20 conclusion.

21 Now, Ronaldo just explained to one of the  
22 cases where they have a nomogram which they have  
23 analyzed and confidently determined that nomogram and  
24 voltage indication is adequate to predict what the  
25 off-site power will do given a plan a trip. So if you

1 can do an analysis and develop such a nomogram in  
2 which you have confidence that if the plan trips you  
3 will have the off-site power capable of supplying the  
4 whole base and capacity, that is an alternate  
5 approach.

6 We heard from PJM that they have their own  
7 back-up and further downstream transmission system has  
8 the same, similar program running in a more limited  
9 area with its own backup. That would be very nice.

10 But in certain parts of the country when  
11 you do not have such layers of protection, we need to  
12 rely on some analysis. For example, I know about the  
13 Palo Verde area. They have certain basic analysis  
14 outside which they do not operate because they know in  
15 the past years of experience they have done the worst  
16 case analysis and said this guarantees sufficient off-  
17 site power for our stations.

18 So there are cases when such analysis will  
19 remain good, but why are we bringing up this, you  
20 know, contingency analysis programming that took  
21 place? Because based on the percent market  
22 situations, your sale of power and which way the power  
23 is flowing is decided probably the previous day or  
24 maybe on the same day, depending on other contingency  
25 conditions that rise us.

1           So can you predict all of those conditions  
2 and the variations in the power flow given that you  
3 have to assure that the off-site power remains  
4 operable?

5           So in those cases where you cannot make  
6 such predictions effectively, you may need to think of  
7 having such a software so that you have a higher  
8 confidence in making better predictions for your off-  
9 site power.

10           I hope that explains.

11           MR. JENKINS: The issue is not whether we  
12 asked the question or not. The requirement to insure  
13 that systems, structures are operable is a truism.  
14 That's the way we run plants. So the only question is  
15 if I'm relying on a third party to provide me with  
16 assurance they are totally competent, they've been  
17 doing this for years. They are the experts. I don't  
18 have the capability to do that.

19           Then when they tell me that they can no  
20 longer do that for me, then responsibility then  
21 resides with me to figure out what to do next, and so,  
22 you know, that's pretty much where we are, and whether  
23 it's a -- one of the things about the real time  
24 contingency analysis program we've struggled with  
25 within the staff is that it's very dependent on the

1 particular area you're located in. If you're in an  
2 area of the country in which your power flows are  
3 fairly predictable, you know pretty much whether it's  
4 -- I hate to use the word "seasonal" here -- but  
5 whether from time to time they change, but they're  
6 certainly within a certain range, the staff has  
7 accepted bounding types of analysis.

8 But the reality is that there are plenty  
9 of places in the country where things are changing  
10 quite a bit. I think Bill Raughley's presentation  
11 showed the increase in the number of TLRs, which is an  
12 indication of congestion on the system. So that's  
13 just a reality of where we are.

14 So I think we can clarify the question if  
15 need be, but that's about all I can say about that.

16 MR. CAMERON: Okay, and we did hear a  
17 suggested clarification or a simplification on the  
18 question.

19 Let's take a couple more points on this  
20 and then see if there's another topic related to this  
21 panel.

22 Did you want to say something, Mr.  
23 Thorson?

24 MR. THORSON: Yeah, just one more, I  
25 guess, clarification, but I think one possible

1 solution to this is to move this question out of the  
2 operability area and into the risk area. If you  
3 consider that situation where your RTCA is lost as an  
4 area of increased risk, then a utility has the  
5 capability of handling that within their maintenance  
6 rule and they can make some relatively intelligent  
7 decisions of what work they might do, what they  
8 wouldn't do, what they would back out of, and I think  
9 that gives you a greater, I guess, confidence level  
10 that the direction of safety has been approached  
11 rather than simply heading into an operability area.

12 So I guess that's just my two cents.

13 MR. CAMERON: Okay. Thank you for that  
14 suggestion.

15 Now, we're still on Subquestion 2(f).  
16 We're going to go to Alex and then we're going to go  
17 to Paul Gill.

18 MR. MARION: Alex Marion, NEI.

19 I would recommend that those three, four  
20 slides that Mr. Koza presented identifying points of  
21 clarification from the transmission system operator be  
22 considered as changes to the generic letter.

23 MR. CAMERON: Okay. Well, definitely I  
24 think Mike Mayfield is shaking his head affirmatively  
25 that they will be considered as suggested changes to

1 the generic letter at this point.

2 Paul, did you have something that you  
3 wanted to add on this 2(f)?

4 MR. GILL: Yes. This is Paul again.

5 I want to follow up on this question about  
6 2(f). I guess we all talk about if you lose your  
7 RTCA. Certainly Ronaldo and Tom mentioned that you  
8 may have other means to assess the off-site power  
9 system.

10 Now, given that if you don't have any of  
11 those means and you have no information, you need to  
12 look at and see, you know, is that system operable or  
13 not.

14 Now, it may or may not be. The question  
15 is do you now -- the question is does the NPP conduct  
16 an off-site power system operability determination.

17 Okay. Now, we heard from PJM that when  
18 the RTCA program for Exelon predicts voltages are  
19 going to be below the nuclear power plant requirement,  
20 they go into an LCO. As a matter of fact, we have had  
21 notification from Exelon plants they exactly did that  
22 last year. As a matter of fact, three different  
23 times.

24 Now, if you're in this --

25 MR. KOZA: But more often than not we've

1 run generators to boost the voltage.

2 MR. GILL: True, but I'm just saying that  
3 they have entered the LCO. All they did was enter  
4 their tech specs. Now, if you are sitting blind  
5 because you don't have the RTCA and you don't have any  
6 other means to predict what the voltages are going to  
7 be, the question that we are asking is: do you enter  
8 into determining your operability or not?

9 Okay. We're not saying that you declare  
10 your system inoperable. We're saying what do you do.  
11 Okay? The gist of the question is do you make an  
12 operability determination.

13 Okay. Now, if you look at and make a  
14 determination, gee, you know, voltages are not going  
15 to be there, you enter your tech specs until the  
16 problem is corrected.

17 MR. CAMERON: Okay. Let's take one more  
18 comment on this. I think we've really been getting  
19 some good comments on it, and we have some time  
20 tomorrow to continue the discussion, but I just want  
21 to make sure that we don't lose track of other issues.

22 Did you want to?

23 MR. GRANGER: Yeah, this is John Granger,  
24 FPL, Florida Power & Light. I'm sorry.

25 In that scenario I just wanted to question

1 what if your diesel generator were out of service at  
2 that point? Then you would enter a one-hour shutdown  
3 LCO, which is definitely not where we want to go.

4 So I think that I agree with putting it in  
5 the risk determination versus the operability.

6 MR. CAMERON: Okay. Thank you very much.

7 Okay. We can come back to this if we need  
8 to. Now I just would -- I know that Jimmy Erven is  
9 going to have to catch two trains, a bus, and whatever  
10 to get to his airplane. Are there any questions or  
11 comments for Jimmy?

12 Okay. Well, stay with us and just enjoy  
13 yourself.

14 (Laughter.)

15 MR. ERVEN: I'm having a great time.

16 MR. CAMERON: All right, and we heard from  
17 -- Alex, go ahead. There is one question for you.

18 MR. MARION: Alex Marion, NEI.

19 I received a couple calls over the past  
20 couple of months from utilities who were expressing  
21 concerns of actions being taken at a state level that  
22 may go above and beyond what NERC is planning to  
23 incorporate in certain standards or codes of practice.  
24 Is there a protocol there or is there a priority where  
25 one overrules the other?

1                   Where would a utility go when that kind of  
2 thing comes up?

3                   MR. ERVEN: There's a provision that we  
4 refer to in the reliability legislation as a state  
5 savings price, which says, in effect, as I indicated  
6 earlier, that a state can adopt reliability rules that  
7 are not inconsistent with those approved by the ERO so  
8 that, for example, if a state chooses to, it can adopt  
9 a consistent reliability rule.

10                  If someone to whom that rule is subject  
11 believes that, in fact, the rule is not consistent  
12 with the ERO's pronouncements, there is a provision  
13 within which the person subject to that rule can apply  
14 to FERC, if my memory is not failing me, for a  
15 determination of consistency or inconsistency.

16                  That's obviously a protection that's built  
17 into the system to make sure that states don't put  
18 operators in the position of choosing which of their  
19 two sets of regulators they're going to choose to  
20 comply with. That risk shouldn't exist on the bill.

21                  MR. CAMERON: David, anything?

22                  MR. NEVIUS: No, I think the specific  
23 example, Alex, is New York State has some more --

24                  MR. MARION: I wasn't going to mention  
25 that.

1 MR. NEVIUS: Well, I will.

2 -- more specific standards, and they came  
3 about after the 1977 blackout, and they consider under  
4 certain higher risk situations, under thunderstorm  
5 conditions that they'll operate somewhat more  
6 conservatively.

7 Now, that's not inconsistent because it  
8 certainly serves to enhance reliability and protect  
9 reliability.

10 MR. ERVEN: And there actually is a  
11 specific sentence in the state exception clause that  
12 allows New York to do some things that other states  
13 are not allowed to do. Sine I haven't read that in a  
14 couple of months I can't tell you exactly what it is,  
15 but there is a New York specific provision.

16 That commission has been very interested  
17 in reliability rules, as Dave said, ever since the  
18 blackout.

19 The other thing that is probably worth  
20 noting is that many of the western state commissions  
21 have been very actively involved in trying to persuade  
22 FERC to allow the west to do certain things on an  
23 interconnection-wide basis. I think what's going to  
24 come of that effort really is up to Susan and her  
25 colleagues, but that sort of tension is out there as

1 well.

2 MR. CAMERON: Okay. Thank you very much.

3 As we noted, the suggestions, the  
4 questions that Frank Koza put before us are going to  
5 be considered by the NRC, but let's see if any of you  
6 have anything to say on these particular slides. Now,  
7 I think this is the first slide, Frank, that you had  
8 with --

9 MR. KOZA: It's the second one.

10 MR. CAMERON: It's the second one. Okay.

11 Here's the first one which basically  
12 pointed out -- go back the other way. All right. One  
13 more. Okay. Degredated -- what are degraded  
14 reliability conditions? Could they be these four  
15 things? Who decides?

16 Anybody want to add anything on that  
17 particular slide to us? Tom, do you want to say?

18 MR. KOSHY: This is Thomas Koshy from  
19 Electrical Branch.

20 Secure regular maintenance at the  
21 substation. If that is a substation immediate to the  
22 new glass stations, when you do maintenance on it,  
23 does that increase the possibility of causing a plant  
24 trip? Or if that increases the possibility of losing  
25 off-site power, that does make a difference, and that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decision needs to come from the transmission people.

2 I can quote you examples if you look at  
3 the operating history. Well, I think it was Beaver  
4 Valley they were doing substation maintenance. They  
5 lost both units and the off-site power.

6 So it depends on the maintenance and the  
7 transmission company needs to characterize what is the  
8 level of risk from that maintenance activity. If you  
9 can fully isolate that break in maintenance in a way  
10 that it will not cause the plant to trip or take the  
11 off-site power, then you could consider that to be an  
12 acceptable risk.

13 So essentially that is kind of our higher  
14 goal when you look at how you need to be sensitive  
15 about the maintenance activities that happen in the  
16 switchyard.

17 The same case with the protection systems.  
18 If you are testing the protective lane for the  
19 incoming lines or outgoing lines and if you think  
20 ripping those protective relay by actually injecting  
21 a current in it can influence the logic in a way it  
22 will take a ring bus out, that is significant and that  
23 causes challenge to the plant trip as well as the off-  
24 site power.

25 These are the type of assessments that

1 both parties need to make, and in the side of  
2 transmission and switchyard, the transmission people  
3 are more acute and experienced in that area. So that  
4 input needs to come to the nuclear station from the  
5 transmission site, whereas if it is a break that is  
6 within the control of the nuclear stations, they need  
7 to make that assessment.

8 So that is kind of the idea behind, you  
9 know, having those discussions in general.

10 MR. CAMERON: Okay. Thank you.

11 MR. KOZA: If I could respond to that.

12 MR. CAMERON: Go ahead, Frank.

13 MR. KOZA: The reason I have those up  
14 there, Tom, just so you understand, routine  
15 maintenance of protection systems, relay technicians  
16 go into substations all the time doing what seems to  
17 be very innocuous maintenance activities, and I've  
18 seen them take out. So I mean, is that to say we  
19 never let the relay technicians in to do calibrations?

20 Because I would say to you any time  
21 they're in that substation control room, they have the  
22 potential to trip the plant and cause mayhem to start.

23 MR. CAMERON: Okay. Any other important  
24 issues that someone wants to raise on this? And then  
25 we'll go through the rest of them just to make sure

1 that we catalogue it.

2 Yes, sir.

3 MR. LUNSMIRE: Tim Lunsmire from the  
4 Nuclear Management Company.

5 A caution on this one. With the grid,  
6 since the grid operators or the TSOs don't really have  
7 PRA assessments like, say, the nuclear plants, and  
8 they don't necessarily understand how we do PRA  
9 assessments, how can the grid operators like in our  
10 area, mostly it's either they're within our voltage  
11 limits, yes or no, or the grid is stable, yes or no.  
12 When they do a particular activity on the grid, they  
13 look at it to make sure that, yes, they can go with  
14 the single contingency or even farther on, but they  
15 don't have the same sense of risk as a nuclear plant  
16 does where we go in the very detailed (a)(4)  
17 evaluations to say the equipment is operable or  
18 maintenance rule valuations for risk when we take that  
19 evaluation into account.

20 When we ask the grid operator how to do  
21 that, how does the staff like us to take that into  
22 account? Because they don't have the same  
23 philosophies as the nuclear plants do. So it's very  
24 difficult to make an evaluation of grid operability or  
25 grid risk of whatever the grid operator is doing

1 because they don't have the same perspective as we do,  
2 as the nuclear plants.

3 MR. CAMERON: Okay. Thank you.

4 Frank looks like he's agreeing with that.  
5 Ronaldo, do you want to say anything in regard to that  
6 in terms of the generic letter?

7 MR. JENKINS: Well, I guess you get into  
8 this issue of trying to know the entire universe and  
9 respond to that in a single correspondence, and I  
10 don't think the staff is looking for that. I think  
11 that we're looking for known conditions, known  
12 situations, whether they come from a PRA study,  
13 whether they come from engineering studies that have  
14 been done by the licensee to identify vulnerabilities.

15 The idea, and I believe this is coming  
16 from the maintenance rule, is how do you factor that  
17 into, you know, making your scheduling of taking major  
18 pieces of equipment out of service. So Frank brings  
19 up a good point in that you can certainly drill down  
20 and you can find where a particular technician can  
21 cause a problem, but that's certainly not the intent  
22 of the generic letter to identify each and every  
23 instance that could potentially come up.

24 MR. CAMERON: That seems to be -- we've  
25 heard some similar discussion about some of the

1 anxieties associated with the questions where we've  
2 heard the staff say that it's certainly not the  
3 staff's intent to do such-and-such. Maybe -- and I  
4 think you've heard the request for some clarification  
5 -- maybe there needs to be some bounding language.

6 MR. JENKINS: You know, it's very site  
7 specific, plant specific. There may have been PRA  
8 studies that have been done that identify certain  
9 circuit breakers that are particularly risk  
10 significant, and obviously, you know, you want to  
11 factor that into your overall risk management program.

12 But if you were talking about adjacent  
13 transmission lines, many plants have several  
14 transmission lines coming in and so that doesn't  
15 necessarily rise to a level of a degraded grid  
16 reliability conditions primarily because what you get  
17 to go back to is what's the definition.

18 You're looking for can I get power to the  
19 safety buses. If there's an activity that can  
20 interfere with that and reasonably interfere with  
21 that, then obviously that would be what we were  
22 looking for.

23 MR. CAMERON: Okay. Thank you.

24 And I don't want to necessarily rush you  
25 through these slides, but I just would like to see if

1 there are any important comments that people want to  
2 make on Frank's examples. This is the second issue  
3 that he focused on, and the elimination of when you're  
4 going to perform maintenance, I guess, for various  
5 reasons.

6 As Steve Alexander pointed out earlier,  
7 the issue is to identify any -- it doesn't matter if  
8 it's seasonal or what -- but to identify any potential  
9 problems with that, which may solve this issue. I  
10 don't know.

11 But does anybody else want to say anything  
12 about this particular slide? All right.

13 MR. COUTU: Tom Coutu with Exelon Nuclear.

14 One of the issues that we continually run  
15 into, and the previous slide implied a significant  
16 amount of integration and planning and scheduling of  
17 work both on the grid or on the transmission system  
18 and at the nuclear power plant. In terms of codes of  
19 conduct or standards of conduct, we have a pretty  
20 strict legal opinion on what information can be  
21 exchanged that is not public information.

22 And, Frank, maybe you can help me a little  
23 bit with this, but we appear to be very restricted  
24 with regards to disclosure of non-public information,  
25 including what's going to be out of service on the

1 grid at any particular point in time.

2 I heard today that that should not be an  
3 issue.

4 MR. CAMERON: Susan, before you answer  
5 that, can I just -- let me just get in response to  
6 this slide Steve Alexander on briefly and then let's  
7 go to you on that.

8 MR. ALEXANDER: Actually kind of as a  
9 preamble to this slide, could we go back to his first  
10 set of questions? Because they are really quite  
11 closely related.

12 We talk about degraded grid reliability  
13 conditions that would warrant the rescheduling of grid  
14 risk sensitive maintenance activities, and that's kind  
15 of related to the next one, and you asked what are  
16 those degraded grid reliability conditions.

17 What we'd like to know is what you  
18 consider degraded grid reliability conditions, how you  
19 determine if they exist, and what do you do about it  
20 if you find them. That's pretty much what it boils  
21 down to.

22 Could they be those things? Absolutely.  
23 Any or all of the above, and in fact, a reasonable  
24 answer to the question would be here's what we think  
25 are all the stuff that we deal with that could cause

1 grid reliability problems, and that could increase the  
2 risk to the plant. Here's how we determine what they  
3 are, what the severity is. Here's how we deal with  
4 it. That's kind of what we want to know.

5 And so you suggest that those things could  
6 be any of those, and the answer is, yeah, sure, all of  
7 them possibly at any given time.

8 A very important thing at the bottom  
9 there. Who decides? Licensee may not be a good judge  
10 of grid risks in terms of what the possibility of  
11 losing the proper voltage and frequency on the grid at  
12 any given time, let's say, over the next few hours if  
13 there's some condition that might be perceived to be  
14 persisting.

15 And the TSO may not have an idea of what  
16 those risks are specifically to the plant and then how  
17 the subsequent trip of the plant would affect them.

18 So the answer who decides is they both do  
19 by talking to one another, and that's why we ask about  
20 agreements between the two, and some of the answers  
21 that you've suggested are in a general way the kind of  
22 stuff that we want to find out about. We're getting  
23 an opportunity to get the answers to some of our  
24 questions from you today.

25 We'd like to hear from everybody on the

1 same subject.

2 Can we go to the next one please?

3 If the grid reliability evaluation,  
4 however you do it, but the point is we think that you  
5 should do it, indicate that degraded grid reliability  
6 may exist during maintenance activities, yeah, I admit  
7 it. We think you should probably consider  
8 rescheduling things.

9 We certainly don't expect you not to do  
10 maintenance at all. That would be ridiculous, and  
11 maybe this was meant, you know, somewhat in a -- but  
12 we hope that --

13 MR. KOZA: I was going to an extreme  
14 there, no question.

15 MR. ALEXANDER: Yeah.

16 MR. KOZA: I didn't want to get to the  
17 point we were doing all maintenance at 4:00 a.m. on  
18 Easter Sunday. That's all.

19 MR. ALEXANDER: And your point is?

20 (Laughter.)

21 MR. KOZA: It's a risky time.

22 MR. ALEXANDER: It's a risky time.

23 Well, what we want to know is are you  
24 looking at the risks of those conditions, and are you  
25 deciding, you know, making conscious decisions about

1 rescheduling maintenance if it looks like it's a  
2 prudent thing to do?

3 We don't expect you to say, "Well, it's  
4 risky, you know, from January 1st through December  
5 31st. Therefore we're not going to do any  
6 maintenance." Obviously we realize that, but we think  
7 people should pick and choose intelligently their  
8 maintenance windows and what kinds of maintenance they  
9 do to minimize the risk.

10 MR. CAMERON: Okay. Thank you very much,  
11 Steve.

12 And, Susan, you heard the gentleman's  
13 question. Do you want to talk to that?

14 MS. COURT: Sure. I didn't want to give  
15 the impression that you get a free pass if you're a  
16 nuclear facility. There are no free passes here.

17 What I talked about and mentioned were the  
18 two major exceptions to the general prohibition  
19 against sharing information between and among  
20 affiliates, first, in an emergency situation, and I  
21 wanted to emphasize and I do emphasize that there's  
22 nothing in the Commission's rules, there's nothing in  
23 the Commission's intentions that its standards of  
24 conduct rules would allow any impediment to a nuclear  
25 facility getting off-site power in an emergency

1 situation. Absolutely not.

2 And then the second is the general  
3 exception regarding the sharing of information to  
4 maintain the operation of the transmission system, and  
5 the Commission has specifically spoken to the  
6 applicability of that exception to sharing of  
7 information between transmission providers and nuclear  
8 facilities saying it does apply.

9 That said, I am sure that the legal memo  
10 is very careful to point out all the other types of  
11 requirements that Order No. 2004 lays out. For  
12 example, the functional separation.

13 So there are a lot of aspects of the  
14 standards of conduct that I haven't addressed today,  
15 and because it was beyond the scope of this particular  
16 topic.

17 So the main point is that for general  
18 operation and for emergency situations there are  
19 exceptions to the general prohibition against sharing  
20 information.

21 Order No. 2004, the FERC's standards of  
22 conduct are intended to insure in a commercial sense,  
23 in a marketplace that affiliates of transmission  
24 providers do not get an undue advantage. The  
25 intention, the purpose behind those rules is not to

1       impede operations.  It's really an economic set of  
2       regulations or a set of economic regulations, not  
3       physical regulations.

4                So, again, I don't want to question or I  
5       wouldn't question the legal memo that a company has  
6       gotten because I'm sure it's on a much wider range of  
7       topics.

8                And two other things I'd like to mention.  
9       The Commission recently, I guess, at the end of the  
10      year posted, the FERC posted on its Web page a whole  
11      package of enforcement matters for the general public  
12      and the industry's information, and one part of that  
13      package is a list of frequently asked questions about  
14      the standards of conduct.  So I just set that out for  
15      your information.

16               Also, recently the FERC issued an order  
17      which sets up a process where a company can seek  
18      information as to whether or not the Commission would  
19      institute enforcement action under certain  
20      circumstances.  This is a no action letter process  
21      which other agencies, other federal agencies have  
22      used, and the FERC has just instituted that no action  
23      letter.

24               So if there really is a question in your  
25      mind, again, assuming we're not talking about an

1 emergency, assuming that we're not talking about the  
2 average type of operational information, a company can  
3 always seek that type of advice as well.

4 MR. CAMERON: Thank you very much, Susan.

5 On this issue about what's the NRC vision  
6 of agreements, Ronaldo, let me ask you at this point.  
7 What's your take on Frank's questions on this in terms  
8 of what a licensee is expected to provide us in  
9 response to that question in the generic letter?

10 MR. JENKINS: We have been involved with  
11 the whole topic of grid reliability ever since the  
12 western grid disturbance in 1996, and you know, from  
13 our information visits to transmission system  
14 operators, NERC, FERC, we have view that anything is  
15 better than nothing.

16 And certainly the formal agreements  
17 provides a structure by which information can be  
18 exchanged. Now, we don't have a particular vision.  
19 I guess that's the answer to your question, nor do we  
20 have any restrictions or views that there's a  
21 limitation on agreements.

22 The idea is that a third party has  
23 responsibility. You've delegated responsibility  
24 implicitly to that third party to assure off-site  
25 power operability. From our view, you need to have

1 analysis or you do some kind of post trip evaluation  
2 of the models that are being used, but in any case the  
3 only way that we know of assuring off-site power in  
4 this type of environment is by an analysis.

5 And so the third party has to make that  
6 call. So obviously communication, as David Nevius  
7 mentioned, is the key and it's important to have that.  
8 And so we're in a fact finding mode in terms of this  
9 generic letter. We're trying to obtain information.

10 MR. CAMERON: Okay.

11 MR. JENKINS: One other thing. During the  
12 northeastern power outage August 2003, I had just come  
13 out of a briefing of Commissioner Merrifield who was  
14 the Acting Chairman at the time, and coming out of  
15 that briefing, we found out that the event was  
16 occurring.

17 And so going to our NRC incident response  
18 center and you go in there and you say, "Well, what in  
19 the heck is going on? What is it, that we have a  
20 number of plants here that experienced loss of off-  
21 site power?"

22 So at that particular instant in time we  
23 did not know whether this was being driven by an  
24 adversary or whether or not we were dealing with a  
25 natural phenomenon or whatever. The main thing we

1 were looking for was information, and I guess I would  
2 pose the question that assuming that we get through  
3 the clarification part of this generic letter, and  
4 everyone here is totally happy with the final product,  
5 suppose that generic letter information had been  
6 available prior to August 2003 and the staff had the  
7 responses back and we had information profiles on  
8 licensees so that when that event occurred, we would  
9 be able to know, hey, this is what should be happening  
10 right now.

11 I think we would have been in a much  
12 better shape to respond to that event.

13 MR. CAMERON: Okay, and we're going to  
14 take two more comments on this particular issue.  
15 Again, just from a facilitator's observation, it  
16 seems like there's an anxiety among people in the  
17 industry that there should be a correct answer to  
18 these questions, and what I keep hearing from the NRC  
19 staff is, "Give us the best information you can on  
20 this," that there's not necessarily a, quote, correct,  
21 unquote, answer.

22 But I think we all realize there's always  
23 a fear of what the regulator is going to do.

24 But at any rate, I'm going to go right  
25 back here and then come up to you. Okay. Yes, sir.

1 MR. NICELY: Jerry Nicely, TVA Nuclear.

2 Part of the question here, you have  
3 "promptly notify," and also question one, alpha is  
4 what's the time period for the notification.

5 I know the people running real time state  
6 estimator systems, I notice the PJM guy on one of his  
7 slides indicated that they had a time period between,  
8 I think, 15 and 30 minutes, if I saw the slide  
9 correctly, but I guess I'm assuming that it's  
10 acceptable. You know, should you calculate that  
11 should I have a trip of my nuclear unit and my voltage  
12 just may not be adequate, that you may want to run the  
13 eight minute cycle one more time to see if the  
14 condition cleared or possibly take action to try to  
15 alleviate it before calling the nuclear plant and  
16 shaking their day up.

17 I guess I just sort of want some opinion  
18 both from the staff and maybe what PJM is doing. You  
19 know, is it reasonable to allow the transmission  
20 operator some period of time to try to alleviate the  
21 situation before notifying the nuclear power, unless  
22 it's an actual degradation that's happening right  
23 then?

24 MR. CAMERON: Frank, do you have anything  
25 to say on that?

1                   MR. KOZA: Just that the way we do it is  
2 we have up to 30 minutes to fix it. If we can't fix  
3 it, we'll put generators on. We will do whatever we  
4 have to do to fix it.

5                   MR. CAMERON: Okay. Let's hear from Tom,  
6 NRC staff, and then I want to ask you whether you want  
7 to take a break for 15 minutes and then come back and  
8 finish with the panel or whether you just want to run  
9 straight through and try to adjourn by our four  
10 o'clock adjournment time. It's a question for you.  
11 Let's hear from Tom first.

12                   MR. KOSHY: Could you put that previous  
13 page on?

14                   The question was individual bilateral  
15 agreements between PJM and each nuclear power plant,  
16 bilateral with PJM.

17                   Let me kind of clarify to you what is the  
18 higher goal. The higher goal is that the transmission  
19 people clearly knows what the voltage requirement is  
20 for each nuclear station. Speaking from operating  
21 experience, one developed unit station replaces their  
22 service water pumps in an outage. Once they came back  
23 on line, they found out that the voltage set points  
24 they have is not sufficient because the motors they  
25 replaced with are of higher horsepower and it started

1 creating an under voltage such that the alternate  
2 source brought under voltage on that condition and  
3 then jumped back and both units tripped.

4 This is about ten-plus years ago. I'm  
5 just giving an illustration to explain my point  
6 because it is very important that the transmission  
7 people remain continuously aware of what the plant  
8 changes are that influence the acquired voltage for  
9 the particular station.

10 So we are not picky on how you make your  
11 agreements through a higher corporate level or a lower  
12 level so long as this intention is served, so that you  
13 have a continuing knowledge of what the exact voltage  
14 requirements are.

15 When the plant trips, 1,000-plus megawatts  
16 of generation switches to 15 megawatts of load, and  
17 when it changes like that, if you have capability to  
18 supply only the safety system loads, you cannot do a  
19 normal shutdown. You are going to increase the  
20 thermal expansion on the plant.

21 So you need to look in and see if you can  
22 make that available and the transmission people are  
23 clearly aware of the power demand when you actually  
24 stopped generating.

25 And you need to revisit that issue

1 especially when you make major modifications to the  
2 plant on service water pumps, on those large pumps  
3 that are circulating water pumps, and fully aware of  
4 that situation so that they can respond to the plant  
5 need, and that is the higher goal we are trying to  
6 serve.

7 And this is the question through which we  
8 are hoping that we can put a strong reminder in the  
9 industry to pursue towards a continuous update and a  
10 clear understanding on both sides what the expectation  
11 is.

12 MR. CAMERON: Thank you, Tom. I'm glad  
13 you're here to remind us of what the higher goal is on  
14 these, and I think it very useful actually for people  
15 to understand that.

16 Can I get a sense of we don't want to keep  
17 you here all day, but obviously if we take a break  
18 now, I think that we probably have a half hour more of  
19 discussion on this particular issue. Do you want to  
20 just march through till four or do you want to --

21 PARTICIPANTS: (Speaking from unmiked  
22 locations.)

23 MR. CAMERON: That's why I should never  
24 ask those questions.

25 (Laughter.)

1 MR. CAMERON: Yeah. I'll tell you what.  
2 How many for a break now?

3 (Show of hands.)

4 MR. CAMERON: Okay. I guess you can take  
5 one.

6 (Laughter.)

7 MR. CAMERON: But okay. Let's try to go  
8 through -- I'm sorry. Being facetious, but if you  
9 need to go out, just people do that and let's take the  
10 next half hour and continue to explore, and then we'll  
11 see if we can go.

12 Do you want to do something before you  
13 take a break? All right.

14 MR. REIMERS: My name is Greg Reimers.  
15 I'm with Pacific Gas and Electric, Diablo Canyon.

16 And I guess what I clearly heard now is  
17 the NRC acknowledges that it will be the transmission  
18 operator making operability calls for off-site power  
19 because if they predict voltage is going to be too  
20 low, we're inoperable. We and our LCOs, and I guess  
21 my question is, you know, the nuclear power plant  
22 operator seems like the passthrough for NRC  
23 requirements on the transmission operator with the  
24 higher goal in mind wouldn't it be more efficient  
25 since the NERC rules or proposed standards -- the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comment period closes at the end of the month for  
2 nuclear off-site power issues from the NERC side of  
3 the fence. Why not wait until those rules are done  
4 and see what the transmission operators are really  
5 going to have to do?

6 MR. CAMERON: Ronaldo, I'm going to go to  
7 you on this one, and correct me if I'm wrong. The  
8 generic letter is asking for information about certain  
9 things.

10 MR. JENKINS: Correct.

11 MR. CAMERON: It's not saying that someone  
12 should do this or someone should do that.

13 MR. JENKINS: Right.

14 MR. CAMERON: Okay. Is that --

15 MR. JENKINS: That's correct. That's  
16 correct.

17 MR. CAMERON: Okay. Do you want to say  
18 anything else in response to this gentleman's comment  
19 or question?

20 MR. JENKINS: Well, I think that over the  
21 years we have -- the staff has been involved with off-  
22 site power issues almost going back in the licensing  
23 period, and whenever off-site power issues have come  
24 up, we have had licensees with their transmission  
25 system operators sitting in the same room.

1 I don't recall a single instance in which  
2 the transmission system operator was off somewhere  
3 else and the licensee is doing something entirely  
4 different with the NRC.

5 A case in point was Diablo Canyon. When  
6 Diablo Canyon as part of the California deregulation,  
7 there was the selling of Laurel Bay unit. The Diablo  
8 Canyon came in, and they came in with their  
9 transmission system organization, and they explained  
10 to us what they would be doing now that the Laurel Bay  
11 plant, which is identified in their FSAR as one of the  
12 units that needed to run in order to maintain proper  
13 voltage at Diablo Canyon.

14 They came in and explained to us what  
15 modifications they were going to make in order to  
16 insure that their plant would continue to operate at  
17 adequate voltages. Okay?

18 So basically, all of the generic letter is  
19 about that. It's about insuring that adequate power  
20 is provided to safety buses, and of course you know  
21 the times as spelled out in the technical  
22 specifications limiting conditions for operations,  
23 when that should be.

24 So you know, the NRC is not interested in  
25 regulating any transmission system operators or

1 owners. I believe that David Nevius and then Frank  
2 Koza would be very upset if we were trying to impose  
3 any requirements on their organizations.

4 However, there is a responsibility on the  
5 part of the nuclear power plant licensee to insure  
6 that off-site power is operable during periods of  
7 operation called for under the technical  
8 specifications.

9 So I hope that answers your question.

10 MR. CAMERON: Okay. Thanks, Ronaldo.

11 We're going to go to this gentleman here.

12 MR. BONNER: John Bonner, Entergy Nuclear,  
13 Northeast.

14 A follow-up question on the FERC Order  
15 2004. You talk about the sharing of transmission  
16 information with affiliate generators. Is that also  
17 part of merchant generators?

18 MS. COURT: Yes, yes. It really just  
19 depends on whether or not a particular company meets  
20 the definition in the rules. So first of all you have  
21 to start off with what's an affiliate, and that  
22 involves a question of control.

23 So if a company, an enterprise is  
24 affiliated with a transmission provider as "affiliate"  
25 is defined and performs certain types of functions or

1 is not otherwise accepted from the rule, then yes.

2 So sometimes it's hard to answer that  
3 question generally because there might be  
4 circumstances, again, whether or not there's just a  
5 minimal amount of control that might trigger one of  
6 the exceptions to the rule, but it's possible. Let's  
7 put it that way.

8 MR. BONNER: So the intent is that it  
9 would apply to affiliates or from generators owned by  
10 a transmission company as well as generators that have  
11 no relationship to the transmission company other than  
12 they utilize their transmission --

13 MS. COURT: No. That's not an affiliate  
14 then. Remember this whole rule, the standards of  
15 conduct deals with relationships between a  
16 transmission provider and its affiliates. So a  
17 merchant generator that is not affiliated with the  
18 transmission provider doesn't trigger the rule. That's  
19 just a customer on the system. It's not an affiliate  
20 of the transmission provider.

21 So remember the purpose of the rule is to  
22 insure that the company, the utility that is  
23 transmitting the energy is not giving its affiliate an  
24 undue advantage by giving it information ahead of time  
25 or information that's not available to everybody else

1 who also wants service on the system. So it has got  
2 a fairly simple, straightforward purpose.

3 MR. CAMERON: Okay.

4 MR. BONNER: Can I do a follow-up to that?

5 MR. CAMERON: Okay. Do a quick follow-up.

6 MR. BONNER: So if a generator isn't an  
7 affiliate of the transmission company, it's all right  
8 for that transmission company to provide information  
9 to the merchant generator that's not also available to  
10 other generators in the area?

11 MS. COURT: Well, remember there's a  
12 general prohibition in FERC's rules which come  
13 directly from the statutes that provides that a  
14 company has got to act in a not unduly discriminatory  
15 fashion vis-a-vis everyone.

16 In other words, if a company is giving out  
17 information that is going to, even though there's not  
18 an affiliation, it still has to treat everybody  
19 fairly. So there's an overall prohibition against  
20 undue discrimination.

21 So if a transmission provider is going to  
22 give information in the marketplace selectively and by  
23 doing so is going to discriminate, then the companies  
24 that are discriminated against might have a fair claim  
25 against that transmission provider.

1           But that goes to the overall statute.  
2           That goes back to 1938, which says that a public  
3           utility may not discriminate unduly in the  
4           marketplace.

5           MR. CAMERON: And, John, you may want to  
6           talk off-line with Susan or Susan's staff if you have  
7           some more specifics.

8           MS. COURT: Yeah, if there's a specific.  
9           Again, sometimes because of the control issue and  
10          things of that sort, just dealing with these questions  
11          in a vacuum is difficult.

12          MR. CAMERON: Okay. Thank you, Susan.

13          We have something else from Steve  
14          Alexander of the NRR staff.

15          MR. ALEXANDER: Thank you. Still, I hope.

16          I guess I've heard a general kind of  
17          concern here that we're expecting that nuclear utility  
18          plant operators to be able to have a free exchange of  
19          information that's necessary to safely operate the  
20          plant with their transmission system operators, and  
21          I've noticed a couple of times you've used the term  
22          "under emergency conditions."

23          And I guess I have to ask the question two  
24          ways. Is there anything that you've heard here in  
25          terms of the kinds of information that we would like

1 to have licensees be able to get from the TSOs and the  
2 kinds of information that the TSOs would like to get  
3 from the licensees of nuclear power plants that would  
4 run afoul of your rule, and does the exception allow  
5 them to do that whenever they deem it necessary for  
6 safe operation of the plant, whether there's an  
7 emergency per se or not?

8 Because a lot of the stuff that we have to  
9 do is planning for contingencies. What happens if  
10 there is an emergency? There may be no emergency, but  
11 there is still some risk because your ability to cope  
12 with an emergency may be reduced.

13 So if there's anything, and I would also  
14 say that perhaps in the near future when you have a  
15 chance to review the generic letter in general we  
16 would need to know if there's anything in there where  
17 the utility could get in a bind in trying to serve two  
18 masters. There's no way that we want that in any way  
19 to be able to compromise their to get all the  
20 information they need to operate safely.

21 MS. COURT: Well, I can assure you that  
22 the FERC does not want the business in the utilities  
23 to be serving two masters to a point where that's  
24 going to cause a problem.

25 Obviously you serve two masters. You

1 actually probably serve 100 masters with all of the  
2 other federal agencies and state agencies out there  
3 that you have to address.

4 But in any event, when I mentioned  
5 emergency, what I was laying out was that there's a  
6 specific exception in the rules for emergency  
7 situations, and so when I referred to emergency  
8 search, that's what I was talking about, a specific  
9 exception.

10 With a subsequent follow-up, in other  
11 words, a requirement that the utility then provide the  
12 information after the fact so that information sharing  
13 that would generally be prohibited, otherwise be  
14 prohibited could take place in an emergency situation  
15 with notification to the agency after the fact.

16 The other exception was the generally  
17 applicable exception for day-to-day operation. That  
18 type of information can be shared. As I mentioned,  
19 the rule's purpose is geared to prevent the sharing  
20 information that's going to have a commercial impact.  
21 That's what it's all about, and so that's why the  
22 Commission made the exception for the day-to-day  
23 operations.

24 The staff is very amenable to answering  
25 questions. That's why we created this frequently

1 asked questions part of our Web site. So if a member  
2 of the industry has a specific question, we'd be more  
3 than happy to. We have a hot line or you can call the  
4 enforcement staff or you can call me, and we will try  
5 to provide an answer to your specific question.

6 Now, as far as have we heard anything  
7 today that would be problematic? I have -- I don't  
8 know, Demi. Have you heard anything that would be  
9 problematic?

10 MR. CAMERON: Okay. We're going to go to  
11 Demi.

12 MS. COURT: This is Ms. Demi Anas, who has  
13 worked very closely on the development of these rules.

14 MS. ANAS: And like someone else, I have  
15 a frog in my throat today. So I apologize.

16 I think the key thing that we haven't  
17 really focused on -- we've talked about the sharing of  
18 information -- is that we allow the sharing of that  
19 information, but the folks that receive that  
20 information are prohibited from passing it along to  
21 the folks who were involved in the commercial aspects  
22 of the business. We've labeled that as the no conduit  
23 rule.

24 So I think to sort of show the whole  
25 picture is, you know, we recognize that there's an

1 operational necessity to share certain information.  
2 So we permit the sharing of that information, but  
3 prohibit the person who receives that information from  
4 passing it along to those who are involved in the real  
5 merchant activities, the selling or buying of  
6 wholesale power. So I hope that adds a little bit.

7 MR. CAMERON: Thank you, Demi.

8 Let's go to this gentleman. This is, I  
9 think, the last -- oh, there's two more? One more  
10 after this. Okay. This is an issue we talked about  
11 before about how often and under what circumstances do  
12 you just routinely are supposed to talk to the TSO,  
13 again, keeping in mind that there's not necessarily a  
14 right answer to any of these questions.

15 Yes, sir.

16 MR. FARKAS: Steven Farkas from the  
17 Westinghouse Owners Group.

18 To pursue this question further, a lot of  
19 the plants use a 12-week planning cycle to come up  
20 with their maintenance task. So this information that  
21 we would be asking from the TSO would be on the order  
22 of, you know, depending on what stage of the task  
23 planning we're in, could be up to 12 weeks ahead of  
24 time asking them, you know, is this switchyard going  
25 to be out? Is that substation, this breaker? Are you

1 going to be doing relay work?

2 It's not, you know, day to day, you know,  
3 we got up this morning and at shift change we want to  
4 talk to the TSO and ask him what's wrong today. It's  
5 12 weeks worth of knowing in the future what's wrong  
6 and the question is: are we allowed to get that kind  
7 of information from the TSO?

8 MR. CAMERON: Susan, this may --

9 MS. COURT: I don't know if we've actually  
10 specifically addressed that, but we have not.

11 MR. CAMERON: Does this have something to  
12 do with does there have to be an emergency or is there  
13 something that might be necessary to prevent an  
14 emergency, what is the day-to-day operations, what is  
15 that type of --

16 MS. COURT: I think it is probably more of  
17 the last. This is obviously not an emergency and the  
18 Commission's rules don't talk about sharing  
19 information to prevent an emergency as such, but  
20 clearly what's contemplated by the day-to-day  
21 operation is that you have to share information in  
22 order to insure that day-to-day operation. Whether or  
23 not this 12-week lead, specifically I don't think we  
24 have specifically addressed.

25 But, Bruce, did you have a comment on

1 that? This is Bruce Poole who works in the  
2 Reliability Division of FERC.

3 MR. POOLE: I guess I don't see how that  
4 comes into play because all of the TSOs would have  
5 their long-term planning programs, and anything that  
6 was going to be taken out of service that far away  
7 would have already been identified and should be  
8 listed.

9 MR. CAMERON: Yes. Did you have a follow-  
10 up question?

11 MR. KOZA: I just need to know are they  
12 allowed to (speaking from an unmiked location).

13 MR. CAMERON: Okay.

14 MR. FARKAS: I was going to say all of our  
15 transmission outages are posted on the Website, all of  
16 them.

17 MR. CAMERON: Frank, do you want to? Did  
18 you have an answer? Frank, do you want to repeat  
19 that?

20 MR. KOZA: I was just going to say all of  
21 the transmission outages in PJM are posted on the  
22 Website. So the answer to your question is yes.

23 MR. CAMERON: Okay. I guess the question  
24 I have for the NRC staff and for FERC is that the  
25 generic letter is asking for information, not saying

1 that this is the right information to give us, but is  
2 there a need for FERC to consult with the NRC on these  
3 emergency day-to-day operation questions at all?

4 I mean, I don't know. I'm just asking.

5 MS. COURT: Well, I think that under the  
6 memorandum of agreement, that if -- well, let me put  
7 it this way. The memorandum of agreement definitely  
8 contemplates communication between the two agencies.

9 Now, these types of questions though we  
10 don't deal with on a day-to-day basis. The rules are  
11 out there. Every company is required to have a  
12 compliance officer. Every company is required to have  
13 a compliance plan, and this, you know, has been in  
14 effect now for over a year. So a lot of work has been  
15 done.

16 As one gentleman alluded to, his company  
17 had a very detailed legal memorandum on it as well.  
18 So as far as the NRC and the FERC consulting, that's  
19 something that really isn't -- I won't say it's not  
20 practical. It's just not going to come up because we  
21 don't necessarily have these types of questions come  
22 up every day.

23 But I think that if we did have a question  
24 that we needed to answer and we were going to put on  
25 our frequently asked questions because we do plan on

1 updating our frequently asked questions on a regular  
2 basis and it did involve a nuclear plant, of course we  
3 would talk to you about that. No question about it.

4 MR. CAMERON: Okay. Thank you.

5 MR. JENKINS: And if we got a response  
6 from a generic letter, if there was a generic letter  
7 response from a licensee that says basically we can't  
8 get this information because FERC rules won't allow us  
9 to do that, then obviously we would be talking not  
10 only to them, but we would also be talking to --

11 MS. COURT: Right. Now, as is true for  
12 any agency, any federal agency, any state agency --  
13 Jimmy is gone now -- the staff can go only as far as  
14 contemplated by the rules, you know, and what the  
15 staff does and I'm sure your staff does it as well,  
16 and I'm sure your staff does it as well, is staff will  
17 give informal advice as to what the rules mean, just  
18 informal interpretations, and those informal  
19 interpretations are now being, as I said, laid out on  
20 the Web page.

21 If we were to get a question that just  
22 simply was not contemplated by the existing rules,  
23 what we would do is bring that to the Commissioners'  
24 attention to get greater clarity. So within that  
25 limit that we can only go as far as the current rules

1 are structured, and I'm stating the obvious, but  
2 sometimes that's necessary.

3 I can assure you and I feel very  
4 comfortable speaking on behalf of the Chairman of the  
5 agency with whom I spoke this morning before I came  
6 here that we would work very closely with you on these  
7 types of questions.

8 MR. CAMERON: Okay. That's good. I think  
9 you pointed out a couple of different ways where if  
10 there was a need, there will be an answer.

11 Mike Mayfield.

12 MR. MAYFIELD: I just wanted to point out  
13 that I think it's Brian Sheron mentioned this morning  
14 the FERC Commission and our Commission are  
15 anticipating a joint meeting in the foreseeable future  
16 I'm told, and if this is something that is starting to  
17 come out as a response to the generic letter, I'm  
18 reasonably sure at first at the staff level and  
19 potentially at the joint Commission level, this would  
20 be something that would be open for discussion.

21 And if, as Susan suggests, it's not  
22 something contemplated by the regulations I'm  
23 reasonably sure that the two agencies can figure out  
24 how to come to grips with that so that it does get  
25 addressed.

1 MS. COURT: Absolutely, and Chairman  
2 Kellaheer looks forward to having that meeting. That  
3 was one of the reasons that we were talking about the  
4 NRC this morning.

5 MR. CAMERON: Okay, good. Thank you.

6 Let's go to Keith and then we'll go to  
7 Jennifer.

8 MR. JURY: Yeah, one last question on that  
9 topic, and, Mike, I appreciate the fact that FERC and  
10 the NRC are going to work together. I think that  
11 where Exelon is and I think a number of other  
12 utilities is it appears that the NRC is looking for  
13 deeper and more thorough communications than we  
14 believe the FERC rules currently allow, and I heard a  
15 question put on the table by Mr. Alexander, I believe,  
16 and said could FERC review the generic letter and  
17 insure that the level of information that's being  
18 asked for by the NRC can be shared.

19 I believe I'd push the "I believe" button  
20 on future meetings, but we have a generic letter  
21 that's supposed to come out by the end of this month.  
22 I think it would serve everybody in this room,  
23 particularly the utilities and the NRC, very well if  
24 that review could occur in FERC and the NRC could get  
25 together and say this is consistent. It's okay that

1 the nuclear plants give this level of information.

2 And if that's not the case that the NRC  
3 revise the generic letter before it's issued to go  
4 through the response and the RAI process. It just  
5 makes absolute sense that it would get reviewed  
6 beforehand and not later on down the road when we're  
7 trying to implement this this summer.

8 MS. COURT: We'd be more than happy to  
9 look at it. Again, we have to function within the  
10 existing rules, and so to the extent that the  
11 information contemplated by the GL is covered by those  
12 rules and we can define it, I think we would be more  
13 than happy to say that.

14 I mean, part of the reason that we're here  
15 is to be able to provide certain things for the  
16 record, and so anyway, I mean, a general -- Demi, do  
17 you want to say something?

18 MR. CAMERON: Let me get you on the  
19 record, Demi.

20 MS. ANAS: I just want to reiterate that  
21 there's nothing in the rules that prohibits the  
22 nuclear power plant from providing information to the  
23 transmission provider. I think that one question  
24 implied that. Did I say it -- nothing prohibits the  
25 nuclear power plant -- right, okay. But I think the

1 one question focused on the nuclear power plant  
2 providing information in response to the GL.

3 It's the information prohibition applies  
4 to the transmission provider. So the nuclear power  
5 plant operator is free to give the transmission  
6 provider any information without any restrictions.

7 PARTICIPANT: We understand that.

8 MR. CAMERON: We're not getting this.  
9 Okay. Thank you. I think we understand that point,  
10 and I think we understand what Keith is going to say.

11 Keep in mind that as Ronaldo pointed out  
12 if in response to these questions a licensee came back  
13 with a response that said, well, we have these  
14 procedures in place with the TSO, but note that we  
15 cannot get this other type of information from the TSO  
16 because FERC rules would prevent that, then that would  
17 be an issue that would -- that would joint the issue  
18 at that point.

19 I'm not saying that there needs to be  
20 dialogue before the -- that it wouldn't be a good idea  
21 to have dialogue on this before the generic letter  
22 goes out, but I still see the generic letter asking  
23 for, well, what type -- you know, what information do  
24 you have?

25 I don't know if David or Frank -- do you

1 have anything on this at all, David?

2 MR. NEVIUS: Well, our draft standard --  
3 and Terry can help me here -- does contemplate  
4 transmission providers, transmission entities sharing  
5 a good bit of information with the nuclear plant  
6 operators, coordination of maintenance and planned  
7 outages and so on, and a swell as real time operating  
8 information.

9 And I think as Susan said, as long as the  
10 nuclear plant operator does not then turn around and  
11 share that with their merchant side, there's not a  
12 problem.

13 MR. CAMERON: Okay, and, Terry, do you  
14 want to add anything to that?

15 MR. CRAWLEY: Well, we did think about  
16 this --

17 PARTICIPANT: I was looking at R-5, Terry.

18 MR. CRAWLEY: -- as we were drafting the  
19 standard. Right. R-5 basically says per agreements,  
20 per the agreements that the entities would develop,  
21 the designated transmission entity, which could be the  
22 transmission operator, the reliability coordinator or  
23 depending on who the correct entity is, and the  
24 nuclear plant shall coordinate planned outages and  
25 maintenance activities affecting the nuclear plant

1 interface requirements.

2 So the concern is the impact that these  
3 activities could have on the plant and on their  
4 ability to meet their licensing requirements for safe  
5 shutdown and, you know, having adequate off-site  
6 power.

7 So in fact, we were discussing that maybe  
8 we had some discussion about adding something into the  
9 standard to actually strengthen the requirement to  
10 address any standards of conduct requirements and make  
11 sure that there are no problem -- basically grease the  
12 skids -- make sure there's no problem. You know,  
13 discuss these things up front and make sure there are  
14 no problems up front.

15 Now, if the standard is not out yet and  
16 we're already having these concerns, so it's kind of  
17 after the fact, but let me say one thing. I work on  
18 the nuclear plant side, okay, and I think this  
19 communication is very important that it take place,  
20 okay, for the safety of these plants, but after what  
21 I've heard here, if I were the transmission operator  
22 or reliability coordinator, I've got a FERC rule that  
23 I don't want to violate. I don't have anything from  
24 the nuclear side right now that tells me what I can  
25 and cannot do. I'm going to land on the conservative

1 side and make sure I don't violate the FERC rule so  
2 that I can understand why a communication may not take  
3 place in this environment today.

4 So that's all I'm going to say and shut up  
5 and sit down.

6 MR. CAMERON: Thank you, Terry.

7 MS. COURT: Okay. One thing, and I think  
8 what you're hearing from the FERC representatives here  
9 is that we're a little incredulous, I guess, because  
10 we thought that the rule provided the type of  
11 communication and was an impediment to the type of  
12 communication necessary to enable the nuclear facility  
13 to get off-site power.

14 So you know, if that were the case, I  
15 mean, that would not be as contemplated by the rule,  
16 and I think what we're going to need is some really  
17 specific examples of this, as why that would be a  
18 problem.

19 Generally, we will look at the draft GL.  
20 I'm not sure if the draft GL has the specifics in  
21 there that is going to basically give you all the  
22 comfort that you want, you know, just reviewing it  
23 very quickly without looking at it for the specific  
24 thing.

25 I didn't see how -- nothing triggered

1 necessarily a concern vis-a-vis the FERC's rules. So  
2 there's something going on here or there's  
3 something -- there's an undercurrent here which is  
4 kind of a mystery to me because, again, knowing what  
5 the purpose of the rule is and what the exceptions are  
6 intended to accomplish.

7 So there's maybe just some more  
8 communication that is needed in that regard. I am not  
9 comfortable with promising that the FERC, the  
10 Commission, you know, in a quorum voting will comment  
11 on the generic letter. I don't think that is really  
12 appropriate, and rarely, rarely, in 24 years at the  
13 FERC have I seen the FERC itself as the Commission  
14 weigh in on another agency's rulemaking or the  
15 equivalent of a rulemaking. I may be able to give you  
16 some informal staff comments on it.

17 MR. JENKINS: One other aspect of this,  
18 and I guess this is what my boss is getting up to say  
19 is that Brian Sheron this morning mentioned that we  
20 will be pursuing a temporary instruction for the  
21 summer of 2006. I wish we didn't have to do that, but  
22 we need to have assurances for this next period, and  
23 the generic letter getting out and getting the  
24 information back, especially having this kind of a  
25 dialogue, will give us information we can use to make

1 a smarter temporary instruction type of an assessment.

2 So I don't know if I hit the mark there.

3 Did I?

4 MR. MAYFIELD: Well, I guess I was going  
5 to say two things. One, Susan, first of all we would  
6 very much appreciate any comment now or before or  
7 after the generic letter goes out just to make sure  
8 we're all sort of on the same page.

9 MS. COURT: Absolutely.

10 MR. MAYFIELD: Once the generic letter is  
11 out, if you're having trouble responding the questions  
12 because you somehow feel there is a legal prohibition  
13 to the TSO providing you information, that would be a  
14 really good answer to put in the generic letter  
15 telling us we need to not do anything because you  
16 might not be able to answer the question just as a  
17 nonstarter.

18 So if that prohibition exists, your legal  
19 departments believe it exists, that would be a really  
20 good answer, and I think as Chip said, that would join  
21 the issue between the two commissions, but to set and  
22 continue to wring our hands with hypotheticals, we  
23 need some specifics to deal with, and then I'm sure  
24 the two Commission will sit down and make this thing  
25 come out in the right place.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But this issue isn't something that I see  
2 as in the best interest of the Nuclear Regulatory  
3 Commission to not move forward with. If it's a real  
4 issue, then it's something where we need some  
5 clarification between the two Commissions to make sure  
6 you're able to get the kind of information you need to  
7 assure the safety of your plans.

8           MS. COURT: Thank you.

9           MR. CAMERON: Okay. Thanks, Mike.

10           And this is an important issue obviously,  
11 and there's a few jagged edges here, and I think that  
12 part of Susan being perplexed is because of the fact  
13 that people are reading implications into the generic  
14 letter rather than just tell us what procedures you  
15 have in place.

16           They're thinking that there's another shoe  
17 that's going to be falling there, and I think the  
18 staff is probably going to wait for that other shoe to  
19 fall, and they want to see what information comes in.

20           But as Mike pointed out a legitimate  
21 answer may be that while we don't have this type of  
22 procedure because we don't think that we're allowed to  
23 get it from --

24           MS. COURT: You know, I think the thing  
25 that's perplexing, too, and Demi has been living and

1 breathing and drinking these rules for many years, I  
2 mentioned the comment that the Commission itself and  
3 the exception that the Commission itself made in  
4 response to one of the commenters in the rulemaking  
5 proceeding.

6 But, Demi, correct me if I'm wrong. Has  
7 this been a problem? This is like news?

8 MS. ANAS: This is actually one aspect of  
9 the rule that we thought didn't change. We had  
10 hundreds and hundreds of comments and opinions during  
11 the rulemaking proceeding over a three and a half year  
12 span. Only one person brought it up.

13 You know, we can only, as Susan said, we  
14 can only articulate what the Commission has already  
15 said, and everybody had the opportunity to participate  
16 in that rulemaking proceeding. So the Commission  
17 addressed the comment that they had received.

18 I think had people fleshed it out more  
19 during the rulemaking proceeding, we might be able to  
20 tell you a little bit more now because the Commission  
21 would have spoken on it. So, you know --

22 MS. COURT: But even then, Demi, have we  
23 gotten even questions from the nuclear industry?

24 MS. ANAS: I got one, I think, over the  
25 summer.

1 MS. COURT: Okay. So that said, let me  
2 just assure you that just because the Commission  
3 hasn't spoken to it specifically because only one or  
4 two people have raised it in all of that time, that we  
5 are -- let me put it positively -- we are open minded  
6 about this and we want to hear if there are any  
7 problems and if there are any impediments.

8 And I reiterate that the two agencies will  
9 work closely together to insure they are not. We're  
10 not going to necessarily -- and I'm sure that the NRC  
11 wouldn't want this generic letter proceeding to be  
12 used to circumvent a set of commercial regulations.  
13 I'm sure they wouldn't want to do something like that.

14 MR. CAMERON: I think we can say we  
15 wouldn't.

16 MS. COURT: I think it's safe to say, too,  
17 but we're talking about operations here. We're  
18 talking about reliability here, and I think we're all  
19 on the same page as far as making sure that both the  
20 grid and the plants are absolutely reliable on behalf  
21 of this country. I mean there's no question about  
22 that. Everybody in this room, everybody at both  
23 agencies, we all have the same goal. So we'll work  
24 together.

25 MR. CAMERON: Okay. Thank you, Susan.

1           We're going to go to Frank and then  
2 Jennifer, and I think we're going to close off for  
3 today. We're going to come back tomorrow, and  
4 tomorrow is basically going to be reprise of a lot of  
5 these issues because we're going to hear from the  
6 industry possibly on a lot of the same issues, and  
7 then we have an open session.

8           So we're running about 15 minutes behind  
9 time. So we want to try to get you out in time.

10           Frank and then we'll go to Jennifer.

11           MR. KOZA: Thanks, Chip.

12           I just want to amplify Susan's points.  
13 Our interpretation is there are no impediments to  
14 sharing information with nuclear power plants. When  
15 the issue is nuclear safety, we will share anything  
16 with the nuclear power plants, and I don't think there  
17 are any -- I have to agree with it. I don't think  
18 there are any impediments to sharing information.

19           Now, there are impediments on the  
20 commercial side with the further dissemination of some  
21 of that stuff, but regarding communication with  
22 nuclear power plants, there's nothing we wouldn't  
23 share in a nuclear safety environment.

24           MR. CAMERON: Okay. Great. Thank you,  
25 Frank.

1 And Jennifer.

2 MS. WEBER: Jennifer Weber, TVA  
3 Operations.

4 This is a question mostly for FERC,  
5 although NERC may have a point. This is about undue  
6 preference. What is FERC's position on providing  
7 preferential service to a class of generation?

8 Because generally speaking nuclear plants  
9 require higher voltage requirements than anyone else  
10 that uses the grid, and usually the consequences of  
11 not being able to meet that is a controlled, orderly  
12 shutdown of a unit which would not impact bulk system  
13 reliability.

14 MS. COURT: Let me just give you the  
15 classic legal answer from both the PAR Act and the GAS  
16 Act.

17 Both acts, PAR Act here is the relevant  
18 one, prohibit undue preference, undue discrimination.  
19 Unlike some other statutes that forbid discrimination,  
20 our statute forbids undue discrimination. So their  
21 justified discrimination is permissible under the  
22 federal PAR Act, and so you know, if there is a  
23 reasonable justification for discriminating in favor  
24 of one class of customers over another class of  
25 customers, over one customer versus another one, the

1 Commission has spoken to how competition and meeting  
2 competition could be a justification for  
3 discrimination.

4 Contracting by itself is discriminatory.  
5 In other words, the PAR Act is based on contract  
6 carriage, and so is the GAS Act. Entering into a  
7 contract actually is a form of discrimination because  
8 you're locking in a certain amount of capacity or  
9 you're locking something in.

10 So the statute in our regulations,  
11 accordingly, do not prohibit preference for one group.  
12 If the preference is justified, it is not undue, and  
13 that's decided on a case-by-case basis.

14 MR. CAMERON: Okay. Thank you.

15 We've had a request from some people who  
16 may not be here tomorrow to just briefly try to  
17 address this issue which came up before, the issue  
18 being one that Frank Koza also put up for us.

19 So let's take a few more minutes and talk  
20 to this and then we'll adjourn.

21 What level of additional notification or  
22 discussion should there be? And, you know, Frank is  
23 basically saying that there's going to be protocols on  
24 notification, level of trust and notifications will  
25 occur, and Ronaldo, well, someone responds to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generic letter with that. You know, that's a  
2 response.

3 MR. JENKINS: If I was the licensee in the  
4 PJM system and I said, okay, describe -- I was  
5 responding to this question -- describe the procedures  
6 to periodically check with the TSO to determine the  
7 grid conditions, et cetera.

8 I would then go back to the PJM  
9 procedures. I would refer to those as the basis in  
10 which I run my plant and here's processed that we  
11 follow and the notifications that we have committed  
12 to. That would be the answer.

13 MR. CAMERON: Okay. So you've heard  
14 Ronaldo's take on that. Let's -- I'm going to Mr.  
15 Thorson a minute. Let me go to you to see, John, what  
16 you think of that.

17 MR. GRANGER: This is John Granger, FPO.

18 Well, the real question is are you  
19 requiring the nuclear power plant operators to contact  
20 the TSO on a regular basis to, you know, determine  
21 the status of the grid. Is that going to be a  
22 requirement?

23 MR. JENKINS: The GL doesn't contain any  
24 requirements. If you're saying whether the staff has  
25 a preference one way or the other, I don't think that

1 the higher goal, if I can use that term, is that we  
2 are interested in making sure that nuclear power  
3 plants are working with the transmission system  
4 operators to insure reliable off-site power, and we're  
5 not trying to prescribe any particular limits or  
6 numbers or anything of that nature.

7 Obviously if something is working and it's  
8 working well, then we will not have a problem with it.  
9 It's only when there's an indication that this might  
10 create a problem that staff might come back and ask an  
11 additional question.

12 And so that's pretty much -- does that  
13 answer your question?

14 MR. CAMERON: John, this runs through this  
15 whole GL, is that people are reading requirements into  
16 it. How would that question -- how would that read  
17 that would alleviate your concern that there's a  
18 requirement?

19 MR. GRANGER: Well, it simply says  
20 describe the procedures, you know, that you use to  
21 check the TSO periodically. To me that's saying if  
22 you don't have procedures that require you to check  
23 with the TSO, then that's not a desired, okay,  
24 condition.

25 So it seems like it could be reworded such

1 that, you know, if there was an agreement in place  
2 between the TSO and the NPP and it was working and you  
3 were notified if there was a condition of instability  
4 or degradable, then that would be acceptable, period.

5 It's not like there is an onus that we  
6 have to contact the TSO on any periodic basis, you  
7 know, unless there's a problem.

8 MR. CAMERON: Okay, and I think I see some  
9 agreement with you on this and perhaps the staff needs  
10 to think about, even though it's not intending  
11 anything, maybe there's a way to reduce the anxiety of  
12 the way these questions are asked.

13 And let's go to Mike Mayfield.

14 MR. MAYFIELD: Two points. First, Frank,  
15 I think in your presentation you said you'd like to  
16 not create communication centers to deal with this.  
17 As much as I might like to own stock in the  
18 telecommunications world, I don't. So, no, we're not  
19 looking to create communications centers.

20 I did commit this morning to Mr. Rosenblum  
21 that we would go back and look at was it 1(a) versus  
22 1(d), whatever those two questions are. We'll go back  
23 and look at it and try to make clear on this issue.

24 You know, I don't know what more we can do  
25 today. We appreciate the sentiment. We understand

1 the concern, and we'll go back and try and make sure  
2 we're clear on what we're trying to do with these two  
3 questions.

4 MR. CAMERON: Great, and you heard Mike  
5 make that commitment, and I guess I would just ask you  
6 in preparation for tomorrow, did the types of things  
7 you heard today from the NRC staff, including going  
8 back to look at some of these issues, is that getting  
9 to some of the concerns that you have with the generic  
10 letter?

11 Because we want to make sure that we're  
12 making some progress here.

13 And I just would leave you with that  
14 because I think we need to adjourn at this point and  
15 take up tomorrow at 8:30. It's going to be a reprise  
16 of the day today, perhaps more focused, and so I'd  
17 just ask you to think about those questions.

18 If you're not going to be here tomorrow,  
19 if you have a concern, a question, please use one of  
20 the comment cards and fill it out, and we will put  
21 that into the mix.

22 Correct, Ronaldo?

23 MR. JENKINS: Correct.

24 MR. CAMERON: And I just have to ask you  
25 to give this final panel and also will include the

1 previous panel in that round of applause for --

2 (Applause.)

3 MR. CAMERON: And thank all of you. I'm  
4 sorry that we didn't get to everybody today, but we  
5 will get it in the mix tomorrow.

6 (Whereupon, at 4:19 p.m., the meeting was  
7 adjourned, to reconvene at 8:30 a.m., Tuesday, January  
8 10, 2005.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25