

NUCLEAR REGULATORY COMMISSION

ORIGINAL

Title: Advisory Committee on Reactor Safeguards
Regulatory Policies and Practices and
Thermal hydraulic Phenomena

Docket Number: (not applicable)

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Location: Rockville, Maryland

Date: Wednesday, January 25, 2006

Work Order No.: NRC-839

Pages 1-160

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

TROY

**ACRS OFFICE COPY
RETAIN FOR THE LIFE OF THE COMMITTEE**

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

January 25, 2006

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on January 25, 2006, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected and edited and it may contain inaccuracies.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)
+ + + + +
JOINT MEETING OF
THE SUBCOMMITTEES ON
REGULATORY POLICIES AND PRACTICES AND
THERMAL HYDRAULIC PHENOMENA

+ + + + +

WEDNESDAY, JANUARY 25, 2006

The meeting was convened in Room T-2B3 of
Two White Flint North, 11545 Rockville Pike,
Rockville, Maryland, at 1:30 p.m., MARIO V. BONACA and
GRAHAM B. WALLIS, Co-chairmen, presiding.

PRESENT:

WILLIAM J. SHACK	Chairman, Regulatory Policies
GRAHAM B. WALLIS	Chairman, Thermal Hydraulic
GEORGE APOSTOLAKIS	Member
MARIO V. BONACA	Member
RICHARD DENNING	Member
THOMAS KRESS	Member
DANA A. POWERS	Member
WILLIAM J. SHACK	Member
MICHAEL SNODDERLY	Designated Federal Official

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

I-N-D-E-X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

<u>AGENDA ITEM</u>	<u>PAGE</u>
I. Opening Remarks	3
II. Introduction	4
III. ECCS Analyses	25
IV. Containment Analyses	70
V. Risk-Informed Integrated Safety Assessment	101
VI. General Discussion-Including Future Interactions	151

P-R-O-C-E-E-D-I-N-G-S

(1:33 p.m.)

I. OPENING REMARKS

CO-CHAIR SHACK: The meeting will now come to order. This is a joint meeting of the Advisory Committee on Reactor Safeguards Subcommittees on Regulatory Policies and Practices and Thermal Hydraulic Phenomena.

I am Bill Shack, Chairman of the Subcommittee on Regulatory Policies and Practice. Also in attendance is Graham Wallis, Chairman of the Subcommittee on Thermal Hydraulic Phenomena

Members in attendance are George Apostolakis, but he's not here; Mario Bonaca; Richard Denning; Tom Kress, who is not here yet; and Dana Powers.

The purpose of this meeting is to review the staff's proposed regulatory guide in support of a voluntary alternative rule that would allow licensees to implement a redefined large break LOCA and associated risk-informed ECCS requirements.

The subcommittee will gather information, analyze relevant issues and facts, and formulate proposed positions and actions as appropriate for deliberation by the full committee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mike Snodderly is the designated federal
2 official for this meeting. The rules for
3 participation in today's meeting have been announced
4 as part of the notice of this meeting, previously
5 published in the Federal Register on January 10th,
6 2006.

7 A transcript of the meeting is being kept
8 and will be made available as stated in the Federal
9 Register notice. It is requested that speakers first
10 identify themselves, speak with sufficient clarity and
11 volume so that they can be readily heard.

12 We have received no written comments or
13 requests for time to make oral statements from members
14 of the public regarding today's meeting. We'll now
15 proceed with the meeting. And I'll call upon Tim
16 Collins of the Office of Nuclear Reactor Regulation to
17 begin.

18 MR. COLLINS: Thank you, Mr. Chairman.

19 II. INTRODUCTION

20 MR. COLLINS: My name is Tim Collins. And
21 I work in the Division of Safety Systems in NRR. And
22 I am heading up the staff's efforts to pull together
23 a reg guide supporting the 50.46 proposed rule. That
24 rule, of course, is dealing with risk-informing the
25 ECCS performance requirements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The staff has met with the Committee on
2 several occasions to discuss the rule, but this is our
3 first meeting to go over the reg guide. And before we
4 get into the detailed presentations, I would like to
5 just go over what we anticipate our interactions with
6 the committee will be over the next year because I
7 think we'll probably be here several times. Then I
8 will give an overview of the staff's presentations.
9 And then the staff can go on and get into the details.

10 This table here is a summary of what we
11 anticipate our interactions with the committee will
12 be. After today's meeting, we would expect to be back
13 again later in the spring, in April or May. And at
14 that meeting, we would plan to discuss any changes to
15 the reg guide that we think are necessary as a result
16 of our seismic studies.

17 At that time, I think that we would
18 probably want to also discuss the impact of comments
19 that we receive on the rule. The rule is currently
20 out for public comment. The comment period closes on
21 the 8th of March. So if we get significant comments
22 that look like the rule is going to be impacted, we
23 would also have to incorporate that in the reg guide.

24 CO-CHAIR WALLIS: Can I ask you about the
25 rule? On the first page, it seems to say that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rule only applies to current reactors.

2 MR. COLLINS: That's correct.

3 CO-CHAIR WALLIS: And if you build a
4 Westinghouse PWR in the next five years like the old
5 design, it has to go back to the old rule.

6 MR. COLLINS: That's correct the way the
7 rule is written right now.

8 CO-CHAIR WALLIS: It seems a bit strange.

9 MR. COLLINS: Well, it's that I think that
10 is a specific area we have asked for comments from the
11 public on as part of the rulemaking. Should this be
12 applied to other --

13 CO-CHAIR WALLIS: If you build in the
14 future, why shouldn't it apply? It's the same reactor
15 as you already have. I think it would apply to it.

16 MR. COLLINS: I think that's a good
17 comment for the rule.

18 CO-CHAIR WALLIS: I just wondered why you
19 put it in the rule. But, anyway, that's all. You
20 didn't. Somebody else did.

21 MR. COLLINS: We all had a hand in it.

22 CO-CHAIR SHACK: I mean, what was the
23 rationale for that, though?

24 MR. COLLINS: Well, I mean, I sit there
25 trying to figure out why in the world you do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the first place.

2 MR. RUBIN: Yes. I don't --

3 MEMBER BONACA: Wasn't there a provision
4 that you would be able to step back from these changes
5 in case new information, et cetera? I think that
6 would be the reason why.

7 MR. RUBIN: This is Mark Rubin from the
8 staff. At least one reason, the validity of which can
9 certainly be debated, is that the advance designs that
10 are currently on the plate were certified by
11 rulemaking themselves. And so they are sort of frozen
12 and that I don't think any of them would be precluded
13 from coming in and implementing this rule, but without
14 changing the design certification rule that certifies
15 the plants, they're kind of sort of frozen in sort of
16 a time warp, so to speak.

17 CO-CHAIR SHACK: I mean, I can perfectly
18 understand that, but this seems to even preclude the
19 guy coming in and asking to go under. I mean, I can
20 understand that you would now want to make it so that
21 the licensee would have to come in and ask since it's
22 already certified under the old rule, but --

23 MR. COLLINS: That would certainly
24 necessitate a rule change, subsequent rule change.

25 CO-CHAIR SHACK: Yes.

1 MR. COLLINS: Okay. As far as the
2 schedule goes now, if we came back in April and May to
3 a subcommittee meeting with the balance of the reg
4 guide, then we would be looking for a letter from the
5 full committee in May or June supporting us sending
6 the guide out for public comment.

7 CO-CHAIR WALLIS: If we today have trouble
8 with the guide being compatible with the rule, you
9 have a choice of changing the rule or changing the
10 guide or changing both.

11 MR. COLLINS: Yes. The rule is out for
12 comment right now. The guide hasn't even gone that
13 far yet. So everything is up for change at this
14 point.

15 So if we could get the guide out for
16 comment in June, it would then be out in the
17 summertime for gathering comments. Then in the
18 meantime, we would be resolving the comments that we
19 had received on the rule. And we would hope to come
20 back to the committee in September with the final
21 rule. And we would be looking for a letter from the
22 committee on the final rule in the September time
23 frame. Okay?

24 Then we would be gathering and resolving
25 comments on the reg guide in the September-October

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time frame. And we would expect, then, to come back
2 for a subcommittee meeting in November to discuss
3 comment resolution on the reg guide.

4 And then that would be followed by a
5 request for a letter from the full committee in
6 December to release the reg guide for trial use.
7 That's assuming that the rule, of course, goes out.

8 CO-CHAIR WALLIS: That will be the last
9 letter I sign, right?

10 MR. COLLINS: The last letter you sign?
11 Okay. So it looks like we could be having a lot of
12 interactions over the course of the next year.

13 Now, as far as today goes, this slide is
14 a snapshot of the part of the table of contents that
15 -- I think the table of contents came with the reg
16 guide when we sent it to you. Okay?

17 I didn't include the element number one,
18 the first part. Those are basically a lot of
19 boilerplate and a lot of background information. And
20 we didn't think we were going to discuss any of that
21 at this meeting. The format and content are typical
22 of that which is used for any risk-informed reg guide.
23 And it's based on reg guide 1.174.

24 So today our presentations are going to
25 focus on element two, the engineering analysis; and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 element three, the implementation performance
2 monitoring and reporting. We didn't put together a
3 specific presentation on element four. We think the
4 other presentations spill over into that area anyway.

5 The specific presentations that we plan to
6 make are on ECCS analysis and containment analysis and
7 then on the risk-informed integrated safety assessment
8 process. That presentation covers most of element
9 three as well as the risk assessment parts in element
10 two.

11 But there are also two subtopics in the
12 engineering analysis which we didn't really think
13 warranted full-blown presentations, but I'm going to
14 summarize our thinking on those so that we've covered
15 all the different topics. And that is 2.1.4 is
16 radiological consequences and 2.1.5, changes in break
17 frequency and uncertainty. And that's what I was
18 going to go to right now. Okay?

19 With regard to radiological consequences,
20 we concluded that the existing guidance really didn't
21 need to be modified for a plant that wanted to adopt
22 50.46(a). And that's based on the following
23 considerations.

24 First, the LOCA source terms have already
25 been more realistically defined in the alternate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 source term rulemaking. And we really didn't want to
2 get into trying to redefine the source term again.
3 Okay? And, secondly, well, because they are more
4 realistic, we think you can use them in both the DBA
5 and the non-DBA LOCAs.

6 And, secondly, the containment leak rates
7 that are used in the dose assessments are not derived
8 from any mechanistic analysis. You use tech spec
9 values. And then you confirm that by your containment
10 testing.

11 So the changes that are calculated in the
12 containment pressure for non-DBA LOCAs really have no
13 impact whatsoever on the dose calculations. Okay? So
14 the guidance that's out there for both the term that
15 goes into the containment and the leak rate that comes
16 out of the containment applies to non-DBA LOCAs as
17 well as DBA.

18 MEMBER KRESS: I was under the impression
19 that part of that rule was that you kept the pressure
20 at the calculated LOCA value for 24 hours, then
21 reduced it to one-half that value. I don't --

22 MR. COLLINS: You can do that. Well,
23 that's my next point, as a matter of fact. I'm going
24 to use that example in my next point.

25 MEMBER KRESS: Okay.

1 MR. COLLINS: There's a caution in the
2 guidance that we provide. And it says you have to be
3 careful that if you make a change to the plant, it
4 could invalidate some of the underlying assumptions in
5 the existing guidance. And the example is just what
6 Dr. Kress is referring to.

7 I mean, in the current guidance, the
8 containment leak rate can be reduced after 24 hours.
9 And the basis for that is the effectiveness of
10 containment sprays in reducing containment pressure.

11 So if a licensee in using the flexibility
12 that 50.46(a) would provide decided they wanted to
13 modify the use of containment sprays, then that could
14 invalidate that assumption and they would have to
15 change their radiological assessments to make sure
16 that it was consistent with both the intent of the
17 guidance as well as the actual plant configuration.
18 So there's a caution in the guidance particularly
19 aimed at those types of possibilities. Okay?

20 CO-CHAIR SHACK: Now, most of these
21 consequences that we're calculating here are done
22 typically for design basis accidents, but you're going
23 to require them even for the non-design basis LOCAs?

24 MR. COLLINS: Yes. When we looked at the
25 SRM, the Commission said that we were supposed to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 providing mitigation capability up to the double-ended
2 break.

3 And ultimately what you're trying to
4 protect against is dost. I mean, you're trying to
5 protect the public from being over-dosed. So we
6 thought it wouldn't make sense to exclude a
7 calculation for that event.

8 MEMBER DENNING: How does the break size
9 affect the calculation? I mean, in reality, it would,
10 but --

11 MR. COLLINS: I don't think it has much
12 effect, in fact. We really don't think that people
13 will have to do much in the area of their radiological
14 assessments if they adopt this. Pretty much what they
15 have now is pretty much the same as after they adopt
16 50.46(a). Okay?

17 As regards the changes in break frequency,
18 this is section 2.1.5. This section is really
19 addressing the question of whether or not the expert
20 elicitation estimates of LOCA frequency continue to
21 apply to a plant after they start making plant
22 changes.

23 When the expert panel developed their
24 frequency estimates, they assumed or they did it based
25 on their understanding of the way plants had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 historically operated in the United States. And they
2 noted in their report, as a matter of fact, that their
3 estimates were dependent upon that.

4 And so if a plant comes in under 50.46(a)
5 and starts making changes which lead to operating
6 conditions that are significantly different from what
7 we have seen historically, it raises the question of
8 how applicable are the estimates that the expert panel
9 came up with.

10 And so we wanted to add this guidance as
11 a flag that we need to look more closely at this. I
12 mean, the fact of the matter is we don't have a way to
13 correlate small changes in operating parameters to
14 changes in LOCA frequency.

15 So we can't put guidance out there which
16 says "Here are the limits on how far you can go in
17 changing a parameter." We wouldn't have had to use an
18 expert panel in the first place if we could do all of
19 those correlations.

20 But at the same time, we think it's
21 important that this not be forgotten in the reviews
22 that licensees do and in the reviews that the staff
23 does.

24 So if a licensee decides they want to make
25 some dramatic changes to their plant, maybe big

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 changes to their chemistry program, -- who knows? --
2 different change to their flow rates, temperature,
3 operating temperatures, this will serve as a flag that
4 we're going to have to look at that more
5 plant-specifically. And it's something that we're
6 just going to have to work out on a case-by-case basis
7 because we don't know how to provide generic guidance
8 on this sort of a thing.

9 But at the same time, we think it's
10 important enough that we've got to stop and look at it
11 if things start changing dramatically.

12 CO-CHAIR WALLIS: I think you also said
13 that there could be new evidence, there could be
14 evidence of some new mode of failure or something,
15 there could be something which makes you change your
16 break frequencies.

17 MR. COLLINS: Yes.

18 CO-CHAIR WALLIS: I think you have
19 something in the rule or somewhere there, the
20 regulation, which says, in that case, you can go back
21 to the old system, where there were not a lot of
22 plants to take advantage of the --

23 MR. COLLINS: That's correct. That's
24 correct.

25 CO-CHAIR WALLIS: So that's also in there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COLLINS: Yes, that's also in there.

2 CO-CHAIR WALLIS: Which means that a plant
3 that changes, wants to make changes to take advantage
4 of the new rule, has to bear in mind that it might
5 have to sometime change back again --

6 MR. COLLINS: There's a risk involved.

7 CO-CHAIR WALLIS: So it's not going to
8 take away equipment presumably. It's just going to
9 change the way it's operated.

10 MR. COLLINS: Yes.

11 CO-CHAIR SHACK: Yes. That's a question
12 that I had. How much equipment is uniquely associated
13 with the double-ended guillotine break or is it just
14 you're changing operating and design parameters for a
15 whole bunch of other set of equipment?

16 MR. COLLINS: How much equipment is
17 uniquely associated?

18 CO-CHAIR SHACK: Yes.

19 CO-CHAIR WALLIS: It also may be nothing.

20 MR. COLLINS: Right, yes.

21 MR. DINSMORE: This is Steve Dinsmore from
22 the staff. I think one way to answer your question is
23 a long time ago we tried to figure out what people
24 might change, which is one way of addressing your
25 question. And we spent a long time trying to do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And in the end, we decided that it wasn't a good use
2 of our time because it was very complicated. And it
3 might be very plant-specific.

4 So we were directed and we eventually
5 wrote I think a rule, which doesn't really require you
6 to know beforehand what is going to be changed. So I
7 don't think we can really answer your question. We
8 couldn't quite get it out of the --

9 CO-CHAIR WALLIS: I think it is changing
10 some points more than changing hardware. Isn't that
11 what is involved? And it's changing power level of
12 the reactor, which isn't changing the ECCS at all
13 necessarily. I mean, it's not changing the hardware.

14 CO-CHAIR SHACK: Well, one of the other
15 concerns I had was whether the testing that you you
16 would continue to do for your current design basis
17 LOCA would, in fact, cover the equipment that you
18 would need for the beyond design basis LOCA.

19 MR. DINSMORE: We did have lots of those
20 types of conversations. And the net result is we
21 decided --

22 CO-CHAIR SHACK: You can't answer that
23 question generically.

24 MR. DINSMORE: Yes, sir.

25 MEMBER DENNING: Let me ask a question in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the same vein. And that relates to allowed outage
2 times. Would it be likely that allowed outage times
3 would be significantly affected? I can see some
4 equipment now that is there that wouldn't really be
5 needed for smaller size breaks but which might be
6 really necessary for the large breaks in that you
7 might have allowed outage times that are very large.
8 Am I just not understanding?

9 MR. COLLINS: Oh, it's possible, but it
10 should be caught in the risk assessment, the
11 importance of that equipment. And the whole idea of
12 the risk-informing the decision-making process is to
13 put a risk check on exactly the type of situation
14 you're suggesting.

15 It's to allow flexibility where it's not
16 risk-significant and to preclude flexibility where it
17 is risk-significant. That's the ideal of the
18 risk-informing the decision-making process. So
19 hopefully we do it right.

20 CO-CHAIR WALLIS: Now, if it's called
21 further risk, if you now go to, say, 70 percent
22 probability that the system will work, is that going
23 to appear in the PRA?

24 MR. DINSMORE: This is Steve Dinsmore. I
25 think that 70 percent is a thermal hydraulic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 parameter. So it wouldn't --

2 CO-CHAIR WALLIS: It must. I mean, if
3 you're going to back off on whether or not your system
4 will work and meet the criteria for not damaging the
5 core. So hydraulically it's going to appear in the
6 PRA, too.

7 MR. DINSMORE: Well, we would say that the
8 70 percent -- if you have 2 trains running or one
9 train running your 70 percent, if you meet his
10 criteria, that's all it would be in the PRA. We
11 wouldn't put one and a half trains or we wouldn't put
12 the reliability on one and one-half trains in the PRA.

13 CO-CHAIR WALLIS: Well, the probability of
14 it working with all of the trains can now be 70
15 percent.

16 MR. COLLINS: I think Ralph Landry is
17 going to talk about that during his presentation. I
18 don't think that is the correct interpretation.

19 CO-CHAIR WALLIS: There are some other
20 discussions we have had about this matter and other
21 matters, like power uprates, where it seems to be a
22 disconnect between the thermal hydraulic criteria and
23 the PRA.

24 You have to artificially put something
25 into the PRA in order to take account of, say,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 containment over-pressure issues or something because
2 it's not already taken care of. A proper PRA would
3 take care of the risk. And you wouldn't have to then
4 insert it afterwards in some special way.

5 I mean, the thermal hydraulic stuff that
6 we worry about should already be in the PRA.
7 Otherwise, it's sort of two different worlds.

8 MR. DINSMORE: Well, the PRA is a binary
9 model. It's either it works or it doesn't.

10 CO-CHAIR WALLIS: And 70 percent
11 probability or 95 apparently. Is that going to be in
12 there?

13 MR. RUBIN: Well, I think the fact that
14 there is some disconnect is a valid comment, but if we
15 look at the way the basic risk-informed criteria was
16 developed, I think that was acknowledged by the
17 developers as well as the committee which reviewed it
18 in looking at the subsidiary goals of defense-in-depth
19 and maintaining margins.

20 Typically the margins area might look at
21 some confidence interval or reliability of system or
22 competence at meeting some criteria, but that doesn't
23 mean you would model it that way in the PRA. In the
24 PRA, you would be modeling the as-built systems with
25 the component reliabilities that experience in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 modeling would derive for those systems.

2 So I think your observation is a very
3 correct one, but intentionally some of that disconnect
4 was built into the risk-informed decision process.
5 And I think when Dr. Landry discusses how his criteria
6 are used, you may gain some additional insights on
7 that.

8 CO-CHAIR WALLIS: Well, I was asking about
9 this question. I don't think he has enough time. You
10 spoke about margins. Now, the agency has never
11 defined what it means by "margin."

12 And in the language we got for the guide,
13 it sort of said, "Well, the margins are there to take
14 account of uncertainties." But I thought these
15 uncertainties were going to be taken account by this
16 probablistic statistical method.

17 What is it that's taking care of the
18 uncertainties: the margins or the probablistic stuff
19 or is it some mixture of the two or is it two
20 different worlds again?

21 MEMBER DENNING: When you said
22 "probablistic," did you mean realistic with
23 uncertainties, --

24 CO-CHAIR WALLIS: Yes.

25 MEMBER DENNING: -- which isn't the same

1 as probablistic?

2 CO-CHAIR WALLIS: Well, let's say
3 realistic with uncertainties is a probablistic
4 approach, as I understand it.

5 MEMBER DENNING: Yes. Okay.

6 CO-CHAIR WALLIS: You do a Monte Carlo
7 thing and all of that.

8 MEMBER DENNING: Sure.

9 CO-CHAIR WALLIS: And then, somehow or
10 other, you do a separate assessment of margins? I
11 don't see how you can assess a margin without doing
12 the probablistic stuff to tell you what is the
13 probability of being over some limit. That's what to
14 me a margin is.

15 MR. DINSMORE: Well, certainly the PRA
16 methods could be improved. And if they need to be
17 improved to implement this rule, then --

18 CO-CHAIR WALLIS: You're talking about
19 these different worlds, where the margins somehow take
20 care of uncertainties. But they're also taken care of
21 by statistics. And the uncertainties in whether or
22 not the ECCS will work are taken care of by the
23 probablistic stuff that somehow doesn't appear in the
24 PRA at all, but it's called at some other place. Do
25 you see what I mean? I'm sure you --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIR SHACK: But you could do the
2 large break LOCA analysis without using the best
3 estimate approach. You could just take the credit you
4 get from not having to assume the worst single
5 failure.

6 CO-CHAIR WALLIS: You could do all of
7 that. Sure, you could.

8 CO-CHAIR SHACK: And then you just use
9 your conservative analysis.

10 CO-CHAIR WALLIS: That should be like --

11 CO-CHAIR SHACK: So then you're using the
12 margins in thermal hydraulics to account against
13 uncertainties. But coming back to Rich's question on
14 the outage, again, the beyond design basis LOCA isn't
15 just risk-informed here. You're also limiting it in
16 another -- at least I thought it was that you still
17 had to mitigate it.

18 MR. COLLINS: Yes.

19 CO-CHAIR SHACK: So you had a
20 configuration control. That equipment that you need
21 to mitigate it has to be available, right?

22 MR. COLLINS: Right. That's correct.
23 That's correct.

24 CO-CHAIR SHACK: So it's a semi-design
25 basis situation? I mean, you're not looking at beyond

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design basis just purely in terms of risk?

2 MR. COLLINS: Right, right. Well, as soon
3 as the Commission said you had to mitigate it, they
4 did that.

5 CO-CHAIR SHACK: Right. They did that.
6 So there would be limitations on the outages beyond
7 what you would get from just the risk analysis, I
8 think.

9 MR. COLLINS: Well, that's what that --

10 CO-CHAIR SHACK: That's what that
11 statement says. And so you're going to have a
12 configuration control.

13 MR. COLLINS: Configuration control.
14 Right, yes.

15 CO-CHAIR WALLIS: So this 70 percent takes
16 care of the uncertainties in the calculations. It
17 doesn't take care of the input about the probability
18 of something being in service or not being in service.
19 It doesn't take care of that?

20 MR. COLLINS: I don't think it does.

21 CO-CHAIR WALLIS: It could very easily.
22 I would have thought it would. But it doesn't.
23 Again, it's two different worlds. It takes care of
24 the uncertainties in the state of the plant in terms
25 of temperature and things like that, though, these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probablistic things, whatever they want to call them.
2 It takes care of the safety of the plant. It ought to
3 take care of it quickly, but I don't think it does.

4 MR. COLLINS: I don't think we have a neat
5 answer for that.

6 MEMBER DENNING: We can come back to the
7 same. So let's let him go ahead.

8 MR. COLLINS: That was the end of my
9 presentation. If there aren't more questions for me,
10 we can move on to Ralph.

11 III. ECCS ANALYSES

12 MR. LANDRY: My name is Ralph Landry from
13 the staff. I'm in the Nuclear Performance and Code
14 Review Branch.

15 I've packaged together the presentations
16 that I am going to give and that Ed Throm is going to
17 give because they're both thermal hydraulic topics:
18 the ECCS analysis and the containment analysis. So we
19 felt that it was best if we put the two together and
20 we moved directly right from one to the other.

21 Briefly I'm going to go and hit the ACRS
22 presentation history very quickly, then a little bit
23 about the objectives and scope of what we tried to lay
24 out in the regulatory guide, and the approach that we
25 have taken for the ECCS. And then Ed is going to talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 about the approach taken for the containment analysis.

2 Previously we have been to the ACRS on two
3 occasions, in November of 2004 and in March of 2005,
4 talking about the proposed rule and the scope for the
5 rule. We at that those two times said that we were
6 planning to come to you with our proposed regulatory
7 guide to explain further what is intended with the
8 rule and what would be necessary to comply with the
9 rule.

10 The objectives and scope are very simple:
11 to define the acceptable analysis approaches for
12 breaks up to and including the TBS and for breaks
13 greater than the TBS and to define the acceptance
14 criteria for breaks up to and including the TBS and
15 breaks beyond the TBS.

16 The analysis methods, we were starting to
17 hit this when Tim was talking. For breaks up to and
18 including the TBS, licensees today have nothing that
19 is new. There is nothing different in the way that we
20 have been doing business for a long, long time.

21 You can make an analysis that complies
22 with 10 CFR, Part 50, appendix K or you can make an
23 analysis that uses realistic methods and quantifies
24 the uncertainty. And that is pretty well-defined in
25 regulatory guide 1.157, what we find as an acceptable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approach.

2 We haven't defined what constitutes an
3 acceptable approach in great detail. We leave that up
4 to the applicant or the licensee to come in and show
5 what is an acceptable approach for a realistic
6 analysis.

7 However, we have said that the uncertainty
8 has to be demonstrated at a high probability. And we
9 have said in reg guide 1.157 that a high probability
10 is understood to be 95 percent.

11 CO-CHAIR WALLIS: Is it time to talk about
12 that now? I've never seen this just --

13 MR. LANDRY: If you want, but let me get
14 through this part. And then we'll talk about that
15 acceptance.

16 CO-CHAIR WALLIS: We'll talk about 95
17 percent at some later time? Okay.

18 MR. LANDRY: Yes. Let me get through the
19 next. And then we'll talk about the acceptance on
20 both.

21 CO-CHAIR WALLIS: Okay.

22 MR. LANDRY: For breaks greater than the
23 TBS, what can the licensee do? Well, the licensee can
24 still do an analysis that is compliant with 10 CFR,
25 Part 50, appendix K. Of course, they haven't gained

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 anything over what they are doing today other than
2 they can now go back and relax a lot of hardware
3 assumptions, which I'll get into in a few minutes.

4 They can still do the realistic
5 uncertainty determination per reg guide 1.157 or they
6 can come in with another analytical approach. And we
7 haven't defined what that analytical approach is, but
8 I'll have a couple of slides coming up that will say
9 some things that we expect.

10 What we have said in the rule is that you
11 have to come in if you're using another alternative
12 approach, tell us what that approach is. You don't
13 have to submit the approach, but you have to tell us
14 what it is.

15 CO-CHAIR WALLIS: That's what you're
16 saying --

17 MR. LANDRY: And then you maintain the
18 documentation --

19 CO-CHAIR WALLIS: It's in the rule.
20 That's in the rule.

21 MR. LANDRY: I'm sorry?

22 CO-CHAIR WALLIS: That's in the rule.

23 MR. LANDRY: That's in the rule. And you
24 maintain the information on your approach available so
25 that we can come in and law-audit it, look at it if we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1325 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 want to.

2 But we have also said that the uncertainty
3 determination can be done at a much lower level, what
4 we have called a reasonable level, versus the high
5 probability level that we say for the below TBS.

6 CO-CHAIR WALLIS: Do you want to talk
7 about the use of probability at all? The rule says
8 very clearly the criteria is that after any LOCA, the
9 core geometry changes must be such that it remains
10 amenable to cooling. It doesn't say anything about
11 probability.

12 MR. LANDRY: Right.

13 CO-CHAIR WALLIS: It says "must" be such
14 that it remains amenable to cooling. It doesn't say
15 anything about probability at all. How did you ever
16 get this to be a probability? The rule is very clear.

17 MR. LANDRY: In the statement of
18 considerations and --

19 CO-CHAIR WALLIS: Something must be.

20 MR. LANDRY: In the statement of
21 considerations and in the regulatory guide, we have
22 discussed a realistic calculation with uncertainty.

23 CO-CHAIR WALLIS: I'm sorry, but also GDC
24 35, it says, "ECCS must be supplied at such a rate
25 that clad damage that could interfere with continued

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 cooling is prevented." These are very clear
2 statements. How did they ever become some 70 percent
3 of probability or something?

4 MR. LANDRY: Or 95 percent.

5 CO-CHAIR WALLIS: It is a very clear
6 statement in the rule itself.

7 MR. LANDRY: Why would they become 95
8 percent?

9 CO-CHAIR WALLIS: Well, I would ask you
10 that, too. I don't see that's ever been justified.

11 MR. LANDRY: Let's get back, then, to what
12 does the uncertainty mean --

13 CO-CHAIR WALLIS: So I'm not saying you're
14 wrong. I'm just trying to get you consistent in the
15 statements, which are very categorical, something
16 "must" be. And then you suddenly say, "Well, it's all
17 right if it's only 70 percent."

18 MR. LANDRY: No.

19 CO-CHAIR WALLIS: I don't understand how
20 those are --

21 MR. LANDRY: Graham, let me get back to it
22 now.

23 CO-CHAIR WALLIS: Okay.

24 MR. LANDRY: Because there's continued
25 misconception of what does this uncertainty mean,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 calculating a peak cladding temperature -- let's just
2 use that as the metric right now -- with uncertainty
3 at a level of 95 percent simply means that your
4 calculation has captured the highest peak cladding
5 temperature that you could calculate to a probability
6 of 95 percent.

7 CO-CHAIR WALLIS: But it means that --

8 MR. LANDRY: It says nothing about the
9 other five percent.

10 CO-CHAIR WALLIS: -- reactors, that on the
11 average five of them won't.

12 MR. LANDRY: No, no.

13 CO-CHAIR WALLIS: Yes, it does.

14 MR. LANDRY: No. It doesn't say that. It
15 says that you have captured the highest peak cladding
16 temperature that would be calculated at the 95 percent
17 level. There's a five percent probability that you
18 have not calculated the highest temperature. It says
19 nothing at all about that five percent. It doesn't
20 say --

21 CO-CHAIR WALLIS: It says --

22 MR. LANDRY: It doesn't say --

23 CO-CHAIR WALLIS: -- 95 percent --

24 MR. LANDRY: Just a minute, Graham. Just
25 a minute.

1 CO-CHAIR WALLIS: -- will meet the
2 criteria.

3 MR. LANDRY: No, it doesn't.

4 CO-CHAIR WALLIS: That's what you --

5 MR. LANDRY: No, it doesn't.

6 CO-CHAIR WALLIS: -- what you end --

7 MR. LANDRY: It says you calculate the
8 temperature at an uncertainty level. So that means
9 the temperature you have calculated at a 95 percent
10 probability level is the highest. It says nothing
11 about what that other five percent is.

12 And let me go on. If you calculate a peak
13 clad temperature of 2,190 --

14 CO-CHAIR WALLIS: Right.

15 MR. LANDRY: -- 95 percent value, there's
16 a 5 percent probability that you could calculate a
17 temperature higher than 2,190.

18 CO-CHAIR WALLIS: That's right.

19 MR. LANDRY: It could be 2,190.1.

20 CO-CHAIR WALLIS: All you know is that --

21 MR. LANDRY: It could be 4,000. This
22 probability is --

23 CO-CHAIR WALLIS: It is not profound as it
24 was to meet the failure criteria.

25 MR. LANDRY: No, it doesn't say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 "criteria."

2 CO-CHAIR WALLIS: Of course, it does.

3 MR. LANDRY: No, it doesn't.

4 CO-CHAIR WALLIS: That's what you're going
5 to do eventually.

6 MR. LANDRY: It's the probability that
7 your temperature that you've calculated is not the
8 highest temperature.

9 CO-CHAIR WALLIS: I know that, but then
10 you're going to go on and say it's less than some --

11 MR. LANDRY: Now you're going to compare
12 that with the criteria.

13 CO-CHAIR WALLIS: Right. And this is a
14 less than. So all you're doing is bounding whether or
15 not it meets the criteria.

16 MR. LANDRY: What you are saying is that
17 there is a 95 percent probability that the temperature
18 which you have calculated, which is less than your
19 acceptance criteria, is the peak that would be
20 calculated.

21 CO-CHAIR WALLIS: Right.

22 MR. LANDRY: It says zero about the other
23 five percent probability, where that temperature
24 falls.

25 CO-CHAIR WALLIS: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: Except it's higher.

2 MEMBER POWERS: Let me just be sure. I
3 thought I was following you. It is a 95 percent
4 probability that the peak clad temperature is less
5 than or equal to what you calculated?

6 MR. LANDRY: Correct. It says nothing
7 about the other five percent probability.

8 MEMBER POWERS: It could be a tenth of a
9 percent, could be --

10 MR. LANDRY: It could be 1,000 degrees
11 higher. You have no information about that.

12 CO-CHAIR WALLIS: But then you have
13 criteria. So there's 95 percent probability of
14 meeting that criteria. You've reduced that from what
15 you just did.

16 MR. LANDRY: No. You've got a 95 percent
17 probability that I have the highest temperature.

18 CO-CHAIR WALLIS: What is the probability
19 of meeting the criteria, then, if it's less than that
20 criteria?

21 MR. LANDRY: I don't know. It's at least
22 95 percent.

23 CO-CHAIR WALLIS: At least 95?

24 MR. LANDRY: It's at least 95 percent.

25 CO-CHAIR WALLIS: What we have shown is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it's about. What you have shown is it's at least 95
2 percent.

3 MR. LANDRY: It's at least 95 percent.

4 MEMBER POWERS: I'm not sure whether I'm
5 following what the debate is. He calculates a peak
6 clad temperature and says there's a 95 percent
7 probability that the true peak clad temperature is
8 less than or equal to the number I've calculated.

9 MR. LANDRY: Correct.

10 MEMBER POWERS: You compare it against a
11 criterion that says yes, you're less than this
12 criterion.

13 MR. LANDRY: Ninety-five percent
14 probability and less.

15 MEMBER POWERS: You calculated a number.
16 The criterion is here.

17 MR. LANDRY: Yes.

18 MEMBER POWERS: It is a 95 percent
19 probability that the true peak clad temperature for
20 the hypothesized accident is less than this.

21 MR. LANDRY: Correct.

22 MEMBER POWERS: You don't know what the
23 probability is. It's less than the criterion.

24 MR. LANDRY: Right.

25 MEMBER POWERS: It's at least 95 percent

1 probable that it's less --

2 MR. LANDRY: Yes, correct.

3 CO-CHAIR WALLIS: I agree with that
4 entirely, but the only clear statement you can make is
5 that the probability of meeting the criteria is at
6 least 95 percent.

7 MR. LANDRY: Correct, yes.

8 CO-CHAIR WALLIS: And I'm saying if you
9 have 100 reactions and this is a bounding one, you can
10 say, "Well, at least 95 percent of them are going to
11 meet the criteria." You can say that is a sole
12 equivalent statement.

13 MR. LANDRY: Yes.

14 CO-CHAIR WALLIS: Is that really what you
15 want to make as a statement about safety?

16 MR. LANDRY: That's what I'm --

17 CO-CHAIR WALLIS: Based on 100 reactors.

18 MR. LANDRY: But, Graham, that's all an
19 uncertainty analysis allows you to make.

20 MEMBER DENNING: I think that there is a
21 difference, though, Graham. I think that one of the
22 things that isn't discussed here is the difference
23 between variability and epistemic uncertainties. And
24 I think that if you get into the 100-reactor argument,
25 you're discussing potentially variability, rather than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 phenomenological epistemic uncertainties.

2 I think that you can only look at it from
3 that reactor -- I don't think you can say five percent
4 of reactors are going to be above it. What you can
5 say is five percent of realities.

6 You know, we don't understand this
7 universe exactly right. In five percent of the
8 universes out there, you don't meet the criteria.

9 MEMBER POWERS: In five percent of the
10 universes, none of the reactors --

11 MEMBER DENNING: Exactly.

12 MEMBER POWERS: -- would meet the
13 criteria.

14 MEMBER DENNING: That's exactly right.

15 MEMBER POWERS: In 95 percent of the
16 universes, they do. And that's the distinction that's
17 being brought here. And in the world of epistemic
18 uncertainties, a 95 percent confidence is a heck of a
19 confidence.

20 PARTICIPANT: Well, I think you owe it,
21 especially since it's 95/95.

22 MEMBER DENNING: Now, let's talk about
23 that.

24 CO-CHAIR WALLIS: I wonder where that --

25 MEMBER DENNING: Are we going to get to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the 95/95 --

2 CO-CHAIR WALLIS: We can now if you'd
3 like.

4 MEMBER DENNING: Can we get to that now
5 because it isn't clear to me when the agency decides
6 it's going to use a 95 percent probability and when
7 it's going to use a 95 percent probability with a 95
8 percent confidence. And I was wondering if you can
9 address that.

10 MR. LANDRY: That we have specifically not
11 addressed, Rich, for a reason. Because the minute you
12 start specifying probability and confidence, you have
13 now prejudiced the statistical methodology that you
14 must use. You have taken statistical methodologies
15 and thrown them out because they cannot return the
16 confidence level.

17 Response surface analysis can only return
18 probability. It can't return probability and
19 confidence level.

20 CO-CHAIR WALLIS: I am not sure you can
21 ever determine probability exactly without an infinite
22 amount of data. You probably --

23 MR. LANDRY: There are some people that
24 want to argue how many runs you have to make to really
25 --

1 CO-CHAIR WALLIS: If you want 95 percent
2 probability with 100 percent confidence, you've got a
3 large amount of data.

4 MR. LANDRY: Right.

5 CO-CHAIR WALLIS: You've got to specify
6 confidence. Otherwise they're meaningless data.

7 MR. LANDRY: But we as an agency did not
8 want to specify confidence when we wrote the original
9 change to the rule in 1988.

10 CO-CHAIR WALLIS: Plus, it doesn't mean
11 anything.

12 MR. LANDRY: In 1988, Graham, this was
13 done deliberately to not specify confidence because at
14 that point, the mindset was you have to do a response
15 surface analysis to determine uncertainty. And
16 response surface cannot return a confidence.

17 So, rather than prejudice the methodology
18 used, we very specifically said probability only. We
19 did not specify a confidence.

20 CO-CHAIR WALLIS: Then there is not
21 certainty on that probability. Must be.

22 MR. LANDRY: We don't say anything about
23 the confidence level.

24 CO-CHAIR WALLIS: As you know, there is no
25 way that with a finite amount of data, you can get an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 exact probability of anything.

2 MR. LANDRY: No.

3 CO-CHAIR WALLIS: You can toss coins 50
4 times and get half of them heads. It doesn't mean to
5 say that when you toss 100, you're going to get the
6 same number, same proportion.

7 MR. LANDRY: But there's nothing in life
8 that's 100 probable --

9 CO-CHAIR WALLIS: No. I'm just saying --

10 MR. LANDRY: -- except death and taxes.

11 CO-CHAIR WALLIS: You can't define
12 something which is meaningless.

13 CO-CHAIR SHACK: But if I'm doing my
14 estimates in the 95th percentile by order statistics,
15 it makes a very large difference whether I specify a
16 confidence level or not.

17 MR. LANDRY: Yes, it does. If you're
18 going to use our non-parametric method, such as order
19 statistics, and you're going to calculate a 95/95,
20 then you have to make 59 calculations. You have to
21 have a population of 59 to have a 95/95 value.

22 CO-CHAIR SHACK: Yes, but I want to do
23 95/50 because you only asked for 95.

24 CO-CHAIR WALLIS: That's right.

25 MR. LANDRY: Well, if I want -- here we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking about a realistic uncertainty level of a
2 suggested number of 70 percent. Now, that's not a
3 hard number. We're suggesting 70 percent. If we want
4 to do that, my preference would be the calculation
5 would have to be at a high confidence level but
6 relaxed probability level.

7 If I were going to do a 95 percent
8 confidence calculation at a 70 percent probability
9 level, all I have to have is 9 calculations to satisfy
10 those criteria using order statistics because the
11 relationship is confidence is equal to one minus the
12 probability range to the end.

13 CO-CHAIR SHACK: I sort of figured you
14 picked the 70 percent because for most of the kinds of
15 distributions we're talking about, the average is
16 somewhere around the 70th percentile. And so this is
17 really kind of like taking the average.

18 MR. LANDRY: Then we could argue 70
19 percent is a C. We could argue 80 percent. If I
20 wanted to do a 95/80 calculation, I would have to have
21 13 calculations.

22 CO-CHAIR WALLIS: Now, this is predicting
23 that the thing would work at 70 percent. Seventy
24 percent of the time it is going to work.

25 MR. LANDRY: No, no.

1 CO-CHAIR WALLIS: It has a 70 percent
2 probability of it working.

3 MR. LANDRY: This doesn't mean 70 percent.

4 CO-CHAIR WALLIS: You're taking a 70
5 percent probability of it working.

6 MR. LANDRY: This is 70 percent
7 probability that you have captured --

8 CO-CHAIR WALLIS: But it works.

9 MR. LANDRY: Seventy percent of
10 probability that you have captured the peak cladding
11 temperature.

12 CO-CHAIR WALLIS: Take all the
13 uncertainties and --

14 MR. LANDRY: Just a minute, Graham. Just
15 a minute. Keep in mind also the peak cladding
16 temperature is the highest temperature achieved on the
17 hottest rod in the hottest assembly in the core.

18 CO-CHAIR WALLIS: That's something else.

19 MR. LANDRY: It's not saying anything
20 about the whole core. This is the one point in the
21 core that is the hottest.

22 CO-CHAIR WALLIS: I see this the same as
23 manufacturing. You have, say, uncertainty in the heat
24 transfer coefficient. You put it into your computer.
25 And it predicts various values.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LANDRY: Yes.

2 CO-CHAIR WALLIS: It's the same thing as
3 having an uncertainty in the tolerance in the screw
4 that goes into some sort of an automobile. You know,
5 it is an uncertainty, and it goes into the final
6 product. The final product works or it doesn't.

7 Now, you're saying that I should buy a
8 product that has a 70 percent chance of working?
9 That's very difficult for me to understand.

10 MR. LANDRY: No. We're buying a product
11 that has estimated a value at the 70 percent
12 probability level.

13 CO-CHAIR WALLIS: If you wanted to stall,
14 say, what is the probability of this watch working?
15 They say, "Well, we've run a computer program. And 70
16 percent of the time it works." Are you going to buy
17 it? That's the kind of thing you have to explain to
18 the public.

19 I'm not saying you're wrong. But I'm
20 saying you cannot simply out of the air say "70
21 percent." It looks awful.

22 MR. LANDRY: We are suggesting 70 percent
23 as a metric for a reasonable probability.

24 MEMBER DENNING: Why is that a reasonable
25 probability? I mean, it's scarcely more than 50/50.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I would make the argument that it ought to be 95
2 percent that you're taking tremendous credit for these
3 higher break sizes, for not having to do single
4 failure criterion. You know, already there is a
5 tremendous benefit there. And I don't see why -- I
6 mean, that is not even a one sigma, you know.

7 MR. LANDRY: Yes.

8 MEMBER DENNING: And so in 95 percent, we
9 have talked to that as being exceptionally high. It
10 isn't really that high, particularly when you realize
11 that people tend to underestimate uncertainties when
12 they're looking at epistemic uncertainty.

13 MR. LANDRY: Yes.

14 MEMBER DENNING: So I don't see a reason
15 why we wouldn't want a high probability but that we're
16 given a lot of credit associated with these other
17 relaxations for it.

18 MR. LANDRY: It's a valid argument, Rich.
19 I don't disagree with it entirely. We are on the
20 staff attempting to say something that we feel is
21 reasonable. And this is not even out for public
22 comment yet.

23 If the committee would like to make
24 comment, we would be more than happy to hear your
25 argument for a different probability level. And it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a very valid argument to say a higher probability than
2 70 percent because we are relaxing so much on the
3 requirements of the equipment to mitigate.

4 So that's not a bad argument, but we would
5 entertain and listen to different views. This is
6 going to be for public comment. What do you as
7 members of the public feel is adequate or reasonable?

8 MEMBER KRESS: If you had a value for the
9 frequency of the large break LOCAs above the
10 transition break size, you could almost say from a
11 risk standpoint that you don't need any mitigation.

12 CO-CHAIR WALLIS: That's right. That's
13 right.

14 MEMBER KRESS: So did that factor into
15 your assessment that 70 percent probability for the
16 mitigation is a reasonable thing because from a risk
17 perspective, you don't really need anything?

18 MR. LANDRY: No.

19 MEMBER KRESS: That didn't factor into it?

20 MR. LANDRY: We were trying to take a
21 studied reasonable approach that if this is an event
22 that is of a very low probability, what would be a
23 reasonable approach to the analysis and the acceptance
24 of the analysis?

25 MEMBER POWERS: I'll point out that in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 same exact struggling for the source term, another set
2 of people came up with 75th percentile, instead of
3 70th, I mean, virtually the same number.

4 I don't know the rationale by which they
5 came up with that, but they came up with almost the
6 same number when the requirement was to come up with
7 a reasonable. A reasonably conservative number is
8 what they were looking for. And they came up with
9 exactly the same number.

10 The ideology has never been explained to
11 me. And I'm sure I wouldn't follow it if it were.

12 MR. LANDRY: I know we will continue to
13 argue this point, Graham.

14 MEMBER POWERS: As far as I have been able
15 to ascertain, there is no engineering mechanism to
16 pick that input.

17 MR. LANDRY: There is no engineering
18 mechanism that I am aware of that would define what is
19 the appropriate reasonable --

20 MEMBER POWERS: Conservative is just not
21 defined in --

22 MEMBER KRESS: Don't you think it ought to
23 be?

24 MR. LANDRY: It's a judgment call that
25 this is a reasonable and rationale approach.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIR WALLIS: You see, the problem the
2 public has is this sort of thing that you're talking
3 about. This is a safety thing. So it's something you
4 have to relate to some everyday thing, something like
5 a life jacket.

6 Now, your life jacket in a canoe has to
7 really work because the canoe is very likely to tip
8 over. A life jacket in the Queen Mary, too, really
9 will never be used because it's very unlikely to ever
10 have accident. Therefore, the life jackets on the
11 Queen Mary, too, only have to be 70 percent effective.

12 MEMBER KRESS: How about the Titanic?

13 CO-CHAIR WALLIS: It doesn't seem to make
14 sense to the public.

15 MR. LANDRY: The Titanic sunk. Everybody
16 knows that.

17 CO-CHAIR WALLIS: You have to explain it.
18 So you can't just say it. You've got to explain it
19 clearly, justify it.

20 MR. LANDRY: We'll try to work on --

21 MEMBER KRESS: That's why I was saying
22 that probability has to -- the LOCA in the first place
23 has to enter into the judgment.

24 CO-CHAIR SHACK: You're saying for those,
25 a realistic analysis is good enough. And I would say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a realistic analysis is about 70-75 percent. Maybe it
2 is because that --

3 MEMBER KRESS: Because it ain't going to
4 happen anyway.

5 CO-CHAIR SHACK: -- in my distribution,
6 that is about the average. And the average is the
7 realistic value. So to me --

8 MEMBER KRESS: That's one. That's one.

9 CO-CHAIR SHACK: That's my rationale for
10 coming out somewhere around 70-75 percent because that
11 really is the realistic value.

12 CO-CHAIR WALLIS: There's no consumer
13 product and certainly no safety product which would
14 ever be marketed with a 70 percent probability of
15 working.

16 MEMBER POWERS: But that's not --

17 MR. LANDRY: They are not advertised.

18 MEMBER POWERS: It's not what they're
19 advertised and it's not what they're doing here.
20 They're saying there is a 70 percent probability that
21 you will not exceed this rather mild --

22 MEMBER KRESS: For sequences that have a
23 very low probability frequency in the first place.

24 CO-CHAIR WALLIS: You know what I would
25 like to see? I would like to see -- the real thing is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 core damage. That's what's in the rule. Maybe you
2 can say a 70 percent probability of 2,200 means 99
3 percent probability of not damaging the core. Then I
4 understand what you're saying.

5 But if 70 percent probability of 2,200
6 means 70 percent probability of not damaging the core,
7 that is not consistent with what it says in the rule.
8 So you haven't made that connection for me at all.

9 MR. LANDRY: We'd better move on past this
10 slide or we're never going to get --

11 CO-CHAIR WALLIS: I'm sorry. If you need
12 all day, it's clear. I'm very sorry to hold you up,
13 but I think it's an important issue. And you know
14 that, too.

15 MR. LANDRY: We have argued. We have
16 discussed this before in various other presentations,
17 not just on this rule, with the Commission. I'm sure
18 we'll keep going on it.

19 CO-CHAIR WALLIS: You see, now you're
20 equating coolable geometry with this.

21 MR. LANDRY: Right.

22 CO-CHAIR WALLIS: And so there's no margin
23 apparently to --

24 MR. LANDRY: Let me read my slide. Okay.
25 The acceptance criteria, which we are reiterating in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the reg guide, is that for breaks less than or equal
2 to TBS, you stay with the current criteria.

3 And for breaks greater than the TBS, we
4 said that there are only two criteria, that you must
5 maintain a coolable geometry and that you must provide
6 long-term cooling. But we have stated in the
7 regulatory guide that today the understanding of the
8 staff is that a coolable geometry is a PCT less than
9 or equal to 2,200 degrees, maximum local oxidation
10 less than 17 percent, and hydrogen generation
11 equivalent to core-wide oxidation level of one
12 percent.

13 CO-CHAIR WALLIS: So the core might
14 actually only be damaged to 25, and it's irrelevant.
15 We've defined it this way.

16 MR. LANDRY: We've defined it this way.
17 Now, what we have said is that should a licensee not
18 want to use those criteria, you can come forward and
19 propose alternative criteria. But if you're going to
20 propose alternative criteria, you have to give us a
21 statement or the purpose of the proposed criteria.
22 And then you have to give us a basis for your
23 criteria, including your database.

24 The assumptions, you have to give us an
25 uncertainty analysis on that database. You have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provide a validation and assessment, but you don't
2 have to submit this material. As with an alternative
3 approach to the analysis or breaks greater than the
4 TBS, where you maintain the material, you simply tell
5 us what you have done and you maintain the material,
6 here also simply tell us what your criteria area. And
7 you maintain available for staff inspection all of
8 this supporting information.

9 This is to allow proposition of some other
10 alternative criteria for what defines coolable
11 geometry. Now, the staff today, we don't have that
12 information or we are not aware of a strong
13 justification for another definition. If somebody has
14 one, we would be --

15 CO-CHAIR WALLIS: You all should be
16 realistic about core damage now. Twenty-two hundred,
17 does that mean there is a one percent chance of the
18 core being damaged if you go above 2,200 -- it doesn't
19 matter how long you're there for for one thing -- or
20 is it 50 percent chance or is that really a very
21 conservative bound?

22 MR. LANDRY: That's a very conservative
23 bound.

24 CO-CHAIR WALLIS: Well, when we say 70
25 percent chance of meeting 2,200, that might mean 99

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent chance of avoiding damage.

2 MR. LANDRY: You mean --

3 MEMBER POWERS: At least my particular
4 understanding of the 2,200 level criteria was that if
5 you go up to 2,200 and spend any significant amount of
6 time there -- and "significant" can be a fairly short
7 period of time -- you will absorb enough oxygen such
8 that when you cool that core down, the clad will be
9 embrittled. And you are very likely to shatter the
10 core.

11 A shattered core has been deemed difficult
12 to cool. Now, by far, there is no demonstration of
13 that. The break-up of the core is likely to be coarse
14 enough that it may be coolable, but it would be
15 difficult to assure that it's coolable.

16 CO-CHAIR WALLIS: Well, I guess my point
17 is that --

18 MEMBER POWERS: Getting to 2,200 in
19 itself, you could -- I mean, as far as damaging the
20 core itself just by temperature, you would sit there
21 for all eternity and it would not be anything you
22 would get -- it's a very, very slow release of --

23 CO-CHAIR WALLIS: But it has embrittled
24 it. So when you finish it, you --

25 MEMBER POWERS: When you cool it down, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 cold ductility of the clad is nil or essentially nil.

2 CO-CHAIR WALLIS: What I guess I am asking
3 for is to make a bridge between some percentage
4 probability of getting over 2,200 and some probability
5 of real core damage.

6 Let's see if I can sort of link to the PRA
7 because if the core damage really switches on at
8 2,200, you would want to avoid it with I think a
9 higher probability than 70 percent.

10 CO-CHAIR SHACK: But if it doesn't happen
11 any more frequently than 10^{-5} , you're total risk is
12 still pretty small.

13 CO-CHAIR WALLIS: That is also true.

14 MR. LANDRY: If it is 10^{-5} , then you have
15 another probability of exceeding that at 10^{-2} .

16 CO-CHAIR WALLIS: I might as well say I
17 don't care. I'd just say --

18 MR. LANDRY: On top of that, you have a
19 10^{-7} .

20 CO-CHAIR WALLIS: Why cool it all above
21 TBS if the probability is so low?

22 MR. LANDRY: Because on the structure.

23 CO-CHAIR WALLIS: I feel as if you've sort
24 of got two legs and you're doing a split here.

25 CO-CHAIR SHACK: Right. Let me understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this. Do we work on a Napoleonic code here or common
2 law when it comes to this? That is, do you have to
3 prove that they're wrong when you go out and inspect
4 or do they have to prove that they're right?

5 MR. LANDRY: We haven't defined that, but
6 what we have said is this is our understanding of
7 coolable geometry today. If you want to, take an
8 alternative approach. That's fine with us.

9 But you have to have a rationale for that
10 alternative approach, and we have to have a basis, a
11 strong basis, based on data, not just we think it
12 would be better to use this. You have to have a basis
13 for your alternative approach, but you don't have to
14 submit it to us.

15 CO-CHAIR SHACK: No. When they come here
16 with a code, you beat them up. Now, when you're going
17 out there and inspect, what are you do?

18 MR. LANDRY: We are going to go out and
19 say, "We want to see all of this documentation that
20 supports the basis for your alternative criteria."
21 And we will inspect it with a critical eye.

22 We're not with the intent of "This is
23 wrong. We're going to shoot it down. We're going to
24 look for everything we can to shoot it down." We want
25 to go and inspect it and see, do you have a strong

1 technical, rational experimental data basis for what
2 you are suggesting? If it's supportable, okay.

3 MEMBER DENNING: I think the burden of
4 proof question is really a good one, Bill, because
5 this is such a difficult area to develop a really
6 convincing analysis for. I think you ought to put the
7 burden of proof on them, not on the inspectors or
8 staff, to say, "No, you're wrong." It ought to be
9 they ought to be able to really demonstrate why
10 they're right.

11 MR. LANDRY: Okay. Well, we're trying to
12 do that, Rich, because we're trying to say that if you
13 want to propose this alternative, you have to have all
14 this there, but --

15 MEMBER DENNING: Well, why isn't it then
16 you propose it to us? You're not doing that. And
17 it's obviously, at least from somebody's perception,
18 easier to do that, I think.

19 MR. LANDRY: It's another comment to make.
20 That's a valid comment. Have we not gone far enough
21 in demanding submittal?

22 Okay. For the ECCS analysis for breaks
23 greater than TBS, a little bit ago, when we started
24 talking about the relaxed probability, we talked about
25 some of the reasons for relaxation. And some of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 are the assumptions that are being relaxed in the
2 analysis requirements.

3 You no longer have to use a locked reactor
4 coolant pump rotor in the analysis, but you do have to
5 use the proper coast-down resistance for the pump from
6 an applicable homologous curve. And you don't have to
7 use off-site power. You can have off-site power that
8 is available. You don't have to use the loss of
9 off-site power assumption, which means a great deal
10 because now you don't have to consider diesel start
11 time because you don't need the diesels.

12 You don't have to consider you have lost
13 the entire train of ECCS. All the trains are
14 available. You don't have to take the worst single
15 failure in the near analysis approach.

16 CO-CHAIR WALLIS: That makes sense to me.
17 That makes sense to me. It's just like saying when
18 you brake your car, you don't have to assume that one
19 of the brake lines isn't available. But you still
20 expect the brakes to work.

21 MR. LANDRY: Correct.

22 CO-CHAIR WALLIS: Take away all of these
23 conservative assumptions, but then you expect the
24 system to work. I think that would be a defensible
25 position.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LANDRY: Okay. And we have also said
2 that you can use non-safety-grade equipment in the
3 mitigation of the event, but if you're going to do
4 that, you have to maintain that equipment as
5 available.

6 And if you're going to take credit for
7 non-safety-grade equipment, you have to be able to
8 show that that equipment can operate under the
9 conditions that it will be exposed to post-accident.

10 You can't take credit for a pump operating
11 when it cannot withstand the relative humidity,
12 temperature, pressure conditions that it will be
13 exposed to. You can only use accredited equipment
14 when it can be shown to be capable of operating under
15 the conditions appropriate.

16 MEMBER POWERS: Well, if I tested
17 something, a piece of equipment, under the conditions
18 of the accident, some of them would fail and some of
19 them would not fail. When I do that test, what
20 confidence level do I have to have that will be able
21 to survive under the accident conditions?

22 MR. LANDRY: We haven't put any
23 requirements on confidence levels of survivability.
24 We could go back to the PRA and say, "According to the
25 PRA, what are the availability and operability of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equipment?"

2 MEMBER POWERS: The PRA can't tell you.

3 MR. LANDRY: And if it says one percent,
4 you know, use an extreme. You can't take credit for
5 this.

6 MEMBER POWERS: The PRA can't answer that
7 question until they get the results of my experiment.
8 Okay? I mean, they have to have a success criterion
9 to plug in. And what I'm asking is, what kind of a
10 number should I give them?

11 I mean, if I run a pump under the steam
12 and temperature conditions, it's very likely to
13 succeed. And I guarantee you if it didn't succeed, I
14 would run a second pump until I got one that survived.

15 Now, how much of that data do I have to
16 report?

17 MR. LANDRY: We haven't made any judgments
18 on that.

19 MEMBER POWERS: Don't you have to?

20 MR. LANDRY: I don't know if the PRA
21 people could help me out on that, but --

22 MEMBER POWERS: They can't. Until they
23 have my experiment, they can't hep you.

24 MR. LANDRY: No. I'm sorry, Dana, but we
25 haven't. We haven't discussed if a piece of equipment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 were going to be credited, what kind of statistical
2 database has to be available for that piece of
3 equipment.

4 CO-CHAIR WALLIS: It seems to me it should
5 be treated the same way you treat the heat transfer
6 coefficient.

7 MEMBER POWERS: That is what I was
8 thinking. That is what I was thinking.

9 MR. LANDRY: There really does need to be
10 a database available because we're not talking about
11 a plant going out and adding a non-safety-grade pump
12 simply to use. We're talking about a plant that is
13 already in existence that has all of its hardware.
14 And they have had testing of all of their equipment.
15 They maintain their equipment.

16 What has been the testing history of the
17 equipment? Does that support use of this
18 non-safety-grade component?

19 MEMBER POWERS: There's a great deal of
20 the testing of environmental qualification that
21 consists of getting one to work.

22 MEMBER KRESS: I was assuming that's what
23 that meant, that it had to undergo the same EQ
24 requirements that a safety-grade pump would. That's
25 how I interpreted it. Is that the wrong

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 interpretation?

2 MR. LANDRY: No because then you're making
3 it a safety-grade pump.

4 MEMBER KRESS: No. I'm making it go
5 through the same EQ.

6 CO-CHAIR WALLIS: Is it the accident that
7 makes it not work or is it something wrong with the
8 pump itself that makes it not work?

9 MR. LANDRY: Well, I used a pump. If it's
10 an electric motor --

11 MEMBER KRESS: Yes. It could be --

12 MR. LANDRY: If it's a motor-driven pump
13 --

14 CO-CHAIR WALLIS: If it's away from the
15 accident, I would expect it to work.

16 MR. LANDRY: Well, yeah.

17 MEMBER POWERS: A lot of these things are
18 in an unusual environment.

19 CO-CHAIR WALLIS: Most pumps work. The
20 pump in my basement works thousands of times without
21 being a problem at all. I expect a reactor pump to
22 work even better. What is the problem?

23 CO-CHAIR SHACK: I think it is
24 commercial-grade equipment. It is designed to work
25 under these conditions. It has not gone through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 full EQ program to demonstrate it.

2 MEMBER DENNING: Well, there is a question
3 of environmental conditions. You know, we --

4 CO-CHAIR WALLIS: Is that the problem? Is
5 that the problem?

6 MEMBER DENNING: I think it's
7 environmental conditions. Would it really survive the
8 special environmental conditions, which it hasn't been
9 tested for?

10 CO-CHAIR WALLIS: But it would be nice to
11 put it into the probablistic analysis, incorporate it
12 in there.

13 MEMBER POWERS: But understand you cannot
14 do that without doing my experiment.

15 CO-CHAIR WALLIS: But, then, how do you
16 get a heat transfer coefficient? You do experiments,
17 too. It's subject to the same problem.

18 MEMBER POWERS: No. We just look up the
19 heat transfer coefficient.

20 CO-CHAIR WALLIS: Oh, you've established
21 --

22 (Laughter.)

23 MR. LANDRY: We've said in the rule and in
24 all the materials supporting that FAR analyses for
25 breaks greater than the TBS, all that must be done is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to tell us what methodology you've used.

2 But you must maintain for inspection the
3 documentation that supports your analysis, analytical
4 model requirements, the model methodology code
5 description, and on down.

6 These are the typical supporting
7 documentation that we would require be submitted today
8 under the current 650.46.

9 CO-CHAIR WALLIS: Did it say they would
10 finalize this thing with RELAP 5 and the code outputs
11 are all in the drawer somewhere? Isn't that the sort
12 of thing they would say?

13 MR. LANDRY: Then they would have to
14 maintain their user guideline materials. They would
15 have to maintain the model description manuals and so
16 forth. Yes, they have to keep those there.

17 CO-CHAIR WALLIS: Under what circumstances
18 would you go and look at them?

19 MR. LANDRY: We haven't defined those
20 circumstances yet.

21 CO-CHAIR WALLIS: It seems funny. There
22 is no entree that you have. There's no sort of way
23 that you can justify when you do or do not take
24 action, it seems to me, here.

25 MR. LANDRY: We have tried to be careful

1 to not specify in the regulation or the supporting
2 documentation what would trigger an inspection and
3 audit. We're keeping that still at staff's
4 description there.

5 CO-CHAIR WALLIS: If the public is looking
6 over your shoulder and you're looking after the public
7 interest in assuring nuclear safety, what do you say
8 to them when you say there is something available
9 there which we or might not go and look at? How do
10 you assure them that everything is okay?

11 MR. LANDRY: We'll have to make that
12 judgment when we get a submittal and we determine that
13 this methodology --

14 CO-CHAIR WALLIS: What's wrong with having
15 them submit it?

16 MR. LANDRY: Burden.

17 CO-CHAIR WALLIS: Then you have checked it
18 off and there is some kind of a -- so you can assure
19 the public that "Yes, we have looked at it, and it's
20 okay."

21 MR. LANDRY: We simply just made the
22 decision that since the probability of the event is so
23 low, that that was not a necessary burden to add on,
24 that we would simply require that the material be
25 made available or kept available so that if we want,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we can go and inspect it.

2 CO-CHAIR WALLIS: That's a bit funny
3 because I just bought a ladder so I can escape from my
4 house in a fire. And I think it's been sort of tested
5 and so on.

6 The probability of that is very small. If
7 you're looking for statistics, the probability of my
8 having to escape my house is probably times small, but
9 I still want to make sure that someone has validated
10 the design and all of that.

11 MR. LANDRY: Did you require that they
12 submit the database to you? It's available.

13 CO-CHAIR WALLIS: I'm trying to protect
14 you in a way from going out there and putting yourself
15 in a position where the newspapers get a hold of it or
16 something and people start looking for a rationale
17 that you have to supply to the public, not just to us,
18 because I think we can probably understand your
19 rationale.

20 MR. COLLINS: Excuse me. This is Tim
21 Collins. We have to go back to what the Commission
22 was trying to accomplish in the first place when they
23 wanted to go forward with this rulemaking.

24 I mean, it was their decision that they
25 wanted to focus our attention on the more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 risk-significant events. And following the work of
2 the expert elicitation panel, which indicated that
3 these large break LOCAs are of such low probability,
4 the Commission said, "Okay. Let's not spend a lot of
5 time and effort looking in this area." So all this
6 stuff we're talking about is beyond the TBS, the
7 extremely low probability initiating events.

8 And we were basically instructed by the
9 commissioners to cut back on what a licensee needs to
10 do in this area. Okay? And so all the stuff you're
11 seeing here are ways we think we can cut back without
12 cutting into the major risk contribution or the
13 contribution of risk from these events to start with,
14 --

15 CO-CHAIR WALLIS: I understand what you're
16 doing.

17 MR. COLLINS: -- which is driven by the
18 initiating event.

19 CO-CHAIR WALLIS: But if I go back and
20 talk to my friends and professional colleagues and
21 students about what is going on here, I have to be
22 able to explain to them why it makes sense to them.

23 I think that you are so focused on
24 satisfying the Commission. I hope somebody is
25 explaining it in a way that is going to satisfy the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 other people.

2 MR. LANDRY: We're not only trying to
3 satisfy the Commission, Graham. We're trying to be
4 reasonable in what we're asking.

5 CO-CHAIR WALLIS: Yes. I understand that,
6 too. I think that's important.

7 MR. LANDRY: We're trying to be consistent
8 with the probability of the event.

9 MR. COLLINS: Yes. The primary answer to
10 explaining it to anybody is that we believe the
11 initiating event probability is so low for these large
12 break LOCAs, they don't warrant a whole lot of special
13 protection. And if the people can't accept that, then
14 that's the issue right there. It's not this other
15 stuff.

16 MEMBER KRESS: Then you have to answer the
17 question, how do you know it is so low? Then you say,
18 "Well, we got a bunch of experts together. And they
19 told us it was low."

20 And I'm a member of the public. When I
21 hear that, I sort of "I can understand it. I agree
22 with it. We have no other option."

23 MR. COLLINS: Somebody has got to make
24 those decisions somewhere. Okay? And the Commission
25 has made that decision. At this point we're trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 implement it as we understand it.

2 Now, if the public has a significant
3 problem with that, the rule is out there for comment.
4 So the public can let us know that they don't want to
5 go that way.

6 MEMBER KRESS: Well, except your public
7 when you go out for comments is rarely the public.

8 MR. RUBIN: Well, even with the low
9 expectation, the frequency of this challenge, the
10 Commission guidance and the way the staff has
11 formulated the rule and the acceptance criteria is
12 with the expectation of success if this low frequency
13 challenge were to occur given the available equipment
14 and the changes they make to the plant to implement
15 50.46(a).

16 So based on the thermal hydraulic
17 calculations that Ralph is talking about, it is our
18 expectation that adequate core cooling will still
19 occur.

20 CO-CHAIR WALLIS: That's exactly my
21 trouble. I believe that. I think that is a very good
22 goal. I like it in the rule. But, then, does 70
23 percent meet that? I don't think so. Expectation
24 that it will work with a 70 percent probability is not
25 much confidence, is it? It's not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CO-CHAIR SHACK: There are not many other
2 10⁻⁵ events you design for.

3 CO-CHAIR WALLIS: Yes. But, you see, he
4 just said that, even then, you expect it to work.

5 MEMBER DENNING: Well, let's move along
6 because there are other areas we want to criticize.

7 MEMBER KRESS: That was my comment about
8 the expert opinion, that the way you offset that is by
9 how an expectation is going to work anyway. And
10 that's where I have the problem with the 70 percent
11 also.

12 MR. LANDRY: Okay. With regard to the
13 documentation and the analyses provided above the TBS,
14 you're saying that you must still maintain good
15 quality assurance practices. You must have QA that's
16 consistent with appendix B. That applies to the
17 analytical model, its development, assessment, and
18 application.

19 So, to summarize the analysis, except for
20 breaks up to and including the TBS, you have to follow
21 all the rules currently in place. For breaks beyond
22 the TBS, you may use the current analytical methods or
23 an alternative, but the documentation relative to the
24 analytical methodology used must be maintained for
25 staff inspection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We have allowed considerable relaxations
2 in assumptions on equipment for breaks beyond the TBS.
3 And we're still insisting, though, that there has to
4 be good quality assurance practice that is followed.

5 If there is no more on the ECCS, I'll let
6 Ed Throm come up and explain the containment to you.

7 CO-CHAIR WALLIS: You have a very short
8 section on safety margins in the guide. There's a
9 section about so long and three or four inches on
10 safety margin.

11 It sort of doesn't help me at all. It's
12 that the safety margins are there to compensate for
13 uncertainties. I thought that was what you were doing
14 in the statistical methods.

15 I didn't really see how your discussion of
16 safety margins helped at all. It didn't seem to
17 define anything which was meaningful to me. Is that
18 going to be clearer in the future?

19 MR. LANDRY: If that is what you would
20 like clarified, we'll take that back and look at it
21 further.

22 MEMBER DENNING: Let me make a comment in
23 the uncertainty section, too. I didn't think that
24 this 2.1, 2.1.1, .2 uncertainty -- I didn't see a
25 major distinction between the uncertainties that were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 code uncertainties and then the rest of the paragraph.

2 And I thought that you might want to say
3 something about variability. I think that, really,
4 what you're doing is you don't allow credit for
5 variability. I think --

6 MR. LANDRY: Right, right.

7 MEMBER DENNING: So I thought you might
8 help that section a little bit by discussing
9 variability and then --

10 MR. LANDRY: Okay, Rich. I'll take that
11 comment back and look at it further.

12 IV. CONTAINMENT ANALYSES

13 MR. THROM: Good afternoon. My name is
14 Edward Throm. As of January 8th of this year, I moved
15 over to the Nuclear Performance and Code Review Group,
16 basically reactor systems, out of the Containment
17 Group. So I am kind of wearing two hats right now
18 until I train someone to kind of take over and pick up
19 on some of the containment work.

20 You know, the first thing I would like to
21 point out is that containment response analyses are
22 not only directed at LOCA. We also look at main steam
23 line breaks and feedwater line breaks.

24 CO-CHAIR WALLIS: Excuse me. Excuse me.

25 What are we looking at for papers here?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. THROM: It should be following
2 Ralph's?

3 CO-CHAIR WALLIS: Does it?

4 MR. THROM: Page 13.

5 CO-CHAIR WALLIS: Page 13 says "Risk
6 Assessment Reporting Requirements." That's pretty
7 clever. We don't have Ralph's? We don't have
8 Ralph's. So that's the only thing I have. Okay.
9 Thank you.

10 MR. THROM: Ralph did have the handout.
11 Do you have them now?

12 CO-CHAIR WALLIS: Yes.

13 MR. THROM: Okay. I wanted to point out
14 that the containment response analyses are not only
15 done for LOCA. They're also done for main steam line
16 breaks. And feedwater line breaks have been
17 considered. Traditionally they have been shown not to
18 be a significant actor within the framework, but, you
19 know, through trial, through the process.

20 We don't typically look at them because
21 they are not limiting, but, even as a result of the
22 rule change, the licensees will still have to look at
23 the main steam line break as far as containment
24 pressure responses go. And there will be no change in
25 that based on the current way we do business in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conservative guide.

2 Basically these analyses are done to
3 demonstrate that the pressures and temperatures remain
4 within design limit. And, of course, they're used to
5 evaluate the safeguards equipment, whether it be
6 sprays, coolers, ice condensers, the ice weight, and
7 BWRs, the suppression pool temperature performance.

8 Also, diesel loading times, when do you
9 need some of these safety-grade systems to be
10 available? So it deals with how long does it take to
11 get coolers started? How long does it take to get
12 pumps started for sprays or RHR systems, for
13 suppression pool cooling?

14 That's part of what goes into looking at
15 the containment analysis as well as what I call
16 auxiliary system performance. And that basically
17 deals with the heat exchangers and how they are
18 modeled, how much water is going to them.

19 CO-CHAIR WALLIS: Could I ask you now
20 about this "demonstrate pressure and temperature
21 within design limits"? Does that apply to a LOCA when
22 the ECCS works or does it apply to this 5 or 30
23 percent, whatever they are, cases where it doesn't
24 work, may not work with some probability?

25 MR. THROM: I will try to address that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 when I get to the later-on presentation about what
2 might be done as far as the analysis goes. I could
3 step to it now.

4 CO-CHAIR WALLIS: How does it handle a
5 case where the core gets embrittled or is that beyond
6 DBA?

7 MR. THROM: That would be beyond where I
8 think we're trying to go in this thing. The way
9 containment analyses are done today -- let's just take
10 as an example there -- is there is a little bit of an
11 opposite swing between the analyses. When they do the
12 core ECCS analysis, their objective is to make sure
13 that the heat stays in the reactor vessel because that
14 is the worst thing to do. So I want to look at the
15 containment response.

16 I do a similar type of calculation for the
17 blow-down of the fluid from the reactor system, but I
18 do my analysis to make sure the energy and the mass
19 get released in a conservative faster fashion.

20 So in today's environment, even if people
21 are doing a statistical LOCA approach, when they're
22 going and looking at containment, I think for the most
23 part, they're still staying with their currently
24 approved methodologies, which would be basically the
25 double-ended guillotine break, with mass and energies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculated based on the guidance in the regulatory
2 guide.

3 CO-CHAIR WALLIS: It doesn't bring in a
4 hydrogen probe or something like that?

5 MR. THROM: No, it does not. In today's
6 environment, what is typically done in the containment
7 response is the energy from the hydrogen, the one
8 percent hydrogen, is put into containment as well as
9 the hydrogen itself is a non-condensable because it is
10 going to infect the heat transfer coefficient to be a
11 conservative analysis.

12 Ultimately, you know, containment analyses
13 are used to determine whether or not the ultimate heat
14 sink is adequate for its job of ultimately removing
15 the heat from the reactor.

16 Other purposes for containment response
17 analysis are equipment qualification, temperatures,
18 and profiles, to go back to the question we had
19 previously, because it's a thing that we would allow
20 in containment, too, was to be able to credit
21 non-safety systems.

22 I would think that the current equipment
23 qualification envelopes that have been calculated to
24 date based on the large double-ended guillotine break
25 in using the guidance from the reg guide -- and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there's also NUREG 05-88 -- is basically the guideline
2 the staff uses for equipment qualification.

3 We have temperature, pressure profiles
4 that any of this equipment could be matched again.
5 You know, what do you have? Basically, the only thing
6 that is probably really available that is not
7 safety-related is in those plants that don't have
8 safety-related coolers, which either rely on ice
9 condensers or rely on sprays as their mitigation and
10 cooling system.

11 You know, you would probably be
12 hard-pressed to look at those coolers and say they
13 could operate in above-boiling temperatures that you
14 would probably see in containment for, you know,
15 beyond the transition break, large double-ended
16 guillotine break.

17 What we're trying to do is say we would
18 not be adverse to looking at whether or not there was
19 something there that could operate. And, of course,
20 we would have to have confidence that it would
21 operate.

22 I think we would look at it the same way
23 we look at equipment qualification. It might be
24 necessary for a particular licensee to go back to a
25 manufacturer and get some bench testing done to see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether or not his feeling on the equipment is
2 adequate, but we don't want to basically just throw it
3 out out of hand and there might be something in some
4 specific design where someone does have something that
5 he could take credit.

6 It might very well be that things are
7 progressing at such a rate that I could credit maybe
8 10-20 minutes worth of operation for a system that I
9 typically wouldn't. But we want to leave it open that
10 we be receptive to listening to an argument in that
11 area.

12 Another thing that is done for containment
13 response analysis is for pressurized water reactors,
14 there is a minimum containment pressure for ECCS
15 performance that is calculated.

16 This is an opposite calculation to the
17 peak pressure. It goes into the back pressure that is
18 basically used in the ECCS analysis. You know, you
19 want to have a minimum pressure because it makes the
20 core response a little bit worse. So it's another
21 calculation that gets done that influences the way you
22 want to handle your containment analysis as you go
23 through this process.

24 CO-CHAIR WALLIS: Are you going to take
25 containment pressure credit for NPSH for BWR or are

1 you going to do something similar?

2 MR. THROM: That's a different --

3 CO-CHAIR WALLIS: Do we also do a minimum
4 containment pressure analysis?

5 MR. THROM: Yes. But this analysis is
6 used for the ECCS performance. And that's basically
7 to look at what the containment back-pressure is and
8 how it impacts the reflood rate.

9 CO-CHAIR WALLIS: Because when you really
10 need the containment is after you have had some damage
11 to the fuel, isn't it? That's when you really need
12 it.

13 MR. THROM: Yes.

14 CO-CHAIR WALLIS: That's when you want it
15 to work.

16 MR. THROM: Right, although the objective,
17 first-line objective, is to prevent damage to the
18 fuel.

19 CO-CHAIR WALLIS: But the containment
20 doesn't do that.

21 MR. THROM: No, no. It's the
22 defense-in-depth.

23 Okay. The containment criteria and
24 guidance are found basically in for the general design
25 criteria. It's general design criteria 16, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially says containment should be a leak-type
2 barrier against the uncontrolled release of
3 radioactivity and that the containment design
4 condition is important that safety not be exceeded as
5 long as the postulated accidents require. Okay?

6 Now, I'm pointing that out because the
7 next three, actually the containment heat removal only
8 addresses LOCA and containment design base, GDC 50,
9 addresses containment design basis for LOCA. Okay?
10 So we do look.

11 That's the reason we still look at the
12 main steam line break, is basically because of GDC 16.
13 One would think that a plant going to 50.46(a), if he
14 were doing his LOCAs up to his transition break size
15 with the containment, he's still going to be limited
16 in terms of what he can do because he still has to
17 analyze the main steam line break.

18 The guidance that we use, again, it's in
19 the standard review plan. It's 6.1.1.1(a) if you're
20 an atmospheric or subatmospheric containment, (b) if
21 you're an ice condenser, and (c) if you're a BWR.
22 That defines the way we look at the containment
23 analysis itself.

24 CO-CHAIR WALLIS: Is there anything
25 different? I couldn't find it in the reg guide about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 below transition break size and above transition break
2 size --

3 MR. THROM: It's there.

4 CO-CHAIR WALLIS: -- frequency of the
5 containment? I couldn't find anything.

6 MR. THROM: I'll go over it, but it
7 basically parallels what Ralph has just basically
8 said. We think up to the transition break, the
9 current methods that are being used are most likely
10 applicable. And it's what people would use.

11 We'll leave it on this slide. I point out
12 one of the potential issues with going to a smaller
13 break. Okay? And that's in the minimum containment
14 performance calculation. There's a rather
15 prescriptive methodology that's in the guidelines that
16 most of the utilities use about the use of the Tagami
17 heat transfer coefficient.

18 Tagami is a bunch of data that was
19 developed I think in 1964. And what is essentially
20 described is you start with a fixed heat transfer rate
21 I think of about 8 btu per foot² hour degree at the
22 start of the transient. And then you look at the time
23 until you get to the end of blow-down.

24 And you look at the containment volume and
25 the energy. And you do a calculation to come up with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a number that says between time zero, when the break
2 occurs.

3 And when I get to the end of the
4 blow-down, I ramp the heat transfer number up to this
5 calculated number, which is a function of one over the
6 blow-down time.

7 That data in this application has
8 typically been used for double-ended guillotine
9 breaks, where the $1/t$ is something like 30. If I get
10 into breaks that are much lower than that, maybe the
11 10-14-inch break, the blow-down time now becomes
12 possibly 100 to 200 seconds, which now means that
13 particular guidance has to be revisited to determine
14 -- but I've also got a different energy release
15 characteristic. It's just something we point out that
16 we have to be a little bit careful on just blindly
17 going in and saying, "And that's the right thing to
18 do." We would probably have to revisit that.

19 And there would be nothing in the way we
20 do business that we would not listen to an alternative
21 way of trying to do this conservative back pressure
22 calculation. You know, reg guides are a way of doing
23 business.

24 But I wanted to point out that, you know,
25 there is something that we may have to go into a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 little bit further when we look at this particular
2 part of the containment response and the analysis
3 licensees will be doing under 50.46(a).

4 CO-CHAIR WALLIS: It looks like a very
5 crude method.

6 MR. THROM: Oh, it is. You know, the
7 containment testing was done from 1960 to probably
8 1975. Methodologies were pretty well put into place
9 back in those days. And they've done us very well.

10 You know, the methods are understood to be
11 conservative. There's been a long history of looking
12 at the codes and comparing them to a large amount of
13 test facilities.

14 And basically they show 00 their nature
15 tends to over-predict what is going on, which is
16 basically what I am going to cover here right now.

17 This is looking at the containment for
18 breaks up to the TBS. We think the current approved
19 computer models and guidance are most likely
20 applicable. These models are based on lumped
21 parameter approaches.

22 For the most part, large dry containments
23 are analyzed as a single volume. Ice condensers have
24 multiple volumes, but there again, the lumped
25 parameter approach for the most part because they need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to look at making sure steam goes through the ice
2 condensers, in boiling water reactors, you have,
3 again, mostly a lumped parameter approach, but more
4 than one node, the dry well, the suppression pool, and
5 the wet well.

6 But within the framework of looking at the
7 containment response and how heat structures are
8 behaving in general, the breaks have always led to a
9 well-mixed containment environment. That's why the
10 lumped approach is good. The establishment of
11 stratification is generally not an issue. And the
12 containment is well-mixed. So these single wallings
13 tend to work fairly well.

14 The other thing that is not in force is --

15 MEMBER POWERS: It seems to me that in a
16 lot of the recent more advanced reactors, we have had
17 questions about stratification in the containment
18 because of steam condensing up in the dome region and
19 just leaving behind hydrogen. I mean, it seems to me
20 that the rises in the ACR 700 because of their water
21 cool certainly rises in the AP1000.

22 MR. THROM: Again, the PWR analyses to
23 date have always considered the fact that shortly
24 after blow-down, these sprays come on.

25 And essentially that situation is over.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In these passive designs, you've got two things.
2 You've got in like ESBWR, you're going to have smaller
3 pipes. In the AP1000, the issue was not so much the
4 issue with the early part of the transient, where,
5 again, they had large things, but it was basically
6 when you got to their ADS 4, would you be able to
7 argue that the dynamics of the jet break was still
8 sufficient to say that "I really thought that the
9 well-mixed environment and, you know, the possibility
10 of the stratification was remote"?

11 And under that review, you know, we looked
12 at the Froude number of the jet coming out of that
13 break size and concluded that that was still a fairly
14 good argument that we could entertain to say that
15 there was no need to really be considerate about a
16 large amount of stratification.

17 Does that answer your question?

18 MEMBER POWERS: Yes.

19 MR. THROM: Okay. Again, the way we do
20 calculations today, we use conservative initial
21 conditions. We tend to look at the maximum tech spec
22 pressure you could be operating at. We tend to look
23 at the maximum temperature in containment and
24 basically look at a low relative humidity because that
25 increases the amount of noncondensibles that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assume are there in the first place.

2 Typically there is a conservative
3 treatment of the break flow and the heat structures.
4 And what I mean "break flow," I mean that's the mass
5 and energy that is coming out of the break.

6 This is probably more pronounced in the
7 long term; i.e., after blow-down, where the stored
8 energy in the reactor coolant, piping, steam
9 generator, fuel, and everything else tends to be
10 released to containment in a rapid fashion, more rapid
11 than it would be if you were trying to do what you
12 would call a realistic estimate of how those things
13 were released. Of course, we look at single failures
14 and loss of off-site power when we look at the
15 engineered safety systems.

16 Now, again I have to point out in this
17 avenue that when I first started looking into
18 developing a reg guide, it was not clear to me where
19 the transition break might come out. But just on the
20 discussion we have just had with Dr. Powers there,
21 there is a point where those assumptions may break
22 down. Okay?

23 And we would expect -- and I think it is
24 in the reg guide -- that a licensee who wanted to use
25 his currently approved code would have to look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 breaks he's looking at and be able to put forth an
2 argument that the well-mixed assumption was being
3 maintained for these breaks.

4 If you're going to ask me to guess at what
5 it might be, I would guess in the six to eight-inch
6 range is where I would probably think. I would be
7 concerned as to whether or not the dynamics were
8 adequate.

9 But no, I haven't done any calculations to
10 verify that one way or the other. There is nothing in
11 my mind very early on to say we might not be looking
12 at three-inch breaks, in which case -- you know, we're
13 not talking about analyses that should challenge the
14 containment design. But we're looking at implementing
15 some regulatory requirements. And we have to have
16 some confidence that what is being done has some
17 technical merit to it. Okay?

18 CO-CHAIR WALLIS: The very small break,
19 the steam goes up to the top, doesn't it?

20 MR. THROM: Yes. You would expect it to,
21 yes. You know, you could also look at just the
22 situation where small breaks in what -- below the
23 operating DEC in compartments, you have to be a little
24 bit cautious about the way you look at the way the
25 calculation were originally done, where if you had a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 break in a compartment that may have a door in it,
2 because it was a large double under break, no one ever
3 considered the impact of the door. There is a point
4 where you can get to a break that is small enough that
5 might be in a compartment, although we don't require
6 people to put the break anywhere under 50.46(a).

7 But, again, just to make sure I was trying
8 to cover all of the bases, you know, I had to say
9 something about what could happen if the breaks got
10 really small.

11 The acceptance criteria that is used would
12 be the same acceptance criteria today. And the
13 structures withstand the peak pressure calculated
14 without loss of integrity.

15 CO-CHAIR WALLIS: This is the peak
16 pressure calculated?

17 MR. THROM: For the transition break.

18 CO-CHAIR WALLIS: Without core damage?

19 MR. THROM: Yes. Okay? And also that the
20 containment remains low leakage barrier against the
21 release of fission product as long as accident fission
22 is required.

23 As was pointed out earlier, that is not
24 done as part of an analysis. That is validated
25 through the appendix J leak rate testing, where you do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 leak rate testing to assure that the containment is a
2 low leakage barrier. You know, it's not done through
3 analysis.

4 The other point Dr. Kress brought up
5 earlier is the 24-hour number. What is typically done
6 in licensing space for consequence analysis is we say
7 the leakage is at the design basis leak rate for 24
8 hours.

9 Then after 24 hours, if the containment
10 analysis response shows that the pressure has been
11 reduced at least 50 percent, then we give you credit
12 for reducing the leak rate after 24 hours.

13 If we get into the transition breaks and
14 they don't do that, well, then, you know, they're
15 going to have to look at something potentially
16 different. Okay?

17 And this will go basically a lot to the
18 implementation because in a lot of plants, it's the
19 sprays that satisfy the general design criteria 38 for
20 the rapid reduction of what is going on.

21 So how sprays will come into the fold
22 we'll have to look at. And, of course, it's going to
23 be a decision a licensee would have to make, you know,
24 how we wanted to handle what it was going to be
25 possibly doing in looking at its safety --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CO-CHAIR WALLIS: Now, in terms of LOCA,
2 isn't it the big LOCAs that challenge the containment
3 the most?

4 MR. THROM: Yes.

5 CO-CHAIR WALLIS: They're the ones you're
6 going to change the rules about?

7 MR. THROM: Yes.

8 CO-CHAIR WALLIS: They're the ones we need
9 to be concerned about?

10 MR. THROM: Right, but still the rule --

11 CO-CHAIR WALLIS: The only thing I can see
12 that is different now is that with the big break, if
13 it should happen, there would appear to be more chance
14 of core damage given the condition of the build, not
15 that it's going to affect CDF much at all.

16 If you did have the big break, then a big
17 break with core damage is now more likely because
18 you're being less conservative about your ECCS system.
19 That's what is happening with this new rule.

20 MEMBER DENNING: Well, if I may, I would
21 like to now make an argument as to why we shouldn't do
22 anything to change the design basis of the
23 containment. And that is that the value of the
24 containment is not related to LOCAs or fission product
25 release in the LOCAs. The value of the containment is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to maintain integrity in severe accidents.

2 Historically we have developed a design
3 basis of containment before people knew anything about
4 severe accidents. Now we analyze severe accidents.
5 What we see is strong containments are really
6 important to the mitigation of severe accident
7 processes like the 15 psi spike, hydrogen spike, that
8 occurred at TMI.

9 So regardless of whether or not large
10 break LOCAs are of high probability or low
11 probability, they're really irrelevant. The real
12 question is, are we going to do something here? Are
13 we going to allow something that would reduce the
14 effectiveness of the containments? And that is
15 definitely the wrong way to go.

16 If we see any vulnerabilities in PRA, it's
17 that there were some containments that were going
18 through this large break LOCA kind of approach that
19 did not build strong containments.

20 Now, I don't know what people are going to
21 do that could affect -- you know, given this
22 relaxation, is there anything they're going to do?
23 They're not going to take tendons out of the
24 containment or things like that.

25 But I don't know. I don't know what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're going to do, but the principal value that I
2 see of that containment is to protect us from severe
3 accidents. And I don't see any logic by which we
4 would allow a reduction in the strength of that
5 containment in any sense.

6 Now, if we do go this pathway, then I do
7 think that we want to have some very specific criteria
8 on LERF and the examination of LERF and the effect of
9 this on LERF, which I don't think people are thinking
10 about at the moment. But I don't see any reason why.

11 I mean, it's a surrogate. It's what gives
12 us a strong containment that is what really protects
13 us from the severe accidents. If we're doing it all
14 over again, what we really ought to have is severe
15 accident criteria for the design of containments, but
16 we're not going to do that.

17 MR. THROM: Right. Maybe, you know, first
18 of all, a rule for outside the DBA or beyond the
19 transition break says containment integrity must be
20 shown. Okay? Now I'll cover that on the next slide.
21 I think we can get there. And that is for breaks
22 beyond the TBS.

23 Since they're the large double-ended
24 breaks essentially that we're accustomed today, the
25 tools we use today should be appropriate. What we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think we should allow people to do is now because of
2 the understanding of the frequency of the break, let
3 them do a realistic treatment of the break flow in the
4 heat structures and also not include single failure,
5 let them take credit for off-site power, and apply if
6 they can non-safety-grade equipment, and do that
7 analysis.

8 The acceptance criteria is still the
9 containment, has to be able to withstand those
10 pressures without loss of integrity based on ASME code
11 limits.

12 And basically the way that would be done
13 is the engineering people would go to their standard
14 review plan, 3.8.1 if it was concrete containment and
15 3.8.2 if it was a steel containment. Essentially one
16 would expect that if you used your current methodology
17 and did a realistic assessment, the analysis would
18 show that you had more margin to that design value.

19 But we're not going in saying as a result
20 of any of these analyses, my belief is that is not the
21 intent, is to go in at any time and say as a result of
22 adopting 50.46(a) and looking at better estimates of
23 the large breaks, that we would say that that is the
24 ability to degrade containment.

25 And I think maybe if you would want, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 engineering staff can give what they're trying to do
2 in terms of looking at this analysis and making sure
3 that we stay the course on containment integrity.
4 It's clearly called out in the rule.

5 MEMBER DENNING: Well, the question -- I
6 had a number of questions. First of all, is anybody
7 really asking for this relaxation? And if they are,
8 what are they thinking they're going to get from it?
9 I just want to make sure that whatever they do, it's
10 not something that decreases the strength of the
11 containment in severe accident regimes.

12 MR. COLLINS: This is Tim Collins from the
13 staff. This question came up in our internal
14 deliberations. As someone suggested, what if we had
15 a situation where somebody was doing a steam generator
16 replacement and they cut a hole in the side of
17 containment?

18 When they patch that hole, can they have
19 a degraded containment as a result because they have
20 adopted 50.46(a)? We said, no, that is not an
21 acceptable approach.

22 The regulation itself says that we need to
23 maintain the structural integrity and leak tightness
24 of the containment.

25 MEMBER DENNING: When you say the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 "structural integrity," they still would have adequate
2 structural integrity, just at a lower peak pressure.
3 I mean, in this patch, for example, I don't understand
4 why they couldn't patch the containment in a
5 containment that currently can stand 50 psia, why the
6 patch area might now only be 25 psia. That's
7 ridiculous or gauge. But is there a reason when they
8 went in and patched, why they couldn't patch it at a
9 lower level of total structural capability?

10 MR. COLLINS: Is Hans still here?

11 MR. ASHER: Yes.

12 MR. COLLINS: I think that is a code
13 question.

14 CO-CHAIR WALLIS: -- risk arguments on
15 containment. We found out with the AP600, you could
16 almost make a case it didn't need a containment at
17 all, just use risk calculation.

18 MR. ASHER: I am Hans Asher with the
19 Division of Engineering. Yes, we deliberated quite a
20 bit at one time. We did think about can you give any
21 more relaxation in the containment design itself?

22 And after a number of arguments and the
23 meetings that we have been through, we decided we are
24 not going to do that. We are going to hold the
25 containments in the same kind of way. Either beyond

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 TBS or within TBS, the acceptance criteria will be the
2 same. Okay?

3 Now, regarding degradations, we are going
4 through a number of studies with Office of Research
5 regarding the effect of certain degradations; for
6 example, removal of three tendons from a containment
7 and what effect it would have on the capacity of the
8 containment, the argument capacity. I'm not talking
9 about the leak type individual part, on argument
10 capacity.

11 And we are finding -- at least this is the
12 preliminary finding at this time -- that certain
13 degradations can be tolerated. And still containment
14 can take -- its capacity cannot be compromised very
15 heavily, maybe two percent, by the time you take out
16 three tendons from the containment. Okay?

17 Based on that, the existing criteria that
18 we have in the standard review plan will be of the
19 same kind of a robustness as we had before. It won't
20 be changed. I understand your question that in case
21 the beyond LOCA pressure decreases, can the licensees
22 degrade the containment just to cope with that? And
23 my answer to that is, no, they cannot do that.

24 MEMBER DENNING: Why are we opening the
25 door? Who is asking? I certainly understand the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 benefits in the ECCS area and diesel generators and
2 that kind of stuff. I don't understand where the
3 perceived benefit is here.

4 And then the thing that worries me is
5 obtaining that benefit, are they going to do something
6 that is going to make us less robust against severe
7 accidents?

8 So why do we feel the necessity to reduce
9 the -- you know, to provide more margin here?

10 MR. ASHER: I don't know. It is an
11 indirect result of changing 50.46(a) route, the
12 containment risk, structural risk particularly. I
13 mean, even if the pressure comes out a little higher
14 because of certain other things that are being
15 considered, along with realistic considerations and
16 everything else, they are also there to meet the
17 requirement of the standard review plan, which is ASME
18 code more or less. So it does not change our premise.

19 What you are thinking about, I have
20 thought about at the time you are deliberating in
21 these areas. And I don't think we want to allow more
22 degradation in containment because of this change in
23 the criteria. There is no way to change. You won't
24 allow that to.

25 MEMBER DENNING: Well, it looks to me like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one could with no loss of value to the utilities just
2 say here for breaks beyond the TBS, same criteria as
3 previously.

4 MR. ASHER: Yes. That is exactly what it
5 says right now.

6 MEMBER DENNING: In fact, you feel that is
7 what it says right now?

8 MR. ASHER: Right.

9 MR. THROM: Well, the acceptance criteria
10 is the same. The argument is whether or not the
11 analysis procedure should be allowed to be changed.

12 MEMBER DENNING: Yes. The acceptance
13 criteria is the same, but the peak pressure is going
14 to be lower. So that it would say I don't need as
15 strong containment.

16 Now, what they're going to do about that
17 that would reduce the containment strength, I don't
18 know except there is --

19 CO-CHAIR SHACK: Well, I assume they're
20 going to upgrade their power to --

21 MEMBER BONACA: That's a possibility.

22 CO-CHAIR SHACK: I mean, I don't think
23 they're going to degrade the containment, but they're
24 certainly going to take advantage of that additional
25 margin.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER DENNING: Margin, yes. Well, see,
2 I'm not sure. As far as peak pressure in a dry
3 containment, I don't think it's affected by the power
4 level. You know, it's sort --

5 MR. THROM: I don't know.

6 MEMBER DENNING: I mean, I don't know. I
7 mean, it would be difficult. You know, I would be
8 very careful what I say because I don't know.

9 MR. THROM: We're talking one or two psi
10 here, you know.

11 MEMBER KRESS: That's necessarily true,
12 what you're saying.

13 MR. THROM: Well, I would appreciate your
14 comment that we really should go back and revisit it.
15 I think it's as much an issue of trying to perceive
16 how the industry would want to implement this part, as
17 much as anything else.

18 For example, it might be that they might
19 want to stay with basically what they have been doing
20 in the past. You know, again, we're just trying to
21 look at, again, being a lower probability event, is it
22 appropriate to maintain that additional level of
23 conservatism in the analytical procedure? That's kind
24 of what we're trying to address.

25 MEMBER DENNING: Right. And if large type

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 break LOCAs were all that was to it, then I would
2 agree. I mean, who cares?

3 MR. THROM: Right.

4 MEMBER DENNING: But it's not. It's
5 really severe accident.

6 MR. THROM: But, again, as I said, they
7 still have to also look at the main steam line break.
8 Okay? And a number of plants when it comes to the
9 peak pressure, you're hard-pressed to tell who is
10 going to be the dominant guy.

11 You know, what is going to happen is
12 basically you may see the shift from the LOCA in some
13 plants to the main steam line break as being the one
14 that defines the ultimate challenge to the
15 containment.

16 So, you know, we need to balance that and
17 really consider your comments about what could
18 conceivably happen or maybe the guidance needs to be
19 made more clear that, you know, it's not the intent to
20 use this as a means for degrading containment because
21 of a calculation.

22 I think in a real world, we would be
23 hard-pressed to say that we were able to do those
24 analyses of sufficient, you know, quality to say, yes,
25 you could make a good engineering judgment on it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIR WALLIS: I tend to agree with
2 what Rich said. All we really care about is the
3 severe accident. And what we care about is if we've
4 got to focus on all of these design basis accidents
5 and then allow the licensee to make changes in the
6 plant, this may change what happens in some of these
7 things that we really care about, which is the beyond
8 design.

9 MEMBER KRESS: Yes, but one of the main
10 reasons, if you remember our letter, that we went
11 along with this whole thing of changing the break size
12 was that if they were going to make changes in the
13 plant, --

14 CO-CHAIR WALLIS: Yes.

15 MEMBER KRESS: -- then they would have to
16 do it using reg guide 1.174. And the comment that I
17 have there is it only looks at CDF and LERF and the
18 defense-in-depth and other things.

19 But I was under the understanding that you
20 were also going to add a criterion on additional
21 containment failure probability. I don't know if it's
22 in there or not, but I'm still looking for that.

23 But that's the only reason we went along
24 with it is because it would be treated just like a
25 change to the licensing basis. And, you know, it

1 would have to have the appropriate PRAs and
2 uncertainty analysis and defense-in-depth
3 considerations and so forth.

4 CO-CHAIR SHACK: Well, we're running late
5 here. Can we stop here?

6 MR. THROM: Sure.

7 CO-CHAIR SHACK: And then we'll --

8 MR. THROM: I was just at a summary slide.
9 I've said it all. So I don't think there's any need
10 to rehash it. Thank you.

11 CO-CHAIR SHACK: We were due for a break
12 a little while ago. Let's take one but be back at 20
13 of.

14 (Whereupon, the foregoing matter went off
15 the record at 3:25 p.m. and went back on
16 the record at 3:41 p.m.)

17 CO-CHAIR SHACK: Let's go back into
18 session. Mr. Dinsmore is going to tell us about the
19 risk-informed integrated safety performance
20 assessment.

21 MR. DINSMORE: Yes. Thank you.

22 CO-CHAIR SHACK: We got through the
23 noncontroversial parts of the reg guide.

24 MR. DINSMORE: Yes. I guess I'm ready for
25 this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 V. RISK-INFORMED INTEGRATED SAFETY ASSESSMENT

2 MR. DINSMORE: My name is Steve Dinsmore.
3 I'm at the PRA Branch in NRR. And I'm going to
4 discuss today the RISP process, risk-informed
5 integrated safety performance, from here on out always
6 known as RISP since I can't say that very quickly.

7 In order to fully appreciate how RISP
8 works, you have to understand the process which is
9 used within. So this discussion will also cover the
10 change process which RISP has used to support.

11 MEMBER DENNING: Is this the first
12 application of RISP? I haven't seen it before.

13 MR. DINSMORE: Yes, sir. It's brand new.

14 Here are the topics that I am going to
15 discuss. If you are so inclined, you can look at
16 those, but before I start, I would like to identify
17 the three different mechanisms that licensees use to
18 make changes to their facilities.

19 Which mechanisms they use depends on what
20 they're going to change. The first mechanism they use
21 is their own internal processes to evaluate different
22 changes. And the licensee applies these mechanisms to
23 non-regulated balance of plant equipment, for example,
24 to decide what change to make.

25 The other two mechanisms are listed on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this slide and are used on regulated equipment. And
2 that is the 50.59 process and the 50.90 process.
3 50.59 is essentially a screening evaluation that
4 identifies changes to regulated equipment that are of
5 minimal significance.

6 Now, licensees evaluate, document, and
7 implement these changes without interactions with the
8 NRC staff. Instead, every two years, they submit a
9 summary of all such changes that they made in the
10 previous two years.

11 Now, the last mechanism is 50.90, which is
12 a traditional license submittal and review processes.
13 Licensees submit a description of their change and
14 evaluation of the change and a request for the NRC to
15 review and approve the change. Licensees cannot make
16 these changes unless and until the NRC authorizes the
17 change. Now, those are important because the RISP
18 process has interfaces with all of them.

19 So an overview of the RISP process. The
20 rule says, "A licensee who wishes to make changes to
21 the facility or procedures or to the technical
22 specifications shall perform a risk assessment."

23 Normally rule language will kind of more
24 specify the change; for example, to say "Changes to
25 the facility or procedures as described in the FSAR."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This rule does not, initially did, and it was removed.
2 So it's not an oversight that it doesn't say that.

3 Essentially what this means is that the
4 RISP process should be applied to every change that
5 the licensee makes, regardless of which mechanism
6 they're using to make the change.

7 The risk assessment has got a couple of
8 pieces to it. The pieces are essentially out of reg
9 guide 1.174. The assessment that they do must
10 demonstrate that all plant changes satisfy the
11 acceptance criteria in the rule; that is, that there
12 is an acceptable change in risk, defense-in-depth is
13 maintained, adequate safety margins are maintained,
14 and adequate performance measurement programs are
15 implemented. And, of course, in order to do this, the
16 risk assessment process must include quantitative and
17 qualitative risk analysis tools.

18 CO-CHAIR SHACK: Okay. Steve, can I just
19 ask a question --

20 MR. DINSMORE: Sure.

21 CO-CHAIR SHACK: -- before you get in
22 here?

23 MR. DINSMORE: Of course.

24 CO-CHAIR SHACK: Why can't he just use
25 1.174 and 50.59?

1 MR. DINSMORE: Well, because the rule
2 requires him to -- well, to use risk in 50.59, we need
3 to do something. That is not the way that they use
4 50.59 right now.

5 MR. RUBIN: If I could just jump in? This
6 is Mark Rubin from the staff. 50.59 currently impacts
7 design basis, safety-related aspects of the plant.
8 And this is a much broader application that touches on
9 both safety-related and non-safety-related,
10 specifically directed towards changes to the
11 definition of large break LOCA.

12 So currently 50.59 would allow changes to
13 be made where there are small impacts on the
14 probability and consequences of "design basis
15 accidents only." Here it's a much broader
16 perspective.

17 And I apologize for interrupting, Mr.
18 Dinsmore.

19 MR. DINSMORE: Yes. I think the short
20 answer is the rule as set up requires that you use
21 risk and 50.59, which is a little --

22 CO-CHAIR SHACK: I mean, as I read the
23 rule, it says you submit a license amendment, which I
24 could do under 1.174, or the paragraph X.6.

25 I guess you're right. The rule also says

1 you can't use 50.95.

2 MR. DINSMORE: No.

3 MEMBER POWERS: Yes. It says 50.59 is not
4 applicable.

5 CO-CHAIR SHACK: And I guess I didn't
6 understand exactly why I couldn't have it set up so
7 that I did it the same old way I did before. I used
8 50.59 and 1.174. I'm still not understanding why
9 absolutely they're coupled now. Why do I have to make
10 50.59 risk-informed, which is --

11 MR. DINSMORE: Well, because that is the
12 way the rule was written. The decision was made to do
13 that.

14 CO-CHAIR SHACK: Okay.

15 MR. DINSMORE: Luckily, that is going to
16 be a lot of my responses because the rule is somewhat
17 new. And we are following the rule to the letter.

18 MR. RUBIN: Again, I would just emphasize
19 that this characterizes the -- 50.46(a) will
20 characterize requirements in an area that goes beyond
21 the new design basis of the plant because you are
22 changing the design basis LOCA. Traditionally 50.59
23 addresses design basis accidents.

24 CO-CHAIR SHACK: But if I want to do a
25 50.59 change that has absolutely nothing to do with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 50.46(a), do I still have to submit a RISP?

2 MR. DINSMORE: Yes. Well, you have to
3 adopt 50.46(a).

4 CO-CHAIR SHACK: Suppose I have adopted
5 50.46(a).

6 MR. DINSMORE: In the adoption submittal,
7 you have to submit your RISP.

8 CO-CHAIR SHACK: Okay.

9 MR. DINSMORE: And to do 50.59 once the
10 submittal has been approved, you have to use that
11 RISP.

12 CO-CHAIR SHACK: No matter what I am
13 changing?

14 MR. DINSMORE: Right.

15 MR. COLLINS: All changes. Once you
16 bought 50.46(a), every change you make to the plant
17 has to go through your RISP. That's what the rule
18 says.

19 CO-CHAIR SHACK: I think I quite
20 appreciated that.

21 MEMBER BONACA: Any change, even on --

22 MR. COLLINS: Yes, any change. And it
23 goes beyond what used to be covered by 50.59. I mean,
24 changes that previously you didn't have to consider
25 relative to 50.59 now you have to make a risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessment of. I mean, that was a significant change
2 that the Commission made to the rule that we sent up.
3 They sent it back and said, "No."

4 Any change you make, whether it is
5 described in the FSAR or not, has to go through your
6 RISP, a very important point.

7 CO-CHAIR WALLIS: Now, you are maintaining
8 defense-in-depth. I've never been quite sure what
9 that meant because if you change the large break LOCA
10 definition, you are changing defense-in-depth. But
11 how much change in defense-in-depth is now allowable?

12 MR. DINSMORE: Maybe the words should be
13 "The philosophy of defense-in-depth is maintained."

14 CO-CHAIR WALLIS: Philosophy is an easy
15 thing to maintain. It's the practice.

16 MR. DINSMORE: I am actually not sure what
17 is in the rule, but the intent was not to maintain the
18 current defense-in-depth but to maintain some.

19 CO-CHAIR WALLIS: We don't have a
20 defense-in-depth meter.

21 MR. DINSMORE: No.

22 MR. RUBIN: Maintain sufficient or
23 adequate defense-in-depth.

24 CO-CHAIR WALLIS: I see what you mean.

25 MR. DINSMORE: So, anyway, in order to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 able to demonstrate that these things are the criteria
2 meant for all plant changes, of course, the process
3 must include the risk analysis framework for
4 evaluating defense-in-depth, a framework for
5 evaluating safety margins, and performance-monitoring
6 programs.

7 CO-CHAIR WALLIS: That would be very
8 interesting. It really tells you how to do it.

9 MR. DINSMORE: You mean the
10 defense-in-depth and the safety margins?

11 CO-CHAIR WALLIS: The safety margins and
12 tells you how to evaluate them. Is it going to be
13 clearer than we have been before about what we mean by
14 "safety margins"?

15 MR. DINSMORE: If the licensees are able
16 to come in and develop a framework for evaluating
17 safety margins that's better than what we have, we
18 would be happy to.

19 CO-CHAIR WALLIS: Well, is that what we
20 were talking about earlier? I mean, is this 2,200 and
21 the degree to which you are below it? Is that a
22 safety margin?

23 MR. DINSMORE: I think so. Well, one way
24 to maintain safety margins is if you design pressure
25 and your containment is 150, your ASME is 50, if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want to accept the max pressure greater than 50, it
2 has to be far enough below the --

3 CO-CHAIR WALLIS: But if you're below that
4 safety margin with less probability, what does that
5 do? I don't think this has really been addressed.

6 MR. DINSMORE: Well, some of these things
7 haven't been completely worked out. But we're trying
8 to put the framework in place and move forward in the
9 hope that as we move forward, we will be able to fill
10 in the details.

11 All right. As I said earlier, in order to
12 adopt 50.46(a), each licensee must submit an
13 application to the NRC. The NRC will review and, as
14 appropriate, approve the application. And, among
15 things, the application must contain the stuff that we
16 have already talked about twice, actually.

17 One thing --

18 CO-CHAIR WALLIS: You have really
19 intrigued about what a non-PRA risk assessment is.

20 MR. DINSMORE: Well, 50.69, if you have a
21 lot of equipment, 50.69 is the special treatments
22 requirements. If you have a lot of equipment -- well,
23 you do have a lot of equipment that doesn't show up in
24 PRAs and you need to evaluate the risk significance of
25 that equipment, there is a methodology to evaluate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 whether it's -- I mean, it's not quantitative.

2 And, actually, I'm going to try to avoid
3 defining those two terms, but there are things
4 definitely at one end and there are things definitely
5 at the other end. And then there's kind of stuff in
6 between that we haven't quite pigeonholed yet.

7 MR. RUBIN: This is Mark Rubin again. I
8 could just direct you to both the ASME standards and
9 the draft standards that are being issued. They are
10 non-quantitative risk assessment methods included in
11 both standards that are not traditional PRA,
12 quantitative PRA, techniques, such as seismic margin,
13 the five analysis, things of that nature.

14 No one is attempting to infer those are
15 traditional PRA techniques, but they are certainly
16 risk assessment but not a probabilistic quantitative
17 risk assessment technology.

18 MEMBER DENNING: I want to be careful
19 about the word "quantitative" because they are
20 quantitative. And one of the things I objected to I
21 didn't get to mention is back under element two,
22 "Engineering Analysis," you talk about the importance
23 of qualitative analyses. And I just don't see the
24 value of qualitative analyses here.

25 I mean, we can call it semi-qualitative or

1 crude or approximate analyses, but things that are
2 qualitative, I just don't see how you can make
3 regulatory judgments.

4 MR. RUBIN: That's a good point. I think
5 the point that staff is trying to make here is that
6 they don't generate the traditional PRA metrics of a
7 delta CDF and a delta LERF. And we can certainly
8 clarify the language here. Thank you.

9 CO-CHAIR WALLIS: So what is different?
10 I thought what you meant was estimating CDF by a
11 non-PRA method, which didn't make any sense to me.

12 MR. DINSMORE: No. Using non-PRA to
13 support a decision.

14 CO-CHAIR WALLIS: Ah. Because risk
15 assessment to me implied PRA. They're one and the
16 same thing.

17 MEMBER DENNING: They aren't. PRA is our
18 definition an event tree, fault tree analysis. There
19 are other ways to do risk assessments, Markov methods
20 and stuff like that, that would definitely fall under
21 certainly a non-PRA because PRA nowadays is fault
22 tree, event tree analysis.

23 CO-CHAIR WALLIS: Does it end up with a
24 CDF?

25 MEMBER DENNING: Oh, yes, it certainly can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 end up with a CDF. But not everybody has to wind up
2 with CDF.

3 CO-CHAIR WALLIS: See, I always thought
4 PRA is any methodology of probablistic risk analysis,
5 a generic term. If you're using probability stuff to
6 evaluate risk, you're doing PRA.

7 MEMBER DENNING: You can say that, but I
8 think that the world has made PRA equal to an event
9 tree, fault tree analysis.

10 CO-CHAIR WALLIS: Has done. Okay. So
11 it's a subset of risk analysis.

12 MEMBER DENNING: Yes.

13 MR. RUBIN: A good example might be
14 seismic margins analysis, which will give you success
15 paths for safe shutdown but without some additional
16 work will give you direct risk metrics.

17 MR. DINSMORE: Okay. Once we've approved
18 an application to adopt 50.46, this will authorize the
19 licensee to use risk to support future
20 licensee-controlled and 50.59 changes. This is a lot
21 different than what we do in reg guide 1.174.

22 So, therefore, we expect the NRC staff
23 review of the risk process in the initial application
24 will concentrate almost exclusively on the ability of
25 the proposed process to support 50.59 changes because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we do not prior review and approve this. And this
2 type of use of risk assessments is not included in
3 1.174.

4 In 1.174, the risk assessment supporting
5 each proposed change is evaluated by focusing staff
6 review of the specific part of a risk assessment used
7 to support the change. And this risk process has to
8 be used every single change that the licensee desires
9 to make in the future.

10 Even the phased approach plan which we're
11 working on is in process, cautions that a one-time
12 staff review and approval will only be applicable for
13 redefined application. So this is one of the
14 difficulties that we're dealing with, how we can get
15 an analysis description of processes and everything
16 that we can approve for generic use on any changes
17 which are undefined future changes.

18 Finally, the risk must also be used to
19 support all future applications made under 50.90.
20 Review of the risk process and results during review
21 of these applications can be performed pretty much as
22 we do current risk-informed application, although we
23 recognize that it is going to be a much higher volume
24 of them if every one of these applications has to come
25 in with a risk-informed part.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, although risk really is only one of
2 the four principal evaluations, the other being
3 defense-in-depth, safety margins, and performance
4 measurement, really, a large part of the success of
5 the risk process will be dependent on the risk
6 assessments.

7 The two important aspects of risk
8 assessments are the scope of the assessment and the
9 technical adequacy. Now, this slide talks briefly
10 about the scope and the next one about technical
11 adequacy.

12 Here again, because the risk must be used
13 to evaluate every future change, every initiating
14 event and operating mode must be somehow addressed in
15 the risk assessments.

16 As many initiators and modes as necessary
17 should be addressed with a PRA. The rest can be
18 addressed with non-PRA risk assessments. We have
19 taken necessary and defined it using the discussions
20 of the Commission's phased quality approach again.
21 And that is that initiating events and operating modes
22 that could change the regulatory decision
23 substantially should be quantified with the PRA.

24 So that will allow us to identify those
25 changes which you are going to need a PRA for. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the rest of the changes we would allow them to use on
2 non-PRA risk assessment.

3 The proposed reg guide provides three
4 alternatives for determining if the non-PRA risk
5 assessment is sufficient to support any specific
6 decision. And those would be realistically estimating
7 the change in risk. If the risk would be estimated,
8 I guess you could get into discussion of whether that
9 is really a PRA estimate or not. But you might be
10 able to estimate it without event and fault trees.

11 The second alternative is to demonstrate
12 that any increase in risk caused by the modification
13 will not affect the regulatory decision in a
14 substantial manner.

15 A good example of this is, for example, if
16 you did a bunch of screening analysis on your
17 flooding, for example, and you're going to make a
18 change and you go through and determine that that
19 change isn't going to affect your screening analysis.
20 And, therefore, you can conclude that it's not going
21 to affect your decision.

22 And the last one is demonstrating that it
23 cannot be reasonably concluded at all, really, that
24 risk is actually changed. For example, again, one of
25 the better examples is changing the instrumentation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 used by the operators to respond to some sequence
2 where they've got all different types of
3 instrumentation available. And so just having changes
4 to this one instrument might not affect risk at all.

5 Then the other part of risk is the
6 technical adequacy. The technical adequacy of both
7 the PRA and the non-PRA assessment used by each
8 licensee must be sufficient to support the
9 risk-informed process. In the submittal to adopt
10 50.46(a), each licensee should provide a description
11 of the measures essentially to provide a description
12 of the measures taken to assure the technical adequacy
13 of the risk assessments.

14 Now, reg guide 1.200 together with
15 approved standards provides an acceptable approach for
16 assessing the technical adequacy of the PRA risk
17 assessments. In the draft reg guide, at this point in
18 time, we're starting that you should at the very least
19 expect to resolve all pere reviewer comments and you
20 should identify the key sources of uncertainty as part
21 of your demonstration of technical adequacy.

22 Now, evaluation of the technical adequacy
23 of non-PRA risk assessments is still being studied and
24 evaluated, although, again, from 50.69, we might get
25 some stuff to work with.

1 Now, it might be that, rather than
2 evaluate the technical adequacy of the risk
3 assessments for some initiators in operating modes,
4 the authorization to use the risk to support 50.59
5 changes may be limited.

6 So we're aware of that possibility, too,
7 that if certain types of initiating events -- let's
8 just say "shutdown." If it shut down, you have no way
9 of determining the risk. Then we might say, "Well, if
10 you're going to make changes that affect shutdown,"
11 you can't use 50.59, but that's just an example. That
12 might not be a very good example.

13 MEMBER BONACA: At some point, it would be
14 useful if you could make an example of this PRA versus
15 no PRA risk assessment, particularly where you talk
16 about initiators and modes of non-PRA methods that
17 would be used for other scopes. It would be useful if
18 there was an example.

19 MR. DINSMORE: Well, I guess I tried to
20 talk about, for example, the fire screening -- not the
21 fire. It's a screening analysis. It depends on what
22 you call the non-PRA method. If your PRA method has
23 to produce an estimate of event, there are others
24 which kind of say, "Well, the likelihood of this
25 sequence" --

1 MEMBER BONACA: If you have this fire
2 analysis, it's because you do not have an adequate
3 fire PRA.

4 MR. DINSMORE: You do not have a fire PRA
5 that might be good enough to support some decisions,
6 yes.

7 MEMBER BONACA: Okay. So what you're
8 talking about here is dealing with inadequacy in the
9 PRA model? All I'm trying to say is that if you have
10 a PRA model and it is complete enough, anything which
11 is significant would be in the PRA model. But what is
12 not significant is not in the PRA model.

13 So, really, what you are doing is doing
14 this to allow for limitations in the PRA that you have
15 to deal with with a non-PRA approach. That's what you
16 --

17 MR. DINSMORE: Yes. We're providing an
18 opportunity to adopt the rule and to start making
19 changes without a phase IV type of PRA.

20 MEMBER BONACA: Yes. Okay.

21 MR. DINSMORE: Is that --

22 MEMBER BONACA: I understand now. I
23 understand better. Okay. Because just the logic
24 wasn't there, but, of course. All right. So when do
25 you move it back to help?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DINSMORE: Well, as always, we have
2 been trying to move forward as much as we can within
3 the constraints that we have without -- I mean, there
4 was a discussion about requiring the licensee simply
5 to go out and do full-scale level III, fully reviewed.
6 And the decision was that that wasn't really --

7 MEMBER BONACA: I don't think you need to
8 be that prescriptive. I'm talking about if you have
9 elements that could be addressed in the PRA by some
10 improvements in the PRA, this should be a means of
11 encouraging licensees to use it. They get a great
12 benefit from adopting this rule.

13 They might as well invest some money to do
14 the improvement and not be able to do a level III PRA
15 for the sake of it. Is this in the file now? Is this
16 is the PRA? So that you don't have to go after these
17 qualitative evaluations.

18 MR. DINSMORE: Well, if the evaluation was
19 pretty much completely qualitative or
20 non-risk-informed, then they might -- in this
21 situation, when they come to adopt 50.46, we might say
22 that "Well, you can't make any changes, including
23 50.59 changes, on stuff which could affect this
24 equipment which you don't have a good PRA for." That
25 would give them an incentive to improve those models

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in that area.

2 MEMBER BONACA: Yes. All right. Anyway,
3 I understand now.

4 MR. DINSMORE: We would prefer that they
5 all did these expensive PRAs, but as long as they
6 don't really need them, I guess --

7 MEMBER BONACA: Well, you know, you
8 commented that the risk assessment is not based on
9 PRA. And, really, it's a judgmental evaluation. It's
10 we're trying to really make up for inadequacy in the
11 risk assessments, simple as that.

12 MR. DINSMORE: Yes. We're also trying to
13 use whatever tools they have available. And then if
14 they can't, if the tools aren't good enough, then they
15 would have to make a submittal essentially.

16 Now we'll get to the controversial part.
17 Okay. There are two different regulatory change
18 control mechanisms included in the rule, which is the
19 50.59 mechanism and the 50.90 mechanisms. And
20 eventually there are two different change criteria,
21 which are also discussed in the next two slides. Is
22 this the right one? Yes. Okay.

23 The first one is changes made under 50.59,
24 which, again, is changes that they make internally.
25 They do their review. And they do an evaluation. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 they make the change.

2 The proposed rule states that licensee may
3 make changes to the facility without prior NRC
4 approval when the increase in the estimated risk is
5 minimal compared to the overall plant risk profile.
6 Again, I guess that's 95 percent rule language.

7 The minimal compared to the overall risk
8 profile is rule language. It's a new word that we had
9 to deal with. We considered for a short time not
10 quantitatively defining minimal just to leave it as
11 minimal, like it is in 59. But we decided this would
12 be a worst case situation.

13 We decided that quantitative guidelines
14 are needed to define minimal because the proposed rule
15 includes consideration of the change in risk in every
16 decision. It provides quantitative guidelines for
17 non-minimal or totally acceptable risk increase. And
18 although changes in risk for many facility changes may
19 not be quantifiable, some will be, although there
20 might be a small number.

21 So we've got a situation where we have
22 quantitative limits up here that you can't exceed. We
23 have kind of this gray area in the middle that's
24 minimal. And we're going to start getting numbers
25 that are very low. The question is, which one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those very low numbers is below minimal?

2 So essentially we thought, "Well, we're
3 going to have to come up" -- well, the easiest way,
4 most systematic thing to do is just to come up with a
5 guideline and say, "Well, if your real small number is
6 less than that, we'll consider it to be minimal."

7 Here again reg guide 1.174 doesn't provide
8 any guidance about when a proposed risk-informed
9 change does not need to be approved or reviewed and
10 approved by the staff.

11 So we started off at the -- now, the
12 guidelines at 1.174 essentially say, "Well, this is an
13 acceptable increase in risk if the other things are
14 met, of course. There's always defense in this one.

15 But this an acceptable risk increase.
16 This is an acceptable increase in risk. If the staff
17 gets this number and it's less than this number, the
18 staff can spend its time determining the adequacy of
19 the analysis used to develop the number and not do a
20 lot of consideration of whether the number is low
21 enough.

22 Now, in this case, the staff is not going
23 to have the opportunity to review. Well, it's going
24 to review early on a generic analysis. And then that
25 analysis is later going to be used to develop this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number.

2 So one of the first considerations with
3 the selected value for minimal should be less than the
4 reg guide 1.174 guideline acceptance criteria. That
5 was pretty much the only hard and fast rule we had.

6 The staff is proposing the following
7 guidelines to define when a quantifiable risk increase
8 is minimal, which we simply reduced it by an order of
9 magnitude below the very small guidelines for any
10 plant, which is less than 10^{-7} , less than 10^{-8} for
11 LERF. And then we had this extra --

12 CO-CHAIR WALLIS: How does this relate to
13 what Ralph Landry was saying? I mean, we've got a
14 large break, which is not going to be mitigated as
15 well as before. It's going to meet the acceptance
16 criteria maybe by 70 percent probability and serve 95
17 for an event which is likely with 10^{-6} or something.

18 Surely that affects the CDF in proportion
19 to how well the ECCS works, which is related to his
20 acceptance criteria, doesn't it? Yet, I don't think
21 that's in the PRA.

22 MR. DINSMORE: We probably could put --
23 well, you need two trains. And if you get 2 trains,
24 you've got a 70 percent, you've got a 30 percent
25 change that's not enough.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIR WALLIS: It's in the thermal
2 hydraulics. It's not in the trains. It's in the --

3 MR. DINSMORE: Right. But the only option
4 we have to put stuff in the PRA is to deal with the
5 logic of trains. You could put a lot of the stuff in
6 the PRA, but if you don't have a really good reason
7 for the number to go in, we would prefer to not kind
8 of fuzzy up the PRA.

9 MEMBER KRESS: This shows up in the
10 success criteria.

11 MR. DINSMORE: That's the two trains, yes.

12 MR. RUBIN: If that's the key to do a
13 basic PRA, you need to develop the success criteria
14 using the thermal hydraulics, of course. And, as Mr.
15 Dinsmore pointed out at the very beginning of the
16 presentation, it's binomial. You know, it's yes or
17 no. One train is successful. One train is not
18 successful.

19 And we take the output to our thermal
20 hydraulic analysts, who say, "We have high confidence
21 that one train will be successful" or, in fact, "need
22 two or three trains."

23 As far as the selection --

24 CO-CHAIR WALLIS: The problem is when you
25 do the thermal hydraulics, you get a probablistic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 thing that one train may be successful with certain
2 probability.

3 MR. RUBIN: Right.

4 CO-CHAIR WALLIS: It's not as if it's yes
5 or no. You put that right into the PRA. I mean, it's
6 a probability in --

7 MR. RUBIN: Theoretically you could. It's
8 not state of the art. And currently methods have not
9 been developed. And the standards do not include
10 incorporation of thermal hydraulic success path
11 uncertainty as part of the methodology.

12 It's certainly an area that is potentially
13 fruitful for development but is currently not state of
14 the art. In fact, to get around the lack of that
15 analytical treatment, PRAs traditionally -- we use a
16 success criteria that you have high confidence in in
17 a best estimate sense. And your point that it's not
18 quantified is a very valid one, but, again, that is
19 typical PRA methodology.

20 You need a starting point. And that is
21 success criteria.

22 CO-CHAIR WALLIS: Well, I'm just thinking
23 that it may well be that what Ralph Landry was talking
24 about may actually have the effect of changing the CDF
25 by more than 10^{-7} per year. But it won't show up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DINSMORE: You mean by reducing it
2 from 95 percent to 75 percent?

3 CO-CHAIR WALLIS: Changing the rule from
4 95 to 70 could actually change the CDF if it led to
5 changes in the file. But it wouldn't show up in the
6 PRA. Well, you'll consider that, I'm sure. But
7 you've got some time.

8 MR. DINSMORE: There's a couple other
9 considerations that went into this 10^{-7} , but unless
10 you want to hear them, I'll move on.

11 CO-CHAIR WALLIS: I notice you only change
12 things in PRA by factors of ten. Yet, you're talking
13 about one percent down on the bottom there.

14 MR. DINSMORE: One of the considerations
15 was to say that if you looked at the 10^{-6} from 1.174
16 as a 95 percent limit and you applied the normal error
17 factor as factors of 3 to in PRA, you get 3 times
18 10^{-7} . So we actually had a 3 times 10^{-7} .

19 CO-CHAIR WALLIS: Well, that's the square
20 root of ten. Is that what it is?

21 MR. DINSMORE: Well, it's kind of
22 one-third of --

23 CO-CHAIR WALLIS: Square root of ten.

24 MR. DINSMORE: Yes. Okay. Risk metrics.
25 For changes under 50.90, which is what they submit,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensees must always submit a request for a license
2 amendment if they can't use 50.59. And every request
3 for a license amendment will need to include a risk
4 assessment that demonstrates that the total increase
5 in core damage frequency and large early release
6 frequency are small and that the overall risk remains
7 small. Of course, this is also risk language that we
8 were given to work with.

9 We simply combined this total increase
10 with the fact that you had to apply RISP to every
11 change in the facility and came up with this second
12 bullet that every change to the facility that
13 increases or decreases risk should be included in the
14 total change in risk estimate.

15 For those of you who have been involved in
16 these discussions for a long time, that means this is
17 100 percent bundling. Everything has to be bundled.
18 Nothing can be excluded. There are a lot of pluses
19 and minuses to that. But that is what is out there in
20 the rule for comment.

21 Small increases here again is defined by
22 1.174. And that the overall risk remains small is
23 also covered by 1.174 sliding criteria as they move up
24 into high CDFs and LERFs.

25 Now, this is an unusual calculation. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we gave some consideration to how we could actually do
2 this. In some ways, it's easier. This guideline is
3 easier than the other risk-informed applications
4 because in this case, the total increase in CDF and
5 LERF can be estimated by tracking the change to the
6 overall CDF and LERF caused by all changes.

7 So you don't have to figure out anymore,
8 well, which set of changes came from this application
9 and which came from that application and try to do
10 something. You would just monitor your total CDF.

11 MEMBER DENNING: You know, I'm not sure
12 that's true that there is that linearity there because
13 I think you can make some changes that have bigger or
14 smaller effects.

15 I think you have to look at your beginning
16 state and your end state and see what the change is.
17 I'm not sure that you can take the deltas from them.
18 I'm sure you can. I know I have done examples where
19 that is not the case, where it's not just the linear
20 summation subtractions of CDFs and LERFs.

21 MR. DINSMORE: Oh, no. That's not --

22 MEMBER DENNING: You have to look at
23 beginning state and end state.

24 MR. DINSMORE: Okay. That's kind of what
25 that first bullet was supposed to mean. You have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CDF when you start. And then 250 days later, you have
2 another CDF. And the total change is the difference
3 between those two.

4 MEMBER DENNING: Okay.

5 MEMBER KRESS: The problem with that is
6 that not all changes have the same uncertainty. And
7 this sort of eliminates the question of, does it
8 affect the uncertainty?

9 MR. DINSMORE: That's correct. There are
10 simplifications and complications involved in this.

11 MEMBER KRESS: Equal delta CDFs are not
12 always equal.

13 MR. DINSMORE: That's correct.

14 MEMBER POWERS: I can see that as a
15 headline now.

16 MR. DINSMORE: I'm glad to see your
17 headline.

18 CO-CHAIR WALLIS: Well, it's just talking
19 about CDF here. It's not generalizing that theory.

20 MEMBER KRESS: The headline will.

21 MR. DINSMORE: One of the greatest
22 difficulties with this approach, though, is that some
23 changes to the PRA that change the overall CDF and
24 LERF aren't made to reflect changes to the facility,
25 but they're going to improve the model or the method

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 used in the model. And that will cause --

2 MEMBER KRESS: The model used in this
3 correlation, instead of a McAdams correlation.

4 MR. DINSMORE: That we see is --

5 CO-CHAIR WALLIS: It's the old argument
6 about probability. You have exactly the same plant.
7 You changed your analysis. So the probability has
8 changed.

9 MR. DINSMORE: Right.

10 CO-CHAIR WALLIS: So nothing has really
11 changed about the plant itself.

12 MR. DINSMORE: Yes. That is the greatest
13 difficulty we have with this process. If you didn't
14 do that, then you could take the ten-year and minus
15 from the first one. And you --

16 MEMBER KRESS: If you don't allow that,
17 though, it sort of puts a damper on improving the PRA.

18 MR. DINSMORE: Yes. Well, we didn't
19 intend not to allow. We just are recognizing when
20 it's --

21 MEMBER KRESS: You don't know when it's
22 one or the other.

23 CO-CHAIR WALLIS: You only improve your
24 PRA when the risk goes down.

25 CO-CHAIR SHACK: It is an incentive to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remove conservativisms, right. Yes.

2 MR. DINSMORE: It certainly is an
3 incentive to start with a very good PRA.

4 CO-CHAIR SHACK: Why not start with a very
5 conservative one?

6 MR. DINSMORE: Well, even if it went --
7 that might be. We haven't thought about it. Yes.
8 But there might be a lot of ways to separate the
9 effect of improvements from facility changes.

10 But we think, at the very least, the
11 changes to the LERF are the CDF and LERF caused by
12 improvement should be -- when they update their PRA to
13 improve it, they should do that separately from when
14 they --

15 And we had a discussion about your
16 proposal of adding up the changes. And that's kind of
17 where this last bullet comes from, that the
18 quantitative guideline should not be interpreted as
19 being overly prescriptive.

20 So all we really need is a reasonable
21 estimate. We're not saying you need to calculate it
22 out to five decimal places. All we need is reasonable
23 assurance that the total change is small.

24 And in some cases, you might be able to
25 add them up and subtract them for a while and then --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so this is a new process. It just kind of falls out
2 of the rule language.

3 CO-CHAIR WALLIS: This is interesting. We
4 were talking about increases in risk, but one of the
5 major arguments made for bringing in this rule was
6 that it would actually decrease --

7 MR. DINSMORE: Increases means increase or
8 --

9 CO-CHAIR WALLIS: -- risk benefits from
10 bringing in the rule.

11 MR. DINSMORE: Yes.

12 CO-CHAIR WALLIS: So you could say that,
13 actually, the criterion should be that the
14 risk-benefit should be bigger than a certain amount.

15 MR. DINSMORE: Increases actually in this
16 case means both increases --

17 CO-CHAIR WALLIS: There is no benefit to
18 having a risk-benefit. I'm not giving you any credit
19 any --

20 MR. DINSMORE: Yes. Well, that's --

21 CO-CHAIR WALLIS: Is it because everything
22 is bundled? Is that the idea?

23 MR. DINSMORE: No. It --

24 MEMBER KRESS: The bundling does that.

25 CO-CHAIR WALLIS: Oh, yes. I think that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is what we were trying to do.

2 MEMBER KRESS: Yes.

3 CO-CHAIR WALLIS: So you gain in one
4 thing, and then you bounce it off against something
5 else.

6 MEMBER BONACA: It would increase the risk
7 of this balance by --

8 MR. DINSMORE: Qualitative? This is
9 actually a very good way to get them to implement
10 safety improvements because it --

11 CO-CHAIR SHACK: Buy CDF you can burn
12 somewhere else.

13 CO-CHAIR WALLIS: A power uprate, yes.

14 MR. DINSMORE: Now, I am going to get a
15 little complicated because I didn't think we were
16 going to get this far, actually.

17 (Laughter.)

18 CO-CHAIR WALLIS: This is a backup slide
19 now?

20 MR. DINSMORE: Well, these are also.
21 Defense-in-depth. We haven't done much with
22 defense-in-depth since what was in reg guide 1.174, as
23 opposed to some of the other earlier things. We still
24 don't have any really good guidance to do it.

25 This last bullet here might cover

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something that was being discussed earlier about
2 essentially late containment failure. The first red
3 bullet is in the rule itself. It says, "Reasonable
4 balance is provided among prevention of core damage
5 containment failure early and late." That is actually
6 some new words and consequent mitigation. So that --

7 MEMBER KRESS: I like those words. I wish
8 I knew what the quantitative criteria was. I don't
9 know what reasonable balance is. And does it involve
10 the uncertainties?

11 MR. DINSMORE: Yes.

12 CO-CHAIR WALLIS: I think it's highly
13 unlikely that any change will have any significant
14 effect on these red bullets which is noticeable.

15 MEMBER BONACA: The second one, what does
16 that bullet mean?

17 MEMBER KRESS: It certainly could change.
18 Suppose using the smaller LOCA size affects your
19 containment sump blockage calculation. That could
20 certainly affect your ability to use the sprays and
21 save your containment. You would get a higher initial
22 containment failure probability or if you wanted to
23 reduce the spray's effectiveness in some way because
24 now you would only have to cool for a medium size LOCA
25 to a large break LOCA. I think there are some things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that you could do to --

2 CO-CHAIR WALLIS: Well, let us pursue this
3 a bit. I mean, suppose that doing away with the large
4 break or changing the above TBS rule allowed the plant
5 to have a greater probability of some blockage in some
6 way. How would that figure in to all of this?

7 MR. DINSMORE: Well, there's --

8 CO-CHAIR WALLIS: The sump blockage
9 problem is with the large break, isn't it?

10 MR. DINSMORE: Well, there's a number in
11 the PRA which would be blockage of the sump. And that
12 number would show up the probability of blockage of
13 the sump. And that number shows up in the ability to
14 mitigate a large break LOCA, which would still be in
15 the PRA, of course.

16 CO-CHAIR WALLIS: Nothing would have
17 changed.

18 MR. DINSMORE: No. Well, you might.
19 Assuming that whatever change you made to your plant
20 would increase the probability of the sump blockage
21 given the large break LOCA, then that number used in
22 the PRA as the probability of the sump blocking for a
23 large break LOCA would go up a bit. And that would
24 flow through to --

25 CO-CHAIR WALLIS: Well, there isn't the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 idea here that if the large break LOCA is less likely
2 or very unlikely, then you don't need to worry so much
3 about sump blockage with large break LOCAs?

4 MR. RUBIN: Well, this is Mark Rubin
5 again. Hopefully before a plant would implement this
6 rule, the majority of the sump blockage concerns would
7 have been resolved.

8 It's both the medium and large size LOCAs
9 that contribute to a blockage potential. And so the
10 new defined break size still would cover the debris
11 generation that would be of concern.

12 Right now some failure probability due to
13 blockage is a basic event, I believe, in some PRAs
14 quantified very low. Obviously, we have all come to
15 recognize that there are concerns that require
16 revisiting and updating and rectification of that
17 concern.

18 But let's say that we do get to the point
19 where the basic generic issue has been resolved but a
20 plant does propose something that has potential to
21 introduce a new blockage mechanism. Yes, we would
22 expect that to be incorporated into the model and
23 considered.

24 CO-CHAIR WALLIS: I guess I'm looking for
25 a larger effect. I'm looking for this rule in some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way to take the pressure off the sump blockage problem
2 because the large break LOCA is so unlikely. And that
3 is the one which produces the huge amounts of debris
4 that somehow the sumps wouldn't have to have such an
5 enormous screen because they wouldn't have to be
6 designed for the large break LOCA. I'm looking for
7 that sort of thing.

8 MR. RUBIN: It has the potential to change
9 the design basis challenge. So if the rule --

10 CO-CHAIR SHACK: The rule says that you
11 have to be able to mitigate --

12 MR. RUBIN: You have to be able to, right.
13 That's correct.

14 CO-CHAIR SHACK: -- in order for the sump
15 to be able to handle a large break LOCA.

16 MR. RUBIN: Yes.

17 CO-CHAIR WALLIS: With 70 percent
18 probability.

19 MR. RUBIN: No.

20 MEMBER DENNING: Not 70 percent
21 probability.

22 MEMBER POWERS: Is the requirement just to
23 mitigate? Then all you have to do is have the spray
24 operation.

25 MEMBER DENNING: Well, I hope that isn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what it means. I assumed it meant that would prevent
2 core damage. I think that's the meaning. I
3 understand what you're saying, but if you're correct,
4 then we've got other complaints to think about the
5 rule.

6 I mean, the intent of the rule is that for
7 large break LOCAs reasonably analyzed, you would not
8 get core damage.

9 CO-CHAIR SHACK: Get core damage. The
10 core will remain coolable.

11 MEMBER DENNING: The core will remain
12 coolable, I should say.

13 CO-CHAIR WALLIS: Yes. But if the
14 realistic analysis of the sump says that it won't
15 work, then it wouldn't be changed in any way, would
16 it?

17 MEMBER DENNING: Right. But a realistic
18 analysis of the sump is certainly less challenging
19 than a conservative analysis of the sump. Right? I
20 mean, I'm not sure exactly how we do either today.
21 But a realistic analysis of the sump could be --

22 CO-CHAIR WALLIS: Well, the totally
23 conservative might say all the debris goes to the
24 sump.

25 MEMBER DENNING: Yes, right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIR WALLIS: And you would say,
2 "Well, the realistic one would be the smaller amount."

3 MEMBER BONACA: Could I understand the
4 second red bullet to say that "Defense-in-depth is
5 maintained provided" -- and then you introduce the
6 concept of, you know, redundancy and dependence in
7 regard to their provided commensurate with respect to
8 frequency. I mean, is it quantitative expectation?

9 MR. DINSMORE: These would only be used if
10 the risk analysis indicated that the change was
11 acceptable. If the risk analysis indicates it's not
12 acceptable, you wouldn't get down into this area
13 probably.

14 So I really can't answer you.

15 MEMBER BONACA: I don't understand what it
16 means to maintain something and then to develop the
17 judgmental criterion here that I don't understand how
18 it's going to be implemented. You know, do you have
19 --

20 MR. DINSMORE: We've been having
21 difficulty in practice implementing. These words I
22 think are pretty much from 1.174 as well.

23 MEMBER BONACA: I understand that, but the
24 point is that, you know, is it true that it is
25 maintained? In the context of that bullet, I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 understand it.

2 MR. DINSMORE: It probably is in the eye
3 of the beholder as you go through each individual
4 proposed change.

5 MEMBER BONACA: I guess it is work in
6 progress?

7 MR. DINSMORE: Well, we have been using
8 these definitions for years.

9 MEMBER BONACA: I'm trying to understand
10 here how --

11 MR. DINSMORE: They have been difficult to
12 use.

13 MEMBER BONACA: -- defense-in-depth is
14 maintained.

15 MEMBER KRESS: I'm really intrigued by the
16 first red bullet. You know, if you look at a BWR, it
17 may have a 10^{-6} CDF and a conditional containment
18 failure probability of .8, which gives it, you know,
19 something like close to 10^{-6} overall containment
20 probability frequency.

21 But if you look at a PWR, it might have
22 10^{-5} , but a .1. So you end up at the same place with
23 the two of them. But the balance is entirely
24 different between the CDF and the condition of
25 containment failure probability.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER DENNING: But there's something
2 else there, Tom, which I noticed it as inconsequent
3 mitigation. So that in your BWR example there,
4 although, you know, you've got low conventional core
5 damage, you have high containment failure. But you
6 have a high consequent mitigation.

7 MEMBER KRESS: I'm really intrigued at how
8 they're going to put all of that together in some sort
9 of acceptance criteria. That's my point.

10 MR. DINSMORE: I think this is the
11 acceptance criteria.

12 MEMBER KRESS: I would have said that --

13 CO-CHAIR WALLIS: Well, if you have a
14 containment probability of .8, there really is no
15 reasonable balance at all. It's almost one. And so
16 it's not really doing much at all there.

17 MEMBER KRESS: Well, some of these BWRs
18 have about that level.

19 CO-CHAIR WALLIS: Yes.

20 MEMBER DENNING: But they get a lot of
21 mitigation through the suppression.

22 MEMBER KRESS: That's right, maybe at a
23 low CDF.

24 MR. DINSMORE: Maybe part of the thing is
25 that if you're -- this has to do with changes, right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So if your current BWR is .8 and you're going to
2 change something to make it .9, people might get
3 upset, where --

4 CO-CHAIR WALLIS: It doesn't make any
5 difference. It makes very little difference, really.

6 MR. DINSMORE: Well, it --

7 MEMBER DENNING: Who cares?

8 MR. DINSMORE: All right. I withdraw.
9 These things we have been around for years --

10 MEMBER KRESS: You're saying if it's
11 already an acceptable balance, then we ought to accept
12 small changes.

13 MR. DINSMORE: Well, again, if it was .8
14 and went to .9, people might react. And if it's --

15 CO-CHAIR SHACK: I think that what it
16 amounts to is that in the future, you're not going to
17 let them do that.

18 MR. DINSMORE: Right.

19 MEMBER KRESS: Right. That's for sure.
20 You know, I'm more concerned about the ones we have
21 now.

22 CO-CHAIR SHACK: No. You have what you
23 have, but in the future, you will maintain a
24 reasonable balance.

25 MR. DINSMORE: And if you have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conditional probability of 10^{-2} , maybe you can get it
2 up to 5 times 10^{-2} .

3 MEMBER DENNING: You know, I think we
4 agree with the second blue bullet, though, I think as
5 far as that is something that you can do that provides
6 some assurance to defense-in-depth. The others under
7 that need more work or they're so difficult to
8 generically come up with real criteria.

9 CO-CHAIR WALLIS: And that full spectrum
10 of accident sequence is being everything, not just
11 design basis.

12 MR. DINSMORE: The last bullet might have
13 been pretty quickly put together. So I did the
14 general concept. So I'm hesitant to -- in this reg
15 guide, we are not going to be able to explain how to
16 use these things in the foreseeable future.

17 CO-CHAIR WALLIS: That industry is going
18 to get very nervous about how you're going to
19 interpret all of these things.

20 MR. DINSMORE: Well, they have been around
21 for a long time, and we have been managing to move
22 stuff through. So I think this is one of their
23 smaller concerns.

24 Safety margins. Again, I'd really rather
25 not dwell a lot on this because it's pretty much right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out of 1.174. And whatever difficulties were there,
2 we have maintained.

3 Here are somewhat slightly new things, the
4 risk requirements during operation, the risk is
5 actually required to be maintained up to date and
6 reflecting the actual design and operation of the
7 plant, although I jumped. As I said, I hadn't really
8 prepared these slides.

9 So a performance-measuring program should
10 be integrated. Well, the rule requires you to have
11 performance-measuring programs. I believe that we can
12 maybe rely a lot on the performance-measuring programs
13 that are also already in place is kind of what the
14 first bullet says.

15 The licensee must periodically reevaluate
16 and update the risk assessments. They're not really
17 required to change the PRA every time they make a
18 change to the plant. And so periodically they're
19 going to have to update the PRA to address
20 modifications that haven't been put in. And sometimes
21 to determine the impact when airs are nonconformances
22 or these other things are identified.

23 MR. SNODDERLY: Steve, so a low-power
24 shutdown standard comes out and is approved by the
25 NRC. Does that mean that I have to now implement that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if I want to continue to --

2 MR. DINSMORE: No, but you may want to
3 implement it and come in and say, "Hey, this is our
4 low power shutdown. So please give us relief from
5 doing submittals for things we change during low power
6 and shutdown because now we can do it on our own."

7 CO-CHAIR WALLIS: I think we sometimes
8 have been given advice that the ACRS should not advise
9 on process. If we get into too much of the details of
10 the process, we may simply say, "We'll leave it to
11 you."

12 Some of this is going to get very much
13 into the details of the process, how you evaluate all
14 of these things. And it may well be the ACRS simply
15 trusts you guys to do it right.

16 MR. DINSMORE: Well, we accept and
17 appreciate any comments that are --

18 MR. SNODDERLY: I think this whole thing
19 -- but I'm also thinking about it in terms of the
20 Commission's based approach to the PRA quality
21 eventually, right? The idea is at the end of phase
22 II, we'll be someplace and phase III eventually. So
23 I'm trying to picture how this dovetails with that.

24 In other words, standards are going to be
25 coming out. And eventually the idea was that folks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would adopt those standards. So it's not clear to me.

2 Does this require that if I want to, as
3 these standards come out, I have to adopt them within
4 a certain time or --

5 MR. DINSMORE: No.

6 MR. SNODDERLY: No. So --

7 MR. DINSMORE: What will happen is that
8 when the standards come out and you do your PRA
9 according to the standard and you submit to us, either
10 you could submit to us for review to use in 50.59 or
11 you wouldn't have to, but when you come in with a
12 50.90 application that has some impact, it would
13 simplify that analysis.

14 So they run in parallel, but there's no
15 conflict between them.

16 MR. RUBIN: Mark Rubin again. If they
17 don't adopt the shutdown standard, it may limit
18 changes they can make to the plant under this rule.
19 And it would certainly limit the changes they could
20 make under 50.59 because we wouldn't have any
21 assurance that they have a methodology in place to
22 demonstrate to themselves that would be a low, low
23 impact change that would affect shutdown conditions.

24 MR. DINSMORE: Actually, the bullet with
25 the most impact on this slide is the last one, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 means, for example, if they write up that they are a
2 10^{-5} limit and they discover an error in their PRA and
3 that pumps from above the limit, they have to do
4 something to come back down. That's essentially what
5 it means. It's a pretty hard hook.

6 CO-CHAIR SHACK: Well, 10^{-5} limit, without
7 a full-scope PRA, are they going to be able to get to
8 a 10^{-5} limit? They're going to be at a 10^{-6} limit,
9 right? Because they won't know where they are on that
10 axis. Are you going to let them do that in a
11 qualitative, non-quantitative, whatever it is,
12 assessment?

13 MR. DINSMORE: We allow the --

14 CO-CHAIR SHACK: There's a big incentive
15 for them to go full scope to get that order of
16 magnitude in delta CDF.

17 MR. DINSMORE: If we're convinced that the
18 total CDF is less than 10^{-4} , we allow them to use the
19 10^{-5} . The degree of convincing can be discussed.
20 But, for example, if they don't have a very good
21 seismic analysis but they're in a very, you know, not
22 --

23 CO-CHAIR SHACK: I was thinking more of
24 fire and shut. Seismic I can understand the argument
25 better than I can fire and shutdown.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DINSMORE: It's a valid concern.

2 CO-CHAIR WALLIS: So you let them use 10^{-5}
3 and you're quibbling about 10^{-7} in this?

4 MR. DINSMORE: Well, the 10^{-7} is that we
5 wouldn't see it. That original idea was to allow them
6 to do stuff that wasn't going to change risk at all.
7 And these we had these problems with the numbers,
8 which you can come up with numbers.

9 And so 10^{-7} according to what their
10 discussions are, most things won't change risk at all.
11 So it's not really a problem. There might be a couple
12 of them.

13 Then the last slide, -- I guess I'm behind
14 here -- the rule requires these periodic PRA
15 reevaluations, again, because they don't really have
16 to update their PRA with every change.

17 Then when we added reporting requirements,
18 which are actually similar to the ECCS reporting
19 requirements -- and this is actually in the rule. I'm
20 not sure if that is the exact language, but as part of
21 the PRA update the licensee shall report the change to
22 the NRC if the change results in significant
23 reduction. There is no real definition of
24 "significant reduction." Again, reg guide 1.174
25 doesn't give us any guidance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we simply proposed the following
2 guidelines to open up the discussion. The significant
3 reduction is if the overall CDF or LERF estimate
4 increases by 20 percent. And here increases means
5 increases. We weren't worried about that going down.

6 Essentially, what this stuff means is that
7 the licensees made some changes to their model that
8 had a fairly significant impact on the results. And,
9 like the ECCS criteria, it gives the staff the
10 opportunity to decide whether they want to look and
11 see, "Hey, you know, these are pretty unexpected
12 changes. We might want to look and see what is going
13 on."

14 CO-CHAIR WALLIS: Look in the other
15 direction, too. On the plant is a CDF.

16 MR. DINSMORE: Decreases.

17 CO-CHAIR WALLIS: If it suddenly comes
18 back and says, "We calculated, and it's now 10^{-6} ," you
19 might want to find out why.

20 MR. DINSMORE: We had that discussion, but
21 the concern was if it increases. But yes, that is a
22 valid comment. We'll take it. And that's it. I
23 guess I'm a little late.

24 CO-CHAIR SHACK: It just seems like when
25 a guy buys into this, he buys into a lot.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER DENNING: I don't want to buy into
2 this much. I mean, this actually sounds burdensome to
3 me, although I'm not sure what the alternative is. I
4 read it as burdensome. And everything else seems to
5 me toward decreasing burden. Am I wrong?

6 MR. DINSMORE: It is definitely a
7 different class than a normal risk-informed
8 application. It puts you in a different world, yes.

9 CO-CHAIR WALLIS: It would be interesting
10 to see if there are any applications.

11 MR. DINSMORE: You have to ask industry.
12 I'm sure they would be willing to --

13 MEMBER POWERS: And how much has industry
14 seen this?

15 MR. DINSMORE: They have seen the proposed
16 rule, which includes the statement of consideration.
17 In this process, the statement of consideration
18 includes all of this. We put it all in there.

19 So they haven't seen a reg guide, but the
20 guidelines and everything are in there, in the
21 statement of considerations, which they have seen.

22 CO-CHAIR WALLIS: What's going to be
23 interesting is what kinds of changes in the plant
24 actually get facilitated by all of this.

25 MR. DINSMORE: PWR power uprates is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 only one that we know of, yes.

2 CO-CHAIR WALLIS: That seems to be the one
3 which stands out the most.

4 MR. DINSMORE: But, again, we have no
5 idea. Maybe I should have rephrased that earlier. We
6 couldn't figure it out. It was going to be a very
7 complicated process. And we were told, "Well, don't
8 try to figure it out. Just make sure that the rule
9 will cover anything which is proposed."

10 MEMBER DENNING: Are we into a discussion
11 period now?

12 VI. GENERAL DISCUSSION-INCLUDING

13 FUTURE INTERACTIONS

14 CO-CHAIR SHACK: We're into a discussion
15 period, yes.

16 MEMBER DENNING: Well, I guess part of
17 that discussion period ought to be areas where we
18 would like to see more the next time they come. This
19 certainly has to be one. I think we need to look into
20 this in more detail, this last part of it.

21 You know, I know what I don't like and the
22 things I do like in the front part, you know. But on
23 this one, I'm still somewhat baffled as to how it's
24 all implemented, how burdensome it is.

25 And then the thing that I was hoping was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we were finally going to see some real meat on
2 the how do you do the margins and how do you do the
3 defense-in-depth analysis?

4 And obviously there's not any more thought
5 on this beyond 1.174.

6 CO-CHAIR WALLIS: That's my concern. All
7 of this seems to be still pretty vague. If I were
8 industry, I would not really know --

9 MEMBER DENNING: What I am buying into.

10 CO-CHAIR WALLIS: -- what the rules were
11 for me, what I really had to do to satisfy some of
12 these qualitative sort of statements. Presumably if
13 they have an incentive, they'll try it and see what
14 happens. That's really sort of experimental.

15 MEMBER KRESS: As a framework, without
16 noticing, without really putting real numbers on all
17 of that, but as a framework, it looks like they
18 covered the bases pretty well.

19 MEMBER POWERS: Yes, Tom, but I'm not sure
20 we really want to experiment with our licensees.

21 MEMBER KRESS: Well, that's --

22 MEMBER POWERS: I mean, I think you'd
23 better have at least some idea of how you're going to
24 implement it. For instance --

25 MEMBER KRESS: I agree.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: When we think about
2 defense-in-depth, they're going to have to wrestle
3 with exactly the same things the committee wrestled
4 with. And they're going to have to come down.

5 You've got three choices. You can be a
6 structuralist. You can be a rationalist. Or you can
7 be AC/DC. And AC/DC just doesn't cut it. Inevitably
8 you're driven to the structuralist point of view on
9 that one because the rationalists demand the level of
10 uncertainty analysis that can't be done. And so why
11 not admit that you're a structuralist?

12 I mean, there's nothing wrong with being
13 a structuralist, even if it is Thirteenth Century.

14 CO-CHAIR WALLIS: I think you can use a
15 structuralist method. You yourself don't have to make
16 a commit to be one thing or the other.

17 MEMBER POWERS: Well, that is, of course,
18 true, but -- and, similarly, I mean, not to be -- I
19 mean, I am not too critical with what they have
20 written down up there. I think they have given to PRA
21 that which is the PRA. That's the redundancy and
22 diversity area. That's the thing that's PRA's
23 strength. And they're really only worried about the
24 structural aspects of the plant.

25 And so you become a structuralist and do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what they did. In fact, they did that. They were
2 structuralists in their second blue bullet. So you
3 might as well just admit it, that you're going to do
4 that. And you're in good shape as far as existing
5 plants.

6 Now, when you go to the more advanced
7 plants, then you may want to rethink your commitment
8 to structuralism.

9 CO-CHAIR WALLIS: How can structuralists
10 implement a risk-informed change?

11 MEMBER POWERS: Very easily.

12 CO-CHAIR WALLIS: I thought, then, you had
13 to be risk-informing. You were supposed to permeate
14 everything. And then you had to be somewhat of a
15 rationalist.

16 MEMBER POWERS: Well, the structuralist
17 gives to the risk analyst that which they do well,
18 which are the diversity and redundancy areas. What
19 they don't give to them are the decisions on
20 independence of barriers and the existence of
21 containment because they're making the argument that
22 until the PRA can do the type of uncertainty analysis
23 that the rationalists demand, we have these things.

24 The structuralist is basically a dying
25 breed if PRA improves, but they're not improving in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that area.

2 MEMBER KRESS: The problem that I have, a
3 problem I have, with structuralists is it tells me,
4 for example, I have to have a containment. It doesn't
5 tell me how good it has to be.

6 MEMBER POWERS: No, it does not.

7 MEMBER KRESS: And that's where I fall
8 back on being an AC/DC. I've got to know how good
9 it's got to be, which leads me to the --

10 MEMBER POWERS: Well, no. You have to go
11 to the next structuralist argument, what if it won't?

12 MEMBER KRESS: Yes.

13 MEMBER POWERS: Okay? And that will tell
14 you how good you want to be.

15 MEMBER KRESS: Yes. But the question of
16 how to quantify the effect of what if I am wrong is
17 the rationalist approach. In order to put some
18 quantity on that --

19 MEMBER POWERS: You become a
20 phenomenologist then.

21 MEMBER KRESS: Yes, you do.

22 MEMBER POWERS: And, actually, the
23 structuralist argument on how good the containment has
24 to be is not very demanding. For instance, you look
25 at TMI. We got up to the design pressure only during

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the hydrogen spike. Okay? So they're not very
2 demanding there because then you're relying on the
3 next level of defense-in-depth, which is emergency
4 response. Okay? And so you're buying time.

5 So, actually, the structuralist argument
6 --

7 MEMBER KRESS: The structuralists have
8 ever gone along with ice condenser containment, for
9 example, or maybe a Mark I?

10 MEMBER POWERS: Yes. I think in the end,
11 the structuralist buys those because he is looking at
12 -- he's just not very demanding.

13 CO-CHAIR WALLIS: The structuralist would
14 accept the transition break size.

15 MEMBER POWERS: Yes.

16 CO-CHAIR WALLIS: He wouldn't say, "What
17 if we're wrong? We ought to consider all breaks"?

18 MEMBER POWERS: Yes, he would. He would,
19 but --

20 CO-CHAIR SHACK: It seems to me this rule
21 has taken into account defense-in-depth in that sense.
22 You know, you are required to mitigate the large
23 breaks.

24 Some of these other things, I mean, I
25 don't think anybody is doing to propose changes that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remove the containment. I don't think they are going
2 to propose changes that exceed the design pressure of
3 the -- I think a lot of this is sort of philosophical
4 discussion.

5 I'm kind of worried about the practical
6 things of tracking these risk changes, sorting out
7 risk changes due to the changes in the models and
8 changes in the real risk and --

9 MEMBER KRESS: Who does the tracking? Who
10 keeps --

11 MEMBER POWERS: Well, where do you want to
12 look and see if it is making a practical impact, Bill,
13 is can you use this to argue you don't have to do the
14 integrated containment leakage test.

15 And nobody is going to come in and change
16 out containment that is already built, but can you
17 come in and say, "I don't have to do" -- because we're
18 coming up on time when those things have to be done.
19 I mean, I think it starts next year, doesn't it?

20 MEMBER KRESS: Ten years, isn't it?

21 MEMBER POWERS: Yes, it's about ten years.

22 CO-CHAIR WALLIS: It's also risk. When
23 you cut a holding containment, how well do you have to
24 repair it?

25 MEMBER POWERS: Well, if you take Turkey

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Point as an example, not too well.

2 MR. SNODDERLY: I think the structuralist
3 would say, "What if you are wrong and there are some
4 degradation mechanisms that we didn't consider and we
5 want to do the integrated test to see if those exist
6 in those areas that we can't visually inspect or
7 somehow test otherwise through the integrated test?"

8 And the rationalists would have to say,
9 "Do I think I have covered the uncertainties to
10 address all of those degradation mechanisms?"

11 And if you think that the rationalist did
12 a good job, you say, "Eliminate the test." If you
13 think that he hasn't, that the uncertainties are such
14 that you need to do some tests so you have some data,
15 you say --

16 MEMBER POWERS: If I were a rationalist
17 and going to make that argument, I would pursue the
18 tack that you took and then I would also ask, "How
19 much damage do I inflict on the system by doing the
20 test as well?" I mean, I think you would have to do
21 both of those.

22 MR. SNODDERLY: Right.

23 MEMBER POWERS: That is going to weigh
24 heavily on our thinking.

25 MR. SNODDERLY: You are right. I assumed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that there was negligible damage caused by the tests.

2 MEMBER POWERS: And I suspect that that is
3 the strategy one would take on doing the test, is
4 let's not do the over-test. The over-test is where
5 the damage comes.

6 MEMBER KRESS: I think, basically, all
7 we're being asked is to once again give our blessing
8 to the 1.174 process. In other words, we're trading
9 small risk increases for reduction in burden. And we
10 have already said that is an okay thing, but you have
11 to have good PRAs to do it.

12 MEMBER POWERS: I have always preferred to
13 look upon it as trading small increases in risk for an
14 increase in focus.

15 MEMBER KRESS: Okay. Well, I agree.
16 That's a better description.

17 MEMBER POWERS: I think that's a better
18 description.

19 MEMBER KRESS: That's much better.

20 MEMBER POWERS: And I think it's also --

21 MEMBER KRESS: Well, now, I think that's
22 overdoing it in this case.

23 MEMBER POWERS: And I think the committee
24 is on record as thinking that that is the right way to
25 go.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Have we discussed this
2 enough?

3 CO-CHAIR SHACK: Any more comments?
4 (No response.)

5 CO-CHAIR SHACK: If not, then the
6 subcommittee is adjourned.

7 (Whereupon, the foregoing matter was
8 concluded at 4:57 p.m.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE


This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: Advisory Committee on
Reactor Safeguards
Regulatory Policies and
Practices & Thermal Hydraulic
Phenomena

Docket Number: n/a

Location: Rockville, MD

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Eric Hendrixson
Official Reporter
Neal R. Gross & Co., Inc.

PROPOSED 10CFR 50.46A REGULATORY GUIDE

Briefing for ACRS
Timothy Collins, NRR-DSS
January 25, 2006

Schedule for ACRS Meetings

Date	Rule	Reg Guide	Notes
Jan 25		Sub	Non seismic
March 8th	Comment period ends		
Apr or May		Sub	Rule comments and seismic
May or June		Full	Ltr: Send RG out for comment
July-Sept		Out for comment	
Sept	Full		Ltr on Final Rule
Nov		Sub	Comment resolution
Dec		Full	Ltr on RG for trial use

Overview of Staff's Presentation

2. ELEMENT 2: ENGINEERING ANALYSIS.....	6
2.1 Traditional Engineering Analysis	6
2.1.1 Assess Compliance with Applicable Regulations.....	6
2.1.2 ECCS Analyses.....	7
2.1.3 Containment Analyses.....	15
2.1.4 Radiological Consequences.....	26
2.1.5 Changes in Break Frequency or Uncertainty.....	27
2.2 RISP Assessment	
2.2.1 Risk Assessment.....	29
2.2.2 Risk Metrics.....	34
2.2.3 Defense-in-Depth Evaluation.....	36
2.2.4 Safety Margins.....	37
3. ELEMENT 3: IMPLEMENTATION, PERFORMANCE MONITORING AND REPORTING.....	37
3.1 Program Implementation.....	37
3.2 Performance Monitoring.....	38
3.3 Reporting.....	39
3.3.1 PRA Reporting.....	39
3.3.2 ECCS Reporting.....	40
4. ELEMENT 4: SUBMIT THE PROPOSED Modification.....	40
4.1 Initial Request to Adopt 50.46a.....	40
4.2 LB Changes After Adopting 50.46a.....	42

Radiological Consequences

- Existing Guidance Valid under 50.46a
 - More realistic source term for LOCA already developed in Alternate Source Term Rule
 - Leak rate used in dose calculation is independent of calculated containment pressure
- Proposed plant changes could invalidate assumptions in current guidance,
 - analysis must be made consistent with actual plant as well as intent of regulatory guidance

Changes in Break Frequency

- LOCA frequency estimates used to support 50.46a assumed historical operating conditions
- Significant changes to operating conditions could invalidate applicability
- Significant changes need to be assessed for impact on LOCA frequency



**Risk-Informed Integrated Safety Performance
(RISP) Assessment
for Proposed 50.46(a) Rule**

**Stephen Dinsmore
Senior Reliability and Risk Analyst**

**PRA Licensing Branch
Division of Safety Systems, NRR
US Nuclear Regulatory Commission**

**ACRS Subcommittee Presentation
January 25, 2006**



Topics

- Overview of the RISP Process
- Application to Adopt 50.46a
- Description of Risk Assessment Methods
- Risk Metrics for Changes Under 50.59
- Risk Metrics for Changes Under 50.90
- Change in Risk Calculation
- Defense-in-Depth
- Safety Margins
- RISP Requirements During Operation
- Risk Assessment Reporting Requirements



Overview of the RISP process

- A licensee who wishes to make changes to the facility or procedures or to the technical specifications shall perform a RISP assessment.
- The RISP assessment must demonstrate that all plant changes satisfy the acceptance criteria in the rule:
 - acceptable changes in risk,
 - Defense-in-Depth is maintained,
 - Adequate safety margins are maintained, and
 - Adequate performance measurement programs are implemented.
- The RISP assessment process includes:
 - Quantitative and qualitative risk analysis tools,
 - A framework for evaluating defense-in-depth,
 - A framework for evaluating safety margins, and
 - Performance-measurement programs that monitor the facility and provide feedback during operation.



Application to Adopt 50.46a

- The Commission must approve an application made under 50.90 to adopt 50.46a
- The application under 50.90 must contain a description of the RISP assessment process including:
 - Description of the licensee's PRA and non-PRA risk assessment methods and
 - Description of the methods and decisionmaking process for evaluating compliance with
 - the risk criteria,
 - defense-in-depth criteria,
 - safety margin criteria, and
 - performance measurement criteria.
- Approval will authorize licensee to use the RISP to satisfy 50.46a requirements when making future changes under 50.59 and its internal change process.
- The RISP will also be used to satisfy 50.46a requirements when proposing future change under 50.90.

Description of Risk Assessment Methods - Scope

- The application to adopt 50.46 should include a description of the licensee's PRA and non-PRA risk assessment methods and should:
 - Identify the PRA scope (initiators and operating modes) that will be used and provide the estimated CDF and LERF.
 - Identify the non-PRA methods that will be used for out-of-scope initiators and modes. For each facility change that is evaluated, the non-PRA methods should be capable of;
 - realistically estimating the change in risk if risk will be estimated,
 - demonstrating that any risk increase caused by the modification would not affect the regulatory decision in a substantial manner (for example, by not affecting the results of screening analyses), or
 - demonstrating that it can not be reasonably concluded that risk has actually changed (for example, the qualitative review of potential safety related functions used for 50.69 implementation).

Description of Risk Assessment Methods – Technical Adequacy

- A description of the measures taken to assure the technical adequacy of the risk assessments. An acceptable approach for assessing technical adequacy of PRA risk assessment is discussed in RG 1.200 including
 - Resolving all peer reviewer comments and
 - Identifying key sources of uncertainty.
- NRC approval to adopt 50.46a will limit the changes permitted under 50.59 to those for which the available risk assessments are adequate to demonstrate that any increase in risk will be minimal.
- Any change may always be requested under 50.90, and technical adequacy of supporting RISP analyses will be required to be submitted and will be reviewed by the staff.

Risk Metrics – Changes Under 50.59

- The proposed rule authorizes licensees to make facility changes without prior NRC approval when the increase in the estimated risk is minimal compared to the overall plant risk profile.
- The NRC staff decided that quantitative guidelines defining minimal are needed because:
 - The proposed rule introduces the consideration of the change in risk into every decision,
 - The proposed rule provides quantitative guidelines for (non-minimal) acceptable risk increases, and
 - Although changes in risk from many facility changes may not be quantifiable, some will be quantifiable although very small.
- RG 1.174 does not provide any guidance about when a proposed risk-informed change not need be approved by NRC so a new guideline was needed.
- The staff is proposing the following guidelines to define when a quantifiable risk increases is minimal:
 - Increase in CDF less than $10E-7$ per year,
 - Increase in LERF less than $10E-8$ per year,
 - And
 - Increases in CDF and LERF are less than 1 % of overall plant risk profile.

Risk Metrics – Changes Under 50.90

- Licensee may submit a request for a licensing amendment when the RISP assessment demonstrates that
 - the total increases in core damage frequency and large early release frequency are small and the overall risk remains small.
- Every change to the facility that increases or decreases risk should be included in the total change in risk estimate.
- Small increase is defined by RG 1.174.
- Overall risk will remain small due to RG 1.174's guidelines that reduce acceptable increases when the overall CDF or LERF is greater than $10^{-4}/\text{yr}$ and $10^{-5}/\text{yr}$ respectively.



Change-in-Risk Calculation


- The total increases in CDF and LERF can be estimated by tracking the change to overall CDF and LERF caused by all changes to the facility since the adoption of 50.46a.
- Some change to the PRA that change the overall CDF and LERF are not made to reflect changes to the facility but, instead, to improve the fidelity of the model or the methods used in the model.
- Changes to overall CDF and LERF caused by PRA improvements should be tracked separately.
- Quantitative guidelines in RG 1.174 should not be interpreted as being overly prescriptive. Therefore, a reasonable estimate of the overall change to CDF and LERF should be acceptable.



Defense-in-Depth

- The RISP must also demonstrate that defense in depth is maintained for all changes, in part, by assuring that:
 - Reasonable balance is provided among prevention of core damage, containment failure (early and late), and consequence mitigation;
 - System redundancy, independence, and diversity are provided commensurate with the expected frequency of postulated accidents, the consequences of those accidents, and uncertainties; and
 - Independence of barriers is not degraded.

- Licensees should retain a level of containment reliability for the full spectrum of accident sequences following all facility changes, even if there is no change in CDF or LERF.



Safety-Margins

- The RISP must also demonstrate that adequate safety margins are retained for all changes to account for uncertainties. With sufficient safety margins:
 - Codes and standards or their alternatives approved for use by the NRC are met
 - Either safety analysis acceptance criteria in the plant licensing basis are met, or proposed revisions provide sufficient margin to account for analysis and data uncertainty.
- The licensee is expected to choose the method of engineering analysis appropriate for evaluating whether sufficient safety margins would be maintained if the proposed modification were implemented.

RISP Requirements During Operation

- Performance measuring programs should be integrated with existing programs where practicable such as;
 - Maintenance Rule (§ 50.65) and
 - Monitoring and feedback programs implemented as part of previous risk-informed regulatory actions.

- Licensees must periodically reevaluate and update the risk assessments (both PRA and non-PRA assessments)
 - Address modifications to the plant, operational practices, equipment performance, and plant operational experience
 - Determine impact on RISP assessments when errors, non-conformances, degraded conditions, or conditions adverse to quality are discovered

- Licensees must take appropriate action to ensure that all modifications continue to meet all applicable acceptance criteria, or modify the facility, technical specifications or procedures so that the acceptance criteria are met.

Risk Assessment Reporting Requirements

- The rule requires periodic PRA reevaluation and, if necessary to address facility changes that have not been incorporated into the PRA, a PRA update.
- As part of the PRA update, the licensee shall report the change to the NRC if the change results in a significant reduction in the capability to meet the acceptance requirements.
- RG 1.174 does not provide guidance on a significant reduction in capability.
- The staff has proposed the following guidance to define a significant reduction in capability
 - The overall CDF or LERF estimate increase by 20% or more
 - The increase in CDF increases by 1×10^{-6} /year or more
 - The increase in LERF increases by 1×10^{-7} /year or more

**Proposed 10 CFR 50.46a
ECCS Analysis
Containment Analysis**



**Ralph Landry
Edward Throm
Nuclear Performance and Code Review Branch
Division of Safety Systems, NRR
US Nuclear Regulatory Commission**

**ACRS Subcommittees
Regulatory Policies and Practices
Thermal-Hydraulic Phenomena
January 25, 2006**

50.46a Regulatory Guide



- ACRS Presentation History
- Objectives and Scope
- Approach
 - ECCS Analysis
 - Containment Analysis



Previous ACRS Briefings Regarding 10 CFR 50.46a

- Previous ACRS briefings
 - November 2004
 - March 2005

Page 3



Objectives and Scope — ECCS Analysis

- Define acceptable analysis approaches
 - For break sizes less than or equal to the TBS
 - For break sizes greater than the TBS
- Define acceptance criteria
 - For break sizes less than or equal to the TBS
 - For break sizes greater than the TBS

Page 4



Acceptable Analysis Methods — ECCS Analysis

- Breaks \leq TBS
 - 10 CFR Part 50, Appendix K
 - Realistic with uncertainty determination, Regulatory Guide 1.157
 - Uncertainty demonstrated at high probability level
- Breaks $>$ TBS
 - 10 CFR Part 50, Appendix K
 - Realistic with uncertainty determination, Regulatory Guide 1.157
 - Another analytical approach
 - Uncertainty can be demonstrated at lower probability level

Page 5



Acceptance Criteria — ECCS Analysis

- Breaks \leq TBS
 - Current criteria
- Breaks $>$ TBS
 - Coolable geometry
 - Long-term cooling
 - Coolable geometry understood by the staff to be:
 - PCT \leq 2200°F
 - MLO \leq 17%
 - Hydrogen equivalent to CWO \leq 1%

Page 6



Acceptance Criteria – Alternative

- Statement of proposed criteria
- Basis for criteria
 - Experimental data base
 - Applicability of the metric
 - Derivation of success criteria
 - Key assumptions
 - Uncertainty analysis
 - Limits of applicability
- Validation and assessment of the analysis methodology

Page 7



ECCS Analysis > TBS

- Assumptions and input
 - Locked RCP rotor need not be assumed, but appropriate pump coast down resistance must be used
 - Offsite power available
 - Worst single failure is not assumed
 - Non-safety grade equipment may be credited, but must be maintained available and be capable of performing credited function under the associated accident conditions

Page 8



Analysis Methodology (>TBS) Documentation

- Analytical model requirements
- Analytical model methodology
- Code description manuals
- User manuals and guidance
- Scaling reports
- Assessment reports
- Uncertainty analysis reports

Page 9



Quality Assurance

- Good QA practices consistent with 10 CFR Part 50, Appendix B
- Applies to analytical model
 - Development
 - Assessment
 - Application

Page 10



ECCS Analysis Summary

- Breaks up to and including the TBS follow all the rules currently in place
- Breaks beyond the TBS may use the current analytical methods or an alternative
- The documentation relevant to the analytical methodology used must be maintained for staff inspection
- Considerable relaxations are acceptable for breaks beyond the TBS
- Good quality assurance practices must be followed

Page 11



50.46a Containment Analysis

Edward D. Throm

Page 12



Containment Response Analyses

- Performed for DBAs – LOCAs, MSLBs and FWLBs
- Demonstrate pressure and temperature within design limits
 - Evaluate safeguards equipment performance
 - Sprays, coolers, ice weight, suppression pool temperature
 - Diesel-loading sequence time requirements
 - Evaluate auxiliary systems performance
 - Heat exchangers, service/component cooling water, UHS
- Equipment Qualification temperature and pressure profiles
- PWR – Minimum containment pressure for ECCS performance

Page 13



Containment Criteria and Guidance

- General Design Criteria
 - GDC 16 - Containment Design
 - GDC 38 - Containment Heat Removal
 - GDC 44 - Cooling Water
 - GDC 50 - Containment Design Basis
- Standard Review Plan
 - 6.2.1.1.A,-.B,-.C - Containment Functional Design
 - 6.2.1.3 - Mass and Energy Releases for LOCAs
 - 6.2.1.5 – Min Pressure for ECCS Performance (PWRs)
 - Possible issue related to use of Tagami for heat transfer coefficient
 - H_{Tagami} at end-of-blowdown $\sim 1/\text{time to end-of blowdown}$

Page 14



Containment - Breaks Up to the TBS

- Use current approved computer models and guidance
 - Models based on lumped parameter approach
 - Breaks result in a "well-mixed" containment atmosphere
 - Conservative initial conditions (p,T and relative humidity)
 - Conservative treatment of break flow and heat structures
 - Single failure/Loss of Offsite power for engineered safety systems
- Possible need to reconsider models for "small" breaks
- Acceptance Criteria
 - Containment and containment structures withstand peak pressure without loss of integrity
 - Containment remains a low-leakage barrier against the release of fission products as long as accident conditions require

Page 15



Containment - Breaks Beyond the TBS

- Use current approved computer models
 - Realistic initial conditions (p,T and relative humidity)
 - Realistic treatment of break flow and heat structures
 - No single failure/Offsite power for engineered safety systems
 - Non-safety grade equipment may be credited, but must be maintained available and be capable of performing credited function under the associated accident conditions
- Acceptance Criteria
 - Containment and containment structures withstand peak pressure without loss of integrity – based on ASME code limits
 - SRP 3.8.1 – Concrete Containment
 - SRP 3.8.2 – Steel Containment

Page 16



Containment Analysis Summary

- For breaks up to the TBS use current codes and practices
 - May need to revisit codes if TBS is a "small" break
 - May need to revisit guidance for PWR ECCS performance

- Containment pressure and temperature within design limits
- Leak tight for accident duration

- For breaks beyond the TBS use current code
 - Without single failure or loss of offsite power
 - With realistic inputs and modeling, may include non-safety systems

- Containment integrity maintained for breaks beyond the TBS