

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Public Meeting to Discuss Palisades Nuclear
Plant License Renewal Application

Docket Number: (Not applicable for meetings)

Location:
South Haven, Michigan

Date: April 5, 2006

Work Order No.: NRC-956

Pages 1-139

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

+ + + + +

NUCLEAR REGULATORY COMMISSION

+ + + + +

PUBLIC MEETING TO DISCUSS
DRAFT ENVIRONMENTAL IMPACT STATEMENT FOR
PALISADES NUCLEAR PLANT
LICENSE RENEWAL APPLICATION

+ + + + +

WEDNESDAY

APRIL 5, 2006

+ + + + +

SOUTH HAVEN, MICHIGAN

+ + + + +

The above-entitled matter commenced pursuant to
Notice before Chip F. Cameron, NRC Special Counsel.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PRESENT:

Chip F. Cameron, Special Counsel for Public Liaison

NRC STAFF:

Rani Franovich, Chief Environmental Review Branch

Bo Pham, Project Manager

Robert Palla, Senior Reactor Engineer

Bob Schaaf, Senior Project Manager

John Ellegood, Senior Resident Inspector

Viktoria Mitlyng, Public Affairs Officer

Dr. David Miller, Argonne National Lab

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

| <u>AGENDA ITEM</u> | <u>PAGE</u> |
|---|-------------|
| I. Welcome and Purpose of Meeting | 4 |
| II. Overview of License Renewal Process | 14 |
| III. Results of the Environmental Review | 19 |
| IV. Results of the Severe Accident Mitigation, Alternatives Review | 66 |
| V. How Comments can be Submitted | 79 |
| VI. Public Comments | 81 |
| VII. Closing/Availability of Transcripts, etc. | 137 |

P R O C E E D I N G S

(1:35 P.M.)

1
2 MR. CAMERON: Good afternoon everyone. My
3 name is Chip Cameron, and I'm the Special Counsel for
4 Public Liaison at the Nuclear Regulatory Commission,
5 the NRC. And it's my pleasure to serve as your
6 facilitator this afternoon for this public meeting.
7 And my responsibility on that score is to try to make
8 sure that all of you have a productive meeting this
9 afternoon.

10 Our subject today is the environmental
11 review that the NRC has conducted as part of its
12 evaluation of an application that we received from the
13 Nuclear Management Company to renew the operating
14 license for the Palisades Nuclear Plant. And I just
15 want to go through a few things on meeting process, so
16 that you understand how we're going to work today
17 before we get to the substance of today's discussions.
18 And I want to talk about format, some very simple
19 ground rules that will help us to have a productive
20 meeting, and to introduce the NRC speakers who are
21 going to be talking to you today.

22 Let me thank all of you for coming out to
23 be with us this afternoon to help the NRC with its
24 important responsibility in terms of evaluating this
25 license application.

1 In terms of the format for the meeting,
2 it's basically a two-part format. The first part is
3 for the NRC to give all of you information, background
4 on not only what we look at when we review an
5 application to renew a license, but in this case, what
6 are the findings in the Draft Environmental Impact
7 Statement that we prepared on this license
8 application. And we're going to give you some
9 information. We're going to go out to you during
10 those presentations to answer any questions that you
11 might have.

12 The second part of the meeting is for us
13 to have an opportunity to listen to any concerns or
14 comments, advice, recommendations that you have on
15 license renewal and possibly on the specifics in the
16 Draft Environmental Impact Statement. I know that
17 some of you have had an opportunity to look at that,
18 so we'll look forward to those comments.

19 And this is a Draft Environmental Impact
20 Statement that we're talking about today. And the
21 reason it is a draft is that it won't be finalized
22 until we have an opportunity to evaluate the comments
23 that we hear today. We're also asking, and the staff
24 will tell you more about this, for written comments,
25 okay? And we'll consider your comments from today's

1 meeting, and the written comments when we begin
2 finalizing the Draft Environmental Impact Statement.

3 In terms of ground rules, they're real
4 simple. When we go out for questions from you, just
5 signal me if you have a question and I'll bring this
6 little microphone out to you and if you could just
7 introduce yourself to us, and any affiliation that,
8 any group that you're with that's applicable and we'll
9 try to answer your questions as best as we can.

10 I would ask that only one person speak at
11 a time. Two reasons, the most important one is so
12 that we can give our full attention to whomever has
13 the floor at the moment. And secondly, we are taking
14 a transcript of the meeting. Mr. Ron LeGrand is here.
15 He's our stenographer. The record of the meeting that
16 is on the transcript will be available to all of you.
17 If you want to see what happens today, we have another
18 meeting tonight. We'll be taking a transcript of
19 that. But one person at a time helps Mr. LeGrand to
20 know who is talking so that we can get a clean
21 transcript.

22 I would ask you to be to the point in your
23 questions, because we want to make sure that we can
24 get to everybody who wants to talk today. So try to
25 be brief on that aspect. And during the question

1 period, it is the opportunity to ask questions. And
2 I know questions can often be attached to a comment
3 that you might want to make to introduce that, but as
4 much as you can, if you could keep the questions to
5 the question period. And if you have comments, let's
6 get that out when we go to comments, the second part
7 of the meeting.

8 Now in terms of those comments, we do have
9 yellow cards out there for you to sign up if you want
10 to make a comment. That doesn't mean that if the urge
11 strikes you when we're in the comment period that you
12 just can't tell me, I'd like to make a comment. But
13 it allows us to know how many people want to, want to
14 speak.

15 And I would ask you, this is a guideline,
16 is to try to keep your comments into the five to seven
17 minute range. And if we're going way outside that, I
18 may ask you to summarize. If you have a written
19 statement, we can attach that to the transcript. If
20 you have a lot more to say, then you can submit
21 written comments and amplify on your comments tonight.
22 And usually I've found that five minutes or so is
23 enough for people to summarize their main points. And
24 it accomplishes two important objectives. One is it
25 alerts the NRC staff to issues of concern that they

1 can start thinking about immediately, including
2 talking to you after the meeting about your particular
3 comment.

4 Second thing that it accomplishes, is it
5 tells the other people in the audience what the
6 concerns are that people might have, or
7 recommendations, advice about the Draft Environmental
8 Impact Statement.

9 So, let me introduce the staff to you,
10 who's going to be talking to you. First, we have Ms.
11 Rani Franovich who's right here. And Rani is the
12 Chief of the Environmental Section in our license
13 renewal program. And Rani and her staff are
14 responsible for doing the environmental reviews on
15 each of these license renewal applications.

16 And to give you little bit of her
17 background, she's been with the NRC for about 15
18 years. She was a Project Manager on a safety
19 evaluation, as opposed to the environmental evaluation
20 on license renewal applications. She's been an NRC
21 Resident Inspector at the Catawba Nuclear Power Plant.
22 And Rani will be introducing the residents that are at
23 Palisades.

24 But, the NRC Resident Inspectors are our
25 eyes and ears, so to speak, at the particular plant.

1 They live in the community to make sure that NRC
2 regulations are complied with. But Rani was a
3 Resident Inspector. She also was the Enforcement
4 Coordinator for our reactor program. And that's, has
5 to do with any enforcement actions that are taken for
6 non-compliance with NRC Regulations. She has a
7 bachelor's degree in Psychology from Virginia Tech,
8 and also a master's in Industrial & Systems
9 Engineering. And she's going to give you a broad
10 overview of --

11 Then we're going to go to one of Rani's
12 staff, Mr. Bo Pham, who's right here. And Bo is the
13 Project Manager for the preparation of the
14 environmental review on the Palisades license renewal
15 application. And he's going to talk to you about that
16 process. And Bo's been with the NRC for about four
17 years. He was a Project Manager for the NRC for the
18 San Onofre reactor in California. He comes to us from
19 the Nuclear Navy. He was an officer on submarine,
20 nuclear navy. And he has a bachelor's degree in
21 Mechanical Engineering from the Naval Academy in
22 Annapolis, Maryland.

23 After those two presentations, which are
24 on the process, we'll see if you have any questions.
25 And then we're going to proceed to the substance of

1 the environmental review and these are the information
2 and the findings in the Draft Environmental Impact
3 Statement.

4 And we have Dr. Dave Miller, who's right
5 here. Dave is the Team Leader of our group of
6 scientists and expertise, experts who prepared the
7 Environmental Impact Statement, with the NRC, for the
8 NRC staff, with the NRC staff. And he led that team
9 of scientists and he'll be talking to you about what
10 they found. And Dave is from Argonne National Lab
11 outside of Chicago, and he's an Environmental Engineer
12 and he has a PhD in Environmental Engineering from
13 Johns Hopkins University. He's also a Professional
14 Engineer, certified, and he's also a Registered
15 Geologist.

16 And after Dave's presentation, we'll go to
17 you for questions again. And then we have a real
18 specific part of the Environmental Impact statement,
19 the draft EIS, to talk to you about. And that's
20 something called SAMA, Severe Accident Mitigation
21 Alternatives. And we have one of our experts from the
22 NRC here to talk to you about that. That's Mr. Bob
23 Palla. And Bob has been with the Agency for 25 years,
24 and he's an expert on something called Probabilistic
25 Risk Assessment and Severe Accident Analysis. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll tell you a little bit about that. He has a
2 bachelor's and a master's in Mechanical Engineering
3 from the University of Maryland. And we'll go again
4 for questions.

5 And then we're going to have Bo come back
6 up, Bo Pham, to just tell you how you submit comments,
7 where, whatever. And then we'll get into the second
8 part of the meeting. We're going to do the
9 presentations now and I would just ask you to be
10 patient. Let the presenters get through their
11 presentation. Make notes of questions that you have,
12 and then we'll come back and get your questions, just
13 to insure that they can, we can get all the material
14 out to you today. And Rani, you're going to talk to
15 us now. Rani Franovich.

16 MS. FRANOVICH: Thank you Chip. And thank
17 you all for being here. You know, you're
18 participation in our process is very important to us.

19 MALE VOICE: Can't hear very well.

20 MS. FRANOVICH: Can you hear better now?
21 Is that better? Can everybody hear me?

22 FEMALE VOICE: You have to hear your own
23 echo. Then you know we're hearing.

24 MS. FRANOVICH: Is this better? How about
25 that? Okay. Thank you. Again, I want to thank you

1 all for coming to our meeting. Your participation is
2 very important to our process. I hope the information
3 we provide today in this meeting will help you to
4 understand the process we're going through, what we've
5 done so far, and the role that you can play in helping
6 us make sure that our final Environmental Impact
7 Statement for Palisade's license renewal is accurate.

8 I'd like to start off briefly by going
9 over the agenda and the purpose of today's meeting.
10 We'll explain the NRC's license renewal process for
11 nuclear power plants with emphasis on the
12 Environmental Impact Analysis and review process. And
13 then we're going to present the preliminary findings
14 of our environmental review which assesses the impacts
15 associated with extending operation of the Palisades
16 Nuclear Facility for an additional 20 years.

17 Then really the most important part of
18 today's meeting is for us to receive any comments that
19 you may have on our Draft Environmental Impact
20 Statement. We also will give you some information
21 about the schedule for the balance of the Staff's
22 review and let you know how you can submit comments
23 after today's meeting.

24 At the conclusion of the Staff's
25 presentation, we'll be happy to answer any questions

1 you may have. However, I must ask you to limit your
2 participation to questions only and hold your comments
3 until the appropriate time in this meeting when we ask
4 you to provide those comments. Once all questions are
5 answered, we can begin to receive those comments that
6 you have on our Draft Environmental Impact Statement.

7 Before I get into a discussion of the
8 license renewal process, I'd like to talk a minute
9 about the NRC in terms of what we do and what our
10 mission is. The Atomic Energy Act is the legislation
11 that authorizes the NRC to issue licenses.

12 AUDIENCE MEMBER: Excuse me. Can I ask,
13 how many people are hearing clearly? Some of us are
14 white haired and it makes a difference.

15 AUDIENCE MEMBER: It's hard to hear you.

16 AUDIENCE MEMBER: Yes. It's really,
17 you're not as loud as he was. You have to be
18 practically eating the microphone.

19 MS. FRANOVICH: Well, I will try my best
20 to make sure everybody can hear me.

21 MR. CAMERON: Was that, was that better,
22 what she just said right then.

23 AUDIENCE MEMBER: It's not that much
24 better. How many people are having some problems
25 hearing?

1 AUDIENCE MEMBER: Lean into the mike.

2 AUDIENCE MEMBER: Your mike was better.
3 You're voice was better.

4 MR. CAMERON: Okay. Let's give it a,
5 Rani, try to really --

6 AUDIENCE MEMBER: Eat it.

7 MR. CAMERON: -- get in there and let's
8 see if that works. You've got to hear, so we'll solve
9 the problem one way or the other. So, let's go, Rani,
10 and try it. Give it another try.

11 MS. FRANOVICH: Okay. The Atomic Energy
12 Act is the legislation that authorizes the NRC to
13 issue licenses. The Atomic Energy Act also provides
14 for a 40 year term for a license for power reactors.
15 This 40 year term is based primarily on economic
16 considerations and anti-trust factors, not on safety
17 limitations of the plant. The Atomic Energy Act also
18 authorizes the NRC to regulate civilian use of nuclear
19 materials in the United States.

20 In exercising that authority, the NRC's
21 mission is three-fold; to insure adequate protection
22 of public health and safety, to promote the common
23 defense and security, and to protect the environment.
24 The NRC accomplishes its mission through a combination
25 of regulatory programs and processes, such as

1 conducting inspections, issuing enforcement actions,
2 assessing licensee performance, and evaluating
3 operating experience for nuclear power plants across
4 this country and internationally. The regulations
5 that the NRC enforces are contained in Title 10 of the
6 Code of Federal Regulations, which is commonly
7 referred to as 10CFR.

8 As I've mentioned, the Atomic Energy Act
9 provides for a 40 year license term for power
10 reactors. Our regulations also include provisions for
11 license renewal, and extending plant operation for up
12 to an additional 20 years. For Palisades, the license
13 will expire in 2011.

14 Palisades is owned by Consumer's Energy,
15 a subsidiary of CMS Energy Corporation and licensed to
16 operate by Nuclear Management Company LLC. Nuclear
17 Management Company has requested license renewal for
18 the Palisades plant. As part of the NRC's review of
19 that license renewal application, we have performed an
20 environmental review to look at the impact of an
21 additional 20 years of operation on the environment.
22 We held a meeting here in July of last year to seek
23 your input regarding the scope of the Staff's view and
24 items we needed to evaluate. We indicated at that
25 earlier scoping meeting that we would return to South

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Haven to present the preliminary results of our
2 Environmental Impact Statement. That is the purpose
3 of today's meeting.

4 The NRC's license renewal review is
5 similar to the on, the original licensing process in
6 that it involves two parts; a safety review and an
7 environmental review. This slide really gives a big
8 picture of the overall license renewal process which
9 involves those two parallel paths. I'm going to
10 briefly describe both the safety review process and
11 the environmental review process, starting with the
12 safety review.

13 You might ask, what does the safety review
14 consider? For license renewal, the safety review
15 focuses on aging management of systems, structures,
16 and components that are important to safety as
17 determined by the License Renewal Scoping Criteria
18 contained in 10CFR, part 54. The license renewal
19 safety review does not assess current operational
20 issues, such as security, emergency planning and
21 safety performance. The NRC monitors and provides
22 regulatory oversight of these issues on an ongoing
23 basis under the current operating license. Because
24 the NRC is dealing with these current operating issues
25 on a continuing basis, we do not reevaluate them in

1 license renewal.

2 As I have mentioned, the license renewal
3 safety review focuses on plant aging, and the programs
4 that the licensee has already implemented or plans to
5 implement to manage the effects of aging. Let me
6 introduce Juan Ayala. He is the Safety Project
7 Manager. Juan, thank you. He's in charge of the
8 Staff safety review. The safety review in our, excuse
9 me, the safety review involves the NRC's staff's
10 evaluation of technical information that is contained
11 in the license renewal application. This is referred
12 to as the Staff's safety evaluation.

13 The NRC Staff also conducts audits as part
14 of its safety evaluation. There is a team of about 30
15 NRC technical reviewers and contractors who are
16 conducting the safety evaluation at this time. The
17 safety review also includes plant inspections. The
18 inspections are conducted by a team of inspectors from
19 both headquarters and the region 3 office outside of
20 Chicago. A representative of our inspection program
21 is here today. John Ellegood is the Senior Resident
22 Inspector at Palisades. Thank you, John.

23 The Staff documents the results of its
24 safety review in a Safety Evaluation Report. That
25 report is then independently reviewed by the Advisory

1 Committee on Reactor Safeguards or the ACRS. The ACRS
2 is a group of nationally recognized technical experts
3 that serves the consulting body to the NRC, to the
4 Commission. They review each license renewal
5 application and the Safety Evaluation Report. They
6 form their own conclusions and recommendations on the
7 requested action, and they report those conclusions
8 and recommendations directly to the Commission.

9 This slide illustrates how these various
10 activities make up the safety review process. I'd
11 like to point out that the hexagons on the slide
12 indicate opportunities for public participation. The,
13 mechanical failure. It's the yellow hexagons on the
14 slide. Those represent opportunities for public
15 participation in the safety review process.

16 The second part of the review process
17 involves an environmental review. The environmental
18 review which Bo will discuss in a few minutes in more
19 detail, evaluates the impacts of license renewal on a
20 number of areas, including ecology, hydrology,
21 cultural resources and socioeconomic issues, among
22 others. The environmental review is all scoping
23 activities, and the development of a draft supplement
24 to the Generic Environmental Impact Statement for
25 License Renewal of nuclear plants, also referred to as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the GEIS. The GEIS forms the basis for plant specific
2 environmental reviews.

3 The Draft Environmental Impact Statement
4 for Palisades has been published for comment. And
5 we're here today to briefly discuss the results and to
6 receive your comments. The Draft Environmental Impact
7 Statement for Palisades, I'm sorry. In October of
8 this year, we will be issuing the final version of the
9 Staff's Environmental Impact Statement, which will
10 document how the Staff addresses the comments that we
11 receive here today and in the future, on the draft
12 EIS.

13 So, the final Agency decision on whether
14 or not to issue a renewed operating license depends on
15 several inputs; inspection reports and a confirmatory
16 letter from the Region 3 Administrator, conclusions
17 and recommendations of the ACRS, which are documented
18 in a letter to the Commission, the Safety Evaluation
19 Report which documents the results of the Staff's
20 safety review, and the final Environmental Impact
21 Statement, which documents the results of the Staff's
22 environmental review.

23 Again, the hexagons on the slide indicate
24 opportunities for public participation. The first
25 opportunity was during the scoping period, and the

1 meeting back in July of 2005. Many of you may have
2 attended that meeting. This meeting on the Draft
3 Environmental Impact Statement is another opportunity.
4 No contentions have been admitted to a hearing, so
5 that does not apply here. Appeals are before the
6 Commission at this time.

7 That concludes my presentation on the NRC
8 and general overview of the license renewal process.
9 Now I'd like to turn things over to Bo, who will
10 discuss more details about our environmental review
11 and our preliminary results.

12 MR. PHAM: Thank you Rani.

13 MS. FRANOVICH: Sure.

14 MR. PHAM: Thank you. Good afternoon, and
15 thank you everyone again for coming today. Can
16 everyone hear me fine like this?

17 AUDIENCE MEMBER: No. You've got to be
18 real close so you can hear your own echo.

19 MR. PHAM: Okay. I'll try to, I'll try to
20 project a little bit more. Good afternoon. My name
21 is, as Rani and Chip have mentioned before, my name is
22 Bo Pham. I am an Environmental Project Manager for
23 the NRC. My responsibility is basically to coordinate
24 the activities of the NRC Staff and the various
25 environmental experts that we have in the National

1 Laboratories to develop the Environmental Impact
2 Statement associated with the license renewal proposal
3 for Palisades Nuclear Plant. So, it was on the wrong
4 slide. Here we go.

5 The National Environmental Policy Act of
6 1969 requires that Federal agencies like the NRC,
7 follow a systematic approach in evaluating potential
8 environmental impacts associated with certain actions.
9 We're required to consider the impacts of the proposed
10 action and also any mitigation, mitigation of those
11 impacts that we consider to be significant.
12 Alternatives to the proposed action, including taking
13 no action of the applicant's request, are also to be
14 considered.

15 The National Environmental Policy Act and
16 our Environmental Impact Statement are disclosure
17 tools. They're specifically structured to involve
18 public participation, and this meeting that we're
19 having here today facilitates the public
20 participation. So we are here today to collect your
21 public comments on the, on our Draft Environmental
22 Statement, and these comments will be included in the
23 final Environmental Impact Statement for Palisades.

24 But now I'd like to provide a little bit
25 more information in detail about the development of

1 the license renewal Environmental Impact Statement.
2 In the mid 1990's, the NRC was faced with the prospect
3 of having to prepare Environmental Impact Statement
4 for the majority of, for the license renewal of the
5 majority of the operating nuclear plants in the U.S.
6 In order to do so, the NRC decided that it would
7 tackle this problem in two ways.

8 First, we evaluated the impact of all the
9 plants across the entire country to determine if there
10 were impacts that were common to all operating plants.
11 We looked at 92 separate areas and found that for 69
12 issues, the impacts were the same for all, for plants
13 with similar features. The NRC called these category
14 ones, category one issues and made the same or generic
15 determination about the impacts in a document called
16 the Generic Environmental Impact Statement for License
17 Renewal, which Rani mentioned earlier, which we also
18 refer to as the GEIS. These category one issues
19 include things like the discharge of chlorine or
20 biocides, thermal shock, and fish entrainment or
21 impingement to the, for, to the environment. The
22 Generic Environmental Impact Statement was issued by
23 the NRC in 1996 and contains the NRC generic
24 determinations for all 69 category one issues.

25 And secondly, the NRC found that it was

1 not able to make the same generic determination or
2 conclusions about the remaining 23 issues. The site
3 specific supplements were needed for 21 of these
4 issues. We call them category two issues, and also
5 there were two remaining issues that we referred to as
6 not categorized. And they also needed site specific
7 analyses. The NRC did not rule out the possibility
8 that its generic conclusions for the category one
9 issues may not apply in some cases, therefore a
10 verification is done to determine if new and
11 significant information is found that contradicts the
12 generic conclusion, and if so the Staff would perform
13 a site specific analysis on each of those issues.

14 The Palisades Supplement containing a
15 summary of category one issues and site specific
16 analysis for category two issues, as well as the two
17 not categorized issues, is what we're presenting to
18 you today. And there are copies in the back of the
19 room if you, if you have not seen one.

20 This slide here shows our decision
21 standard for the environmental review. And the
22 standard comes straight out of our regulations under
23 part 51.71 of the Title 10 of the Code of Federal
24 Regulations. And I'll give you a second to read
25 through it, but simply put, it, the standard is for us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to verify if the license renewal is acceptable from an
2 environmental perspective.

3 This slide shows the important milestone
4 dates for the, for the environmental review. The
5 highlighted dates indicate opportunities for public
6 involvement in the environmental review. We received
7 the Nuclear Management Company's application
8 requesting for the license renewal of Palisades on
9 March 22nd of 2005. On June 27, 2005 we issued a
10 Federal Registered Notice of Intent to prepare the
11 Environmental Impact Statement and conduct scoping for
12 the review. A meeting was held on July 28th, as Rani
13 mentioned earlier, as part of the scoping process.
14 And many of you may have attended that meeting to
15 provide comments that were included in the Draft
16 Impact Statement.

17 The comments that were given at the
18 scoping meeting and on the scope of the review are in
19 the Appendix A, as I mentioned. I also have copies of
20 the Scoping Summary Report that we published as part
21 of the scoping process in the back of the room, if
22 you're interested in taking a look at that. The
23 scoping period ended on August 22nd, 2005 and the
24 Scoping Summary Report was issued on December 14th of
25 2005 addressing all the comments that were received

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from all sources during the scoping process.

2 Our draft supplement to the Generic
3 Environmental Impact Statement, otherwise known as the
4 GEIS, as each plant comes for license renewal, we
5 publish a plant specific supplement, and in Palisades
6 case its supplement is supplement 27 to the GEIS.
7 This draft supplement was published on February 14th
8 of this year, entitled Supplement 27 of the GEIS,
9 regarding Palisades Nuclear Plant. And here we are
10 currently accepting public comments on the draft until
11 May 18th. And that's the next major milestone in this
12 process.

13 Today's meeting, as Chip has mentioned
14 also, will be transcribed, and comments provided here
15 carries the same weight as written comments provided
16 to us. And once the comment period closes, we will
17 develop the final Supplemental Environmental Impact
18 Statement which we expect to be published sometime in
19 October of this year.

20 And at this point, I would like to turn it
21 over to Dr. Dave Miller of Argonne National Labs. But
22 before that, I think we can take any questions
23 regarding the process up to this point.

24 MR. CAMERON: Yes. Let's see if we have
25 questions on the process before we get into the

1 substantive findings of the EIS. And we just need to
2 make sure that we save time to get your questions on
3 that, but any questions on the license renewal process
4 at this point? Yes, let me get you with this
5 microphone here.

6 MS. CAREY: Well, as a mother of four boys
7 and a teacher of fourth graders, I usually talk pretty
8 loud, but I wanted to ask you, the hour before the
9 meeting, in other words, the pre-meeting availability
10 of all these nice people to answer questions. Is that
11 new in the process or has that gone on from the
12 beginning?

13 MR. CAMERON: Okay, good question. Bo?
14 The informal open house that we do, traditionally do
15 before
16 the --

17 MR. PHAM: That has --

18 MR. CAMERON: -- the meeting.

19 MR. PHAM: Yes. Both the scoping meeting
20 and our draft meetings we have traditionally have held
21 one hour before and after, before the formal
22 presentations itself as an open house.

23 MS. CAREY: I think my question about it
24 is that in order to get the issue, I may have a
25 question and issue that I really want answered, but I

1 want other people to hear it too because I need
2 everybody's input. And if it's done on this private
3 discussion before and after the meeting, it means that
4 the other people that are hear don't get a chance to
5 hear my very important question.

6 MR. CAMERON: And that's, I think, Rani
7 would tell you, would urge you to, to also ask the
8 question here so that everybody else can hear it.
9 It's not, the open house is meant to give people an
10 opportunity to informally talk to the NRC's staff, and
11 it's not meant to foreclose any questions or comments
12 from coming up in this session. Right, Rani?

13 MS. CAREY: Thank you.

14 MR. CAMERON: Okay. Yes, sir? And we
15 have a question back there, but, and please introduce
16 yourself too.

17 MS. CAREY: Oh, I was Corinne, oh, go
18 ahead.

19 MR. CAMERON: Go ahead, sir.

20 MR. LOWE: Yes, this is Corinne Carey.

21 MR. CAMERON: Thank you.

22 MR. LOWE: And I'm Chester Lowe. Both
23 from Grand Rapids, Michigan. I wanted to know what
24 the, or whether or not there are any local residents
25 from South Haven here that had any input or any kind

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of part for the environmental review process, and what
2 happens here in the community. In other words, are
3 there any representatives of South Haven area, or even
4 this area of Michigan? In the, as part of a team for
5 part of the process of this? Also, about the
6 socioeconomic factor. I wanted to know more about
7 that.

8 MR. CAMERON: Okay. We'll, we'll hold off
9 on the socioeconomic and go back to that after you
10 hear Dave Miller's presentation on that. And in terms
11 of local residents and local government being, being
12 part of the process, I think Bo and/or Rani are going
13 to tell you about the fact that we did have local
14 residents who spoke at the scoping meeting and I think
15 that Bo, and you elaborate on this, in terms of how we
16 work with local government here in terms of the
17 process, okay?

18 MR. PHAM: Yes. During the scoping
19 process, when we had the meeting here in July 28th
20 last year, we basically, we asked everybody that if
21 they were interested and they registered at the
22 meeting, and we had the address and contact
23 information, we have been keeping everyone on our
24 expanded mailing list. If there any correspondence
25 that we have been sending out regarding the license

1 renewal issues, everyone should have been getting, so
2 and when we published the Draft Impact Statement, we
3 also mailed a copy to everyone on that.

4 Now as far as the people are showing up
5 here today, I couldn't tell you who specifically is
6 from the community, but that, the process carries on
7 from here on to and that if you register, and that's
8 one point I, I kind of wanted to follow-up onto. If
9 you're here and you haven't registered I ask that you
10 please do so, so that we can have your information so
11 that we continue to keep you informed of the whole
12 process here.

13 MR. CAMERON: Good, good point. And we're
14 going to go here, and then we'll go over to you. And
15 if apropos of Corinne's question about the informal
16 open house, we'll be here after the meeting too if
17 anybody wants to get more information on a point or a
18 question to talk to the NRC staff after the formal
19 part of the meeting is over. And, Kevin?

20 MR. KAMPS: My name is Kevin Kamps. I
21 work for Nuclear Information and Resource Service, but
22 I'm from Kalamazoo. And my question, Bo, has to do
23 with the schedule that you went through. My question
24 is what is the breakneck speed up there all about? I
25 mean, back in July 28th, we requested an extension to

1 the scoping period and I don't even think we got an
2 answer on that. We sure didn't get an extension, but
3 we didn't get an answer even. And so my question is
4 if you really want public input on this stuff, then,
5 and I know you're going to say, well, the Commission
6 told us to and maybe even, well, Congress told us to
7 beyond that but, this, this breakneck speed, this
8 sprint is just, you know, kind of, the writing's on
9 the wall, I would have to say.

10 MR. CAMERON: And Bo, in terms of a couple
11 of points as, you know, the basis for the, for the
12 schedule, perhaps something that you might not know is
13 what did we do with Kevin's request, which I remember,
14 I think, from the last scoping meeting. Not that it
15 matters that I remember, but what we did with that.
16 Kevin, I don't know if implied in your question you're
17 formally, or at least at this meeting, requesting that
18 the comment period be held open. If you are, we'll
19 want to get that on the record.

20 MR. KAMPS: I would like to make that
21 request. I'd like to ask for another three months on
22 the comment period --

23 MR. PHAM: Okay --

24 MR. KAMPS: -- for meaningful public
25 input.

1 MR. PHAM: Let me --

2 MR. CAMERON: Okay.

3 MR. PHAM: Let me have Bob take on the
4 first part of the question and whether we responded to
5 your request. I remember hearing about that, but Bob
6 was the, the Environmental PM at the time. And now,
7 Bob?

8 MR. SCHAAF: Right. Kevin, we did respond
9 to that request and I can get you the accession number
10 for the letter. I thought it had been addressed,
11 actually, to you. It may have been misdirected in
12 responding, but we did, we did address that, that
13 request. And I'll make a note to get that accession
14 number for you.

15 MR. CAMERON: Okay. Great. That's Bob
16 Schaaf. Thank you, Bob, and --

17 MR. SCHAAF: I, I, as, as far as the
18 schedule and, and the timing and the amount of time
19 for comments, you know, the gist of our response both
20 for, for the scoping period and I guess it would be a
21 similar answer to your question regarding comments on
22 the draft, is that the Commission has, has a number
23 of, of goals that, that we work towards, one of which
24 is openness to the public and involving the public in
25 our process. We also have goals regarding, you know,

1 efficient operation, conduct of, of the public's
2 business.

3 And the Commission has determined that
4 these time frames are reasonable time frames for
5 balancing those, those goals that, particularly in the
6 case of, actually in the case of the comment on the
7 draft period. Our regulations stipulate a 45 day
8 comment period and include opportunities for the
9 public to request 15 day extensions. And by default,
10 when we started the license renewal process, we, we
11 went ahead and added on essentially two 15 day
12 extensions to the, the, the regulatory requirement for
13 a 45 day comment period. So there has already been
14 some allowance for additional time, nearly double the,
15 the required time frame for that response, for folks
16 to provide responses.

17 MR. CAMERON: Okay. And we're going to go
18 on to one last question before, and see if we can
19 revisit these issues, but we'll go to you. Then I
20 just want to give Kevin a follow-up.

21 MR. KAMPS: Well, just to respond to that.
22 I mean, our efforts as local concerned citizens
23 regarding this very dangerously deteriorated plant
24 have involved the NRC licensing process, performed pro
25 bono by us through completely volunteer efforts on a

1 grass roots level. And so this thing is going on at
2 the same time as that licensing process, which we're
3 still engaged in because we've appealed the licensing
4 board's ruling against us. So I think the
5 Commission's regulations are unreasonable.

6 MR. CAMERON: Okay. And that is on
7 record, Kevin, as is your request. And let's go right
8 here and then we'll go on. Yes, ma'am?

9 MS. ELZERMAN: My name is Mary Ann
10 Elzerman, and I am a Physicist for the Department of
11 Environmental Quality. And I want to assure all of
12 you that we have had two people, two physicists, in
13 this process of the environmental and the technical
14 review ever since it started. And the state is very
15 aware of what's going on and we do comment on all of
16 the publications that come from the NRC.

17 MR. CAMERON: Great. Thank you State of
18 Michigan, Department of Environmental Quality. Thank
19 you very much. Let's, do you have a quick process
20 question sir, before we go on? And also please
21 introduce yourself.

22 MR. PICCIUCA: My name is Sebastian
23 Picciuca, and I live in, within 50 miles of the plant.
24 Did, you said 45 days, it's only 43 at the bottom, one
25 of the upper ones was only 30, like 3, 25. What was

1 the 45 days?

2 MR. PHAM: It was, it's 45 days from the
3 publishing of our Draft Environmental Impact Statement
4 and the recognition of it by the EPA, and as published
5 in the Federal Registered Notice. So that's the 45
6 days, and actually they, May 18th --

7 MR. PICOIUCA: So when's the 45 days?

8 MR. PHAM: It, it should have been from
9 February 24th, which is the date that the EPA issued
10 the Federal Registered Notice. So 45 days from
11 February 24th, but actually when I'd put up the
12 schedule, May 18th built in a little cushion just in
13 case. We could even make the 45 days. So you
14 actually have more than 45 days.

15 MR. CAMERON: Okay. Thank you. Ken,
16 let's go to you.

17 MR. RICHARD: I'm Ken Richard.

18 MR. CAMERON: Well, Ken, what I wanted to
19 do is, is get Dave on with his substantive findings
20 and then we'll go to you first after he's done with
21 that for your question. Because I think it may relate
22 more to that, I don't know. And we do have the
23 socioeconomic in the parking lot, so to speak too. So
24 we didn't forget that, Chester. It is Chester, right?

25 MR. LOWE: Right.

1 MR. CAMERON: All right. Dave? Dave
2 Miller.

3 MR. MILLER: Good afternoon. Can you hear
4 me in the back all right? Okay, very good. Well, as
5 Chip mentioned, I'm Dave Miller. I'm with Argonne
6 National Lab, and we're out of Chicago. The NRC
7 contracted with Argonne National Lab to provide the
8 expertise necessary to evaluate the impacts of license
9 renewal at Palisades. My team consists of nine
10 members from Argonne National Lab, plus one member
11 from Lawrence Livermore National Lab. And the
12 expertise areas are listed here on the screen, but
13 I'll just go through them briefly.

14 We provide expertise in atmospheric
15 science, socioeconomics, archaeology, terrestrial
16 ecology, aquatic ecology, land use, radiation
17 protection, nuclear safety, and hydrology and
18 regulatory compliance. Okay. For each environmental
19 issue that's identified as, there's an impact level
20 that's assigned. And I'll go over these impact
21 levels. You can see them on the screen here.

22 For instance, small, a small impact is an
23 effect that's not detectable or too small to
24 destabilize or noticeably alter any important
25 attribute of the resource under consideration.

1 For a moderate impact, the effect is sufficient
2 to noticeably alter the, the resource, but not
3 destabilize important attributes of that resource.
4 For a large impact, the effect must be clearly
5 noticeable and sufficient to destabilize important
6 attributes of the resource.

7 I'll use a hypothetical fishery situation
8 in Lake Michigan to illustrate how we look at these
9 three criteria. For instance, a plant might cause a
10 loss of adult and juvenile fish at an intake
11 structure. If the loss is, if the loss of fish is so
12 small that it cannot be detected in relation to the
13 total population in Lake Michigan, the impact would be
14 small. If losses cause the population to decline and
15 then stabilize at a lower level, the impact would be
16 considered moderate. If losses at the intake cause
17 the fish population to decline to a point where it
18 can't be stabilized and continually declines, then the
19 impact would be large.

20 Now this goes to the subject of
21 information gathering. My team, when we evaluated the
22 impacts from continued operations at Palisades, we
23 considered information from a wide variety of sources.
24 We considered what the licensee had to say in their
25 environmental report. We conducted a site audit

1 during which time we toured the site, we interviewed
2 plant personnel, we reviewed documentation of the
3 plant operations, and we also, over the course of the
4 evaluation, have talked to Federal, State, local
5 officials, as well as local service agencies. And we
6 considered all of the comments received from the
7 public during the scoping period, as previously
8 mentioned. These comments are actually listed in
9 Appendix A of the document that's available today,
10 along with the responses that NRC, along with NRC's
11 responses.

12 The body of this information collected
13 from these various sources, forms the basis of the
14 analysis and preliminary conclusions in this Palisades
15 supplement. The central analyses in the supplement
16 are presented in Chapters two, four, five and eight of
17 the supplement.

18 In Chapter two, we discuss the plant, its
19 operation, and the environment around the plant. In
20 Chapter four, we looked at the environmental impacts
21 of routine operations during the 20 year license
22 renewal term. The team looked at the following
23 issues, and on this slide it's everything but the very
24 bottom one which we looked at in Chapter five. So in
25 Chapter four, we looked at the cooling system, the

1 transmission lines, radiological issues, socioeconomic
2 issues, ground water use and quality, and threatened
3 or endangered species. Chapter five, as I said,
4 contains the assessment of accidents.

5 At this point, I'd like to make a
6 distinction. Environmental impacts from the, from
7 routine day-to-day operations of the Palisades plant
8 for another 20 years are considered separately from
9 the impact that could result from potential accidents.
10 That is, potential accidents during the license
11 renewal term. I'll discuss the impacts from routine
12 operations. Mr. Palla will discuss impacts from
13 accidents, and he'll follow me.

14 Chapter eight then describes the
15 alternatives to the proposed license renewal, and the
16 environmental impacts associated with those proposed
17 alternatives. Each of these issue areas are discussed
18 in detail in the supplement. And now I'm going to
19 just go through the highlights of some of these.

20 For cooling systems, for the cooling
21 system, there are no category two issues related to
22 the close cycle cooling system operation at the
23 Palisades Nuclear Plant. In other words, no site
24 specific issues. They were category one. Preliminary
25 findings are there is no new and significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information that was identified for this cooling
2 systems, and the GEIS, in its category one analysis,
3 concluded that impacts are small.

4 The category one issues that are related
5 to cooling system, include issues related discharge of
6 sanitary wastes, minor chemical spills, metals and
7 chlorine. And as you recall, the GEIS has already
8 determined that these impacts are small. We did
9 evaluate all available information to see if there was
10 any information that was both new and significant for
11 these issues, and we did not find any new and
12 significant information from the sources that we
13 talked about on the previous slide. And therefore, we
14 adopted NRC's generic conclusion.

15 Radiological impacts. Radiological
16 impacts are also category one, and the NRC has made a
17 generic determination that the impact of a
18 radiological release during nuclear plant operations
19 over the course of the 20 year license renewal period
20 are small. But because there are releases, and they
21 are concerned, I want to discuss them in some detail.

22 Nuclear plants are designed to release
23 radiological effluence to the environment. Palisades
24 is no different than other plants, and Palisades
25 releases radiological effluence to the environment.

1 During our site visit, we looked at the effluent
2 release and monitoring program documentation. We
3 looked at how the gasses and liquid effluence were
4 treated and released, as well as how the solid wastes
5 were treated, packaged and shipped. We looked at how
6 the Applicant determines and demonstrates that they
7 are in compliance with the regulations for release of
8 radiological effluence. We also looked at data from
9 onsite and near site locations that the Applicant
10 monitors for airborne releases and direct radiation,
11 and other monitoring stations beyond, stations beyond
12 the site boundary including locations where water,
13 milk, fish and food products are sampled.

14 We found that the maximum calculated doses
15 for a member of the public are well within the annual
16 limits, since releases from the plant are not expected
17 to increase on a year-to-year basis over the 20 year
18 license renewal term. And since we also found no new
19 and significant information related to this issue, we
20 adopted the generic conclusion that the radiological
21 impact on human health and the environment is small.

22 Threatened or endangered species. The
23 U.S. Fish and Wildlife Service, one of the agencies
24 with whom we consulted, determined there are four
25 terrestrial Federally listed or, Federally listed as

1 threatened or potentially endangered species, and they
2 have the potential to occur at Palisades or along its
3 transmission lines. These four species are the
4 Pitcher's Thistle, Karner Blue Butterfly, Mitchell's
5 Satyr Butterfly and the Indiana Bat. The Eastern
6 Massasauga Rattlesnake has been identified as a
7 candidate, as a potential candidate for listing.

8 Our review has indicated that continued
9 operation of Palisades during the license renewal
10 period term would not likely have any adverse effect
11 on these species. The Applicant currently has no
12 plans for refurbishment activities that could affect
13 the habitat of these species. The U.S. Fish and
14 Wildlife Service determined that there was no need for
15 a biological assessment or further consultation under
16 Section seven of the Endangered Species Act. Based on
17 this, the Staff's preliminary determination is that
18 the impact of the operation of Palisades Nuclear Plant
19 during the license renewal period on threatened or
20 endangered species would be small.

21 Cumulative impacts of operation. This the
22 last issue I'd like to talk about from Chapter four,
23 and it's cumulative impacts. These are impacts that
24 are considered minor when considered individually, but
25 significant when considered with other past, present

1 or reasonably foreseeable future actions regardless of
2 what Agency or person undertakes the actions, the
3 other actions. The Staff considered cumulative
4 impacts resulting from operation of the cooling
5 system, operation and transmission lines, releases of
6 radiation and radiological material, sociological
7 impacts, groundwater use and quality impacts, and
8 threatened and endangered species impacts.

9 These impacts were evaluated to the end of
10 the 20 year license renewal term, and it's, and I'd
11 like to note that the geographical boundaries of the
12 analyses depend upon the resource. For instance, the
13 area analyzed for transmission lines is different than
14 the area analyzed for perhaps, say, the cooling
15 system. Our preliminary determination is the
16 cumulative impacts resulting from the operation of the
17 Palisades Nuclear Plant during the license renewal
18 period would be small.

19 There were other environmental impacts
20 evaluated. The team also looked at issues for uranium
21 fuel cycle and solid waste management, as well as
22 decommissioning and they are considered category one.
23 For these issues, we would be looking for new and
24 significant information. And as I had mentioned, in
25 the resources that we work with in terms of input to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the process, no new and significant information was
2 identified.

3 As I pointed out, then we discuss what
4 alternatives might be available. My team also
5 evaluated the potential environmental impacts
6 associated with the Palisades Plant not continuing
7 operation and replacing this generation with
8 alternative power sources. The team looked at a no
9 action alternative, new generation from coal-fired,
10 gas-fired, new nuclear, purchased power, and
11 alternative technologies such as wind, solar and hydro
12 power. And then some combination of the various
13 alternatives.

14 For each alternative, we looked at the
15 same types of issues. For example, water use, land
16 use, ecology, socioeconomics. They're the same issues
17 that we looked for during the evaluation of the
18 Palisades Plant during the license renewal term.
19 Palisades has a net summer capacity of 786 megawatts,
20 so we, when we were looking at the coal-fired and
21 natural gas alternatives, we assume construction of
22 approximately an 800 megawatt plant to replace that
23 Palisades capacity. For new, for the new nuclear
24 alternatives, the Staff assumed the same capacity as
25 the existing Palisades Plant, that is 786.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For two alternatives, solar and wind, I'd
2 like to describe the scale of the alternatives that we
3 considered because a scale is important in
4 understanding the conclusions. First for solar, based
5 on the average solar energy available in Michigan and
6 the current conversion efficiencies of photo, I'm
7 sorry, photovoltaic cells and solar thermal systems,
8 between 17,000 and 43,750 acres of land would be
9 required to replace the generation from just the
10 Palisades plant. For wind power, replacement of that
11 base load would require approximately 120,000 acres of
12 land. Due to the scale of the reasonable
13 alternatives, the team's preliminary conclusion is
14 that their environmental effects, at least in some of
15 the categories that we considered for impacts, would
16 be moderate or large.

17 So for the preliminary conclusions, for
18 the 69 category one issues presented in the generic
19 EIS, the GEIS, that relate to Palisades we found no
20 information that was both new and significant.
21 Therefore, we have preliminarily adopted the
22 conclusion that the impact of these issues is small.

23 My team analyzed the remaining category
24 two issues in this supplement, and we found the
25 environmental effects resulting from these issues were

1 also small. During our review, my team found no new
2 issues that were not already identified.

3 Last, we found that the environmental
4 effects of alternatives, at least for some of the
5 impact categories, could reach moderate or large
6 significance. Now, I'll turn it over to Bob Palla to
7 talk about the postulated accidents.

8 MR. CAMERON: Let's go for questions.
9 Okay, Bo, do you want to clarify something?

10 MR. PHAM: Yes. I want to just take a
11 quick moment just to pause here and make sure that
12 Chester was satisfied with our addressing of the
13 socioeconomic. We looked at factors like housing, the
14 infrastructure and land use for the area, and we did
15 not find anything that was, that negatively impacted
16 the environment.

17 MR. CAMERON: And let me just see if
18 Chester has a follow-up on that. Chester, do you have
19 more things that you want to ask about the
20 socioeconomic analysis.

21 MR. LOWE: Not about the socioeconomic.
22 Mainly about the sociological impact.

23 MR. CAMERON: Okay. Let me go to Ken, and
24 then we'll go to this young, Nancy? Kathy. All
25 right. All right. So are you guys ready to answer

1 questions? Okay. Okay, Ken, please introduce
2 yourself to us.

3 MR. RICHARD: I'm Ken Richards. I live
4 three miles from the plant and I've been following
5 this issue probably since the plant's inception. And
6 the first question I have is about the process here.
7 We've, I've been talking with a lot of local people.
8 There's a lot of folks who really think this license
9 is already done. It's already been issued. I was
10 wondering if you would clear that up. I'm reading in
11 the manual and I come across, or it sounds like it's
12 trying to justify the license that is already done.
13 And other places I see, it's not going to be, the
14 decision won't be made until 2007. There's still
15 another meeting in Washington, D.C. in December. When
16 does this license get issued?

17 MR. CAMERON: Okay. And what I'd like you
18 to do Bo, is to not only talk about what remains to be
19 done on the Environmental Impact Statement, but please
20 tell people going back go Rani's initial presentation
21 all the different parts that need to come together
22 before there is a decision and what time frame. I
23 think starting off, the bottom line is is there has
24 been no decision yet. And Bo with that, can you
25 explain --

1 MR. PHAM: Yeah.

2 MR. CAMERON: -- to the audience what this
3 is all about?

4 MR. PHAM: Yeah. Definitely I want to
5 reiterate that there has been no --

6 AUDIENCE MEMBER: Louder.

7 MR. PHAM: Okay. It was off. Can you
8 hear me now? Okay. Yeah, I definitely want to
9 reiterate that no decision has been made and there's
10 no finality on this decision. What we're here today,
11 what we're here to do today is to take your comments
12 regarding the environmental review process. And if
13 you look at this screen up there, the process of
14 license renewal breaks down into two paths basically.
15 One is the safety review, and Juan Ayala is the
16 Project Manager for that path. And I am here for the
17 environmental review process. And we're not complete
18 with that, you know, so basically towards, at the end
19 there what you're going to have is a complete review
20 from both paths and that, those two, you know, when
21 the Commission comes to a decision based on those two
22 paths, is the finality of the review and that's when
23 the Commission will decide whether a license is
24 renewed.

25 MR. CAMERON: Okay.

1 MR. PHAM: Does that answer your question?

2 MR. CAMERON: Let's just, Rani, do you
3 want to, hold on a minute Ken. Just let me see if
4 Rani wants to add anything to that for your benefit.

5 MS. FRANOVICH: The final Safety
6 Evaluation Report, which is the culmination of the
7 Staff's safety review, here, that is expected to be
8 issued in October of this year. Once we issue the
9 Safety Evaluation Report, it will go to the ACRS for
10 their independent review. And once they've completed
11 their review, they'll have some recommendations for
12 the Commission directly. The NRC decision on whether
13 to issue a new license here, is when Juan? What's the
14 ETA for the new licenses? 22 months from the time
15 that we get the license in hand. So 22 months from
16 March, I guess it will be January of '07. January of
17 '07 is when we are supposed to --

18 MR. RICHARD: Is that the old original,
19 one of the, and one of the decommission --

20 MR. CAMERON: Ken, we need to get you on
21 the record, so I'm going to give you a follow-up, and
22 then I'm going to go to Kathryn. And then we'll go
23 over to you. And that estimated time for the
24 decision, is the decision on whether to renew the
25 license?

1 MS. FRANOVICH: Correct.

2 MR. CAMERON: Okay. Do you have one
3 follow-up?

4 MR. RICHARD: No, I've got quite a few.
5 I was going to wait for the two hour session.

6 MR. CAMERON: Okay. All right. Let me go
7 to Kathryn.

8 MS. BARNES: Yeah. These questions are
9 for Mr. Miller. You are, your degree is in
10 Environmental?

11 DR. MILLER: Engineering.

12 MS. BARNES: Engineering. Have you worked
13 with wind technology?

14 DR. MILLER: Well, members of my team
15 have. Oh, sorry, yes. I am the team lead as I --

16 MS. BARNES: Okay.

17 DR. MILLER: -- wanted to point out. We
18 had another ten other experts in their various subject
19 matter experts.

20 MS. BARNES: Okay.

21 DR. MILLER: For instance, when I, when I
22 actually do a subject matter expert, mine's hydrology
23 ground water, water resources, because that's where my
24 discipline is. So we bring the appropriate expertise
25 to the subject matter.

1 MS. BARNES: I was wondering on this
2 assessment of wind and solar, granted Michigan doesn't
3 have sunshine every day like the Western states.
4 Solar really isn't feasible here as an alternate. But
5 what about the wind? You're saying it's, it's a large
6 concern because it takes a lot of land. How much of
7 power for Palisades is sold out of state? What
8 percent of the power is sold out of state?

9 DR. MILLER: I'd like to address the wind,
10 the wind point first and then I can ask others to
11 address that.

12 MS. BARNES: Okay. Well, this, this --

13 DR. MILLER: But, may I address the wind
14 part of it?

15 MS. BARNES: Well, this, this, this all
16 comes together because if you're taking this and
17 you're saying 143,000 acres, but if Palisades, like DC
18 Cook, sells most of its energy out of state, that's
19 really not a proportionate summation.

20 DR. MILLER: I, I think I understand your
21 question. I think I understand your question.

22 MR. CAMERON: -- please.

23 MS. BARNES: And also I was wondering --

24 MR. CAMERON: Kathryn, let me --

25 MS. BARNES: One other thing, please.

1 This is, this is important. What are you basing on,
2 what size wind generators are you basing this
3 summation on? The small little ones, or the ones that
4 they're using now, the big ones that Consumers
5 Energy's investing in to replace the nuclear?
6 Palisades is up for sale. They want it off their
7 hands. They were investing in green energy and it's
8 working. So I wonder about this.

9 And also, this whole summation. It's all,
10 you're all under the premise on this whole review that
11 there's, nothing's going to happen. That there's no
12 accidents. But there's things that happen all the
13 time. So this, you're, you're, you're process, I
14 think is defective.

15 MR. CAMERON: And Kathryn --

16 MS. BARNES: But I would like to know,
17 technically, all right, how you came to this summary
18 and the size of the wind generators you took into
19 account in this summary, et cetera, et cetera, et
20 cetera. The whole detail.

21 MR. CAMERON: And if you could just, we
22 appreciate your comments and we want to hear them.

23 MS. BARNES: I'd like some answers.

24 MR. CAMERON: But if you could just hold
25 your comments until the comment period and we'll try

1 to get you some answers to your question. And I just
2 want to make sure that Dave gets a chance to answer
3 the question about the analysis. And Bo you indicated
4 you understand where Kathryn's going with the amount
5 of power generated, shipped out of state. Why don't
6 we let Dave talk about how that analysis was done on
7 wind, and then you can tie that going out of state
8 thing in, I think --

9 DR. MILLER: Sure.

10 MR. CAMERON: -- would be good.

11 DR. MILLER: Well, regarding, and I
12 realize it is a complex issue, and that's why we do
13 look at combinations of alternatives. And the details
14 that are fairly significant would be difficult to get
15 into completely here, but they are laid out both in
16 the GEIS and then supplemental information in the
17 supplement.

18 But to answer the basic question about the
19 kind of wind generation capacity that's considered,
20 it's not a single specific design. It's basically a
21 design that uses current efficiencies ranging between
22 about 25 to 35 percent efficiencies that, that would
23 gather roughly 25 to 35 percent of the energy
24 available in the wind, in that wind field at any
25 single time. And so that, and then you look at the

1 size of area that you need to support that amount of
2 wind and you scale it by the 25 to 35 percent value,
3 and that's how you come up with the acreage required
4 for the wind replacement of the base level.

5 MS. BARNES: So you're --

6 MR. CAMERON: And its size, and Kathryn,
7 I'm sorry, we need to get everybody on the transcript.
8 And also, although I apologize for this, we can give
9 so much of an answer now to the questions, and then we
10 might have to talk to you after the meeting because we
11 do want to hear your comments also. So let's go with
12 the questions that you have on the floor, and I think
13 that, did we answer? You did have a question about
14 the size of the wind turbines that are used. Steve,
15 can you say anything about that?

16 DR. MILLER: Yes. The analysis, the
17 alternative analysis assumes that Palisades is
18 producing 780 megawatts of electricity right now. And
19 so we're trying, in all of our alternatives we try to
20 baseline that as the replacement amount of energy that
21 needs to be, that needs to be provided. So based on
22 that the scale of the wind farm or, you know, other
23 sources, in the particular case of wind and solar, the
24 amount of land use that's required for, to produce
25 that capacity is going to have a greater impact. And

1 that's why we, you know, we're not saying that wind
2 power in general has a large effect on the
3 environment. We're just comparing to what we have
4 today. And so that's the basis of our comparison and
5 analysis.

6 MR. CAMERON: Okay. And you can please
7 talk to Kathryn after the meeting with more details on
8 this. And I'm going to go to this gentleman over
9 there, and then Corinne, and we're going to go on to
10 the SAMA issue. Okay? Yes sir? And please introduce
11 yourself.

12 MR. DAL MONTE: My name is DalMonte, and
13 I am the President of -- Now my, my question is, in
14 this regard, is that we are reading this report or
15 your final result is administered by you and it's
16 only, is going to say, well, that Palisades can
17 continue. I mean, the fact that Palisades can
18 continue operation is not unreasonable. And I
19 understand that you are stressing that result. But on
20 the side, you are taking position on alternative
21 solutions that I read and I don't think is enough
22 education in your point. Because the fact is that
23 wind is flying. We are having wind all over the world
24 and in here too. So I guess you missed the point in
25 this. And I don't understand why you, you are so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concerned on our selecting alternatives if we know
2 about the alternatives. And really, you are not doing
3 a good job and the guys are going to really make the
4 decisions, went through the final decision. Okay,
5 thank you.

6 MR. CAMERON: Mr. Dal Monte, thank you for
7 that. And we are going to hear from you later on. I
8 think that the question there that we could provide
9 some information on is why do we do the alternatives
10 analysis. Can you put that in perspective for us Bo?

11 MR. PHAM: Yeah, let me try to frame that.
12 You know, like I said before, we take a baseline of
13 what we're trying to replace, the energy source that
14 we're trying to replace, which is the Palisades
15 Nuclear Plant that's there right now. We're not, if
16 you can try to look at it as not comparing wind power
17 versus nuclear power versus anything else. We're
18 looking what, what the potential environmental impact
19 of each of those alternatives is going to result in.
20 So that's what our analysis is.

21 We're not here, and we don't, the NRC
22 doesn't have the jurisdiction really to make the
23 energy policy of what, you know, what comes out of
24 Palisades and what other different sources of energy.
25 And so what we're here, and you know, I'm trying to,

1 I guess, define the scope of what we look at is
2 really, all these different alternatives and not
3 comparing them and making the judgment of whether one
4 is better than the other. We're just simply stating
5 that this is what the environmental impact is going to
6 be with wind power, with the nuclear power plant, or
7 with solar power, or with other alternatives as well.

8 MR. CAMERON: And Rani, do you want to add
9 to that?

10 MS. FRANOVICH: I just want to add
11 something. You know, you're, you're looking at a
12 nuclear power plant. It's already built. It's
13 already operating today. So the impact of its
14 continued operation is quite different from the impact
15 of closing that facility, building a wind farm of
16 large components that would harvest the wind energy,
17 or another site that would have solar panels to
18 harvest the energy of the sun. The environment
19 associated with building those new sites is larger,
20 it's a larger impact to the environment than
21 continuing to run a facility that's already built and
22 operating now. So on a logical level, that time makes
23 sense.

24 MR. CAMERON: Okay. We're going to go to
25 this gentleman.

1 MR. HENKEL: I'm Don Henkel.

2 MR. CAMERON: Yes, we usually --

3 MR. HENKEL: I'm still Don Henkel. Point
4 of information. I understand there's some hundred and
5 some odd nuclear power plants throughout the United
6 States. How many of those have applied for renewal
7 licenses? And of those who have successfully applied
8 for a renewal license, how many have been approved and
9 how many have been disapproved?

10 MS. FRANOVICH: Okay. That's a good
11 question.

12 MR. CAMERON: And Rani, please, put that
13 in the context too in terms of our process about
14 rejection of applications, et cetera, et cetera.
15 Thank you sir.

16 MS. FRANOVICH: There are 103 operating
17 reactors across the country. We haven't quite gotten
18 halfway through the fleet. I'd say 47 or 48 or so,
19 thus far, have applied for renewal. And this is
20 reactor units, not necessarily sites. There have been
21 a couple that we've returned because the information
22 in the application was not adequate or sufficient for
23 the Staff to begin and complete its review.

24 For those that we did not return, we
25 requested additional information and it depends on

1 really the quality of the original submittal will
2 dictate how many requests for additional information
3 the NRC needs to put out there. But for the plant
4 that I managed back a few years ago, there were 273
5 requests for additional information. So the Staff
6 does not grant renewal for every application it
7 receives because it's a pro forma review. The Staff
8 will continue to get the information it needs to
9 complete its review, and will not be satisfied until
10 that information is received.

11 So when we issue our Safety Evaluation
12 Reports, a number of times there are still open items
13 that the Staff is not satisfied with. We do not issue
14 a final Safety Evaluation Report and brief the ACRS on
15 our work until the Staff is satisfied.

16 So the answer is we're roughly halfway
17 through the fleet. We've returned a couple of
18 applications for sufficiency issues. For the rest, we
19 gathered more information than we received to insure
20 we were satisfied with the information to complete our
21 review.

22 MR. CAMERON: In terms of the number of
23 licenses we've renewed though?

24 MS. FRANOVICH: I don't have the specific
25 number off the top of my head, but I'm saying 40, I'm

1 thinking 48, 49 --

2 MR. CAMERON: 39.

3 MS. FRANOVICH: 39 per unit.

4 MR. CAMERON: All right. And Corinne, you
5 had a question?

6 MS. CAREY: Yes. Several things. Number
7 one, I'm concerned that the kinds of answers we're
8 hearing, I, I feel are very questionable. For
9 instance, wind power in itself, you don't measure that
10 by acreage because farmers are finding a very
11 successful business for them to put the wind farms
12 along their lot lines. And so it's a very definite
13 advantage environmentally in that respect, and I
14 didn't hear that kind of that thing in your report.

15 Secondly, I heard that solar and acreage.
16 And it's my understanding that solar is very commonly
17 mounted on rooftops and walls in cities, which also
18 reduces the transmission loss, et cetera, that comes
19 from centralized nuclear plants scattered around and
20 have this great transmission loss over their process
21 of getting the electricity to where it's needed. And
22 there was a third point, and I can't think of it right
23 now.

24 MS. FRANOVICH: Did you have a question?

25 MR. CAMERON: And no, I think Corinne is,

1 I think the comment we have of what Corinne is saying
2 is that there may, comments like she just made and
3 like we're going to hear tonight, and I'm sure from
4 Kathryn, for example, on wind power are all the things
5 that we need to hear to consider in finalizing our
6 report. And Dave Miller did a summary of the report
7 and didn't get into every detail where that type of
8 thing may be coming out. And I'm going to go to this
9 lady back here for a question, and then I think we
10 need to go on to SAMAS. If we have time to come back
11 to you, Kathryn, we will. But we really need to get
12 to the next presentation. Yes ma'am?

13 MS. HIRT: I'm Alice Hirt. And I do not
14 really need to ask a question right now, but I want to
15 respond to Ms. Franovich. Is that what your name? I,
16 I feel that you respond to the question about the
17 impact of other technologies on the environment with
18 a very subjective answer. And I sort of resent you
19 making that sort of sweeping statement. I don't
20 believe that you are an expert on all other
21 technologies and for you to say that new other
22 sources, say wind and so forth, would have a greater
23 impact on the environment than keeping Palisades
24 going, I, that is certainly not my estimation, and I
25 don't believe that that was really your place to make

1 that sort of a sweeping comment.

2 MR. CAMERON: Okay. And the, Alice, what
3 we have in the report, and Rani is the Section Chief
4 for the environmental section that does these, there's
5 details in there that arrives at that conclusion as
6 Mr. Miller presented. And he may have done that
7 before you, I don't know if you were here for his
8 presentation, but that is the conclusion. And indeed
9 people will, can and will disagree with that, and we
10 want people to tell us if they disagree with it and
11 tell us why they disagree with it basically. And
12 Rani, do you want to add anything else at this point?
13 It wasn't --

14 MS. FRANOVICH: She's entitled to her --

15 MR. CAMERON: -- a question.

16 MS. FRANOVICH: -- view and I appreciate
17 her expression of it. I, I'm not an expert. You're
18 absolutely right. What I was doing was explaining the
19 Staff's conclusions on the analysis that was performed
20 by the experts.

21 MR. CAMERON: Which was done by the
22 experts.

23 MS. FRANOVICH: Correct.

24 MR. CAMERON: Okay. And I'm sorry that we
25 can't go back for second questions here.

1 MS. BARNES: I didn't have my first one
2 answered. I asked questions and no one answered them.

3 MR. CAMERON: They tried their best to
4 answer the question Kathryn.

5 MS. BARNES: I asked how much is sold out
6 of state and what size wind, what size wind
7 generators.

8 MR. CAMERON: Okay. That's two questions.
9 How much is sold out of state and what is the size of
10 the turbine? That's, that's true Kathryn.

11 MS. BARNES: No. What, what is the size
12 in your analysis, what size, what size wind generators
13 are you saying would take that much acreage? And how
14 much of Palisades power is sold out of state? Those
15 are two questions I asked they will not answer.

16 MR. CAMERON: You want to do this one?
17 Okay. Exactly right.

18 MR. PHAM: Only can answer the first one.
19 I do not have the numbers to provide for you regarding
20 how much power is sold out from Palisades. That's,
21 the NRC doesn't have any say in that, in that decision
22 actually. Your second question regarding the, what
23 size turbine, I believe we look at the predominant
24 research that's out there based on the Department of
25 Energy and other bodies. The National Academy of

1 Sciences, for example, and take a look, and we use, we
2 don't use specific models or types of turbines. We
3 look at the general baseline efficiency of what wind
4 turbines, the best and the worst of what the wind
5 turbines can do right now.

6 MR. CAMERON: Okay. And if anybody does
7 have the information on the amount of power sold out
8 of state, if they can give Kathryn after the meeting,
9 please, please do that. And, yes sir?

10 AUDIENCE MEMBER: I'm, I'm, my only
11 questions is why was oil in the same category with
12 solar and wind? That's, in the alternative, it was
13 listed with the alternatives.

14 MR. CAMERON: And the answer to that
15 question? And is it going to be Bo or Dave?

16 MR. PHAM: I would say that there was no
17 connotation or nothing meant by it. Yeah, it's just
18 one of the alternatives that we looked at.

19 MR. CAMERON: Okay.

20 MR. SCHAAF: I can, I can --

21 MR. CAMERON: All right. Bob Schaaf on
22 that one.

23 MR. SCHAAF: What we look at in the
24 alternatives analysis is, NEPA requires us to evaluate
25 and assess the impacts of alternatives to the proposed

1 action. The proposed action here is for the plant to
2 continue operating for an additional 20 years. At the
3 very least, we need to look at what's called the no
4 action alternative, which would be not renewing the
5 license and identify those impacts. The NRC has
6 decided from a practical standpoint, if the plant does
7 not continue to operate, something will need to be
8 done to replace the generation lost when that plant
9 ceases operation. That may be a new base load power
10 generating facility. It may be purchasing power from
11 outside of the service area. That may be renewable
12 alternatives. It may be a new, large, base load power
13 generating station.

14 When we do these alternatives' analyses,
15 we look at the infrastructure that is in place in the
16 vicinity of the site to look for what are the likely
17 alternatives that we do a detailed analysis on. You
18 have a gas fired plant just across the freeway from
19 the Palisades site. So there is infrastructure in
20 place to deliver natural gas which would allow you to
21 install and construct a large base load gas-fired
22 generating station. There's a rail line in the
23 vicinity of the site, which would allow you to bring
24 in coal to construct a coal-fired generating station.
25 Although I believe in this case we didn't look at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 placing the coal-fired plant at the site. We looked
2 at placing it somewhere else in the service territory
3 because of the sensitivity of the dunes area. We also
4 looked at new nuclear construction because there is
5 interest in the industry in constructing new nuclear
6 generating stations.

7 Under other alternatives, the reason oil
8 is in with the wind and the solar and the
9 conservation, is because these are alternatives that
10 we looked at in less detail because we didn't consider
11 them to be the likely alternatives for replacing loss
12 generation if the license was not renewed. There's
13 not infrastructure in place necessarily to bring an
14 oil, plus there are other uses for oil in
15 transportation and in the chemical industry. That's
16 why it's in there.

17 We're not saying that it's equivalent to
18 some of these renewable sources that we considered,
19 the wind, the solar. The reasons that the wind and
20 solar aren't looked at in, in as great a detail
21 frankly, is that we're talking about replacing a large
22 base load generating station that is expected to
23 operate for roughly 90 percent of the time. Wind
24 won't generally do that. Solar won't generally do
25 that. And so we consider those alternatives, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discuss the impacts of those alternatives, but we
2 don't view them in the same level of detail.

3 MR. CAMERON: Okay.

4 MR. SCHAAF: I guess that's, that's why
5 it's in there.

6 MR. CAMERON: Thank you. That's very
7 helpful.

8 MR. SCHAAF: And that's kind of a concise
9 discussion on that.

10 MR. CAMERON: That's very helpful. We
11 really, I'm sorry, we really do need to move on to Bob
12 Palla.

13 MR. SCHAAF: And I'm available to discuss
14 that after, after the meeting is over.

15 MR. CAMERON: Yes. I think that gentleman
16 and a bunch of people might want to talk to you about
17 that, Bob. Thank you Dave, Bob, Bo. And we're going
18 to go to Bob Palla. And then we'll be back to Bo for
19 some final comments here. These are accidents, the
20 accident analysis.

21 MR. PALLA: Good afternoon. My name is
22 Bob Palla, and I'm with the Division of Risk
23 Assessment at NRC. And I will be discussing the
24 environmental impacts of postulated accidents. These
25 impacts are discussed in section five of the Generic

1 Environmental Impact Statement, or GEIS.

2 The GEIS evaluates two classes of
3 accidents. These are called design basis accidents
4 and severe accidents. Design basis accidents consists
5 of a broad spectrum of postulated events that both the
6 licensee and the NRC Staff evaluate to insure that the
7 plant can respond without undue risk to the public.
8 The ability of the plant to withstand these accidents
9 has to be demonstrated before the plant is granted a
10 license. Since the licensee has to demonstrate
11 acceptable plant performance for the design basis
12 accidents throughout the life of the plant, the
13 Commission has determined that the environmental
14 impact of design basis accidents is of small
15 significance. Neither the licensee nor the NRC is
16 aware of any new and significant information on the
17 capability of the Palisades plant to withstand design
18 basis accidents. Therefore, the Staff concludes that
19 there are no impacts related to the design basis
20 accidents beyond those discussed in the GEIS.

21 The second category of accidents evaluated
22 in the GEIS are severe accidents. Severe accidents
23 are by definition more severe than design basis
24 accidents because they could result in substantial
25 damage to the reactor core. The Commission found in

1 the GEIS that the risk of a severe accident is small
2 for all plants, and by this I mean the
3 probabilistically weighted consequences.

4 Nevertheless, the Commission determined
5 that alternatives to mitigate severe accidents must be
6 considered for all plants that have not done so.
7 These alternatives are termed SAMAs, Severe Accident
8 Mitigation Alternatives. The SAMA evaluation is a
9 site specific assessment and it is a category two
10 issue, as explained earlier. The SAMA review for
11 Palisades is summarized in Section 5.2 of the GEIS
12 supplement, and is described in more detail in
13 Appendix G of the supplement. And the purpose of
14 performing this SAMA evaluation is to insure that
15 plant changes with the potential for improving severe
16 accident safety performance are both identified and
17 evaluated.

18 The scope of the potential improvements
19 that were considered include hardware modifications,
20 procedure changes, training program improvements,
21 basically a full spectrum of potential changes. And
22 the scope of the SAMAS include SAMAS that would
23 prevent core damage, as well as SAMAS that would
24 improve containment performance given that a core
25 damage event were to occur.

1 The SAMA evaluation consists of a four
2 step process. The first step is to characterize
3 overall plant risk and leading contributors to risk.
4 This typically involves the extensive use of the plant
5 specific Probabilistic Safety Assessment Study, which
6 is also known as the PSA. The PSA is a study that
7 identifies the different combinations of system
8 failures and human errors that would be required in
9 order for an accident to progress to either core
10 damage or containment failure.

11 The second step in the evaluation is to
12 identify potential improvements that could further
13 reduce risk. The information from the PSA such as the
14 dominant accident sequences is used to help identify
15 plant improvements that would have the greatest impact
16 in reducing risk. Improvements identified in other
17 NRC and industry studies, as well as SAMA analyses for
18 other plants are also considered.

19 The third step in the evaluation is to
20 quantify the risk reduction potential and the
21 implementation costs for each improvement. The risk
22 reduction and the implementation costs for each SAMA
23 are typically estimated using abounding analysis. The
24 risk reduction is generally over estimated by assuming
25 that the plant improvement is completely effective in

1 eliminating the accident sequence it is intended to
2 address. And on the other hand, the implementation
3 costs are generally underestimated by neglecting
4 certain cost factors, such as maintenance costs and
5 surveillance costs associated with the improvement.
6 The risk reduction and the cost estimates are used in
7 the final step to determine whether implementation of
8 any of the improvements can be justified.

9 In determining whether an improvement is
10 justified, the NRC Staff looks at three factors. The
11 first factor is whether the improvement is cost
12 beneficial. In other words, is the estimated benefit
13 greater than the estimated implementation cost of the
14 SAMA. The second factor is whether the improvement
15 provides a significant reduction in risk. For
16 example, does it eliminate a sequence or a containment
17 failure mode that contributes to a large fraction of
18 the plant risk. And the third factor is whether the
19 risk reduction is associated with aging effects during
20 the period of extended operation, in which case it
21 was, we would consider implementation of the SAMA as
22 part of the license renewal process.

23 This slide summarizes the results of the
24 SAMA analysis. The preliminary results indicate that,
25 well basically, 23 candidate improvements were

1 identified for Palisades based on review of the plant
2 specific PSA and dominant risk contributors at
3 Palisades, as well as SAMA analyses performed for
4 other plants. The licensee reduced the number of
5 candidate SAMAS to eight, based on a multi-step
6 screening process.

7 Factors considered during the screening
8 included whether the SAMA is applicable to Palisades
9 due to design differences and whether the SAMA would
10 involve extensive plant changes that would clearly be
11 in excess of the maximum benefit associated with
12 completely eliminating all severe accident risk. A
13 more detailed assessment of the risk reduction
14 potential and implementation costs was then performed
15 for each of the remaining SAMAS. This is described in
16 detail in Appendix G of the GEIS supplement.

17 The detailed cost benefit analysis shows
18 that several of the SAMAs are potentially cost
19 beneficial when evaluated individually in accordance
20 with the NRC guides for performing regulator analysis.
21 Six of the eight SAMAs that survived the screening
22 process were identified as potentially cost beneficial
23 within the environmental report that was submitted for
24 the NRC's review.

25 Four additional potentially cost

1 beneficial SAMAS were subsequently identified during
2 the Staff's review of the environmental report. Two
3 of these additional SAMAs involve lower cost
4 alternatives to SAMAs that were eliminated in the
5 licensee's initial screening. In other words, the
6 Staff thought that there might have been a lower cost
7 alternative to some of the ones that were identified,
8 and these were flagged for further consideration. The
9 other two additional SAMAs involve improvements that
10 were found to be cost beneficial at several other
11 plants when they looked at them as part of license
12 renewal. And these were thought to be potentially
13 applicable to Palisades, so these were also identified
14 as potentially cost beneficial for Palisades. So,
15 thus, a total of 10 SAMAs were identified as
16 potentially cost beneficial as a result of the SAMA
17 analysis.

18 And I just want to point out that it's
19 important to note that some of these improvements,
20 these SAMAs, address the same risk contributors but in
21 a different way. For example, one SAMA might involve
22 procedure changes that improve the ability to cope
23 with a station blackout event, whereas another SAMA
24 might involve hardware changes that also address
25 station blackout events. In such incidences,

1 implementation of one of these SAMAs could reduce the
2 residual risk to a point that one or more of the
3 related SAMAs would no longer be cost beneficial. And
4 it's because of this interrelationship between SAMAs
5 that we would not expect that the implementation of
6 all 10 SAMAs would be justified on a cost benefit
7 basis, but rather implementation of a carefully
8 selected subset of the SAMAs could achieve much of the
9 risk reduction and would be more cost effective than
10 implementing all of the SAMAs.

11 To summarize the results, in looking
12 across the set of 10 potentially cost beneficial
13 SAMAs, none of these SAMAs relate to managing the
14 effects of plant aging during the period of extended
15 operation. Accordingly, they are not required to be
16 implemented as part of license renewal pursuant to the
17 regulations. Notwithstanding this, NMC has committed
18 to further evaluate the 10 potentially cost beneficial
19 SAMAs for possible implementation as a current
20 operating license activity. And completion of these
21 activities is underway and is being tracked in the
22 licensee's plant change process.

23 MR. CAMERON: Okay. Thank you Bob. And
24 that's all laid out in the Draft Environmental Impact
25 Statement. Anybody have any questions on this SAMA

1 aspect?

2 AUDIENCE MEMBER: Are they detailed in the
3 EIS?

4 MR. CAMERON: Yes they are.

5 MR. PALLA: In the supplement. Chapter
6 five is a summary, Appendix G is a detailed
7 accounting.

8 AUDIENCE MEMBER: The ones that were not
9 approved are detailed also?

10 MR. PALLA: The entire set is described
11 there. And then which ones were deemed to be cost
12 beneficial, and which ones are being further
13 evaluated, that's all spelled out specifically.

14 MR. CAMERON: Thank you. Mr. Dal Monte?

15 MR. DAL MONTE: What I wondered is, the
16 basis like sabotaging where taking account can be --
17 in this way too. And if you have done that, because
18 this, my contention is is a new issue. They're not
19 the same like previous plan.

20 MR. CAMERON: Bob, I think this is a
21 question that we get in terms of seismic, what are the
22 subjects that are included within the scope of SAMA
23 procedures.

24 MR. PALLA: Well, let me say what is
25 included. The short answer is sabotage is not

1 included within the risk profile that we do this, the
2 SAMA analysis for. What we include is internally
3 initiated events, fires within the plant, internal
4 floods, seismic events, high wind events, things that
5 we can analyze basically. When it comes to sabotage,
6 even if we wanted to include it, it defies
7 quantification and really systematic analysis. So
8 that, that would be one deterrent to, to try and
9 include it here, is that it just is very difficult to
10 quantify the frequency of these events.

11 Now Rani Franovich mentioned at the
12 beginning, this is, these issues are being addressed
13 as part of the current situation with the plant.
14 We're not done with that work yet. This is still in
15 progress. Plants are, have beefed up their security
16 arrangements and are looking further at mitigation
17 strategies within the plant to deal with things like
18 aircraft impact. This is all not being forgotten.
19 But we're looking at it now. It's not really tied
20 into license renewal. And it was not part of this
21 evaluation.

22 MR. CAMERON: Okay. Thank you. And let's
23 have one more question right here on SAMA, and then Bo
24 if you could conclude and then we can go and hear what
25 people have to tell us. Yes ma'am?

1 MS. MCFADDEN: I'm Jean McFadden. I'm a
2 social worker. I'm assuming that the SAMA discussion
3 doesn't relate to the embrittlement of the aging
4 reactor.

5 MR. PALLA: That's correct.

6 MS. MCFADDEN: Okay.

7 MR. PALLA: That would be determined to be
8 acceptable as part of the, as the safety review did.

9 MS. MCFADDEN: So, so then, looking at
10 this other report on emergency finding and
11 preparedness, are you confident in the ability of
12 FEMA, after seeing Hurricane Katrina, to come in and
13 manage an emergency here in Van Buren County?

14 MR. CAMERON: And can we just, this, this
15 is an important issue, obviously, emergency planning.
16 And can you just, Rani or Bo, can someone just lay out
17 what the responsibilities are for emergency planning
18 NRC, local government, FEMA, and we may need to talk
19 to you further about that, but can you do that?

20 MR. PHAM: Yes.

21 MR. CAMERON: All right.

22 MR. PHAM: The, basically, the NRC, our
23 jurisdiction as far as emergency planning is to make
24 sure that the personnel on site are protected from the
25 dose, dosage in the case of emergencies. Now in the

1 case with outside of the, offsite, that's something
2 that we coordinate with FEMA, local authorities and
3 everything. I can't, I can't answer your question
4 regarding do I have confidence in FEMA to do it.

5 MS. MC FADDEN: Why not?

6 MR. CAMERON: Okay. Rani, do you want to
7 try to address this, and we'll just hear from the
8 State of Michigan before we go on. But can we do, can
9 we tell people what FEMA's responsibility is vis a vis
10 local government and the NRC, at least tell them that?

11 MS. FRANOVICH: Yes. And we're experts
12 more in the license renewal arena, so we don't have
13 people at this meeting who can really speak to you on
14 the details of, of, you know, the NRC's coordination
15 with FEMA and local and state officials.

16 But I can tell you that licensees
17 periodically conduct drills, and the NRC participates.
18 So does FEMA, so do state and local officials. And
19 after the drills there is a debriefing, there is a
20 look at lessons learned, so that is where the NRC is
21 engaged. We really can't comment, it wouldn't be even
22 appropriate for us to comment on FEMA's capabilities.
23 But I can tell you that our jurisdiction is, does the
24 site have an emergency plan? Do they exercise that
25 plan on a periodic basis? And does that involve

1 coordination with other stake holders, state and local
2 officials and --

3 MR. CAMERON: And I think we're going to
4 hear from the, from the people who have direct
5 responsibility, Jean, right now, with the state. Can
6 you explain that please?

7 MS. ELZERMAN: The State of Michigan is
8 very proactive in doing their own emergency planning.
9 The state police, Emergency Management Division and
10 Homeland Security are in charge as lead agency for the
11 State of Michigan for any emergency. During a
12 radiological emergency, we, the Department of
13 Environmental Quality Radiological Protection, will
14 step in and be their counterpart for the radiological
15 part. In no way will we let FEMA take over. Our
16 state will run the emergency until the very end.
17 Thank you.

18 MR. CAMERON: Okay. Thank you for that.
19 And Bo, can you summarize so we can on and --

20 MR. PHAM: Yes. Thank you for that
21 comment, by the way. So turning on to our
22 conclusions, we found that the impacts of the license
23 renewal in all areas were small. We also concluded
24 the alternative actions that we discussed in some
25 subsequent discussions after Dr. Miller's

1 presentation, including the no action alternatives,
2 may have moderate to large environmental effects in
3 some impact categories.

4 Based on these results, our preliminary
5 recommendation is the adverse environmental impacts of
6 license renewal is not so large that it would be
7 unreasonable to forward the planning decision makers
8 to leave that as an option.

9 This slide is a quick recap of our current
10 status. The Draft, like I said before, the Draft
11 Environmental Impact Statement was issued on February
12 14th. To go back to the question earlier about the 45
13 day period, the February 14th date is actually the
14 date that the NRC issued or published our
15 Environmental Impact, our Draft. Publicly it's not
16 legitimate or it's not available to the public, per
17 se, until the EPA recognizes it, checks it in the
18 system, and publishes a Federal Registered Notice.
19 And that was done on February 24th.

20 Now by regulations we are required to give
21 a minimum of 45 days for comments from the time of
22 issuance of the Draft, and we actually built in a 75
23 day period from the February 24th date. And like I
24 said, even with that we have a little cushion for May
25 18th. So once again the comment period end date is

1 going to be May 18th, and then we expect to issue the
2 final impact statement sometime in October of this
3 year.

4 This slide identifies me as your primary
5 point of contact with the NRC for the preparation of
6 the Environmental Impact Statement. It also
7 identifies where the documents related to our review
8 may be found in the local area. Palisades' Draft
9 Environmental Impact Statement is available at the
10 South Haven Memorial Library. All documents related
11 to the review are also available at the NRC's website,
12 www.nrc.gov.

13 And in addition, as you came in you were
14 asked to fill out a registration card. If you did and
15 you included your address on there, we will mail a
16 copy of the draft and a final, final impact statement
17 to you. If you did not fill out a card, I do
18 encourage you that you do. And if you need to know
19 how to do it, please contact, Cristina, could you
20 raise your hand please? Cristina Guerrero will be out
21 at the registration desk and they'll be able to give
22 you the cards for the registration.

23 In addition to providing comments at this
24 meeting, there are other ways that you can submit
25 comments to, for our environmental review process.

1 You can provide written comments to the Chief of our
2 Rules and Directives Branch, at the address on the
3 screen there. You could also make comments in person
4 if you happen to be in Rockville, Maryland. We've
5 also established, to make it easier, we've also
6 established an e-mail address that you can write to us
7 at palisadeseis@nrc.gov, there at the bottom.

8 This concludes my remarks and thanks
9 again. Once again, thank you for taking the time to
10 come this afternoon. And I suppose we can take a few
11 more questions.

12 MR. CAMERON: Well, let's, I think what
13 we're going to do is move on to the comments now, but
14 I would just ask the NRC staff, you heard questions,
15 concerns. After the meeting, if there's a possibility
16 of talking to people. For example, we heard Kathryn,
17 Corinne, others on, and Alice Hirt about the analysis
18 of alternatives. You might want to talk to them, and
19 I don't want to forget that Chester had some issues on
20 sociological, so Dave I know you have a colleague with
21 you. I don't know how much you can divide your time,
22 but you might want to talk to them after the meeting.

23 And with that, we're going to go to hear
24 from you. And we have to start with, three
25 governmental folks. And we're going to start with

1 Mary Ann Middaugh first, and then we're going to go to
2 John Tapper, and then to Nancy Ann Whaley. Mary Ann,
3 could you come up? And then after we hear from those
4 three, we're going to go to Kevin Kamps, Ken Richards,
5 and Don Henkel. Yes, please. And I guess that in
6 order for this to really be heard, you're going to
7 have to --

8 MS. MIDDAGH: I'm pretty good at that.

9 MR. CAMERON: -- speak in. Good, good,
10 thank you.

11 MS. MIDDAGH: Politicians always want to
12 be heard. My name is Mary Ann Middaugh. And the
13 people of southwest Michigan voted to have me
14 represent them in the Michigan legislature for six
15 years, the maximum allowed under our Constitution. I
16 served as Chair of the House Energy and Technology
17 Committee when the electric restructuring was passed.

18 During our hearings and other
19 deliberations, it was clear that Michigan needs
20 nuclear energy and Michigan needs the Palisades plant
21 as it generates enough power for 500,000 of Michigan's
22 residents. Because Michigan is a peninsula, we're
23 limited in the amount of energy, we can't come across
24 where the lakes are, limited in the amount of energy
25 we can import from contiguous areas.

1 Our committee looked at the environmental
2 and safety record of this plant and the record of how
3 the Nuclear Management Company dealt with any problems
4 that arose. The record is excellent on both counts.
5 And we, as elected officials, were kept apprised of
6 all activities at the plant.

7 I've had an opportunity to review the
8 NRC's draft environmental report and want to commend
9 you on a very thorough job you have done. Your
10 conclusion that Palisades has not added anything
11 harmful to the environment, has protected the
12 endangered Pitcher's Thistle, monitors fish, water and
13 crops monthly in the surrounding areas, and has kept
14 reports and permits current with Michigan Department
15 of Environmental Quality matches our findings.

16 Palisades employs about 600 individuals
17 with a payroll of about \$60 million. We very much
18 need the jobs that Palisades provides to this area.
19 These employees are not only responsible while at
20 work, they are also a very real asset to this area of
21 the state. They are involved in their churches,
22 schools, families and communities.

23 Palisades is also a good corporate
24 neighbor. They pay a great deal of taxes to area
25 governments, and are very supportive of the community

1 and work together to make this area of the state a
2 good place to live and raise a family. This is
3 evident from the numerous letters and resolutions of
4 support of re-licensing of this plant from area
5 governmental bodies. I add my voice of support for
6 re-licensure of this environmentally friendly electric
7 generating plant. Thank you.

8 MR. CAMERON: Thank you very much, Mary
9 Ann. We're going to go now to Mr. Tapper. And Mr.
10 Tapper is a member of the Van Buren County Board of
11 Commissioners. Mr. Tapper?

12 MR. TAPPER: Thank you.

13 MR. CAMERON: Your welcome.

14 MR. TAPPER: I'll make a quick comment
15 because when I first talked with you earlier on, you
16 elaborated five minutes. But I understand my five
17 minutes started about ten minutes ago. Is that
18 correct?

19 MR. CAMERON: No. I think we'll start it
20 right now.

21 MR. TAPPER: Okay. Well, I'd like to tell
22 you a little bit about myself, because I have been
23 around Van Buren County all my life. I'm four 18's
24 plus nine in age. I live in the house I was born in.
25 And since '57, we've had a summer home along Lake

1 Michigan between South Haven and the Palisades plant.
2 And actually, with being around all these years, I had
3 the opportunity to be in the County Board of
4 Commissioners 30 years, well, I've served over 38
5 years, since '52. And actually, I remember when
6 Palisades was in the thinking stage, because Consumer
7 had us go down to Benton Harbor. We got on a DC-3 and
8 flew up to Charlevoix to look at what they had up
9 there prior to our resolution. And we did have a
10 resolution way back then. Now I do have a resolution
11 that we approved on March 22nd of '05, and I would
12 really like to read it to you.

13 Report of the Administrative Affairs
14 Committee. I'm a Board of Commissioners. I hope
15 everybody can hear me. Okay, thanks.

16 Whereas, Palisades has been in operation
17 since 1971, safely providing electricity to Consumer
18 Energy customers for those 34 years, and;

19 Whereas, based on Palisades' continued
20 improved performance, particularly over the past four
21 years since Nuclear Management Company has been
22 operating Palisades, Consumers Energy has increased
23 confidence in the plant's safety, reliability and
24 predictability, and;

25 Whereas, to that end, Consumers Energy

1 announced last summer that it would seek a license
2 renewing for Palisades. Nuclear Management Company
3 will apply for a 20-year license renewal on behalf of
4 the Consumers Energy next month with the U.S. Nuclear
5 Regulatory Commission. When approved, Palisades'
6 license will be renewed through the year 2031, and;

7 Whereas, this means continued employment
8 to the residents of Van Buren County who operate and
9 maintain the plant, continued tax revenue from the
10 plant that are, revenues that are shared by various
11 governments, hospitals, schools, county government,
12 government throughout the region. And this really is
13 continued support for the emergency management
14 activities and continued employment paychecks that
15 bolster your local economy.

16 Now therefore it be resolved that the Van
17 Buren County Board of Commissioners support Consumers
18 Energy in their application process.

19 This was approved March 22nd, '05 and
20 signed by all seven commissioners. And really our
21 livelihood since this plant has been here, has
22 certainly helped. Helped schools particularly, and
23 not just the Covert region. Thank you.

24 MR. CAMERON: Okay. Thank you
25 Commissioner Tapper. And if you want us to attach a

1 copy of the resolution to the transcript --

2 MR. TAPPER: Sure.

3 MR. CAMERON: -- we can do that.

4 MR. TAPPER: Okay.

5 MR. CAMERON: All right. Thank you very
6 much. And now we're going to go to Nancy Ann Whaley
7 who's Geneva Township Supervisor.

8 MS. WHALEY: Hello. I'm Nancy Ann Whaley
9 from Geneva Township. And I, like Mr. Tapper, live on
10 the same land that I was born and raised on.

11 Geneva Township is located directly east
12 of South Haven Township and it corners with Colbert
13 Township on our southwest corner and their northeast
14 corner. We are in the 10 mile range of the speaker
15 system that gives us the alert warnings. And our
16 western three tiers of sections are located in that
17 siren system of Palisades.

18 I never realized until I became a board
19 member of Geneva Township in 1987 and became
20 acquainted with the operations and effects at
21 Palisades Nuclear Plant on the structure and economic
22 well being of Geneva Township, as well as the
23 surrounding area. Palisades plant and people
24 continuing support of our communities, organizations
25 and businesses through usage, involvement and monetary

1 support enhancing the overall community health and
2 welfare.

3 Many Palisades personnel live in Geneva
4 Township and are tax payers which benefits Geneva
5 Township, South Haven Area Emergency Services, Lake
6 Michigan College, South Haven and Bangor Public
7 Schools, Van Buren County Intermediate School
8 District, South Haven Hospital, South Haven Senior
9 Services and Van Buren County.

10 Being a South Haven Area Emergency
11 Services Authority Board Member, I have watched as
12 Palisades has contributed much to our fire and
13 ambulance service in the way of training, equipment
14 and support. This joint effort for the safety of our
15 citizens and Palisades' personnel is a tribute to
16 working together to make our community what it is
17 today.

18 Over the years, we have been privileged to
19 reports by Palisades' personnel at our Township board
20 meetings, keeping us informed on happenings, new
21 procedures, updating of siren warning system and just
22 being available to answer questions that arise in our
23 public settings.

24 The seminars presented by Palisades'
25 personnel to provide exposure for the local

1 municipalities, businesses and industry to review the
2 plant and safety procedures that are in place, as well
3 as having contact personnel for our comments and
4 questions is indeed beneficial. Mark Savage,
5 Palisades' employee as well as property owner in
6 Geneva Township, is always available to review any
7 concerns that arise.

8 At the April 12th 2005 board meeting, the
9 Geneva Township Board unanimously voted to support the
10 license renewal by resolution which was presented to
11 Mark Savage at that meeting. It is my strong belief
12 that the negative personal and economic impact that
13 all of us will feel if the operating license for
14 Palisades is not extended will be a loss of great
15 magnitude to this community. I'm asking your full
16 support for the 20 year renewal of the licensing for
17 Palisades.

18 The resolution that was passed at the
19 Geneva Township Board on April 12th, 2005 reads:

20 Whereas, Palisades Nuclear Plant has been
21 in operation since December of 1971 safety providing,
22 safely providing electricity to Consumers Energy
23 customers for those 34 years, and based on Palisades
24 continued improved performance, particularly over the
25 past four years since Nuclear Management Company has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been operating Palisades, Consumers Energy has
2 increased confidence in the plant's safety,
3 reliability and predictability, and to that end, CMS
4 Energy announced last September that they would seek
5 a license renewal for Palisades.

6 Nuclear Management Company will apply for
7 the 20 year license renewal on behalf of Consumers
8 Energy next month with the U.S. Nuclear Regulatory
9 Commission. When approved, Palisades license will be
10 renewed through the year 2031, and this means that the
11 residents of Geneva Township and surrounding areas are
12 receiving continued employment for those who operate
13 and maintain the plant, continued tax revenues from
14 the plant that are shared by the various governments,
15 hospitals and schools throughout the region, continued
16 support for energy management activities, and
17 continued employee paychecks that bolster local
18 economies, and to date, the NRC has approved 30
19 license renewals for generating stations and is
20 reviewing applications for 10 others, and there are
21 103 operating nuclear plants in the United States that
22 generate approximately 20 percent of the nations'
23 electricity.

24 Therefore, be it resolved that the Geneva
25 Township Board of Trustees supports Palisades' efforts

1 in the application for a 20 year renewal of the
2 operating license and their efforts to continue the
3 enhancement of economic conditions in our area. This
4 resolution was presented and supported by all Geneva
5 Township board members. Thank you.

6 MR. CAMERON: Thank you very much, Nancy
7 Ann. I realize that a lot of you that took the time
8 to do a prepared written statement for us, and we
9 really appreciate that. We are going to try to move
10 through this so that we get to everybody, so if you
11 are going to be longer than five to seven minutes, if
12 you could just try to summarize and we will put the
13 prepared statement on the record too. And that's not
14 directed at you Nancy. You were right on time. But
15 I just wanted to say that.

16 And now we're going to Kevin Kamps from
17 Nuclear Information Resource Service. And Kevin, you
18 have a long history here so, please tell us about that
19 too.

20 MR. KAMPS: My name is Kevin Kamps, and I
21 work for Nuclear Information and Resource Service in
22 Washington, D.C. But I'm from Kalamazoo, Michigan and
23 I'm still a board member of Don't Waste Michigan
24 representing the Kalamazoo chapter.

25 How many of you here heard about the near

1 drop of the fully loaded dry cask at Palisades last
2 October? I have a question for folks at NRC. When we
3 were having the hearing in early November in this,
4 down the block here, how come that wasn't brought to
5 our attention? I mean, our, if we have any
6 credibility left in the NRC and in the company, if we
7 had any trust left in the company and in this
8 government agency that's supposed to protect our
9 health and well being and our environment and our
10 safety, it's gone. It's absolutely gone. And NRC's
11 response in the press is, it was not a reportable
12 incident.

13 The potential consequences, according to
14 NRC's own documents of that incident, if the cask had
15 dropped into the pool and damaged the pool and drained
16 away the water, there could have been a radioactive
17 inferno in the waste. And thousands to tens of
18 thousands of people could have died downwind. Those
19 are NRC's own numbers. I'm not making this stuff up.
20 So it just is a real betrayal of the public to have on
21 our part, to have taken part in good faith and at that
22 very moment be kept in the dark about something as
23 significant as that. So the outrage we'll try to
24 control to an extent, but it's, it's deep burning at
25 this point in the local community.

1 What I'd like to address in regards to
2 this proceeding today is radioactive waste, speak of
3 the devil, and reactor accidents. The NRC says in its
4 Nuclear Waste Confidence decision that a repository
5 for commercial irradiated fuel will open by 2025.

6 And it's appropriate to bring this up
7 because the Bush Administration yesterday introduced
8 a bill to get rid of any remaining impediments to
9 opening Yucca Mountain. That means public health
10 protections and safety regulations, that kind of
11 thing. Just get rid of those. But the problem is
12 that Yucca's in complete disarray. The last date DOE
13 gave for its opening is 2012. They won't give dates
14 anymore. They won't give cost estimates any more. It
15 used to be \$60 billion, but they won't give that kind
16 of prediction.

17 So the state of Nevada's challenging this
18 NRC Waste Confidence decision in Federal court. So
19 how NRC can dismiss this issue at Palisades is just
20 really beyond me, especially given the irony that
21 Palisades license is up in 2011, and that's the very
22 year that Yucca will be full. Will have reached its
23 legal limit long before it opens because there will be
24 that much commercial waste in the country, 63,000 tons
25 of it. Quite a bit of that at Palisades, its fair

1 share.

2 So from 2011 to 2031 all waste made at
3 Palisades would be excess to Yucca's capacity. So it
4 would continue to sit at Palisades with nowhere to go,
5 unless a second repository's opened, this time in the
6 east. So would that be in Michigan or Wisconsin
7 perhaps? So it needs to be pointed out that
8 Palisades' current dry cask storage pads are in
9 violation of NRC regulations. We raised this during
10 the NRC licensing proceeding on this extension and
11 were rejected. But our expert witness on this matter
12 is none other than Dr. Ross Landsman from NRC region
13 three, whose job it was to inspect those pads and the
14 casks on them. And he warned NRC since 1993 that the
15 cask close to the lake, the pad close to the lake is
16 in violation of safety regulations, specifically
17 earthquake regulations. If there's an earthquake, the
18 -- could open up, the lake could pour in, and one of
19 those casks or more than one, could end up in the lake
20 under water. And what could that mean? If water
21 infiltrates the cask there's enough fissile material
22 inside to sustain a nuclear chain reaction. So we
23 could have a nuclear reaction in Lake Michigan.

24 In another scenario, the sand could open
25 up in an earthquake and casks could be buried under

1 the sand. Overheating could occur. The cask could be
2 damaged. Radioactivity could escape. And it would be
3 a matter of time before it hit the lake. NRC now says
4 in another Orwellian twist that Dr. Landsman's
5 allegations against the newer pad built in 2004, also
6 that it violates earthquake regulations are under
7 review. Those allegations are under review. They
8 have been for years. The incredible thing is that
9 while under review, the storage pad is used for
10 storing waste. More and more waste as time goes on.
11 The cask dangle that happened last October, was a part
12 of that campaign to move dry casks to that newer pad,
13 seven of them.

14 So we've got two pads at Palisades, both
15 in violation of NRC's safety regulations, and just
16 yesterday we filed an emergency petition to the NRC to
17 enforce its own regulations and stop storing waste on
18 those pads. So the question is, where is Palisades
19 going to store 20 more years worth of waste?

20 In terms of reactor accidents, again I
21 will point to NRC's own numbers. They haven't updated
22 these since 1982, so of course the number of people
23 has grown in this region, the economy has grown in
24 this region, so these damages from a severe accident
25 at Palisades would be much worse now than what's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 given. But NRC calculated that a severe accident and
2 catastrophic radiation release, and this was a 1982
3 report, a radiation release from Palisades would kill
4 11,000 people downwind, injure 7,000 people, and do
5 over \$50 billion in damages. That's 1982 figures, so
6 if you adjust for inflation, it's over \$100 billion
7 now. And of course, if there's a major radiation
8 release from Palisades, that's it for Michigan's
9 tourism, that's it for its agriculture, and that's the
10 reason that our volunteer pro bono citizen's effort to
11 try to stop this 20 year extension has been so
12 determined and will continue to be so at every turn,
13 because we care a lot about the future of this state.

14 AUDIENCE MEMBER: And our homes and our
15 families.

16 MR. KAMPS: Amen. And I'd like to raise
17 a point. In the back of the room, there's a summary
18 of the findings of this EIS and one of them referred
19 to, it's a contradiction with NRC's own report. It
20 said historic and archaeological impacts would be
21 small, but right in the beginning of this report it
22 says that they may be small, but could be moderate for
23 historic and archaeological resources.

24 And when you read the details in here, NRC
25 actually verifies exactly what we raised last July

1 28th at this very podium and again during the
2 licensing proceeding, but we got thrown out of that,
3 that Native American sites very well could exist, very
4 likely do exist, NRC is now saying that, at Palisades,
5 but no site survey is going to be required. They can
6 do 20 more years worth of routine radiation releases.
7 If forced to build new dry cask pads that comply with
8 safety regulations, that could be built right on top
9 of a Native American archaeological site, burial
10 grounds, village sites. It's not exactly far fetched
11 when NRC admits that there are 15 such sites within a
12 mile of Palisades or its transmission lines, including
13 one 0.3 miles away, which I believe is the Brandywine
14 in Palisades Park, exactly what we pointed out here.

15 So my question is, how in the world did we
16 get booted out of the NRC licensing proceeding on that
17 one? But --

18 MR. CAMERON: Kevin, can I ask you to --

19 MR. KAMPS: Yes.

20 MR. CAMERON: -- give a summary of this?

21 Thank you.

22 MR. KAMPS: Yeah. Instead of five or
23 seven minutes, of course, I could go on for five or
24 seven days about this stuff. But I'm glad that
25 there's a good turnout today and I look forward to

1 hearing other concerned local citizens.

2 And the last thing I'll say is NRC said
3 that, you know, this license renewal may be granted
4 but there are other factors out there that may end up,
5 you know, deciding whether or not this place will
6 operate for 20 more years. I'd like to say, yeah,
7 there really is. One would be a severe accident at
8 Palisades that would kind of take care of it right
9 away for all of us.

10 But another thing is, this coalition of
11 ours, which is 25 group strong including Michigan
12 Environmental Council, the biggest coalition of
13 environmental groups in the state, 75 of them, 200,000
14 Michigan residents. The coalition's still growing,
15 and we plan on fighting this at every turn and that's
16 the factor that's going to stop this from happening.
17 Thank you.

18 MR. CAMERON: Okay, thank you. Thank you
19 Kevin. Ken, could we have you come up and talk to us?

20 MR. RICHARD: Hello. My name is Ken
21 Richards, and I've been a resident of South Haven my
22 whole life.

23 AUDIENCE MEMBER: We can't hear you.

24 AUDIENCE MEMBER: Use the mike.

25 MR. RICHARD: My name is Kenneth Richards,

1 and I've been a citizen here in South Haven pretty
2 much my whole life. And back when Palisades first
3 went into dry cask storage in the early '90's, we
4 formed a group called Palisades Conversion Group
5 because, basically what they're doing out there is
6 they're boiling water to make electricity and as Ralph
7 Nader said, there's a lot of ways to boil water and
8 make electricity.

9 So, having worked in two occupations
10 within the nuclear field, laborer for J.A. Jones
11 Construction Company in '71, '72 on the Donald C. Cook
12 Nuclear Power Plant, then at the Palisades Nuclear
13 Power Plant, Decon-Tech for Essential Services Company
14 --

15 AUDIENCE MEMBER: Louder.

16 AUDIENCE MEMBER: We can't hear you.

17 MR. RICHARD: -- during a refueling outage
18 in the '90's, I have seen construction of and then
19 finished plants during tours. The plants then new and
20 impressive, then again many years later aging, much
21 obsolete, often highly contaminated equipment,
22 malfunctioning devices such as the reactor containment
23 hatch door inoperable for some time while I was de-
24 conning when Consumers Energy operated the plant.

25 Things get old, dilapidated with time

1 especially when they are neglected. I'm sorry, my
2 glasses, I have to back off to read here. Things get
3 old, dilapidated with time, especially when they are
4 neglected, worn out, under the influence of radiation,
5 outdated or used up such as the Palisades plant's fuel
6 pool, now double racked. Steam generators replaced
7 highly contaminated previous units within their own
8 mortuary on the plant site. Along with approximately
9 30 V.S.C. 24 and 34 dry storage casks in use for above
10 ground spent fuel assembly storage, also on site.

11 A cut rate move Consumers Energy Company
12 took when their fuel pool was filled to maximum
13 capacity. Well passed its original design capacity
14 threatening a shut down of the plant. Breaking
15 another promise made when the plant was first built,
16 that no highly contaminated radioactive materials
17 would be on the plant site outside of its high level
18 containment structure. For purposes other than
19 refueling and eventual removal of spent fuel
20 assemblies to a national depository.

21 After 38 years of operation, Palisades
22 Nuclear Power Plant and its reservation is showing its
23 age and effects of embrittlement. Its pressure
24 reactor vessel being protected with old, many cycled
25 fuel assemblies, a case in point. Years now, no

1 vessel replacement or further shielding in sight. Or
2 2007 says the NRC, 2011 say others. 2014 say
3 Palisades' lawyers. This should have been replaced
4 ten years ago. As P.R. spokesman Mark Savage told the
5 local press back in 1993 when the problem surfaced
6 during an interview with the South Haven Daily
7 Tribune. Once they finally got to admit, there was a
8 metal condition called embrittlement affecting the
9 reactor.

10 One of the biggest complaints from plant
11 critics is the operators have been less than
12 forthcoming when problems surface. Make excuses, rosy
13 predictions they know will never come to pass. Or lie
14 to anyone listening when the information might or will
15 be perceived as contentious, placing public trust in
16 jeopardy.

17 Much of the same thing can be said of the
18 NRC during these current rounds of scoping meetings
19 concerning the re-licensing endeavor. Long time
20 followers of this issue have seen or heard it all from
21 a very different NRC under past presidential
22 administrations. The difference between now and say,
23 the early 90's, cannot be denied. This is a very
24 business friendly NRC, not public or environmentally
25 friendly.

1 Yesterday I received my copy of the
2 Generic Environmental Impact Statement for License
3 Renewal of Nuclear Plants Supplement 27 regarding the
4 Palisades Nuclear Power Plant. Reading through both
5 the manual and its cover letters, I see, despite the
6 potential radioactive hazards, the NRC insists the
7 environmental impacts of the Palisades Nuclear Power
8 Plant and the radioactive materials about its
9 reservation is always regarded as small throughout
10 this report. But when I turn to the alternative
11 energy sources, which should be pursued at the
12 Palisades Plant site, their impacts are often referred
13 to as large. Which all considering, they would be,
14 taking into account the enormity of the electrical
15 power the plant puts on the grid, for alternatives to
16 equal out in their current forms at this site.

17 A rather particular assumption bracketing
18 both the plant and the NRC's positions well, yet
19 ignoring the simple fact that if all the resources
20 used to continue operation of this plant were put into
21 renewables and other forms of electrical generation
22 throughout the state, it would turn the argument on
23 its head.

24 What my real concern here is the fact that
25 the GEIS report does not take into consideration of

1 dry cask storage or other highly radioactive
2 contaminated things such as the former steam
3 generators on site. Many would argue the Palisades
4 reservation is already a defacto high level nuclear
5 waste dump. Which to their, our Palisades Conversion
6 Group and my viewing of this issue, a large impact on
7 this fragile lake shore environment. More to the
8 point, potential impact should things not go as
9 planned or designed or promised, which over the last
10 38 years, time and time again have been broken.

11 With an additional 20 years worth of above
12 ground dry cask storage, along with other contaminated
13 equipment, which is sure to be replaced should this
14 plant be pushed so far past its original design
15 capacity, which it already has by years now. Counter
16 to the GEIS's insistence that no changes to the plant
17 need to take place in the additional 20 years.

18 Isn't the reactor head soon to be
19 replaced? In July perhaps? The pressure reactor
20 vessel long in question operated in such a patchwork
21 method since embrittlement was discovered more than
22 ten years ago. How long before it's replaced?
23 Annealiated as once promised in court or a neutron
24 thermal shield installed? Or the reactor replaced?

25 And yes, dry cask storage casks piling up

1 on site. I'm sure we'll all hear about Yucca Mountain
2 or the Goshutes, Skull Valley Indian Reservation
3 taking all of this off our hands for the umpteenth
4 time in the last 20 years. There are now over 20 to
5 30 dry casks on site. Will anyone here give us an
6 exact number? Or are you going to just dodge the
7 question again, insisting it's a Federal issue, none
8 of this re-licensing businesses concern.

9 This is a local community concern for we
10 will have to live with and care take all of this waste
11 for generations to come. In '93 we were told these
12 experimental, cut-rate dry storage casks would be gone
13 in '98, time and time again by Mark Savage, the plant
14 spokesman.

15 Now we're told by the NRC, they're
16 licensed to store --

17 MR. CAMERON: Ken, I'm going to have to,
18 I'm going to have to ask you to summarize. I'm sorry,
19 Ken, we can attach your full statement to the record.

20 AUDIENCE MEMBER: Go on for years.

21 MR. RICHARD: Well, you know, you
22 literally could go on for years because this thing has
23 and it keeps piling up a good record for anybody that
24 really takes a look at it.

25 MR. CAMERON: Okay. Thank you. Thank you

1 very much. Is Mr. Henkel, is it --

2 MR. RICHARD: Do I hand these to him?

3 MR. CAMERON: Yes. Why don't you do that
4 and we'll make sure that we get a copy of them as a
5 formal comment for our purposes. But they will be
6 attached to the transcript. So Mr. Henkel, do you
7 want to still talk to us?

8 MR. HENKEL: My name is Don Henkel. I've
9 had a cottage at Palisades Park Country Club for about
10 40 years. We're probably about the closest of anybody
11 to the nuclear power plant. Before 9/11 I had many
12 opportunities to walk in front of the power plant, to
13 enjoy the beach area, et cetera. Our park is 100
14 years old so, both our cottage and myself and the park
15 have preceded the nuclear power plant by a long period
16 of time.

17 I am convinced that the way of producing
18 electrical power in this country needs a great deal of
19 attention. There's no doubt in my mind that coal
20 burning and so on adds a great deal of pollutants that
21 nuclear energy does not incur. But that's as long as
22 the genie is in the bottle.

23 And for many years now I've heard on
24 Saturday morning the sirens go off and this rather
25 metered voice, terrible voice comes over, this is a

1 test, this is only a test. And then at the end of
2 that there's a cow-lunk, like somebody's dropped a
3 hammer or something like that on the floor. And I
4 don't think too much about it because I've experienced
5 this for many, many years. But upon occasion I think,
6 well, what if it were not a test. And that's of
7 course when the genie comes out of the bottle.

8 One time I was sitting on the deck of my
9 cottage, which is right on the shores of Lake
10 Michigan, a stone's throw from the, from the plant and
11 of course, this was after 9/11 and a no-fly zone was
12 instituted. And all of a sudden a Japanese zero comes
13 zooming down the lake shore there about 50 feet over
14 the water. It of course flew right over the plant on
15 its way up to an old plane show someplace up north
16 along Michigan.

17 And I thought to myself well, how easy it
18 would be for somebody, a plane to come on, and you
19 know, I was really surprised that the accident report
20 didn't include sabotage and other things along that
21 line. So that's, that's kind of a problem. I'm a
22 boater, and I boat past the plant many times from
23 South Haven down to Palisades Park where the cottage
24 is. And now it's not a no fly zone, but a no boat
25 zone. The parameters of the property are 3/4's of a

1 mile. And I looked at my boat and I said, boy, those
2 casks are so easy. They're right,, right over there.
3 So I think that somehow or another we need to entrust
4 the issues of, of license renewal for just 20 years
5 because we're really looking, according to what I
6 read, 10,000 years down the pike.

7 And sooner or later human beings probably
8 are going to make some errors. And with a gas-fired
9 plant, right across the road you can -- facilities, as
10 the Palisades Nuclear Power Plant that I kind of
11 wondered, why in the world don't we go to a plant
12 already on line there, already ready to deliver, as
13 opposed to the aging Palisades Nuclear Power Plant.
14 Thank you very much.

15 MR. CAMERON: Okay. Thank you Mr. Henkel.
16 I'll, I am going to ask Viktoria Mitlyng who is one of
17 our Public Affairs Officers from Region three to just
18 summarize what the NRC's stance is, I guess, on the
19 crane drop. And do you want to talk to us for a
20 little bit up there Viktoria?

21 MS. MITLYNG: Good afternoon everyone.
22 Can you hear me? Yes? My name is Viktoria Mitlyng,
23 and I'm Public Affairs Officer for the NRC. From my
24 accent you could probably tell I'm not a native to
25 this country. Originally, I'm from Kiev which is

1 about 40 miles from Chernobyl.

2 One of the reasons that I work for Nuclear
3 Regulatory Commission is because I can stand here and
4 tell you what happened. In my former country, I
5 couldn't do that. So when Kevin was talking about the
6 NRC losing credibility because the public wasn't
7 informed about the crane incident, it got me a little
8 riled. My job is not to get riled, but I was.

9 The inspection reports that include
10 information about all the findings at the plant are
11 publicly available. There was so much information in
12 our inspection reports produced by Resident
13 Inspectors, by Specialists, that it is impossible at
14 a meeting to come for us and give you a summary of
15 what happened. It's not an expectation we can meet.
16 Other we literally would spend our time sitting here
17 and telling you, telling you what happened, or our
18 Resident Inspectors instead of inspecting the plant.
19 That's not possible.

20 So I'm hoping that if you're interested in
21 what's going on at the plant, you can take a look at
22 the reports that are publicly available. You can call
23 me anytime and I will let you know what is going on
24 and any information that you want provided about what
25 the NRC is doing.

1 Now about the cask. I'm not going take
2 long. I'm just going to say that the cask was secured
3 in place. It was not an issue of the cask being about
4 to get dropped. It was a procedural error. And
5 that's why the NRC wrote it up, is because the
6 operators were not supposed to manipulate the grade
7 according to their own procedures, and they didn't.
8 I have a picture of the cask if anybody's interested
9 in taking a look at it. And it is not about to drop,
10 to drop and cause a nuclear disaster.

11 So the very real issues that people are
12 bringing up here that we want to hear about, however,
13 there are certain things that I really wanted to
14 respond to and one of them is public confidence and
15 openness. The information is out there. And our job
16 is to protect public health and safety, and we take it
17 very seriously. I take it seriously for personal
18 reasons, because, you know, half of my family is gone
19 from leukemia, cancer, et cetera. So I would not
20 stand here and tell you anything that's not true
21 because it would be like, you know, shooting myself.
22 There would be no reason for me to be in this country.
23 And people I work with I trust. So that's what I
24 wanted to say. If you want to talk to me further or
25 you want to hear Russian jokes, come and talk to me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 after the meeting.

2 MR. CAMERON: Okay. I don't want to get
3 to, I don't want to get into a long running discussion
4 because we have to hear from, from people on this.
5 Okay? We heard Kevin's viewpoint. We heard from the
6 NRC, which I thought was important on this recent
7 event to hear that.

8 MR. KAMPS: I just got a quote from the
9 very document that Viktoria encouraged me to read.

10 MR. CAMERON: Okay.

11 MR. KAMPS: That -- from the NRC. It took
12 several months to get, but I've got it right here.
13 I'd love to read from it.

14 MR. CAMERON: Well, let's go through the
15 rest of these people, Kevin, and hear from them. And
16 Kevin is here with a report from the NRC. If people
17 want --

18 MR. KAMPS: Yeah, I'll just read it real
19 quick. It'll take me 10 seconds. This is an NRC
20 inspection report that Viktoria encouraged me to read.

21 MR. CAMERON: Kevin, if you, and this,
22 again, is something that is, you know, we don't know
23 what the context is. If you have 10 seconds, let's go
24 10 seconds from this. I just want to keep --

25 MR. KAMPS: What is the context? The

1 context is the very incident she just described.

2 MR. CAMERON: Go ahead.

3 MR. KAMPS: The NRC Quarterly Inspection
4 Report.

5 MR. CAMERON: Okay.

6 MR. KAMPS: Coming out many months after
7 the incident occurred, so we're just supposed to wait
8 I guess. If we wait long enough, that's okay.

9 MR. CAMERON: Okay. Kevin, go ahead.

10 MR. KAMPS: Well, got this through 4F
11 everybody. This is the NRC inspectors writing.
12 Therefore, the on scene inspectors concluded that
13 working outside the bounds of the approved work
14 package and manipulating the brake release on the
15 crane represented an increase in the risk of a load
16 drop, the load being the fully loaded cask on the
17 crane. This increase in risk is directly associated
18 with the reactor safety cornerstone objective of the
19 spent fuel cooling system as a radiological barrier.
20 What does that mean? The pool water could have
21 drained away. What happens then? The waste catches
22 on fire. What happens then?

23 MR. CAMERON: Kevin, Kevin, you read, you
24 read from that. Okay? And I don't, you know,
25 obviously it is an important issue. The report, you

1 guys can do this later, okay? The report is there for
2 people to read, and Kevin read from one part of it.
3 Viktoria gave a summary of it, okay? And John who's
4 our resident, I don't know if there's a bottom line
5 you want to add to this, but I just want to conclude
6 it.

7 MR. ELLEGOOD: Yeah, I'd like to conclude
8 this, and we can talk afterwards. We wrote that
9 because you cannot up and manipulate equipment without
10 the proper procedures in place, without the right
11 management oversight understanding what you're doing,
12 without understanding the consequences of what you're
13 doing. In this case, the worker went up there. Prior
14 to going up there he had been briefed. It had been
15 discussed. I have been in the meetings that they
16 would not manipulate any components on the crane. It
17 was to be an inspection of the crane to understand
18 exactly why the brake engaged, understand if there was
19 any damage at all done to the crane, and understand
20 what they needed to do to proceed to lower the load
21 safely.

22 The individual up there in communication
23 with an off site vendor decided to manipulate
24 components of the crane and he simply should not have.
25 It's very tough to quantify the change in risk when

1 you've got an individual going up there. I have no
2 idea how far he might have gone, how much he might
3 have slipped. I judge that was an increase in risk.
4 However, at all times there were two brakes fully
5 engaged on that crane. Either one of those could
6 support the full load. Looking through the
7 documentation as to brake failures in cranes, it's
8 about one every 10,000 events for a single brake,
9 probably more than that. Therefore, with two brakes
10 you've figured out is about one to the minus eight.
11 With the guy manipulating it, there's an increase in
12 risk. I don't know exactly how much. Maybe a couple
13 of words of magnitude. One in a million chance. We
14 took it seriously. We wrote a non-cited violation,
15 and we remained observant of the licensee's activities
16 in repairing cranes, maintaining cranes, and in crane
17 operations.

18 MR. CAMERON: Okay. Thank you very much
19 John, at the plant. And we're going to go back to
20 license renewal now, and we know that there's concerns
21 about these issues so it's important to discuss them.
22 We're going to go to Mr. Dal Monte right now, and then
23 to Mr. Mitchell, and then to Michael Martin. Mr. Dal
24 Monte, do you want to come up? All right.

25 MR. DAL MONTE: Good afternoon. I am a

1 resident of the South Haven area. I, we select this
2 area for the end of our life. So I retired. I was
3 working in Chicago, and then I came here. And now I
4 have a little time to go overseas. My profession is
5 an Electrical Engineer. I am from Illinois, and today
6 we covered some of my concerns regarding the operating
7 license renewal of Palisades Nuclear Power Plant.

8 My first concern, and more important I
9 think, is in relation to the spent fuel. Everybody
10 know that right now the spent fuel is stored outside,
11 next to the power plant. So this keeps accumulating
12 and there is a possibility of, theoretically send it
13 to a central, national central depository. But it was
14 impossible in 40 years to obtain or to realize this
15 central depository. And the reason for that is not
16 political. It's not because people are not doing
17 their work. It's just because they, they waste half
18 their -- long, long time, I mean. You have to keep it
19 under control, under storage for at least 10,000
20 years. So nobody can guarantee that even the more
21 stable place can guarantee that. So this is, if we
22 continue doing that we are going to keep this material
23 in that place forever. That's what we have to
24 understand. I mean, this is a fact.

25 What, what, why we are scared? Because we

1 are increasing the possibilities of an uncontrolled
2 releases of radioactive material. The plant has a
3 bigger accident and can have uncontrolled releases,
4 but this other thing we're allowing here can also
5 prove to have accidents by sabotage, by error, human
6 error, by many things that, one important thing in
7 life is imagination. So with a little bit of
8 imagination, we, we can figure out that this is not
9 way to go. It is not the way to go.

10 Consequently, so I will leave this point
11 for the time being and I continue that in this
12 situation my recommendation is that, I request that no
13 approval of operating license renewal be given unless
14 all existing spent fuel is removed from the site and
15 sent to a national central depository.

16 My second concern is regarding the
17 equipment refurbishing, refurbishing of our equipment.
18 I have low opinions. A plant with 40 years is ready
19 for a good refurbishing. You can tell that, you have
20 done a wonderful job, but I don't believe it. And
21 your report, the NRC is saying that they considered,
22 I don't know, I don't think, this is requested by the
23 licensee, but the NRC I don't know really, what he's,
24 he's going to do, but it doesn't look like he's going
25 to request --

1 MR. CAMERON: Mr. Dal Monte, you've raised
2 two very important points, but I have to ask you to
3 summarize now. Do you have another important point to
4 tell us?

5 MR. DAL MONTE: Yeah.

6 MR. CAMERON: And if you could just state
7 that and then we'll have to go on --

8 MR. DAL MONTE: Sure.

9 MR. CAMERON: -- to the next person.
10 Thank you.

11 MR. DAL MONTE: Okay. And my second
12 concern is related a little with the first. The
13 analogy that is used at Palisade has been following --
14 first. Through the use of a large amount of spent
15 fuel waste, which is highly radioactive and this
16 toxicity for a long time, 10,000 years.

17 Second, the waste contains plutonium which
18 if enriched could be used in the manufacture of atomic
19 bombs. Third, it is a low efficient use of the fuel,
20 uranium. If continuing with this old technology, the
21 amount of the available uranium in nature could be
22 exhausted in a short time.

23 The Nuclear Power Industry is in the
24 process of producing a new generation of reactors.
25 General Electric Company, Western Electric Company,

1 Westinghouse Electric Company are doing that using
2 full fuel recycling. These reactors that could be
3 approved by 2015 will not have the above mentioned
4 drawbacks of the old reactor technology.

5 The spent fuel, the spent fuel in this
6 reactors would be reduced in amount and would require
7 shorter time in storage, 400 years. Therefore a
8 Central depository could be readily found. It would
9 use the energy content in the fuel much more
10 efficiently. The uranium available in nature could
11 last for many centuries. The plutonium in the waste
12 is not usable for manufacture of weapons.

13 MR. CAMERON: Thank you. Mr. Dal Monte,
14 I'm going to have to ask you to --

15 MR. DAL MONTE: But, I, I would just to
16 say in regard to this concern, I recommend that any
17 approval of operating license renewal of existing
18 nuclear plants be in moratorium until the year 2015.
19 Thank you for your, for your time.

20 MR. CAMERON: Thank you Mr. Dal Monte.
21 Thank you very much. Do we have a Mr. Mitchell?
22 Lewis Mitchell? Mr. Mitchell, oops, are you okay?
23 All right. This is Mr. Lewis Mitchell.

24 MR. MITCHELL: Thank you.

25 MR. CAMERON: Your welcome.

1 MR. MITCHELL: My name is Lewis Mitchell.
2 I'm a native of South Haven. We were gone for about
3 30 years and moved back. I'm retired from this,
4 weekly newspaper publisher. We sold our paper in
5 Illinois and moved back home and found a place out by
6 Bangor, which is directly east of Palisade plant.

7 I knew about the plant when we bought the
8 place. I wasn't concerned a bit about the plant being
9 there, and I'm still not concerned about it. I
10 believe that nuclear power is one of the best answers
11 we've got to getting power in this country. With all
12 of these other things that have been named, they
13 either don't work fully or they're more expensive and
14 they're harder on the environment. I personally am in
15 favor of the nuclear power. And by the way, I'm also
16 one that says thank god for the atomic bomb, because
17 I was in the 77th infantry division and I saw the
18 coast of Japan that we were supposed to hit. And the
19 reason, one of the reasons I'm here today is because
20 they dropped that bomb. And I'm not the least bit
21 ashamed to say so.

22 Heard a lot of ifs today. If this, if
23 that, if the other thing, and having been in the
24 newspaper business, I'm a little more inclined to rely
25 on some facts. Not if this happens or if that

1 happens. I've never been in the plant. I've heard
2 people talk about the condition of it. I've never
3 been out there, so I do not know anything about the
4 condition of that plant, whether it's good, bad,
5 brittle or whatever. I'll leave that up to the people
6 that know, the people that are experts. I think the
7 NRC has a whole staff of experts and I'd rather trust
8 them than somebody that's not on the site making
9 inspections and so forth.

10 Talk about this crane hanging up. I've
11 been around machinery enough to know that there's
12 things like that do happen, and that things can be
13 secured and there's no danger from them.

14 And this, heard a lot about alternate
15 forms of generating electricity. And I've read quite
16 a bit about it and nothing I have read has convinced
17 me there is a better way. I'm local, sometimes a lot
18 of these people from far away come in and tell us how
19 we're supposed to do things. I don't particularly
20 appreciate that either. In my opinion, Palisades is
21 safe and I want to see that license renewed.

22 MR. CAMERON: Okay. Thank you very much
23 Mr. Mitchell. Thank you. We're going to go to Mr.
24 Martin, and then Mr. Norm Knight and Mr. Milan. Mr.
25 Martin?

1 MR. MARTIN: Mark Savage if he was still
2 here can well attest that I've been a gadfly at
3 Palisades for 20 years now. And, thank you, I don't
4 plan to be for another 20. It astounds me that this
5 proceeding can go on like a runaway train in light of
6 the fact that the industry has been allowed to run for
7 50 years with no high level waste facility, guaranteed
8 or otherwise. Different things about Yucca Mountain
9 are interesting in that they have gone on and approved
10 almost everything that the opponents have suggested,
11 seismic, water leaking into the -- underneath it, and
12 other things. And then most recently, we hear that
13 the original loading of it, if it were carried out
14 would cause overheating and make --, if they were to
15 use it, to have that capacity. And if it had opened
16 10 years ago when it was supposed to, that capacity
17 wouldn't have taken care of what waste we had at that
18 point anyway. So now it's, maybe a quarter of what we
19 have, if they were to use it. And if they don't use
20 it and the Indian Reservation is brought up as an
21 alternative, it's, it will be interesting to see how
22 the EIS has arranged for that. Maybe there's an --
23 under it like the Mississippi River for all we know.
24 That sure would be a mess.

25 And the next part of what I have to say,

1 it's interesting when you go west on the old Route 66
2 area, we see all the old barns painted with the
3 taverns, and Missouri taverns and Arkansas, and so
4 forth. And it seems back in the early 70's, Oklahoma
5 Power Company decided they were going nuclear. And
6 when they did this, there was a local woman a few
7 miles away who decided that this would not happen and
8 she decided to intervene. She mortgaged her farm,
9 sold her nursing home, and we had quite an interesting
10 intervention on that.

11 And at the time I worked for a newsman who
12 had been a part of the Manhattan project and went
13 around the country with a brief case locked to his
14 wrist. Had a lot of secrets in it, I imagine. And
15 after that he became an oil well person, drilled a lot
16 of wells. And at the time I was working with him
17 during the intervention and on his newspaper, he
18 candidly admitted to me that he had drilled a well on
19 the side of this Black Fox Nuclear Plant that they
20 wanted to install just east of Tulsa. And when he
21 drilled this well, it went so far until all of a
22 sudden they were drilling into nothing. And they kept
23 adding more divisions to the well, and it still struck
24 nothing. And finally, they just hooked the drill
25 point to a cable and they never did find bottom there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That was where the August nuclear industry was going
2 to put its nuclear plant.

3 And you've heard of these places where the
4 ground gives away in Florida and stuff. Here's one
5 that could have taken the whole nuclear plant. And as
6 it finally turned out the plant was turned down. They
7 didn't really need that power to begin with. And it's
8 kind of a situation where we're talking about that if
9 we conserved a little bit, we could do without
10 Palisades as well. Thank you.

11 MR. CAMERON: Okay. Thank you Mr. Martin.
12 Is Mr. Knight here? Yes, Mr. Knight.

13 MR. KNIGHT: Thank you.

14 MR. CAMERON: You're welcome.

15 MR. KNIGHT: I am Norm Knight. I'm from
16 Kalamazoo, Michigan. I've probably been involved with
17 nuclear power more than anybody else in this room. I
18 was involved with the first, dropping the first bomb
19 on Okinawa, not on Okinawa, but from Okinawa to
20 Hiroshima, and three days later on the second one over
21 in Nagasaki. So that I knew these pilots, Mr. Tibbets
22 and Mr. Sweeney on a personal basis and was involved
23 with that for some time.

24 However, I was released from the Marine
25 Corps and was involved with the studying about nuclear

1 power about that time, and took my training at
2 Edgewood Arsenal in Maryland under a fellow by the
3 name of -- Joe Stillwell, the general from the far
4 east. Since that time I've been involved with
5 pharmaceuticals. I was an Upjohn person. I'm a
6 chemist involved with chemistry. And I can remember
7 one of our -- tests for sodium was to go ahead and mix
8 it with uranium oxide. And then you wait to sodium
9 urinate. Well, that was okay, fine.

10 But I've been a proponent, and I'd like to
11 thank Mr. Mark Savage for the wonderful job that he's
12 done over there at Palisades. And in the winter time,
13 I also winter out in Arizona. At that point I'm about
14 20 miles from the Palo Verde Nuclear Power Plant,
15 which is the largest one in the country. It supplies
16 most of the electricity for Phoenix. I have some
17 pictures which I forwarded to Mark Savage, and have
18 some of them here, which involves replacement of the
19 steam generators. These came up, these were too large
20 to come through the Panama Canal, so they shipped them
21 around South America and up through Mexico, and from
22 there they were transported by fazoli trains up to the
23 Palo Verde Nuclear Power Plant. And I still think
24 nuclear power is the way to go. I think today,
25 approximately 70 percent of the power that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distributed in France is by nuclear power. Why we
2 can't go ahead and listen to these people even if we
3 can't speak French. But, I would like to thank
4 everybody here. I enjoyed your program very much.
5 And I'm a proponent of nuclear power, still. Thank
6 you.

7 MR. CAMERON: Okay. Thank you Mr. Knight.
8 Mr. Milan? Corinne? Can you just point that at you?

9 MS. CAREY: Great. We'll do that. In
10 fact, while the other people involved in my
11 presentation come
12 up --

13 AUDIENCE MEMBER: Can't hear you.

14 MS. CAREY: Oh, well, I, just a minute.

15 MR. CAMERON: And Corinne, it's fine to do
16 a little theater, but we do need to watch the time.

17 MS. CAREY: Yeah. Oh, yes. We will.
18 Yes.

19 MR. CAMERON: All right.

20 MS. CAREY: If the other people involved
21 in my presentation will come up please. The Raging
22 Grannies? And we've invited a few grandpa's in the
23 meantime also.

24 MR. CAMERON: All right.

25 MS. CAREY: Yeah.

1 MR. CAMERON: Here we go.

2 MS. CAREY: All right. Okay. Now, we do
3 want to say that one of the important points, and the
4 word I haven't heard, is sustainable. We have not
5 talked sustainable power and energy. And in the 21st
6 century and beyond, we need sustainable power, not the
7 fossil fuel which nuclear is also. There's a limit to
8 uranium involved, so it's about time that we began to
9 think for our great great grandchildren. And we have,
10 anybody else? This little guy's going to help us
11 here. This is an adaptation of the Raging Grannies
12 presentations that they have given all across the
13 country in various ways.

14 Oh, give me a home, where the rivers don't
15 foam, and the squirrels and the chipmunks can play.
16 Where lakes all have fish, you can put on your dish,
17 and the skies are not smoggy and gray. Home, home, on
18 the earth, you're beauty's beginning to fade. We've
19 got to act fast, our -- won't last, our home you just
20 can't throw away.

21 There's nuclear waste, are inclined to
22 escape, and into the ground they are dumped. We don't
23 want PCB's, in the birds and the bees, and dioxins on
24 our babies rumps.

25 Oh, give me a home, safe inside the ozone,

1 there is danger in those cosmic rays. Oceans up to
2 our necks, from the greenhouse effect, please don't
3 wash all this beauty away.

4 And I know that's a silly, superfluous
5 approach. Thank you. I do want to encourage people
6 to find out that radioactive releases from nuclear
7 power plants in the Great Lakes basin, what are the
8 dangers. There are copies of this at that table, and
9 other things. If there's more than one, you are free
10 to take it.

11 On this table are some other things also.
12 In fact, this gives you quite an interesting map.
13 Some other things, including those thick books, like
14 the one I got from Bruce. Now Bruce is the nuclear
15 facility, I've heard it's the world's biggest. They
16 have, is it nine or 11, reactors in their complex, 50
17 miles from Michigan. Right across from the thumb on
18 the little pinky finger that sticks out of Canada
19 there. And that is their Yucca Mountain in progress.

20 Luckily, the wind doesn't very often blow
21 to, on us from the east, so we usually don't concern
22 ourselves with the fact that there, we could be
23 downwind from that. We are downwind. I'm from Grand
24 Rapids, and we are downwind from Palisades obviously.
25 50 miles was the intervener zone. It goes through

1 Jennison, so I wasn't able to be one of the
2 interveners. I'm another 10 miles in, but that's not
3 far enough if a dangle drops, or any of the kinds of
4 things that can happen in a Chernobyl situation. I
5 would suggest that particularly you pick up one of
6 these. It gives you several interesting articles,
7 including the one that's current about the British
8 report on finding, they call it the Queen's --.
9 Depleted uranium measured in Britain's atmosphere. If
10 it's measured in Britain's, what about the U.S. Who's
11 going to do that? Who makes those studies? Who's
12 going to pay for that? The taxpayers? The nuclear
13 plants? The NRC? How do we know what's going on? I
14 understand one of the problems in our intervener
15 court, court suit is that we don't have specific data
16 from Palisades. Well, who's going to pay for that?
17 Taxpayers? Nuclear plants? Not likely.

18 Another thing back there at this table is
19 the summary report. And not only is it several pages
20 long, it's based upon U.S. Nuclear Regulatory
21 Commission Freedom of Information Act response
22 documents, and so on. But you can have your very own
23 picture of the cask. So it's back there on the top,
24 stack back there.

25 I was, I have an encore ready if you'd

1 like.

2 MR. CAMERON: I heard, I heard no. I
3 heard yes. But thank you. Thank you very much
4 Corinne. Kathryn, Kathryn Barnes? And we're running
5 a little bit late over here, but we'll be done soon.

6 MS. BARNES: I want to say no matter where
7 you stand on the nuclear issue, if you think Palisades
8 is great and you like nuclear energy, or if you're
9 opposed to it, we're all in the same boat, all of us
10 that live here in this area. And that is that. What
11 happens there is going to affect us. It's not only
12 going to affect us, but it's going to affect our
13 children's children's children. You might be the last
14 person in your lineage if that thing blows because
15 you'll never have any, any offspring with normal DNA,
16 if at all, you survive it. If at all, that you can
17 reproduce.

18 What happened in Chernobyl was disastrous.
19 Kevin Kamps, who is one of my good friends, brought
20 children from Chernobyl over here. I worked on the
21 U.S., U.S.S.R. Reconciliation Project to stop the
22 nuclearization and the cold war, and we, we were
23 successful. And when I see these children from
24 Chernobyl whose beautiful souls with their sunken
25 eyes, and they're severely handicapped, and I see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 American kids who are bright and bouncing around and
2 having fun, Corinne and I ran the Children's Peace
3 Camp and we had American children and Chernobyl kids.
4 The, the contrast between the children was so immense,
5 yet they're all innocent beautiful little children.
6 The only difference is Chernobyl blew and Palisades
7 hasn't yet.

8 And I am convinced that because it's of
9 the geology, the problematic problems, the history,
10 the track record at Palisades, the possibility of
11 terrorism, the probability of increased nuclear waste
12 problems, that it's only a matter of time something's
13 going to happen there. And I don't think the risk is
14 worth it. Even though right now were in that, were in
15 a crossroads. And you can take this day and live in
16 this day forever. You could live here. But if after
17 a disaster, you couldn't.

18 And there's so much to lose. It's not
19 just your lives, your children's lives and the
20 possibility of grandchildren, great grandchildren, but
21 it's a life in this area. It's the soil. It's our
22 relationship with Canada. Do you think Canada would
23 every forgive us for the fall out? Do you think that
24 we could ever restore the Great Lakes, our water
25 table, if something happened there? And the, and the,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the mounds of nuclear waste got into the Great Lakes
2 that's stored there? I don't think you can get it
3 back people. Not with radiation, and not with the
4 huge contamination that an accident would cause.

5 And it was only built for a certain amount
6 of time. The engineers that designed that place built
7 it, they thought it would last that long, and the
8 licensing is, is beyond that point. I believe that so
9 far these band-aids have, people have been very lucky
10 that we haven't had accidents with stuck valves,
11 leaking coolant, all accidents that have happened at
12 Palisades over and over again, they've always been
13 able to fix it in time.

14 I know someone that worked inside of
15 Palisades. He said he wouldn't work in the Michigan
16 anymore. He works in another state. I won't mention
17 his name. I won't mention what state he works at,
18 although the NRC and other people have tried to find
19 out. He told me that Palisades is the most likely to
20 blow of all the nuclear reactors in the United States.
21 He said it's a well known fact in the nuclear
22 industry. And I said well why, you know, like at DC
23 Cook I know that for ten years they operated with a
24 cooling system that wouldn't function in the case of
25 a melt down. I said are they trying to cover

1 something up at Palisades? He says no, it's just the
2 way they run things. He says they don't report
3 things. He says there's so much that goes on that
4 people don't know about. He says the NRC doesn't know
5 about it, and I don't know what he was talking about.
6 I tried to get more information out of him. He
7 wouldn't talk, but that bothers me.

8 And I think that a lot people are in the
9 dark and I'm one of them. And I come here. I take
10 time out of my life, and like Kevin and other people,
11 we're doing this without any monetary reward. We're
12 using our own gas money which is expensive and
13 everything else, and I hope somehow that something I'm
14 saying makes a difference, you know. That something
15 is going, that somehow that something I say or write
16 or do is going to forestall a big disaster. And I
17 don't know if it, if it means anything at all. I
18 don't know if everything I say is futile, if anybody's
19 listening, if anybody cares. But I know that if it
20 blew, then your little plant that's full of holes, if
21 it blew, that people would understand what I'm talking
22 about because you can't get it back. An acceptable
23 risk, as far as you're dealing with something this
24 big, if you can shut it down, go to natural gas,
25 Consumers Energy is already --, then do it. Why not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CAMERON: Okay. Thank you Kathryn.
2 We have two final speakers. Alice Hirt, could you
3 join us, and then we're going to go to Paul Harden.
4 And then we're going to ask Rani to just adjourn the
5 meeting. Here's Alice Hirt.

6 MS. HIRT: Thank you. I'm going to be
7 very brief. I, responding I think to David Miller or
8 whoever said that the consequences of the daily
9 releases into the environment of radioactive nuclides
10 is small, I don't know what small means. I know cells
11 are small. And I know that the newest report by the
12 National Academy of Sciences has said that there is no
13 safe threshold for radiation. Not one bit of it. So
14 how do you determine, this is new information. You
15 didn't have that information when you licensed this
16 plant 40 years ago. So this should be considered in
17 your re-licensing process. It's new information. Are
18 you talking about a small person, or a small cell, you
19 know? I'm a small person and I don't want one of my
20 small cells injured. So I think that information
21 needs to be considered in this license application.
22 So please look at that information.

23 Now the other thing is the issue of
24 embrittlement, and the question was have you
25 considered an accident based on the fact that

1 Palisades is quite embrittled. When Palisades was
2 licensed 40 years ago, the issue of embrittlement I
3 don't think was considered because you didn't really
4 know that that's what was happening or would happen.
5 So in my understanding, this is, if there is an
6 accident, the result, as a result of embrittlement, it
7 would be a beyond design accident, if that's the
8 correct terminology. So that's an accident that
9 you're not considering, but that's new information
10 since this plant was re-licensed 40 years ago. So I
11 think you need to look at what would happen if there
12 is an accident as a result of embrittlement, since you
13 didn't know that when you licensed this plant 40 years
14 ago.

15 My last thing, in yesterday's New York
16 Times, I don't know if you all saw it, but maybe some
17 of you from the NRC might get red ears when you read
18 this article, because it is, after consulting with the
19 industry, the Nuclear Regulatory Commission weakened
20 security regulations it had proposed for reactors,
21 government auditors said in a report to be released
22 Tuesday. This is a GAO report. The audits said the
23 process, quote, created the appearance that the
24 changes were made based on what the industry
25 considered reasonable and feasible, feasible to defend

1 against rather than assessment of the terrorist threat
2 itself. The report, by the Government Accounting
3 Office, stopped short of saying that the Commission
4 had made changes, quote, based solely on industry
5 views. This cozy relationship between the NRC and the
6 industry is what really bothers all of us.

7 MR. CAMERON: Okay. Thank you Alice. I
8 would just ask Juan if you want to talk to Alice
9 afterwards about the embrittlement issue. And Dave,
10 I think the Draft Environmental Impact Statement might
11 address the -- 7 report that Alice mentioned to us.
12 So if you could talk to her about that.

13 And finally, I think Corinne or someone
14 put a copy of a Wednesday New York Times article on
15 the table over there that talks about a hearing, a
16 Congressional hearing yesterday that provides further
17 amplification on what you mentioned. Okay.

18 Let's go to our final speaker. This is
19 Mr. Paul Harden, who's the site Vice President at
20 Palisades.

21 MR. HARDEN: As Chip mentioned, my name is
22 Paul Harden. I'm the site Vice President at
23 Palisades. I'm also a Nuclear Engineer, so I happen
24 to understand the topics and the issues and discussion
25 here very, very well as we discuss them.

1 First, I'd like to focus my comments on
2 the purpose of the meeting, the Draft Supplemental
3 Environmental Impact Statement. And I'd like to
4 commend the NRC on the scope and depth of the report.
5 It's very comprehensive and a lot went into it. A lot
6 of views have gone into it. Nuclear Management
7 Company will also have comments on it. Our
8 preliminary review showed, has come up with no issues
9 of significance, but as we complete the review we will
10 also submit our comments.

11 Before I address a few of the facts, I'd
12 like to talk about regarding environmental impact to
13 operating the plant, I'd first like to state that not
14 everyone in the public is ever going to agree on
15 whether nuclear power is a good or bad thing. Not
16 everyone in the public is ever going to agree whether
17 the method that this country has chosen to store fuel
18 is a good or bad thing. The diversity of the people,
19 the diversity of the views, and our freedom to express
20 them, that's part of what makes this country great.
21 So I think it's okay that there are differing views
22 out there. But I would like to address a few facts
23 regarding the environmental impact of operating
24 Palisades Nuclear Plant.

25 Environmental responsibility is built in

1 to the design, the operation, the management and the
2 regulation of nuclear power plants. There are
3 multiple redundancies. There are multiple levels of
4 safety. There's defense in depth, and there's a
5 regulatory agency that's very, very intrusive into how
6 we do business to insure that environmental
7 responsibility.

8 The employees at the plant, they're also
9 residents. We raise our children, my baby in the back
10 of the room, here in South Haven and we have a vested
11 interest in also insuring that the plant is
12 environmentally responsible. We continuously monitor
13 radiation levels at the plant. We continuously
14 monitor the release paths from the plant. That's not
15 all we do. We go on to verify it. We sample soil.
16 We sample fruits. We sample fish. We sample water
17 from surrounding areas as an additional validation
18 that we are maintaining the environment safe.

19 And there are multiple regulatory
20 agencies, not just the Nuclear Regulatory Commission.
21 There's Environmental Protection Agency, and there's
22 the Michigan Department of Environmental Quality all
23 of which enforce strict regulations and review what we
24 do at the Palisades Nuclear Plant to insure that we
25 are safe to the environment.

1 Consumers Energy and Nuclear Management
2 Company are convinced that Palisades can be operated
3 safely with minimal impact or adverse impact to the
4 environment. That's why we're investing millions of
5 dollars in the plant in upgrading the plant and the
6 equipment today as we proceed forward with our license
7 renewal process.

8 We're satisfied the continued operation of
9 this plant is an environmentally responsible decision,
10 and I'm also quite gratified that the Draft
11 Supplemental Environmental Impact Statement has come
12 to that conclusion. And we look forward to a long and
13 prosperous operation and a very safe and
14 environmentally sound manner at the Palisades Nuclear
15 Plant.

16 MR. CAMERON: Okay. Thank you very much
17 Mr. Harden. I'm going to ask Rani Franovich to just
18 --

19 MS. FRANOVICH: Are there any more
20 comments?

21 MR. CAMERON: No.

22 MS. FRANOVICH: Okay.

23 MR. CAMERON: We're good.

24 MS. FRANOVICH: I just wanted to again
25 thank you all for coming to our meeting. I mentioned

1 at the beginning of the meeting, and I really mean it.
2 Your comments, your participation is really important
3 to our process. It helps us to insure that we didn't
4 miss anything. So thank you for your input.

5 As you came in this afternoon, you may
6 have received an NRC Public Meeting Feedback form.
7 They're outside the meeting room. If you have any
8 suggestions about how we can conduct our meetings
9 better in the future, ways that we might be able to
10 provide information that, that works better from your
11 perspective, we'd certainly be interested in hearing
12 your views. So please fill out one of those forms.
13 The postage is pre-paid. You can mail it into the
14 NRC, or you can just leave it with us. And I also
15 wanted to remind everyone that we are accepting public
16 comments on our draft sites until May 18th. Bo Pham,
17 the Project Manager for the environmental review is
18 the point of contact. So please let Bo know if as you
19 read the document or as you think of new comments that
20 you want to provide to us, please do so. You have
21 another several weeks, actually I guess it's about six
22 weeks to do that. And again, appreciate the time that
23 you've invested in being with us today at this
24 meeting. Thank you.

25 MR. CAMERON: Thank you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

(Whereupon the public meeting
was concluded at 4:50 p.m.)