

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Independent External Review Panel
Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, February 19, 2008

Work Order No.: NRC-2023

Pages 1-5

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

INDEPENDENT EXTERNAL REVIEW PANEL MEETING

+ + + + +

TUESDAY, FEBRUARY 19, 2008

+ + + + +

VOLUME I

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Review Panel met at the headquarters
of the Nuclear Regulatory Commission, Two White Flint
North, Room T2B3, 11545 Rockville Pike, at 2:00 p.m.,
Mr. Thomas E. Hill, Chairman, presiding.

PANEL MEMBERS PRESENT:

THOMAS E. HILL, Chair

MICHAEL T. RYAN, Member

BENJAMIN NERUD, Member

NRC STAFF PRESENT:

AARON McCRAW

TERRY REIS

ALSO PRESENT:

JANET SCHLUETER

LYNNE FAIROBENT

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

A G E N D A

OPENING REMARKS BY THE PANEL	4
SYNOPSIS OF PREVIOUS MEETINGS	5
DISCUSSION OF DRAFT REPORT	7
BREAK	49
CLOSING REMARKS AND ADJOURNMENT	51

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

P R O C E E D I N G S

(2:04:23 p.m.)

CHAIR HILL: If the meeting will come to order. This is the first day of the 6th Meeting of the Independent External Review Panel to identify vulnerabilities in the U.S. Nuclear Regulatory Commission's Materials Licensing Program.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act, and Aaron McCraw is the Designated Federal Official for today's session.

In accordance with the Federal Advisory Committee Act, this meeting is being transcribed to insure an accurate account of today's discussion. Please use one of the microphones when making statements. Please identify yourself when speaking, and speak with sufficient clarity and volume. We ask that you conduct any necessary side conversations outside the room, and if you have a cell phone or pager, we ask that you put them in silent mode, or turn them off at this time. The panel appreciates your cooperation with these requests.

This is a public meeting. If you haven't already, I ask that you sign in on the sheet provided here behind me. And members of the public will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 afforded an opportunity to provide oral statements at
2 a time designated in the agenda. Back on the table
3 next to the door is a list of reference materials,
4 documents that have been, or will be discussed by the
5 review panel. There are also feedback forms for
6 anyone who wishes to provide his or her comments on
7 today's session.

8 I will, at this time, introduce the panel
9 members. I'm Tom Hill, Chairman of the panel.

10 MEMBER RYAN: Mike Ryan, panel member.

11 MEMBER NERUD: Ben Nerud, panel member.

12 MR. McCRAW: Aaron McCraw, Designated
13 Federal Official.

14 CHAIR HILL: And, Aaron, at this time,
15 give us an overview of our agenda.

16 MR. McCRAW: Well, the agenda is pretty
17 open for the next couple of days. It's to accept any
18 public and/or stakeholder comments. As well, it gives
19 you plenty of time to work on converting your draft
20 report into a final report, and working on the slides
21 for your Commission briefing in March.

22 CHAIR HILL: Okay. Thank you.

23 We've got listed kind of a synopsis of
24 previous meetings. We have had briefings on
25 licensing, various aspects of the licensing process,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and security. And in previous briefings from NRC
2 staff, Headquarters, Region, and also from the State
3 of Florida. Mike Stephens talked to us about
4 Florida's licensing program.

5 At the last meeting, we did a summary of
6 our draft report, and released the draft report. And
7 it hit the street about the 11th of February.

8 MR. McCRAW: Yes.

9 CHAIR HILL: So it is out for the public
10 to review at this point. Mike, Ben, any other
11 comments that you have at this point?

12 MEMBER RYAN: Just one. I think in all of
13 our briefings, I'd like to compliment the NRC staff
14 for all of their detailed information, for their
15 forthright thoughts and sharing not only what they had
16 as finished products, but also sharing the work that's
17 underway, and what their insights are. And they've
18 actually shared those as they've developed with us,
19 which has helped us do a better job. And it's that
20 forthright kind of here's where we are at this moment,
21 and what's going on. And we really ought to
22 compliment them for giving us every insight they could
23 possibly give us.

24 CHAIR HILL: Okay. Ben, any thoughts?

25 MEMBER NERUD: No, not now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: I might add that I hope
2 we'll -- you'll maybe cover that comment when you
3 brief the Commission.

4 CHAIR HILL: I think that that would be
5 most appropriate.

6 MEMBER RYAN: Thank you.

7 CHAIR HILL: Because they have been very,
8 very supportive, and trying to work with our schedule,
9 and their schedule.

10 MEMBER RYAN: Yes.

11 CHAIR HILL: And I do appreciate the
12 efforts that they have made.

13 Well, we have an opportunity for
14 discussion of the draft report. This is open also for
15 public participation.

16 MEMBER RYAN: Should we do that first, if
17 anybody has some comments they want to make?

18 CHAIR HILL: Do you have any thoughts,
19 Janet?

20 MS. SCHLUETER: No, sir.

21 MEMBER RYAN: Aaron, have we had any
22 comments that you'd like to share?

23 MR. McCRAW: There hasn't been any formal
24 written comments received that were requested through
25 the Federal Register Notice. I did hear some informal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 grumblings in the hallway, which I have passed on to
2 you already, such as certain observations, need to
3 provide more justification. And I think you guys have
4 already gotten a start on that.

5 MEMBER RYAN: Yes, that's helpful,
6 anything we need to explain further to indicate our
7 thinking and intent. We can certainly do that.

8 I think there's one other item that we
9 probably do recognize. I hope the report reflects it,
10 and I hope that if it doesn't, that we can recognize
11 that and be clear; but that is on this issue of long
12 lead time items. I think the Committee, and the
13 panel, rather, recognizes that. Talking about a web-
14 based licensing and source tracking system, if it's
15 integrated and becomes, basically, the checkbook, if
16 you will, by which both the NRC and Agreement States
17 can track sources in a live fashion is not something
18 that's going to click in overnight. But I think,
19 ultimately, if you share the vision that if we have a
20 system where if a licensee obtains a source, it's on
21 his balance in the electronic system. If he wants to
22 obtain another source, he can, for example, notify the
23 vendor. You can look at my license, or get
24 information about my license with this pass code which
25 is good for two days. And that vendor can be told

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yes, you may ship one curie of whatever it is, and
2 that's perfectly okay. And put this number on your
3 shipping paperwork, so that can then be a tracking of
4 that additional purchase, if you will. Just like your
5 credit card, you go into a restaurant, if you buy a
6 \$50 meal, that's probably well within your credit
7 limit. If you want to spend \$10,000 on a party,
8 somebody probably wants to talk to you before that
9 happens. So I think if we can create that kind of a
10 live system, which, hopefully, can be developed as a
11 national resource, both the NRC and Agreement States,
12 that really addresses, I think, and I'd defer to a
13 security expert, some of the vulnerabilities that GAO
14 identified, or most of them, most of them I can think
15 of.

16 MEMBER NERUD: I agree completely. The
17 long-term solutions: the web-based licensing and
18 national source tracking, all those things are the
19 ideal solution. But what also needs to be
20 incorporated into this, is there some compensatory
21 measures that they can do, and they can do right now?
22 Pick up the phone and call, go visit, those types of
23 things.

24 MEMBER RYAN: Yes. And I think the other
25 recommendation --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER NERUD: It's a little more effort
2 on the part of individuals. It could be inconvenient,
3 but the choices we're faced with now are a little bit
4 of inconvenience, or -

5 MEMBER RYAN: A big problem.

6 MEMBER NERUD: - a huge, huge problem.
7 And we don't need that, with telephones, and emails.

8 MEMBER RYAN: Having said all that, I am
9 very sympathetic to the idea that there is a budget,
10 and there is a budget cycle under which this, and
11 every agency, operates, but I don't think we are
12 constrained by that. I think we were asked by the
13 Commission to evaluate and identify solutions that
14 would solve the problem. And if there's a stepwise
15 process to get into a fully integrated electronic
16 version, and, quite frankly, one that's given to the
17 Agreement States, or given access to the Agreement
18 States without a whole lot of expense, we don't want
19 to spend it 50 times over to do that, that, to me,
20 would be a real asset to the regulating community.

21 MEMBER NERUD: And, frankly, I don't see
22 anything in that report that's out of bounds. They
23 were working on a web-based licensing system, they're
24 working on a national source tracking system, maybe
25 not to the level of consolidation that we wanted to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 see, but these things are already in the works.

2 MEMBER RYAN: Right.

3 MEMBER NERUD: There's nothing else that
4 we've really got in there that require huge amounts of
5 resources to be expended to implement, a lot of
6 manpower, a lot of time, those types. What it really
7 involves is risk-informed decision making; do we want
8 to do this? How much risk are we reducing by
9 implementing this measure, and is the cost benefit of
10 that measure worthwhile?

11 MEMBER RYAN: That's a good point. And
12 the other thing, to me, I think is clear, at least I
13 hope it's clear in the report, is we recognize that
14 the staff is wrestling with, I'm not going to say
15 three point something, I'm going to say ten times
16 lower than three, and ten times bigger than four, in
17 terms of where the risk-significant line is.

18 I hope our report reflects the fact that
19 we'll be happy wherever that line gets drawn, but
20 we're not going to try and guess it in the few short
21 weeks we're here together, because that's a
22 substantive and detailed evaluation. So wherever it's
23 appropriate for us to say well, what sources should be
24 -- are we recommending something? We've tried to
25 identify that line as wherever the staff draws it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 satisfactory from our perspective. We're not going to
2 try and guess it, but rely on that work to come to
3 fruit, and rely on that insight. I think we've got
4 that right.

5 CHAIR HILL: I think we have. I hope so.

6 MEMBER RYAN: Again, I would solicit any
7 additional comments here. And if people are
8 interested in that point, that we can clarify that,
9 that's fine.

10 CHAIR HILL: Ben was talking about risk-
11 informed decision and things not necessarily taking a
12 world of resources and staff time, but if we -- it may
13 take some time to look at the information that is
14 already out there on the street, that may be providing
15 a vulnerability in the decision made on whether some
16 of that wants to be withdrawn, taken back, and what
17 time and effort to evaluate that.

18 MEMBER RYAN: Have we recommended anything
19 in that area?

20 CHAIR HILL: Not -- we haven't -- we've
21 not been that specific with it in our recommendations.

22 MEMBER RYAN: Are you suggesting we should
23 be?

24 CHAIR HILL: I don't know. As the level
25 of detail, I think --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: Somehow I think that's
2 wrapped up in that where is the line between three and
3 four.

4 CHAIR HILL: And it's the risk-making, the
5 risk decision --

6 MEMBER RYAN: Yes.

7 CHAIR HILL: Risk-informed decision
8 making, that information being out there, because we
9 talk about earlier, and it's not really in the report,
10 basically, an entry portal to get information; like
11 you could go order something on line, they want to
12 know some basic information about you before they'll
13 accept your order, not only for your name, address,
14 and email address, but then they want to know how are
15 you going to pay for it. But that type thing to
16 release some information. List of licensees has
17 already been pulled back, SS&D is no longer available
18 to members of the public. Are there other things that
19 maybe --

20 MEMBER RYAN: Okay. Well, that would be
21 something new to add. You may want to figure out
22 where you want to add it, if you do.

23 CHAIR HILL: If we do.

24 MEMBER RYAN: That's kind of a fine point
25 of detail.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR HILL: It's almost -- implementation
2 is the reason that --

3 MEMBER RYAN: Yes. I'm going to guess --

4 MEMBER NERUD: There's a lot of ways, I
5 think, to do these things, restricting information,
6 additional access controls to information, those types
7 of things. There's 15, 20 different ways to
8 accomplish what you want to accomplish. Listing them
9 all in the report I think is --

10 CHAIR HILL: Beyond what we were going to
11 do.

12 MEMBER NERUD: -- a huge laundry list of
13 pick the one you want to do.

14 MEMBER RYAN: I guess --

15 MEMBER NERUD: I don't see the point to
16 that. What I see is, here's the vulnerability we
17 identified, which was the ease of access to
18 information that could be used to exploit your
19 processes. You need to think about controlling that
20 information from a risk-informed perspective. Is the
21 benefit of releasing the information greater than the
22 ability of an adversary to exploit it?

23 Sometimes convenience and business
24 efficiency outweigh appropriate security. I mean, if
25 you look at airports and baggage screening that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 do underneath, it's -- they get less than cumulative
2 10 seconds per bag to review that bag and see if
3 there's anything in it, and let it go.

4 Now a real legitimate search is going to
5 take one to two minutes. Well, you've got a choice.
6 Can you pick up the big stuff in 10 seconds and let it
7 go through, and reduce as much of your risk as you
8 possibly can, and do it; or, are we going to cut the
9 number of flights in half so that we can screen all
10 the bags? It's a business decision, and that's what's
11 important here. And I think that's something we
12 really did stress, is risk-informed.

13 CHAIR HILL: I hope that comes through in
14 our report.

15 MEMBER RYAN: There's a very important
16 element of risk-informed. Ben, you said it the best
17 early on, and that is, as you said, regard to health,
18 safety, the environment, the NRC does a very good job.

19 Those are three elements of culture built into
20 everybody here, happens from the first day you show
21 up. Well, now we've got this fourth leg of the chair,
22 security. So somehow the tools and techniques of how
23 to deal with security issues, and then how to ingrain
24 those into culture, not only of licensing, but of
25 inspection, and all those kind of things, and then get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the Agreement States on board with that is certainly
2 something that's going to take significant effort and
3 time, but is the answer to this challenge.

4 All of a sudden now the presumption of
5 good faith, and presumption of trust is out, at least
6 for new applicants. And you're always at risk for
7 people doing bad things. The GAO raised that
8 uncertainty, so now to deal with that uncertainty,
9 you've got to, like you said, put speed bumps in their
10 way, and have a system that's live, and current, and
11 takes care of transactions as they happen, and puts
12 red lights on ones that are -- that \$10,000 restaurant
13 bill that shows up.

14 MEMBER NERUD: Exactly.

15 MEMBER RYAN: I don't know how you answer
16 the mail on the threat, without having that as the
17 goal. And then the interim steps of doing more
18 inspections on the front end for new applicants, and
19 then having follow-up processes that do more than just
20 inspect the facility to make sure the RAD material is
21 there, but also security inspections to make sure the
22 right people with the right credentials, and the right
23 controls are in place, and alive and well. Again, I
24 hope that comes through.

25 MEMBER NERUD: I don't think there's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 movement from -- a risk-informed approach to security
2 is really going to be -- it's going to take a long
3 time to inculcate that culture into the NRC, I think
4 on an individual level. You're going to see huge
5 leaps forward in that from different perspectives,
6 from the license reviewers. I think they're going to
7 get it, they're going to see the point, and it's going
8 to get ingrained, and they're going to start doing it
9 fairly quickly. I think you'll see that with the
10 inspectors. Where I think you're going to -- where I
11 think it's going to go a little bit slower is from the
12 management, and guidance, and requirement, and
13 regulation aspect, and really ingraining all that in
14 there.

15 I think from what I saw at Region I, and
16 when I went up there, those license reviewers, the
17 first time you go up and say look, I want you to start
18 -- I want you to suspend the good faith presumption on
19 new applicants. I want you to go out and look,
20 they're all over it.

21 MEMBER RYAN: Well, again, that's --

22 MEMBER NERUD: They're great Americans,
23 and that's --

24 MEMBER RYAN: Yes. That's why I
25 complimented the staff. I think they've done a very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 good job of reacting to this in a very open and
2 forthright way, and they want to get it right.

3 The other part to the report I hope we've
4 done is give some of the stop-gap kinds of things that
5 can be done. Hopefully, the idea that new applicants
6 is where the emphasis ought to be is the highest risk,
7 or potential risk, is that's where you've got to
8 start. We've got to do more oversight, more detailed
9 reviews, more information needs to be checked, all the
10 things we've commented on.

11 As a record of satisfactory performance
12 builds up over time. You've inspected that licensee
13 some number of times, the principal is the same, the
14 RSO is the same, your financial checks, your business
15 checks all indicate they're a healthy, vibrant company
16 at whatever they are, and that if you've got a record
17 of performance, then you can begin to say well, now
18 there's a basis for trust. It's not just a good-faith
19 basis, it's a performance-basis for trust.

20 Okay. So now we've got that level of
21 trust. What are going to be the channel markers that
22 tell you something might be wrong? Well, there's
23 three major players that the licensee have changed and
24 left, and there's three new people we don't know.
25 Oops, maybe that ultimately gets in the licensing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 guidance. If the authorized users and the RSO are all
2 new, put on the light, not just for health, safety,
3 and environment, but security, if there's a security
4 issue here. Have these people been vetted
5 appropriately for the level of sources that they're
6 allowed to use, and so forth, and so on? So that will
7 come with time, but I hope we've laid out a roadmap
8 that helps explain that.

9 MEMBER NERUD: I think it's all very
10 achievable. If the NRC was like DOD, they could do
11 this -- nice thing about being able to direct.

12 MEMBER RYAN: Indeed.

13 CHAIR HILL: I don't know that I have any
14 additional comment to add to that at this point.

15 MEMBER RYAN: What do you want to do?

16 CHAIR HILL: Aaron, do you have --

17 MR. McCRAW: Well, if I can just add from
18 my perspective, that you're saying is the report --
19 does it really bring across this risk-informed, does
20 it really bring across that the panel is recommending
21 that you'll go with whatever the NRC decides is the
22 appropriate source categorization. And I personally
23 feel that that comes across in the report; but,
24 however, I'm so ingrained in working with you guys, so
25 it will be interesting to see if we can have some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 additional staff come down here and provide some of
2 their insights, and if they have factual comments on
3 the report. We're still working that out, so maybe
4 they could come down tomorrow or Thursday.

5 MEMBER RYAN: If they can, that's great.
6 Again, although I am very -- I think we're all
7 sympathetic, the budget and schedules for everything.
8 That's not in our wheelhouse.

9 MR. REIS: Terry Reis. Yes, we've
10 instructed -- there's been a lot, not a lot, but
11 there's been interest among the staff to comment.
12 Sorry, Charles.

13 Okay. Terry Reis, Deputy Director, DMSSA
14 FSME. There's been a misunderstanding as to what the
15 intention of the draft report was, and comments. And
16 we explained that, it was a FACA requirement, and we
17 were providing for mechanisms for comment, but we
18 weren't, necessarily, soliciting staff comments on it.

19 But there have been some interest, and so Aaron and I
20 have been focusing -- the direction to the staff is we
21 want to hear the comments, if there's factual errors,
22 or something is not clear, or it's a misrepresentation
23 of what the staff has presented to the panel. But
24 we're steering them away from any comments of no, we
25 can't do this because. So we would agree with you,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 they're your recommendations, so as long as they're
2 based on fact, and what the staff presented to you,
3 we're going to leave that as it is.

4 MEMBER RYAN: And, I guess, I believe we
5 all recognize that that is a normal sort of reaction
6 to a recommendation like this.

7 MR. REIS: Sure.

8 MEMBER RYAN: But, again, our charter was
9 very specific on what are your recommended solutions
10 to respond to the GAO's report. And that was -- and,
11 again, I hope we've at least attempted to recognize
12 the realities of the work that the staff is doing, and
13 has advised us about. And at least tried to recognize
14 in some ways that we do recognize that they have a lot
15 of work ongoing, and they're addressing this issue in
16 a clear and professional fashion; but if our
17 recommendations transcends the boundaries of budget
18 and schedule, that's a secondary question that I guess
19 the Commissioners will wrestle with, and senior
20 management will have to address, if they want to do it
21 in one bite, or five bites over five years, or do this
22 part now and see how it goes, or however they want to
23 do implement it. But we did not address what's the
24 five-year implementation plan, because that's outside
25 of our charter. And, again, we recognize that people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 can have legitimate questions about how would we get
2 this done, if we were to do it? But we're focused on
3 what we felt, and from the evidence we've gathered,
4 and our own deliberations on what might work.

5 MR. REIS: Okay. Aaron, we're clear on
6 that, and that's the message we're communicating.

7 MEMBER RYAN: That's great. And if people
8 have their thoughts they want to share with us, we
9 welcome it, particularly on, did we hear you
10 correctly?

11 MR. REIS: Right.

12 MEMBER RYAN: Because if we didn't get
13 something right, we really want to correct that, any
14 misunderstanding.

15 CHAIR HILL: One of the things in the
16 charter along that line of making sure the facts are
17 correct, and we didn't misrepresent what was said, was
18 we were to look at import and export licensing, and
19 vulnerabilities there. And I think we've got that
20 captured correctly, and it's reflective of what we
21 heard, but I'm really interested to know if we
22 misrepresented anything, got a fact wrong in that
23 area, too. Lynne?

24 MS. FAIROBENT: Lynne Fairobent with AAPM.

25 Tom, on page 3 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: Can I ask you to do us a
2 favor? Rather than us turning around to look at you,
3 why don't you just sit down, because it's easier to
4 use the microphone.

5 MS. FAIROBENT: Tom, on page 3 of the
6 report -- wait a minute, sorry, page 9 of the report,
7 Observation 4. The last two sentences state: "The
8 panel learned that radioactive materials used by
9 medical licensees that are a security concern are
10 those larger sealed sources used in blood irradiators,
11 radio stereotactic therapy units, and to a lesser
12 extent, the high dose-rate afterloaders." This is a
13 significant part of the inventory of license Category
14 1 and Category 2 sources.

15 I'd like the panel to consider clarifying
16 that. HDR is not Category 1 or Category 2 sources.
17 They are Category 3 for high dose-rate afterloaders.
18 HDRs are typically 10 curies of Iridium, and Category
19 2 limits are 22 curies.

20 Most HDR licenses, to my knowledge, have
21 been amended so that the maximum possession limit is
22 less than 22 curies today to avoid them being Category
23 2, or to give the impression that they could have
24 multiple that would exceed. Right now, they're not an
25 aggregated source amount.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 What happens, typically, is in source
2 change-out, some of the concern had raised that the
3 source that is being exchanged when they're doing the
4 change-out, perhaps you're -- originally, that's why
5 the possession limits were higher, but that has all
6 been modified since the increased controls. So I
7 would like you to go back and verify that HDR is not a
8 Category 1 or 2 source, and perhaps consider changing
9 some of the language here, rather than the implication
10 that HDR currently is under increased controls. If I
11 might ask that of you?

12 MEMBER RYAN: Sure. These are mostly
13 license and Agreement States, I'm guessing. Right?

14 MS. FAIROBENT: Well, no. They're across
15 the board, both NRC and Agreement State licenses.

16 MEMBER RYAN: Most of them. Most of them
17 are Agreement States.

18 MS. FAIROBENT: Well, most of your medical
19 licenses are Agreement States, so by definition then
20 most of them would be an Agreement State.

21 MEMBER RYAN: Is that an easy thing to
22 track in the current database?

23 MS. FAIROBENT: HDRs currently would not
24 be in the database, because they're not Category 1 or
25 2. For 2008, for -- I believe there has been a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 request to include Category 3 material in the National
2 Source Tracking System. I'm not so sure that's been
3 done across the board yet, or if all of the data has
4 had to be reported yet, Mike.

5 MEMBER RYAN: Gotcha.

6 MS. FAIROBENT: Okay? But whether HDR is
7 used in an Agreement State, or a non-Agreement State,
8 the possession limits for HDR are the same, and the
9 use of it would be the same. Okay?

10 You might hear a little more from this. I
11 understand that there's been phone lines established
12 for industry reps on Thursday, I believe, so you may
13 hear a little bit more about this from the vendors,
14 the HDR vendors if they're on board.

15 MEMBER RYAN: Right. If you could maybe
16 pull your strings with your constituency, Lynne, and
17 see if they could give us any feedback, you know, if
18 there's a particular state agency with one of the
19 states that does a lot of this, if you could help us
20 get some further information on how they maybe used to
21 be Category 1 and 2, and now they're 3, or they've
22 always been --

23 MS. FAIROBENT: They never were. By the
24 IAEA limit, they were always -- Iridium-192,
25 definitional limit for Category 2 is 22 curies. Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Some of the licensees' possession, and it depended on
2 the licensee and the way it was, not necessarily the
3 approach taken either by a Region and NRC, or a
4 particular Agreement State, may have asked for 22
5 curies, was a typical default limit to allow for
6 source change-out.

7 When increased controls came out, pretty
8 much across the board the limits are -- you may still
9 have a few stragglers that possession limits might
10 authorize up to 22, but those who have sources, no
11 individual source would be at the 22 curie limit.

12 MEMBER RYAN: So source change-outs just
13 gives you the temporary authorization to have up to
14 22, but --

15 MS. FAIROBENT: Well, even with source
16 change-out, my understanding today is they don't come
17 close to that limit.

18 MEMBER RYAN: Really?

19 MS. FAIROBENT: Which was why, typically,
20 the vendors produce the sources, and they may ship at
21 like 11 curies. So even if you had two, you could --
22 two new sources, you may get to 22. But with any
23 decay, once it arrived, you'd be under the 22. So
24 that's why HDRs was -- as long as you only have one
25 HDR source in a room, a physical room, you will not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hit the Category 2 limit, because right now it's not
2 aggregated by site. Okay? If you have two HDR rooms,
3 and you have a source in each of the two rooms, you're
4 below the Category 2 limits.

5 MEMBER RYAN: Do you think the increased
6 controls would ever change to address having --
7 aggregating different rooms?

8 MS. FAIROBENT: My concern, or our concern
9 is that increased controls are going to be applied
10 across the board to Category 2.5-or-less sources, and
11 then the impact on the medical community is much
12 greater than the impact today, which is blood
13 irradiators and gamma knives, basically being at
14 Category 1 and 2 levels. If we start into Category
15 2.5 and less, for increased controls, not necessarily
16 --

17 MEMBER RYAN: 2.5 is what, halfway between
18 2 and 3?

19 MS. FAIROBENT: Right. Roughly, or a
20 tenth of the way.

21 MEMBER RYAN: Tenth of the way.

22 MS. FAIROBENT: I'd have to go back and
23 look, but it's, basically, the same thing you're
24 advocating, or the staff has been discussing between 3
25 and 4.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: Okay.

2 MS. FAIROBENT: Okay? But the concern is,
3 if -- not so much, necessarily, that Category 3 may be
4 included in the National Source Tracking System, but
5 if increased controls are applied to that, then we are
6 in the process of looking at what that data impact
7 would be, if a decision in the future was made to
8 include those down at the lower category levels.

9 MEMBER RYAN: We tried to address two
10 specific kinds of sources that were regulated under 10
11 CFR Part something 100 and something, 200.

12 MR. McCRAW: 35.100.

13 MEMBER RYAN: Part 35.

14 MS. FAIROBENT: 100 and 200.

15 MEMBER RYAN: Yes. For the specific
16 reason that those are usually fairly well established
17 licensees.

18 MS. FAIROBENT: HDR and gamma knife under
19 35.600.

20 MEMBER RYAN: No, this is something else.
21 Where is that? There it is right there.

22 CHAIR HILL: Here's 35.100, and 35.200.

23 MS. FAIROBENT: Nuclear medicine,
24 basically.

25 MEMBER RYAN: Yes. It was a nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 medicine thing.

2 MS. FAIROBENT: Right.

3 MEMBER RYAN: We felt --

4 MS. FAIROBENT: Short half life.

5 MEMBER RYAN: Let me find it here.

6 CHAIR HILL: While you're looking for
7 that, is there very many medical licensees that have
8 more than one or two HDR units? Larger university
9 hospitals, possibly, or rule of thumb?

10 MS. FAIROBENT: I don't know how many have
11 ---- I know that there are a number that have more
12 than one HDR unit. I can't tell you how many.

13 MEMBER RYAN: Okay.

14 MS. FAIROBENT: Okay? I could probably --

15
16 CHAIR HILL: More than two?

17 MS. FAIROBENT: Well, I was going to say I
18 can think of perhaps M.D. Anderson has more than two.

19 CHAIR HILL: Okay.

20 MS. FAIROBENT: I suspect Mayo Clinic
21 Rochester has more than two. I'm trying to think how
22 many Hopkins had when I was up there.

23 CHAIR HILL: And each of these, their last
24 possession unit would be maximum of 22, or up to 22?

25 MS. FAIROBENT: Again, it would depend on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 --

2 CHAIR HILL: They're probably not going to
3 be doing two or three sources changes at the same
4 time.

5 MS. FAIROBENT: Right. Right. Yes. But
6 I don't know how many HDRs -- I certainly could get
7 you that data within a percent comfort point from the
8 vendors as to how many HDR users there are.

9 MEMBER RYAN: Yes, that would be great.
10 That would be real helpful.

11 MS. FAIROBENT: If you want, I can try to
12 get that for you.

13 MEMBER RYAN: If we get that wrong, we
14 need to fix it.

15 CHAIR HILL: Yes.

16 MS. FAIROBENT: Well, it's definitely
17 wrong. They are not Category 1 or 2 sources.

18 MEMBER RYAN: Okay.

19 CHAIR HILL: And you were saying the
20 chances of them being aggregated to a Category 1 or 2
21 quantity is slim to none.

22 MEMBER RYAN: The exception that we
23 recognized was under this idea of license limits.
24 This is in the panel records as Recommendation 8.
25 "Panel recommends that NRC and Agreement States

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 continue to encourage licensees to carry only as-
2 needed possession limits, as this helps to determine
3 appropriate financial assurance and applicability of
4 increased control orders. The panel recognizes that
5 this recommendation may not be appropriate to apply to
6 medical use licensees under 10 CFR Part 35.100 and
7 35.200 that require unsealed short-lived radioactive
8 material. This recommendation provides awareness to
9 licensees that disposition of unwanted or unused
10 materials, as opposed to accumulation, is preferred."

11 I think that was one that we became aware of as an
12 exception that probably --

13 MS. FAIROBENT: I guess I would also have
14 to go in, Mike, and look at the usage limits for
15 35.300, which is also nuclear med, for which a written
16 directive is required, to see that 300 should not also
17 be included in that.

18 MEMBER RYAN: If you can, again, look at
19 that and give us your insights on what you think
20 there, that would be helpful.

21 MS. FAIROBENT: Okay. And that was
22 Recommendation 8?

23 CHAIR HILL: Yes.

24 MEMBER NERUD: A point that I want to make
25 here real quick before we start getting too far away.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The point of that sentence was that these were the
2 types of materials we were concerned with from a
3 security perspective, regardless if it was Category 1,
4 Category 2, Category 3. What we were specifically
5 trying to identify here is that we weren't looking at
6 the radiation therapy seeds and things like that, and
7 the short-lived, short half-life material in there.
8 We were concerned with those things that had a
9 quantity of material suitable for use as a weapon.
10 And that's really where these examples come into play
11 here, blood irradiators, therapy units, and the high
12 dose rate afterloaders. The material that's in them
13 could be used by an adversary to create a weapon,
14 regardless of where it was. And those were the things
15 that we wanted security of, not --

16 MEMBER RYAN: As Lynne was talking, I
17 think the idea is that these are fairly accessible,
18 not necessarily easy to move, but certain compact in
19 their unit. If you take the last sentence out of that
20 recommendation, does anything else in it not make
21 sense?

22 MS. FAIROBENT: No, it's factual without
23 the last sentence.

24 MEMBER RYAN: So let's take the last
25 sentence out, just for the sake of argument.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Although, I still would welcome all the information we
2 talked about. I think we all --

3 MEMBER NERUD: Yes. I would definitely
4 like to hear that, because that definitely impacts in
5 our National Source Tracking recommendation, and how
6 many of these things are going to be there. It would
7 be nice to have a little bit of info in the hip pocket
8 before we brief the Commission.

9 MEMBER RYAN: Yes. And I think the idea
10 is that, exactly what Ben said, if we take that out,
11 maybe we were just reaching for an example, and it was
12 a lousy one because it was wrong. I try to make the
13 point, where's the risks? Now, again, remember what I
14 said earlier, that we're kind of in recognition that
15 the staff is wrestling with this question.

16 MS. FAIROBENT: Right.

17 MEMBER RYAN: 1, 2, 3, somewhere in
18 between, and we don't know where that line is going to
19 be drawn. So kind of leaving that as okay, wherever
20 that line is drawn, you should consider, not shall do,
21 but should consider what we've recommended as applying
22 somewhere through that scheme. That's a fair
23 assessment when the times comes, and I think it tries
24 to recognize what the staff is actively working on
25 concurrent with this report going in. So maybe we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just need to be careful not to try and use those
2 groupings, or try to get into 1, 2, and 3s, except to
3 say we're recommending these things for risk-
4 significant sources, wherever that line is drawn. I
5 think that language is in there somewhere, so this was
6 an example where we didn't capture that same thought,
7 and maybe we ought to --

8 MS. FAIROBENT: Yes. It was just -- the
9 transition to that last sentence really implies that
10 all three of those are part of Category 1 and 2.

11 MEMBER RYAN: Yes. And that was not our
12 intent. These are kind of the risk-significant
13 sources, because they can be, perhaps, vulnerable, if
14 not properly secured, and all that sort of stuff, with
15 the right folks overseeing it.

16 MS. FAIROBENT: Right.

17 MEMBER RYAN: So I think without that
18 sentence it still makes the point.

19 MS. FAIROBENT: Okay. Thank you.

20 MEMBER RYAN: Are there any other areas
21 where there are medical licensees that you think need
22 specific attention?

23 MS. FAIROBENT: I'm not sure they need
24 specific attention, but --

25 MEMBER RYAN: We tried to capture, Lynne,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and I hope it shows up, the short-lived isotopes are
2 not necessarily on the radar screen, even though the
3 curie quantities can be large.

4 MS. FAIROBENT: Right.

5 MEMBER RYAN: If they're short half-life,
6 they don't do anybody much good, except in the hours
7 or days they might be radioactive.

8 MS. FAIROBENT: I think the only other
9 thing I would just raise a question back to you,
10 because it was clear to me in just reading this, as
11 someone who's sat through several of your meetings,
12 but not lived it like you all have, on page 6 under
13 Recommendation 2, Points one and two I'm not sure
14 exactly what you're trying to state, that you would
15 want taken out of guidance, or the type of material
16 that you would want not identified. And I come at it
17 from the point of view, I work for an association
18 where I provide the advice to many licensees across
19 the board. And more of the information that perhaps
20 is restricted to simply a licensee minimizes the
21 advice an expert like myself can provide to our
22 membership base. So if the guidance document is not
23 there, if the information isn't out in public domain
24 on process, we can't necessarily help our members
25 comply or understand what is being asked of them to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comply, so it's a balance point. I think I know what
2 you're trying to say, but it's a balance point that,
3 for example, I don't think exists in the nuclear power
4 industry because you primarily have one association,
5 and there are some different boundaries that have
6 operated with NEI and the reactor community, versus
7 the fact that we have multiple associations
8 representing materials users.

9 MEMBER RYAN: And state organizations, and
10 feds.

11 MS. FAIROBENT: Right.

12 MEMBER RYAN: And FDA, and everybody else.
13 I fully appreciate your comment.

14 MS. FAIROBENT: But it wasn't clear to me
15 just reading here what you were going to.

16 MEMBER NERUD: I can talk to that real
17 quickly. We'll take a look at it again, but what
18 we're saying there is not restricting guidance, not
19 restricting those other things. What we're talking
20 about is information that is not needed for guidance.

21 Okay? And what we'd be talking about there, as I
22 read through a lot of the NUREGs, it talked about the
23 license reviewer is going to perform this step, and
24 these are the checks they're going to do to accomplish
25 that step. Well, that's not something that anybody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 outside that reviewer needs to know about. You will
2 be given the guidance out there to submit a complete
3 application in its entirety with all the attachments,
4 and all the necessary data that comes in there is
5 fine. How the license reviewer is going to validate
6 that information that's provided is what we're talking
7 about in that regard.

8 MS. FAIROBENT: Okay.

9 MEMBER NERUD: And what that does is when
10 you go back to the GAO report, well, the GAO had all
11 that guidance. They knew exactly what the license
12 reviewer was going to do at every single step, and
13 could anticipate the action. And as Mike had said
14 earlier about having some speed bumps in the process,
15 if a bad guy attempts to do what GAO did, submits the
16 license, and now he's getting a phone call from a
17 reviewer saying I need to review this, and this, and
18 this; well, wait a minute, I'm not prepared for that
19 type of activity, I withdraw my application. I
20 disappear. I go back to my safe house, and I'm done.

21 That's the kind of thing that we're doing here, not
22 limiting information that's needed to accomplish
23 business.

24 MS. FAIROBENT: I think a different
25 example, perhaps, that you all didn't consider, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 when we were providing comments on Part 35 during the
2 rule making, one of the things that's required to be
3 submitted is manufacturer and model number of a
4 particular source; say, for brachytherapy seeds. We
5 argued that providing the manufacturer should not have
6 to be on the license and codified, because when you go
7 to order those seeds, you may be dealing with a
8 different vendor; and, yet, the vendors are identified
9 on the license as a license condition. That's not to
10 say that there shouldn't be controls so that when you
11 order from Vendor A, he verifies you can possess that
12 material in that form, up to that limit.

13 MEMBER RYAN: And, again, I think a lot of
14 that back and forth, particularly between the high-
15 volume users, like medical, if you have a checkbook
16 and your credit limit is 1,000 something, and I'm a
17 vendor.

18 MS. FAIROBENT: Right.

19 MEMBER RYAN: You call me up and say Mike,
20 I need 300 units of my stuff, and here's your
21 authorization code, just like your credit card. So
22 okay, I dial -- I'm authorized because I'm a licensed
23 vendor. I've got a pass code, there's a vendor, and
24 I'm going to look at 1234 license. I know who that
25 belongs to. I don't see your license. I get an okay

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or a no, and it gives me a number. Okay, here's your
2 authorization code. That goes on my shipping
3 paperwork to you. You get it on your shipping
4 paperwork. You say 1234 received, that licensee's
5 location. Your inventory is now up-to-date, just like
6 a checkbook.

7 MS. FAIROBENT: But right now I can go to
8 the public document room downstairs from where we're
9 at in the other building. I can pull out License A,
10 and I can see every source by manufacturer, by model
11 number up to certain quantities that that facility can
12 possess.

13 MEMBER RYAN: Right. And, again --

14 MS. FAIROBENT: And if I did not know
15 ahead of time who the vendors were, just having the
16 isotope, the form and the quantity would make it, I
17 think personally, not AAPM, my personal view as a
18 health physicist, makes it more difficult for someone
19 to try and find where to go buy that material. I may
20 be naive because you can Google it and find it all
21 over the place, but --

22 MEMBER NERUD: It's one step further,
23 which is why our recommendation for increased controls
24 and prescriptive standards become so important, is
25 that if that information is going to be available,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it's going to be out there for the public, I, as an
2 adversary, know exactly what building to go to to
3 break in to steal all that stuff.

4 MS. FAIROBENT: Right. Well, in fact, one
5 of the things that happened after the new rule was
6 issued, they did have floor diagrams for materials
7 licenses, Part 35 licenses in the public document
8 room. And as they were putting back the information,
9 that information was put back into public domain, and
10 the Advisory Committee on Medical Use of Isotopes was
11 successful in getting that redacted so that that is
12 not in to show the floor diagrams of where all the
13 material is.

14 MEMBER NERUD: But with what you've just
15 described, you understand exactly what we're getting
16 at here.

17 MS. FAIROBENT: I understand, but I don't
18 think your words are clear.

19 MEMBER RYAN: Okay.

20 MS. FAIROBENT: And that's what I'm
21 saying. When I read the words, it wasn't clear to me
22 what you were trying to get at.

23 MEMBER RYAN: So, if I'm understanding you
24 right, Lynne, you're saying maybe some examples that
25 sort of spell out a little bit in one and two.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. FAIROBENT: Yes.

2 MEMBER RYAN: Okay.

3 MS. FAIROBENT: Or maybe a little bit
4 back.

5 MEMBER RYAN: Back up in the paragraph
6 ahead.

7 MS. FAIROBENT: Right.

8 MEMBER RYAN: Okay.

9 MS. FAIROBENT: But it just wasn't clear
10 to me when I read it, and I've sat through your
11 meetings, and read the transcripts for the meetings I
12 wasn't at.

13 MEMBER RYAN: I'm sure it's in our heads,
14 but we need to make sure it's on the paper. Thank
15 you.

16 MS. FAIROBENT: Okay.

17 MEMBER RYAN: Anything else jump at you?

18 MS. FAIROBENT: Let me just check. I think
19 those were the main points, Mike, so far. I guess the
20 only other thing was on page 4, and it's your
21 presumption of good faith. I don't disagree that it,
22 perhaps, showed a vulnerability, but it was a targeted
23 attempt to show a vulnerability. It was not a
24 licensee who is trying to circumvent the system, and
25 this was exposed through. It was a specific attempt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 by another federal agency to show a weakness in the
2 NRC process.

3 MEMBER RYAN: And I guess the spirit with
4 which we took the report is that's their job. They
5 did their job. There is a vulnerability.

6 MS. FAIROBENT: Right.

7 MEMBER RYAN: So what we tried to do to
8 address that is to split off a new applicant, and we
9 define new applicant for the purpose of our thinking.

10 That may or may not be one that's ultimately
11 accepted, but a new applicant is one where the
12 vulnerability is perhaps the highest, because there's
13 no experience with a new licensee, or a new applicant.

14 And we've defined a new applicant as somebody that's
15 never had a license in an Agreement State or the NRC,
16 or somebody that has not had one in five years, an
17 entity. We went out of the RAD business, now we're
18 back in it. Well, you're brand new if you're five
19 years out.

20 I think the idea is, we're trying to
21 recognize that once there is a record of performance
22 that allows you to have a presumption of good faith,
23 or a presumption of trust, you can rely on that. I
24 mean, if you've got an Agreement State licensee that
25 is now going to start in a new state, I guarantee you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that Tom Hill called Virgil Autrey in South Carolina
2 and vice versa many, many times. And that's, I'm
3 sure, done all the time, because that's the way -- I
4 mean, they're sharing information, I hope. But if
5 there's experience with a licensee, so be it. You can
6 rely on that. I think we're clear about that, but I
7 don't think you can get around the fact if you've got
8 a new applicant, you're simply going to have to do
9 more to develop that record of performance, at least
10 the starting point of that performance when you have a
11 new applicant.

12 MS. FAIROBENT: I guess what I was taking
13 issue with, Mike, is the second sentence on the top of
14 page 4, and just the words that are on the paper.

15 MEMBER RYAN: Okay.

16 MS. FAIROBENT: "That the practice of
17 relying on the good faith presumption that applicants
18 will be honest in providing information on an
19 application has been demonstrated as a
20 vulnerability."

21 My knowledge of what's behind there, it
22 was GAO who did it, and not an applicant in good
23 faith.

24 MEMBER RYAN: But it doesn't say an
25 applicant in good faith. They were an applicant -- I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think the point, though, is, leave GAO aside, instead
2 of GAO, they were a bad guy, they could have gotten
3 the same result. That's where we started. I mean,
4 it's -- I appreciate the fact that some people reacted
5 negatively to that kind of an action by GAO, but they
6 recognized the vulnerability. I don't think we --
7 that's where we started, is that there is a
8 vulnerability. Two bad guys could have just done the
9 same thing. And it's interesting in the two cases, a
10 speed bump in Maryland was, we're going to come visit
11 you. Oh, well, we're not -- we don't have the paint
12 dry yet, or whatever they said. They ended that
13 avenue, so that's where we are.

14 MS. FAIROBENT: But --

15 MEMBER RYAN: Apart from that, to me, what
16 I hope people can see down the road a bit for, and I
17 think we all agree with this, that this kind of a web-
18 based licensing and source tracking system that's
19 live, and has these features where vendors can deal
20 with licensees in a real automatic kind of up-to-date
21 way, well, transactions can be tracked as they occur.
22 That's a benefit to everybody.

23 MS. FAIROBENT: I think I would agree 100
24 percent with you, if the tracking system was cradle-
25 to-grave. But my understanding, having sat through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the public meetings on the National Source Tracking
2 System, it's not a cradle-to-grave system.

3 MEMBER RYAN: We had a lot of discussions
4 with staff on the system, and what we're recommending
5 is a step passed that.

6 MS. FAIROBENT: Okay. So towards cradle-
7 to-grave.

8 MEMBER RYAN: Yes.

9 MS. FAIROBENT: Okay. It's on your
10 license. When it comes off your license, it's either
11 sent back to a vendor, or it's disposed. And why
12 can't it work that way in a checkbook? My money stays
13 in the checkbook until I spend it, and it goes in
14 somebody else's checkbook. So when I transfer
15 something to disposal, guess what? That goes on the
16 manifest, and I take it off my license, and I get
17 authorized, and here's the shipping number, and it's
18 done. And the receivers notify me, here's your code
19 back, we received it, it's disposed, or we sent it
20 back to be reloaded, or reworked in the new source, or
21 whatever it is.

22 MS. FAIROBENT: Right.

23 MEMBER RYAN: One of the other
24 recommendations we had is, don't have sources without
25 limits, I mean, have licenses without limits, except

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for the cases we identify, because that's another
2 vulnerability. If there's no limit on a license, you
3 can get as much as you want. You have an unlimited
4 checkbook, a platinum card. That just doesn't work.

5 MS. FAIROBENT: You might want to go back
6 then and look at your words under 3B, and the
7 observation of 3. It wasn't coming out to me that you
8 were moving towards a cradle-to-grave, versus what
9 I've heard the staff describe as the NSTS, which I
10 know is not cradle-to-grave.

11 MEMBER RYAN: You are correct, and what
12 we're describing is not what they're describing.

13 MS. FAIROBENT: Right. And the difference
14 did not come out when I read the words.

15 MEMBER RYAN: Fair enough. We need to
16 make it clear that we're really thinking --

17 MS. FAIROBENT: I understand your thought
18 process now, because you just explained it. I didn't
19 follow it --

20 MEMBER RYAN: Tune it up. Thank you.

21 MS. FAIROBENT: -- totally from the text.

22 MEMBER RYAN: Gotcha.

23 MS. FAIROBENT: But that was my
24 observations going through it, and the questions I
25 had.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: Thank you very much.

2 MS. FAIROBENT: And I'll be happy in the
3 next -- tomorrow and tonight to see if I can get you
4 some more of the data.

5 MEMBER RYAN: Yes. I think the one
6 technical or data point that would be helpful is to
7 just inform us that if the afterloaders and those kind
8 of devices are all 3, or it's just a few left in 2, or
9 whatever it is, that would be good information for us
10 to have.

11 MS. FAIROBENT: Okay. And I'll also check
12 35.300 to see if you should be including that in the
13 same -- because that's also nuc meds, short-lived
14 isotopes.

15 MEMBER RYAN: And I guess the real
16 question for 100 and 200 was the amount of material
17 that transfers routinely, like it's a lot of curies
18 that go back and forth. And if that's the same for
19 300, we'd have to go back and read it, and see if that
20 should be included, as well, but let us know.

21 MS. FAIROBENT: Okay. Thank you.

22 MEMBER NERUD: I don't think it needs to
23 be included as an example, and that was really what we
24 were --

25 MEMBER RYAN: Well, if it's unlike

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 material, others may have the same question. Why
2 didn't you include 300, because it's the same stuff,
3 moving the same way? If all three are in, we ought to
4 make that conscious decision if it's in or not.

5 MEMBER NERUD: I think it was just there
6 for an example, and --

7 MEMBER RYAN: Oh, yes.

8 MEMBER NERUD: -- the understanding is
9 that you've got to protect this stuff. The increased
10 controls are going to go. However, in a medical
11 environment there are certain radioactive materials
12 that just are not suitable for a weapon; and,
13 therefore, you don't need the increased controls on
14 those, but these types of things you do.

15 MEMBER RYAN: Yes.

16 MEMBER NERUD: And if that extends down to
17 Category 3, Category 3.5, Category 4, all the way down
18 to whatever, it doesn't matter. Whatever the
19 Commission decides this is going to be our cut-off for
20 increased controls, well, everything above that --

21 MEMBER RYAN: Yes.

22 MEMBER NERUD: -- has increased controls,
23 but do it from a risk-informed basis, which says that
24 if this material isn't suitable for a weapon, then
25 you know what, just keep it in your desk drawer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: I guess I'd have to say we
2 need to do one of two things. If we're using this as
3 an example, we never say, for example. But if it
4 really is 100, 200, and 300, they're all in the same
5 basic scheme, then we ought to just say all three of
6 those and be clear, if that ends the list. So we'll
7 take a look at that.

8 MS. FAIROBENT: Okay.

9 CHAIR HILL: And 300 is primarily, as I
10 remember it --

11 MS. FAIROBENT: Unsealed material with a
12 written directive is required, and that includes your
13 Iodines above and below 33 millicurie for therapy. It
14 includes parental administration, now it includes FTG
15 for PET, all fairly short-lived material, Tech-99,
16 your generators are under Part 300.

17 MEMBER RYAN: We ought to take a look.
18 And, again, I mean, I just -- I'm going to guess there
19 aren't very many new entrants in that field per year.
20 And there probably is a fairly good record of
21 performance for folks that are in that business.

22 MS. FAIROBENT: Right.

23 MEMBER RYAN: So I guess that's kind of
24 the area where we would view well, if there's an
25 experienced licensee and the regulator is experienced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with them, and so forth. And this material is of low
2 risk because of its short half-life, then --

3 MS. FAIROBENT: Right. It includes your
4 monoclonal antibodies, it includes Theraspheres and
5 Seraspheres are under Part 300.

6 MEMBER RYAN: Basically, anything that's
7 in trials, too. I mean, that's where the directive
8 comes in.

9 MS. FAIROBENT: Yes. All right. Thank
10 you.

11 MEMBER RYAN: Thank you very much, Lynne.
12 Those are very thoughtful comments. We appreciate
13 you taking the time.

14 CHAIR HILL: Any other comments? Well, at
15 this point, I think we're about 30 minutes ahead of a
16 break time, but how about let's just pause for a break
17 right now.

18 MEMBER RYAN: Okay. Terrific.

19 CHAIR HILL: Come back then 20 after.

20 MEMBER RYAN: Sounds good.

21 (Whereupon, the proceedings went off the
22 record at 3:03:51 p.m., and went back on the record at
23 3:30:03 p.m.)

24 CHAIR HILL: We will resume from the break
25 at this time. Since the meetings this week are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 primarily for opportunities for public input and
2 discussion, I want to ask our members of the public
3 one more time if there are -- give an opportunity for
4 input, any more comments? And there are none for
5 today, so at this time, we will adjourn the meeting,
6 and we'll continue to draft work presentation for our
7 report to the Commission. Anyone else have any
8 comments or thoughts?

9 MR. McCRAW: Well, with the adjournment,
10 we will resume here tomorrow at 9 a.m. in this room.

11 CHAIR HILL: Yes.

12 MR. McCRAW: And any comments from the
13 public will be welcome at that time, as well.

14 CHAIR HILL: And there may be some
15 comments from staff, also. Is that what I understand?

16 MR. McCRAW: Yes.

17 CHAIR HILL: May occur to tomorrow. Okay.

18 MEMBER RYAN: And just so everybody has
19 got their calendar, on Wednesday, as well, is a time
20 for comments. Yes or no?

21 MR. McCRAW: Wednesday and Thursday.

22 MEMBER RYAN: Yes, Wednesday and Thursday.
23 Yes. Okay. Sorry. Yes.

24 CHAIR HILL: Okay. Then at this point, we
25 will adjourn from the record.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(Whereupon, the proceedings went off the
record at 3:31:37 p.m.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com