

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
ESBWR Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Friday, August 22, 2008

Work Order No.: NRC-2373

Pages 1-139

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

August 22, 2008

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on August 22, 2008, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected and edited and it may contain inaccuracies.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARD  
(ACRS)

+ + + + +

SUBCOMMITTEE ON THE ESBWR COL APPLICATION

+ + + + +

FRIDAY

AUGUST 22, 2008

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. Michael  
Corradini, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

MICHAEL CORRADINI, Chairman

DENNIS BLEY, Member

WILLIAM SHACK, Member

SAID ABDEL-KHALIK, Member

JOHN W. STETKAR, Member

GEORGE APOSTOLAKIS, Member

1        CONSULTANTS TO THE ACRS PRESENT:

2                    THOMAS S. KRESS

3

4        NRC STAFF PRESENT:

5                    HAROLD VANDER MOLLEN

6                    ERIC OESTERLE

7                    DONALD DUBE

8                    ED FULLER

9                    ROCKY FOSTER

10                   MARK CARUSO

11

12        ALSO PRESENT:

13                   RICK WACHOWIAK

14                   GARY MILLER

15                   GLEN SEEMAN

16                   JUSTIN HOWE

17                   JONATHAN LI

18                   LOU LANESE

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(8:30 a.m.)

1  
2  
3 CHAIRMAN CORRADINI: Let's begin.

4 Rick, we'll just reconvene. I'm not going  
5 to remind everybody about all of the identifying,  
6 speaking, clarity, et cetera. So go ahead.

7 MR. WACHOWIAK: Okay. So where we left  
8 off yesterday was we were going to get in some more  
9 specific questions about things that are in the model,  
10 and we're prepared to answer as much as we can, and  
11 there were a couple of things that I think that people  
12 brought up yesterday that we thought we were going to  
13 cover.

14 One, I had heard that you wanted to see  
15 something on the thermal hydraulic benchmarking, that  
16 RAI that was out there from quite some time ago. We  
17 talked about whether we were going to get to it.

18 We have the RAI response with us and some  
19 pictures that went along with that, our response. We  
20 can talk about that.

21 CHAIRMAN CORRADINI: John has additional  
22 questions relative to details on some of the analyses.

23 MR. WACHOWIAK: Right, and I guess one  
24 other thing that we just talked about now to clear up,  
25 I mentioned yesterday that I thought that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 correspondence from the reviewers in the ROAAM process  
2 was in Chapter 21 of the PRA NEDO. In fact, we didn't  
3 include that in the NEDO. That's in the SAT report  
4 that was transmitted to the staff by an RAI, and so  
5 we'll figure out how to get that report to you.

6 I know you've got the SAT report. It  
7 might be a faster way than us sending it again.

8 MEMBER BLEY: And I think you told me  
9 that's kind of the back-up document to the chapter.

10 MR. WACHOWIAK: Yes, and you have the SAC  
11 report?

12 CHAIRMAN CORRADINI: Not the SAC.

13 MR. WACHOWIAK: That's the SAMDA, is  
14 what --

15 CHAIRMAN CORRADINI: SAMDA I was told.  
16 It's somewhere in here.

17 MEMBER SHACK: The SAT report is a  
18 different one.

19 MR. WACHOWIAK: Yeah, that's the basis for  
20 the severe accident treatment, is in the --

21 CHAIRMAN CORRADINI: I mean, it would be  
22 nice to have so staff has it, but I don't think if  
23 it's identical to the information in Chapter 21 --  
24 there's no point in all of us getting it unless we  
25 want to double verify that the number here is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 number there.

2 But I think staff should have it.

3 MR. WACHOWIAK: Staff has it, and the  
4 thing that it does include is it does include the  
5 correspondence with the reviewers. The NEDO section  
6 we chose not to include that correspondence in our  
7 document for the design certification. It's in the  
8 SAT report.

9 MEMBER BLEY: That's the information on  
10 the elicitation you were talking about.

11 MR. WACHOWIAK: Right.

12 MEMBER BLEY: That's what I was looking  
13 for.

14 MR. WACHOWIAK: So Harold can get that  
15 from the staff.

16 PARTICIPANT: Go ahead. I'm sorry.

17 CHAIRMAN CORRADINI: So the only other  
18 thing is your list to review is you said something  
19 about the thermal hydraulic. John has some questions.  
20 There's some additional questions here. The only  
21 fourth thing on my list would be the staff want to at  
22 least give us kind of an enveloping view of where to  
23 go from here relative to their review and quality  
24 relative to a certificate advocacy.

25 And then I think that's it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: Okay.

2 CHAIRMAN CORRADINI: I've been informed  
3 privately by members that there have been some flight  
4 cancellations. So I'm going to lose two or three  
5 early since their flights in the afternoon have been  
6 canceled and they have to move it up. Otherwise they  
7 don't get out and then they get mad at me.

8 So we'll try to wrap it up a tad earlier  
9 than noon.

10 MR. WACHOWIAK: Okay.

11 CHAIRMAN CORRADINI: John, do you want to  
12 start with questions or do you want to start with this  
13 thermal hydraulic?

14 MEMBER STETKAR: Let's start with  
15 questions because I think based on previous meetings  
16 if we start on the thermal hydraulic we may not end.

17 (Laughter.)

18 MR. CARUSO: Can I say something before we  
19 start? Mark Caruso.

20 CHAIRMAN CORRADINI: Sure.

21 MR. CARUSO: I think, you know, we have  
22 appreciated the benefit of the subcommittee's detailed  
23 review, and I think I would just like to reiterate  
24 it's an important -- I think it's important that we  
25 understand, you know, what your concerns are and what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 detailed issues there are.

2 We're hearing them, but I think if you can  
3 -- if there are some that are more important or the  
4 ones that are most telling, I think we want that  
5 information so that we can factor it in when we go and  
6 we visit with GE and make sure that we have your  
7 issues on our list.

8 So I would just mention that before we  
9 start.

10 CHAIRMAN CORRADINI: Thanks helpful.  
11 thanks.

12 MEMBER STETKAR: Let me --

13 CHAIRMAN CORRADINI: If you're going to  
14 prioritize your --

15 MEMBER STETKAR: I am. I am indeed, and  
16 I'm going to try to pull back from some of the details  
17 if that's possible.

18 The problem with the detail, by the way,  
19 is that for a design like this an done that's highly  
20 redundant and relies on very reliable systems, it's  
21 the old devil is in the detail problem because we do,  
22 indeed -- the risk is not something that's dominated  
23 by a single 90 percent contributor. It's dominated by  
24 200 half a percent contributors. So getting those  
25 half percent or one percent or five percent or 20

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent contributors is important.

2 And 20 percent of the contribution to a  
3 ten to the minus seven or eight type number is really,  
4 really small. So unfortunately we do need to think  
5 about those details because there is not a single  
6 glaring omission in this risk assessment. That's part  
7 of the reason for the details.

8 Let's step back a little bit. The thing  
9 I'm struggling with in the whole process, I think,  
10 primarily is we keep talking about the risk assessment  
11 as it is is suitable for our purposes, and it's not  
12 clear to me yet precisely what our purposes are. If  
13 our purposes are only to demonstrate that the ESBWR  
14 design as we understand it today is not likely to  
15 present a risk that exceeds the goals that have been  
16 set, I think the answer is, yes, the risk assessment  
17 does that, and I think we have reasonable confidence  
18 to say that that's achieved with the current level of  
19 detail and so forth.

20 If our purpose is to understand what the  
21 risk of the plant is, the current risk assessment does  
22 not do that.

23 CHAIRMAN CORRADINI: The current? Please,  
24 the second part?

25 MEMBER STETKAR: If our purpose is to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand what the risk is, we can say that we  
2 understand what the risk is not. It does not exceed  
3 the safety goal. It is not that big. If our goal is  
4 to understand what the risk is, the current risk  
5 assessment does not do that. It provides perhaps a  
6 lower bound to what the risk may be.

7 But we don't know where it really is  
8 between that lower bound and some -- you know, where  
9 it really is, and why is that? Well, it is because  
10 it's missing a lot of things. One of the examples  
11 that I'll bring up that it's missing we highlighted  
12 right at the end, and in terms of big picture things,  
13 this is relevant for the staff.

14 And that is the treatment of maintenance.  
15 The risk assessment by and large, as it stands today  
16 does not include maintenance, and let me talk about  
17 that. We talk about it in terms of maintenance to  
18 avoid terminology and different interpretations of  
19 that word. Let me use the term "unplanned  
20 unavailability and planned unavailability" rather than  
21 "maintenance."

22 Because when people talk about  
23 maintenance, everybody thinks about repairs of  
24 failures and unplanned unavailability and planned  
25 unavailability is much, much more than that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So unplanned unavailability is things that  
2 remove a piece of equipment from service during normal  
3 operation due to things that we don't expect to happen  
4 but do happen. Those could be functional failures.  
5 They could be things like packing leaks on valves or  
6 things not operating quite as quickly enough to meet  
7 the success criteria from a test or somebody going in  
8 and needing to clean some rust off of a surface of  
9 something or to investigate high vibration on a pump  
10 or anything, that type of thing.

11           That happens all the time. The frequency  
12 of that is determined by the type of equipment and how  
13 we do business. The duration is determined both by  
14 the complexity of the required activity, to some  
15 extent by the type of equipment, and to some extent by  
16 the tech specs. If I'm allowed to have a piece of  
17 equipment out of service indefinitely, even though  
18 it's safety related, you know, amazingly enough the  
19 repair time is longer for that piece of equipment than  
20 if I must return it to service within 24 hours. It's  
21 just a matter of prioritizing work.

22           So the frequency and the duration of those  
23 things are unknown to us certainly in the design  
24 stage, but, indeed, we have 30 to 40 years of  
25 operating experience across the industry with a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 variety of types of equipment and a variety of tech  
2 specs so that we can estimate those with uncertainties  
3 from available fleet data.

4 We haven't done that. Our experience  
5 shows that on a component basis, especially for very,  
6 very reliable equipment, that unplanned,  
7 unavailability can be a large contributor to its  
8 actual unavailability.

9 If I have a very reliable piece of  
10 equipment, the likelihood that it fails is pretty  
11 doggone small. The likelihood that it's out of  
12 service for some tweaking or minor repairs is much,  
13 much higher. So I've missed that contribution by not  
14 including unplanned unavailability.

15 A bigger concern --

16 CHAIRMAN CORRADINI: Can I ask a question  
17 about that concern?

18 MEMBER STETKAR: Sure. I want to get to  
19 the bigger one though.

20 CHAIRMAN CORRADINI: Go ahead then. I'll  
21 wait.

22 MEMBER STETKAR: Well --

23 CHAIRMAN CORRADINI: No, go ahead. I'll  
24 wait.

25 MEMBER STETKAR: The bigger concern in my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mind is planned unavailability. This plant is highly  
2 redundant, four-train redundancy. Its tech specs are  
3 written such that I can have a single train out of  
4 service indefinitely. Why is the plant designed this  
5 way and why are the tech specs written that way?

6 Well, part of it is for safety. A lot  
7 more of it is due to the fact if I'm an owner-operator  
8 of this facility, I want to do online maintenance, and  
9 I will do online maintenance. That's the selling  
10 point of this plan.

11 Most of the operating fleet in the United  
12 States would like to do online maintenance, but they  
13 don't have enough redundancy to do that. Plants in  
14 Europe typically do have four trains, and what they do  
15 is during power operation, they remove an entire  
16 safety train from service. They do all of their  
17 planned preventive maintenance, all of their testing  
18 inspection, everything you normally do during a  
19 refueling outage, they do on line. They typically  
20 take the equipment out of service for up to a week to  
21 ten days per train per year to do all of this work,  
22 and it's a coordinated maintenance outage.

23 Dennis, you're looking --

24 MEMBER BLEY: No.

25 MEMBER STETKAR: It's a coordinated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 maintenance outage. So I take Train A, if you will,  
2 of all of my safety systems out, and I do everything  
3 that you normally think of doing during a refueling  
4 outage. I inspect all of the equipment. I polish it  
5 up. I do all of the preventive maintenance on it,  
6 return it to service, and then do a rolling outage  
7 with the other trains.

8 I'm sure that GE and the prospective  
9 licensees have this strongly in their plans for this  
10 particular design. What are the implications of that?

11 Well, if, indeed, that's the way the world  
12 will work when this plant is operated, if a particular  
13 train, a safety train of equipment is removed from  
14 service for a week a year, that's a two percent  
15 unavailability or if I do it rotating around the clock  
16 across all four trains, it means eight percent of the  
17 time the plant looks like a three-train plant. It  
18 doesn't look like a four-train plant.

19 The current PSA says the plant always  
20 looks like a four-train plant 100 percent of the time.  
21 What are the implications of an eight percent of the  
22 time that the plant looks like a three-train plant?  
23 I'll tell you from looking at multi-train plants, it's  
24 a visible contributor to risk.

25 The current risk assessment does not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 quantify that. The implications of that are that any  
2 importance measure that I have for equipment or  
3 systems or anything because I'm missing both the  
4 unplanned unavailability and the planned  
5 unavailability will not be correct because the  
6 importance measures for those systems and equipment  
7 include all causes for unavailability, both hardware  
8 failures, testing unavailability, maintenance  
9 unavailability, planned, unplanned, human error  
10 contribution and so forth.

11 We don't have those big chunks. So any  
12 importance measures that I derive from the current  
13 study for a piece of equipment or even a system, a  
14 train of a system are not correct. They're correct  
15 only within the context of hardware failures alone to  
16 the current risk measure.

17 CHAIRMAN CORRADINI: So can I ask a  
18 question now?

19 MEMBER STETKAR: Yeah, now you can.

20 CHAIRMAN CORRADINI: Okay. I don't see  
21 anybody grimacing over there. So I assume they are on  
22 board with what you said. So my question is --

23 MR. WACHOWIAK: We'll grimace in a second.

24 CHAIRMAN CORRADINI: You'll grimace in a  
25 minute?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 (Laughter.)

2 CHAIRMAN CORRADINI: I guess my question  
3 would be I'll grant you that. That kind of makes  
4 sense, and assuming you've characterized it correctly.

5 Even if that is the case, does that impact  
6 the fidelity required for the design certification?  
7 And I don't know the answer to that because I'm back  
8 with his original question yesterday. I'm in this  
9 gray fog as to is it good enough or is it not good  
10 enough.

11 I sense everything you just said is  
12 probably true, possibly true, but for the design  
13 certification it's a "no, never mine." And I'd like  
14 the staff and GEH to kind of comment on that because  
15 I really don't -- personally I don't really know where  
16 we sit in that sort of issue.

17 Shall we let you guys take a crack first?

18 MR. WACHOWIAK: All right. This is Rick  
19 Wachowiak from GEH.

20 Let me start with I think maybe in some of  
21 the cases where you look for maintenance  
22 unavailability, you may have looked in places where we  
23 did not include it on purpose. We have approximately  
24 167 maintenance unavailability terms on our active  
25 systems.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Now, you can look at the numbers there and  
2 say, "Ah, those are low numbers," but they came out of  
3 the URD which is where we said we were going to get  
4 our data from. So it probably doesn't reflect online  
5 maintenance of these systems. I'll say that. But the  
6 terms are in there, and we can get the importance  
7 measures from the terms that are associated with the  
8 active systems.

9                   Our thinking on the passive systems was  
10 that because the passive systems are not going to be  
11 tested like the current plant, active ECCS systems,  
12 we're not going to be running monthly, quarterly  
13 surveillance tests, we won't be finding the slow  
14 operating squib valve or we won't be finding a little  
15 bit of rust on a contact someplace because those  
16 things weren't going to be the types of tests that  
17 were run. So then we wouldn't have to do the tweaking  
18 type maintenance.

19                   That was our thoughts. Whether it's right  
20 or wrong in the end, that is what our thoughts were on  
21 the safety related systems.

22                   We considered maintenance in the ICPC  
23 pools. There's a provision in tech specs that we can  
24 take one of those pool compartments out of service.  
25 We don't know why anybody would do something like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that. There's nothing -- well, if the tech specs say  
2 you can do it, we don't see any reason why you would  
3 go in there and do that when all of those inspections  
4 would be done during the outage, and they wouldn't  
5 really affect refueling.

6 So it's a judgment on whether we should  
7 include it for the safety related systems or not, and  
8 I would say that if we want to do some  
9 characterization to help out the human factors  
10 engineering to help determine what should be suggested  
11 for maintenance schedules, that we can modify the PRA  
12 that we have to answer that question specifically in  
13 a set of sensitivities and provide that to the HFE.

14 So I think we can do that, but I just want  
15 to make sure everybody understands that we do have for  
16 the active systems maintenance contributions in those.  
17 Granted the numbers may not be what you would expect  
18 for online maintenance, but they come from --

19 MR. LI: Can I add a little bit more?

20 CHAIRMAN CORRADINI: yes.

21 MR. LI: For the simplicity of this model,  
22 we modeled unavailability to the train level, not  
23 component level.

24 CHAIRMAN CORRADINI: You what?

25 MR. LI: To the train level.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: But that's okay because  
2 that's typically the way the maintenance is done.

3 CHAIRMAN CORRADINI: So before you start,  
4 I want to hear the staff.

5 MR. WACHOWIAK: Well, I think I want to  
6 get through all of the points --

7 CHAIRMAN CORRADINI: Yeah, get through it.

8 MR. WACHOWIAK: -- especially considering  
9 the one about what do we expect the design PRA to do,  
10 the design cert. PRA to do.

11 So when we were looking at what it was  
12 that we were trying to answer with this design  
13 certification PRA, we were more looking in the area of  
14 is the plant safe enough to build rather than what are  
15 the specific risks, and the things that we tried to  
16 target were the things that from existing plants we  
17 knew were issues and we tried to through design,  
18 through adding redundancy, adding diversity, we tried  
19 to eliminate those risks.

20 Are there things that we didn't think of?  
21 I'm almost positive there's things that we didn't  
22 think of. I guess maybe I could be positive, but I  
23 won't go there.

24 (Laughter.)

25 MR. WACHOWIAK: That is positive. I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 almost positive it's --

2 MEMBER STETKAR: You almost know what you  
3 don't know.

4 MR. WACHOWIAK: Yeah. But there's things  
5 that we didn't cover, but in terms of what we tried to  
6 cover in making the risk profile balanced, I think we  
7 have a pretty good shot that if there was something we  
8 didn't think of, we probably did something that might  
9 address that, probably.

10 That's why I'm saying it's not perfect.

11 So that's what we were trying to do with  
12 the PRA, and we weren't trying to set up a maintenance  
13 schedule.

14 Now, some of the things that we had talked  
15 about with this is we recognize that for the operating  
16 plant, and we talked about this yesterday, they're  
17 going to have to have a PRA that supports doing online  
18 maintenance. So there's a requirement in (a)(4);  
19 50.69 says prior to changing the configuration of the  
20 plant for maintenance, you have to do a risk  
21 assessment of that configuration, and whatever PRA  
22 they use, whether it's this one -- and this one could  
23 be modified to do that by picking those components and  
24 doing that -- you may not get the results that you  
25 like, and I'll get into that in a minute, but they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will have a PRA that can do that.

2 Some of the things where we found  
3 insights, if you will, to what should be done and not  
4 be done during maintenance, we could find with this  
5 PRA. There was a specific question asked of us from  
6 the customers: can we relax our control of fire  
7 barriers during outages? Well, you know, if it's a  
8 safe plant, ten to the minus eight, you know, we may  
9 want to be able to -- or so. That right. Actually  
10 when you add everything up, it's a little more, but  
11 anyway, can we do that?

12 And we went in and looked to see what  
13 would happen if we allowed fire barriers to be  
14 disabled and left disabled during outages, and the  
15 answer was no. That's not a good idea for this plant,  
16 and we wrote in Chapter 19 that fire barriers must be  
17 controlled during outages. It's a requirement.

18 We were able to do that one, and I think  
19 on some of these other things, and specifically in the  
20 digital I&C area where we do expect them to take some  
21 thing out of service for a long time to do battery  
22 discharge testing, at least until the standards for  
23 batteries change so that you don't have to do full  
24 discharge testing.

25 But while that's in place, we knew that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would have to do that. So we looked at what happens  
2 in the PRA if we make it a three-train digital I&C  
3 system and look at the results, and we didn't see an  
4 impact.

5 MEMBER APOSTOLAKIS: I have a question.

6 MEMBER STETKAR: That is a sensitivity  
7 study.

8 MR. WACHOWIAK: It is. It is.

9 MEMBER APOSTOLAKIS: I have a question of  
10 clarification. When you say, John, that they didn't  
11 include maintenance and when they show this log table,  
12 what am I missing?

13 MEMBER STETKAR: Well, I think you're  
14 missing part of the fact that what I did was a spot  
15 check review, and I didn't find maintenance in  
16 anything that I looked at.

17 MEMBER APOSTOLAKIS: So you were not aware  
18 of --

19 MEMBER STETKAR: And I wasn't particularly  
20 looking at the so-called active systems. I see a lot  
21 of feedwater. I see feedwater, CRD. I picked GDCS  
22 for, example. There's no maintenance in GDCS.

23 MEMBER APOSTOLAKIS: I see, right.

24 MEMBER STETKAR: There is no maintenance  
25 in any of the actuation systems, the safety related

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DCIS. There is maintenance of battery chargers.  
2 There is not maintenance of DC power.

3 Now, when you talk about maintenance, when  
4 I talk about planned unavailability, that is not  
5 represented by independent maintenance on a pump  
6 powered from Bus A in System X and independent  
7 maintenance on a pump in System Y powered from Bus A.  
8 It is a coordinated -- both of those pumps are out of  
9 service at the same time for two percent of the year.

10 In addition, the DC power, in addition the  
11 AC power, in addition -- the model does not have that  
12 type of thing in it at all. Now, I didn't --

13 MEMBER APOSTOLAKIS: That's not as bad as  
14 I thought.

15 MEMBER STETKAR: Okay. I didn't find  
16 anything GDCS pool maintenance.

17 MEMBER BLEY: I looked at IC.

18 MEMBER APOSTOLAKIS: So the passive  
19 systems they didn't do.

20 MEMBER BLEY: That isn't right. We --

21 MEMBER APOSTOLAKIS: Maintenance on  
22 passive systems.

23 MEMBER BLEY: I'm not sure.

24 MEMBER STETKAR: But I didn't find any  
25 maintenance on availability of the vacuum breakers,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 for example.

2 CHAIRMAN CORRADINI: Wait a minute.  
3 There's too many people talking. Can you repeat?

4 MR. MILLER: I think there would not be  
5 eight percent unavailability annually on our passive  
6 systems. For instance, GDCS, we won't be in the  
7 containment. ICS, PCCS, no moving parts.

8 MEMBER STETKAR: I'm not -- I'm not --  
9 don't get system design oriented on me. I'm stepping  
10 back. I've worked with plants in Europe who do the  
11 online maintenance, and they have four-train  
12 redundancy. They have multiple signals to individual  
13 valves and things like that, but anywhere from a week  
14 to ten days per year per train they remove the entire  
15 safety train from service.

16 That means AC power, DC power. If a valve  
17 has multiple -- let's say if a valve has two signals,  
18 has one signal left. So that valve can still work,  
19 but it only had one signal left, and they do that, and  
20 it's a week to ten days per division, which means  
21 eight percent of the year the plant looks like a  
22 three-train plant.

23 Now, your plant design is good because  
24 you do have the multiple signals for those passive  
25 valves. However, the risk assessment doesn't account

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for the fact that some fraction of the time you're  
2 only going to have three signals instead of four.

3 How much difference does that make? I  
4 don't know.

5 CHAIRMAN CORRADINI: Let me just  
6 interject. Do we have your full at least first  
7 thoughts on this?

8 MR. WACHOWIAK: Yes. Our thoughts were we  
9 thought of those things. We looked internally at  
10 whether it would make a difference and should be put  
11 into the model, and our answer was no. The question  
12 now is how do we translate that information to you.

13 CHAIRMAN CORRADINI: But can I just get to  
14 but there's an underlying conclusion was as you  
15 consider some of this stuff, you included certain  
16 things based on the EPRI document, other things you  
17 chose not to, but from your perspective this was good  
18 enough for a certification purpose.

19 MR. WACHOWIAK: Yes, for certification  
20 purpose, knowing that under the maintenance rule, the  
21 unavailability of those systems will need to be  
22 monitored, and that will be clear to any inspector if  
23 you're going to have eight percent of your safety  
24 systems out of service all the time.

25 MEMBER STETKAR: I didn't say that. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 said that -- don't say that. This is a public  
2 meeting. I did not say that.

3 MR. WACHOWIAK: If you're going to have a  
4 safety system out of service eight percent of the  
5 time --

6 MEMBER BLEY: effectively.

7 MR. WACHOWIAK: -- effectively, unless  
8 that was already analyzed and said that that's okay to  
9 have that then the maintenance rule monitoring would  
10 put the system into an (a)(1) condition where they  
11 would need to correct that.

12 MEMBER APOSTOLAKIS: They issued a --

13 MEMBER ABDEL-KHALIK: Let me just follow  
14 up on that. So your decision to write tech specs at  
15 this stage saying that one train can be out of service  
16 is based on what? Intuition?

17 MR. WACHOWIAK: It's based on --n and how  
18 you're moving a little bit out of my area here. It's  
19 based on the way tech specs have been historically  
20 derived from the plant design basis calculations.

21 CHAIRMAN CORRADINI: So it's really  
22 engineering judgment. It's not necessarily --

23 (Simultaneous conversation.)

24 CHAIRMAN CORRADINI: But if they have to  
25 meet their accidents, it doesn't have a PRA basis. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 has to do with a basis relative to the design basis  
2 requirements, period.

3 MR. WACHOWIAK: Yes.

4 MEMBER APOSTOLAKIS: A related issue that  
5 I think it's very difficult to clarify is this. Even  
6 what both John and Rick have said, when the staff  
7 certifies a design, what is it that is certified? The  
8 design itself and the supporting analysis? Can  
9 somebody come back to me three years, four years down  
10 the line and say, "Hey, this fault tree you're not  
11 going to touch because it was part of the design  
12 certification, and you guys said it was okay."

13 If they can say that, then I think every  
14 detail that John is raising should be addressed. If  
15 they cannot say that, which is what Rick is saying,  
16 but now when they go and apply the maintenance rule,  
17 there is (a)(4), blah, blah, blah, blah, blah, so we  
18 will revisit the PRA. That gives me a better feeling  
19 that maybe I can go along because what it means to use  
20 a PRA in design certification is a little bit fuzzy.

21 So what exactly --

22 CHAIRMAN CORRADINI: Before we ask the  
23 staff to respond, can you say that again? Because I  
24 want to make sure I interpret the --

25 MEMBER APOSTOLAKIS: There are things that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should be improved in the PRA, modified, whatever, you  
2 know, some of the stuff or a lot of the stuff that  
3 John has raised.

4 The other side here is saying we believe  
5 that what we have done is good enough for  
6 certification, and Rick acknowledges that when they  
7 want to do something related to maintenance later,  
8 they will have to revisit the PRA and bring it up to  
9 date.

10 And my question is when the staff  
11 certifies the design, is the PRA part of that? So  
12 later on I cannot go back and start asking questions  
13 like John's questions when they want to actually do  
14 maintenance.

15 If I can go back and do what Rick says,  
16 no, no, no, no, no. You will revisit the PRA and  
17 bring it up to date and put on the D date (phonetic).

18 And I see Don Dube there waiting anxiously  
19 to tell us what this time is.

20 (Laughter.)

21 CHAIRMAN CORRADINI: Well, somebody on the  
22 staff is going to actually tell. So I'll turn to the  
23 table and you point to who you want to start.

24 MEMBER APOSTOLAKIS: He's asking from the  
25 floor.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: Eric Oesterle from the  
2 staff.

3 I yield the floor to Don Dube.

4 MR. DUBE: Let me just read from Reg.  
5 Guide 206. That's the reg. guide that the staff uses  
6 in the street for a combined application, and there's  
7 a corresponding standard review plan section, and  
8 C.I.19.2. It's very short for design certification.  
9 This is uses of PRA in severe accident evaluations.  
10 It's like a page and a half, but Part A is for the  
11 design phase and there's only three major portions.  
12 So let me just read them, and I can give you a copy  
13 afterwards.

14 During the design phase, (i), identify and  
15 address potential design features and plant  
16 operational vulnerabilities where a small number of  
17 failures could lead to core damage, containment  
18 failure or large releases. For example, assumed  
19 individual common cause failure could drive plant  
20 risks to unacceptable levels with respect to the  
21 Commission's goals as presented below.

22 (ii) Reduce or eliminate the significant  
23 risk contributors of existing operating plants, and  
24 there's a footnote -- and I'll get to that in a second  
25 -- that are applicable to the new design by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 introducing appropriate features and requirements.

2 And then finally, (iii), select among  
3 alternative features, operational strategies, and  
4 design options.

5 I think one has to look at the PRA process  
6 as basically four phases. There's the design and the  
7 design certification PRA, which meets these three  
8 major objectives. Then --

9 CHAIRMAN CORRADINI: Which it needs to.

10 MR. DUBE: Right. Then the applicant, the  
11 licensee comes in for a combined license, has to take  
12 that PRA and make it a design specific, site specific  
13 in case there are sites, design specific features,  
14 plant specific features, and external event issues  
15 particular to that site.

16 Then the third phase is before fuel load  
17 they have to -- the PRA has to meet the NRC endorsed  
18 standards that are in effect one year before, which  
19 would include the ASME standard.

20 And then the fourth phase is -- and it's  
21 a requirement by regulation -- they have to maintain  
22 the PRA consistent with the ASME standard and upgrade  
23 it at least every four years to whatever new standards  
24 have come along.

25 So I think you have to look at this as a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 marathon and not a spring. It's a large process.

2 MEMBER APOSTOLAKIS: But the specific  
3 question is this, now. If during those phases the  
4 licensee comes ten years down the line and says, "I  
5 have not touched the gravity driven cooling system.  
6 The fault tree and the analysis I did, you know, in  
7 2006 or '07 and you guys approved is still valued."

8 You shouldn't even be asking me a question  
9 about this analysis.

10 MR. DUBE: No, they couldn't say that --

11 MEMBER APOSTOLAKIS: Why couldn't they?

12 MR. DUBE: -- because it wouldn't meet the  
13 ASME standard, which means that the PRA has to reflect  
14 the as designed, as constructed, and as operated  
15 plant.

16 MEMBER APOSTOLAKIS: I designed it the way  
17 I promised.

18 CHAIRMAN CORRADINI: But if I could just  
19 interject, unless I misinterpreted the way Don was  
20 saying it, there's four phases. In any one of those  
21 four phases it will be re-reviewed for another set of  
22 applications, not necessarily design applications.

23 So to answer your question, I think it is,  
24 yeah, we have a few more cuts at this as we march  
25 through these other phases.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: If that is the  
2 consensus, then I would feel much better.

3 CHAIRMAN CORRADINI: I'm creating  
4 nervousness. I'm getting grimaces over there. So I  
5 want to make sure, but that's my interpretation.

6 MEMBER STETKAR: If that's the staff's  
7 interpretation, then I would feel much better about --

8 MEMBER APOSTOLAKIS: That's the whole  
9 point.

10 MR. DUBE: But let me clarify. There is  
11 no requirement in these three phases for the staff to  
12 go back, the last three phases for the staff -- let me  
13 back up.

14 You have the fuel load and then operating.  
15 There's no requirement for the staff to necessarily go  
16 and do a review all over again unless the licensee  
17 comes in with a risk informed application, such as  
18 risk informed tech specs, in which case the staff  
19 would have perhaps another crack at it, although Rick  
20 has some thoughts.

21 MR. WACHOWIAK: Yeah, and there are other  
22 things, too, that will be happening. The plant will  
23 get, I would guess, a maintenance rule baseline  
24 inspection; is that true?

25 MR. DUBE: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: And the PRA that's used  
2 for maintenance rule is part of that inspection, and  
3 basically from what we've done here in this review of  
4 the design PRA and the things that are brought up  
5 about maintenance, I would expect that they keep track  
6 of these sort of things and say that that's something  
7 that wasn't covered in the design certification.

8 When you go do your maintenance rule  
9 baseline inspection, make sure they've got maintenance  
10 addressed adequately in the PRA because if I remember  
11 my maintenance rule baseline inspection at Cooper from  
12 however many years ago, it looked like it was a PRA  
13 inspection instead of a maintenance rule inspection,  
14 and I think almost everybody here has had that same  
15 inspection.

16 John may have had that same inspection.

17 MR. CARUSO: One additional point if I may  
18 make. Mark Caruso.

19 In order to meet the standard, then they  
20 will need to do a peer review of that PRA.

21 CHAIRMAN CORRADINI: At which phase?

22 MR. CARUSO: At the phase of when you're  
23 prior to fuel load.

24 MR. WACHOWIAK: That's a requirement. The  
25 other significant application that Gary was bringing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 up now is the SDP, which has yet to be developed for  
2 passive plants or for ESBWRs you can't take -- well,  
3 it's real simple if you just want to take what BWRs  
4 use and use it in ESBWR to still have those systems.

5 MR. CARUSO: I might make one -- oh.

6 MR. WACHOWIAK: But for that purpose there  
7 is likely to be performance indicators on safety  
8 related equipment out of service, and planned and  
9 unplanned would go into that performance indicator.  
10 I'm just extrapolating from what the existing plants  
11 have done.

12 So I'm kind of hoping that we're all  
13 moving toward this phased understanding of what we're  
14 using the PRA for now and how do we make everybody  
15 comfortable that there is more work to do later and  
16 that that work will, in fact, be done?

17 So I'll yield the floor to Mark.

18 MR. CARUSO: Do you have a plan to make  
19 what you think is important and actually go to some of  
20 Dr. Apostolakis' -- Apostolakis' --

21 CHAIRMAN CORRADINI: Can you say that  
22 three times?

23 MR. CARUSO: -- and that's what the  
24 Commission requires. Somewhere in references this  
25 dying certification, the Commission requires that they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 start with this PRA. In other words, they couldn't  
2 come along later on and say, "Oh, we didn't like what  
3 they did. Here's a brand new one and we don't have to  
4 give it to you to review at all."

5 They have to start. So as Don said, we  
6 are in phases here. There's been a lot done to this  
7 point, and it will move forward.

8 CHAIRMAN CORRADINI: But just to repeat  
9 for my understanding purposes, to ease John and  
10 Dennis' and George's mind -- my mind is eased already  
11 on this -- is that there will be additional chances  
12 for the Committee to review as these other phases are  
13 unfolded. I want to make sure I mention "Committee"  
14 in the review, not just staff review.

15 MEMBER APOSTOLAKIS: Well, the most  
16 important theme is really staff review.

17 CHAIRMAN CORRADINI: Right, but if the  
18 staff reviews it and says, "Yeah, for fuel load and  
19 the year before it seems" -- I don't know whatever in  
20 the hell it's supposed to meet, but --

21 MEMBER APOSTOLAKIS: As long as --

22 CHAIRMAN CORRADINI: -- whatever it meets,  
23 will we have a chance to comment on that or is that an  
24 internal staff decision and moves on without coming  
25 back to the Committee?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: No, I believe that the  
2 Committee will be very involved. When a plant is  
3 being licensed you have opportunities to review the  
4 staff's review of the licensing application.

5 CHAIRMAN CORRADINI: I thought so. I just  
6 want to reiterate that because I want to make sure  
7 there's comfort here that if things are left out  
8 knowingly and purposefully because it was not  
9 necessary for design certification, then when they're  
10 included or updated, we have a chance to discuss it.

11 John? I'm sorry. George, you had --

12 MEMBER APOSTOLAKIS: No, that's fine.

13 MEMBER BLEY: One thing that would make me  
14 more comfortable on all of this is if something were  
15 done, if you guys did something like is done when you  
16 do the peer review, and that is have that catalogue of  
17 things that are knowingly absent from the PRA and need  
18 to be added later.

19 The catalogue is not anywhere that I've  
20 seen.

21 MR. WACHOWIAK: And let me bring that  
22 piece up because just like any other submittal to the  
23 NRC, what you see are the summary reports, and as much  
24 as we sent with a very large document -- a lot of it  
25 included fault trees -- there's much more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 documentation back at GEH in our archival system that  
2 contains things like that, and results of reviews that  
3 we've done to the models and other things that are not  
4 submitted, but if you need to look at those, they  
5 could be looked at.

6 MEMBER BLEY: Okay. Just to follow up --

7 MR. WACHOWIAK: And that's consistent with  
8 every other application that goes into the NRC on any  
9 topic. The entire body of work is never submitted.

10 MEMBER BLEY: I understand. It seems to  
11 me that would be a thing that I would think staff  
12 would want to have, that list of what's here and  
13 what's not here, knowingly what's here and what's not  
14 here and what you need to look for the next time  
15 around.

16 MEMBER APOSTOLAKIS: Up front, in fact.  
17 You know, the purpose of this analysis is to achieve  
18 this, and this is done this way.

19 MR. CARUSO: Well, let me address that.  
20 Mark Caruso.

21 I think we had worked very hard in our  
22 review of Chapter 19 of the PRA to be successful in  
23 this area. The mechanisms that we have are the CRL  
24 action items and ITAACs, although as you know, ITAACs  
25 are not really a big deal for this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But in addition, we have the DCD, which  
2           the applicant will adopt, and there's a table in  
3           Chapter 19 -- I think it's 19.218 -- and we have been  
4           badgering GE to make sure that we incorporate in that  
5           table the important assumptions, the key operational  
6           programs, and the assumptions there in an attempt to  
7           make sure that when this is passed off or handed off  
8           to the licensees that they're aware of what's really  
9           important.

10           You know, what are the things that have to  
11           be true when you take over for this PRA to have the  
12           fidelity that is promised?

13           In addition to that, one of the things  
14           that we had looked at in terms of looking at quality  
15           was to look at the design QA process that's used at GE  
16           and how that applies to the PRA, and we were happy  
17           with that because they have one design engineering QA  
18           process. They don't have, well, you know, ECCS  
19           systems and equipment design and this or, you know,  
20           have hard, strong procedures, but we're over here with  
21           the PRA which isn't a requirement, and it has  
22           something less. It's all together. They have one  
23           process, one procedure so that they are very coupled  
24           in with the design process.

25           One question that we did have for them,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which there's one concern I have remaining, which we  
2 will need to address with the applicants, is does that  
3 process carry along with the PRA, and I don't think we  
4 have an answer to that question yet. It's not a  
5 requirement.

6 MEMBER BLEY: Okay. I'm glad to hear  
7 that. I missed the questioning on that, but that  
8 table being filled in, I think, would go at what I'm  
9 asking.

10 MR. OESTERLE: This is Eric Oesterle from  
11 the staff.

12 I just wanted to piggyback on what Don  
13 Dube had mentioned, and just for the benefit of the  
14 subcommittee members for the record, the citation for  
15 the PRA update requirements that Don was talking about  
16 is in 10 CFR 50.71(h), and I can read them

17 MEMBER APOSTOLAKIS: Will you send them to  
18 us?

19 MR. VANDER MOLLEN: I can. I have the  
20 citation. Once again, 10 CFR 50.?

21 MR. OESTERLE: Fifty, point, seventy-one  
22 (h).

23 MEMBER APOSTOLAKIS: I'd like to see that,  
24 not the whole 10 CFR.

25 CHAIRMAN CORRADINI: I'm trying to check

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 off things. I think we've gotten the staff's opinions  
2 on what I wanted at the end. Now, this kind of gives  
3 us a framing. Do you have more questions?

4 MEMBER STETKAR: In a generic sense, no.

5 CHAIRMAN CORRADINI: Generic.

6 MEMBER STETKAR: No.

7 CHAIRMAN CORRADINI: High level.

8 MEMBER STETKAR: No.

9 CHAIRMAN CORRADINI: Do we dare go to the  
10 thermal hydraulics?

11 MEMBER APOSTOLAKIS: No. I have one.

12 CHAIRMAN CORRADINI: Okay.

13 MEMBER APOSTOLAKIS: I have just one. I  
14 don't know. Danny's standards might help.

15 Okay. Just out of curiosity -- oh, are  
16 you done?

17 MEMBER STETKAR: High level, yeah. Other  
18 technical --

19 MEMBER APOSTOLAKIS: Okay. Go ahead.

20 MEMBER STETKAR: No, if you have a high  
21 level question, do it, George.

22 MEMBER APOSTOLAKIS: Well, it's not -- I  
23 don't know how high level it is. I mean, I checked  
24 something --

25 MEMBER STETKAR: Ask it. It will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 faster.

2 MEMBER APOSTOLAKIS: Okay. That's fair.

3 PARTICIPANT: Common cause?

4 MEMBER APOSTOLAKIS: Well, common cause  
5 seems to dominate in a lot of these things.

6 MEMBER STETKAR: Oh, it's important.

7 MEMBER APOSTOLAKIS: Table 4.2-4, page  
8 4.2-31. It has -- did you find it? Yeah. There is  
9 a common cause failure of two solenoid valves, which  
10 is given as, I guess the number is 4.38 ten to the  
11 minus six.

12 There is another table somewhere else,  
13 Table 5.2-2, that gives a failure rate of ten to the  
14 minus three for the individual. I may be missing  
15 something here, but did you find it?

16 MR. LI: Four, point, two, dash, thirty-  
17 one is that page, right?

18 MEMBER APOSTOLAKIS: Four, point, two,  
19 dash, thirty-one is the page.

20 MR. LI: Oh, okay.

21 MEMBER APOSTOLAKIS: So go up a little  
22 bit. It's B32 SOV.

23 MEMBER STETKAR: Now, there's a number for  
24 you.

25 MEMBER APOSTOLAKIS: Yeah, there it is,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 4.30 -- yeah, that's the one, 4.3. Okay?

2 So if I divide this common cause failure  
3 probability by the individual failure rate, I should  
4 get the beta factor?

5 MR. WACHOWIAK: No.

6 MEMBER APOSTOLAKIS: No?

7 MR. WACHOWIAK: You should get something  
8 that's the fraction of the beta factor that's  
9 correlated to one of many, many combinations of two.

10 MEMBER STETKAR: This got combinatorics  
11 multiplied in it. It's one over -- it's the one of n  
12 combinations of three that are three and not four. So  
13 it's --

14 MEMBER APOSTOLAKIS: It says CCF of two  
15 components, and identifies the components.

16 MR. WACHOWIAK: Right. So in the multiple  
17 Greek letter thing, if there's -- there's only one  
18 this way.

19 CHAIRMAN CORRADINI: This is only four of  
20 them.

21 MR. WACHOWIAK: If there's four  
22 components, there's one, two, three, four, five, six  
23 combinations of two. So the beta factor times the  
24 basic probability divided by six would be this.

25 MEMBER APOSTOLAKIS: Okay. So if I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 divided --

2 CHAIRMAN CORRADINI: And then there's all  
3 six of those are in there.

4 MEMBER APOSTOLAKIS: So if I divide this  
5 number by the individual failure rate, I get 4.3 ten  
6 to the minus three, and you say I should multiply that  
7 by six.

8 MR. HOWE: This is a 24-value --

9 MEMBER STETKAR: It's a large number.

10 MR. HOWE: There's a lot of combinations  
11 of two.

12 MEMBER STETKAR: This is a particular  
13 combination of those three. If you had four valves,  
14 you'd have to take -- if this was a population of  
15 four, you'd have to take this number, divide it by the  
16 individual failure rate and multiply it by four  
17 because there would be four combinations of three.

18 MEMBER APOSTOLAKIS: But it doesn't say  
19 that. It doesn't say --

20 MEMBER STETKAR: It doesn't say that, but  
21 it's --

22 MEMBER APOSTOLAKIS: It's not any two. It  
23 names them.

24 MEMBER STETKAR: That's right, and that's  
25 why you have to multiply it by that number. If it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 said any two or any three, then doing what you did  
2 would be correct.

3 MEMBER APOSTOLAKIS: So what is the number  
4 I should multiply by?

5 MR. WACHOWIAK: Could you do 24 factorial.

6 CHAIRMAN CORRADINI: No, it's not 24.  
7 It's 24 factorial divided by two factorial and 20 --

8 MR. WACHOWIAK: it's a very --

9 CHAIRMAN CORRADINI: -- all possible  
10 combinations.

11 He's not going to be able to follow this.  
12 So you do it.

13 MR. WACHOWIAK: Do we have the equations  
14 handy for how you calculate this MGL in terms? Is  
15 that --

16 MR. LI: I don't know if we have it here  
17 though.

18 CHAIRMAN CORRADINI: Can you answer Dr.  
19 Apostolakis off line later?

20 MR. WACHOWIAK: Yes. We can get the  
21 specific factor that that one is multiplied by.

22 MEMBER APOSTOLAKIS: So I don't understand  
23 why this is happening. Can you explain it to me?

24 MEMBER BLEY: I get lost in it all

25 MEMBER STETKAR: I can. I can. Take a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 population of four components. Okay? That's my  
2 common cause group. That's not this group, but take  
3 the simple one, four. I can have failures of one. I  
4 can have failures of two, three or four. Beta says I  
5 have failure of two or more.

6 Now, out of a population of four, there  
7 are, indeed, six combinations of two, A and B, A and  
8 C, A and D, B and C, B and C, and C and D. There are  
9 six specific combinations of two within that  
10 population of four.

11 Now, if I look at A particular  
12 combination, A and B, that is numerically one-sixth  
13 beta lambda times one minus gamma because it's two and  
14 only two. That's numerically what it is.

15 If you're looking at the value for the  
16 common cause failure of A and B and only A and B, not  
17 anymore than that, not any less than that, numerically  
18 it's one-sixth, because that's one of the six possible  
19 combinations, beta lambda, which is the component  
20 failure rate, times one minus gamma, because it's two  
21 and not anymore than two.

22 So if you have that value for that A and  
23 B fails together and you have lambda to figure out  
24 what beta is, you have to take that value, divide it  
25 by lambda and multiply it by six in that particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 case.

2 If you're looking at a combination of  
3 three, there are four combinations of three. It would  
4 be one-fourth beta gamma lambda, one minus delta.

5 CHAIRMAN CORRADINI: Does that help? It  
6 helped me.

7 MEMBER STETKAR: Numerically. If you have  
8 a big population of 24, it's a big numerical value.

9 MR. WACHOWIAK: So that's why these  
10 individual values don't contribute. It's failure of  
11 all solenoids.

12 MEMBER APOSTOLAKIS: This is the  
13 probability; 3.348 ten to the minus six is a  
14 probability that any two --

15 MEMBER STETKAR: No, a particular. That  
16 two. That is the probability of, in my construct, A  
17 and B, period. Any two would just be beta. It would  
18 be all six combinations.

19 MR. LI: This is Jonathan Li from GEH.

20 You know, the way we model in CAFTA, CAFTA  
21 have a tool which is very similar to SAPHIRE. What we  
22 do is the tool will add all of these single  
23 combinations under that component instead of you have  
24 any two or any three under the system level or train  
25 level. That's different approach.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   In this approach, you know, every single  
2 CCF combination is awed (phonetic) with independent  
3 failure of their component.

4                   PARTICIPANT: Is what?

5                   MEMBER STETKAR: I'm not sure it does the  
6 math right, by the way. Did you check it?

7                   MR. WACHOWIAK: Let me finish up with this  
8 thought. We have to use this method to address what  
9 we were talking about yesterday with specific lines  
10 going to specific places for the success criteria. In  
11 Revs. 0 and 1 of the PRA, we used what we called the  
12 alpha factor method, which you try to figure out what  
13 all of these combinations are and put in at the system  
14 level what the combinations are, but it gets extremely  
15 complex when we try to do this line only goes to this  
16 plan. So we have to do it this way. So that's why  
17 we're there.

18                   And one of the things like we found  
19 yesterday is one of our old things that we didn't  
20 remove from the alpha method was still translated  
21 through.

22                   But to get back to what the code does is  
23 it will calculate all of these things and assign the  
24 numbers and we're given the option of whether we need  
25 to modify the base number.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER STETKAR: Ah, you don't do the one  
2 minus.

3 MR. WACHOWIAK: Right.

4 MEMBER STETKAR: Okay.

5 MR. WACHOWIAK: And if we do the one  
6 minus, that's an option. We can pick that, but if you  
7 pick that option, it's a destructive operation, and it  
8 changes the database, and you can never undo it.

9 MEMBER STETKAR: Really?

10 MR. WACHOWIAK: If we don't select that  
11 option, we can turn common cause on and off, and then  
12 when we want to add a new valve to a group and turn  
13 common cause off, add a valve and then turn it back  
14 on, and we're done. Otherwise it would be very  
15 complex.

16 So it adds extra stuff. It leaves off the  
17 one minus beta on the initial valve. So we're always  
18 going to get a higher total common cause value, and we  
19 find that that's acceptable in this PRA because we  
20 have to have so many combinations of valves to get to  
21 the failure.

22 MEMBER STETKAR: Numerically it's a little  
23 higher than it should be, but that's fine.

24 MR. WACHOWIAK: But that's what it is.

25 MEMBER STETKAR: That explains why it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 didn't add up.

2 MR. WACHOWIAK: Yep.

3 MEMBER STETKAR: Or why it added up to  
4 more.

5 CHAIRMAN CORRADINI: George, any other  
6 high level questions?

7 MEMBER APOSTOLAKIS: I don't understand  
8 this.

9 (Laughter.)

10 MEMBER APOSTOLAKIS: I really don't  
11 understand.

12 CHAIRMAN CORRADINI: He told me to ask  
13 that. No.

14 MEMBER APOSTOLAKIS: I know that this  
15 combination stuff is taken care of in the alpha  
16 factor, but the definition of beta is if I have two  
17 components, I don't care if I have 20 more. If I have  
18 two and one is a failure rate of ten to the minus  
19 three, beta will tell me that beta times ten to the  
20 minus three is the probability of the second one.

21 MEMBER STETKAR: No. Two or more will  
22 fail.

23 MEMBER APOSTOLAKIS: Two or more.

24 MEMBER STETKAR: Out of the group, two or  
25 more, not -- if you have A fail, beta will tell you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that it's the sum of A and B or A and C or A and D or  
2 B and C or B and D or C and D because beta is just  
3 given a single failure, what's the conditional  
4 likelihood that two or more components within that  
5 group, within that population will fail. That's the  
6 definition of beta.

7 That's numerically how beta -- it's  
8 important to define it that way because that's  
9 numerically the way it's derived also from the actual  
10 underlying data. When you look at the way the data  
11 are treated, by the way you count failure --

12 CHAIRMAN CORRADINI: Teasing aside, so the  
13 table from your understanding is defined differently  
14 than you had understood it.

15 MEMBER APOSTOLAKIS: Yeah.

16 CHAIRMAN CORRADINI: Okay. Are you  
17 cleared up now though?

18 MEMBER APOSTOLAKIS: I'll have to go back  
19 and look at it again, but I guess it's okay.

20 MR. WACHOWIAK: Well, we'll try to find  
21 the reference for you.

22 MEMBER APOSTOLAKIS: Yeah, I'd like to see  
23 that.

24 MR. WACHOWIAK: If you've got one.

25 MEMBER BLEY: well, the Idaho report.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: High level questions?

2 MEMBER STETKAR: Not as high as his.

3 (Laughter.)

4 CHAIRMAN CORRADINI: I didn't say that.  
5 No, seriously though, are there other questions? If  
6 we want to dig into the details, I'd rather get to the  
7 third topic, which is the thermal hydraulic  
8 discussion, at least begin it before -- I don't want  
9 to take a break just yet, but that's the third and  
10 last one of the general things, and we can always go  
11 back and pick up more detailed questions.

12 MR. WACHOWIAK: And do those as long as we  
13 need to.

14 CHAIRMAN CORRADINI: Right. Shall we  
15 change topics to that?

16 MEMBER SHACK: John, are you going to ask  
17 your question about the risk significance of  
18 components? That seems like a high level one.

19 MEMBER STETKAR: Okey-dokey. Thank you.  
20 I will.

21 CHAIRMAN CORRADINI: That will take us to  
22 break.

23 MEMBER STETKAR: No, let me ask it this  
24 way. Has -- and I'll ask both GE and the staff  
25 because I hope I get the same answer from both of them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN CORRADINI: Don't give them a  
2 heads up of what you're asking for. Just ask the  
3 question.

4                   In the design certification, in decisions  
5 that you've made internally in the whole design  
6 certification process, have you used explicitly risk  
7 importance measures from the PRA to justify design  
8 decisions or analysis decisions, you know, either  
9 positively or in a negative sense so that we don't  
10 need to look at this because the risk importance, you  
11 know, Fussel-Vesely importance, risk achievement worth  
12 from the PRA is?

13                   Have you used that type of information  
14 explicitly?

15                   And if the answer is yes, where have you  
16 used it?

17                   MR. WACHOWIAK: To answer what you first  
18 said, in making design decisions have we used those  
19 importance measures on their own to make decisions,  
20 and the answer is no. We can use that to point us in  
21 a direction to what we want to look at, but I think in  
22 all of our cases for design decisions, we've done a  
23 modification to the model and explicitly calculated  
24 what the change would be, given that change. We used  
25 the importance measures to try to hone in on what we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want to look at, but then we would make that change.

2           Where we are using the importance measures  
3 explicitly are in what's called the design reliability  
4 assurance program, which is an interesting process,  
5 but it's a set-up for an operational program, if you  
6 will. What was envisioned back in the late '80s,  
7 early '90s, when the DRAP program, which is kind of  
8 redundant, but the DRAP was established, said we're  
9 going to have this design PRA that we base our  
10 decision on, and if we have all of these component  
11 reliabilities in there, how do we know that the  
12 component reliabilities that when you actually build  
13 the plant are going to match what's there?

14           And back then I think the thoughts were  
15 we'd be building plants like a second Riverbend or  
16 Grand Gulf, you know, something that was in the range  
17 of what was being looked at, and that would have been  
18 important. We don't want to claim a very high  
19 reliability of a component and then put something else  
20 in that doesn't meet that because if its importance  
21 factor is high enough to give you ten to the minus  
22 five or ten to the minus six delta CDF, it would be an  
23 issue.

24           We're struggling with what to do with  
25 those importance measures in DRAP because what we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 finding is that the specific reliabilities of the  
2 components themselves are not what is driving our  
3 risk. It's how we assemble the systems into a  
4 combination.

5 So if we are wrong on all of them, yeah,  
6 it may have an impact, but if we are randomly wrong on  
7 some of them, we're not going to come out with  
8 anything different.

9 So because there is written guidance on  
10 how you're supposed to do DRAP, we used the importance  
11 measures there to identify a list of components that  
12 would be subject to this DRAP. But what do we do with  
13 those? We don't change the design of any of those  
14 components. All we're doing right now is saying that  
15 those components are going to be monitored as like  
16 high risk significant components in the maintenance  
17 rule program. That's essentially the outcome of DRAP,  
18 is saying that they have to be monitored to that  
19 level.

20 So it wasn't for a design change. It was  
21 for how we monitor the components in the PRA. So we  
22 tried to give some examples of what we looked at.  
23 There was questions about whether we should put --  
24 this is back to the design area now -- questions of  
25 whether we should put isolation valves on the PCC heat

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 exchangers. Okay?

2 Well, we would start out by looking at the  
3 importance of the PCC heat exchanger and what  
4 sequences it goes in and maybe take a look at the raw  
5 value of the heat exchanger plugging, which is  
6 essentially the surrogate term there, and try to  
7 determine what it is we need to look at in the model  
8 to address that.

9 But in the end, before we formulated our  
10 decision and passed that off to be used in a blended,  
11 deterministic method for answering that question, we  
12 explicitly modeled that, those valves in the PRA,  
13 including control systems and generated a new CDF and  
14 LRF number associated with that.

15 So I don't think we've ever just taken a  
16 raw or Fussel-Vesely value and used that alone to make  
17 a design decision.

18 CHAIRMAN CORRADINI: Does that answer?

19 MEMBER STETKAR: Yeah, it does.

20 CHAIRMAN CORRADINI: Did you have other  
21 comments?

22 MR. WACHOWIAK: Gary has a point there  
23 though. The table that Mark was talking about a  
24 minute ago, the list of insights in Chapter 19, I  
25 guess, was based on important measures like risk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 achievement work and Fussel-Vesely.

2 MR. MILLER: Yeah, we basically rolled up  
3 -- we accounted for all of the assumptions in the PRA  
4 model, which at this point as you've probably said  
5 before is a lot of assumptions, but in each system and  
6 in our modeling we have certain assumptions that we  
7 have to rely on until we have more design detail,  
8 things like that.

9 We roll those up and we prioritize them  
10 based on the risk significance, and the things that  
11 are truly significant, such that if they changed, we  
12 would have to change the model and it would have a  
13 significant impact on core damage frequency or large  
14 release frequency. Those, we look at the risk  
15 significance, and if it meets a certain threshold,  
16 then they would go into that table that Mark Caruso  
17 had talked about.

18 So that we make sure that the plant in the  
19 design phase understands this aspect needs to either  
20 not change it or if we change it, we need to do it in  
21 conjunction with the PRA so that we understand the  
22 full impact of that.

23 MR. WACHOWIAK: And the thresholds for  
24 that were based on whether we would have an impact to  
25 the margin of the safety goal. So we weren't looking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at were we changing something in the PRA from ten to  
2 the minus eight to two times ten to the minus eight.  
3 We were looking at can we increase the LRF by a ten to  
4 the minus seven delta. That was the order of  
5 magnitude that we were looking at.

6 So the risk measure that we use there was  
7 with respect to the safety goals rather than with  
8 respect to the baseline PRA, and that's consistent  
9 with the COL ISG that we talked about yesterday.

10 MEMBER BLEY: Just an aside on that, I did  
11 find it and looked through that a little bit. It's  
12 called assumptions and insights, and it's kind of hard  
13 to tell which is which as you go through, but what's  
14 not there in that --

15 MR. WACHOWIAK: If I could, everything is  
16 an assumption. We haven't built the plant yet.

17 MEMBER BLEY: But what isn't there is the  
18 things we were talking about before, I think, is the  
19 things that you did not include in the model, and  
20 that's a separate thing. It would make a nice tape.

21 MR. MILLER: Well, we have lower tier  
22 assumptions that are documented and things that we did  
23 not include, but like I said, those would not make  
24 that list unless their significance was such that it  
25 would have a significant impact on the results.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER BLEY: Okay. The things that just  
2 come to mind that we know you haven't done yet because  
3 things aren't there, you don't have procedures yet.  
4 So some of your HRA stuff isn't well done, and John  
5 talked about this this morning, the planned  
6 maintenance. You haven't I don't think looked at how  
7 far out in those tech specs we might go to do rolling  
8 maintenance. You know, that's the name of the game  
9 now, is to keep the refueling, the annual outages very  
10 short, whether that would reach your threshold.

11                   So I think there are things like that that  
12 if you haven't model, that you haven't been able to  
13 test because you just haven't done them. They're the  
14 kinds of things that need to be picked up later that  
15 aren't tabulated anywhere that I know of.

16                   CHAIRMAN CORRADINI: Did the staff have  
17 any comments relative to John's question?

18                   MR. CARUSO: Yes.

19                   CHAIRMAN CORRADINI: Okay.

20                   MR. CARUSO: The risk importance measure  
21 at a component level, we never really had those until  
22 we got the top goal on the DRAP program, and we're  
23 looking at the topical; we're looking at the process  
24 for making decisions about the RAP list, how all of  
25 the factors are involved which include more than just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the importance measures.

2 We did look at the system's importance  
3 measures that were included in the PRA. Only from the  
4 perspective, you know, of what's showing up at the top  
5 and does it make sense given how they've modeled it  
6 and that sort of thing, but we didn't really use them  
7 for anything.

8 Well, let me back up a second. One of the  
9 things that we've done, and I think we sent it to you  
10 when we talked about it last time, was this program  
11 that we have here to try and develop risk insights  
12 that our viewers can use to help them focus their  
13 reviews, and we base it on the information we can get  
14 from the vendor and their PRA.

15 We have a number, as you may have seen  
16 when you looked at the document, we have a number of  
17 factors that go into us choosing what's important or  
18 whatever, and I think, you know, we do look at the  
19 calculations of the risk achievement works and Fussel-  
20 Vesely is part of that, too, but again, it's more than  
21 that in terms of identifying it.

22 There are certain uncertainties in those  
23 numbers, especially since as you said we don't -- you  
24 know, the model isn't complete, and when you start  
25 getting into number stuff, you've got to be very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 careful.

2 CHAIRMAN CORRADINI: John, does that  
3 clarify, help you?

4 MEMBER STETKAR: It does a bit. I hear  
5 things say that PRA is being used but not exclusively  
6 to make any decisions. I'm a little more concerned  
7 about using numerical importance measures from this  
8 level of PRA to, for example, guide the review process  
9 because as I think I mentioned yesterday, a lot of the  
10 important insights from reviews are not to look at the  
11 things that are important but to look at the things  
12 that are not important and understand why they're not  
13 important.

14 So you almost want to concentrate on  
15 almost the reverse of that.

16 MEMBER BLEY: I'd add something here I was  
17 going to save for the end. Despite all of the  
18 different ways you could use PRA, it seems to me there  
19 are two classes that I've separated in my mind now to  
20 use the PRA in the design process. One is to identify  
21 and fix vulnerabilities, things that stick out and  
22 say, "Oh, my God, we don't want that."

23 This PRA is great for that because after  
24 you do that, you get rid of things that are important,  
25 and after you get rid of them, you look at them again,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and you're still applying the rest of your examination  
2 process. So it works great for those.

3 There is another class of things that to  
4 some extent you're doing, although we've been told not  
5 exclusively, and that's selecting PDAs, I think,  
6 setting test criteria. We talked about one yesterday;  
7 defining RTNSS components and their treatment to some  
8 extent, not exclusively.

9 But for these kind of things, then the  
10 aspects of the PRA that are important to those  
11 decisions need to be pretty darn well treated and  
12 vetted and need to be very credible, and I think  
13 that's two different categories of things.

14 So it's the second --

15 MEMBER STETKAR: That's what --

16 MEMBER BLEY: -- that you'll notice about.

17 MEMBER STETKAR: That's why, you know, I  
18 started that the PRA is satisfactory for our purpose.  
19 Clarifying exactly what our purpose is today --

20 MR. WACHOWIAK: One of the things though,  
21 and I think you're exactly right that there are two  
22 different classes of things that we would look at with  
23 the PRA. In the second one in terms of  
24 prioritization, the selection of RTNSS components  
25 doesn't exactly fall into that bin. It kind of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 straddles the bin somewhat in that what we're trying  
2 to find are those components, those active components  
3 that you would need to still stay below the  
4 vulnerability threshold. So it's still more of a type  
5 one application rather than --

6 MEMBER BLEY: That's probably true because  
7 you have the other rules that you're really using.

8 MR. WACHOWIAK: Right.

9 MEMBER BLEY: And this might just help you  
10 find things you might have missed otherwise.

11 MR. WACHOWIAK: Right, and what we found  
12 though when we did that is when we just started off  
13 and applied that, we found that some of our  
14 incompleteness in the model gave us answers there that  
15 we didn't necessarily agree with because we knew that  
16 adding more completeness to some of those sequences  
17 would give us the set of equipment that we really  
18 thought should be there.

19 So in some of those areas we added to make  
20 that work, and once again, that's kind of what you do  
21 in all PRAs. You model what you think you need to  
22 model. You look at the results, and you model more  
23 things where you don't think that the results got  
24 captured everything appropriately.

25 And some of our ground rules that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 started with really limit the way that we can use  
2 importance factors, especially risk achievement work,  
3 because we started up front by saying we're not going  
4 to rely on operator recoveries in this design PRA  
5 because we're trying to assess is the design correct,  
6 not are they going to operate it in a more safe manner  
7 than out of the box.

8 So some of those things are incomplete.  
9 So if you pick a raw value based on something that  
10 really is a recoverable sequence that we didn't add  
11 that recovery, your raw is off by a lot. So we have  
12 to be real careful in using those importance measures.

13 The other thing, too, is after you've gone  
14 through this process of taking the design PRA and  
15 getting rid of things that stick out in pushing the  
16 risk into a more balanced and then especially a lower  
17 range, you can end up getting funny results after your  
18 Fussel-Vesely in RAW.

19 Now, I have a hypothetical on that.  
20 There's a hypothetical nuclear plant that has 12  
21 safety systems. Each safety system is independent  
22 from the others, and they're all capable of mitigating  
23 all accidents. Okay? So you probably could build  
24 something expensive that does that, and each one has  
25 a reliability or unreliability of ten to the minus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 three.

2 So essentially you get a CDF for this  
3 plant of ten to the minus what, three? Ten to the  
4 minus 36, but every one of them has a Fussel-Vesely of  
5 one and every one of them has a RAW of 1,000. So when  
6 you go into that hypothetical regime, the importance  
7 measures start to break down, and the attributes of  
8 that are low risk and balanced risk profile, and while  
9 we're nowhere near this hypothetical plant, the low  
10 risk and the balanced risk tends to give us things  
11 like that where we end up with traditional thresholds  
12 or log two. It doubles the CEM.

13 Well, if we had operator actions in there,  
14 probably the loss of the coffee pot in the control  
15 room could affect the performance shaping factors of  
16 the operator actions enough to give us a RAW of two.  
17 So we want to be real careful how we use importance  
18 measures with this plant, and use it to guide us  
19 rather than to --

20 MEMBER APOSTOLAKIS: Is it true that in  
21 general importance measures begin to lose their  
22 usefulness, their more incomplete of the PRAs or their  
23 crude parts of the PRA?

24 MR. WACHOWIAK: If incomplete PRA will --

25 MEMBER APOSTOLAKIS: They may mislead you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now.

2 MR. WACHOWIAK: It could mislead you as  
3 well?

4 MEMBER STETKAR: There's two parts. I  
5 mean, Rick's example is perfect because it's  
6 absolutely true. Absolutely, you know, and you see  
7 those kind of things a lot. It's just a general  
8 caution about thinking that importance measures are  
9 too important.

10 MEMBER BLEY: And the people who develop  
11 them would tell you that.

12 MEMBER STETKAR: That's right, and also  
13 though the contrary part to that, it's one of the key  
14 reasons why I keep bringing up this planned  
15 maintenance, because the plants that I've looked at  
16 that have invoked that, that's not a piece of  
17 equipment but, indeed it is a critical -- if you did  
18 a risk achievement worth or a Fussel-Vesely importance  
19 on the maintenance itself, because it's hard to do it  
20 when you slice through the systems, you find out it's  
21 a relatively important contributor just because it's  
22 removing a quarter of the plant, you know, from  
23 service.

24 MR. FOSTER: Its removing a quarter of a  
25 plant from service is one thing, and the other thing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that makes that difficult to do without actually  
2 seeing what the maintenance is going to be is this  
3 errors of commission thing that we talked about  
4 yesterday. How likely is the maintenance side going  
5 to do something that makes things worse rather than  
6 just taking equipment out of service?

7 MEMBER BLEY: Or then take out a second  
8 when that happens at three in the morning.

9 MR. OESTERLE: Eric Oesterle from the  
10 staff.

11 I just wanted to provide a clarification  
12 to something that I thought I heard you say, Dennis,  
13 in terms of the use of the PRA. I thought I heard you  
14 say that the use of the PRA to select design basis  
15 accidents. No?

16 MEMBER BLEY: I probably said that.

17 MR. OESTERLE: Okay.

18 CHAIRMAN CORRADINI: He said something  
19 like that, but I let it go.

20 MR. OESTERLE: All right, and I'll look to  
21 my staff experts for confirmation on this, but at this  
22 point in time I don't believe the agency is that far  
23 along to allow use of PRAs to select design basis  
24 accidents. We're still in the deterministic arena for  
25 DBAs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: The Option 3 report was  
2 withdrawn.

3 CHAIRMAN CORRADINI: So with that, I'd  
4 like to take a break and reconvene with talking about  
5 the thermal hydraulic information you have. Fifteen  
6 minutes, 10:05.

7 (Whereupon, the foregoing matter went off  
8 the record at 9:48 a.m. and went back on  
9 the record at 10:08 a.m.)

10 CHAIRMAN CORRADINI: All right. Are we  
11 all set?

12 MR. WACHOWIAK: I want to give a preamble  
13 on this. We submitted this response probably about a  
14 month ago, right, Lou?

15 MR. LANESE: Longer than a month.

16 MR. WACHOWIAK: Longer than a month ago,  
17 and my understanding is somewhere on your end it  
18 didn't quite make it to Mark yet. So this is the  
19 first he's seeing it even though we expected that they  
20 saw this since we submitted it over a month ago.

21 So now what we're going to cover here is  
22 there is this question of thermal hydraulic  
23 uncertainty in passive plant PRAs. We covered a year  
24 ago our probabilistic study of the passive uncertainty  
25 with respect to success criteria, and we showed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 through that time that we had a lot of margin  
2 numerically, that you would have to change the PRA by  
3 quite a bit before there were major changes.

4 We're not going to cover that here.

5 One of the issues that came up though was  
6 that when we tried to benchmark our PRA code that we  
7 used for generating success criteria, which is MAAP 4  
8 with TRAC G, which is the licensing basis code that we  
9 use for LOCA at GE, the cases that we used to do the  
10 comparison were all cases that were associated with  
11 design basis accidents, and in design basis accidents,  
12 we never uncover the core, and in all of the PRA  
13 success criteria cases, we do uncover the core and  
14 then -- not all, but in many of the interesting ones,  
15 we uncover the core and then reflood the core.

16 So the question was will the codes behave  
17 in a similar enough manner such that when we say we  
18 can calculate we need this much flow or this much from  
19 MAAP that TRAC G would also confirm the same sort of  
20 phenomenon. So this is an attempt to look at that.

21 We did some severe accident cases with  
22 TRAC G, two in particular. We think we've captured  
23 the phenomena that are associated with our success  
24 criteria for reflooding the core in these.

25 So with that, Glen is going to present

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this latest part.

2 CHAIRMAN CORRADINI: And just as a  
3 preamble to your preamble, neither of these first with  
4 the severe -- within the beyond design basis regime  
5 code -- I was going to use the word "sanctification" -  
6 - but code approval in some sense doesn't exist.  
7 We're looking at a code-to-code comparison just to get  
8 a feeling on how the two perform because you're not  
9 looking nor are you expected to have anything approved  
10 for use in this.

11 Go ahead. I'm sorry.

12 MR. SEEMAN: Okay. There are five parts  
13 to that supplement.

14 MR. WACHOWIAK: Yes.

15 MR. SEEMAN: So do we need to go over the  
16 first three that we answered or should I just briefly  
17 go over them?

18 MR. WACHOWIAK: I think the main interest  
19 is in Parts A and E or A and D.

20 MR. SEEMAN: Okay.

21 MR. WACHOWIAK: These parts were more  
22 dealing with how we selected certain sequences, and  
23 they didn't really get to this fundamental question:  
24 is the code accurate enough to predict what it is  
25 we're trying to predict?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: Okay.

2 MR. SEEMAN: Okay. So Part A basically as  
3 Rick mentioned, that has to look at a couple of cases  
4 where we did see more limiting PRA type accidents, and  
5 Part D asks us to look at since we are using TRAC G  
6 and TRAC G had been reviewed as part for LOCAs which  
7 we didn't uncover, then we wanted for an evaluation of  
8 TRAC G in those clad heat-up cases.

9 So we've picked two LOCA cases to look at,  
10 and Case A was a small break LOCA which I would say  
11 that that is the TRAC G. Chapter 15 would classify  
12 this LOCA, however, in the PRA to be a medium break  
13 LOCA.

14 So here's our conditions from the small  
15 break LOCA. There was a GDCS line break, and it has  
16 one DPV failure. So what we did to show how the two  
17 codes behaved in the core uncover, we used the two  
18 GDCS pools. We did not credit ICS system at six PCCS  
19 heat exchangers available. We did use Select, and  
20 what we did to obtain core uncover was delay GDCS  
21 injection until we saw the 200 degree -- 2,000 degree  
22 Fahrenheit clad temperature.

23 And so basically in that instance we had  
24 a lot of injection there via the six of eight  
25 injection lines and equalization, four of four

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 equalization.

2 CHAIRMAN CORRADINI: And so this was  
3 stylized to generate a response but not necessarily  
4 physically realizable by some sequence.

5 MR. SEEMAN: No.

6 MR. WACHOWIAK: That's correct. What you  
7 said is correct.

8 MR. SEEMAN: Okay. In large break LOCA,  
9 we picked the RWCU nozzle break. It's 17 meters from  
10 the vessel bottom. We only took credit for one GDCS  
11 pool, no ICS four PCCS heat exchangers. We didn't  
12 credit SLCC, and our injection system, GDCS used 66  
13 percent of one line. Okay?

14 Now, there was some caveat on that. When  
15 we had an analyst that was running the MAAP cases, we  
16 had another analyst running the TRAC G cases, and this  
17 is their understanding of our goal for one injection  
18 valve, 66 percent one injection valve.

19 Now, it turns out that at the end we found  
20 out that, well, MAAP only uses an area for our  
21 connection for GDCS, and TRAC G actually has a network  
22 set up for the connection from the GDCS pool to the  
23 nozzle, and that includes the valves. So in effect  
24 what happened, when the TRAC G analysis was set up to  
25 66 percent, they were not really affecting the area

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 because that wasn't -- the restriction is actually at  
2 the nozzle. So the MAAP analysis was done with the 66  
3 percent of the nozzle area. When the TRAC G network  
4 was set up to reduce the valve area to 66 percent, it  
5 still had the restriction in the nozzle, the RPV  
6 nozzle. So in effect, it wasn't affecting the flow  
7 rate. So that's why we'll see a difference in the  
8 GDCS flow rate.

9 We did an additional analysis with MAAP at  
10 the end.

11 CHAIRMAN CORRADINI: So there's more flow  
12 through the TRAC G calculation.

13 MR. SEEMAN: You see more flow.

14 MR. WACHOWIAK: Effectively they didn't do  
15 66 percent of the flow area. They did 100 percent of  
16 one blind flow area.

17 MEMBER APOSTOLAKIS: The 66 percent, where  
18 did it come from?

19 MR. SEEMAN: Well, when we did sensitivity  
20 analysis, we were able to show, you know, when we're  
21 looking to see how much margin we had, we reduced from  
22 our success criteria to two of eight to one of eight,  
23 and then we said, well, how about 75 percent of one.  
24 How about 50 percent?

25 Well, it was 66 percent of one, was about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where we saw failures. So that's how we got to 66.

2 MEMBER ABDEL-KHALIK: I guess I'm  
3 struggling with the big picture.

4 MR. SEEMAN: Okay.

5 MEMBER ABDEL-KHALIK: You know, you have  
6 two codes. Neither of them is certified for this kind  
7 of analysis, and you're running them under these  
8 conditions, comparing them. So what if the results  
9 are the same? What does that tell us?

10 MR. WACHOWIAK: Let me back things up just  
11 a little bit on this. Using MAAP for success criteria  
12 in PRAs is what is typically done across the operating  
13 fleet. The MAAP code itself though has never been  
14 reviewed by the NRC, and there has always been an  
15 issue with this when we say that MAAP gives the  
16 success criteria and the staff says, "Well, how do we  
17 know?"

18 Okay? And for whatever reason, and I  
19 don't know what these reasons are, but the code isn't  
20 being reviewed, and it's not planned on being  
21 reviewed. So for our purposes, what we wanted to show  
22 was that, one, we did what the standard for PRA says  
23 to use. It says that, you know, codes like MAAP are  
24 acceptable as long as you have the systems modeled  
25 correctly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And what we're trying to show here is that  
2 using a different code, which is licensed for a  
3 different regime, not this regime, but for a different  
4 regime, that we do have the plant modeled correctly  
5 and that MAAP is going to give us reasonable results.

6                   I think the only question that comes out  
7 in this TRAC G is the film boiling coefficient model  
8 or is that what the issue is that has not been  
9 reviewed? I'm not sure.

10                   I'm looking to someone who may know what  
11 the specific issue is on what part of that hasn't been  
12 reviewed, but --

13                   CHAIRMAN CORRADINI:     You mean for a  
14 requeenching.

15                   MR. WACHOWIAK:     For requeenching, yeah.  
16 But we get into this position where we're not sure  
17 what to do. The staff is asking us how do we know  
18 that the MAAP results are right, and we're trying to  
19 give them every assurance that the MAAP results are  
20 right.

21                   MEMBER ABDEL-KHALIK:     But at the end of  
22 the day you still don't know.

23                   CHAIRMAN CORRADINI:     Is that a question to  
24 them or the staff?

25                   MEMBER ABDEL-KHALIK:     It's a question to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 everybody.

2 MR. CARUSO: This is Mark Caruso.

3 I think what we wouldn't have is we would  
4 have more confidence than we certainly have now  
5 because at least we have a -- our comfort has been  
6 expressed in the past about its ability to treat  
7 certain thermal hydraulic phenomena well at all  
8 compared to a code that, you know, is much more  
9 robust.

10 Now, that said, you're correct in that in  
11 the regime of core uncovering and approaching 2,200  
12 degrees, the staff hasn't done a detailed review. We  
13 did ask some additional questions on this RAI to get  
14 at that, to give us some confidence without having us  
15 do a design basis thermal hydraulic review, just give  
16 us some additional confidence that what's in TRAC G  
17 is good enough.

18 I mean, that's where we are.

19 MR. WACHOWIAK: I want to add one thing to  
20 this because the way that you phrased that we don't  
21 know, I don't think that's right. We know; GE knows.  
22 MAAP, every model in MAAP has been benchmarked against  
23 experiments. There are reports from EPRI and other  
24 places that show that the types of things in MAAP are  
25 appropriate for doing PRA success criteria. So we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know that we're getting the right results.

2 We don't have an approved method for them  
3 to say that they know that we have the right results.

4 MR. CARUSO: Plus, in addition to that, we  
5 have --

6 MR. WACHOWIAK: It's a subtlety on this  
7 because we're not just throwing the code out there  
8 saying, "Oh, I can just go set up any code and run it  
9 and give us the success criteria." This is a code  
10 that's been used for 15 or more years for developing  
11 PRA success criteria and has been, when used  
12 appropriately, it develops a set of robust results  
13 that can be used for these purposes. It just hasn't  
14 been reviewed.

15 CHAIRMAN CORRADINI: Mark, did you want to  
16 say something?

17 MR. CARUSO: Yeah. Rick is exactly right.  
18 The problem that I had was that here we have this MAAP  
19 code that the staff has reviewed and a number of the  
20 staff in the thermal hydraulic area have expressed  
21 concerns about, and to then couple that with the fact  
22 that the benchmarks have been done nowhere near, what  
23 we're concerned about, you know, we basically  
24 fundamentally just want to make sure that when they  
25 talk about success criteria, you know, minimal success

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 criteria or the fact that there's a lot of margin in  
2 the success criteria, which there is; I mean, you're  
3 talking about design basis is fail one. I still win  
4 when I fail six out of eight.

5 Our real goal is to have some confidence,  
6 that confidence that, you know, those success criteria  
7 are good, and I just don't think we had a solid, you  
8 know, basis for saying that without, you know, looking  
9 a little deeper into this question of, you know, the  
10 thermal hydraulic calculations, especially with the  
11 situation of MAAP not being reviewed and there being  
12 concerns about it.

13 CHAIRMAN CORRADINI: So can I repeat this  
14 and then we can go forward?

15 So what you're saying is you're looking  
16 for qualitative comparisons that give you a good  
17 feeling that MAAP hasn't gone off the deep end  
18 compared to what TRAC might say for behavior for some  
19 stylized accidents.

20 I mean, what you're really saying is  
21 you're looking for qualitative comparisons and  
22 quantitative to the point that they're within some  
23 undefined point. I mean, you're not looking for a  
24 percent or a ten percent agreement because there's no  
25 way because there's no experiment. These are stylized

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculations. Is that fair?

2 MR. WACHOWIAK: That's fair.

3 CHAIRMAN CORRADINI: Okay.

4 MEMBER SHACK: Well, I think the one other  
5 point is the one that came up in the AP-1000. As Rick  
6 says, I mean, MAAP has been used in every PRA, but  
7 these are passive reactors. We're in different flow  
8 regimes than MAAP has been used for for 15 years. So,  
9 again, when the AP-1000 came in, they asked them the  
10 same sort of questions. You know, demonstrate that  
11 MAAP works in a different flow regime than we've been  
12 accustomed to using it.

13 So they did the COBRA TRAC calculations --

14 CHAIRMAN CORRADINI: To compare it.

15 MEMBER SHACK: -- to compare it, and you  
16 know, the same thing here. We're in a different set  
17 of flow regimes than you have 15 years of experience  
18 doing. So you know, you look at a different code,  
19 again, but as Rick said, MAAP has been around. You  
20 know, the staff has accepted it for every other PRA,  
21 but you know, the reason that you're looking at it a  
22 little bit differently here is it's a little different  
23 application, and so you're building confidence in its  
24 applicability to different flow regimes.

25 CHAIRMAN CORRADINI: So just to turn the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tables a bit, I assume the staff is doing the same  
2 thing with TRACE and MELCOR, which is when they're  
3 doing audit calculations, they're going to use MELCOR  
4 both for the in-vessel and the ex-vessel response  
5 whether it would be containment or whatever, and  
6 conversely, they might -- and we have asked and they  
7 are trying -- to do a TRACE/MELCOR comparison so that  
8 you don't essentially plug in output conditions from  
9 something into the MELCOR containment calculation.

10 So I think what we're asking of you guys  
11 -- I just want to make sure -- we put the onus back on  
12 staff for the audit calculations.

13 Proceed.

14 MR. WACHOWIAK: Okay. So the first scrap  
15 or -- excuse me -- we'll discuss the medium LOCA first  
16 and first scrap shows the break flow rate. TRAC G has  
17 a little bit higher flow rate there, and I believe  
18 that was due to they closed the MSIVs at the  
19 beginning. I think MAAP closed it on level. So they  
20 got a little higher flow rate, and then at the -- I  
21 don't know if you had that.

22 CHAIRMAN CORRADINI: So red is TRAC and  
23 blue is MAAP?

24 MR. SEEMAN: Yes. I don't have the laser.  
25 Ah, the friendly hand.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   So what's happening here is this is where  
2 the level is -- the level in the reactor gets to where  
3 the injection is filling out. So that's why it goes  
4 to zero and then when the level reaches the break,  
5 then we start getting break flow again.

6                   So here's our cladding temperature  
7 history.

8                   CHAIRMAN CORRADINI: Can you go back? So  
9 sine you have to have a curve, we can't let a curve go  
10 by without torturing it a bit. Okay?

11                   So I have a 1,000 second delay in MAAP,  
12 and can you say one more time the reason for the  
13 delay? I'm sorry. Not that which one is right, but  
14 there's a 1,000 second difference between the red and  
15 the blue.

16                   MR. WACHOWIAK: It's 1,000.

17                   CHAIRMAN CORRADINI: Three thousand,  
18 4,000. So I have a 1,000 second difference, and you  
19 said something. Can you re-say it?

20                   MR. SEEMAN: I think the TRAC G is showing  
21 higher break flow rate at the beginning. So it shows  
22 the lower level, and that starts GDCS flow sooner.

23                   MR. WACHOWIAK: Right. Remember, in this  
24 case GDCS isn't started on any particular level signal  
25 or anything like that. It started when the codes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 predict that the PCT is 2,000 degrees.

2 CHAIRMAN CORRADINI: Somewhere.

3 MR. WACHOWIAK: Yes.

4 CHAIRMAN CORRADINI: And that's actually  
5 the next --

6 MR. WACHOWIAK: So what this says is that  
7 the way that the TRAC G is set up, that it reaches  
8 2,000 degrees about 1,000 seconds before MAAP does,  
9 and the reasons in this case were initial flow rate  
10 out of the break was higher because of the timing on  
11 the MSIVs. Some of the initial assumptions that went  
12 into things caused the loss of off-site power  
13 concurrent with the accident, caused the TRAC G to  
14 immediately close the valves, where in MAAP our model  
15 has it delay that.

16 But, once again, for this particular case,  
17 how fast it got to 2,000 degrees wasn't the thing that  
18 we were looking for. So we didn't go back and try to  
19 resolve that particular issue because that particular  
20 issue wasn't the phenomena of interest in here.

21 And I think one of the other things, and  
22 this one was the -- or is it in the next case where  
23 the two-phase slip model on the --

24 MR. SEEMAN: I think that's this one.

25 MR. WACHOWIAK: Is also a little bit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 different where TRAC G is optimized to give more flow  
2 out the break than the Moody slip model would predict,  
3 and the Moody slip model and the Fauske model, which  
4 is what's in MAAP, are very close to each other. We  
5 think that's the more realistic case, but TRAC G was  
6 set up to maximize the flow out of the break using a  
7 different correlation.

8 CHAIRMAN CORRADINI: So you said something  
9 about SMIV closure that I --

10 MR. WACHOWIAK: Keeps the pressure higher.

11 CHAIRMAN CORRADINI: And somehow the  
12 timing to TRAC automatically -- TRAC G automatically  
13 defaults to is different than what MAAP defaults to?

14 So the inventory difference because of the  
15 mass flow rate difference early on is caused more by  
16 signals than by model, or a combination?

17 MR. WACHOWIAK: It's the combination of  
18 the two.

19 CHAIRMAN CORRADINI: Okay.

20 MR. WACHOWIAK: And when we looked into  
21 these, we investigated that and found that those were  
22 the reasons why.

23 CHAIRMAN CORRADINI: Those were the two.

24 MR. WACHOWIAK: Those were the, yeah,  
25 major reasons why this was happening, and once again,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because this test, if you will, call it experiment,  
2 whatever we want to call it, the intent was to show  
3 that once we started GDCS injection, we would get the  
4 same quenching response which is what the next one  
5 shows, is that once you get to the 2,000 degrees, if  
6 you start the GDCS, we get a similar quenching time,  
7 similar response.

8 CHAIRMAN CORRADINI: Thank you.

9 MEMBER APOSTOLAKIS: What is the  
10 temperature there, the piece? I can't read it.

11 MR. SEEMAN: It's between 1250 and 1500  
12 Kelvin.

13 CHAIRMAN CORRADINI: And the initiation  
14 over time is 2,000 degrees. Somewhere in the core of  
15 what?

16 MR. SEEMAN: Two thousand degrees --

17 CHAIRMAN CORRADINI: What Kelvin?

18 MR. WACHOWIAK: Fahrenheit, 2,000 degrees  
19 Fahrenheit.

20 CHAIRMAN CORRADINI: But somewhere in the  
21 core of what? What temperature?

22 MR. WACHOWIAK: It was the cladding  
23 temperature.

24 MR. SEEMAN: Peak clad temperature.

25 MR. WACHOWIAK: So we're looking at Kelvin

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 again, and we set it up on --

2 MEMBER APOSTOLAKIS: How can I read this?  
3 Can you explain to me what this means?

4 MR. SEEMAN: Well, this is just showing  
5 how the cladding temperature, the max cladding  
6 temperature of each code is varying with time. So as  
7 it uncovers, it starts heating up. So TRAC G actually  
8 shows a lower level so that it eats up sooner and then  
9 it tracks up in I'm not sure where.

10 CHAIRMAN CORRADINI: Thirteen, sixty-six.

11 MR. SEEMAN: That's the peak, but I  
12 believe that 2,000 -- would that be -- oh, so anyway,  
13 before that is where the GDCS has to start injecting,  
14 and then it's going to bring the clad temperature  
15 down.

16 MEMBER APOSTOLAKIS: So the dark line, the  
17 horizontal line is what?

18 MR. SEEMAN: That's our success criteria  
19 of clad temperature 1477K or 2200 Fahrenheit.

20 CHAIRMAN CORRADINI: That's essentially  
21 the DBA. That's the --

22 MR. WACHOWIAK: So if we cross that, we  
23 assume that we have core damage.

24 MEMBER APOSTOLAKIS: So the margin is the  
25 difference between the peak and the black line?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: Right, but remember this  
2 experiment was designed to get that peak as close to  
3 the black line as possible before we quench the core.  
4 The design of this experiment was to see that if we  
5 got the peak clad temperature as close to the  
6 acceptance criteria as possible, MAAP and TRAC G will  
7 both turn it around with the same kind of response  
8 because this is one of the keys.

9 When we're doing the success criteria as  
10 it's heating up, as long as we don't cross through  
11 that threshold, we have to shop that MAAP is capable  
12 of turning that around similar to the way TRAC G does,  
13 and that's --

14 MEMBER APOSTOLAKIS: So this is not a  
15 real --

16 MR. WACHOWIAK: No, no, this is a  
17 hypothetical case.

18 MEMBER STETKAR: Point, six, six flow-  
19 through.

20 MR. SEEMAN: No, this is actually the six  
21 of eight flow.

22 MEMBER STETKAR: Oh, this is six of eight.

23 MR. SEEMAN: Yeah.

24 CHAIRMAN CORRADINI: So that's why you get  
25 such an incredible turnaround.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: How long does it  
2 take from the time you reach 2000 F., in other words,  
3 initiate GDCS and the time the temperature turns  
4 around?

5 I mean, this scale I still can't read.

6 MR. WACHOWIAK: Yes, it's 1,000 seconds.

7 MEMBER ABDEL-KHALIK: A thousand seconds  
8 in each increment, right?

9 MR. WACHOWIAK: Yes. It's just a few  
10 seconds. We don't have on this computer the --

11 MEMBER ABDEL-KHALIK: And what is the  
12 significance of these up and down peaks in the MAAP?

13 MR. SEEMAN: That's where the steam  
14 generation increased the pressure enough that when we  
15 reflooded, the steam generation increased pressure in  
16 the vessel which showed down injection, GDCS.

17 CHAIRMAN CORRADINI: Be real careful. I  
18 don't know what the computer calculation is doing, but  
19 if it's tracking peak clad temperature, it could be  
20 going from one location to a different location. The  
21 spiking may be because in one channel in the BWR it's  
22 quenching. I don't know.

23 MR. WACHOWIAK: That's not what it is.

24 CHAIRMAN CORRADINI: That's not what it  
25 is?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: No.

2 CHAIRMAN CORRADINI: So let's go back to  
3 that wiggly line again.

4 MR. WACHOWIAK: In the MAAP, we have all  
5 of the individual node temperatures of the clad, and  
6 then we picked which one was the peak, whereas TRAC G  
7 tells you peak clad temperature.

8 CHAIRMAN CORRADINI: I know, but that's  
9 what I just said.

10 MR. WACHOWIAK: We have to derive peak  
11 clad temperature in the MAAP case.

12 CHAIRMAN CORRADINI: You have to find it.

13 MR. WACHOWIAK: We have to find it, yeah.

14 CHAIRMAN CORRADINI: But that would partly  
15 explain the jaggling because it's one place here and  
16 one place there.

17 MR. WACHOWIAK: Except when we  
18 investigated that it was due to the GDCS flow rate.  
19 We were getting steam produced enough that the flow  
20 rate was starting to --

21 CHAIRMAN CORRADINI: Get held up?

22 MR. WACHOWIAK: -- get held up out of the  
23 DPVs, increase the pressure a little bit, and the flow  
24 in through the GDCS was stopping momentarily and then  
25 starting back up again, whereas TRAC G was not showing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that sort of a response.

2 CHAIRMAN CORRADINI: Funny. I would have  
3 expected the response that MAAP showed.

4 MEMBER ABDEL-KHALIK: But isn't the  
5 difference significant?

6 MR. WACHOWIAK: No. It turns out that the  
7 total time to quench the core though is approximately  
8 the same. What we're saying is that if we turn on  
9 GDCS, if we wait until the last minute and turn on  
10 GDCS, that we'll turn the core temperature and we'll  
11 cross the peak. That's what we're trying to show.

12 We don't care how long it takes to get all  
13 the way down. We're just trying to show that it  
14 turns, and it will not cross the peak if we turn that  
15 system off or the peak won't cross the acceptance  
16 criteria if we turn the system off.

17 And there are differences in the details  
18 of what happens in the core itself, but those  
19 differences are happening down in the lower  
20 temperatures once again now where we're not  
21 challenging the clad anymore.

22 MEMBER APOSTOLAKIS: So I'm trying to  
23 understand this. If there are any uncertainties in  
24 the calculation --

25 MR. SEEMAN: There's a few.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: -- you are arguing  
2 that because both the red and the blue line turn  
3 around, they really don't matter; is that correct?

4 MR. SEEMAN: The profiles are similar is  
5 what we're looking at.

6 MEMBER APOSTOLAKIS: No, in this peak, the  
7 very peak. if I go and look for uncertainties in the  
8 inputs and all that stuff, could it be above the line  
9 sometimes?

10 What is the argument here, that the two  
11 codes give similar behavior? I understand that, but  
12 in terms of the uncertainties, I thought your main  
13 argument when it came to uncertainties was if we  
14 change the success criteria, it really doesn't matter.  
15 So instead of quantifying the uncertainties, you're  
16 saying I'll consider different success criteria and  
17 I'm always okay.

18 Am I missing that or what?

19 MR. SEEMAN: I think that's what we're  
20 saying. This is answering the question that was in  
21 the supplement. Give the comparison --

22 MEMBER APOSTOLAKIS: But you come too  
23 close, and I don't understand what that means.

24 CHAIRMAN CORRADINI: The coming too close  
25 though is stylized --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: You designed it that  
2 way.

3 CHAIRMAN CORRADINI: It's a stylized  
4 thought experiment, simulation or whatever.

5 MR. SEEMAN: Our experiment could have  
6 said start GDCS when we get to this level, and you  
7 know, we just said to maximize the key --

8 MEMBER APOSTOLAKIS: Yeah, but when you  
9 say that in the stylized experiment we don't violate  
10 the success criteria -- that's what you said -- I  
11 don't see the relation without --

12 CHAIRMAN CORRADINI: Can I try something  
13 else, George, for my understanding? Let's say the red  
14 and the blue line was there at six of eight and then  
15 they did five of eight and four of eight and three of  
16 eight.

17 MEMBER APOSTOLAKIS: Right.

18 CHAIRMAN CORRADINI: And then they said,  
19 "Ah-ha, the red and the blue, the red goes over at  
20 four of eight and the blue goes over at three of  
21 eight, and our success criteria was four of eight.  
22 Well, that gives us an uncomfortable feeling, and  
23 really it should be four of eight as a success  
24 criteria, not three of eight."

25 If they start seeing differences here in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 how they would derive a success criteria, that would  
2 get them nervous. Beyond that, I don't sense this  
3 gives them anything other than a qualitative good  
4 feeling.

5 Am I misinterpreting?

6 MR. WACHOWIAK: You've jumped to the  
7 second half of the question, which is the next set of  
8 how we look at how many of eight we need to get to.  
9 The main intent here was the question that was on the  
10 table was can we reasonably predict that the injection  
11 of GDCS flow, when it's delayed to when the core is in  
12 the heating up range, can we reasonably predict that  
13 the GDCS flow will turn the peak and bring the  
14 temperature down? Is the code capable of doing that?

15 CHAIRMAN CORRADINI: Well, the answer to  
16 that is yes.

17 MR. WACHOWIAK: The code is capable of  
18 showing that, and we have the other code that's  
19 capable of showing it in approximately the same way.  
20 So we think -- now, our intent here is that we think  
21 now that when we show that with these codes that they  
22 are turning this peak, the MAAP shows that the  
23 confirmatory code, if you will, TRAC G will also show  
24 the same type of response, that we can get the peak  
25 temperature down when we turn the system on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Now, specifically, how much of the system  
2 do we need to turn on is the next question that comes  
3 up or here where we stylize the experiment to say what  
4 is the minimum complement of GDCS flow that we need in  
5 order to see that we don't cross the peak.

6                   MEMBER APOSTOLAKIS: Okay. I understand  
7 this.

8                   MR. CARUSO: This is Mark Caruso.

9                   I'd like to add that this is important  
10 stuff. It's only half a loaf, but it is important in  
11 the sense that I think a number of the crux concerns  
12 in the thermal hydraulic area were with, you know, the  
13 two-phase flow models and the ability -- the way it  
14 was treated in MAAP and previous comparisons, and  
15 there were concerns about drift-flux models and two-  
16 phase flow and that sort of stuff.

17                   So I think, you know, looking at the  
18 ability of it to track with TRAC G and do things in  
19 this regime is an important piece of information, but  
20 we need to get to the next piece, too.

21                   MEMBER ABDEL-KHALIK: But one of the  
22 issues that came up during earlier discussion was the  
23 possibility of non-condensable gas accumulation in the  
24 GDCS lines, and you sort of designed the plant so that  
25 the lines are tilted and all that stuff, but you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tiled by a very few degrees. It's not something that  
2 somebody could look at and say, "Yeah, this is built  
3 correctly."

4 So is that possibility included in this?

5 MR. WACHOWIAK: No, we didn't look at  
6 that. That's being handled in the ITAAC phase. Even  
7 though it's a small slope there's an ITAAC for that  
8 slope.

9 CHAIRMAN CORRADINI: But I think to answer  
10 his question precisely, we're expecting an answer for  
11 that in the October 21st meeting.

12 MR. WACHOWIAK: Okay, and we're not  
13 trying --

14 CHAIRMAN CORRADINI: They owe us a  
15 detailed calculation of that, "they" meaning you, GEH,  
16 some other "you" in the global GEH.

17 MEMBER ABDEL-KHALIK: The other question  
18 is, well, how close to the limit can you get for this  
19 comparison to be as true as you show it to be. In  
20 other words, you know, are there phenomena that when  
21 you get to this limit that proceed at a considerably  
22 higher right in one code than in the other so that one  
23 may show a turnaround and the other may not?

24 MR. WACHOWIAK: This is what we were  
25 trying to do here, was get it as close to the limit as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we could without running 4,000 cases to try to  
2 optimize that. We think that this is pretty close,  
3 and in our actual success criteria that we use, the  
4 things that cross that line are crossing it like a  
5 rocket. They're going way past it. It's not the  
6 things that are coming right up and turning around in  
7 our actual PRA success criteria calculations.

8 We did find some things here, I think,  
9 that when you're looking at the success criteria in  
10 the PRA, you shouldn't always just look at only one  
11 parameter. There's more things to look at. Here  
12 we're looking at the one thing, but one of the things  
13 that we gained from this and the next one that we  
14 looked at is that as long as we can keep the bottom  
15 two feet of the core covered, we're probably not going  
16 to go into this runaway heat-up range where it's going  
17 to even challenge that peak clad temperature.

18 And so another way of looking at it is in  
19 these cases how close are we to fully voiding the  
20 core. We fully void the core, thus one of those  
21 things where we'd have a hard time getting it to turn  
22 around and not meet these peaks.

23 So there's other things that we gain from  
24 looking at other than just right looking at that  
25 turnaround.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN CORRADINI: So it's really back  
2 to an inventory question.

3                   MR. WACHOWIAK: Yeah, it's back to an  
4 inventory question, and really when we presented  
5 before our table of actual success criteria for the  
6 PRA because we have a couple hundred map runs that  
7 look at different break sizes and different  
8 complements of materials, of flow systems, that the  
9 ones that we call success aren't the ones that just go  
10 up 2,203 degrees and then turn around. If it's going  
11 through 2,200, it's going through by quite a bit, and  
12 it's a non-success.

13                   And then remember from before when we used  
14 MAAP to calculate our success criteria, we calculated  
15 the minimum needed. Then we added one, and that's  
16 what we used in the PRA.

17                   So it's not in this RAI response, but we  
18 did look at that in one of these other cases here in  
19 the next case with the .66 of a valve. We can heat up  
20 in that one, right? But if we add the one valve,  
21 which is the PRA success criteria, there's no heat-up  
22 at all.

23                   So let's go on to the next one.

24                   We're not trying to prove that any  
25 sequence will actually give you this response. We're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 not trying to prove that.

2 CHAIRMAN CORRADINI: This is the same  
3 thing though.

4 MR. SEEMAN: This is the same scenario,  
5 and this just shows the TRAC G having a lower --

6 MEMBER APOSTOLAKIS: Explain the axis  
7 before you go into what it does. What are the axes?  
8 We can't read it very well.

9 MR. SEEMAN: Yeah, this is level. It's  
10 the two phase level inside the core.

11 MEMBER SHACK: You get the caption up.

12 MR. SEEMAN: Oh, so here where we see TRAC  
13 G shows the lower level sooner, and then the level  
14 recovers and the --

15 CHAIRMAN CORRADINI: The black line is  
16 what? The top of the fuel?

17 MR. SEEMAN: The top of the fuel, yeah.  
18 So the node in TRAC G ends right here. I believe it  
19 was the top of the chimney where the node in MAAP  
20 actually is like the top of the --

21 MR. WACHOWIAK: So it's different  
22 variable. In MAAP the variable that gives you the  
23 water level in the core includes the entire vessel.

24 MEMBER ABDEL-KHALIK: This is a collapsed  
25 level or flood level?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: This is the boiled up  
2 level.

3 MEMBER ABDEL-KHALIK: Two phased, yes.

4 MR. WACHOWIAK: Boiled up level.

5 MEMBER BLEY: For those of us who don't  
6 understand that term, could you explain what the  
7 boiled up level means?

8 MR. WACHOWIAK: Two-phase level. So it --

9 MR. KRESS: You collapse all of the voids  
10 and see where it goes.

11 MEMBER BLEY: Is that what it is?

12 MR. WACHOWIAK: Just the opposite.

13 CHAIRMAN CORRADINI: They define a void  
14 fraction above which it's considered above the level  
15 and below which is the level, yes.

16 MEMBER ABDEL-KHALIK: So this is not what  
17 the water level indicator in the vessel would actually  
18 measure.

19 MR. WACHOWIAK: No, we've got that on the  
20 next slide.

21 MEMBER BLEY: So it doesn't quite mean  
22 anything. It's another --

23 MR. KRESS: Well, except it's coolable.

24 MR. WACHOWIAK: It does mean something.

25 MEMBER BLEY: What does it mean?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: It's when the two-phase  
2 level is what's actually turning the peak. The one-  
3 phase level is telling you the mass of the water in  
4 the core. So you get two different things out of  
5 those two different ones, but the temperature actually  
6 turns around as the two-phase boundary passes the hot  
7 node.

8 CHAIRMAN CORRADINI: Just so we're precise  
9 about that, that's almost right. It's what the  
10 minimum film boiling time quench temperature or model  
11 is, which --

12 MEMBER BLEY: Thank you. That makes a lot  
13 more sense.

14 CHAIRMAN CORRADINI: But it's essentially  
15 tied pretty much to the leading edge of the two-phase  
16 mixture, yeah. So this is the level.

17 MR. WACHOWIAK: Well, this is actually the  
18 level outside the shroud, and that is a collapsed  
19 mode. So that would be what -- it should be  
20 reflective of the mass that's in the core.

21 And once again, the TRAC G goes down  
22 faster because of the initial mass out of the break.

23 CHAIRMAN CORRADINI: Can I go to the  
24 second simulation?

25 MR. SEEMAN: Okay. This is GDSC flow rate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into the core. So --

2 CHAIRMAN CORRADINI: Keep going. You want  
3 to go to the next case, containment response perhaps  
4 and then flow rates from different things.

5 MR. SEEMAN: Okay. So this is our --

6 CHAIRMAN CORRADINI: Like a rock.

7 MR. WACHOWIAK: That's what we pressure to  
8 do in that case.

9 CHAIRMAN CORRADINI: Now, this has a  
10 difference in the -- which had the 66 percent of the  
11 other?

12 MR. SEEMAN: Well, this is the break flow,  
13 right, but TRAC G actually had 66 percent of the valve  
14 area, but the restriction at the RPV nozzle was  
15 smaller than 66 percent of the valve area. So TRAC G  
16 is going to show more GDCS flow, and here again we see  
17 some differences because of the two-phase flow model  
18 through the break.

19 So here there was a little bit of a clad  
20 heat-up in TRAC G, and I think we'll see that --

21 CHAIRMAN CORRADINI: can you go back to  
22 inventory again? Or maybe we haven't gotten to  
23 inventory yet, but if we go back to Rick's  
24 explanation, that pink or red blip ought to be somehow  
25 reflective in inventory, yes?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: Go down to the level case.

2 CHAIRMAN CORRADINI: Sorry. Excuse me.

3 MR. WACHOWIAK: There's the two-phase  
4 water level, and we see the heat-up in TRAC G as the  
5 water level gets down below five --

6 MR. SEEMAN: Yes, oh, it's really about  
7 right there. So when it reaches that -- now, the  
8 additional case, we delayed MAAP injection a little  
9 bit so that we saw a similar level.

10 CHAIRMAN CORRADINI: So let's just stay  
11 here and repeat the difference. So looking at this,  
12 so there's a big difference. This would get you all  
13 concerned and worried. However, you had an  
14 equalizing line break, the line between the vessel and  
15 the RW -- the --

16 MR. WACHOWIAK: This is a shutdown cooling  
17 suction line break, suction.

18 CHAIRMAN CORRADINI: Oh, shutdown --

19 MR. WACHOWIAK: So it's a mid-vessel, and  
20 it's a big pipe.

21 CHAIRMAN CORRADINI: Connected to the?

22 MR. WACHOWIAK: RPV is connected to the  
23 shutdown cooling system.

24 CHAIRMAN CORRADINI: The shutdown cooling  
25 system. Excuse me.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: Artificially these two  
2 calculations are different, and you're telling me that  
3 the flow rate in the TRAC G calculation is higher than  
4 the MAAP calculation. The flow rate from where?  
5 Through the GDCS system?

6 MR. SEEMAN: No, through the break.

7 MEMBER ABDEL-KHALIK: Through the break?  
8 That's why.

9 MR. SEEMAN: The LOCA flow.

10 CHAIRMAN CORRADINI: So that's why the  
11 inventory is lower.

12 MR. WACHOWIAK: Yes.

13 CHAIRMAN CORRADINI: I just want to  
14 correlate the difference with the pink and the blue.

15 MR. WACHOWIAK: And one of the things that  
16 we looked at when we investigated that, because we ere  
17 comparing the flow rate through the break compared to  
18 what the Moody slip flow table should tell you, and  
19 the flow rate that we're seeing in TRAC G was higher  
20 than that, and when we investigated that particular  
21 thing, we were told by our analysts, TRAC G analysts,  
22 that they did that on purpose because it's  
23 conservative to maximize the flow out the break,  
24 whereas the PRA success criteria you wouldn't -- you  
25 want to use a realistic flow through the break. So we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 used the model that matches, more closely matches the  
2 experiment.

3 So once again, every cross-code comparison  
4 that anybody ever does is extremely hard to do because  
5 of assumptions that were made 25 years ago that don't  
6 always get carried forward into these things.

7 CHAIRMAN CORRADINI: So but just to repeat  
8 so that we've got it correctly, for the red line or  
9 the pink line, the break flow is larger by the 66  
10 percent or one over 66 percent.

11 MR. WACHOWIAK: No, that was the GDCS line  
12 flow area.

13 CHAIRMAN CORRADINI: Oh, excuse me. So  
14 say it again.

15 MR. WACHOWIAK: -- bottom line flow area.  
16 This is a break flow model.

17 CHAIRMAN CORRADINI: Okay.

18 MR. WACHOWIAK: Now, TRAC G and MAAP used  
19 the same model, right, for injection flow as break  
20 flow. Is that true?

21 Different regimes. Let's not go there.

22 CHAIRMAN CORRADINI: If I might repeat  
23 this so I get it right, the inventory is lower, but  
24 the model is a conservative break flow model rather  
25 than a best estimate model in TRAC G.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: That's correct.

2 CHAIRMAN CORRADINI: And that was  
3 uncovered when you guys went back and looked and said  
4 why is the break flow so different between the two  
5 simulations.

6 MR. WACHOWIAK: Well, it started out why  
7 is the break flow different between the two  
8 simulations, and then we said, "Well, wait a minute.  
9 When we pull out Moody and we calculate with pressure  
10 what the break flow should be, we don't get what TRAC  
11 G has. TRAC G has more than that, and their response  
12 is that's right. There's a conservative model that  
13 tends to maximize the break flow rate.

14 CHAIRMAN CORRADINI: But is that model  
15 just for the sake of it's something?

16 MR. WACHOWIAK: Yeah, it's a name of the  
17 model. I don't know what it is though. Don't ask me  
18 to explain it because I don't -- other than knowing  
19 that it's more conservative than what we have, that's  
20 the extent of what I know.

21 MEMBER ABDEL-KHALIK: I guess I'm a bit  
22 confused. I understand that break flow in TRAC G is  
23 higher than MAAP because of the difference in models.  
24 Can you tell me what the effect of the fact of the  
25 choke flow are or the flow area in one case is 66

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 percent lower than the other, whereas in the case of  
2 TRAC G I guess the nozzle is the smallest area rather  
3 than the valve.

4 MR. WACHOWIAK: There is the difference.  
5 There is the difference there, is that TRAC G gives  
6 higher GDCS flow from that line.

7 MEMBER ABDEL-KHALIK: So despite the fact  
8 that you're getting GDCS flow in TRAC G, you're still  
9 predicting higher peak clad temperature.

10 MR. WACHOWIAK: And that's because you go  
11 back up to the level.

12 MEMBER ABDEL-KHALIK: Because of the  
13 higher flow rate out of the hole.

14 MR. WACHOWIAK: Right.

15 CHAIRMAN CORRADINI: You don't even  
16 uncover. I mean, the key thing is with the break flow  
17 that they've -- I mean, let me say it so that we've  
18 got the two things. With the break flow chosen in the  
19 MAAP calculation, you never uncover the core, whereas  
20 you do uncover the core and you get heat-up in the  
21 TRAC G calculation. That's why the black line was in  
22 between the two.

23 Can you go up?

24 That's why the black line was in between  
25 the two on the inventory. Show your inventory thing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yeah, right?

2 So you don't even uncover the core. You  
3 barely uncover the core with MAAP. You uncover the  
4 core by about two or three feet with TRAC G, and then  
5 Said's second point which is important is the recovery  
6 is much faster with the red line because it's blowing  
7 in more water.

8 MR. WACHOWIAK: Yes, and so now what's  
9 difficult here is now to say what does this tell us.  
10 Our success criteria that we chose in the PRA was two  
11 GDCS values, and what this is showing here is that  
12 with one in TRAC G we're successful, and in this  
13 particular case with MAAP, we didn't even need one to  
14 be successful. We could be successful with less than  
15 one.

16 So it means that our success criteria of  
17 two is robust in the PRA, and that's what we were  
18 trying to get at with these sets of calculations.

19 CHAIRMAN CORRADINI: This is back to the  
20 success criteria, the second point.

21 MR. WACHOWIAK: Yeah, the purpose of the  
22 calculation isn't to show that two codes do the same  
23 thing. The purpose is to show that the success  
24 criteria that we use in the PRA is robust, and we  
25 think that with this set it demonstrates that our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 selection of two GDCS valves is robust, and if we went  
2 and we repeated this same thing for the DPVs or for  
3 the PCCS and all the rest of that, we would end up  
4 with the similar sorts of results saying, yes, it's  
5 robust.

6 Now, this RAI didn't ask us to go through  
7 all of those separate scenarios, but the process would  
8 be similar, and once again, we learn from this that  
9 it's something that we probably already knew, but we  
10 could get it more to a more precise thing, is about  
11 what level in the core that the two-phase level  
12 reaches is an adequate predictor of when we're going  
13 to start getting heat up.

14 MEMBER APOSTOLAKIS: So this resolves the  
15 issue of uncertainty?

16 CHAIRMAN CORRADINI: This only answers the  
17 RAI.

18 MEMBER APOSTOLAKIS: Well, can we ask the  
19 key question? How do we resolve the issue of  
20 uncertainties? Are there any uncertainties?

21 MR. WACHOWIAK: let me go back through the  
22 whole thing.

23 MEMBER APOSTOLAKIS: I don't understand  
24 that. I mean, I can see these studies. I'm sorry.

25 MR. WACHOWIAK: Let we talk about all of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the pieces that we've done for the thermal hydraulic  
2 uncertainty.

3 MEMBER APOSTOLAKIS: Okay, all right.

4 MR. WACHOWIAK: The first thing that we  
5 did was that we would calculate the minimum complement  
6 of equipment needed to reach success.

7 MEMBER APOSTOLAKIS: And this is done with  
8 point estimates essentially.

9 MR. WACHOWIAK: With point estimates.  
10 However, the matrix that we have for looking at all  
11 these things does include variations of certain  
12 parameters that EPRI in their technical reports have  
13 shown to influence the success criteria.

14 So there is a -- it's not only point  
15 estimates, but there are also some parameter  
16 variations that EPRI says that when you're using it  
17 for success criteria you should investigate ranges of  
18 these parameters.

19 MEMBER APOSTOLAKIS: Which brings me  
20 really to the key question here. What in your opinion  
21 are the uncertainties here?

22 If I understand that or if we understand  
23 that, then we can look at how you're addressing them  
24 and see whether it makes sense. So what are the key  
25 uncertainties when you are dealing with a passive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system?

2 One is this business of non-condensable  
3 gases, and you said you're going to address that some  
4 time in the future, right?

5 MR. WACHOWIAK: We've addressed it by  
6 putting a design requirement for sloping of the lines.

7 MEMBER APOSTOLAKIS: So that's it.

8 MEMBER ABDEL-KHALIK: Well, we'll see how  
9 the system responds under these conditions.

10 MEMBER APOSTOLAKIS: Yeah, that's what I'm  
11 saying.

12 What else? Is there any other thing that  
13 you feel is uncertain here that may be a contributor?  
14 You said the EPRI has identified some of those. What  
15 are they? Are there any correlations that are not  
16 very well understood or applicable?

17 MR. WACHOWIAK: Talk about the fact of  
18 input parameters, the sensitivity suggested --

19 MEMBER APOSTOLAKIS: Yeah, I want to  
20 understand that.

21 CHAIRMAN CORRADINI: George, I'm still  
22 cloudy as to what uncertainty you're asking about.  
23 Thermal hydraulic uncertainties or for the PRA?

24 MEMBER APOSTOLAKIS: For the PRA.

25 CHAIRMAN CORRADINI: Fine.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: For the PRA, you  
2 know, if you read a little bit about passive systems,  
3 they will tell you that, you know, unlike active  
4 systems they're more sensitive to various  
5 uncertainties that exist, and they give you some  
6 examples.

7 So I'm trying to understand what are the  
8 uncertainties that we're addressing here and then how  
9 we're addressing them.

10 CHAIRMAN CORRADINI: Got it. One of the  
11 things that we would notice with our passive system,  
12 this GDCS system, is that it's not as subject to these  
13 uncertainties as some other systems might be. We do  
14 have -- I'm trying to remember what the number is --  
15 30 feet ahead on the GDCS line for getting injection  
16 started versus I think in some of the earlier reports  
17 that we're talking about passive systems, they were  
18 talking about two pretty much equal pools with a check  
19 valve in between, and there's zero head there.

20 Now, certainly it's not 250 pounds like a  
21 LPIC pump, but still it's not zero, and so we would  
22 expect things like in some of these cases, the  
23 previous case we saw, is as the core is requeenching,  
24 the pressure inside the vessel is changing, and that  
25 pressure inside the vessel is enough change to have an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 influence on the flow rate of the water that's coming  
2 in from the GDCS pool.

3 It's not enough to stop it, but it's  
4 enough to have an influence on it, and so one of the  
5 uncertainties is how much influence do we have on that  
6 flow rate, given that we're trying to -- the same  
7 questions that we had to the BiMAC. Is there enough  
8 head to run water up through the core while it's  
9 flashing in the core at the same time?

10 So that's one of the things, and I think  
11 that through these, I think we've shown using two  
12 different correlations for film boiling in the core  
13 region that we can get an adequate reflood in the  
14 range where the fuel is assumed to be as hot as it can  
15 get without being fed.

16 So that was one of the uncertainties that  
17 we were trying to address. The main uncertainty, I  
18 think, is the flow rate.

19 Now, this question that comes in is is  
20 there some kind of gas binding in those pipes. That's  
21 going to be -- we'll have to see what questions you  
22 ask and what --

23 CHAIRMAN CORRADINI: Just to interject,  
24 that's outside of the -- that's back in the DB area.  
25 We asked them when you were doing --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: Okay. So I don't want  
2 to --

3 MEMBER SHACK: -- the water doesn't get  
4 in.

5 MR. WACHOWIAK: And that would be a design  
6 issue. In the PRA we've kind of assumed that -- and  
7 it's an assumption -- we assumed that the plant is  
8 designed properly, and that's an assumption that we  
9 have to make in the PRA or we get an NP complete  
10 problem that we have to solve.

11 CHAIRMAN CORRADINI: Okay. I want to do  
12 a time check because I'm going to lose some members  
13 shortly. So I know John has a couple of questions  
14 back on things related to the thing. I wanted to make  
15 sure we addressed George's question and other  
16 questions relative to this topic and then move back to  
17 John's questions.

18 MR. WACHOWIAK: So let me get back to the  
19 one question. The one thing on uncertainty is the  
20 total flow area from the GDSCS pools into the reactor  
21 because in this flow regime, the total number of  
22 valves or injection points that would inject is almost  
23 a linear relationship kind of sort of almost to the  
24 flow.

25 So what we've looked at here is, one, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 calculate what the minimum complement is. We add one  
2 to address that we may not know exactly how much flow  
3 there's going to be, and then there are some other  
4 areas there, and then the third piece that we did was  
5 we said now what does it take before the PRA numerical  
6 results have been significantly influenced?

7 So if one is what we calculate, we say we  
8 need two, and then three changes the CDF by a factor  
9 of 1,000, well, we're in an unstable range here where  
10 we're able to calculate what the CDF is, but in fact,  
11 when we say our code shows we need one, we use two as  
12 the success criteria, but six is where the break point  
13 is before you start to radically change the PRA.

14 We think we're in a pretty stable regime  
15 here, that adding the one sufficiently addresses the  
16 uncertainties, and even if we weren't exactly right,  
17 two to three isn't going to change the numerical  
18 results or, you know, still if you want a best  
19 estimate, two to one isn't going to change the  
20 numerical results either.

21 MEMBER APOSTOLAKIS: So basically the way  
22 you manage it is by adding this extra one, by saying  
23 that the code shows that I need to add, I will demand  
24 two.

25 CHAIRMAN CORRADINI: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: And then the  
2 assumption there which may be a pretty good assumption  
3 is that even if there are uncertainties in the  
4 calculation with one, because if I do the second one  
5 I have overwhelmed them. Is that the logic?

6 Without saying whether it's right or  
7 wrong, that's the logic.

8 MR. WACHOWIAK: That's the logic, and that  
9 logic works when the change in CDF, by changing that  
10 success criteria remains relatively flat in the region  
11 that we're looking at. So in the zero to one to two  
12 region, that success criteria has very little effect  
13 on CDF.

14 Five to six is a different change, and we  
15 would have to do the uncertainty calculations that  
16 address uncertainty differently if we were on that  
17 other part of the curve. So a combination of all of  
18 those things --

19 MR. SEEMAN: So right here is our base  
20 case, and so you can see --

21 MEMBER APOSTOLAKIS: You're looking at?

22 MR. SEEMAN: Okay. This is our core  
23 damage frequency results.

24 MEMBER APOSTOLAKIS: Okay.

25 MR. SEEMAN: Or base case, and this number

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just has to do with the truncation level that we use  
2 to run this. So our existing success criteria is two  
3 of eight, GDCS lines, four of eight DPV valves opening  
4 and PCCS heat exchangers four of six. So if we change  
5 that to five of eight GDCS valve, essentially no  
6 difference.

7 If we changed it to five of eight GDCS  
8 valves, eight of eight DPVs and five of six PCCS, the  
9 heat exchanger there's still essentially no change.  
10 But when we went to six of eight GDCS lines, six of  
11 eight DPVs, and five of six, well, okay, now we may be  
12 a factor of almost two, and it wasn't until we get to  
13 six of eight GDCS lines, six of six PCCS and six of  
14 eight, that's when we started.

15 So here we didn't have any redundancy, and  
16 the problem, what was happening here, I think, is we  
17 had a test and maintenance firm for the PCCS heat  
18 exchangers. So you know, you can see that we're way  
19 down here, and until we get to six of eight --

20 MEMBER APOSTOLAKIS: Excuse me. This blue  
21 bar, these are the results of the PRA calculations  
22 with different examples, the redundancy.

23 MR. WACHOWIAK: Yes.

24 MR. SEEMAN: Well, yeah. Here we've  
25 changed our top.

1 MEMBER APOSTOLAKIS: Instead of two out of  
2 eight you say three out of eight, four out of eight,  
3 and you do your PRA. That does not involve any  
4 thermal hydraulics.

5 MR. WACHOWIAK: No, that is not thermal.

6 MEMBER APOSTOLAKIS: So far so good. Then  
7 the thermal hydraulics comes when you actually run  
8 these codes, right? With one out of eight and you  
9 show that it's good enough. So then you're saying if  
10 I move to two out of eight, that's even better, and if  
11 there were any uncertainties in my one out of eight,  
12 the two out of eight takes care of it. That's the  
13 logic.

14 MR. WACHOWIAK: That's what we're saying,  
15 and that logic works as long as we're on that part of  
16 the curve and it makes little difference whether it's  
17 one out of eight, two out of eight --

18 MEMBER APOSTOLAKIS: Okay. Now I  
19 understand. I think it's reasonable.

20 MEMBER SHACK: But he could even address  
21 more if he took three out of eight to really cream the  
22 uncertainties. It still wouldn't change his answer.

23 MEMBER APOSTOLAKIS: They could. They  
24 could.

25 MR. WACHOWIAK: But what we end up doing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       though is we start to introduce more and more  
2       unrealism, and that causes other problems.

3                   MEMBER APOSTOLAKIS:    So the only thing  
4       that is left out here is, which is probably extending  
5       the unlikely, is there is a sump coupling mechanism  
6       that can defeat three or four of these things, you  
7       know, and overwhelm and defeat this argument, but I  
8       think that's a very --

9                   CHAIRMAN CORRADINI:    The staff has a  
10       comment.

11                   MR. DUBE:    Yes.   Don Dube.

12                   Mainly it's a question, but this is a  
13       direct result also of the fact that in your common  
14       cause failure model, you don't take credit after the  
15       fourth valve or so.    I mean your conditional  
16       probability of the fifth valve is one, and so on and  
17       so forth.   That's why you're relatively flat.

18                   MR. WACHOWIAK:   That is one of the reasons  
19       why it's flat.

20                   MEMBER APOSTOLAKIS:    Because the common  
21       cause failure is not --

22                   MR. WACHOWIAK:    And it's probably one of  
23       the larger influence on it.

24                   CHAIRMAN CORRADINI:    Okay.   So can we turn  
25       to additional questions that are not thermal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hydraulic? John.

2 MEMBER STETKAR: Yes.

3 CHAIRMAN CORRADINI: Back up.

4 MEMBER STETKAR: Thanks.

5 CHAIRMAN CORRADINI: You get one, maybe  
6 two.

7 MEMBER STETKAR: Okay. I'd like to  
8 mention two we're asking. You're going to need  
9 probably your model, guys. The three areas that I was  
10 kind of looking at, one was modeling logic. Is the  
11 and and/or logic correct?

12 And originally had some questions. I  
13 think the Rev. 3 models that we didn't see may have  
14 fixed those, at least the ones I found.

15 The second area was completeness of the  
16 models, and that got into are we modeling -- does the  
17 PRA model include the equipment in the design? That's  
18 the manual valves and all of that kind of stuff, and  
19 does it complete the account for all of the causes for  
20 failure, given the fact we have all of the equipment.  
21 That got into treatment and maintenance and those  
22 types of issues.

23 The third thing that I haven't talked  
24 about at all, and that's why I wanted to bring it up  
25 while everybody is here, is the treatment of physical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and functional dependencies in the model, and I want  
2 to address that in two specific examples just because  
3 of the time.

4 The first example is a standby liquid  
5 control injection line break. In the Rev. 2 PRA  
6 model, it was modeled as a medium LOCA. I understand  
7 you have moved it over into the small LOCA model, and  
8 I understand why, and I don't have any problem with  
9 that.

10 I want to understand how it's modeled,  
11 however. Is it only included as a contributor to the  
12 frequency of small LOCAs or is it modeled as a  
13 completely separate initiating event?

14 MR. WACHOWIAK: He's going to check, but  
15 I'm pretty sure it's a contributor to small LOCAs.

16 MEMBER STETKAR: So it's just another  
17 small LOCA.

18 MR. WACHOWIAK: We'll check.

19 MEMBER STETKAR: And I need to know the  
20 answer to that question because it's really important.  
21 I mean, I may shut up after that.

22 CHAIRMAN CORRADINI: You may or will?

23 MEMBER STETKAR: On this particular issue,  
24 I will depending on the answer

25 MR. WACHOWIAK: Okay. So --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: Well, the other issue is  
2 a little more convoluted. This one theoretically is  
3 simple. The other example is a little more  
4 convoluted. This one --

5 MR. WACHOWIAK: So, Walter, they're  
6 looking for that. We have it as a contributor, but  
7 there are things that are associated with that in that  
8 you remember that one case yesterday where we had the  
9 initiating event plus the other infraction to address  
10 a broken GDCS line down --

11 MEMBER STETKAR: I want to see how that's  
12 modeled, and in particular, while they're looking, I  
13 want to look and see how that break is treated in the  
14 ATWS model.

15 MR. WACHOWIAK: And I think how that  
16 particular break is treated in the ATWS model. In the  
17 standby control system tree is the break. Is there an  
18 initiator impact on the break?

19 MEMBER STETKAR: You can't do a fractional  
20 percent because that's a fraction of all small LOCAs.  
21 It has got to be that event.

22 MR. WACHOWIAK: We treated that in the  
23 GDCS line. You saw how we treated that in the GDCS  
24 line. They're looking --

25 MEMBER STETKAR: I didn't see how you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 treated it because I haven't seen the fault tree that  
2 has it in it because every fault tree that I've ever  
3 seen has not had that in it. So I couldn't -- I  
4 haven't seen any of these house events ever.

5 MR. LI: Okay. So can I speak now?

6 CHAIRMAN CORRADINI: Yeah.

7 MR. LI: This is Jonathan Li from GEH.

8 You know, we just performed a simple  
9 search. When you find those percent something is  
10 initiated. We include initial impact, you know. The  
11 way we model like the stick (phonetic) is kind of  
12 front line system. Below the front line system you  
13 have all of the supporting systems. So some of the  
14 initial impact is captured in the supporting system.  
15 In this case especially it's in the I&C model. So you  
16 have a signal. After this select system, you know,  
17 which is logical. You know, how do you actuate  
18 select?

19 The actual incinerator has to be coming  
20 from the control system. So the impact is captured in  
21 the I&C model.

22 MR. WACHOWIAK: And so what's in the I&C  
23 model is the small break. So in a small break LOCA --

24 MR. LI: Well, that you need to search our  
25 basis. Now that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: So small break LOCAL,  
2 failure to SCRAM.

3 CHAIRMAN CORRADINI: Because of time, let  
4 me stop there because we're not going to answer my  
5 question in real time. My concern is for the staff so  
6 that they hear it and so that the other members hear  
7 it, is that what happens is the small break loca  
8 model, if the control rods do not insert, if I don't  
9 shut down the reactor, you require for all ATWS  
10 situations, you require standby liquid control  
11 injection.

12 The success criteria is I require  
13 injection from both trains. If I have injection  
14 through only one train, I lose. I go to melt. If I  
15 have a broken standby liquid control injection line,  
16 I am guaranteed to not have injection through both  
17 trains. I am guaranteed to go to melt for the  
18 conditions standby liquid control injection line break  
19 and control rods fail to insert, and all conditions  
20 come out of the ATWS model and go to melt for that.

21 I would like to see how that is handled  
22 because in anything that I could see in the Rev. 2 and  
23 the Rev. 3 fault trees that I could look at did not  
24 have that in it, did not have that in it.

25 CHAIRMAN CORRADINI: Did not have that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 particular --

2 MEMBER STETKAR: Did not have that  
3 tradition.

4 CHAIRMAN CORRADINI: Did not have that  
5 conditionality.

6 MEMBER STETKAR: Did not have that  
7 conditionality. It was just not in there. So I had  
8 that question about how was that handled.

9 Second issue comes in through support  
10 systems, and it's a similar issue. That's kind of a  
11 physical/functional because I can consider it a  
12 functional because the functional success criteria  
13 requires something that I don't have. Now, you can  
14 think of that as physical.

15 The other part is, for example the -- and  
16 there are several examples of this one. I'll use loss  
17 of instrument here only because it's something that  
18 also moved around between Rev. 2 and Rev. 3. I had a  
19 question on it in Rev. 2 as far as what are the  
20 impacts from loss of instrument air and how as an  
21 initiating event loss of -- and it's called complete  
22 loss of compressed air or something like that.

23 Rev. 2 is treated as a general transient.  
24 Now it's treated as a contributor to loss of feedwater  
25 because you recognize that loss of air will cause loss

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of feedwater. That's a functional impact. So it was  
2 reallocated to the right initiating event category.

3           However, again, nowhere in the models for  
4 the loss of feedwater initiating event response can I  
5 see anything that has a flag or a house event or some  
6 condition set that said for the loss of air initiating  
7 event I fail the air systems because air is required  
8 for a large -- it may not be directly required, but  
9 it's a contributor to many of the systems that are in  
10 the model.

11           MR. WACHOWIAK: That one we should have.

12           MEMBER STETKAR: And it might be in there  
13 now, but I'll tell you on Sunday I couldn't see it in  
14 anything that I have. So it's really, really  
15 difficult for me as a reviewer now to understand how  
16 the model works. There's nothing in words that tells  
17 me, hey, for this initiating event this is what we  
18 did. There is not a story there, nor is there any  
19 logic diagram, fault tree logic or anything, that  
20 shows me how it was done.

21           So when I went to go look for this, I  
22 couldn't find it. Hence the question.

23           Now, from what you seem to be popping up  
24 now, they seem to be wired in there. When they got  
25 wired in there, I have no idea. It must have been in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Rev. 3. I trust that the pictures in Rev. 2 were the  
2 Rev. 2 pictures because you spent the money to print  
3 them, you know, make PDF files out of all of them.

4 MR. WACHOWIAK: Yeah, and this was one of  
5 the things where in Rev. 2 I think many of these  
6 things -- weren't these the things that Eric handled  
7 manually in Rev. 2 and then in Rev. 3 he specifically  
8 put them into the model so that they didn't need to  
9 be --

10 MEMBER STETKAR: Well, they're really  
11 important because I mean I had a whole laundry list of  
12 these things. For example, do you lump together  
13 electric power failures at the non-safety buses in the  
14 general transient model because you argued well it  
15 will give us a turbine trip?

16 However it gives you a turbine trip, but  
17 also fails power. You know if it's a single bus,  
18 it'll fail power to equipment that you're taking  
19 credit for in the feedwater system, condensate sample,  
20 for example, and that dependency should be gone  
21 through the model. I mean, the things that we've  
22 learned from doing many, many other, you know,  
23 standard plant PRAs is that the correct treatment of  
24 especially support system dependencies is really  
25 important, and a lot of times people run those through

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as -- I don't care what logic model structure you use,  
2 whether you use a transient model or something that  
3 looks like a feedwater model, but correctly accounting  
4 for those dependencies from that particular initiator,  
5 whether it's a loss of this bus, whether it's a loss  
6 of instrument air, whether it's a loss of DC power,  
7 whether it's a loss -- you know, this standby liquid  
8 control line break, that those dependencies are,  
9 indeed, correctly modeled through the whole thing,  
10 Level 1 through Level 2.

11 CHAIRMAN CORRADINI: So --

12 MEMBER STETKAR: I'm done.

13 CHAIRMAN CORRADINI: So you've expressed  
14 it. Is this something as a take-away for staff to be  
15 aware of or is there more discussion at this point?

16 MR. LI: I think we can respond.

17 CHAIRMAN CORRADINI: Briefly. We're going  
18 to lose some members, and I need to get some sort of  
19 wrap-up comment before they dash out of the room.

20 MR. WACHOWIAK: And I think it's going to  
21 need to be probably a combination of things where you  
22 may when you're looking, you may want to look for the  
23 specific things, but we can tell you in general what  
24 we try to model in this model.

25 MR. HOWE: Right. This is Justin Howe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from GEH.

2 And I think in general what you'll see is  
3 if you look at the front line systems that depend on  
4 air, you won't see the explicit initiating event there  
5 because I can say, because all you're see is the  
6 support gate that is the top gate for the instrument  
7 air system, and under there is where we capture --

8 MEMBER STETKAR: Yeah, I don't care where  
9 the flags are flown. I want to see that the flags are  
10 there, the house of answer, whatever it falls,  
11 switches.

12 MR. WACHOWIAK: I think in most of these  
13 cases you'll find now that they're there explicitly in  
14 the model because that was one of the upgrades that we  
15 did for Rev. 3, was to get them out of this nebulous  
16 manual thing and into the automatic calculation.

17 I will have to look at this, but I am a  
18 little concerned with the standby liquid control one  
19 because of how it got from the old medium LOCA which  
20 I think didn't consider ATWS and medium LOCA or was  
21 medium LOCA --

22 MEMBER STETKAR: It did not. Medium ATWS  
23 was directly there. You can worry about the small  
24 break. I didn't worry about it at that time.

25 CHAIRMAN CORRADINI: And also because it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was not considered before and when it was moved into  
2 the different initiator, there is a potential that we  
3 missed that when we created --

4 MEMBER STETKAR: My question changes when  
5 I saw that you moved it, but it was the same kind of  
6 one.

7 MR. LI: Okay. This is Jonathan Li from  
8 GEH.

9 We brought up the Revision 2 also here.  
10 So when you see what I'm trying to show here is I find  
11 that percent T-RA, which his loss of --

12 MEMBER STETKAR: But that's a basic event.

13 MR. LI: It's basic event, yes. What I'm  
14 showing is it shows parents (phonetic), The parents  
15 which means where this initiator showed up. This  
16 initiator showed up in a lot of places. One place  
17 this initiator, a group of initiators -- another place  
18 is under that P52, which is instrument air assistant  
19 tock (phonetic). So that thing can fail instrument  
20 air when for other fronting system, you know, it  
21 transfer to P52 and it fails that way.

22 MR. WACHOWIAK: Let me get -- the way we  
23 do this, the way our code works is if you have the  
24 initiating event in two places. So if the initiating  
25 event fails instrument air, when the quantification is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 done, every initiator that starts or every sequence  
2 that starts with a loss of air also includes through  
3 the support system the failure of the instrument air  
4 system. So anything that we would have counted on  
5 that would have required instrument air in that tree,  
6 it has already failed.

7 MEMBER STETKAR: As long as that's done  
8 correctly and consistently, you know, and there are a  
9 bunch of different -- the mechanics of doing it is the  
10 mechanics of doing it. You know, the key is to be  
11 able to see and understand that it's done consistently  
12 and completely.

13 MEMBER STETKAR: And I think that one was  
14 in Rev. 2.

15 MR. WACHOWIAK: Was it?

16 MEMBER STETKAR: Yeah, in instrument air.

17 MR. LI: The change from Rev. 2 --

18 MEMBER STETKAR: I didn't recognize it  
19 because I'm more used to seeing house events and  
20 things like that. Basic events, I always worry about  
21 basic events because they are numbers usually.

22 MR. WACHOWIAK: Yeah, it starts with a  
23 percent sign and is an initiator. So initiators that  
24 are buried down in fault tree models are meant to  
25 address exactly what you're talking about.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: Keep it as a take-away  
2 for the staff because if they're going to do this  
3 audit of the Rev. 3 models, which as I understand,  
4 just be aware of something to look for.

5 CHAIRMAN CORRADINI: Good. So at this  
6 point I'm going to thank the GEH because I'm going to  
7 start losing my Subcommittee and thank the staff, and  
8 I'd like to turn and go past all of the Subcommittee  
9 that I could get some brief summary, and in Dennis'  
10 and in John's case, potentially in George's case,  
11 you're going to send me things written.

12 All right. Let me start with Bill since  
13 you are primed.

14 MEMBER SHACK: It was a very good meeting.  
15 I think I learned a lot about the PRA. I think I'm  
16 convinced that the PRA meets the expectations it needs  
17 for the design certification. So I'm happy.

18 MR. KRESS: I would have to put ditto  
19 marks on exactly what he said, and I can't comment on  
20 the BiMAC because I have a conflict of interest. The  
21 PRA, I think it meets the needs for certification.

22 CHAIRMAN CORRADINI: Dennis. And I'm  
23 waiting for George to come back. So I'm starting in  
24 an odd place.

25 Dennis, go ahead.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Mine is a little longer.  
2 I'm going to include three things that came up at the  
3 June meeting that we haven't talked about again that  
4 are still on the table for me. I'm not quite as  
5 convinced that the PRA is adequate because there are  
6 -- even if we were to say that a Category 3 PRA is  
7 fine for this, it's got to have fidelity to the plan.  
8 What I'm hearing is --

9 CHAIRMAN CORRADINI: Category 1 you meant,  
10 right?

11 MEMBER BLEY: Yeah, whatever I said, I  
12 meant Category 1.

13 CHAIRMAN CORRADINI: Okay.

14 MEMBER BLEY: I was thinking about the  
15 next thing. I'll give you this sheet if you want,  
16 Mike.

17 CHAIRMAN CORRADINI: Writing it up later  
18 would be much better, but go ahead.

19 MEMBER BLEY: Oh, okay. I think to have  
20 the kind of confidence that was expressed by the first  
21 two members, there's a few things I need to hear back  
22 from staff. One of them is that they've reviewed the  
23 Rev. 3 PRA models and can assure us that essentially  
24 the errors that were apparently in the Rev. 2 models  
25 have been fixed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now, I didn't hear that staff had  
2 identified those errors, but John talked about a lot  
3 of them. For example, I went to the isolation  
4 condenser tree and right down in the second page of it  
5 when you start looking at failure, now, these were  
6 identified in the Rev. 3 write-up as we took care of  
7 a problem with dependence on nitrogen and something  
8 else, but we had a failed open valve treated as a  
9 failed closed valve. We had a valve that was stated  
10 in the drawing and in the write-up as motor operated  
11 being treated as an air valve. So there were just  
12 errors, and you need to look down and make sure those  
13 aren't around.

14           I'd like to hear -- and this is from the  
15 last time -- that the report in the last time that we  
16 had a discussion, that you guys found the initiating  
17 events through a combination of looking at old  
18 initiating events through the old NUREG and through  
19 something like a failure mode and effects analysis of  
20 the individual ESBWR systems, which is the kind of  
21 structured approach I think you need to look at new  
22 passive designs. Is there something here that's  
23 unique and could get us in trouble?

24           I haven't been able to find it, but I hope  
25 staff has reviewed that and is confident that it can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pick up the unusual events that might be associated  
2 with the design.

3 It also talks about not credible in there  
4 and it seems an unusual phrase to be in the midst of  
5 this kind of analysis.

6 The third one is the bases and uncertainty  
7 in the success criteria I'd like to hear have been  
8 reviewed and seem to be reasonably thorough. We heard  
9 one yesterday that kind of came because Theo said this  
10 was good enough, but now when you look in detail, you  
11 need more than that. I'd like to see some detail on  
12 that. That's enough on that one.

13 Conditional analysis, what John was just  
14 talking about and the flags, it wasn't -- at least I  
15 didn't see it mentioned even in the PRA document. I  
16 know it's all in the model, but it seems to me there  
17 should have been an explanation that you looked at  
18 these things under conditional situations, and I'd  
19 like to hear that the staff has dug into that and  
20 think that's, other than the two we brought up here,  
21 that that's consistently been handled well.

22 Finally, there's data, and I know there's  
23 lots of possibly inapplicable data at this point in  
24 time because there are new systems. The one I brought  
25 up last time was the vacuum breaker, and that one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 still bothers me and that hasn't been changed.

2           The prior, I think, has no basis, and  
3 completely dominates the answer of the so-called  
4 Bayesian analysis. It's an odd, it's an unusual new  
5 design, and it seems to me requires some thought on  
6 the common cause aspects of it. That's a gap to me  
7 right now, but that's not enough to say the PRA is not  
8 good enough.

9           On the BiMAC, again, I didn't hear the  
10 assurances yet on these things, and I was interested  
11 in that. The first one is that the so-called  
12 significant sequences all had greater than six hours.  
13 So the assumptions for the tests are reasonable. I'd  
14 like to have that confirmed, that you think that's  
15 reasonable.

16           The ROAMM process down side that George  
17 brought up of not looking at the alternative paths, I  
18 haven't seen anything that talks about why that's a  
19 reasonable thing and can't get us into trouble.

20           The elicitation process, I'd like to hear  
21 that the elicitation process in its review was sound  
22 and that the results are supportable. we haven't seen  
23 that yet, and --

24           CHAIRMAN CORRADINI: We'll get a copy of  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: We'll get a copy, but I want  
2 to hear from staff on that one. We haven't heard from  
3 staff on that one.

4 And the other two sets of questions on  
5 that I don't think were answered here, and I'd like to  
6 hear answers. Tom and Mike talked about the three  
7 conditions at the time of deluge and have they been  
8 addressed, and Said talked about the scaling issues  
9 for the experiments.

10 And the last thing isn't associated with  
11 this, but I want to get it on the table. The ISG that  
12 says the ASME Category 1 PRA is good enough for design  
13 cert. and COLs I think passed through my hands about  
14 a month ago, and our staff asked if we wanted to look  
15 at that and I said yeah. And I think we want to look  
16 at that.

17 CHAIRMAN CORRADINI: Again? I'm sorry.

18 MEMBER BLEY: They mentioned yesterday the  
19 interim staff guidance that says the ASME Category 1  
20 PRA is good enough for design certification and COL  
21 PRAs. We haven't reviewed that. I believe our staff  
22 asked me if we should, and I told them yes, and I  
23 think we should.

24 CHAIRMAN CORRADINI: Okay. George, we're  
25 going --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Everybody else has  
2 spoken?

3 CHAIRMAN CORRADINI: On the left-hand  
4 side. We're going to the right.

5 MEMBER BLEY: Clockwise.

6 MEMBER APOSTOLAKIS: Okay. On a fairly  
7 high level, I think there are two or three things that  
8 have been resolved in my mind, and I'm very pleased  
9 that this was happening. We had extensive discussions  
10 on what it means to use PRA in the design  
11 certification phase and especially Don Dube's citation  
12 there and the ensuing discussion put my mind at ease  
13 because in the future a lot of the detailed stuff that  
14 may need correction will be corrected not necessarily  
15 by you guys, but of another phase, and that this PRA  
16 has been used appropriately.

17 I was very impressed by how well GEH stood  
18 up to John Stetkar.

19 (Laughter.)

20 MEMBER APOSTOLAKIS: I think they did a  
21 hell of a job, which makes me feel much better about  
22 the PRA. That doesn't mean that all of the issues  
23 have been resolved, but there were people here who  
24 were saying, no, we did this; we didn't do that; and  
25 we know that we did this, and so on, which I think is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 very, very good.

2 The problem of documentation, we  
3 understand that now. That's going to be resolved. So  
4 overall I'm very pleased with this handling of  
5 uncertainties. I mean, I tend to go along and believe  
6 it, but it would be nice to see maybe the single  
7 calculation that was done with the thermal hydraulics  
8 to actually include some uncertainties.

9 But maybe it's a detail that -- I don't  
10 expect, in other words, the peak to jump up if you do  
11 it and all of that, but again, you have to, I have to  
12 rely on my judgment if that's the case, but a more  
13 complete argument would include the uncertainties in  
14 one calculation.

15 But at the same time, maybe we don't  
16 understand all of these uncertainties, and by doing  
17 this kind of, you know, adding one extra --

18 MR. KRESS: The uncertainties would be  
19 different, the success criteria for one, than they  
20 would be for two because you've told the thing to an  
21 entirely different flow regime. With two you don't  
22 even uncover the core. With one you uncover the core.

23 MEMBER APOSTOLAKIS: Right. So it would  
24 be nice to see --

25 MR. KRESS: So you have different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uncertainty levels depending on them. I would say,  
2 you know, with these thermal hydraulic calculations,  
3 you're talking about percentages, like factors of 50  
4 percent, as opposed to factors of ten.

5 MEMBER APOSTOLAKIS: Yeah. Anyway,  
6 overall I'm very happy with what I heard.

7 CHAIRMAN CORRADINI: John.

8 MEMBER STETKAR: Thanks a lot. You guys  
9 did good.

10 I'd echo George's. I feel a lot more  
11 comfortable in about PRA and your knowledge of the  
12 PRA. I might have a difference of opinion, but at  
13 least in many of the areas that I question you had  
14 active reasons for doing what you did and were aware  
15 of them anyway. So that's really good. That helps.

16 I do, however, still, because this devil  
17 is in the details and the fidelity of the PRA to model  
18 the design as we understand it today, think that it is  
19 important, echoing Dennis' sentiment, that we as a  
20 Committee have better assurance -- and this is  
21 directed at the staff -- that the staff has taken away  
22 some of these concerns about completeness and what may  
23 sound like details but, indeed, are important so that  
24 at the end, the next time we hear back on this we have  
25 reasonable assurance that the staff has looked at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PRA as it is today, Rev. 3.

2 And in my mind, the changes that have been  
3 made to the PRA are not as minor as you might believe  
4 reading through Chapter 22 because a lot of these  
5 little things about where house events are put and  
6 small changes, they're characterized as small changes  
7 to the event model, to the fault trees, indeed, may  
8 have bigger effects than what you're led to believe  
9 just reading Chapter 22. I'll just say that. They  
10 are changes to the logic model, and that shouldn't be  
11 taken lightly.

12 And I'll be quiet now. Thank you.

13 CHAIRMAN CORRADINI: Said.

14 MEMBER ABDEL-KHALIK: I'll just limit my  
15 comments to the BiMAC presentation. I think I have  
16 two concerns. One relates to the scaling, the  
17 applicability of the test results to the full scale,  
18 and number two, I'm still not clear as to what the  
19 limiting phenomenon is, whether it's CHF or OFI. You  
20 have not, you know, shown the data that would justify  
21 using CHF as the limiting heat flux. If you have a  
22 system of, you know, parallel tubes of unequal length  
23 subjected to nonuniform heat flux, depending on where  
24 the melt ends up, what is the OFI limit for that case?

25 The single tube experiment doesn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 demonstrate that. The single tube calculations do not  
2 demonstrate that.

3 That's it.

4 CHAIRMAN CORRADINI: Oh, those were the  
5 two. I'm writing. I'm sorry.

6 Okay. So let me thank GEH and the staff  
7 for their time and efforts. Everybody was going into  
8 this indicating what in God's name would we do for a  
9 day and a half when it was this open, but I think we  
10 investigated details that we wanted to get to.

11 I guess I sit a bit more on the camp of  
12 the left -- I hate to say that, but --

13 (Laughter.)

14 CHAIRMAN CORRADINI: -- but Bill and Tom,  
15 that I think it's adequate for the certification, but  
16 I do think though that I've been trying to craft some  
17 conclusion here, and from what I've heard of everybody  
18 else because I think that's kind of my role in this,  
19 is what I think I'm hearing if we're going for  
20 consensus is I think the consensus is although some of  
21 us may feel it's adequate, I think we're looking to  
22 the staff for a review of the Rev. 3 to judge the  
23 advocacy. We want to hear from them that they look at  
24 Rev. 3, it's adequate, why it's adequate, what's  
25 missing, the errors are corrected, et cetera, et

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cetera, so that we have confidence the staff has given  
2 it the good once-over.

3 Other than that, I would say that in terms  
4 of severe accident management, I tried to capture what  
5 Said said. I have a number of other things, and I  
6 will send out all of this to the members to make sure  
7 we're on the same page.

8 And I guess I'd look to particularly  
9 Dennis and John and George on the Level 1 and the  
10 sequences to try to give me some discussion because I  
11 feel a bit limited in my ability to reflect on a lot  
12 of this stuff. So I'm going to look to you guys to  
13 fill in.

14 Other than that, thank you very much.  
15 Have a good weekend.

16 MR. WACHOWIAK: You're welcome. Thank you  
17 for the discussion and our opportunity to help you  
18 understand what we have.

19 CHAIRMAN CORRADINI: Adjourned.

20 (Whereupon, at 11:43 a.m., the  
21 Subcommittee meeting was concluded.)

22

23

24

25

CERTIFICATE


This is to certify that the attached proceedings  
before the United States Nuclear Regulatory Commission  
in the matter of:                      ESBWR Subcommittee

Name of Proceeding: Advisory Committee on  
  
  Reactor Safeguards

Docket Number:                      n/a

Location:                              Rockville, MD

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Charles Morrison  
Official Reporter  
Neal R. Gross & Co., Inc.