

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Reactors Near Yellowstone 2.206 Petition
 Tom Lakosh - Petitioner

Docket Number: G20090007

Location: (phone conference)

Date: Thursday, March 12, 2009

Work Order No.: NRC-2716

Pages 1-35

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 APPEARANCES:

2 On Behalf of the Nuclear Regulatory Commission:

3 JENNY LONGO, ESQ.

4 Of:Office of the General Counsel

5 Mail Stop - O-15 D21

6 US Nuclear Regulatory Commission

7 Washington, DC 20555-0001

8
9 ALSO PRESENT:

10 TOM LAKOSH, Petitioner

11 TANYA MENSAH, PRB Coordinator

12 FRED LYON, Petition Manager

13 ANDREW MURPHY, The Office of Research's Structural,
14 Geotechnical, and Seismic Engineering Branch15 BRITTAIN HILL, The Office of Nuclear Material Safety
16 and Safeguards' Technical Review Directorate17 STAN GARDOCKI, The Office of Nuclear Reactor
18 Regulation's Balance of Plant Branch19 MICHAEL WATERS, The Office of Nuclear Reactor
20 Regulation's Balance of Plant Branch21 MICHAEL MARKLEY, The Office of Nuclear Reactor
22 Regulation's Plant Licensing Branch

23

24

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

1:08 p.m.

1
2
3 MR. LYON: On the record. I would like to
4 thank everyone for attending this meeting. My name is
5 Fred Lyon. I'm the Columbia Generating Station
6 Project Manager. We're here today to allow the
7 Petitioner, Mr. Tom Lakosh, to address the Petition
8 Review Board regarding 2.206 Petition dated December
9 30 and 31, 2008 that was sent to us via email. I'm
10 the Petition Manager for the Petition. The Petition
11 Review Board Manager is Tom Blount.

12 As part of the Petition Review Board's
13 review of this Petition, Mr. Lakosh has requested this
14 opportunity to address the PRB.

15 This meeting is scheduled from 1:00-2:00
16 p.m. Eastern Time. The meeting is being recorded by
17 the NRC Operations Center and will be transcribed by a
18 court reporter. The transcript will become a
19 supplement to the Petition. The transcript will also
20 be made publicly available.

21 I'd like to open this meeting with
22 introductions. As we go around the room, please be
23 sure to clearly state your name, your position and the
24 office that you work for within the NRC for the
25 record. And as I've said, I'm Fred Lyon, the Petition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Manager.

2 MR. MURPHY: Andrew Murphy, the Office of
3 Research, Senior Technical Advisor for Earth Sciences.

4 CHAIRMAN BLOUNT: Tom Blount, Petition
5 Review Board Chairman. I work in the Office of
6 Nuclear Reactor Regulation.

7 MS. MENSAH: Tanya Mensah, the 2.206
8 Coordinator. I work in the Office of Nuclear Reactor
9 Regulation.

10 MR. GARDOCKI: Stanley Gardocki, Reactor
11 Systems Engineer working for Nuclear Reactor
12 Regulation's Balance of Plant Branch, a division of
13 Safety Systems.

14 MR. WATERS: Michael Waters, Acting Branch
15 Chief, Balance of Plant Branch, Office of Nuclear
16 Reactor Regulation.

17 MS. LONGO: Jenny Longo, Senior Attorney,
18 Office of the General Counsel.

19 MR. HILL: I'm Brittain Hill. I'm the
20 Senior Advisor for Repository Science in the Office of
21 Nuclear Material Safety and Safeguards and I'm a
22 geologist.

23 MR. LYON: Okay. That completes
24 introductions of those here at Headquarters. Are
25 there any NRC participants from the regional office or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 otherwise on the phone?

2 MR. MARKLEY: This is Mike Markley. I'm
3 the Branch Chief of Plant Licensing Branch 4, Division
4 of Operator Reactor Licensing, Office of Nuclear
5 Reactor Regulation.

6 MR. LYON: Thank you, Mike.

7 Mr. Lakosh, would you please introduce
8 yourself for the record?

9 MR. LAKOSH: Yes. My name is Tom Lakosh.
10 I'm a concerned citizen residing in Anchorage,
11 Alaska. I would like to first inquire whether a
12 particular communication has been provided by Mr.
13 Lyon. I was copied to him on Wednesday, February 4,
14 2009.

15 MR. LYON: Would you ask that question
16 again just in a couple of minutes, Mr. Lakosh? If you
17 would hold that question.

18 MR. LAKOSH: Yes.

19 MR. LYON: First, are there any other
20 members of the public on the phone?

21 (No verbal response.)

22 Hearing none, I need to emphasize that we
23 each need to speak clearly and loudly to make sure
24 that the court reporter can accurately transcribe the
25 meeting. If you do have something that you would like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to say please first state your name for the record.
2 And I'll turn it over now to PRB Chairman Tom Blount.

3 CHAIRMAN BLOUNT: Good afternoon. Welcome
4 to this meeting regarding the 2.206 Petition submitted
5 by Mr. Lakosh.

6 I'd like to first share some background on
7 our process. Section 2.206 of Title 10 of the Code of
8 Federal Regulations describes the petition process,
9 the primary mechanism for the public to request
10 enforcement action by the NRC in a public process.
11 This process permits anyone to petition NRC to take
12 enforcement-type action related to NRC licensees or
13 licensed activities. Depending on the results of its
14 evaluation, NRC could modify, suspend or revoke an
15 NRC-issued license or take any other appropriate
16 enforcement action to resolve a problem. The NRC
17 staff's guidance for the disposition of 2.206 petition
18 requests is in Management Directive 8.11 which is
19 publicly available.

20 The purpose of today's meeting is to give
21 the Petitioner an opportunity to provide any
22 additional explanation or support for the Petition
23 before the Petition Board Review Board's initial
24 consideration and recommendation.

25 a. This meeting is not a hearing, nor is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it an opportunity for the Petitioner to question or
2 examine the PRB on the merits or the issues presented
3 in the Petition request.

4 b. No decisions regarding the merits of
5 this petition will be made at this meeting.

6 c. Following this meeting, the Petition
7 Review Board will conduct its internal deliberations.

8 The outcome of this internal meeting will be
9 discussed with the Petitioner.

10 d. The Petition Review Board typically
11 consists of a Chairman, usually a manager at the
12 senior executive service level at the NRC. It has a
13 Petition Manager and a PRB Coordinator. Other members
14 of the Board are determined by the NRC staff based on
15 the content of the information in the Petition
16 request.

17 e. At this time, I would like to
18 introduce the Board. I am Tom Blount, the Petition
19 Review Board Chairman. Fred Lyon is the Petition
20 Manager for the Petition under discussion today.
21 Tanya Mensah is the Office's PRB Coordinator.

22 Our technical staff includes Stan Gardocki
23 and Mike Waters from the Office of Nuclear Reactor
24 Regulation's Balance of Plant Branch, Brittain Hill
25 from the Office of Nuclear Material Safety and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Safeguards' Technical Review Directorate, Andy Murphy
2 from the Office of Research's Structural, Geotechnical
3 and Seismic Engineering Branch, Jeff Clark and George
4 Replogle from NRC Region IV's Division of Reactor
5 Projects, but aren't on the phone currently.

6 We also obtain advice from our Office of
7 General Counsel represented by Jenny Longo.

8 As described in our process, the NRC staff
9 may ask clarifying questions in order to better
10 understand the Petitioner's presentation and to reach
11 a reasoned decision whether to accept or reject the
12 Petitioner's requests for review under the 2.206
13 process.

14 I would like to summarize the scope of the
15 Petition under consideration and the NRC activities to
16 date.

17 a. On December 30, 2008, as supplemented
18 December 31, 2008, Mr. Lakosh submitted to the NRC a
19 Petition under 2.206 regarding reactors near
20 Yellowstone National Park.

21 b. In his Petition request, Mr. Lakosh
22 identified the following areas of concern. Mr. Lakosh
23 requests that the NRC: (1) devise a plan for
24 immediate systematic shutdown and cooling of all
25 reactors that may be downwind of a major Yellowstone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 caldera eruption. With respect to this request, the
2 NRC staff determined that the nearest plant to
3 Yellowstone is Columbia which is about 400 miles
4 upwind of the park and the nearest plants downwind of
5 the park would include Fort Calhoun, Diablo Canyon,
6 Cooper and San Onofre, all of which are between about
7 800-860 miles away from the park; and (2) issue an
8 order to all U.S. operating reactors detailing the
9 threat and requiring immediate acquisition of
10 sufficient temporary water storage, water filtration
11 systems and pumps with spare parts to accommodate the
12 loss of direct access to surface water for a period of
13 no less than three months.

14 As a basis for this request, Mr. Lakosh
15 states that the earthquakes at Yellowstone Lake
16 continue in a pattern suggesting that a highly
17 pressurized chimney has developed between the surface
18 and a depth of 7.2 km. If the worst case scenario
19 ensues, the Petitioner is concerned that dozens of
20 plants will not have access to clean surface or
21 reserve cooling water. The Petitioner is also
22 concerned that water pumps will not survive for long
23 with the significant ash contamination in feedwater
24 and there should be a plan to dissipate latent heat in
25 reactor cores and spent fuel storage given a fairly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 short pump lifetime after ash fall.

2 c. Allow me to discuss the NRC activities
3 to date. On February 24, the Petitioner requested to
4 address the PRB prior to its initial meeting and
5 requested time to prepare supplemental information for
6 the Board's consideration.

7 As a reminder for the phone participants,
8 please identify yourself if you make any remarks as
9 this will help us in the preparation of the meeting
10 transcript that will be made publicly available.
11 Thank you.

12 Mr. Lakosh, I'll turn it over to you to
13 allow you to provide any information you believe the
14 PRB should consider as part of your Petition.

15 MR. LAKOSH: Thank you very much. This is
16 Tom Lakosh. I must apologize at the outset here for
17 not providing supplemental information and concerns
18 which I had intended to provide to you as support. I
19 had a serious family medical problem with my elderly
20 mother that I'm still trying to rectify here over the
21 last two weeks.

22 But basically what I had intended to do is
23 expand these concerns to other volcanic sources, most
24 notably the Long Valley Volcano and volcano caldera in
25 California. There may even be other localized

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 volcanic hazards associated with maybe in particular,
2 Mount Hood and Mount St. Helens and that there may be
3 additional concerns beyond water if we did have a
4 catastrophic eruption of either Long Valley or
5 Yellowstone. Fortunately, the seismic activity at
6 Yellowstone, they're having recently experienced
7 another volcanic sector in the facility of Anchorage
8 in from Mount Redoubt volcano.

9 I've also recognize that there are
10 essentially two levels of risk and probability that
11 should be addressed by the NRC. One might be angst of
12 the long-term probability of a risk of volcanic
13 eruptions either localized or severe from a volcanic
14 caldera such as Yellowstone or Long Valley.

15 And the other is measures that would be
16 taken when that risk substantially was an acute risk
17 as evidenced by the Mount Redoubt since an increase of
18 seismic levels that precipitated an orange air craft
19 warning and watch warning for volcanic eruptions.

20 So essentially I would hope that the Board
21 would take two views on this actions that may be
22 required due to oversight and licensing of the
23 volcanic hazards that would likely be assessed on a
24 strictly statistical probability measure and the other
25 that would be in place when that level of risk changed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 due to two circumstances where volcanic activity was
2 anticipated and that might present a risk in the
3 reactors.

4 AS you likely have found out in your
5 investigations to date, the reach of volcanic ash from
6 the aforementioned volcanos was indeed quite wide,
7 covering feet of ash, many feet of ashes, as far away
8 as Texas and east of the Mississippi, but that was a
9 measure of the local wind conditions at the time and
10 actually change in concentration and direction and
11 reach given the atmospheric conditions at the time of
12 eruption.

13 Basically, I didn't touch my primary
14 concerns in that it actually affect the operation of
15 any mechanical device. It affects anything open to
16 the air, any fluid that has sustained ash content.
17 Actually rubbing compound in your cooling water or oil
18 for any mechanical devices is likely to cause failure
19 of that device when required operation. I might give
20 as an example the Beluga gas-fired turbine here in
21 Alaska in 1990 when Redoubt erupted. They had to shut
22 down that facility because that went on a little
23 longer and it has required extensive R&R after that
24 incident.

25 So I assume that that would be a threat to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the facility if surface waters were contaminated in
2 open reserve cooling ponds for ultimate latent heat
3 dissipation is impacted by ash falling on those open
4 ponds and surface waters or cooling waters are drawn.

5 The ash fall would likely not only impact directly
6 during the atmospheric incident, but subsequently when
7 precipitation brought ash simulation back into the
8 water ways that provide cooling water and/or reserve
9 cooling water. And in addition if you have a
10 catastrophic eruption, there might be a broad range of
11 societal disruptions that may preclude plant personnel
12 from attending to their duties that may impair their
13 abilities to obtain food, water and other necessary
14 elements of everyday living that could affect the
15 operation of the plant both by the absence of
16 personnel and the absence of expendable parts and
17 items for continued operation of the facility.

18 And so what I would hope that would be
19 possible is to provide supplementation of these
20 matters when my ability to prepare them is no longer
21 constrained by my immediate family needs. But in
22 particular I would like to reference the problem that
23 we're faced with on probability of assessment of this
24 matter and it -- each element I sent to the PDR
25 resource in order to obtain information regarding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 prior NRC investigations of the geologic -- presented
2 by ash fall which apparently does not address
3 according to the research done at that facility.
4 They could not find any reference in any NRC
5 documentation to date of any investigation of ash
6 fall, the probability thereof or the mitigation of
7 adverse impact to plant operation. And this might
8 also -- facilities that are licensed by the NRC
9 potentially at the INRL or AFPER facilities that you
10 may want to consider as well.

11 The email and I don't know if Mr. Lyon has
12 sent this to the panel, but essentially the important
13 parts that I wanted to stress to the Board is the
14 communication I had with Jay Lowenstern, the manager
15 of Yellowstone Volcano Observatory, where I discussed
16 the very issue of probability, the methodology for
17 assessing probability of eruption. And to make a
18 long story short, to date the general probability is
19 strictly statistical but the USGS is attempting to
20 obtain a better methodology to assess probability
21 based on assessment of geologic conditions on site in
22 a continuing review mode and to some extent they do it
23 in their warning system where they have orange and red
24 warning systems that are based on acute symptoms of
25 eruption.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But part of this is that Dr. Lowenstern
2 said that it would be possible to have an eruption
3 occurring in a period of as little as a week, in other
4 words, from in essence to erupt a phase in as little
5 as a week and that if that were the case "we'd be
6 screwed" and that it was advisable to make plans for
7 large facilities like nuclear power plants. So that's
8 the general issue that I'm hoping that the Board will
9 require an investigation up here because apparently
10 from correspondence with the PER Resource Facility
11 there has been no investigation to date or assessment
12 to date of the hazard.

13 I have subsequently to the notice that
14 there was no documentation available submitted a FOIA
15 to make a formal confirmation and I might notice that
16 I was informed by Karen -- at the facility that she
17 was instructed to cease further investigation of the
18 question posed to her by Mr. Lyon and I'm highly
19 concerned about that seems to infer potential bias and
20 to preclude a scientific analysis of the question
21 posed.

22 And so I would like to take questions at
23 this time and further supplement my testimony if
24 possible.

25 CHAIRMAN BLOUNT: Mr. Lakosh, this is Tom

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Blount. The question I do have is I guess I'm trying
2 to understand. Do you have information on what the
3 probability of a volcanic eruption occurring is?

4 MR. LAKOSH: I did collect a wide range of
5 documents regarding Long Valley's annual amount.

6 CHAIRMAN BLOUNT: Okay.

7 MR. LAKOSH: And there have been a lot of
8 guesses primarily based on statistical information
9 rather than actual geologic processes. Like I
10 mentioned, there are really two phases of assessment
11 of probability. One of them is based totally on the
12 statistical function of time between eruption and
13 clearly here we have 140,000 years since the last
14 major catastrophic eruption of Yellowstone. There
15 have been other nonviolent eruptions of I think about
16 a dozen or so nonviolent eruptions at Yellowstone that
17 merely produced lave and fallen ash out in the
18 vicinity. But the last major catastrophic eruption at
19 Yellowstone was 140,000 years ago and I think
20 something like 160,000 years ago at Long Valley.

21 But there is the second method of
22 assessment is the geologic symptoms of impending
23 eruption which is not an exact science at all and
24 particularly where they don't have monitoring
25 facilities to make proper and full assessments and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that has to do with symptoms like ground deformation,
2 temperature changes in groundwater and hydrothermal
3 water, gas emission and both Long Valley and
4 Yellowstone have those types of symptoms.

5 In fact, if you go to the University
6 possibly one of the more telling evaluations is if you
7 go to the University of Utah website on this. You can
8 see that if you go to their site showing eruptive or
9 earthquake events over the last year or so you will
10 notice that there are several clusters of earthquakes
11 in areas that have been sequestered by chief
12 scientist, Dr. Smith, there is a symptom of weaker
13 geologic layers being pressured from below by magma.
14 Essentially some of these are known vent columns from
15 prior eruptions. Some of them are unknown.

16 Their seismic system there is not based
17 close enough to give any fine resolution of either the
18 magma chamber or the fractured geologic strata above
19 magma chamber. They can't tell any degree of
20 resolution of the magma chamber. So they don't really
21 know when this stuff is coming. They look for more
22 acute signs of an eminently pending eruption. So they
23 have a very difficult time doing any type of sound
24 scientific analysis of the symptoms of eruption with
25 any certainty in predicting the anticipated event.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 In fact, because we're dealing in the case
2 of Long Valley and Yellowstone for volcanos they have
3 very little information to guide their decision making
4 on the process because like I said the last event
5 happened hundreds of thousands of years ago with these
6 two particular volcanos and the last super volcano or
7 eruption on the planet happened 74,000 years. So
8 nobody was here to measure or record the events and
9 their precursor symptoms. So we have a definite lack
10 of sound scientific analysis to give us proper
11 warning.

12 And as in this email, it was recognized
13 that we might have as little as a week there for
14 measures to secure these facilities. So while most of
15 my research into this issue and the licensing process
16 it's clear that NRC's decision was largely based on
17 statistical probability. But that is clearly
18 insufficient in providing a timely response if and
19 when you get acute symptoms of eminent eruption and in
20 fact there's a high probability there that you may not
21 have time to take mitigating measures in the event
22 that you did symptoms occur.

23 So I would ask that at least making the
24 analysis of what systems were susceptible, examining
25 what type of time line to pursue in order to mitigate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 adverse effects and at least planning for those
2 mitigating measures that should be instituted once
3 achieved symptoms occur. But like I said, you do
4 really -- The state of the geologic science in this
5 matter is not entirely sound. They do a lot of
6 guessing here and are backed on a strict statistical
7 evaluation which really isn't appropriate given the
8 type of catastrophe that could potentially occur with
9 several facilities at once losing cooling water and
10 with the ability to transport equipment to mitigate
11 the adverse or loss of coolant water once such an
12 event has occurred. We're talking about impairment of
13 water ways, habitation, land, truck and rail
14 transportation because all of these require motors
15 that are going to be susceptible to ash contamination
16 and failure.

17 That's why I was suggesting given the
18 nature of the symptoms that were occurring at the time
19 that immediate measures be put in place and these be
20 available prior to eruption because there could be
21 impairment of an entire transportation system after
22 the event occurs. It's a big problem, but even USGS
23 recognized that major facilities like this should have
24 good planning in place because we may have as little
25 as a week notice before one of these, you know, Long

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Valley or Yellowstone go off for the wider area of
2 effected facilities and indeed you may have localized
3 strata volcanos that may provide similar activity
4 locally, Crogden, Idaho.

5 MR. HILL: Mr. Lakosh, this is Brittain
6 Hill. I'd like to just clarify something with you if
7 I may. You earlier were talking about Cascade
8 volcanos as being a potential source of hazard and
9 you've brought that up again just a moment ago. And
10 this is a new bit of information from the original
11 concern about super volcano eruptions in Long Valley
12 and Yellowstone.

13 MR. LAKOSH: Yes. Well, I've been worried
14 about Redoubt here. I had to go buy my own floors and
15 air filters and so forth and complain about the Drift
16 River Oil Terminal Facility directly in the lava path
17 of that volcano. So it's --

18 MR. HILL: I just want to make sure I
19 understand what you're asking of us. You're asking us
20 to consider all potentially active volcanos such as in
21 the Cascade Mountain range in addition to Long Valley
22 and Yellowstone super volcanos for ash.

23 MR. LAKOSH: Yes.

24 MR. HILL: Or is your -- really focused on
25 the super volcano eruptions that go very long

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 distances away from the volcano?

2 MR. LAKOSH: There are two measures here.

3 The way I would assess is both by probability and the
4 degree of hazard associated with that probability.
5 Clearly, you have a higher risk occurring from a super
6 volcano effecting multiple plants simultaneously. But
7 you also -- I am now recognizing that -- also
8 localized this with a higher probability but a lower
9 hazard resulting therefrom, although one we had going
10 down is sort of a hazard. I'm generally stating that
11 the risk, well, the hazard from volcanic ash must be
12 assessed and it apparently hasn't been done to date.

13 And so that's essentially what I'm asking
14 you guys to take a look at is how much ash is going to
15 cause a problem. What critical components of
16 facilities are going to be affected? How do we
17 mitigate those and how do we institute response paths
18 based either on a statistical probability or an acute
19 risk probability once the acute symptoms of eruption
20 show that eruption is eminent. You have a couple
21 different problems there to assess.

22 But I think that pretty much covers the
23 range of my concerns. I'm not an engineer. I did
24 study a little in a year and a half, you know, read
25 the literature on this. I would be happy to submit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this to you the research that I've done to date in an
2 effort to assist your efforts.

3 But like I said, I have an acute family
4 problem at this time that I'm desperately trying to
5 deal with. I'm disabled myself by arthritis in both
6 hips. So it's really tough for me to try and juggle
7 these balls together, but I would certainly like to
8 cooperate with your experts in these matters given the
9 seriousness and consequences that may result from a
10 lack of proper research and order mitigative actions
11 and I think the reason why it's appropriate that it be
12 dealt with this 2.206 is because this should have been
13 part of the analysis in each of these licensing
14 procedures to date but was overlooked as a potential
15 geologic hazard and acceptance of ultimate heat sink
16 capability.

17 And those had to be combined in a manner
18 that properly assess the risk and mitigating measures
19 that might have to be undertaken. And that's why I
20 think it's appropriate to deal with this either at a
21 2.206 level or a 2.802 revision of regulation. We
22 have existing facilities that have overlooked this
23 risk and hazard and in licensing to date it's should
24 be considered in licensing processes going forward and
25 the hazard I think is clearly recognized in a broad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 range of facilities that are otherwise subject to
2 local strata volcano activity and it could be like for
3 instance after the 1990 eruption of Mount Redoubt
4 lahar that produced a flow greater than Mississippi
5 River through the valley immediately adjacent to the
6 facility. They built a diversion dike around that
7 facility.

8 MS. LONGO: Mr. Lakosh, I'm going to ask
9 if you could -- This is Jenny Longo speaking. I have
10 a question for you and I'm sorry to interrupt you. I
11 was looking for a good place, but I want to make sure
12 that I get this question on the record. You'll have
13 to forgive me. I'm not an engineer. I'm just an
14 attorney and so I want to make sure I understand what
15 you're asking us to do and I'm getting the idea that
16 you're asking for more than measures to ensure safe
17 shutdown. But are you asking that we ensure continued
18 safe operation?

19 MR. LAKOSH: No. Well, yes and no. From
20 my limited understanding of nuclear engineering is
21 that the problem is not that you can't shut down. The
22 problem is related to heat decay of approximately
23 seven percent of your thermal output that remains in
24 the reactor core and you have at some facilities so
25 much stored spent nuclear fuel that there may be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 heat dissipation problem there as well.

2 So the problem is not shutting down. The
3 problem is dissipation of latent heat decay both in
4 the core and in spent fuel storage. And all of the
5 pumps that pump that water are going to be
6 susceptible.

7 Now you might also -- It would be nice to
8 have the facility up and running again once the
9 eminent threat of contamination had passed at which
10 civilization is going to need power even after the
11 incident even if it is wholly catastrophic or even
12 just the local conditions. So you may have to do
13 protective measures to keep ash out of other devices
14 at the facility so that they can be turned back on
15 again. But they'll still always have problems with
16 dissipation of latent heat decay in each of these
17 facilities.

18 Now that's what the ultimate heat sink
19 regulation is supposed to address is the 30 days to
20 have your ability to remove that latent heat decay.
21 Well, if you have an open pond full of ash and you try
22 and pump that reserve water to replace blow-down steam
23 you may have a problem not only with the pumps but
24 then subsequent operations of the core because your
25 primary loop is now going to have ash sediment in it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And it will gum up the whole works. You'll have to
2 pull the whole thing apart and clean out all the ash,
3 etc., etc., etc.

4 In a pinch, I'm sure you would pump
5 contaminated water if you had to blow down a lot of
6 steam to remove the latent heat decay. But the point
7 is that you may not have enough water. You may cause
8 localized melting of sediment built to the level of
9 the fuel rods. You may have other problems with
10 subsequent operations at the facility even after the
11 latent heat decay is sufficiently dissipated to
12 preclude melting of the cladding. So, yes, you have a
13 bunch of problems there above and beyond the
14 conditions of the plant.

15 CHAIRMAN BLOUNT: Mr. Lakosh.

16 MR. LAKOSH: Yes.

17 CHAIRMAN BLOUNT: We appreciate the
18 information. Is there anyone else here at
19 Headquarters have any questions for Mr. Lakosh?

20 (No verbal response.)

21 Anyone else on the phone have any
22 additional questions for Mr. Lakosh?

23 (No verbal response.)

24 Mr. Lakosh, do you have any closing
25 remarks or comments?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LAKOSH: Yes. I understand that I'm
2 not to ask questions in this process, but I would like
3 to get this additional information to you. I'm sure
4 you could find it on the various websites associated
5 with volcanos and the USGS evaluation thereof and
6 regarding the range of ash fall, the depth of ash
7 fall, the level of contamination, the predictive
8 capability, the surveys, the bathymetric surveys,
9 etc., of Yellowstone Lake, the geologic activity in
10 the vicinity. If you have a persistent staff willing
11 to invest this, I'm sure you can find just about
12 everything I did. I primarily did it by internet
13 research, but I did contact Dr. Smith and Dr.
14 Lowenstern and I found them valuable resources in
15 these assessment.

16 I did contact the lead volcanologist at
17 USGS. He's back up here in Alaska now. But the
18 primary issues I think I've given a broad brush to. I
19 think if you follow those leads you will come to the
20 same conclusions that I have is that USGS proper
21 execution of diagnostics of eruption and the
22 statistical probability is an insufficient measure of
23 risk and hazard and the need to have some level of
24 planning particularly with acute warning signs within
25 an eruption whether it be Long Valley, Yellowstone or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 strata volcanos particularly in the Cascade range are
2 or should be of deep concern to the NRC because it
3 hasn't been properly assessed in any licensing feature
4 or in any subsequent research.

5 In fact, the only reference to volcanic
6 ash that I could find that I or the PDR Resource folks
7 could find in their searching of the databases and
8 microfiche was in fact in reference to the Nevada
9 disposal site and the potential for the volcano under
10 that dispersing the sourced waste. And there was some
11 study of radioactive content and the ash fallout. But
12 that's really the only references to ash fall that we
13 could find. There was no assessment of threat to
14 facilities or what mitigating measures should be taken
15 to ensure proper shutdown and continued cooling of
16 facilities.

17 And it could go far beyond that. Like I
18 said, this could be a matter of not being able to keep
19 personnel available. If the personnel does not have a
20 place to stay, can't get the work done and can't feed
21 their families, you've got a real problem above and
22 beyond cooling and that -- I understand I'm asking you
23 to think about the end of civilization. But
24 unfortunately that's what we're posed here and helpful
25 geologic systems that have shown ground deformation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and have shown active volcanic, not volcanic swarms,
2 earthquake swarms that are quite troubling and with
3 the lack of scientific monitoring that accurately
4 assesses key threats and eruptive events.

5 We're really just getting out of the trees
6 on this one and there needs to be at least some
7 planning for mitigation efforts upon notice of eminent
8 threats if the USGS ever gets its act together on
9 this.

10 MR. MARKLEY: Mr. Lakosh, this is Mike
11 Markley. Did I hear you correctly to say that USGS
12 doesn't have the capability to evaluate this?

13 MR. LAKOSH: Yes. Well, here's what's
14 going on. Nobody's been around to see what a super
15 volcano does and I asked Mr. Myers, the volcanologist
16 at USGS, what would be the most analogous volcanic
17 eruption that would show similar signs. The volcano
18 he mentioned an incident in Colombia that happened in
19 the recent history, I think, last year and he said
20 that that volcanic eruption took three weeks from
21 quiescence to eruption. So they can given the general
22 idea if they see a lot of signs, but they're not
23 entirely sure what signs are appropriate to eruption
24 for a super volcano because nobody has seen one go
25 off.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLOUNT: Mr. Lakosh, Tom Blount,
2 PRB Chairman. I just want to let you know we have
3 about eight minutes left.

4 MR. LAKOSH: Yes. Sure. But that's the
5 problem and they are not using the state-of-the-art
6 seismic technology to make an evaluation of movement
7 in the magma chamber or the structural defects of all
8 systems and track range and the strata of the magma
9 chamber. They can use active seismic tomography.
10 They can use magnetotelluric monitoring to discern
11 whether there is actually hydrothermal activity or a
12 magma flow. But they don't have those data out at
13 Yellowstone. Their seismographs are spaced so far
14 apart they have very little resolution like a couple
15 kilometer resolution at the depth of the magma
16 chamber.

17 They have, the USGS has, resources to do
18 active seismic tomography. They've done it out at the
19 Madrid Fault and they could get that equipment up
20 there to do it. They could do more bathymetric
21 surveys that they never did during these events. They
22 had previously done very exacting bathymetric surveys
23 of the lake bottom where these earthquake swarms were
24 occurring. They didn't go back there to see if there
25 was deformation on the lake bottom. Their dock is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 closed up for the winter and so they wouldn't send out
2 the woman who did, the team who did, that bathymetric
3 survey a couple years ago to see what deformation had
4 occurred. They didn't send out active seismic
5 tomography units which I requested.

6 They really don't have instruments in
7 place to do an active state-of-the-art geologic
8 assessment that oil companies do every day every year.

9 And they're constrained by their funding. You hear
10 Congressmen and Senators complaining about volcano
11 monitoring. This is the action we could all ignore
12 where hurricanes can't.

13 But in fact you could have a worldwide
14 devastating end of civilization in Yellowstone and
15 although it hasn't happened in 64,000 years, we've got
16 all of the symptoms that would otherwise be applied to
17 any other volcano as going eminent kinds of eruptions.

18 But Yellowstone is a funny place. It has the swarms
19 sometimes. None like this one I might add. The prior
20 swarms of this number and magnitude and concentration
21 for all prior were previous at best away from the main
22 magma chambers.

23 This series of events happened over the
24 shallowest part of the magma chamber in the highest
25 thermal activity site in the entire area. It went

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from the surface all the way down to the magma
2 chambers. That's the earthquake. So this is a
3 fractured column above the shallowest part of the
4 magma chamber in the hottest area of the park and
5 that's what definitely concerned me. I had this
6 notion a couple years ago that this might cause a
7 problem, but it really didn't get me off my feet to
8 ask you guys to take action until I saw that these
9 particular symptoms were very troubling.

10 CHAIRMAN BLOUNT: Mr. Lakosh, this is Tom
11 Blount again. So at this point, have you provided us
12 all of the additional information that you had sent in
13 or is there something that you want to send in?

14 MR. LAKOSH: No, sir, I haven't. I said I
15 have this immediate family health problem that I'm
16 trying to deal with. I could send it to you. You
17 could find it yourself. I don't know if you want to
18 wait for me to try and get this to you or if you want
19 to go ahead and do the investigation yourself. In any
20 event, if you ask me questions, I will do my best to
21 get you answers to the questions, you know, put you in
22 touch with the USGS folks that are on, you know, have
23 done these studies before, are actively monitoring the
24 volcano and otherwise to provide any assistance I can
25 given my own disability and the problems I'm having

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with health in my family.

2 MS. LONGO: Mr. Lakosh, this is Jenny
3 Longo speaking again. Can you tell us when you would
4 like to be able to give us the information just so we
5 know? I mean we'll wait for it for a reasonable time.
6 We're not going to wait a couple years. But it would
7 be helpful if you would tell when you think you could
8 do it.

9 MR. LAKOSH: Well, let me give you a short
10 to what's going on here. My 88-year-old mother in
11 Concord, California fell down and had gotten put in a
12 rehabilitation facility. I'm trying to get her up
13 here. I have to give her care. I have go down to
14 California to finish her business. This might take
15 months. I wouldn't suggest waiting to start your
16 investigation. I would at best think that I could
17 send some of your stuff. I would like to be in touch
18 with your staff at that time and confer to see whether
19 or not they had already accumulated the information
20 that I have.

21 MS. LONGO: Mr. Lakosh, this is Jenny
22 Longo again. I'm sorry to interrupt you, but I think
23 there's a fundamental misunderstanding of this
24 process. The 2.206 process you are asking for
25 enforcement type action and what we are trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 determine is whether to accept your request within the
2 2.206 process and in order to do that we need to see
3 all the information you want us to see.

4 We aren't going to make a determination on
5 whether to actually act on your request until after we
6 decide to accept it. If we accept it, then we will
7 get to the merits of it. But we can't even decide
8 whether to go into the process, whether your request
9 belongs in the 2.206 process or somewhere else, until
10 you provide us with all the information that you think
11 we ought to see in order to come to that
12 determination. So I want to give us a time when you
13 think that you can provide us with any of the
14 additional information you would like to give us.

15 MR. LAKOSH: The process for being able to
16 do that is very fluid at this time. But I might
17 actually have enough expertise in the room and I think
18 I presented a quandary to you guys and you could make
19 a preliminary assessment.

20 MS. LONGO: Mr. Lakosh, we have to follow
21 our process and we have to consider whatever
22 information you want us to consider before we decide
23 whether we're in the 2.206 or somewhere else. And
24 we're willing to give you certainly a reasonable
25 amount of time in view of your current situation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm asking you to tell us when you think
2 you would be able to do it. I'm not trying to
3 pressure you and say, "Do it tomorrow or else." I'm
4 asking you. Give us your reasonable estimate.

5 MR. LAKOSH: Probably a month at least
6 until I can have the time to properly put all the
7 stuff together and get it emailed to you guys. But
8 like I said, you guys recognize that there is need to
9 do an evaluation here. Please --

10 MS. LONGO: Mr. Lakosh, we'll give two
11 months to give us any additional data. Okay?

12 MR. LAKOSH: Sounds great. Thank you very
13 much.

14 MS. LONGO: Okay.

15 CHAIRMAN BLOUNT: Given that, we
16 appreciate if we've reached closure on getting
17 additional information. I'd like to take this
18 opportunity to bring this meeting to a close.

19 MR. LAKOSH: May I make one last comment
20 please?

21 CHAIRMAN BLOUNT: Please go right ahead.
22 One last comment.

23 MR. LAKOSH: Yes, this is an issue of
24 major importance and a hazard to this country. Please
25 don't wait on one individual to be able to provide you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with that information to make a preliminary assessment
2 to further investigate.

3 CHAIRMAN BLOUNT: And we appreciate your
4 comments. Thank you very much and with that I'd like
5 to bring this meeting to a close. Thank you all for
6 your time and attention. Off the record.

7 (Whereupon, at 2:02 p.m., the above-
8 entitled matter was concluded.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701