

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3  
4 ATOMIC SAFETY AND LICENSING BOARD

5  
6  
7 In the Matter of )  
8 ) Docket No. 63-001-HLW  
9 U.S. DEPARTMENT OF ENERGY )  
(High-Level Waste Repository) )

10 Draft Interim Copy

11 APRIL 2, 2009

12  
13 TRANSCRIPT OF PROCEEDINGS

14 Oral Argument on Admissibility of Contentions

15  
16 Before the Administrative Judges:

17  
18 ASLBP BOARD

19 09-878-HLW-CAB03

20 William Froehlich, Chairman

21 Thomas S. Moore

22 Richard E. Wardwell

## APPEARANCES

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

For the Nuclear Regulatory Commission Staff:

Mitzi Young  
Kevin Roach  
Dan Lenehan

For the Nuclear Energy Institute:

Jay Silberg  
David Repka

For the Department of Energy:

Paul Zaffuts  
Don Silverman  
Michael Shebelskie

For the State of Nevada:

Martin Malsch  
John Lawrence  
Charles Fitzpatrick

For the Nevada Counties of Churchill, Esmeralda,  
Lander and Mineral:

Robert List  
Jennifer Gores

For the State of California:

Tim Sullivan  
Kevin Bell  
Susan Durbin

For the Caliente Hot Springs Resort:

John Huston

## 1 APPEARANCES (Continued)

2 For the Native Community Action Council:

3 Rovianne Leigh  
4 Scott Williams

5 For the Nevada County of White Pine:

6 Michael Baughman  
7 Richard Sears

8 For the Nevada County of Clark:

9 Alan Robbins  
10 Debra Roby

11 For the Timbisha Shoshone Tribe:

12 Darcie Houck  
13 Ed Beanan

14 For the Nevada County of Nye:

15 Rob Anderson  
16 Jeff VanNiel

17 For the Nevada County of Inyo:

18 Greg James

19 For the Timbisha Shoshone Yucca Mountain Oversight  
20 Program:21 Doug Poland  
22 Hannah Renfro

23 For the Nevada Counties of Lincoln and Eureka:

24 Diane Curran  
25 Baird Whegart

1 >> JUDGE FROEHLICH: We'll be on the  
2 record. This is the third and final day of the oral  
3 argument in the matter of the Department of Energy's  
4 Application for Construction and Authorization of a  
5 High-Level Waste Repository at Yucca Mountain.

6 This Board has been designated CAB1 by  
7 order of the Chief Judge on January 16th, 2009. And  
8 I have been designated chairman of the CAB. My name  
9 is Judge William Froehlich. On my right is Judge  
10 Thomas S. Moore, who, like me, has a legal  
11 background. And on my left is Judge Richard E.  
12 Wardwell, who has a technical background with a PhD  
13 in civil engineering.

14 At this time I'd like to take the  
15 appearances and start with the NRC staff.

16 >> MR. LENEHAN:

17 A. Morning, Your Honor, Dan Lenehan, NRC  
18 staff.

19 >> MR. ROACH: Kevin Roach, NRC staff.

20 >> MS. YOUNG: Good morning, Mitzi Young  
21 representing the NRC staff.

22 >> JUDGE FROEHLICH: Thank you. For the  
23 NEI.

24 >> MR. SILBERG: Jay Silberg representing  
25 Nuclear Energy Institute. Good morning.

1 >> JUDGE FROEHLICH: Thank you.

2 >> MR. REPKA: David Repka, NEI.

3 >> JUDGE FROEHLICH: For the Department of  
4 Energy.

5 >> MR. ZAFFUTS: Paul Zaffuts, DOE.

6 >> MR. SILVERMAN: Don Silverman, DOE.

7 >> MR. SHEBELSKIE: Mike Shebelskie, DOE.

8 >> JUDGE FROEHLICH: For the State of  
9 Nevada.

10 >> MR. FITZPATRICK: Charles Fitzpatrick,  
11 State of Nevada.

12 >> JUDGE FROEHLICH: Please turn on your  
13 mike.

14 >> MR. FITZPATRICK: Charles Fitzpatrick,  
15 State of Nevada.

16 >> MR. LAWRENCE: John Lawrence, State of  
17 Nevada.

18 >> MR. MALSCH: Marty Malsch, State of  
19 Nevada.

20 >> MR. LIST: Good morning, Your Honor,  
21 Robert List on the behalf of the four counties of  
22 Churchill, Esmeralda, Lander, and Mineral.

23 >> MS. GORES: Jennifer Gores on behalf of  
24 the four counties.

25 >> JUDGE FROEHLICH: The State of

1 California.

2 >> MR. SULLIVAN: Good morning, Tim  
3 Sullivan for the State of California.

4 >> MR. BELL: Good morning, Kevin Bell,  
5 State of California.

6 >> JUDGE FROEHLICH: For Caliente.

7 >> MR. HUSTON: Good morning, Your Honor.  
8 John Huston for Caliente Hot Springs Resort.

9 >> JUDGE FROEHLICH: Okay. For the Nevada  
10 Counties of Lincoln and Eureka.

11 >> MS. CURRAN: Good morning. I'm Diane  
12 Curran for Eureka County, and I wanted to let you  
13 know that Mr. Whipple for Lincoln County is in a  
14 court appearance and will be here a little later.

15 >> JUDGE FROEHLICH: Thank you.

16 >> MR. POLAND: Good morning, Your Honor,  
17 Doug Poland on behalf of the Timbisha Shoshone Yucca  
18 Mountain Oversight Program, Non-Profit Corporation.  
19 And with me this morning is Joe Kennedy, Chairman  
20 with the Timbisha Shoshone Tribe.

21 >> MR. JAMES: Good morning. Greg James  
22 for the County of Inyo. And the county has invited a  
23 representative of the State of California to join us  
24 at counsel table.

25 >> MS. DURBIN: Good morning, Your Honor,

1 Susan Durbin for the State of California.

2 >> JUDGE FROEHLICH: For the County of Nye?

3 >> MR. ANDERSON: Good morning, Your Honor.

4 Robert Anderson on behalf of Nye County.

5 >> MR. VanNIEL: Morning. Jeff VanNiel on  
6 behalf of Nye County.

7 >> MS. HOUCK: Good morning, Your Honor.

8 Darcie Houck on behalf of the Timbisha Shoshone  
9 Tribe, and with me this morning is Ed Beanan of the  
10 tribal council.

11 >> MS. ROBY: Good morning, Debra Roby on  
12 behalf of the Clark County, Nevada.

13 >> MR. ROBBINS: Good morning, Alan Robbins  
14 on behalf of Clark County, Nevada.

15 >> MR. SEARS: Good morning, Judges. Rich  
16 Sears on behalf of White Pine County.

17 >> DR. BAUGHMAN: Good morning, Your Honor,  
18 Dr. Mike Baughman representing White Pine County.

19 >> MR. WILLIAMS: Scott Williams, Your  
20 Honor, for the Native Community Action Council.

21 >> MS. LEIGH: Good morning, Your Honor.

22 Rovicianne Leigh also on behalf of the Native Community  
23 Action Council.

24 >> JUDGE FROEHLICH: Thank you.

25 This Board will address the issue set forth

1 generally in Appendix C of the March 18th, 2009,  
2 order, setting the terms, logistics, and questions  
3 for oral argument.

4 We also have additional specific questions  
5 which were not included in that appendix. At this  
6 point, are there any preliminary matters which any of  
7 the parties or participants may wish to raise?

8 Hearing none, let's begin generally with  
9 those items that were designated item 4 on Appendix C  
10 from the March 18th order. Item 4 deals with  
11 concerns with climate change related to human  
12 activity. You may recall on the first day of the  
13 oral arguments in this proceeding, Judge Ryerson of  
14 CAB3 relayed a request from this Board that all  
15 parties review their proffered contentions to see  
16 which contentions, if any, would be affected by the  
17 Commission's recent amendment to the Part 63 rules,  
18 specifically 63.305 and 63.342.

19 Could each petitioner, perhaps starting  
20 from the back with the Native American -- Native  
21 Community Action Council tell us which of their  
22 contentions, if any, would be impacted by this  
23 amendment. And please remember to give your name and  
24 who you represent when speaking. If we could start  
25 over there.

1 >> MR. WILLIAMS: Scott Williams for NCAC,  
2 Your Honor. There are two contentions labeled  
3 Miscellaneous 2, which has to do with the use of  
4 water by native people and contention -- NEPA  
5 Contention 1, which has to do with the impacts of the  
6 facility on the cultural uses of the land and water  
7 by native people.

8 >> JUDGE FROEHLICH: White Pine.

9 >> MR. SEARS: Sears, White Pine County.  
10 None, Your Honor.

11 >> JUDGE FROEHLICH: County of Clark?

12 >> MS. ROBY: Debra Roby, Clark County.  
13 None of our contentions are directly affected by the  
14 changes to Part 63.

15 >> JUDGE FROEHLICH: The Timbisha Shoshone  
16 Tribe?

17 >> MS. HOUCK: Yes, Your Honor, we do have  
18 one contention that deals specifically with climate  
19 change, and that one is TIM NEPA Contention 08. And  
20 their may be some impact to that contention, but I  
21 don't believe the other ones.

22 >> JUDGE FROEHLICH: Okay. You're  
23 Ms. Houck?

24 >> MS. HOUCK: Yes. I apologize.

25 >> JUDGE MOORE: I'm sorry, Counsel. I

1 couldn't hear you. Could you repeat those, please?

2 >> MS. HOUCK: Yes, Your Honor. Ms. Houck  
3 for the Timbisha Shoshone Tribe, and it would be TIM  
4 NEPA 08, regarding future climate change impacts.

5 >> JUDGE FROEHLICH: County of Nye.

6 >> MR. VanNIEL: Jeffrey VanNiel on behalf  
7 of Nye County. None of our contentions are directly  
8 impacted by the change, Your Honor.

9 >> JUDGE FROEHLICH: Inyo.

10 >> MR. JAMES: Greg James, County of Inyo.  
11 None of our contentions are directly affected,  
12 Your Honor.

13 >> JUDGE FROEHLICH: Thank you. Please.

14 >> MR. POLAND: Doug Poland for Timbisha  
15 Oversight Program, or TOP. Your Honor, we have just  
16 one NEPA contention. I do not believe that it will  
17 be directly impacted. There may be some impact, but  
18 I don't think that it would change the fundamental of  
19 the contention we've raised.

20 >> JUDGE FROEHLICH: Nevada counties of  
21 Lincoln and Eureka.

22 >> MS. CURRAN: We don't have any  
23 contentions Your Honor.

24 >> JUDGE FROEHLICH: Yes. Thank you.  
25 Caliente.

1 >> MR. HUSTON: Your Honor, none are  
2 affected. Thank you.

3 >> JUDGE FROEHLICH: State of California.

4 >> CALIFORNIA: Tim Sullivan. Tim Sullivan  
5 for California. All of our contentions are based on  
6 NEPA. We don't think that the change in the  
7 regulation affects any of those contentions.

8 >> JUDGE FROEHLICH: Okay. Four counties.

9 >> MR. LIST: Yes, Your Honor, Robert List  
10 on behalf of the Four Counties. None of our  
11 contentions are affected or impacted.

12 >> JUDGE FROEHLICH: State of Nevada?

13 >> MR. MALSCH: Thank you, Your Honor.  
14 Marty Malsch for the State of Nevada. We also have  
15 reviewed all of our contentions, focusing, of course,  
16 on our safety contentions because those are the ones  
17 that are potentially impacted. And we reviewed all  
18 of them including the climate contentions and do not  
19 believe that any of them are affected by the NRC's  
20 final rule.

21 >> JUDGE FROEHLICH: NEI please.

22 >> MR. REPKA: David Repka, NE. None of  
23 our contentions are affected by the rule.

24 >> JUDGE FROEHLICH: Okay. The DOE and the  
25 staff were also asked which of the proposed

1 contentions are affected by the revisions to Part 63.

2 Did you prepare a list or can you address that?

3 >> MR. ZAFFUTS: We did the review the  
4 contentions, Your Honor, and we, too, believe that  
5 none are affected by the change in the rule.

6 >> JUDGE FROEHLICH: And the NRC staff.

7 >> MS. YOUNG: The staff's review of the  
8 contentions reveals that potentially Nevada Safety  
9 11.41 and 46 could be affected by the rule. Nevada  
10 13 and 19 could be affected, and Clark County 7 and  
11 Nevada Safety 154.

12 >> JUDGE FROEHLICH: Could I --

13 >> JUDGE MOORE: Ms. Young, would you mind  
14 repeating that list for me again, please.

15 >> MS. YOUNG: Hopefully, I can reproduce  
16 it.

17 The list includes Nevada Safety 11.41, and  
18 46. I believe they contain arguments about what's  
19 required for or what the effect of analysis would be  
20 for 10,000 years and beyond. Nevada 13 and 19,  
21 potentially, Nevada Safety 13 and 19, and Clark 7,  
22 and Nevada Safety 154, which has to do with igneous  
23 events.

24 >> JUDGE MOORE: Ms. Young, when you look  
25 at the Nevada safety contentions, which there are six

1 that you have named, is that because they contain the  
2 language to the effect of and beyond or that they're  
3 speaking to a period up to 10,000 years, and then  
4 they have two or three words to the effect of "and  
5 beyond" or "additional years" or something like that.

6 >> MS. YOUNG: I believe that's correct.  
7 So it's not necessarily stated in the contention.  
8 154, I think, talks about the igneous evaluation that  
9 has to be conducted for the million-year period.  
10 Other contentions seem to address the 10,000-year  
11 period, but some of the bases discussion seems to  
12 mention "and beyond" or 300,000 years, for example.

13 >> JUDGE MOORE: Okay. Thank you.

14 >> MS. YOUNG: One involves erosion in  
15 300,000 years, I believe.

16 >> JUDGE WARDWELL: And just for  
17 clarification, Ms. Young, you've included those that  
18 say, for instance, for the 10,000-year period "and  
19 beyond" as part of your list?

20 >> MS. YOUNG: The staff tried to do that.

21 >> JUDGE WARDWELL: Thank you.

22 >> MS. YOUNG: I won't say it's a perfect  
23 list.

24 >> JUDGE WARDWELL: Sure. I understand.  
25 Along these lines, I'd like to pursue

1 talking about Part 63 and the recently published  
2 revisions to it and how it affects this hearing.  
3 I'll probably start with the staff just because they  
4 have were looking the other way, and not paying  
5 attention.

6 >> MS. YOUNG: I didn't hear that. I'm  
7 sorry, Judge Wardwell.

8 >> JUDGE WARDWELL: No. I was playing --  
9 I'm sorry -- with you. Just -- I want to be  
10 clarified on what your opinion is we should be using  
11 as a basis to evaluate the application. And by that  
12 I mean, Part 63 was first promulgated, I think, in  
13 2001. It dealt only with a 10,000-year period. That  
14 was short-lived. In 2004, the circuit court ruling  
15 said that wasn't a sufficient time period. EPA went  
16 back to the drawing boards, published a proposed  
17 rule, I think, in 2005, and I think the NRC did the  
18 same thing in proposing a draft rule.

19 The application was then submitted in June  
20 of '08, and the EPA published their final rule, I  
21 believe, in the fall of '08, and then NRC published  
22 their rule, final rule this March.

23 What rule controls what we should be  
24 evaluating as a Board? The original one or the  
25 recently adopted one?

1 >> MS. YOUNG: Well, I believe the  
2 petitioners in this proceeding filed their petitions  
3 based on the current rule; although there was -- were  
4 some petitioners who mentioned the pending  
5 rule-making.

6 But I believe the Board has also provided  
7 an opportunity in the January 9th, 2009, order for  
8 petitioners to raise contentions based on NRC's  
9 implementation of the new EPA standards. And that  
10 order on page 4 addresses the deadline for timely  
11 submission of those contentions, which is  
12 approximately 60 days after the Federal Register  
13 publication. I believe the Board's aware that the  
14 staff provided notice of the date of that publication  
15 and rule.

16 So pursuant to orders of this Board  
17 previously, the petitioners have an opportunity to  
18 refile contentions. Now, whether that could be  
19 done -- or amended contentions. Whether that can be  
20 done before the deadline of the Board's issuance of  
21 an order, the staff would say probably not.

22 But you have here contentions, I believe,  
23 that were filed under the current -- the rules prior  
24 to the proposed revision of Part 63. So in the end  
25 during the proceeding, it will be both rules that

1 apply, but I believe most of the petitioners here did  
2 not specifically address the amended rules  
3 implementing the EPA standard.

4 >> JUDGE MOORE: Mr. Malsch, you obviously  
5 disagreed with NRC's analysis that six of your safety  
6 contentions are impacted. Specifically, Ms. Young  
7 mentioned Nevada Safety 154 as -- if I'm stating what  
8 she said correctly as being different from those  
9 contentions that -- of Nevada that contained some  
10 language that indicated that it was focused on the  
11 first 10,000-year period and then -- and additional  
12 years or additional periods.

13 If the language about additional periods  
14 was stricken, we understand all those, but she  
15 identified Nevada Safety 154.

16 Could you tell me why it's not impacted in  
17 your view, providing the Commission's final  
18 March 13th amendments to Part 63.

19 >> MR. MALSCH: Yes, Judge Moore, I can.  
20 And the initial focuses on the provision of the rule  
21 which provides that DOE is required to include those  
22 FEPs that are screened into the performance  
23 assessments for the first 10,000 years after  
24 repository closure, and before FEPs specifically  
25 identified for inclusion later on.

1 So if a feature, process, or event is slated for  
2 inclusion in the performance assessment for the first  
3 10,000 years, then it must be included thereafter.

4 And Nevada -- the particular contention you  
5 mentioned talks about phenomena, features, processes  
6 and events, that occur within the first 10,000 years  
7 and should be included as a FEP for that purpose.

8 In addition, for that particular  
9 contention, I don't think even if -- the way the rule  
10 is drafted, I think we're dealing here with  
11 frequencies of igneous events, and its effect on the  
12 repository. And I think even under other provisions  
13 of the Commission's new rule they would be  
14 included in the post-10,000 year assessment because  
15 they deal directly with and only with intersection of  
16 the repository and resulting affects. So we're not  
17 alleging in that contention, in any event, any  
18 effects beyond those that are normally included in  
19 igneous events and FEPs for the post 10,000-year  
20 period.

21 >> JUDGE MOORE: Thank you.

22 >> JUDGE WARDWELL: Back to staff and  
23 Ms. Young. Could you comment on your impression of  
24 the changes that have occurred between the proposed  
25 NRC rule and the final NRC rule?

1 >> MS. YOUNG: Well, I believe the final  
2 rule clarified --

3 >> JUDGE WARDWELL: In a general fashion.

4 >> MS. YOUNG: Yeah.

5 >> JUDGE WARDWELL: Were there significant  
6 changes exclusive of, you know, fine tuning that  
7 constant in time log normal distribution for climate  
8 change, was there anything else that was  
9 significantly changed between the two rules?

10 >> MS. YOUNG: I believe there was a change  
11 also with respect to the total effective dose  
12 equivalent.

13 >> JUDGE WARDWELL: And what about the  
14 earthquake for the rise in the water level? Has that  
15 changed or was that pretty much the same as it was in  
16 the draft?

17 >> MS. YOUNG: Well, the magnitude, in  
18 terms of seismic activity was very similar. I  
19 believe what the final rule basically identifies  
20 which FEPs in addition to those that have been  
21 screened in for the first 10,000 years have to be  
22 addressed in the post-10,000 year period. Climate  
23 change is one of those. Igneous activity is another.  
24 General corrosion, and seismicity.

25 >> JUDGE WARDWELL: But again, some of

1 those were covered in the proposed --

2 >>NRC STAFF: That's correct.

3 >> JUDGE WARDWELL: I'm addressing the  
4 differences between the proposed and the final, not  
5 in the existing Part 63 and the proposed.

6 >>NRC STAFF: Right. But I believe a  
7 number -- the contentions rarely raise the proposed  
8 rule. So in terms of the staff's arguments regarding  
9 the admissibility of contentions, even for the ones  
10 the staff mentioned, I was responding generally to  
11 the -- were they potentially affected.

12 In terms of the admissibility, our  
13 arguments regarding the admissibility of the  
14 contentions would not change because of the rule.

15 >> JUDGE WARDWELL: Good. That's where you  
16 was going next.

17 DOE, when you -- and I don't know who would  
18 like to address.

19 >> MR. ZAFFUTS: Paul Zaffuts, DOE. One  
20 thing I want to just make clear --

21 >> JUDGE WARDWELL: I'd like to ask a  
22 question first.

23 >> MR. ZAFFUTS: Oh, I'm sorry.

24 >> JUDGE WARDWELL: I hadn't asked -- I  
25 didn't want you to address those questions. You can

1 comment later, certainly. If you're clever enough,  
2 you probably will weave it into the question I do  
3 ask. Surprise, surprise.

4 But anyhow, I was curious on how did you  
5 approach preparing your application? Did you  
6 anticipate this rule being approved in some fashion  
7 so that your application can withstand a challenge  
8 from either the existing rule or recently published  
9 one that will be effective in April.

10 >> MR. ZAFFUTS: Not to be accused of being  
11 clever, but that's exactly what I was going to inform  
12 the Board.

13 The application was prepared, and Nevada  
14 and other parties are aware of this, and, I think,  
15 clear in the SAR, where we use the term "proposed  
16 rule." It was prepared using the standards in the  
17 proposed rule. So, you know, I think the relevant  
18 question here is, Judge Wardwell, as you have been  
19 focusing on the differences between the proposed rule  
20 and the final rule. So that's really what the  
21 relevant differences would be.

22 The LA was prepared using the proposed  
23 rule. Contentions obviously would have been prepared  
24 based upon an application that used the proposed  
25 rule. So that's really the salient area.

1 >> JUDGE WARDWELL: Thank you. Nevada.  
2 Mr. Fitzpatrick, or, Mr. Malsch, I don't know who --  
3 or, Mr. Lawrence, whoever wishes to. I assume  
4 Mr. Lawrence wasn't going to respond immediately,  
5 just based on his distance from the table, but either  
6 one of you.

7 What was the philosophy you used when you  
8 prepared your contentions? Did you prepare them in  
9 anticipation of the proposed rule being adopted or  
10 did you stay with the 2001 Part 63 rule?

11 >> MR. MALSCH: Marty Malsch for the State  
12 of Nevada.

13 We -- I would say we prepared our  
14 contentions based upon the rules in effect. But with  
15 an eye toward the proposed rule. And so we were, we  
16 think, especially careful in our contentions to,  
17 where appropriate, identify features, processes, and  
18 events that were active and should be considered in  
19 the first 10,000 years. Aware of the fact that it  
20 would be likely that, having done so, we would also  
21 have a contention that went beyond 10,000 years.

22 >> JUDGE WARDWELL: And, in fact, you did  
23 state that in several of your contentions, did you  
24 not, that you have the comment that it goes 10,000  
25 years and beyond, or, in fact, you, in some of them,

1 I think even, showed that some of the impacts that  
2 you're concerned about would really start to take  
3 place in hundreds of thousands of years in some of  
4 your contentions; is that correct?

5 >> MR. FITZPATRICK: Well, not exactly. I  
6 think in all cases of our contentions, we have --  
7 when we're dealing with features, processes, and  
8 events, we have offered, with sufficient support, the  
9 idea that the particular feature, event, or process  
10 that we're talking about actually should be -- if it  
11 had not been, should have been included in the DOE  
12 10,000-year performance assessment. I don't think we  
13 have any contentions which are exclusively related to  
14 the post-10,000 year period.

15 >> JUDGE WARDWELL: Yeah. I did not mean  
16 by my statement that it was exclusive for that, but  
17 within that context, I think that the answer to my  
18 question would be, yes, in regards to if we tied  
19 together the fact that you started off talking about  
20 the pre-10,000 year period, but then went on to show  
21 some effects that did occur in the hundreds of  
22 thousands of years.

23 >> MR. MALSCH: Yes, indeed. I mean, I  
24 think in all cases we have shown a sufficient impact  
25 for the particular FEP to be included in the

1 10,000-year assessment, but, indeed, it is true for  
2 some of our contentions, things become more series or  
3 maybe additional aspects become more evident in the  
4 post-10,000 year period.

5 >> JUDGE WARDWELL: Just so I understand  
6 the philosophy of what you understood when you  
7 decided that you didn't have any contentions that are  
8 affected by the final rule, why didn't you include  
9 those ones -- why didn't you say that the ones that  
10 did have statements like "10,000 years and beyond"  
11 have some potential changes or effects associated  
12 with them relate to the new rule?

13 >> MR. MALSCH: I guess you're correct. I  
14 mean, in theory, every contention that we had that  
15 goes beyond the 10,000-year period is a contention,  
16 which, in theory, is allowable only under the new  
17 rule because the previous rule was limited to  
18 10,000 years.

19 But I understood the question to be whether  
20 there was any aspect of the new NRC final rule that  
21 would affect the admissibility of the contentions  
22 that did go beyond 10,000 years. And my answer is  
23 no.

24 >> JUDGE WARDWELL: That helps a lot.  
25 Thanks for the clarification.

1           I think it would be worthwhile now to try  
2 to walk through a couple of scenarios to help clarify  
3 in my mind how we apply the new rule. And to do  
4 that, I think we'll look specifically at 63.305,  
5 63.342 and apply it to a couple of scenarios. One  
6 being climate change, both in the pre-10,000 year  
7 period, and the post-10,000 year period. And for  
8 other FEPs, and specifically using corrosion as the  
9 one FEP that I think is of interest for both the pre  
10 and post-10,000 year period.

11           And I think I will ask Mr. Welke, if he  
12 might, to pull up -- or have ready to pull up. I  
13 don't think we necessarily -- yeah. Let's wait. If  
14 you pull it up that fast. Let's go back to -- people  
15 get bored on the Internet just seeing that. They'd  
16 much rather look at us, I'm sure, than to look at  
17 that page.

18           So let's start by looking at the climate  
19 change for the post-10,000 year period. And I'll  
20 start with DOE.

21           As we look at that 63.305(c), doesn't that  
22 require that climate change be considered for the  
23 post-closure period, past the 10,000-year period?

24           >> MR. ZAFFUTS: Yes, Your Honor, it does.  
25 It does refer, though, to 342 to indicate how that is

1 being done. It's a very prescribed method, but it  
2 does indicate that post-10,000 year climate change  
3 does need to be addressed in the manner specified in  
4 342.

5 >> JUDGE WARDWELL: And the need to address  
6 climate change also existed in the current  
7 regulations. It just didn't deal with the  
8 post-10,000 year period? Is that a fair summary --

9 >> MR. ZAFFUTS: That's correct.

10 >> JUDGE WARDWELL: -- of the difference  
11 between the two?

12 With regard to 63.342(c), just make sure  
13 I'm reading that correctly -- and this -- I think it  
14 would be worthwhile to pull up that, to talk about  
15 and look at that first sentence that says if an FEP  
16 like climate change is included in the performance  
17 assessment for the first 10,000 years, it must be  
18 included in the performance assessment for a later  
19 period as well.

20 And I think that's clear that it says that,  
21 right? If you look at the -- that very first part,  
22 that's what it's really saying; isn't it?

23 >> MR. ZAFFUTS: I think you need to get it  
24 up on the screen here. Oh, okay. On the right side.  
25 Yes. That's correct.

1 >> JUDGE WARDWELL: And, if, in fact, you  
2 have looked at it for the first 10,000-year period,  
3 then it has to be looked at for the next -- for the  
4 post-10,000 year period, for the period of geological  
5 stability.

6 >> MR. ZAFFUTS: If the FEP has been -- has  
7 met the standards required for inclusion, which is a  
8 burden in and of itself --

9 >> JUDGE WARDWELL: Yes.

10 >> MR. ZAFFUTS: -- then, yes, within the  
11 10,000 years then it does carry through, the  
12 performance assessment; that's correct. And that is  
13 how the SAR was prepared, with that consideration.

14 >> JUDGE WARDWELL: Turning to Nevada, in  
15 regards to 63.342(c)(2), which allows an applicant as  
16 one option, as I interpret it, to simplify a  
17 performance assessment associated with climate change  
18 by representing it as a designated constant in time  
19 depercolation rate for the post-10,000 year period.

20 Is that a fair assessment of what it says?

21 >> MR. MALSCH: Yes, Your Honor. Marty  
22 Malsch for the State of Nevada.

23 Yes. And this is, though, I would  
24 emphasize that the particular specification you're  
25 talking about would apply to climate change FEPs that

1 were introduced newly for the post-10,000 year  
2 period, as distinguished from climate change FEPs  
3 identified relevant and appropriate for the first  
4 10,000-year period and then continued.

5 >> JUDGE WARDWELL: And where do you reach  
6 that -- what leads you to that conclusion that it  
7 only -- as I understood what you just said, it only  
8 applies to new climate changes? I guess I don't  
9 understand your response and the designation between  
10 the two of the pre and post-climate change scenarios.

11 >> MR. MALSCH: Again, Marty Malsch for  
12 Nevada.

13 That's because of the express language in  
14 62.342(c). It says specifically that, for  
15 performance assessments in the post-10,000 year  
16 period, DOE must evaluate all of the FEPs included in  
17 paragraph A, which is the 10,000-year assessment, and  
18 also -- so this is an additional specification which  
19 makes it clear that, for example, in the case of a  
20 climate change FEP, if it had not been included for  
21 whatever reason in the first 10,000 years, a climate  
22 change FEP along the particular lines of that  
23 specified must be included in the post-10,000 year  
24 period. But that's an additional FEP.

25 And I would emphasize that's because of the

1 language and also at the end of paragraph C, just  
2 before paragraph 1 begins. And if you see in the  
3 preamble to the rule, on page 10817 in the first  
4 column, DOE makes a -- I mean, makes a similar  
5 statement.

6 It says, "DOE is required to include those  
7 FEPs that are screened into the performance  
8 assessments for the first 10,000 years after  
9 repository closure, and -- and -- and they actually  
10 italicized the word "and" as if to emphasize it --  
11 "and the four FEPs specifically identified for  
12 inclusion, i.e., seismicity, igneous, climate change,  
13 and general corrosion."

14 So I think what the rule is clearly telling  
15 us is that in the post-10,000 year period you carry  
16 over FEPs properly included in the first 10,000  
17 years, and then, in addition, no matter what, you  
18 have to include the additional four FEPs, but within  
19 the limitations specified in the rule.

20 >> JUDGE MOORE: Mr. Malsch, you were  
21 referring to the language in the Commission's  
22 March 13th final rule in 63.342(c) --

23 >> JUDGE WARDWELL: Tom, can you speak into  
24 the mike? I can't hear. Can you speak into the  
25 mike?

1 >> JUDGE MOORE: 342(c), what specific  
2 language, when you said "and also" were you referring  
3 to?

4 >> MR. MALSCH: It is the language at the  
5 very end of the opening paragraph in 63.342(c). It  
6 says "and also," and then there follows paragraphs  
7 1 --

8 >> JUDGE MOORE: I see. Thank you.

9 >> JUDGE WARDWELL: So as I understand your  
10 position that any FEP that passed the screening and  
11 was evaluated for the pre-10,000 year period has to  
12 be evaluated for the post-10,000 year period, and  
13 those climate change -- and then we have those  
14 additional ones that are added on to that that follow  
15 with the "and also" after the 342(c) introductory  
16 paragraphs.

17 342(c)(2) that talks with climate change  
18 then gives a method to handle climate change by  
19 saying it may be evaluated by a constant in time, log  
20 normal distribution percolation rate.

21 Are you saying that that permission to use  
22 that particular technique to evaluate climate change  
23 only applies to those climate change FEPs that are  
24 new, that exist only after the post-10,000 year  
25 period, or for both of the climate change FEPs, those

1 that were carried over from the pre-10,000 year  
2 period because they're evaluated then and any new  
3 ones that come into play only because of their age  
4 being in the post-10,000 year period?

5 >> MR. MALSCH: Again, Marty Malsch for  
6 Nevada.

7 I think the rule is very clear that the  
8 specification only applies to FEPs that are newly  
9 included in the post-10,000 year period. So that  
10 a -- for example, an igneous or climate change FEP  
11 that was properly included in the assessment for the  
12 first 10,000-year period continues in the post-10,000  
13 year period, unaffected by these later  
14 specifications.

15 And I would add that that's fully  
16 consistent with the overall philosophy of both -- of  
17 the EPA underlying rule, which is that these  
18 particular four items had to be specified so as to  
19 eliminate, I think what EPA referred to as boundless  
20 speculation in the post-10,000 year period. An  
21 amount of speculation and uncertainty which increased  
22 after 10,000 years.

23 Well, obviously, if we're talking about a  
24 FEP that is already included in the first 10,000-year  
25 period, we're not talking about any increment of

1 uncertainty associated with simply passing through  
2 the 10,000-year period.

3           So the notion that we have to be specific  
4 and limit FEPs in the post-10,000 year period because  
5 of uncertainty doesn't apply to FEPs that are carried  
6 over because we already accept that amount of  
7 uncertainty by virtue of including them in the first  
8 10,000-year period.

9           >> JUDGE WARDWELL: I think where I'm  
10 getting confused is possibly that you, in your  
11 responses, make sure you're including all the FEPs.  
12 The scenario I was bringing up was climate change,  
13 and I'd like to simplify it so that I can make sure I  
14 understand it. I need things chunked down for me so  
15 I don't get overwhelmed. Just, you know a hard scrap  
16 old farmer from the backwoods.

17           If we're dealing with climate change and we  
18 had a climate change that was evaluated as a FEP in  
19 the first 10,000 years and it carries forward into  
20 the next 10,000 years, it carries forward even if  
21 it -- you know, either way, even if it wasn't  
22 evaluated. Let's say it was evaluated in the first  
23 10,000-year period, and it carries over into the  
24 post-10,000 year period, doesn't 342 -- let me  
25 rephrase that.

1           Why doesn't -- or how -- let me -- I'll  
2 rephrase it a third time, actually never having said  
3 anything yet, but I will try to come up with a phrase  
4 I'm interested in saying.

5           What in 342(c)(2) excludes the use of  
6 that -- of the constant in time depercolations --  
7 let's call it a simplification or -- let's call it a  
8 simplification of assessing climate change, only to  
9 those that weren't carried forward?

10           >> MR. MALSCH: Again, Marty Malsch for  
11 Nevada. I think it's the language at the end of (c),  
12 just before the paragraphs begin, "and also."

13           And let's say, for example, we have a  
14 human-induced climate change FEP, which we say is  
15 properly included in the performance assessment for  
16 the first 10,000 years. By the language of 63.342 on  
17 its face, that is required to be included in the  
18 post-10,000 year performance assessment.

19           But also there is to be included a  
20 different type of climate change contention, if that  
21 was necessary. So it seems to me by virtue of the  
22 word "and also," by necessity the restrictions in,  
23 for example, (c)(2) on climate change can only apply  
24 to those FEPs that were not carried over by virtue of  
25 the opening language in paragraph C. Otherwise the

1 language would not have been "and also." It would  
2 have been "but."

3 >> JUDGE WARDWELL: For those climate  
4 change FEPs that are carried over from the  
5 10,000-year period, it would be your position that  
6 they be addressed the way they were in the pre-10,000  
7 year period then, and not using the log normal  
8 distribution, depercolation rate?

9 >> MR. MALSCH: That's precisely correct.

10 However, if for some reason, in my  
11 hypothetical climate change FEP, it's determined not  
12 to be a proper FEP for the first 10,000 years, well,  
13 then what you end up with is a different FEP on  
14 climate change, but precisely as specified there in  
15 paragraph 2.

16 >> JUDGE WARDWELL: I understand your  
17 position.

18 DOE, would you like to respond to how --

19 >> JUDGE MOORE: May I?

20 >> JUDGE WARDWELL: Sure.

21 >> JUDGE MOORE: Mr. Malsch, one final  
22 question before we turn to DOE.

23 Under your reading of 63.342(c) what would  
24 be the logic of a climate change FEP that didn't have  
25 to be analyzed for the first 10,000 years, having to

1 be analyzed for the post-10,000 year period?

2 >> MR. MALSCH: Again, Marty Malsch from  
3 Nevada.

4 I think the concept here is the drafters of  
5 the rule knew that DOE was excluding FEPs on the  
6 basis of consequence, which is to say they were  
7 screened out in the first 10,000 years because,  
8 although they met the probabilities threshold, they  
9 did not meet some concept of consequence in the  
10 performance assessment.

11 The concern behind including these  
12 additional items was that it was at least possible,  
13 without having this rule constitute an actual review  
14 of the license application -- but it was at least  
15 possible that climate change FEPs would be FEPed out  
16 in the first 10,000 years because of significance or  
17 lack of significance in the first 10,000 years, but  
18 that clearly that lack of significance would  
19 dissipate after 10,000 years, and they would be of  
20 great significance in the post-10,000 year period.  
21 But then the concern was that introduced huge amounts  
22 of additional uncertainty, therefore, the limits were  
23 specified in the later paragraphs.

24 As I indicated that the whole concept  
25 behind the limitations here on these categories of

1 FEPs in the post-10,000 year period was that there  
2 had to be limits because these phenomena introduced  
3 amounts of uncertainty greatly in excess of what one  
4 saw in the first 10,000-year period.

5 Now, obviously just as 63.342(c) suggests,  
6 if you're simply carrying over a FEP from the first  
7 10,000-year period, you're not introducing increments  
8 of uncertainty that would call you -- call upon the  
9 need for these kinds of restrictions.

10 >> JUDGE MOORE: Is there any language in  
11 the statement of considerations that you can point to  
12 that supports the interpretation you've just given  
13 us?

14 >> MR. MALSCH: Yes. I think it's the  
15 language that I mentioned.

16 >> JUDGE MOORE: Okay. There's nothing  
17 else?

18 >> MR. MALSCH: I believe there's nothing  
19 else. I just thought it was remarkable that the use  
20 of the italics there, as if to strongly emphasize the  
21 point. I think, though, there is nothing in the  
22 statement of considerations that's counter to my  
23 interpretation.

24 >> JUDGE MOORE: Thank you.

25 >> JUDGE WARDWELL: Could you repeat that

1 reference again, just so when I review the  
2 transcripts I don't have to go back 20 pages?

3 >> MR. MALSCH: Let me just take a second  
4 to find it.

5 >> JUDGE MOORE: It was 1018, first column.

6 >> MR. MALSCH: Yeah, it was 1081 -- the  
7 precise citation is --

8 >> JUDGE MOORE: I'm sorry it's 817.

9 >> MR. MALSCH: Right. It's 10817, and  
10 it's in column 1, just under, I believe, the response  
11 to the first comment in issue 1.

12 >> JUDGE WARDWELL: Thank you.

13 DOE, the views just expressed by Nevada,  
14 are they consistent with your interpretation of how  
15 these new rules will be applied in regards to climate  
16 change alone? We'll deal with the other FEPs later.

17 >> MR. ZAFFUTS: Sure. Paul Zaffuts DOE.

18 No, it doesn't and I think it's -- I think  
19 it's pretty simple.

20 63.342 provides two aspects of how to  
21 address climate change. First, it's whether it's  
22 going to be included in the first 10,000 years or  
23 not. And it specifies the manner in which that is  
24 being done. There's limits on that.

25 The purpose of (c)(2) -- in fact, (c)(1)

1 and (c)(3), I believe, as well, is to ensure that  
2 there is some consideration of climate in the  
3 post-10,000 year period, irrespective of whether it  
4 has an effect on the first 10,000 years or not. I  
5 mean, that is just to ensure that the climate change  
6 in that long period is taken into account.

7           The second part of (c)(2) simply tells you  
8 how that's going to be done. Whether it passes the  
9 test for the first 10,000 years or not, if it's going  
10 to be addressed in the post-10,000 year period, this  
11 particular section discusses the manner in which it's  
12 done. And the reason why it's in there is precisely  
13 because of the time frame. It's got nothing to do  
14 with how it got addressed in the first place, in the  
15 first 10,000 years. This is based upon the  
16 understanding, the clear understanding by NRC and EPA  
17 that to attempt to predict climate changes in such a  
18 vast amounts of time, from 10,000 years all the way  
19 up to a million years, no matter it was looked at in  
20 the first 10,000 years, it's just so speculative and  
21 so beyond the capability of any particular model, the  
22 uncertainty is so vast, that they just say, no, we're  
23 going to not get into that game. We're going to tell  
24 you how to do it.

25           It doesn't matter what happens in the first

1 10,000 years, how you analyzed it. This is how you  
2 analyze the effects in the post-10,000 year period.  
3 And I think that's consistent with the statement's  
4 consideration throughout both the EPA's rule-making  
5 proposed and final, as well as the NRC's. I just  
6 don't see how you could even interpret it in any  
7 other way.

8 >> JUDGE MOORE: Then what's the point of  
9 the word also that Mr. Malsch points out?

10 >> MR. ZAFFUTS: Sure. The "also" simply  
11 says that you need to take climate change into  
12 effect -- into account for the post-10,000 year  
13 period. This idea of FEPing something out in the  
14 first 10,000 years doesn't relieve you of the  
15 obligation. Just like in seismic and igneous, you do  
16 need, in fact, to look at the potential for climate  
17 change in the post-10,000 year period. You can't  
18 just say there's no seismicity or volcanism in the  
19 first 10,000 years and then that that's. The "and  
20 also" says, well, and also notwithstanding what  
21 happens in (c)(1) -- or I'm sorry in --

22 >> JUDGE MOORE: In (a).

23 >> MR. ZAFFUTS: In (a). You need to take  
24 into account. You can't just ignore it. That's the  
25 "and also." That's the way I interpret it, and I

1 think that's a very reasonable way to interpret it.

2 >> JUDGE MOORE: Why would the word in the  
3 Statement of Considerations on page 10817, column 1  
4 that Mr. Malsch points to the word "and" be  
5 italicized, when the four that are listed, one of  
6 them is climate change?

7 >> MR. ZAFFUTS: I think it's just how I  
8 explained it, which is that it means that you need to  
9 take that into account notwithstanding what happens  
10 in the first 10,000 years. You can't FEP climate  
11 change out and then ignore it in that post-10,000  
12 year period. You need to look at it. And the way  
13 you look at it is using this methodology that's gone  
14 into great detail. And the way that came up in great  
15 detail in 2.

16 It doesn't make sense to have gone through  
17 that significant analysis and methodology by the NRC,  
18 and by EPA to discuss exactly how you're going to  
19 examine a climate change in that period of time, when  
20 that all goes out the window, just simply because  
21 something had some effect in the first 10,000-year  
22 period. That just doesn't make sense to me.

23 >> JUDGE MOORE: Counsel, would you forgive  
24 me if I said I must disagree with you that it's  
25 clear?

1 >> MR. ZAFFUTS: Yes. I'm sorry. Yes, you  
2 can disagree with me. I appreciate that.

3 >> JUDGE WARDWELL: In regards to the  
4 technique that's stated in 342(c)(2), that's not  
5 required of the applicant to do that. That's just  
6 permissible way it could, correct.

7 >> MR. ZAFFUTS: Sure. If there was  
8 amazingly accurate model that goes out to a million  
9 years and we had access to it and there was such a  
10 thing -- I don't believe there is -- then would be --  
11 I believe this -- what all this says is that would be  
12 an acceptable method.

13 >> JUDGE WARDWELL: It's permissible to use  
14 that technique, but --

15 >> MR. ZAFFUTS: Permissible, but not  
16 forced to use.

17 >> JUDGE WARDWELL: -- you don't need to  
18 use it. You could continue with what you did in the  
19 pre-10,000 years and just extend that. You may be  
20 challenged, but yet you could do that. This is  
21 another way you could have done it that is, I call  
22 it, simplified.

23 >> MR. ZAFFUTS: Yes, you're not forced to  
24 use this stylized percolation rate, you don't -- if  
25 you don't -- one doesn't want to.

1 >> JUDGE WARDWELL: Based on your  
2 statements earlier this morning that you did prepare  
3 your application in anticipation of this rule being  
4 adopted, what did you actually do to evaluate climate  
5 change for the post-10,000 year period?

6 DOE: It's my understanding, and I may be  
7 getting a little beyond my lack of technical  
8 ability and knowledge of the LA, but --

9 >> JUDGE WARDWELL: You want me to give you  
10 a multiple-choice question then?

11 >> MR. ZAFFUTS: I do believe we use a  
12 depercolation rate. Obviously there's a difference  
13 in the numbers between the proposed and the final  
14 that I don't believe is really relevant to this  
15 discussion because we're talking about methodology  
16 not the precise numbers, but I'm quite confident that  
17 we used that rate.

18 >> JUDGE WARDWELL: And did you limit it  
19 only to that analysis and no other analysis for the  
20 post-10,000 year period?

21 >> MR. ZAFFUTS: I believe that's correct.

22 >> JUDGE WARDWELL: Thank you.

23 Mr. Malsch.

24 >> MR. MALSCH: Judge Wardwell, could I  
25 just offer a hypothetical, which I think will

1 illustrate why DOE cannot possibly be correct in its  
2 interpretation?

3           Imagine, if you will, a climate change FEP.  
4 And let us suppose that the model consists of a  
5 single differential equation, operating on  
6 parameters -- let's make them non-dimensional,  
7 parameters 0 to 20. And let us suppose that that  
8 single differential equation operating on parameter  
9 0 to 20 is applicable in the first 10,000 years and  
10 also equally applicable in the post-10,000 year  
11 period.

12           If we recognize that the whole reason for  
13 specifying particular ways to deal with FEPs in the  
14 later paragraphs is to eliminate the need to deal  
15 with additional amounts of uncertainty that would  
16 exist in the post-10,000 year period as distinguished  
17 from the initial period, I have here an example in  
18 which there is no additional uncertainty introduced  
19 whatsoever. And so the underlying purpose of the  
20 rule would not be served by construing it the way DOE  
21 has offered it.

22           >> JUDGE WARDWELL: But how do you counter  
23 the argument that seems to be logical to me, that the  
24 reason for the log normal distribution depercolation  
25 rate was in recognition that we're dealing with such

1 extensive time frames, that to pretend that we can  
2 vary the various inputs that get us to the point of  
3 depercolation in those extensive time frames would be  
4 almost absurd to attempt to do that. That it's hard  
5 enough for the first 10,000 years, let's not worry  
6 about the climate, the interaction with the climate  
7 and the surface, the interaction of the surface and  
8 the near subsurface, and the vegetation associated  
9 with that, and then finally get into the deeper zone,  
10 at time frames where we aren't confident of what's  
11 really taking place with whatever that differential  
12 equation you use in your example is trying to  
13 represent in the pre-10,000 year period. Let's cut  
14 it off and just do a more simplified thing and start  
15 at a percolation rate and go from there.

16 Why isn't that a logical motivation for why  
17 this is in place? And isn't that supported by any of  
18 the statements of considerations that were brought up  
19 by EPA and the NRC in promulgating these rules?

20 >> MR. MALSCH: Again, Marty Malsch from  
21 Nevada.

22 I just think that, first of all, it's not  
23 consistent with what I think is pretty clear language  
24 in the rule. And I also think that in my example --  
25 we assume my example is a real example, and I've

1 offered a hypothetical in which the purpose to be  
2 served by applying these restrictions is simply not  
3 there.

4 >> JUDGE WARDWELL: What did DOE do in  
5 their application in regards to the post-10,000 year  
6 period. Do you know off the top of your head?

7 >> MR. MALSCH: I believe the license  
8 application is specifically or explicitly premised  
9 upon the proposed rule. So they would have  
10 applied -- in the post-10,000 year period, they would  
11 have applied the limitations in the proposed rule for  
12 the post-10,000 year period. But I suspect, though,  
13 that also, for some of the FEPs we're talking about,  
14 they didn't have to resolve the question to be  
15 addressed here, because they had FEPed them out, the  
16 first 10,000 year period.

17 So for example, if DOE had -- and I  
18 apparently don't remember this, but if hypothetically  
19 DOE FEPed out human-induced climate change for the  
20 first 10,000-year period, they would not have needed  
21 to consider the issue whether, in the post-10,000  
22 year period, they should have continued to use the  
23 FEP as they specified it or just used the FEP as  
24 later defined.

25 >> JUDGE WARDWELL: If they had -- to be

1 sure I understand your position. The reason you're  
2 interested in having them extend their pre-10,000  
3 year FEP into the post-10,000 year period is so that  
4 you can then challenge that particular analysis that  
5 they have run, which would be preempted by this log  
6 normal distribution; is that correct?

7 >> MR. MALSCH: That's a possible  
8 consequence of a different interpretation, that's  
9 correct.

10 >> JUDGE WARDWELL: If, in fact, in their  
11 current application they have some other analyses in  
12 there that help support or back up -- and I don't  
13 know this for a fact. I just want to know that, if,  
14 in fact, there are some other analyses in there  
15 besides just the depercolation for the post-10,000  
16 year period, do you believe that is susceptible to  
17 challenge by a petitioner?

18 >> MR. MALSCH: I'm sorry. Could you  
19 repeat your question again?

20 >> JUDGE WARDWELL: If there are other  
21 analyses that were performed in addition to the deep  
22 percolation analysis for the post-10,000 year period,  
23 relating to climate change, in DOE's application, and  
24 I don't know whether there is or isn't, but if there  
25 is, is that other analyses that they happen to

1 present in their application also susceptible to  
2 challenge by a petitioner?

3 >> MR. MALSCH: Yes, indeed. Yes. Marty  
4 Malsch, again.

5 Yes, indeed, I think it would. They would  
6 then be following what would, in our view, be a  
7 correct interpretation of the new NRC rule, but would  
8 be doing it in a flawed technical manner, and that  
9 would be subject to contentions.

10 >> JUDGE WARDWELL: DOE, would you agree  
11 that if you happen to have calculations in your  
12 application for the post-10,000 year period that are  
13 in addition to or different than the depercolation  
14 rates allowed by 342(c)(2), that in fact, those are  
15 challengeable by a petitioner? Would that not be the  
16 technique, if they saw flaws in that technique?

17 >> MR. ZAFFUTS: Your Honor, Paul Zaffuts  
18 for DOE. I'm quite confident we don't do that. And  
19 with the hypothetical that's posed, I think if we're  
20 relying on an analysis different than that, it would  
21 be subject to this some type of challenge, sure. I  
22 mean, it's not excluded.

23 >> JUDGE WARDWELL: Sure.

24 >>DOE: It wouldn't be omitted from  
25 challenge. I wouldn't --

1           >> JUDGE WARDWELL: That's the importance  
2 of the difference between you shall perform the  
3 calculations using this depercolation, and may use  
4 the percolation rates in your analysis, if you choose  
5 not to or if you choose to augment those analyses  
6 with any other analyses, then, in fact, that would be  
7 challengeable. Where if you had only stuck with the  
8 depercolation rates as specified by the rule, then  
9 that wouldn't be challengeable.

10           >> MR. ZAFFUTS: If you're relying on that  
11 to meet the performance requirements of Part 63?

12           >> JUDGE WARDWELL: Correct.

13           >> MR. ZAFFUTS: Yes. If I could, again, I  
14 don't believe that's in the LA; so it's really kind  
15 of a hypothetical, moot point.

16           One thing, though, Mr. Malsch mentioned his  
17 hypothetical essentially postulating some absolutely  
18 perfect model that can go out to a million years, and  
19 if -- and under that hypothetical, the rules don't  
20 make sense as written, or my interpretation of the  
21 rules don't make sense.

22           Well, first of all, there is no such model,  
23 and the NRC knows there's no such model or able --  
24 ability to predict like that, and the EPA knows that.  
25 They didn't write the rule with that hypothetical in

1 mind because it's not realistic.

2           They wrote it understanding that, as I said  
3 earlier, the uncertainties in attempting to predict  
4 out to a million years climate change are just so  
5 great that they're not going to force DOE to attempt  
6 to do so. I think that would just engulf a  
7 proceeding.

8           So they said, that's -- we're not going to  
9 do that. It doesn't make -- it doesn't help our  
10 understanding -- meaning the NRC's understanding --  
11 of whether this mountain will be able to perform its  
12 function. So we're going to provide specifically  
13 what the analysis should include and how you should  
14 do it.

15           It's just like they do for the  
16 human-intrusion standard. I mean, there was the  
17 ability to predict what people were going to do and  
18 drill into the mountain in some future time. They  
19 didn't want to get the -- that didn't make sense to  
20 have to go to that type of speculation. So what they  
21 did was say, we're going to prescribe specifically  
22 how you're supposed to analyze it. Now, you have to  
23 analyze it correctly. You have to apply this  
24 correctly, and that would be subject to challenge, if  
25 we -- you know, if they had said we had to use a

1 depercolation rate of 20 millimeters a year, and we  
2 only use 1, of course that would be a legitimate  
3 challenge. But it's a challenge to suggest that we  
4 are being forced to use something other than what's  
5 in here. As I said earlier, I just don't see that  
6 that is consistent with the promulgation of these  
7 rules.

8 >> JUDGE WARDWELL: In your answer to some  
9 of Nevada's contentions, you've raised the argument  
10 that the impact of future anthropogenic greenhouse  
11 gases on climate change is outside the scope of this  
12 proceeding. Could you elaborate a little bit more on  
13 the bases for that position?

14 >> MR. ZAFFUTS: Sure. We take that  
15 position based upon our reading of the rule and the  
16 statements of consideration that were included when  
17 it was being promulgated.

18 >> JUDGE WARDWELL: And is this the  
19 original rule or strictly in regards to the proposed  
20 revision.

21 >> MR. ZAFFUTS: No. This is the original  
22 rule, because we believe that's the case for the  
23 pre-10,000 year period. And it really -- to make it  
24 as simple as possible, it really comes down to the  
25 concept of attempting to predict -- again, it's

1 uncertainty. It's attempting to predict future  
2 societies, what the political winds of the world are  
3 going to be in the next 10,000 years with regard to  
4 greenhouse gases and climate change, and I think we  
5 can all understand that. The rule says we must vary  
6 factors --

7 >> JUDGE WARDWELL: And where is this?  
8 Could you cite this rule?

9 >> MR. ZAFFUTS: Oh, sure. It's 63.305(c),  
10 which we have spoken about earlier.

11 It specifically says we must vary factors  
12 related to geology, hydrology and climate based upon  
13 cautious but reasonable assumptions. In the  
14 statements of consideration -- that's 66 Fed Reg --  
15 Federal Register 55757, the NRC makes it clear with  
16 regard to cautious and reasonable assumptions and  
17 climate, it says that the geologic record provides  
18 evidence of past climate over long time frame, which  
19 provides a strong basis for predicting future  
20 changes.

21 The way I read that is that's why, unlike  
22 other aspects of the biosphere, we are supposed to  
23 change and examine what the changes are, because we  
24 have the ability to do so within a reasonable amount  
25 of uncertainty based upon the past geological record.

1           The distinction is made that that's not the  
2 same with regard to other aspects of the bias here,  
3 because human -- and it says -- it goes on to say,  
4 because human behavior --

5           >> JUDGE WARDWELL: And I'm sorry. I got  
6 diverted up here. Where are you reading from now; so  
7 that I can get back on track?

8           >> MR. ZAFFUTS: Sure. This is 66 Federal  
9 Register, the first page of -- it's 55732 is the  
10 first page, but the page I'm specifically referencing  
11 is 55757.

12           >> JUDGE WARDWELL: And this is in the  
13 Statement of Considerations and the promulgation of  
14 the original 63 rule?

15           >> MR. ZAFFUTS: That's correct.

16           >> JUDGE WARDWELL: Okay. Thank you.

17           >> MR. ZAFFUTS: Okay. Should I go ahead?  
18 Okay.

19           If you go on to quote that, "Because human  
20 behavior cannot be similarly predicated" -- that is  
21 the same manner in which you can't predict climate  
22 based upon the geological record -- "a similar  
23 approach cannot be used for the REMI and the  
24 influence that the local population has on the  
25 biosphere." And we need to understand that in this

1 context the biosphere includes climate. So in my  
2 view and DOE's view that's the only way you can read  
3 this with regard to climate change is that you need  
4 to use the -- you use the geological record, future  
5 effects based upon the attempt to predict -- attempt  
6 to speculate on what human society's going to be  
7 doing with regard to greenhouse gases is not the role  
8 of the DOE in this particular position.

9 >> JUDGE WARDWELL: And could you read that  
10 just one more time in regards to the REMI, and the  
11 human factors?

12 >> MR. ZAFFUTS: "Because human behavior  
13 cannot be similarly predicated, a similar approach  
14 cannot be used for the REMI and the influence that  
15 the local population has on the biosphere."

16 >> JUDGE WARDWELL: And aren't we talking  
17 about something that's beyond the REMI in the local  
18 population, though, when we're dealing with  
19 anthropogenic changes affecting climate?

20 >>DOE: Oh, absolutely. And I think that  
21 it makes my point even clearer, that if we can't even  
22 predict on a small local potential population, how we  
23 can possibly predict societal changes beyond that.  
24 We're talking about with global situation with, you  
25 know, hundreds of countries involved on this planet.

1           That the attempt to try to predict what's  
2 going to be happening over the course of the next  
3 10,000 years in this regard is just so speculative,  
4 that would be an endless controversy related to how  
5 that's done.

6           >> JUDGE WARDWELL: But I -- one could read  
7 that statement to mean, you're not supposed to change  
8 the REMI and any activities that are done out here,  
9 i.e., for instance, you couldn't set up a fire  
10 training area where you would start spraying the  
11 mountainside with a bunch of water or something like,  
12 on a local basis, and you can't change the behavior  
13 of the REMI, where, all of a sudden, they wanted to  
14 drink 14 times the amount of water that they do now,  
15 or some aspect like that.

16           Couldn't one interpret it to be that and  
17 not in relationship to large changes of climate?  
18 That would be needed by the mass.

19           >> MR. ZAFFUTS: I think that's not  
20 inconsistent. Yes.

21           >> JUDGE MOORE: I'm sorry. Counsel, did  
22 you say not inconsistent?

23           >> MR. ZAFFUTS: I think that  
24 interpretation is not inconsistent with the  
25 understanding that the NRC had and the EPA had when

1 they were promulgating this, just the basic concept  
2 of -- unlike -- unlike a geological record or --  
3 well, let's use that.

4           Something that is utterly dependent upon  
5 human behavior, whether it's localized, individuals  
6 spraying down a mountain or societal based, over the  
7 course of the next 10,000 years, that's just so  
8 speculative that it is not to be addressed. It  
9 doesn't have to be addressed in that way. It doesn't  
10 mean -- well, I'll leave it at that.

11           >> JUDGE WARDWELL: But yet, couldn't it  
12 also only be limited to that? Couldn't one read it  
13 to say it is only limited to the REMI and a local  
14 population disturbance on the climate change, that  
15 you would only be allowed to look at regional  
16 continental human behavior changes on the climate  
17 change?

18           >> MR. ZAFFUTS: Like I said, I don't think  
19 that's inconsistent. I don't agree that that's the  
20 only way you should read that or that should be  
21 limited in that way.

22           >> JUDGE FROEHLICH: Judge Wardwell, would  
23 this be a convenient time for us to take our morning  
24 break.

25           >> JUDGE WARDWELL: Sure.

1 >> JUDGE FROEHLICH: I would propose that  
2 we take a break for 15 minutes. We will all  
3 reconvene at 10:30 by the clock on the back of the  
4 wall, please. 15 minutes.

5 (A recess was taken)

6 >> JUDGE FROEHLICH: Please be seated.  
7 we'll be back on the record.

8 Before we start, could I just ask  
9 Mr. Zaffuts, could you give us the full Federal  
10 Register cite to the statement considerations you  
11 were referring to in the last series of answers  
12 before we began?

13 >> MR. ZAFFUTS: I sure can.

14 >> JUDGE FROEHLICH: Thank you.

15 >> MR. ZAFFUTS: Paul Zaffuts, DOE. It  
16 is -- I believe this is correct; 66 Federal Register.  
17 And the first page of the entire notice is 55732.  
18 The page I was quoting from is 55757.

19 >> JUDGE MOORE: And the column?

20 >> MR. ZAFFUTS: Let's see. Bear with me  
21 just one second. It's the bottom of the second  
22 column, Your Honor.

23 >> JUDGE MOORE: Thank you.

24 >> JUDGE FROEHLICH: Judge Wardwell.

25 >> JUDGE WARDWELL: Yeah.

1 >> MR. MALSCH: Your Honors, may I just  
2 respond briefly to what DOE just offered about  
3 interpreting 63.305?

4 >> JUDGE WARDWELL: No. I'd rather you  
5 address my question, Mr. Malsch.

6 Would you like to respond to anything that  
7 DOE just said?

8 >> MR. MALSCH: I'll address that question  
9 instead.

10 What DOE offered you before the break was  
11 an interesting discussion in theory about how the  
12 rule might have been drafted, but it doesn't pertain  
13 to the rule as it was actually drafted.

14 If you look at 63.305, subsection by  
15 subsection, you can see that, first of all, with --  
16 and we're talking here about human-induced climate  
17 changes.

18 It first of all says FEPs that describe the  
19 reference biosphere must be consistent with present  
20 knowledge of the conditions in the regions  
21 surrounding the Yucca Mountain site.

22 We believe that our climate change  
23 contentions are consistent with present knowledge of  
24 the conditions in the regions surrounding the Yucca  
25 Mountain site.

1           Paragraph B then says, "D should not  
2 project changes in society." Our contentions don't  
3 project changes in society. But it then continues.  
4 "We may project changes in the biosphere." We  
5 may not project claims in the biosphere other than  
6 climate. And, of course, we are predicting climate  
7 changes.

8           It then says, "We should not project  
9 changes in human biology or increases or decreases in  
10 human knowledge or technology." We are not doing  
11 that either.

12           It further says in paragraph (c), "We shall  
13 vary factors relating to climate based upon cautious  
14 but reasonable assumptions, consistent with present  
15 knowledge of factors that could affect the Yucca  
16 Mountain disposal system over the next period."

17           And we believe that our climate change  
18 contentions are based upon those cautious but  
19 reasonable assumptions. I would just say that,  
20 frankly, the only way one could FEP out human-induced  
21 climate changes would be by actually challenging the  
22 rule and insisting that we should project changes in  
23 society for purposes of licensing Yucca Mountain;  
24 namely, we should project changes in society would  
25 eliminate the concerns associated with human-induced

1 climate changes.

2 So our contentions are perfectly consistent  
3 with the rule, and DOE's theory about what the rule  
4 provides actually constitutes a rule challenge.

5 >> JUDGE WARDWELL: Thank you.

6 I think we've covered most of the -- you  
7 know, by covering what we did, we've covered the  
8 other scenarios that I'm interested in. I don't feel  
9 a need to go into anything further in regards to  
10 erosion or anything else like that.

11 I would like to turn to staff, though, and,  
12 Ms. Young, would you like to comment on the plethora  
13 of stuff that's come up so far, without being  
14 specific to any particular areas so you're free to  
15 reign on any of the comments since the last time we  
16 chatted with you.

17 >> MS. YOUNG: Thank you, Judge Wardwell.  
18 Commenting on the plethora might not be appropriate,  
19 but in terms of Mr. Malsch's suggestion that the  
20 revised rule regarding the post-10,000 year standard  
21 would suggest a requirement to analyze additional  
22 scenarios that were not addressed or screened in in  
23 the first 10,000-year period.

24 I think the staff -- or the Commission's  
25 intent in issuing this rule was to provide additional

1 constraints on analyses done for the post-10,000 year  
2 period. I would agree that the language of the  
3 provision is not perfectly clear as to what's  
4 required, but in terms of climate change, the staff  
5 would agree with Judge Wardwell's interpretation,  
6 your interpretation, that it basically provides  
7 information on how you might do that post-10,000 year  
8 analysis.

9 >> JUDGE WARDWELL: Whether it's a screen  
10 FEP or a new FEP?

11 >> MS. YOUNG: That's correct.

12 >> JUDGE WARDWELL: Thank you. And would  
13 you like to comment in regards to the interpretation  
14 of DOE relating to the REMI and the local human  
15 activity in relationship to the greenhouse gases  
16 associated with climate change?

17 >> MS. YOUNG: I believe climate change is  
18 something that should be analyzed under 63.305(b).  
19 However, it's obviously not clear, given the dispute  
20 we're having here this morning in terms of what's  
21 required, but (b) does provide that analysis should  
22 assume that certain factors remain constant;  
23 therefore, you wouldn't predict changes, economic  
24 changes. I think there are words in the statement  
25 consideration addressing the rule on that. So it is

1 difficult to predict changes to those factors.

2 >> JUDGE WARDWELL: Thank you.

3 Lastly, I think I would like to offer the  
4 opportunity for those petitioners who felt their  
5 contentions might be affected by the new rule to  
6 comment, if they wish, on anything that has come up,  
7 and let's -- let me start in the far corner with NCAC  
8 first. You did say that your Miscellaneous 2 in the  
9 NEPA 1 might be affected.

10 Is there anything you heard today that you  
11 would like to comment on in regards to issues we were  
12 trying to address.

13 >> MR. WILLIAMS: No, sir. Thank you.

14 >> JUDGE WARDWELL: Thank you.

15 Clark County, you said you didn't have any,  
16 but you had your hand up; so I will allow you to  
17 comment --

18 >> MS. ROBY: Thank you.

19 >> JUDGE WARDWELL: -- even though none of  
20 your contentions supposedly are affected by this, but  
21 maybe it's the human behavior aspect that we talked  
22 about.

23 >>CLARK COUNTY: Thank you, Your Honor,  
24 Debra Roby for Clark County. I just want to respond  
25 to a few comments made by NRC staff this morning.

1 They said that they believed, in their review, that  
2 Clark Safety 7 may be affected in their evaluation.  
3 And I just wanted to note a couple of comments by NRC  
4 staff raised some questions for us.

5 NRC staff said that they did not believe  
6 they opposed contentions based on the proposed rule,  
7 but there is that challenge to Clark Safety 7 in the  
8 NRC response to Clark Safety 7. So I'm assuming  
9 for -- since we're on the record today that staff  
10 would not be opposing that that was, in fact, the  
11 basis that Clark County was setting forth.

12 But Clark Safety 7 is not -- is about --  
13 not so much about the human -- or the dose, but that  
14 the DOE failed to look back far enough in history of  
15 volcanism, failed to take into consideration the deep  
16 melting models or the entire period of volcanism from  
17 11 million years to the present. They only  
18 considered a lesser period.

19 >> JUDGE WARDWELL: Thank you.

20 >> MS. YOUNG: Judge Wardwell, may the  
21 staff be heard. Mitzi Young for the NRC staff.

22 >> JUDGE WARDWELL: Yes.

23 >> MS. YOUNG: Just to clarify, the staff's  
24 statement was trying to address that we did not  
25 solely object to the contention on the basis of the

1 rule. We had independent grounds for objecting to  
2 the admissibility. Therefore, we believe the  
3 proposed rule doesn't affect our arguments with  
4 respect to admissibility or the contention in the  
5 end.

6 >> JUDGE WARDWELL: Thank you for that  
7 clarification.

8 TIM, I understand that you had '08 you  
9 anticipated to -- here we are, yes.

10 >> MS. HOUCK: We have no further comment  
11 on the matter. Thank, you Your Honor.

12 >> JUDGE WARDWELL: Thank you. And that's  
13 about it, unless there's someone else that would like  
14 to add their comments in regards to those particular  
15 issues we addressed talking about the new rule and  
16 the potential limitations of humans' effects on  
17 climate change in the original rule.

18 >> MR. POLAND: Your Honor, if I could,  
19 Doug Poland for TOP. I had mentioned before there --  
20 sorry. Right over here. There may be a potential  
21 effect, but just to clarify, it does not affect the  
22 admissibility of the contention that TOP has raised.

23 >> JUDGE WARDWELL: Okay. Thank you.

24 >> JUDGE FROEHLICH: All right. Moving  
25 from Part 63, perhaps we'll take up the LSN questions

1 next.

2 The LSN was created in order to provide  
3 parties with an expeditious method for managing the  
4 large amount of documentary material in this  
5 proceeding. Section 2.103 of Title 10 of CFR  
6 outlines the obligations and the timetable for the  
7 production of documentary material for the LSN, by  
8 the DOE, the staff, and the potential parties, now  
9 the petitioners to this case.

10 The LSN requirements are also spelled out  
11 in the TAPA Board orders. And I note that  
12 10 CFR 2.1000 states that the provisions of subpart  
13 (j), where the LSN requirements appear, don't take  
14 precedence over the normal, the customary 2.309  
15 requirements for contention admissibility.

16 As I read the petitions to intervene, the  
17 Department of Energy argues that the existence of the  
18 LSN, as its publicly available electronic document  
19 discovery system, creates a heightened obligation on  
20 the petitioners for better or different contentions  
21 that are normally admitted.

22 Is that a fair representation of your  
23 position, DOE?

24 >> MR. SHEBELSKIE: Your Honor, Mike  
25 Shebelskie for DOE.

1 >> JUDGE FROEHLICH: Thank you.

2 >> MR. SHEBELSKIE: I think a more refined  
3 way of how we should have expressed that view was not  
4 to suggest that the requirements the 2.309 do not  
5 apply and govern the contention admissibility  
6 standards.

7 Rather that in applying those standards the  
8 Boards should be mindful of the availability of the  
9 documentary material that DOE has made available on  
10 the LSN, as well as the fact that all the petitioners  
11 are equally obligated to have made available on the  
12 LSN all their, at least, supporting information for  
13 these purposes.

14 So that when the Boards, for example, are  
15 assessing whether or not there exists a genuine  
16 dispute of fact, all -- if it's a contention that  
17 DOE's analyses are in error in some way, petitioners  
18 have access to all of our analysis in the LA, in the  
19 supporting references and the vast body of  
20 documentary material we have been made available.  
21 And so they have the ability, therefore, to frame  
22 focused and meaningful and very specific criticisms  
23 of our analyses or work product.

24 And there is consistent, really, with what  
25 the Commission has said in the rule-making with

1 respect to the LSN, that on several occasions it  
2 noted that part of the purpose or the achievement,  
3 what we would expect from the LSN, is the ability for  
4 the parties to frame meaningful and focused  
5 contentions.

6 And the Commission reiterated that  
7 expectation in its order from the summer of '08, in  
8 which it upheld the TAPA Board's decision denying  
9 Nevada's motion to strike DOE's LSN certification.

10 So really the Commission does have in mind  
11 that contentions here are to be of the highest  
12 quality and to are to be specific and substantially  
13 supported in detail with references to the LSN  
14 materials available.

15 Likewise, even when a party is citing its  
16 own supporting information, LSN requirements, plus  
17 the orders of the advisory PAPO Board require the  
18 parties to either provide citations to LSN reference  
19 materials or to attach the materials to their  
20 petitions.

21 Again, so there's no accuse now in applying  
22 this accepted criteria under 2.309 for parties not to  
23 provide very detailed, very specific supported  
24 contention on whether a genuine dispute, they're  
25 supporting references or materiality. That's what we

1 really meant by saying a heightened obligation for  
2 the quality of the contentions, given the LSN.

3 >> JUDGE FROEHLICH: So with the existence  
4 of the LSN, we're still applying the standard, the  
5 traditional 2.309. That we're not -- you're not  
6 really talking before heightened standard. What  
7 you're just looking for or arguing that the quality  
8 of the contentions is required to be higher?

9 >> MR. SHEBELSKIE: Yes sir. It's a  
10 similar application to the Commission's decision in  
11 the Shieldalloy decision, CLI 99-12, in which they  
12 held that in that context that we agree with the  
13 presiding officer that petitioners represented by  
14 counsel are generally held to a higher standard than  
15 pro se litigants.

16 I think a comparable principle can be held  
17 here that all petitioners now have an extraordinary  
18 access, unprecedented access to all of DOE's  
19 supporting and non-supporting information and reports  
20 and studies, and also unprecedented all these parties  
21 are under an obligation to have come forward with all  
22 their supporting and non-supporting information and  
23 likewise reports and studies.

24 And so unlike contentions that might  
25 otherwise have been thought acceptable in other types

1 of cases, here, in applying the standards of 2.309,  
2 the Boards out to be particularly precise in  
3 demanding that there be substantiation on the bases  
4 of genuine dispute and materiality.

5 >> JUDGE FROEHLICH: I think I understand  
6 the distinction that Shieldalloy and -- you drew  
7 between pro se -- pleadings from pro se applicants  
8 and pleadings from parties that are represented by  
9 counsel.

10 Are you suggesting there's a different  
11 standard, in this case where parties are represented  
12 by counsel, than in other cases before the Board or  
13 the Commission?

14 >> MR. SHEBELSKIE: Well, again, it's the  
15 same criteria of 2.309. But to use Judge Gibson's  
16 phraseology from yesterday, should parties be cut  
17 slack in this proceeding.

18 The answer is no. All the petitioners here  
19 are now represented by counsel. Under Shieldalloy,  
20 that alone holds them to a generally higher standard,  
21 but now we've got Shieldalloy plus, if I might say,  
22 because we have counsel plus all the information is  
23 now on the table for framing focused and meaningful  
24 contentions.

25 >> JUDGE FROEHLICH: Doesn't that argument

1 cut the other way just as well? That in this case,  
2 different from some many -- every other case the  
3 Commission has ever had, that the volume of material  
4 with which the parties are working is so large that  
5 perhaps we should cut them some slack, to use Judge  
6 Gibson's term?

7 >> MR. SHEBELSKIE: No, Your Honor, I don't  
8 think so, because from the very beginning of this  
9 proceeding, in LSN the rule-making going back over  
10 two decades now, it was always contemplated and  
11 understood that there would be a large volume of  
12 documentary material available to petitioners for  
13 framing their contentions.

14 And we really have the most extraordinary  
15 thing done in this proceeding, is that there has been  
16 advanced disclosure so petitioners have all this  
17 information available. They have DOE's analyses,  
18 works, and all. That's unlike any other petitioner  
19 has ever had access to in any other proceeding.

20 >> JUDGE MOORE: Mr. Shebelskie, as you  
21 know, you and I have worked our way through all of  
22 the LSN for five years with the Prelicense  
23 Application Presiding Officer Board.

24 What you just said brings to mind the  
25 needle in a haystack problem. Your argument about a

1 heightened obligation looks to some of the very  
2 extensive regulatory history of subpart (j) involving  
3 LSN and its predecessor, the LSS.

4 Also found in that legislative -- or  
5 regulatory history are -- and in our statements from  
6 the Commission that care needs to be taken not to  
7 overburden the system with irrelevant material that  
8 has the effect of cluttering the real purpose and  
9 causing the needle in a haystack problem.

10 How does your argument take into account  
11 the severe limitations of the LSN as far as a search  
12 engine because of the lack of mandatory provisions;  
13 although there are guidelines for -- that make  
14 electronic searching more equivalent to what many of  
15 us are used to in things like using Google or  
16 comparable search engines, because there are  
17 36 million plus pages of DOE material.

18 And by your own admission, if memory  
19 serves -- and I emphasize, if memory serves -- I  
20 believe, for example, DOE made a deliberate choice  
21 with regard to circulated drafts, which is a  
22 particular term defined in the regulations concerning  
23 documentary material, to put them all in because it  
24 was cheaper and quicker than to sort them out. And  
25 that kind of approach was used by DOE, and one of the

1 reasons why the collection is the size that it  
2 exists.

3           So the chairman's question to me takes on  
4 added significance, because, even though there's an  
5 unprecedented electronic documentary library system,  
6 it has, to use an analogy that dates me, I'm afraid,  
7 a faulty Dewey Decimal System card catalog.

8           >> MR. SHEBELSKIE: Your Honor, Mike  
9 Shebelskie. Several points in response to that.

10           First, just with regards to the  
11 searchability of at least the DOE collection in the  
12 LSN. We did not limit our biographic header  
13 information to the bare minimum that the LSN  
14 regulations require. But we adopted very fulsome  
15 header information with titles and authors and  
16 recipients, going far above and beyond what the  
17 regulations require, what anybody else required --  
18 did with their headers, precisely to help improve the  
19 searchability, at least of our collection.

20           Second, with respect to searchability as  
21 well, the LSN is word searchable through the text.  
22 And so searches are not confined to information  
23 contained in the biographic headers.

24           But I think more broadly, I think you have  
25 to take a broader view of the LSN in connection

1 really with DOE's development of the work product on  
2 this project, because this is not a situation where  
3 petitioners, or any other stakeholder or interested  
4 person, has only had access to DOE's work product and  
5 understand what we're doing by simply periodically  
6 trolling through the LSN.

7           The LSN really is an adjunct, in some  
8 respects, perhaps, the lesser important adjunct, to  
9 the vast public interactions between DOE and NRC over  
10 the years, and with the TRB and other public bodies,  
11 where DOE has developed its work product in stages  
12 through iterations. And we've had opportunities for  
13 stakeholders who are interested to be involved, to  
14 track along what was being done.

15           And then when we first began to make  
16 documents available in the LSN in 2004, and then we  
17 updated all that in 2007, that information was all,  
18 there and you could follow it along.

19           In DOE's record system has maintained with  
20 respect to our, for example, analysis model reports,  
21 the key building blocks underlying the LA, a  
22 consistent terminology and document number. And we  
23 go through iterative revs, or revisions, of those.  
24 So one can pull the thread all the way through the  
25 LSN collection if you're interested in a particular

1 subject matter in the AMR and follow that development  
2 through, through the LSN.

3 In addition to all of that, the LSN  
4 regulations provide as part of the informal discovery  
5 available to any petitioner or potential party, even,  
6 in the prelicense phase, request for information from  
7 us.

8 Now, Nevada took full advantage of that,  
9 particularly once we made our second collection  
10 online starting in 2007. And we had discussion of  
11 this in some of the PAPO Board hearings on the  
12 motions to strike, where Nevada had the list of our  
13 AMRs and our big tracking tractor. Your Honor, you  
14 may remember there's a 1500 list of documents on some  
15 key management documents and the dates they were due,  
16 and Nevada was tracking along when those would become  
17 available on the LSN. And there was frequent  
18 interchange between counsel for Nevada and counsel  
19 for DOE about what documents they were interested in  
20 and what's the schedule for them being on the LSN,  
21 and we would apprise them and update them on that, so  
22 they could track along and find in real time, the  
23 final analyses as they wanted them.

24 No other potential -- no other petitioner  
25 here, no other stakeholder in the world ever asked us

1 for that kind of information. And so given all the  
2 public interactions for 20 years we've had, the  
3 public bodies, given the information we've made  
4 available on the LSN, and the ease -- the extra  
5 efforts we went to to make it searchable and to  
6 provide it, a way to pull the threads through search  
7 terms and common terminology, and their --  
8 essentially their failure to ever even ask us for  
9 information they were interested in, helping them  
10 locate things in the LSN, I don't think it's a fair  
11 criticism to say that really the Commission's  
12 expectations should now be set aside because there  
13 happens to be a large volume of documents.

14 >> JUDGE MOORE: Okay. Accepting your  
15 description of your collection and its virtues, how  
16 does the minimum floor that is required by 309(f)(1)  
17 for the admissibility of a contention change because  
18 of any of that? And when subpart (j) was written, it  
19 specifically excluded 309 from being changed.

20 >> MR. SHEBELSKIE: Yes, sir. Mike  
21 Shebelskie again.

22 I think that the provision in 2.1000 that  
23 says subpart (j) does not take precedence among other  
24 things 2.309, means and simply means that the factors  
25 of 2.309 that govern admissibility of contentions are

1 the factors that have to be pled and established in a  
2 petition.

3 We're not saying anything differently from  
4 that. But rather to take example -- an example with  
5 the existence of a genuine dispute. If there's a  
6 contention along the lines that DOE's analysis failed  
7 to consider uncertainties, well, people shouldn't  
8 just be able to leave that in that general term when  
9 they have an extensive body of all of our analyses  
10 that show exactly how we considered analysis.

11 >> JUDGE MOORE: I'm sorry. Perhaps I  
12 didn't ask the question precisely.

13 How does the minimum floor for the  
14 admissibility of a contention change because of the  
15 LSN under 309?

16 Does your argument say that there is a  
17 change -- whatever that minimum floor is is changed  
18 because of the LSN?

19 >> MR. SHEBELSKIE: Your Honor, I hope  
20 we're not -- may be I'm misunderstanding the  
21 semantics of what you're asking me, because as I  
22 understand your question, the answer would be, you  
23 employ the same -- you apply the same legal factors  
24 that you're looking to, but we notify -- we are  
25 looking at the petition and the answer and the reply.

1 >> JUDGE MOORE: But I have that in every  
2 case.

3 >> MR. SHEBELSKIE: Well, exactly. But  
4 where someone alleges in a normal case, well, there's  
5 an expert affidavit, say, or just a petition asserts,  
6 that there's information that supports our  
7 contention, in a normal case, you might say, well,  
8 okay, they've asserted that, that's the minimum  
9 floor, we'll accept that, but, here, you should be  
10 asking yourselves, is that general assertion  
11 sufficient when they had an -- each petitioner has an  
12 obligation to --

13 >> JUDGE MOORE: Is that a -- is that yes,  
14 Mr. Shebelskie?

15 >> MR. SHEBELSKIE: Well, I would say yes  
16 in practical application.

17 >> JUDGE MOORE: Thank you.

18 >> JUDGE FROEHLICH: Let me just go a  
19 little bit further with this, if I could. Before  
20 Judge Moore's questions we were talking about, as we  
21 evaluate the contentions and their admissibility,  
22 that there might be some slack cut if we had a pro se  
23 petitioner. Should there be any differentiation in  
24 the amount of slack we cut between experienced NRC  
25 practitioners and the parties who may be appearing

1 before this body for the very first time? Is there  
2 any differentiation in the level of scrutiny that  
3 those parties should be entitled to in their -- in  
4 the admissibility of their contentions?

5 >> MR. SHEBELSKIE: Your Honor, I think  
6 not. And, again, I think not because of what the  
7 Commission has enjoined the role at large and all  
8 interested stakeholders. They have made clear  
9 throughout the rule-making on the subpart (j), and in  
10 their opinions over the years with respect to some of  
11 the issues that came up from the PAPO Board, that all  
12 potential participants needed then, years ago, to  
13 start getting ready for this proceeding. This is not  
14 something that has sprung -- been sprung on the  
15 parties with our application in July of 2008. And so  
16 I think it's rather late in the day, many years late,  
17 for parties to take -- advance the position,  
18 Your Honor, just hypothecating.

19 >> JUDGE FROEHLICH: Judge Moore.

20 >> JUDGE MOORE: Mr. Shebelskie, doesn't  
21 that coin also have an other side? That, again, if  
22 memory serves, this proceeding to date prior to the  
23 notice of opportunity -- well, prior to the filing of  
24 the application in June of 2008, was hardly one that  
25 could be tracked on a train schedule.

1           Indeed, I believe Section 114 of the Waste  
2 Policy Act gave the secretary 90 days after the  
3 president's acceptance of the site certification to  
4 file an application which would have made it -- and I  
5 believe Section 114 says the secretary shall file an  
6 application with the Commission within 90 days. And  
7 I believe that occurred in July of 2002, making the  
8 application due in October of 2002.

9           Backing up from that date, we had similar  
10 fits and starts, as well as subsequent to the date  
11 when the Waste Policy Act said there was supposed to  
12 be an application.

13           Now, my point is simply that these are --  
14 the now petitioners, prior to filing a petition, they  
15 were potential parties under subpart (j). And I have  
16 always thought the yo-yo analogy seemed to have some  
17 application.

18           How is a party supposed to devote their  
19 time and attention to a project that had a schedule  
20 but the train kept constantly being derailed. Not in  
21 way placing blame. Please don't take it that way,  
22 but you're saying that they've had all this notice,  
23 but it's been a yo-yo.

24           And how -- the flip side of that coin is  
25 that, certainly, you would have to have been living

1 on another planet not to been aware that it was a  
2 project, but by the same token, it's hardly been a  
3 smooth continuum, as the rules certainly  
4 contemplated, as the Waste Policy Act certainly  
5 contemplated, in which, in my view, speaking only for  
6 myself, would give much more credence to your  
7 argument.

8 >> MR. SHEBELSKIE: Your Honor, I think you  
9 can compare the bare minimum that the Commission's  
10 regulations provided and contrast that favorably to,  
11 really, just take the last two years.

12 When the Commission made its statements  
13 about expecting parties to have focused -- focused  
14 and meaningful contentions, that's against the  
15 backdrop of a regulatory structure, where DOE would  
16 make it's LSN certification a scant six months before  
17 submitting the LA, and then petitions to intervene  
18 would be due some short period of time after  
19 docketing of the LA.

20 What has happened, really, over the last  
21 two years, is DOE made its initial certification  
22 deliberately in October of 2007, some nine months,  
23 not six months in advance of submittal of the LA. We  
24 prior to that opened up our second collection as of  
25 May 1st or April 30th, 2007, to give parties even

1 advanced access to those documents before our  
2 certification. And then, of course, the Commission  
3 has extended, based on a motion or petition filed by  
4 Nevada to extend the time they had to file the  
5 petition.

6           So really in the, certainly, last two  
7 years, when despite the -- notwithstanding the  
8 history, Judge Moore, you recounted, when the train  
9 then came out of the station and people knew we were  
10 on track then, DOE very deliberately, and then the  
11 Commission added to it, provided the parties extra  
12 time than what the bare -- the regulations themselves  
13 would otherwise could have limited them to.

14           >> JUDGE MOORE: Mr. Fitzpatrick, would you  
15 care to comment on any of this?

16           >> MR. FITZPATRICK: Yes, Your Honor,  
17 Charles Fitzpatrick, State of Nevada. I'd like to  
18 make a few comments about what's been said so far.  
19 And maybe the most basic comment is it's too late for  
20 DOE to wiggle off the hook, having briefed at length  
21 an alleged requirement for a heightened expectation  
22 to back down to that that's not really what they  
23 meant and that they meant -- and then we shape shift,  
24 though, into what we really meant was when you look  
25 at the individual component parts of 309, yes, you

1 should apply a stricter standard. So, you know, it  
2 ebbs and flows from heightened, now to didn't mean  
3 that to back to we expect you to apply heightened.

4 Now, on the factual issues which are --  
5 your question, Judge Froehlich, back a ways was: Is  
6 there any legal support for the heightened  
7 expectation, and I'll get to that in a second.

8 But on the factual issues, I'm willing for  
9 the sake of this argument to sort of say there's a  
10 wash between, on the one hand, the petitioners have  
11 the benefit of more documents available to them. On  
12 the flip side, they may have too many documents,  
13 36 million pages available to them.

14 Many of the parties are new to NRC  
15 proceedings. So that makes it more difficult for  
16 them. And without going through my brief -- I won't,  
17 but I'll just mention two points about the heightened  
18 expectation and the vast quantity of available  
19 documents.

20 When DOE made its second set, I guess they  
21 call it, of documents available around May 1st, 2007,  
22 that was an additional 2.1 million documents, that's  
23 true. But about 2.0 million of those documents had  
24 been already in the hands of DOE's LSN administrator,  
25 Mr. Grazer, as of August 2004, only a few months

1 after the first LSN, you know, initial certification,  
2 which did not stand up, but well before, a couple of  
3 years before they gave Mr. Grazer, LSN administrator,  
4 permission to reveal those documents publicly.

5 So the documents were in hand for a very  
6 long time before they were revealed. So they don't  
7 get brownie points for that.

8 And then just one other example. There's a  
9 memo mentioned in our brief, and it's in the LSN and  
10 the LSN numbers cited in our brief, where in  
11 May 2007, they recounted the history of the TSPA and  
12 said that there has been no publication of TSPA  
13 information, despite, you know, vast quantities of  
14 work done on it by DOE, since 2002, which I believe  
15 was the TSPA so-called -SR for the site  
16 recommendation. They concealed the versions of the  
17 TSPA after that right up until the end of 2007 for  
18 five years.

19 So, again, this is sort of water under the  
20 bridge, and, Judge Moore, Mr. Shebelskie, and I have  
21 been through the wars about LSN certifications in the  
22 past, and I don't want to regurgitate that stuff, but  
23 it's simply a valid point to bring up in the context  
24 of a so-called heightened expectation.

25 Getting to the basic question about the

1 regulation and authority for the proposition, is  
2 there any.

3 First, let me say that we don't dispute  
4 what the NRC has said about the implementation of the  
5 requirements of 2.309(f)(1) through 6. In other  
6 words, the component parts of contentions. That the  
7 LSN document database availability gives the parties  
8 an opportunity to frame focused and meaningful  
9 contentions. That's what the NRC did say, and that's  
10 what our goal has been.

11 What the NRC did not say was there's a  
12 heightened standard because of the LSN. The NRC  
13 could have said that, if they chose to. As a matter  
14 of fact, DOE has said in one of its briefs, "When the  
15 Commission intends a specific result in its  
16 regulations, it conveys that intent in an express  
17 regulatory requirement. The Commission does not  
18 leave the existence of important requirements to  
19 guesswork, with interpretation." True.

20 So there is no regulation requiring a  
21 heightened standard, but as a matter of fact, there  
22 is the opposite. Because if you go through the  
23 history of amendments to 10 CFR Part 2 to the 1991  
24 amendments, which are at line 56 Federal Register  
25 7787, and you go to page 7789, I think it was a

1 predecessor of NEI, the industry representative  
2 that's, the background section and they're talking  
3 about comments made, suggestions made, either adopted  
4 or not adopted by the NRC in its regulation.

5           The NEI predecessor said -- or the  
6 Commission reporting what the commenter said. The  
7 commenter states that The availability of information  
8 in the LSS -- at the time -- it's become LSN, but it  
9 was LSN. In the LSS database and of certain types of  
10 discovery during the preapplication license phase  
11 warrant a more substantial threshold for contentions.

12           That's exactly what your question was  
13 whether that does exist, in fact, in the law, that  
14 requirement. Unfortunately, the response of the  
15 Commission was, "The Commission disagrees that a  
16 higher threshold is warranted for the admission of  
17 initial contentions. An intervenor should not be  
18 required to prove its case at the stage of initial  
19 submission of contentions. This rule is requirement  
20 that sufficient information be presented to establish  
21 the existence of a general dispute with the applicant  
22 on a material issue of fact or law allows the scope  
23 of the proceeding to be defined in advance without  
24 prematurely eliminating legitimate contentions."

25           Bottom line, the Commission considered that

1 this proposal 17 years ago, did not adopt it, and has  
2 not adopted anything similar to it. To answer Judge  
3 Moore's question, when the Commission adopted 2.309,  
4 it well knew that an LSN database would be available  
5 to participants and parties, and nonetheless did two  
6 things, wrote the requirements of 2.309 the way it  
7 did without some heightened wording for this  
8 proceeding, and No. 2, adopted 10 CFR 2.1000 which  
9 specifically states that 2.309's criteria for a valid  
10 contention take precedence over anything in  
11 subpart (j).

12 >> JUDGE FROEHLICH: I take it from your  
13 response that you believe that you've been held to  
14 that higher standard that was never written into the  
15 rule in the responses that have been filed by DOE,  
16 that they applied a higher standard than what 2.309  
17 would normally require?

18 >> MR. FITZPATRICK: Well, yes, Your Honor.  
19 They've certainly sought to apply a higher standard  
20 than what the rules require, yes, sir.

21 >> JUDGE FROEHLICH: Okay. I know you've  
22 been reluctant to use the phrase "heightened  
23 standard" that appears in the pleadings, but is the  
24 standard that you applied in your answers to the  
25 contentions that were filed -- is that reflected by

1 your argument earlier of what DOE believes the  
2 parties should be held to in their contention  
3 pleadings?

4 >> MR. SHEBELSKIE: Our answer to each  
5 petition or contention sets forth our specific  
6 objections and the grounds for those objections. And  
7 so whether you want to call them heightened standards  
8 or not, those are the grounds that we're relying on.

9 >> JUDGE FROEHLICH: No. I believe you  
10 referred to them in the pleadings; although not  
11 today, as the heightened standards. Is my  
12 recollection of your pleadings correct?

13 >> MR. SHEBELSKIE: Well, we discussed that  
14 it is -- in the general section of our petition that  
15 an application of the criteria under 2.309, the  
16 Boards should take account of the availability, of  
17 our information on the LSN, and the equal obligation  
18 for all the parties to have made available and come  
19 forward already with all their information.

20 This is -- and what we have -- and how this  
21 plays out in practice in our objections -- and I'll  
22 give you a general example -- I think is very  
23 consistent with the rule-making language that  
24 Mr. Fitzpatrick just referred the Board to. Because  
25 in that same rule making, to quote the Commission

1 there, as an example, they wrote that, quote, "The  
2 contention must be supported by a concise statement  
3 of the alleged facts or expert opinion together with  
4 specific sources and documents of which the  
5 petitioner is aware, which will be relied upon to  
6 establish the facts or expert opinion."

7           And then the Commission went on in the  
8 language Mr. Fitzpatrick discussed to say we're not  
9 going to require litigation on the truth or not, a  
10 trial on the merits, but what we are demanding, for  
11 example, is that if there's specific information your  
12 experts are relaying or that your contention relies  
13 upon, you have to give, for example, the specific  
14 citations to it.

15           Many of our objections to the contentions,  
16 many of Nevada's in particular, we object because the  
17 contention says other studies and information  
18 supports our view here, without any citation,  
19 specific or otherwise, as to what that information  
20 is.

21           Nevada and every other petitioner has to  
22 have had on the LSN their supporting information.  
23 And what we're saying is the kind of specificity they  
24 need to give is exactly what the Commission was  
25 expecting early on, as part of -- and that's a

1 requirement of 309. And one other point --

2 >> JUDGE MOORE: Let me interrupt for a  
3 moment and go back to my minimum floor. Whatever  
4 that minimum floor is, is that the standard that DOE  
5 applied in its answers in the admissibility of  
6 contentions?

7 >> MR. SHEBELSKIE: Just a minute,  
8 Your Honor. Your Honor, Mike Shebelskie.

9 In our answers to petitions we applied the  
10 established standards under 2.309 as laid out in the  
11 Commission's case law and as described in our answer.

12 >> JUDGE MOORE: Thank you.

13 >> MR. SHEBELSKIE: Your Honor, if I may  
14 also just touch on one brief point for the record  
15 that Mr. Fitzpatrick mentioned. He singled out, in  
16 particular, our TSPA analysis and commented, in  
17 essence, that it was maintained in, quote, secrecy  
18 for some certain years and didn't become available  
19 till the summer of '08.

20 The record in the PAPO Board proceedings --  
21 I won't belabor that -- laid out the history that the  
22 TSPA was under revision for a couple of years, and  
23 then the revised version came out in 2008. So it  
24 wasn't in secret. It was being worked on, and a new  
25 version developed.

1           But when we did release the revised version  
2 of the TSPA that the LA is based on, DOE offered and  
3 conducted a tutorial for Nevada and its experts, and  
4 we invited the other affected units of local  
5 government, that they could attend and participate to  
6 understand what the new model was, how it was  
7 structured, how it operated, et cetera, and answer  
8 their questions. I believe only Nye County took us  
9 up on that and sent a representative, if I recall  
10 right, but it was sparsely attended. Nevada did.  
11 And so we have attempted and have been forthcoming  
12 in -- when we finalize the analysis to make it  
13 available and to explain it to all interested  
14 stakeholders, if they were interested in that.

15           >> JUDGE FROEHLICH: Before we leave and  
16 turn to compliance with the LSN, I wonder if any of  
17 the other parties would like to be heard on the  
18 standard applied, as it has to do with the existence  
19 of the LSN? May I hear from staff and then we'll  
20 pick up the other part.

21           >> MR. ROACH: Just briefly, Your Honor.  
22 The staff --

23           >> JUDGE FROEHLICH: Your name, please.

24           >> MR. ROACH: Kevin Roach for the NRC  
25 staff.

1           The staff notes that the Commission has  
2 noted that the contention rule is strict by design.  
3 The staff does not believe that any additional  
4 heightened obligation attaches to the pleading  
5 requirements by virtue of the existence of the LSN.

6           >> JUDGE FROEHLICH:   Okay.   Thank you.  
7 Other parties, Four Counties.

8           >> MR. LIST:   Yes.   Robert List on behalf  
9 of the Four Counties, Your Honor.   I would just  
10 simply note for the record that we, in our  
11 contentions, do not cite, with, I think, only one or  
12 two of the exceptions, any of the LSN documents.   And  
13 those were documents, in fact, that we had submitted  
14 to the LSN.   So we did not rely heavily upon the LSN  
15 at all.   And yet the -- the answer from DOE  
16 specifically throws the boilerplate heightened  
17 obligation argument at us, and, frankly, it seems  
18 inapplicable because we did not relay upon the LSN in  
19 any depth.

20           >> JUDGE FROEHLICH:   Thank you, Mr. List.  
21 NEI?

22           >>NEI:   Jay Silberg for NEI.   As the  
23 representative of NEI's predecessor in the LSS  
24 proceeding, going back to the late 1980's, I agree  
25 with Nevada's characterization.   The end result of

1 that process was not a heightened standard.

2 We strongly believe that the standards to  
3 be applied for contentions in this proceeding are the  
4 standards set forth in the regulations, neither  
5 heightened nor lowered.

6 With respect to the LSN, we did cite to LSN  
7 materials. Nonetheless, in our response to you, we  
8 in several cases pointed out that our references were  
9 not included in the LSN. They were, we pointed out,  
10 in our response. We also relied on documents that  
11 were copyrighted. DOE objected to that. We also  
12 pointed out in our reply that reason those documents  
13 were not in the LSN was because they were copyrighted  
14 and that DOE had not taken advantage of the  
15 procedures for getting hold of those documents, which  
16 in fact, they had.

17 Regardless of which standards, whether the  
18 standards are heightened, loosened, or as required in  
19 the regulations, we think the contentions, at least  
20 that we have set forth, meet those standards well in  
21 excess of the requirements.

22 >> JUDGE FROEHLICH: Yes, please.

23 >> MR. WILLIAMS: Thank you, sir, Scott  
24 Williams for NCAC. I wanted to follow up, as quickly  
25 as I can, on Judge Moore and Judge Froehlich's

1 comments on this.

2 Our reading of the DOE's response to the  
3 petition from the Native Council is that they have  
4 also used the existence of the LSN as a heightened  
5 standard for standing. They have objected to our  
6 presence here today on the grounds that the NCAC,  
7 without the benefit of counsel, did not participate  
8 in the compilation of documents in the electronic  
9 record.

10 To us, that is on all fours with the issues  
11 which the two of you have raised in the last  
12 discussion. Our clients are citizens. They reside  
13 in the rural area surrounding this proposed facility.  
14 They are Indians. They have unique interests in that  
15 area. They have followed this extremely closely.  
16 But without the benefit of counsel, without the  
17 benefit of resources, it was not possible for them to  
18 pay attention to this to the degree that DOE would  
19 seem to require here.

20 So we affirm what, I think, are the  
21 concerns that Judge Froehlich and Judge Moore have  
22 raised here and ask that, in evaluating the petition  
23 to intervene filed by the NCAC, you not apply  
24 standards other than those found in 2.309.

25 >> JUDGE FROEHLICH: Thank you,

1 Mr. Williams. Any other party? Yes.

2 >> MS. ROBY: Yes. Debra Roby for Clark  
3 County.

4 I believe Judge Moore has framed this very  
5 well, and I believe counsel for Nevada supplemented  
6 that very well as well.

7 The bottom line is there is no heightened  
8 standard. The regulations 309 lay out what is  
9 required for framing your contentions. And the  
10 Board, in evaluating those contentions, applies the  
11 standards stated in 309.

12 If there was a heightened standard, then  
13 Judge Moore asked what would be that floor, how would  
14 that affect the floor. And if one were to take the  
15 DOE's view, no one in this room would meet that  
16 floor, whatever that floor may be.

17 DOE mentioned -- counsel today mentioned  
18 that in making documentary evidence available early  
19 on, in one instance only Nevada was the party who  
20 engaged in discussion with the DOE about certain  
21 material. And despite even Nevada's admirable  
22 efforts, even it doesn't mean whatever that floor is  
23 that the DOE would apply.

24 I think that the DOE would -- the DOE's  
25 arguments here are an impermissible attack on 309,

1 and they're done after the fact, after all of the  
2 parties have proffered their contentions and framed  
3 the contentions in accordance with 309. Thank you.

4 >> JUDGE FROEHLICH: Yes.

5 >> MS. HOUCK: Darcie Houck for TIM. And  
6 we concur with the comments of Nevada and Clark  
7 County and the staff and the other NC -- NCAC in  
8 regards that there is not a heightened standard, and  
9 that the comments of Your Honors regarding the fact  
10 that there has been significant barriers to some of  
11 the parties in being able to adequately participate,  
12 and even though the information has been out there  
13 for years, examples such as the Timbisha Shoshone  
14 Tribe filed a petition with the Department of  
15 Interior to be deemed an affected Indian tribe in  
16 2001.

17 That petition was not certified and that  
18 status was not granted until June of 2007, and it  
19 took another year and a half to go through the  
20 funding process so that the funding that they were  
21 entitled to under the Nuclear Waste Policy Act -- a  
22 partial portion of that wasn't issued until  
23 October 2008. So they were dealing with numerous  
24 barriers in regards to preparing and certifying their  
25 LSN. And we would just ask that that be taken into

1 consideration here.

2 >> JUDGE FROEHLICH: So noted.

3 >> MS. HOUCK: Thank you.

4 >> JUDGE FROEHLICH: Any other party?

5 >> MR. POLAND: Yes. Doug Poland for TOP.

6 I'd like to echo the comments that have been made  
7 here.

8 I also represent an entity that is, I think  
9 to use Judge Moore's words, is essentially -- was  
10 pro se up until very recently, and many of the  
11 arguments DOE has raised objecting to our LSN  
12 submissions has to do with the fact that we didn't  
13 have the ability to do that.

14 But I also want to mention the earlier  
15 advisory PAPO Board orders made it clear that the LSN  
16 is a standing for discovery. You don't give the  
17 death penalty and keep somebody out at the contention  
18 stage because they might not have made perfect  
19 compliance with what is essentially discovery.

20 One other point I would like to make is  
21 that in the June 20th order last year -- and I just  
22 want to stress this -- that the Board did say that  
23 the requirements that are set out in that order are  
24 not intended to make the process more difficult  
25 because the requirements are being imposed for the

1 first time in a unique and complex proceeding.

2 "Failure to comply with these case management  
3 requirements shall not be grounds for any potential  
4 party to object to the admissibility of a proffered  
5 contention of the filing of the answer." Of course  
6 then it goes on to discuss the 2.309 requirements.  
7 So I think it made it very clear in that order.

8 >> JUDGE FROEHLICH: Thank you Mr. Poland.  
9 Any other party? Yes, sir.

10 >> MR. HUSTON: Judge Froehlich, this is  
11 John Huston for Caliente Hot Springs. I am a  
12 beginner here at NRC, and I appreciated the comments  
13 in that regard, and, Judge Moore, this has got to be  
14 the biggest haystack I've ever seen, this LSN, and  
15 sometimes to find things are difficult for a beginner  
16 like me.

17 The other comment I'd make is this  
18 apparently has been a long, long process. It's  
19 been -- some of the history's been reviewed. 20  
20 years. People come and go. People die. People  
21 retire. And people who had an interest in standing  
22 and own properties sell out and new people come in.  
23 And so the idea that because this has been going on a  
24 long time that the world has been on notice of their  
25 interest in this proceeding, I find to be somewhat

1     lacking.

2                   And then I would just ask the Commission to  
3     take notice of the fact that this isn't the only  
4     proceeding before a federal agency that this matter  
5     involves. We've been before the Surface  
6     Transportation, and that's been an educational  
7     process, too. Thank you for your time.

8                   >> JUDGE FROEHLICH: Thank you. Yes. Nye  
9     County.

10                   >> MR. VanNIEL: Jeffrey VanNiel on behalf  
11     of Nye County, Your Honor.

12                   With respect to the standard that 2.309  
13     would specify as to the LSN requirements, Your Honor,  
14     we think those basically speak for themselves. Judge  
15     Moore clearly articulated what we think to be the  
16     case, that the LSN does not add some additional level  
17     of requirement to the floor that's set forth within  
18     those requirements.

19                   In our specific case, we attached or had  
20     every -- we either attached a document to our  
21     petition or had everything that we relied upon cited  
22     to our LSN or from some other party's LSN, which we  
23     believed was a requirement which was established or  
24     at least articulated by the earlier PAPO order prior  
25     to that event.

1 >> JUDGE FROEHLICH: Thank you. Let's move  
2 on.

3 >> MR. SHEBELSKIE: Your Honor, if I may  
4 just --

5 >> JUDGE FROEHLICH: Mr. Shebelskie.

6 >> MR. SHEBELSKIE: Thank you. If I may  
7 just wrap up and make two quick observations in  
8 response to what the other petitioners' comments  
9 there.

10 We are not asking -- although we are being  
11 accused of this, but we are not asking to apply  
12 different standards than those under 309. This --  
13 what we are asking for is directly analogous to what  
14 boards like have this done all the time, that you  
15 apply those standards to 309, when you're dealing  
16 with the pro se petitioner in a less rigorous way  
17 than you would with counsel filing the petitions.

18 In both instances, the Boards are applying  
19 the standards of 309, but its expectations are  
20 different and the application is more rigorous or  
21 less flexible in the deliberately strict way, as the  
22 NRC staff said, the Commission intended.

23 What we're asking here is no different,  
24 that the boards in applying 309 needs to be mindful,  
25 has to. That was the Commission's expectation, that

1 the parties would have access to our documents on the  
2 LSN, and they would have already have come forward  
3 with all of their supportive information to demand  
4 the rigorous application of 309.

5           And then one second point with respect to  
6 several of the other parties, other than Nevada, who  
7 commented here about the needle in the haystack  
8 issue. Their petitions are very focused in the main  
9 on specific issues. For example, with both TIM and  
10 TOP. Likewise with the NCAC and the Caliente Hot  
11 Springs Resort. They have very focused limited  
12 issues they are interested in and they've advanced  
13 contentions on. For them now to say, well, there's a  
14 vast body of information and all of these other  
15 analyses in the LSN and that should be problem, that  
16 doesn't really bear on their petitions because they  
17 were concerning themselves with everything. Thank  
18 you, Your Honor.

19           >> JUDGE FROEHLICH: Thank you. Let's move  
20 now to issues that concern the LSN compliance.

21           As I've read the pleadings, DOE raises the  
22 failure to demonstrate compliance with LSN procedures  
23 and document production in order to argue why most  
24 petitioners should not be allowed to participate in  
25 this case.

1           In doing, so DOE claims that Nevada  
2 specifically has failed to demonstrate -- and I'm  
3 emphasizing demonstrate -- substantial and timely  
4 compliance with the LSN procedures. Subpart (j)  
5 requires a party in order to participate in the  
6 high-level waste proceeding to comply with the  
7 requirements of 2.1003.

8           My question then to DOE is: What kind of a  
9 showing is necessary to demonstrate substantial and  
10 timely compliance?

11           >> MR. SHEBELSKIE: Your Honor, Mike  
12 Shebelskie for DOE.

13           I think the answer is to look at 2.1012(b),  
14 because their demands that the petitioner must  
15 demonstrate substantial and timely compliance with  
16 the requirements of 2.1003. And I believe that's now  
17 being shown on the screen. So one place we need to  
18 look to is 2.1003. And, secondly, actually, 1012  
19 subpart (c) as well. And we're scrolling back to  
20 that.

21           1012 subpart (c) provides that "The  
22 presiding officer shall not make a finding of  
23 substantial and timely compliance for any person who  
24 is not in compliance with all applicable orders of  
25 the" -- for the PAPO Board in this context. So we

1 need to consider what are the requirements of 2.1003  
2 as amplified from the PAPO Board orders.

3           When we look at 2.1003, it provides, as  
4 material -- as pertinent here, under subpart (a),  
5 that each other -- after prescribing a deadline for  
6 DOE and then the NRC staff to make its initial  
7 certifications, it requires each other potential  
8 party -- and I'm going to pause there -- that is  
9 unqualified. That's not just -- its the State of  
10 Nevada. It is each other potential party, including  
11 interested governmental participants, that they shall  
12 make available no later than 90 days after DOE's  
13 certification under compliance of 2.1009(b) the  
14 electronic files of -- under subpart (a)(1) here, all  
15 documentary material. I'll pause there. So that's  
16 the first requirement, milestone to establish that  
17 demonstrates substantial and timely compliance.

18           Each petitioner here, without exception,  
19 was required within 90 days of our initial  
20 certification to make a certification to the PAPO  
21 Board that they had made available all extant  
22 documentary material as of that time. We'll talk a  
23 little bit in a minute about what that really might  
24 mean in context here.

25           Beyond that then, there were obligations to

1 continue to supplement that production. 2.1003(e)  
2 has the general obligation, again, incumbent upon  
3 each potential party without exception, including  
4 interested governmental participants, that they shall  
5 continue to supplement its documentary material made  
6 available on the LSN with any additional material  
7 created after the time of its initial certification.

8 That requirement was amplified by case  
9 management orders with the PAPO Board that required  
10 potential participants, on a monthly basis, to update  
11 their LSN collections and provide certifications to  
12 that effect.

13 Now -- and that continued every month until  
14 they then submitted their petitions. So the  
15 chronology here is DOE made its initial certification  
16 in October of 2007. As a result of 2.1003 and  
17 (a)(1), each potential participant had to then, in  
18 January of 2008 -- the specific deadline was  
19 January 17, 2008 -- provide a certification to the  
20 PAPO Board that it has, at that point, made available  
21 all of its documentary material.

22 In order to make that certification in good  
23 faith, of course, parties would have had to have had  
24 requisite procedures and standards to identify  
25 documentary material in their possession, custody,

1 and control, including that of their experts and  
2 consultants, to have searched for those materials,  
3 and then to have made them available as of  
4 January 2008. And then to continue to supplement  
5 production on a monthly basis, making monthly  
6 certifications up until December 2008, when they  
7 submitted their petitions.

8 In essence, then, Judge Froehlich, that is  
9 what a petitioner in this case must be able to  
10 demonstrate that they complied with all of those  
11 obligations.

12 >> JUDGE FROEHLICH: So if they complied  
13 with 2.1003, made all their documentary material  
14 available, provided it and kept the updates, the  
15 supplementation that's required by that section and  
16 then certified their LSN collection, would they have  
17 to do any more than that to demonstrate compliance?

18 >> MR. SHEBELSKIE: If there was then --  
19 that that is what they would need to do. If there  
20 was then a question raised about -- because this is  
21 not just a formalism. They just don't certify  
22 that -- the requirement in --

23 >> JUDGE FROEHLICH: What more than  
24 certify.

25 >> MR. SHEBELSKIE: Yes. They actually

1 have to -- if there's a question raised that, okay,  
2 you gave a certification, for example, DOE says, but  
3 it was a formal -- it was a hallow certification, and  
4 here is a question -- we raise a question, certainly  
5 a prima facie question calling to doubt the accuracy  
6 of the certification, or calling to doubt the  
7 sufficiency that, had they truly made available a  
8 substantial good faith effort to identify and make  
9 available their documentary material. And I think  
10 they need to demonstrate that they have complied with  
11 the substantive legal requirement to make available  
12 all their documentary material.

13 >> JUDGE FROEHLICH: So in the example you  
14 just gave, there would be a challenge by DOE or some  
15 party as to something being missing. They would  
16 write back and say, no, it's not missing, or it is  
17 there, or whatever. Would that the demonstration of  
18 compliance with that final response?

19 >> MR. SHEBELSKIE: That could be, and I  
20 think in the way you phrased that hypothetical, yes,  
21 that if DOE said we think you're not in substantial  
22 compliance because you haven't produced document X or  
23 documents on this topic, and they respond with  
24 evidence to say, yes, we have, here it is, and that's  
25 acceptable to the Board, then that's a demonstration.

1 >> JUDGE FROEHLICH: Okay. Or they say  
2 what the document that's missing can be found, let's  
3 say in someone else's collection, too, would be  
4 sufficient?

5 >> MR. SHEBELSKIE: Yes. If it's accurate,  
6 yes.

7 >> JUDGE MOORE: Mr. Shebelskie, what's the  
8 sequence in which DOE's displeasure is made known to  
9 a potential party, now petitioner, that there's an  
10 inadequacy in DOE's view of their LSN document  
11 collection? Would that not have been a motion to  
12 strike the certification, such as you filed against,  
13 and if memory serves, before the PAPO Board, the City  
14 of Las Vegas, Clark County, the State of Nevada?

15 >> MR. SHEBELSKIE: Your Honor, Mike  
16 Shebelskie. The short answer is no.

17 >> JUDGE MOORE: The answer is no?

18 >> MR. SHEBELSKIE: No. Here's why. Back  
19 in the day, in January of '08, procedurally where we  
20 were was under 2.1003(a). All that regulation  
21 requires is for the potential parties to provide the  
22 certification to the then PAPO Board. There was no  
23 requirement at that time, nothing in the regulations  
24 that required the potential parties at that time to  
25 make a demonstration of compliance.

1 >> JUDGE MOORE: But did not the  
2 certification and both the regulations that call for  
3 the certification and the PAPO Board orders and  
4 decisions so require the same thing?

5 The certification was one delineated back  
6 in 2004 in the PAPO Board's decision with respect to  
7 Nevada's motion to strike DOE's initial  
8 certification. And then all of the provisions that  
9 you just outlined in the rules are encompassed within  
10 that certification.

11 You can't certify something if you don't --  
12 as I understand the requirement, certainly as I  
13 understand what we said back in 2004, was that you  
14 were certifying that you had procedures in effect,  
15 that you had made a good faith effort to produce the  
16 documents, and they were made available on the LSN.  
17 And then the only question was timeliness of when  
18 they filed their certification. The PAPO Board put a  
19 monthly certification requirement -- supplementation  
20 and certification requirement into effect. And those  
21 are very things that I understood you to say complied  
22 with -- that would be the demonstration.

23 >> MR. SHEBELSKIE: No. Two points,  
24 Your Honor. The regulatory requirement that would  
25 have been applicable here in January of -- in 2008,

1 90 days after our certification, only calls upon  
2 potential parties to provide a certification.

3 Now, obviously the certification has to be  
4 in good faith and based on a good faith basis. The  
5 PAPO Board's 2004 order directed, in fact, that the  
6 certifications were not to elaborate beyond that,  
7 actually, were just to be -- the expression is  
8 similar to like a -- it was obviously bare bones, but  
9 it was just to be a one-line certification, like the  
10 NRC staff had given that didn't go into detail and  
11 provide qualification, factual information,  
12 et cetera. It was just the conclusionary  
13 certification of compliance.

14 There was no requirement 90 days after our  
15 certification for the parties, potential parties to  
16 demonstrate substantial and timely compliance.  
17 The regulation in 1012(b) creates new -- has  
18 different language for the obligation at the petition  
19 stage. And it was very clear, and the Commission has  
20 been very consistent in its rule-making from the very  
21 beginning in 1989 on this, that at this point now the  
22 Commission has used the language requiring a  
23 demonstration of substantial and timely compliance  
24 know.

25 One of the -- and, indeed, probably the

1 most important obligation for compliance here is the  
2 good faith production of all their documentary  
3 material. So it's not nearly that there's a  
4 certification to that effect, but if a question has  
5 been raised as to whether or not the party has  
6 substantively complied with its obligation to produce  
7 all of its documentary material, the burden now rests  
8 upon it to demonstrate substantial and timely  
9 compliance. Judge Gibson yesterday referred to this  
10 as, I think, a gate keeping requirement to get access  
11 to party status.

12           So in those instances then, when  
13 petitioners -- we are responding to their petitions.  
14 And we looked at the entirety of the record. In some  
15 instances people had not made certifications, initial  
16 or supplemental, and in some instances they had made  
17 certifications, but where we looked at their LSN  
18 collections juxtaposed against their contentions, it  
19 struck us that they had not been -- they are not in  
20 substantial compliance with the underlying  
21 substantive requirement to have produced all their  
22 documentary material. We then raised that in our  
23 objections, part of our -- part of our answers,  
24 objecting to their admission on that basis, and it's  
25 their burden to demonstrate substantial and timely

1 compliance.

2 >> JUDGE MOORE: I must be missing  
3 something from your earlier explanation. One --  
4 2.1003 incorporates the requirements of 2.1009.

5 2.1009, I believe, spells out all the  
6 things that a party must do to be in compliance with  
7 the regulations concerning their LSN collection and  
8 necessarily then are certifying to that they have a  
9 designated official who's in charge of all of this.  
10 They've established procedures to implement the  
11 requirements of 2.00 -- I'm sorry. 2.1003. They  
12 provide training to their staff on procedures to  
13 implement. And it goes down the list of five items.  
14 And then there's the (b), the responsible official  
15 must certify.

16 What have I missed that the certification  
17 doesn't pick up that you have named as a requirement  
18 for the demonstration?

19 >> MR. SHEBELSKIE: Well, the  
20 demonstration -- well, first of all, 2.1003 doesn't  
21 call upon the potential participants in the  
22 prelicense phase to make any demonstration. It  
23 doesn't say it shall demonstrate. It just says  
24 certifies.

25 >> JUDGE MOORE: That's a given. But the

1 certification captures the requirements that you have  
2 named that must be then demonstrated; is that  
3 correct?

4 >> MR. SHEBELSKIE: Yes. Yes.

5 >> JUDGE MOORE: Okay.

6 >> MR. SHEBELSKIE: At that point in time.

7 >> JUDGE MOORE: All right.

8 >> MR. SHEBELSKIE: Coming forward now to  
9 the petition stage, 1210(b), under compliance, no  
10 longer says it's sufficient for the petitioner simply  
11 to certify when it submits its petition -- its  
12 petition, that it is a compliance. It uses different  
13 language.

14 Now, the threshold requirement is that a  
15 person seeking party status won't be given that  
16 status if it cannot demonstrate substantial and  
17 timely compliance with the requirements. Now, what  
18 does that mean will vary depending upon the  
19 circumstances presented by a particular petition.

20 In instances where the petitioner never  
21 made initial certification, never made any of the  
22 monthly updates required by the PAPO boards, I don't  
23 know, as a matter of law, it can demonstrate it has  
24 been in substantial and timely compliance.

25 >> JUDGE MOORE: Okay. But let's take the

1 example of a petitioner who has --

2 >> MR. SHEBELSKIE: Yes.

3 >> JUDGE MOORE: -- initial certification,  
4 done timely and monthly supplementation and  
5 certification thereof.

6 >> MR. SHEBELSKIE: Yes. If there is a  
7 question -- a prima facie question raised that,  
8 notwithstanding its certifications, it has not met  
9 the underlying substantive requirement.

10 >> JUDGE MOORE: Except for the sake of  
11 argument your position, have you not just undercut  
12 your position that it is the requirement of 2.1012(b)  
13 that the petitioner, in its petition, must so  
14 demonstrate, because you have just told me that, if  
15 someone raises a prima facie case, then more is  
16 required.

17 >> MR. SHEBELSKIE: Oh.

18 >> JUDGE MOORE: How can that possibly  
19 occur if they have to do it upfront and they have no  
20 idea unless they're mind readers what's in DOE's  
21 mind.

22 >> MR. SHEBELSKIE: Okay. I see,  
23 Your Honor. I misunderstood the direction of your  
24 question. I apologize.

25 They can respond to it in their reply is

1 how they do it.

2 >> JUDGE MOORE: Well, which then means  
3 that your call upon them is in the answer, which is  
4 a -- when I initially use the word "sequence," I had  
5 in mind, doesn't it make sense for the process that  
6 you've outlined to occur by you, in your answer, as  
7 you have done, for lack of a better term, objected,  
8 to the admission or the granting of any petition on  
9 grounds that they have not complied with their LSN  
10 requirements. They can, excuse me, respond in the  
11 reply.

12 >> MR. SHEBELSKIE: Yes, Your Honor. I  
13 understood your question to ask whether we needed to  
14 file a motion objecting.

15 >> JUDGE MOORE: No.

16 >> MR. SHEBELSKIE: And that was the source  
17 of my confusion. I apologize.

18 >> JUDGE MOORE: Let's go back to the  
19 opportunity to file motions to strike, which you  
20 availed yourself of, Nevada availed itself of, does  
21 that not make both practical sense, and in reality  
22 that's what happened when you had -- you among  
23 others, had challenges to the certifications which  
24 also necessarily encompassed these requirements that  
25 are set forth in 2.1003 and 2.1009?

1 >> MR. SHEBELSKIE: No, Your Honor, I don't  
2 think that follows either as a matter of substance  
3 or, I'll say, even convenience. Because back in the  
4 prelicense phase, when the parties were required to  
5 make their initial LSN certifications, that was it.  
6 That was the only process required by the  
7 regulations. It wasn't a process where the  
8 petitioner -- the potential parties filed a  
9 certification, the regulations called for us to give  
10 an answer to it, and then for us -- and then for the  
11 petitioner, the potential parties, to do a reply to  
12 it, which is the process obviously you have with the  
13 petitions to intervene.

14 Also substantively there was no requirement  
15 of -- under the regulations for any demonstration.  
16 They only use that term. It's simply file the  
17 certification, 90 days. It has to be in good faith,  
18 and then that's -- the regulations are otherwise  
19 silent. Here we have in 1012 --

20 >> JUDGE MOORE: Excuse me. Let me  
21 interrupt. Doesn't -- but that certification,  
22 necessarily, was certifying that they had made  
23 available their LSN document collection and that was  
24 in compliance with the requirements also of 2.1003  
25 and 2.1009.

1 >> MR. SHEBELSKIE: Oh, yes, Your Honor,  
2 but your question, as I understood it, was asking why  
3 didn't you file a motion to strike --

4 >> JUDGE MOORE: That's fine. You answered  
5 my question.

6 >> MR. SHEBELSKIE: -- and not do it now.

7 >> JUDGE MOORE: Now, my next question is:  
8 With regard to motions to strike, why, at least with  
9 respect to the State of Nevada, was not the licensing  
10 board's denial of your motion to strike their  
11 certification, which was denied and then affirmed by  
12 the Commission, res judicata, as to the matters that  
13 you seek now to raise with respect to Nevada at least  
14 up to the point of initial certification?

15 >> MR. SHEBELSKIE: Oh, and I think,  
16 Your Honor, that would be the case, if it's  
17 collateral estoppel or not, but we're not -- we  
18 weren't challenging that in our answer to their  
19 petition. We accepted as a premise that their  
20 production, as of January of 2008 had been upheld by  
21 the PAPO Board.

22 >> JUDGE MOORE: Okay. Now, the doctrine,  
23 as you, in your answers have pointed out with regard  
24 to enumerable contentions, is one applicable  
25 administrative proceedings, but, two, as generally

1 applied, encompasses not only matters raised but  
2 matters that could have been raised.

3 Nothing in your challenge to Nevada's LSN  
4 compliance was a matter that could not have been  
5 raised by DOE in its motion to strike Nevada's  
6 certification. So why does that not bar your  
7 challenge that seeks to even challenge their initial  
8 certification?

9 >> MR. SHEBELSKIE: Your Honor, I don't  
10 believe our answer to Nevada's petition challenges or  
11 seeks to challenge their initial certification in  
12 January of '08, and that certainly wasn't our intent.

13 Rather, what we -- the thrust of our  
14 objection there in the answer was that the PAPO Board  
15 has said -- held that Nevada was not required, in  
16 January of '08, to identify -- have identified all  
17 its supporting and non-supporting information because  
18 it was a reliance criteria and had the position --

19 >> JUDGE MOORE: Back up, Mr. Shebelskie.  
20 The motion was denied on the grounds that DOE had not  
21 met its burden as the movant to carry its motion.

22 >> MR. SHEBELSKIE: Right.

23 >> JUDGE MOORE: And that motion did not  
24 raise, but could have raised each and every point  
25 that you have now raised in your answer that was --

1 was, in fact, made in the dissent to the majority  
2 decision, and you've reiterated those points of the  
3 dissent in your answer here.

4 >> MR. SHEBELSKIE: Your Honor, let me make  
5 two points. I'll respond to that, but then make --  
6 I'd like to make a point that I think may  
7 short-circuit some of the more of the questions on  
8 this.

9 The answer to your question is our  
10 objection in the answer to Nevada's petition was  
11 objecting that Nevada -- it did not appear to us,  
12 based on the limited supplemental production they had  
13 done since their initial certification -- had  
14 undertaken to identify additional supporting and  
15 non-supporting information, as they developed their  
16 contentions. That was a continuing obligation.  
17 That's part of that supplemental production  
18 obligation that 2000 -- 1003(e), the PAPO Board  
19 orders, and inherent in the reliance concept requires  
20 petitioners to do. Our objection -- that was --  
21 that's our objection in their answer.

22 Now, we made that objection, and I'll get  
23 to the second point. So to close out that point. So  
24 we were not saying we were challenging sufficiency of  
25 their initial production, but rather based on the

1 facts and circumstances as they then were available  
2 in the record, when we answered their petition, it  
3 seemed to us they had not made the supplemental  
4 productions to identify additional supporting or  
5 non-supporting information. All right. That said.

6 Second point here, to try to, perhaps, get  
7 us to -- bring us up to date with the record. When  
8 we filed that answer, all we had available to us was  
9 Nevada's petition and what we could see in the  
10 history of the LSN.

11 Nevada's petition just gave a blanket  
12 certification without any facts and circumstances  
13 that they had complied. But what the record in the  
14 LSN showed, however, was essentially, little to any  
15 supplementation from January up until maybe November,  
16 the facts as set forth in our petition, until maybe 4  
17 or 500 documents right at the tail end.

18 And we looked at those 400 and some  
19 documents. They did not strike us, and for the  
20 reasons given our petition, to have been related to a  
21 result of the supplemental information.

22 Now, Nevada has -- we did not have the  
23 benefit of Mr. Fitzpatrick's declaration, and so the  
24 process played out, Your Honor, as we were discussing  
25 would be the process here. We raised objection.

1 Nevada came forward with -- to make a factual  
2 showing, not just assertions of counsel, but a sworn  
3 declaration, saying that at least counsel had given  
4 the instructions to the staff and to the experts, had  
5 given the standards to look for the right types of  
6 things, and they actually had done two or three  
7 levels of review.

8 Now, if we had had the benefit of that  
9 affidavit, but this other process plays out, we may  
10 have taken a different approach. So I'll accept  
11 Mr. Fitzpatrick's representation, as that's what he's  
12 done.

13 So here's where I think we are now then  
14 with respect to Nevada, and uniquely to Nevada.  
15 Nevada has now sworn through -- through the briefing  
16 we had on the initial motion to strike and now in its  
17 petition, that it has exhaustively looked for all its  
18 supporting -- exhaustively looked for all its  
19 supporting and non-supporting information, canvassed  
20 all of its experts, all of its contractors and pushed  
21 that requirement down to their subcontractors and  
22 have produced all their reports and studies. That's  
23 the record. We'll accept Mr. Fitzpatrick's  
24 representation.

25 But what that should mean then is that all

1 the supporting information that Nevada and its  
2 experts are relying on, then are in the LSN, and they  
3 should not be able to come forward in the future  
4 during the litigation phase and suddenly produce, oh,  
5 here's information, analyses that we had that predate  
6 December 2008. Oh, we just didn't -- we forgot to  
7 put them on the LSN.

8 Likewise, when we get in discovery, and we  
9 take depositions of their experts, and we find that  
10 they did not, in fact, properly review their emails  
11 and other documents for their non-supporting  
12 information, or equally bad they didn't preserve  
13 them, then we think a sanction will be appropriate.  
14 That would be the next step.

15 >> JUDGE MOORE: Mr. Shebelskie, I believe  
16 that's a given. And I specifically remember in the  
17 PAPO that this was discussed at numerous case  
18 management conferences.

19 >> MR. SHEBELSKIE: Yes, Your Honor. That  
20 is a given.

21 >> JUDGE MOORE: So I think we can wrap  
22 this up.

23 >> MR. SHEBELSKIE: Let me conclude this,  
24 though, by saying this is not just going to be a --  
25 this is not a hypothetical concern.

1 >> JUDGE MOORE: I fully understand that.

2 >> MR. SHEBELSKIE: All right. Because  
3 this is a new development that wasn't available to us  
4 when we filed our answer because this relates to  
5 Nevada's supplementation of their LSN collection in  
6 February of 2009.

7 Having now repeatedly told licensing boards  
8 that all that material was identified and produced,  
9 in February of 2009 Nevada supplemented its LSN  
10 collection with approximately 50 documents.

11 The bulk of those documents are reports by  
12 two of their experts, Eugene Smith and Morey  
13 Morganstein. Mr. Smith is one of their critical  
14 experts on geoscience, and Mr. Morganstein on the  
15 critical topic of corrosion. You would think, based  
16 on their representations that they'd given about  
17 compliance, that these would be new documents. In  
18 fact, most of these documents are reports that date  
19 back to the period 2005 and 2006, and only now  
20 produced on the LSN.

21 What makes this particularly disturbing to  
22 us is that we identified the absence of documentation  
23 from experts Smith and Morganstein as part of our  
24 initial challenge to Nevada's motion for initial  
25 certification. We likewise raised this in our answer

1 to the petition. In page 24, Footnote 1, we  
2 identified that only one or two documents from Mr. --  
3 Professor Morganstein were in the supplemental  
4 production. We found that incredible to believe.

5 On page 26 and 27 of our answer, with  
6 respect to Professor Smith, we noted that the  
7 supplemental productions of Nevada still seemed  
8 incomplete because his curriculum vitae attached to  
9 their petition said he had prepared over 300 reports  
10 for the Nevada Nuclear Waste Project Office. We  
11 couldn't find 300 such reports. He also said he had  
12 been continuing to do work since after 2005 through  
13 2007. We couldn't find those either, and now,  
14 suddenly they show up.

15 >> JUDGE MOORE: Mr. Shebelskie, during the  
16 PAPO phase and in the initial PAPO Board's  
17 decision -- and I believe it was perhaps repeated in  
18 the majority decision in denial of your motion to  
19 strike Nevada's certification -- it's pointed out  
20 that the good faith standard, which was one that  
21 Nevada -- I'm sorry -- that DOE argued for very  
22 strenuously initially, and that mistakes would be  
23 made and nobody was perfect and that's why the word  
24 "all" in the regulations was not to be read  
25 literally.

1           The Board fully concurred and put a good  
2 faith standard into effect, and I would venture to  
3 guess that the same complaint that you are now  
4 making, if we were to put DOE's collection under a  
5 microscope on the timing of how documents have been  
6 put in, we might also find some documents that  
7 because we knew there was a lap period, a lag period,  
8 all of that was taken into account, and all of that  
9 is part of the good faith standard.

10           So I think your point has been made in the  
11 past. We understand your point, and we are well  
12 aware of that point.

13           >> MR. SHEBELSKIE: Thank you, Your Honor.

14           >> JUDGE FROEHLICH: I think at this point  
15 I'd like to hear from declarant in the response.  
16 Nevada, please.

17           >> MR. FITZPATRICK: Thank you, Your Honor,  
18 Charles Fitzpatrick for Nevada.

19           Let me start at the tail end. I want to  
20 address the stuff in order, but just the tail end is  
21 important.

22           DOE's -- the issue of DOE's credibility was  
23 raised both prior days of this proceeding, and so I  
24 think it's important going forward, from the comments  
25 that were made by judges, that where DOE's

1 credibility is questionable, that it be memorialized  
2 in the record.

3 That's why I'm bringing up the last thing  
4 that was said, was the alleged disturbance of DOE by  
5 the fact that additional reports of Dr. Gene Smith  
6 have suddenly appeared; although they were concealed  
7 up until now.

8 The facts are -- and it's interesting where  
9 it serves DOE's purpose, it accepts the  
10 representations; where it doesn't, it apparently  
11 doesn't read them.

12 Because the issue of Dr. Smith and the  
13 completeness of his reports on the LSN was raised,  
14 DOE -- Nevada conducted another search, reported the  
15 results of it to DOE by way of its -- a reply to DOE  
16 in this proceeding, you know, just the reply on the  
17 contentions.

18 With respect to Dr. Smith, some additional  
19 activity reports were found, which Nevada does not  
20 believe are studies or reports, documentary material  
21 No. 3, or documentary material of any type.

22 Nevertheless -- nonetheless, Nevada  
23 determined to add these documents to its LSN, and  
24 make the documents available to DOE consistent in its  
25 philosophy of erring in the direction of inclusion.

1 My point is we're talking good faith, bad faith.

2 >> JUDGE MOORE: Is that in your  
3 declaration attached to your reply?

4 >> MR. FITZPATRICK: Yes, Your Honor.

5 >> JUDGE MOORE: Okay. Thank you.

6 >> MR. FITZPATRICK: The point is that  
7 throughout this proceeding in many different filings,  
8 Nevada, with respect to LSN documentation, has said  
9 over and over that we will be happy to fill any void,  
10 any gap that anyone can show us, anything that's  
11 missing. We'll be happy to provide it promptly on  
12 request or notice --

13 >> JUDGE MOORE: Mr. Fitzpatrick, let me  
14 interrupt. That's all in your reply. We're well  
15 aware of that theme throughout the process.

16 >> MR. FITZPATRICK: All right. It's just  
17 disturbing then that when we respond to an inquiry  
18 about a particular expert's materials, conclude they  
19 are not documentary material, need not be on the LSN,  
20 but put them on in an abundance of caution and  
21 cooperation, to be accused in a hearing of disturbing  
22 conduct is itself disturbing.

23 >> JUDGE MOORE: Mr. Fitzpatrick, no good  
24 deed goes unpunished.

25 >> MR. FITZPATRICK: That's true. Going

1 back to Judge Froehlich's original question with  
2 respect to 2.1012(b) and its requirements, let me say  
3 at the outset, I think the question was who has to  
4 make a demonstration and what is the demonstration.  
5 I'm combining your question with Judge Moore's  
6 subsequent question.

7 Our answer to that is no one has to make a  
8 demonstration. No one. That's not what 1012 says.  
9 DOE's brief says that. It says -- 1012 says that the  
10 parties must demonstrate whether the parties are  
11 required to, and it says that they must make this  
12 demonstration in their petition for intervention.  
13 But that's not what 1012 says. 1012 says they must  
14 be able to do.

15 It says, quote, for once -- let's get the  
16 quote. "If it cannot demonstrate, it may not be  
17 granted party status, if it cannot demonstrate." It  
18 doesn't say it must demonstrate in its petition, and  
19 it doesn't say it's required to in its petition.

20 Secondly, what must be demonstrated, I  
21 think that's been covered correctly by Judge Moore  
22 and I think NRC in its reply to contentions, it took  
23 the position that we're a party. It cited the  
24 regulations 103, 109. And it said that where a party  
25 had certified in timely fashion its initial

1 certification and had done monthly certifications to  
2 update it, that it would accept that -- those  
3 representations.

4 The party signs its pleading under 2.304.  
5 It's a representation that what is filed is the  
6 truth, and NRC accepted that. But what may be most  
7 important from Nevada's point of view, Nevada  
8 believes that 2.1012 and the sanction that's  
9 mentioned in there that won't be granted party  
10 status, if it cannot demonstrate. First of all, let  
11 me say, we can demonstrate and we tried at length to  
12 demonstrate it in our reply.

13 But nonetheless, we don't have to  
14 demonstrate it, nor do any of the other petitioners  
15 who -- in whose jurisdiction the repository sits.  
16 You have to be able to demonstrate it. Don't even  
17 need to be able to demonstrate it.

18 >> JUDGE FROEHLICH: Not even that.

19 >> MR. FITZPATRICK: According to 2.1000,  
20 2.309, takes precedence over anything in subpart (j).  
21 And what 2.309 says about standing for parties who  
22 live in the jurisdiction where the repository is  
23 cited -- this is 2.309 --

24 >> JUDGE MOORE: But, Mr. Fitzpatrick, that  
25 doesn't go to LSN compliance. That goes to standing.

1 So I don't think it's relevant to whether or not the  
2 petitioners have complied with the LSN compliance  
3 requirements in subpart (j).

4 >> MR. FITZPATRICK: I respectfully suggest  
5 2.3092(iii) does address -- does deal with LSN as  
6 well. Can I explain?

7 >> JUDGE MOORE: Would you give me the cite  
8 again, please?

9 >> MR. FITZPATRICK: 2.309(d)(2)(iii).

10 >> JUDGE MOORE: Contention admissibility  
11 standards?

12 >> MR. FITZPATRICK: Yes, Your Honor,  
13 written for this proceeding, with this repository,  
14 with subpart (j) well-known and in mind.

15 >> JUDGE MOORE: Please, again in  
16 30 seconds, make your argument.

17 >> MR. FITZPATRICK: I'll do it in  
18 30 seconds.

19 What that provision says, the Commission  
20 shall permit intervention by the state and local  
21 government body in which such area is located, and by  
22 any affected federally recognized Indian tribe as  
23 defined in Part 60 and 63.

24 >> JUDGE MOORE: All right. I understand  
25 your argument.

1 >> MR. FITZPATRICK: May I finish? And  
2 then it says, provided, if the requirements of  
3 paragraph F, only F, of this section is satisfied  
4 with respect to at least one contention, and then it  
5 goes and says all other petitions for intervention,  
6 meaning everybody but the resident in any such  
7 proceeding must be reviewed under the provisions of  
8 paragraphs A through F.

9 In other words, the whole nine yards of  
10 309. You go back to A of 309, and that also requires  
11 under (a) the Board shall consider failure -- any  
12 failure of the petitioner to participant as a  
13 potential party to the prelicense application phase  
14 under subpart (j) in addition to the fact that's  
15 mentioned in paragraph (d).

16 >> JUDGE MOORE: Thank you.

17 >> MR. FITZPATRICK: So it applies to that  
18 as well. I think that it was evident that this  
19 reading of 10.12, that it's not a requirement to make  
20 a demonstration in your petition. It was apparently  
21 agreed upon by all 14 petitioners and the NRC, and it  
22 was only DOE that read it as a requirement in the  
23 petition intervention. But again, disturbingly and  
24 on the issue of credibility, DOE stated in its  
25 response to seven of the petitioners who made no

1 demonstration that that's --

2 >> JUDGE MOORE: That's all in your brief,  
3 Mr. Fitzpatrick. We're well familiar with it.

4 >> MR. FITZPATRICK: Thank you, Your Honor.  
5 I'm done.

6 >> JUDGE FROEHLICH: I think this would be  
7 a good point to take our -- would any other party  
8 like to be heard at this point on this issue and then  
9 we'll break for lunch.

10 >> MS. ROBY: Yes. Debra Roby for Clark  
11 County. We can do it now or we can do it after  
12 lunch, whichever you'd prefer.

13 >> JUDGE FROEHLICH: Why don't we do it  
14 after lunch.

15 >> MS. ROBY: That's fine.

16 >> JUDGE FROEHLICH: We won't leave this  
17 subject.

18 >> MS. ROBY: Sure.

19 >> JUDGE FROEHLICH: I see by the clock at  
20 the back, it's 20 minutes after 12:00. We'll  
21 reconvene at 1:50, 90 minutes for lunch. We stand in  
22 recess.

23 (A recess was taken)

24 >> JUDGE FROEHLICH: Please be seated.

25 We'll be back on the record. I believe we left off

1 and I had cut off Clark County. Ms. Roby.

2 >> MS. ROBY: Thank you very much, Your  
3 Honor. Before we broke, we were talking about LSN  
4 compliance matters, and Clark County is among those  
5 who has faced a challenge by the DOE for failing to  
6 comply with LSN. We responded to that challenge in  
7 our pleadings. I won't here repeat those arguments.  
8 I just want to respond briefly to some of the  
9 statements that I heard today in a discussion that  
10 has occurred today.

11 And I'll start by saying, and I don't mean  
12 to be flip about this, but I can't tell what the  
13 DOE's position is anymore. I can't tell if they've  
14 abandoned certain of their arguments or if they're  
15 clinging to certain of those arguments in response to  
16 certain questions. For example, in response to Judge  
17 Froelich's very methodical approach to the DOE's  
18 argument, the DOE was explaining sequentially what  
19 has to happen for LSN compliance. And, when DOE  
20 finished, Judge Froelich asked, what else, is there  
21 anything else one must do.

22 And, at that point, DOE counsel had not  
23 asserted that one must plead LSN compliance in their  
24 petition in order to be in compliance.

25 That was followed by a question from Judge

1 Moore about what must one do to demonstrate, when is  
2 demonstration required.

3 At, that point, DOE's counsel says after a  
4 challenge, so, in your petition if one hasn't  
5 challenged you, why would you put in a demonstration  
6 if one hasn't challenged you?

7 DOE's counsel, Judge Moore asked about,  
8 when that challenge occurs, if they haven't pled,  
9 when do they have the opportunity to the do that.  
10 DOE's counsel says, "Well, in their reply." So, at  
11 this point, it's unclear whether a failure -- DOE's  
12 position, that is, a failure to plead that is grounds  
13 for denying intervention or whether failure to  
14 respond to that is grounds for denial for  
15 intervening.

16 We, of course, believe that there is no  
17 requirement to plead it in the intervention. The  
18 monthly certifications are the demonstrations in and  
19 of themselves. And I think that's pretty clear.

20 Another thing that DOE's counsel said  
21 before break is a petitioner -- in response to Judge  
22 Moore's questions how does one respond to the prima  
23 facie attack, DOE's counsel said in the answer. In  
24 the petition in the answer to the petition, DOE's  
25 counsel said the answer is not the time to cure a

1 defect, implying that a response to a challenge on  
2 the LSN would not be appropriate in the reply to an  
3 answer from DOE.

4           So it's -- their position from one question  
5 to the next appears to be inconsistent here today,  
6 and it also appears to be inconsistent with what is  
7 in their pleadings. It's just difficult to pin down  
8 what the position is. And we would agree with  
9 counsel from Nevada that there is no affirmative  
10 requirement to plead it in the intervention. The  
11 10.12(b) doesn't state what the DOE claims it states  
12 and that Clark County is in full compliance with LSN  
13 requirements, and, having faced the challenge, we  
14 actually answered that in our petition -- or in our  
15 reply to the DOE's answer.

16           >> JUDGE MOORE: We will have to sort this  
17 out, and we will. Before we leave the subject of the  
18 LSN, because there appears to be a misapprehension by  
19 DOE concerning LBP 08-05 which was the majority  
20 decision, clerk, would you bring up footnote 9 from  
21 page 20 of DOE's answer to petition to intervene,  
22 please, and I would just like to make a point of  
23 clarification.

24           Although I would normally never presume to  
25 speak for Judge Rosenthal, he has authorized me to

1 also speak in his behalf with respect to this  
2 footnote. Judge Rosenthal and I comprised the  
3 majority in LBP 08-05 67 NRC 205-2008. That ruling  
4 was affirmed by the Commission. The majority ruling,  
5 to which there was a lengthy dissent, denied, as I  
6 mentioned earlier this morning, DOE's motion to  
7 strike LSN's certification with the State of Nevada.

8 It is my firm belief that no reasonable  
9 reading of LBP 08-05 could allow rules of the  
10 slightest doubt that the majority was disagreeing  
11 with the dissent with respect to the so-called 2007  
12 call memo or any other matter put forth by the  
13 dissent.

14 But, even if that were not the case, there  
15 is no accepted judicial doctrine that the majority's  
16 silence in the face of a dissent is acquiescence in  
17 any point in the dissent. Until I was treated to  
18 footnote 9 in DOE's answer, I would have thought that  
19 point was obvious.

20 Because of that footnote that essentially  
21 said that my silence was assent, I felt that that  
22 clarification was justified.

23 Now, I would like to move on to another  
24 subject. Mr. Chairman --

25 >> MR. SHEBELSKIE: Your Honor, Mike

1 Shebelskie for DOE. There was one point that  
2 Mr. Fitzpatrick made that I did want to respond to  
3 regarding these reports that they produced in  
4 January -- February of LSN.

5 >> JUDGE MOORE: I think we're done with  
6 LSN. We're going to try very hard at the end of -- I  
7 believe the chairman's plan is to, like the other  
8 boards, at the end of the day, give everyone a few  
9 moments to try to scratch whichever itches they  
10 believe were outstanding from the matters we covered  
11 today, and you should get that opportunity then. We  
12 must move on.

13 >> MR. SHEBELSKIE: All right, thank you,  
14 Your Honor.

15 >>JUDGE WARDWELL: Yes, and, along those  
16 lines, I'd like to follow up on some of the  
17 discussion that took place on Tuesday and Wednesday  
18 regarding some of these various regulations and their  
19 interaction with what might be a material dispute or  
20 not.

21 And, in my view, you know, I understand  
22 Part 63 to be a performance-based regulation, and it  
23 has various ones that we talked about earlier in the  
24 week, and, for the sake of brevity, I'll just kind  
25 of list the numbers now, the 101, 102(h), 102(j),

1 114(b, (c), and (g), 305(c). And these various  
2 regulations require, you know, that various  
3 parameters we looked at that the performance be based  
4 on credible models, that a wide range of both good  
5 and bad effects be evaluated, and various factors  
6 related to geoscience be considered and that type of  
7 thing.

8 The question I want to make sure I  
9 understand from DOE is, and I guess would be  
10 Mr. Silverman, would you be the best one or would  
11 there be someone else?

12 >> MR. SILVERMAN: I think when we hear the  
13 question. It may be me or Mr. Zaffuts.

14 >> JUDGE MOORE: We'll start with you.  
15 Feel free to hand her off. I know on Tuesday, I  
16 think it was, when you qualified these as process  
17 regulations, I think, in my viewpoint, I'd categorize  
18 them more as kind of preconditions qualifying  
19 criteria that really the TSPA has to meet regardless  
20 of the adequacy of the TSPA, that these are  
21 established to assure that the analysis is done  
22 correctly, that it isn't merely to do -- to come up  
23 with a number and a result but to also have some  
24 assurances because of the complexity of this that  
25 it's being done right. And so it has a lot of

1 discussion of these performance types of things that  
2 you must do that, one, helps indicate that you did it  
3 right and, two, helps build more assurances that the  
4 degree of uncertainty is quantified correctly and  
5 that the model results have some type of comfort  
6 level with them. What's wrong with my summation of  
7 that?

8 Do you agree with that characterization or  
9 do you generally agree with it?

10 Or I said agree twice.

11 Do you disagree with that? You know, I  
12 think you know what I mean.

13 >> MR. SILVERMAN: This is Mr. Silverman.  
14 I think I agree with your characterization. I think  
15 it's similar to what I was trying to say when I used  
16 the very shorthand phrase "process regulation." It's  
17 a description of how you do the analyses and the  
18 purpose of those parameters, those requirements in  
19 those regulations. It's to ensure that the analysis  
20 is adequate. I think that's similar to what you've  
21 said.

22 >>JUDGE WARDWELL: So, therefore, a  
23 violation of those regulations isn't that data  
24 disputed in and of itself?

25 Because, if you don't achieve those

1 regulations, regardless of the outcome of the TSPA,  
2 you've violated the regulations and it is a viable  
3 contention to be addressed to see whether that's  
4 correct or not, because we lose that degree of  
5 comfort with the uncertainty of the analysis and the  
6 results that we see come out of the TSPA.

7 >> MR. SILVERMAN: I think what we were  
8 saying was that, because of the certain  
9 non-proscriptive nature of this regulation, that  
10 there was a considerable range of acceptable, not an  
11 unlimited range, but a considerable range of  
12 acceptable interpretation and application on the part  
13 of the applicant to apply these, that there could be  
14 bounds exceeded, if those bounds are exceeded and the  
15 regulation is, in fact, violated, that may be a  
16 material issue but that we did not think that most of  
17 the allegations and contentions that we were dealing  
18 with, if any, properly pled a violation.

19 >>JUDGE WARDWELL: That's pretty much a  
20 repeat you said the other day. I guess it will be  
21 left to us to judge how far. I'll get a little bit  
22 more about digging into the merits of it or digging  
23 into the SAR and SLA, and, in fact, it will be the  
24 next question after this one, but I think, on one of  
25 the previous days, you referenced the fact that

1 similar contentions that were based on process, which  
2 you can label as process regulations were denied at  
3 Indian Point.

4 >> MR. SILVERMAN: Yes.

5 >>JUDGE WARDWELL: Do you remember that?

6 >> MR. SILVERMAN: Yes.

7 >>JUDGE WARDWELL: Did you look at the  
8 contentions that were accepted at Indian Point and  
9 whether those were based on process, quote/unquote,  
10 to use your term, process regulations?

11 >> MR. SILVERMAN: I did not. What I was  
12 doing was --

13 >>JUDGE WARDWELL: Thank you.

14 >> MR. SILVERMAN: Sure.

15 >>JUDGE WARDWELL: I'm not meaning to cut  
16 you off. We took a look at our schedule, by the way,  
17 and I think you'll see that we're going to try to  
18 keep things moving along so we can get all these  
19 loose ends tied up that various things have taken  
20 place over the last three days, so, if we have the  
21 appearance we're being rude, it's merely to for the  
22 sake of watching the clock and making sure everyone  
23 catches their flight tomorrow, because we want to be  
24 out of here by at least 6:00 or 7:00 tomorrow  
25 morning, I think.

1 >> MR. SILVERMAN: Understood. We all  
2 would like to do that.

3 >>JUDGE WARDWELL: Good. Now, getting into  
4 your comment that follows up on what you've said just  
5 previously in regards to the degrees, you suggested  
6 that, to really determine a material dispute, we, as  
7 a board, ought to start digging into the references  
8 that you make to the SAR and the license application,  
9 where you referenced them in your answer.

10 And my question to you is -- is why doesn't  
11 that just open up another whole new avenue of merits  
12 activity?

13 As soon as reference us to look at  
14 something, don't we raise more problems like  
15 evaluating does it say what you say it says, does it  
16 really support your position and then, likewise, is  
17 what you referenced us to taken out of context and  
18 don't we then have to look at either side of that?

19 And we're right in the middle of a merits  
20 issue. How do you -- how do you, how do you  
21 contradict that particular position that one may take  
22 with not -- with trying to say that just that you've  
23 opened up more problems than you solved, by as soon  
24 as you start looking at some technical detail that  
25 you reference us to, that we'll be in a never ending

1 battle until we're actually looking at and trying to  
2 evaluate something for a motion for summary  
3 disposition or what should be held at a hearing.

4 >> MR. SILVERMAN: Your Honor, I think  
5 there is no bright line, and I understand your  
6 concern about moving past whatever that appropriate  
7 line is into an inappropriate merits consideration  
8 that is best and properly left for the evidentiary  
9 proceeding. But what we were trying to communicate,  
10 in my experience at least, in being involved in NRC  
11 proceedings and reading NRC cases, that the board  
12 members, when they review a petition to determine if  
13 there is an admissible contention, they look at the  
14 answer as well, of course, and it applies. Very,  
15 very common for those not only to cite law but to  
16 cite other references and information of a factual  
17 nature and that it's very, very common for some  
18 inquiry to be made into that information, and there  
19 have been contentions that have been dismissed  
20 because of that investigation into those preferences.

21 Now, my point was that you may look at  
22 those references. It's critical that you do, in our  
23 view. And you may decide you don't have to  
24 exhaustively resolve the issue, you don't have to  
25 make the final evidentiary determination, but you

1 have to make a determination as to whether there is a  
2 material dispute. The way to do that is to look at  
3 all that information at some level.

4 My simple example -- I may be able to come  
5 up with others, if necessary -- but my simple  
6 example, if you carried this to an extreme that you  
7 shouldn't get into looking at the references or  
8 considering the factual assertions in the answer, you  
9 have a petition -- you have a contention that says,  
10 we omitted X from our application. And we respond  
11 with two lines, we did not omit it, see SAR section  
12 blank. You may go to that SAR section. You must go  
13 to that SAR section.

14 >>JUDGE WARDWELL: I think Nevada agreed to  
15 that, if I remember their testimony -- or their  
16 argument, sorry.

17 >> MR. SILVERMAN: I'd like to hear that.  
18 I thought I heard quite a bit of language from Mr.  
19 Malsch that, If they say it's so and we disagree,  
20 then there's a material dispute.

21 >>JUDGE WARDWELL: I don't believe -- I'll  
22 clarify that.

23 >> MR. SILVERMAN: I could be wrong. I  
24 don't mean to mischaracterize what he said. If he  
25 agrees, that's great.

1 >>JUDGE WARDWELL: I think where I heard  
2 that, and we're going to explore that a little bit  
3 more, is in regards to phrases like has not  
4 considered it in the application, have not included  
5 it. And I'll get to that later in a while.

6 >> MR. SILVERMAN: So, just to sum up very  
7 quickly, the omission example is the easiest one.  
8 But there are others where, if you look at the SAR  
9 section we reference or the AMR that may be  
10 referenced or any other LSN document that might have  
11 referenced, you may in some instances, you will in  
12 some instances, we believe, be able to go back to a  
13 regulation like 63.114 and conclude I don't even see  
14 a prima facie violation of this, I don't see a  
15 genuine dispute as to a violation of this regulation.

16 There will likely be others where you  
17 frankly and properly throw your hands up in the air  
18 and say, this one's got to go to a hearing. But I  
19 don't think you can get there by ignoring portions of  
20 these responses, and we think it's common practice  
21 when we read board decisions.

22 >>JUDGE WARDWELL: Thank you,  
23 Mr. Silverman.

24 >> MR. SILVERMAN: Thank you.

25 >>JUDGE WARDWELL: Mr. Malsch, did you, in

1 fact, say over the last two days that you would agree  
2 that if you said it's been omitted and DOE points out  
3 that it hasn't been omitted, that you would agree  
4 that contention should be rejected?

5 >> MR. MALSCH: Yes, I did agree. Although  
6 I will also say that oftentimes it may not be  
7 absolutely clear on the face of things whether it has  
8 been omitted or included. And, in such cases, I  
9 certainly have no objection to looking at the  
10 underlying documents. All I would say is that the  
11 case law is very that the support for a contention is  
12 supposed to be viewed in a light favorable to the  
13 petitioner.

14 And so, if after looking at the various  
15 references and the petition and the answers and  
16 replies, the board actually has some reasonable doubt  
17 as to who is right, the answer is the contention gets  
18 admitted and the matter proceeds either to summary  
19 judgment phase or to the hearing phase.

20 >> JUDGE WARDWELL: How do you view the  
21 words "considered" and "included"? Would you agree  
22 that they aren't absolute single value qualifying  
23 determinations but, rather, cover a range that needs  
24 to be looked at that, in essence, whenever the word  
25 "considered" -- when you use the word "considered,"

1 did it -- and by inference include adequately  
2 considered by definition of how considered really is  
3 of a range of possible supports than just an absolute  
4 like omissions might be?

5 >> MR. MALSCH: Yes. I mean, when we  
6 can -- when we meant considered, we meant considered  
7 in a meaningful, effective way. An example comes to  
8 mind.

9 I think, in one of our igneous contentions,  
10 we allege that certain factors bearing on the  
11 probability of igneous events had not been  
12 considered. DOE replied by saying, look here, see,  
13 see, see, what you said was, in fact, considered.  
14 And our answer was, wait a minute, we don't -- we  
15 agree that somebody in the bowels of your agency or  
16 contractor organization thought about the issue, but  
17 what we're saying is -- is that it had no influence  
18 whatsoever on your ultimate conclusion about the  
19 issue of igneous event probability. In our mind,  
20 that is not a meaningful consideration.

21 >> JUDGE MOORE: And that the word  
22 "considered" means something more than "mentioned"?

23 >> MR. MALSCH: Yes, of course.

24 >> JUDGE WARDWELL: And, DOE, how would you  
25 respond? Do you agree with that definition of

1 considered or do you view considered to be similar to  
2 omission in being a red or green-type of issue rather  
3 than a -- there needs to be some evaluation of what  
4 you're really doing when -- "considered" is an action  
5 item, it's not just a presentation item?

6 >> MR. SILVERMAN: That is correct. And we  
7 did not mean to suggest that considered is equated  
8 with merely mentioned. What we meant was  
9 "considered" -- It has to be reviewed in the context  
10 of the regulations. The best example would be a  
11 feature event or process under 63.114 may be  
12 considered, meaning that it was evaluated to  
13 determine whether it needed to be included or not.  
14 If it was determined not to be -- you know, an  
15 included FEP, It was properly -- and we made that  
16 judgment properly, assume that -- it was properly  
17 considered. As to your point, it does require more  
18 than a mention, but, to our mind, it equates with an  
19 omission. We think -- we have experienced attorneys  
20 here. There are some contentions that say we failed  
21 to consider. I believe there are numerous other  
22 contentions that say we failed to adequately consider  
23 or adequately address or adequately account for  
24 certain things. So maybe we were wrong, but, when we  
25 interpreted the petition of virtually any party and

1 they made a bare statement that we did not consider  
2 something, we felt that was a contention of omission  
3 and we responded in that way.

4 >> JUDGE MOORE: If the consideration in  
5 the SAR to which we are pointed is totally  
6 conclusory, how are we to then deal with the adequacy  
7 of the consideration?

8 >> MR. SILVERMAN: Your Honor, if it's a  
9 contention of omission, then there is no issue of the  
10 adequacy. If it's -- go ahead, sir.

11 >> JUDGE MOORE: Yeah, not a contention of  
12 omission; but many times the SAR sections that I  
13 pointed to there's a very conclusory statement that  
14 something was considered. It doesn't tell me how,  
15 when, who, where, what depth, what they did, what the  
16 analysis was, none of that's there. How then am I to  
17 determine whether it was adequately considered, and  
18 is that not something for the merits?

19 >> MR. SILVERMAN: No, it's not something  
20 for the merits. It's something for you to decide as  
21 to where it's a genuine material dispute or not. If  
22 you look at our --

23 >> JUDGE MOORE: Okay. But doesn't that  
24 push it into it is a genuine dispute, because I can't  
25 decide on the face of this whether it was adequately

1 considered?

2 >> MR. SILVERMAN: In your hypothetical, I  
3 would say that you may very well conclude in that  
4 case that the petitioner has alleged something, we  
5 say we've adequately -- we did not adequately address  
6 something. We say we adequately addressed something  
7 and we pointed to some discussion in the SAR. If you  
8 look at that discussion and that discussion isn't  
9 sufficiently persuasive to you because it's too  
10 conclusory or it is a bare conclusion without  
11 anything more, I would suggest you're probably right.  
12 You don't have enough information to decide -- you  
13 would admit that contention.

14 >> JUDGE MOORE: Could I follow up?

15 >> MR. SILVERMAN: May I add one  
16 clarification?

17 In many cases, we cite to the SAR and  
18 underlying reference documents. So it's not just --  
19 it's whatever we've cited to.

20 >> JUDGE MOORE: How deep do I have to  
21 mine?

22 >> MR. SILVERMAN: What we've cited.

23 >> JUDGE MOORE: But then the SAR then  
24 sends me to the underlying documents.

25 >> MR. SILVERMAN: Well, it's hard for me

1 to quantify that.

2 >> JUDGE MOORE: I recognize we're talking  
3 hypothetically.

4 >> MR. SILVERMAN: Right.

5 >> JUDGE MOORE: One of the things that I  
6 know I have wrestled with and I must assume my  
7 colleagues also, that I'm sent to the SAR and the SAR  
8 says it's black or it's white, take your pick. I  
9 read it, and it's very gray to me. I then have a  
10 contention and an affiant with purported expertise  
11 that meets at least minimal standards for expertise  
12 that says that it's neither black nor white, it's  
13 green and it implies that it's blue.

14 Now, to me, I am not in a position at  
15 contention admissibility to resolve that, because I  
16 look at what's in the SAR and I'm being told on the  
17 one hand it's black or it's white.

18 I found that it's gray. I can't  
19 definitively say that it is one or the other. And  
20 we're into a dispute, and, the more technical it is,  
21 it was written by more technical people, It's being  
22 interpreted by more technical people, and they're  
23 fighting over what it means. How is that to be  
24 decided without having -- it is, to me,  
25 definitionally a genuine issue of material fact if

1 that's the crux of the contentions.

2 >> MR. SILVERMAN: In your hypothetical,  
3 you've done exactly what we've asked you to do, that  
4 is, look at those references and see if it is clear  
5 that there is -- based on the references, whether it  
6 be the SAR or a reference document, that there is no  
7 genuine dispute. You've gone through that evaluation  
8 because you've examined that.

9 That's your judgment to make on a  
10 case-by-case basis.

11 >> JUDGE MOORE: >>Judge Wardwell, do you  
12 want to continue or do you want me to finish the  
13 issue?

14 Let's go to a specific example. Let's go  
15 to Nevada Safety 48, multiple scale thermal  
16 hydrologic model. In a nutshell, this contention  
17 asserts SAR subsection 2.3.5.4 -- it's up on the  
18 screen -- this is one of the Swellex rock bolt  
19 contentions. And I recognize that DOE can make  
20 several arguments, but let's just zero in on one that  
21 we're dealing with. If you look at DOE's answer, it  
22 says that, in response to 309(f)(1)(v), that Nevada  
23 offers no scientific or factual materials to support  
24 its assertion, leaving the entire premise of the  
25 contention unsubstantiated, and that premise is

1 stated as being the entire argument as premised on  
2 Nevada's unsupported view that water might be sealed  
3 in the rock bolts after installation but, in fact,  
4 the rock bolts will be left open after installation.  
5 And there is a citation, and it's to an LSN document,  
6 and it's to figure 6-30. Now, if you are a magician  
7 and you can actually get figures in the LSN to come  
8 up, you solved part of the problem. But, because I  
9 pre-arranged to have this done, this is a picture of  
10 figure 6-30. It is a schematic. It's not an  
11 engineering drawing.

12 Now, it is my considered opinion that that  
13 does not definitively answer that the rock bolts will  
14 be open. I'm assuming, because there is no textural  
15 cite in the answer, that there is no text in the SAR  
16 that so states. My reading of many, many sections of  
17 the SAR around and dealing with Swellex rock bolts, I  
18 found no text that answered the question whether they  
19 were open or closed after installation. Now that  
20 picture, you tell me in an answer, an unsworn  
21 document and argument of counsel, that they are open,  
22 the citation does not definitively answer the  
23 question. Is that not a -- definitionally a genuine  
24 issue of material fact? Because that is the premise  
25 on which this contention is built.

1 >> MR. SILVERMAN: Could I ask at least to  
2 go back and read that language one more time of the  
3 contention -- of our answer?

4 >> JUDGE MOORE: In the contention or in  
5 your -- sure.

6 >> MR. SILVERMAN: I'd just like to see the  
7 context for a moment because I'm not intimately  
8 familiar with this particular one.

9 >> JUDGE MOORE: Perfectly understandable.

10 >> MR. SILVERMAN: And many others.

11 >> JUDGE MOORE: There's only hundreds and  
12 hundreds of them.

13 >> MR. SILVERMAN: There's two comments I'd  
14 make, I think two comments. One, we are saying, and  
15 we'd have to go back to what Nevada says, but at  
16 least in this here, we're saying that their view --  
17 I'm sorry, that Nevada's premise is unsupported.  
18 That's the first thing that has to be decided, in  
19 your view, is it or is it not?

20 If it's unsupported, that's probably --

21 >> JUDGE MOORE: Well, no, they say that  
22 the rock bolts will be -- hold water after  
23 installation. Now, there's nothing in the SAR and  
24 they have no other way of knowing that.

25 That's something uniquely within the

1 province of DOE.

2 >> MR. SILVERMAN: Well, again, they're the  
3 ones that -- how I do say this?

4 The contention, itself, if it makes a  
5 factual allegation of an error or deficiency of some  
6 sort has to provide some basis for that.

7 They're the ones that selected the --

8 >> JUDGE MOORE: Well, their basis is they  
9 have read the SAR, and nowhere does the SAR say,  
10 because -- and I couldn't find it, and it's obviously  
11 not there or you would have cited it, I must assume,  
12 the best you can do is cite a figure which is, at  
13 best, indeterminate because it's a schematic, one,  
14 it's not an engineering drawing and, as a schematic,  
15 it does not definitively answer that question. They  
16 have drawn the conclusion and made the statement that  
17 it's not -- it's not open.

18 Now, I recognize what they said in the  
19 reply. Okay, you say it's open. If it's open, it  
20 raises a host of other problems. I'm just using this  
21 as an illustrative example of the kinds of things  
22 that I have wrestled with in trying to do the very  
23 things we're talking about. And this one, I think,  
24 illustrates the point that this presents to me a  
25 genuine issue of material fact.

1 >>JUDGE WARDWELL: And, to say it another  
2 way, you know, you're saying it's open, therefore,  
3 the water can't recycle. It refers to a schematic  
4 that doesn't show whether or not that takes place or  
5 not and has no description of how that rock bolt  
6 works in order to ascertain this. And then I say,  
7 well, we're getting into the merits, anyhow. I mean,  
8 that's left for post-admissibility phase, either  
9 through summary disposition or at a hearing. What's  
10 wrong with that position?

11 >> MR. SILVERMAN: In some cases, and this  
12 may be a good case, I'm not sure -- I'd want to also  
13 go back and look if we really wanted to explore  
14 that --

15 >>JUDGE WARDWELL: We're not trying to rule  
16 on this.

17 >> MR. SILVERMAN: -- into the petition  
18 allegations, because there's two points I want to  
19 make, where, if you have looked at the best  
20 information we could provide and you can't resolve it  
21 and the schematic is unacceptable to you, it doesn't  
22 satisfy you, and say, I see the answer, there's  
23 nothing here, I understand this, it's a -- it's an  
24 error on the petitioner's part, then you may very  
25 well conclude that it's a genuine dispute.

1 I would like to say, it still remains the  
2 burden of the petitioner at first, initial burden, to  
3 demonstrate materiality as well.

4 >> JUDGE MOORE: Oh, I understand that.

5 >> MR. SILVERMAN: So I'm agreeing with you  
6 up to that point.

7 >> JUDGE MOORE: And you have other  
8 arguments?

9 >> MR. SILVERMAN: Excuse me?

10 >> JUDGE MOORE: You have other arguments  
11 with this contention?

12 >> MR. SILVERMAN: Yes.

13 >> JUDGE MOORE: I just wanted to bring  
14 that up. This is -- now I understand, and it has  
15 helped me what your position is on how we're supposed  
16 to I guess mining is as good a word as any with what  
17 we're dealing with here.

18 >> MR. SILVERMAN: Taking at face value,  
19 and I didn't -- have actually myself studied that  
20 figure, taking at face value that that figure doesn't  
21 clearly prove our point, I will assume that it's my  
22 hope and expectation that there will be many other  
23 examples that we have cited that are clearer and are  
24 more definitive and do allow you to conclude there is  
25 no general material dispute. But that's -- all we're

1 asking is for you make that inquiry.

2 >> JUDGE MOORE: I understand. We've got  
3 to move this along.

4 >> MR. SILVERMAN: Very good.

5 >> MR. MALSCH: Excuse me, Judge Moore,  
6 could I just add just a quick comment to that?

7 And that is your discussion actually  
8 highlights an issue we raised in a separate  
9 contention, Nevada miscellaneous 03 LA references.  
10 It is an interesting fact that, after due  
11 consideration, apparently, the -- the Department of  
12 Energy specifically decided that none of their  
13 references were to be considered to be actually part  
14 of the license application or safety analysis report.

15 So, on the most fundamental level, since  
16 contentions are to be only addressed to the  
17 application, in theory, one might resolve contentions  
18 along these lines by just looking to see what the  
19 application, itself, says, without regard to the  
20 reference.

21 >> JUDGE MOORE: Mr. Malsch, let me say you  
22 there. Did you say Nevada miscellaneous 3?

23 >> MR. MALSCH: Miscellaneous 3. I believe  
24 that's one.

25 >> JUDGE MOORE: Okay. Please continue.

1 >> MR. MALSCH: I believe I'm finished.  
2 All I'm suggesting is I now --  
3 >> JUDGE MOORE: I now have the contention.  
4 >> MR. MALSCH: -- at a very fundamental  
5 level, one could approach each contention like the  
6 one you were discussing with DOE by simply proceeding  
7 no further than the text of the license application  
8 itself and trying to resolve admissibility on that  
9 basis. I think, if you do so, you will find that, in  
10 almost innumerable cases, that the LA itself contains  
11 insufficient text to actually support hardly  
12 anything, that one must go to the references, and,  
13 for reasons that frankly escape me, DOE specifically  
14 stated that none of the references are to be  
15 considered to be part of the license application.  
16 >> MR. SILVERMAN: Your Honor, may I --  
17 >> JUDGE MOORE: That's the supporting  
18 information. The SAR, of course, is part of the  
19 license application.  
20 >> MR. MALSCH: Of course, yeah. But that  
21 is also true of the SAR.  
22 >> MR. SILVERMAN: One very brief remark,  
23 if I may.  
24 >> JUDGE MOORE: Very.  
25 >> MR. SILVERMAN: It will be very brief.

1 Just as I recognize and acknowledge that, well, as  
2 I -- and ask you to look at our support and  
3 references, we need to remember that the burden is on  
4 the petitioner and you must, of course, look at  
5 theirs as well to see if there is a -- their factual  
6 interpretations --

7 >> JUDGE MOORE: Mr. Silverman, that is a  
8 fact very well known, and you have never let me  
9 forget that over many, many years.

10 >>JUDGE WARDWELL: Turning to Nevada,  
11 earlier this week there was a discussion supporting  
12 documents as required by 309(f)(1). And I was  
13 wondering do you believe that 309(f)(1)(v) requires  
14 as a threshold bar that references to supporting  
15 documents is a threshold submittal to meet contention  
16 admissibility?

17 >> MR. MALSCH: Marty Malsch for Nevada. I  
18 don't believe that in the statements to support five  
19 or six in 2.309(f)(1) there needs to be supporting  
20 documents supporting every single opinion offered. I  
21 think it's enough that the supporting information  
22 offers a non-conclusory reasonable sounding basis.  
23 And that should be sufficient.

24 >>JUDGE WARDWELL: As I heard your argument  
25 yesterday, I think I perceived you saying that you

1 would have provided it, at least in more cases, but  
2 ran out of time or something to that effect?

3 >> MR. MALSCH: I mean, that is true. I  
4 mean, we don't -- we didn't instruct the experts to  
5 provide us with no references or a minimum number of  
6 references. We instructed them in what we thought  
7 were the requirements of 2.309, we left it to their  
8 judgment as to how many references to include. You  
9 know, if we were in the process of drafting articles  
10 for scholarly journals or preparing testimony for a  
11 hearing, we might have insisted on more. But I did  
12 not think that supporting references were required,  
13 and, given the time constraints, I did not advise  
14 them that they were required, and I don't think that  
15 they were required.

16 >> JUDGE MOORE: And, if I understand your  
17 argument correctly about paragraphs -- I'm sorry,  
18 sections 5 and 6 of these contentions, that is, if  
19 your view is accepted, the affidavit, those are the  
20 expert opinions of the affiant?

21 >> MR. MALSCH: That is precisely correct,  
22 our paragraphs five were drafted essentially by our  
23 experts. Those are their opinions.

24 >> JUDGE WALDWELL: Why didn't you take an  
25 extra day and try to correct some of that as opposed

1 to submitting a day early, then, if you ran out of  
2 time?

3 >> MR. MALSCH: If we were talking about,  
4 you know, a few dozen contentions, that would have  
5 been possible, but, as it is, we had an 8600-page  
6 license application, several hundred thousand pages  
7 of references, different groups of experts saying it  
8 is a considerable, logistical challenge to put those  
9 together, and then also -- perhaps, again, this is in  
10 the category of no good deed goes punished -- we made  
11 a special effort toward the very end of the process  
12 to categorize our contentions under subject matters,  
13 and that took some effort, also, which effort could  
14 not be completed until all the contentions were put  
15 together in final form.

16 >> JUDGE MOORE: Thank you. If I'm not  
17 mistaken for all of the petitioners,  
18 wasn't -- weren't great efforts made by I guess it  
19 was the secretary's office to get you to, because of  
20 the EIE filing requirements to file not allow it to  
21 go to the last day because we were very concerned a  
22 system may not perform as advertised?

23 >> MR. MALSCH: Again, Marty Malsch for  
24 Nevada. That is true. We from almost the beginning  
25 but certainly toward the end, our own completion

1 deadline was several days in advance of the deadline  
2 set in the Commission's notice of hearing for  
3 precisely that reason.

4 >> JUDGE MOORE: Thank you. Let's turn to  
5 Nevada Safety 5. And this illustrates another point  
6 that I'm having and I believe many of my colleagues  
7 may be wrestling with as well. It's labeled -- just  
8 a minute. I may have called up the wrong contention.  
9 I apologize.

10 >>JUDGE WARDWELL: Would you like me to  
11 proceed while you --

12 >> JUDGE MOORE: Please.

13 >>JUDGE WARDWELL: Mr. Silverman, if I  
14 might, 114(c) says that, to effects, that there is a  
15 need to consider alternative conceptual models and  
16 evaluate their effects on performance, in not so many  
17 words. I don't think that's an exact quote, but I  
18 think that's the essence of it. Do you know if there  
19 is a definition for models in the regulations?

20 >> MR. SILVERMAN: I don't believe there  
21 is.

22 >>JUDGE WARDWELL: So it wouldn't have to  
23 be a numerical model, necessarily, it could be an  
24 analog model, by that I mean it could be an analysis  
25 approach is what's being referred to here?

1 >> MR. SILVERMAN: That's my understanding.

2 >>JUDGE WARDWELL: The mere mention of an  
3 outdated model or one that is obviously too  
4 simplistic for what we're trying to achieve would not  
5 meet your definition of being one of those that you  
6 have considered just by you bringing it up and then  
7 throwing it out as kind of a straw man approach, or  
8 would you, in fact, think that is sufficient to meet  
9 the requirements for consideration under 114(c)?

10 >> MR. SILVERMAN: My understanding of what  
11 the department has done under 114(c) in terms of  
12 consideration is to take a very careful look at all  
13 features, events, and processes that they could  
14 identify, and there are volumes on this subject. I  
15 think the AMR -- I don't want to misspeak. There is  
16 a tremendous amount of information on this, and I  
17 think there's a tremendous amount of analytical work  
18 that went into deciding, considering many of these  
19 features, events, and processes in deciding that  
20 first gateway issue, which is whether to include it  
21 or exclude it. It's not merely -- and there are  
22 varying levels. There were issues, I am certain,  
23 that were much easier to dispense with and conclude  
24 they were properly excluded and others that may have  
25 been very complex. I can't speak to that in that

1 great detail. I could get more information, but I  
2 can assure you that, in many cases, there was a  
3 considerable amount of technical and engineering or  
4 scientific information that went into that  
5 consideration of whether to include or exclude that  
6 particular FEP. And it varied, I'm sure, based on  
7 the perceived importance and the complexity of the  
8 issue, et cetera.

9 >>JUDGE WARDWELL: One just came to mind as  
10 we were talking, and that dealt with I think it was  
11 in the area of infiltration. I assume it was. It  
12 may have been related to the interactions of the  
13 topsoil layer and the vegetation; I don't know. But  
14 the one I remember seeing someone referenced was the  
15 HELP model and then it was categorically thrown out  
16 as being -- the model being derived for other  
17 purposes and being a one-dimensional model, something  
18 like that.

19 >> MR. SILVERMAN: I know nothing about  
20 that model, but we have someone here who could answer  
21 the question.

22 >>JUDGE WARDWELL: Right. So, that -- the  
23 reason I remember it is because I have a reasonable  
24 amount of experience working with the HELP model, and  
25 the statements that were made are not incorrect. It

1 was derived for landfill design. That's where the  
2 H-E-L-P comes from. And it is a one-dimensional  
3 model, and it is not necessarily simplistic. It  
4 uses, you know, a pretty good analogs, but yet it's  
5 not very exotic either for carrying landfill design  
6 to applications that we're dealing with -- landfill  
7 design for 20 years compared to somewhat longer  
8 periods we have to deal with here.

9           So, if you -- under the assumption that it  
10 is not a very robust approach, would you not agree  
11 that that wouldn't be one that would qualify as  
12 meeting the criteria of 114(c) to consider  
13 alternative models and their performance by throwing  
14 up something like that and then throwing it and  
15 saying well, that's not a good one so we're going to  
16 throw that out and we can check off 114(c) in this  
17 situation?

18           >> MR. SILVERMAN: Let me take one moment,  
19 please.

20           >>JUDGE WARDWELL: Really, take your time.  
21 Time's up.

22           >> MR. SILVERMAN: Now that Mr. Zaffuts has  
23 explained it to me, I'm going to have him explain it  
24 to you.

25           >>JUDGE WARDWELL: That's the way to do it.

1 >> MR. ZAFFUTS: Paul Zaffuts for DOE. I  
2 think what we're talking -- one thing I would like to  
3 just try to explain to the best of my ability, which  
4 may not be sufficient, but what you hypothesized I  
5 think you pre-supposed that there was an  
6 understanding, I don't know if there is or not, but  
7 there was some understanding that this model was  
8 wholly inappropriate at the time that it was being  
9 looked into. I don't necessarily believe that would  
10 be the case. Because what 114(c) suggests is that  
11 you look around at the different models or the  
12 conceptual hypotheses or what have you to get a  
13 better sense of what is appropriate and what isn't  
14 appropriate, and then you obviously hopefully pick  
15 the one that is the most appropriate or best suited  
16 for purposes. Putting in the SAR the discussion of,  
17 well, here are the ones that were considered and this  
18 is the reason why one and two were deemed  
19 inappropriate, I think that clearly satisfies the  
20 intent of (c) here.

21 And I think that, if the allegation is that  
22 or the issue is that you knew from the get-go and you  
23 were just trying to mark off a box and this really  
24 wasn't a full consideration, I think that's an issue  
25 that would need to be supported by sufficient, you

1 know, assertions of fact and bases. I don't think it  
2 gets into a violation. I think, again, it becomes,  
3 like the vast majority of Nevada's contentions in  
4 this regard if they try to couch as violations,  
5 they're really technical assessments and  
6 disagreements that need to go to the next step or  
7 really assess the materiality of the issue.

8 >>JUDGE WARDWELL: Isn't that best left for  
9 a hearing?

10 >> MR. ZAFFUTS: Well, no, I think that's  
11 something they need to -- if we are dealing with  
12 materiality, that that's a basis that they need to  
13 plead with sufficient basis that it would make a  
14 difference in the outcome of the case.

15 >>JUDGE WARDWELL: So hypothetically, let's  
16 say this, if they are contesting 114(c) has not been  
17 addressed because they interpret 114(c) a little more  
18 rigorously than you do and they're saying that 114(c)  
19 requires you really look into the models and run some  
20 performance of them to see what their results come  
21 out to be, to compare them to what you have done is  
22 see if there is some type of check on it. And you  
23 have interpreted in your manner of 114(c) and have  
24 looked at a model that is not robust and, yes, you  
25 came up pretty quickly to the resolve that it is not

1 robust but, rather than move on and try to find some  
2 other models that are more equivalent to what we're  
3 trying to achieve here, you are using that to qualify  
4 for 114(c), that, to me, says there is a violation, a  
5 potential violation -- we're not doing it on -- we're  
6 not making a decision of whether there is -- but  
7 there is a potential violation of 114(c) and there is  
8 a material dispute in regards to whether or not this  
9 model really meets what's trying to be derived and  
10 achieved out of that regulation.

11 >> MR. ZAFFUTS: Paul Zaffuts for DOE. I  
12 think there is a premise or an earlier assessment  
13 that the board needs to make to get to the next step  
14 of a material dispute, which is what is -- it's not  
15 easy necessarily with these types of non-proscriptive  
16 type of requirements, Really, what would constitute a  
17 failure or a violation of these requirements?

18 I think that's, and I'm not going to step  
19 into your shoes because I don't know, but I think  
20 that's an answer or something, assessment, that you  
21 have to make from a legal perspective, which is, what  
22 does this really mean?

23 Does it mean that there is just the premise  
24 that you -- the hypothesis that you say or does it  
25 mean more?

1           And, at that point if you determine there  
2 is a violation or it properly pleads a violation with  
3 sufficient bases, then I think that it would be a  
4 material issue.

5           >>JUDGE WARDWELL: Premised on, they have  
6 interpreted 114(c) to mean you need to do more than  
7 just look other models, that you actually have to  
8 derive some -- I'm going under the assumption in my  
9 hypothesis that a petitioner, and I happen to just  
10 point to Nevada because they're the most visible one,  
11 but the --

12           >> MR. SILVERMAN: Prolific.

13           >>JUDGE WARDWELL: You need to do more than  
14 what you are achieving out of presenting what is  
15 probably undisputably a naive model for any attempts  
16 that we're trying to do here at the Yucca Mountain.  
17 Under that premise, then, there is a dispute on  
18 whether or not 114(c) is being addressed.

19           >> MR. SILVERMAN: It's undisputably a  
20 naive model, and you are the technical judge on the  
21 panel. I would think you may have to conclude there  
22 was no material to dispute that, that was not a model  
23 that if not used would not violate this regulation,  
24 perhaps.

25           >>JUDGE WARDWELL: But those -- but I'm

1 going on the assumption -- I don't even know if this  
2 is the case. I just remember the model was brought  
3 up, so don't go looking for the contention because  
4 you may not find it.

5 >> MR. SILVERMAN: Yes.

6 >>JUDGE WARDWELL: If this contention dealt  
7 with a situation where you have said, in this  
8 infiltration effort, we have looked at other models,  
9 we have looked at the HELP model and, oh, gosh and by  
10 glory, it's not very robust, but, boy, we've looked  
11 at the HELP model so we've done what 114(c) has  
12 required and under that contention the petitioner has  
13 a different viewpoint of what 114(c) should be doing,  
14 i.e., showing some performance and showing how that  
15 relates to what has to actually be done here to see  
16 whether the TSPA one and all this exoticness and  
17 inability to really handle changes with it as we've  
18 talked about the last two days is in the ballpark or  
19 not. And, if -- or whether there's better models  
20 that can and, if so, incorporate those as submodels  
21 into this vast program. Is that not a material  
22 dispute between the two parties that should be  
23 resolved at hearing?

24 >> MR. SILVERMAN: It is a question as to  
25 whether our failure or the level of consideration of

1 the model that we did not include, in your opinion,  
2 would violate the regulation to consider alternative  
3 models, and that's the judgment that has to be made,  
4 not evidentiary.

5 >> JUDGE MOORE: Mr. Silverman, at a  
6 minimum, with Judge Wardwell's example where you're  
7 obviously reading 114 to mean one thing and Nevada is  
8 reading it to be something else, isn't it a legal  
9 issue, contention, that we have to let in and resolve  
10 that?

11 Surely, we can't be resolving that --

12 >> MR. SILVERMAN: No, Your Honor, and I'll  
13 give you an example. I go to the simple ones.

14 >> JUDGE MOORE: Did you say yes or no?

15 >> MR. SILVERMAN: I said no.

16 >> JUDGE MOORE: It's not a legal issue  
17 that has to be resolved first?

18 >> MR. SILVERMAN: It is a legal issue.  
19 You may be able to resolve it without going to  
20 hearing. Maybe I misunderstood your question.

21 >> JUDGE MOORE: No, no, I'm talking  
22 contention admissibility and only contention  
23 admissibility. Judge Wardwell's example, at a  
24 minimum, don't we have this as a legal issue  
25 contention that's to come in and we've got to resolve

1 that legal issue before we can get to whether or not  
2 it was adequate?

3 >> MR. SILVERMAN: Are you asking me that,  
4 because of the existence of the legal issue, there is  
5 an admissible contention?

6 >> JUDGE MOORE: At least as a legal issue  
7 there is.

8 >> MR. SILVERMAN: Not necessarily, and let  
9 me give you a very, very brief and simple example  
10 because I'm not an engineer. There is a contention,  
11 Nevada contention, that says essentially you didn't  
12 file an emergency plan. I may be --

13 >> JUDGE MOORE: I understand. Let's --  
14 Dr. Wardwell, can we move on?

15 >>JUDGE WARDWELL: Yeah, I'm about ready to  
16 move on. That was just an example.

17 >> MR. SILVERMAN: It just may not be a  
18 genuine legal issue.

19 >>JUDGE WARDWELL: There are a couple more  
20 things on models I want to fix before we move on to a  
21 new subject area.

22 >> JUDGE MOORE: No, no, I'm going to use  
23 an example.

24 >>JUDGE WARDWELL: Of a model?

25 >> JUDGE MOORE: Well, of the legal issue

1 problem.

2 >>JUDGE WARDWELL: Okay.

3 >> JUDGE MOORE: He just brought up an  
4 emergency plan. I gave you one number off. I wanted  
5 to go to Nevada Safety 4. I had said five. We'll  
6 start with four. In a nutshell, that contention is  
7 labeled a legal issue and it fails -- that DOE's  
8 quality assurance requirements and description fails  
9 to comply with applicable quality assurance criteria  
10 because the SAR does not address repository  
11 operations, permanent closure, and decontamination  
12 and dismantling the surface facilities.

13 The DOE answer is essentially the same,  
14 it's beyond the scope because the application for  
15 construction authorization and contention -- the  
16 application is for construction authorization and the  
17 contention challenges aspects of the quality  
18 assurance program that relates to repository  
19 operation, closure and decontamination and  
20 dismantling the service facilities.

21 You also say that it fails to raise a  
22 material issue and to the findings that the NRC must  
23 make for essentially the same reason and it fails to  
24 raise the genuine issue of material factor law for  
25 the same reasons.

1           I'd like to walk through that regulation to  
2 show you the problem we have. Let's start with  
3 63.21. It's entitled content of application. If you  
4 go to 63.21(c), it states -- starts by saying that  
5 what the SAR must include. Then, if you look at  
6 63.21.20, it states that the SAR -- what the SAR must  
7 include with respect to quality assurance. And let's  
8 quickly turn to 20. It says, a description of the  
9 quality assurance program to be applied to the  
10 structures, systems, and components important to  
11 safety and to the engineered natural barriers  
12 important to the wayside installation. The  
13 description of the quality assurance program must  
14 include a discussion of how applicable requirements  
15 of 63.142 will be satisfied.

16           Then you go to 63.142 entitled quality  
17 assurance criteria. And it starts off -- it's easier  
18 for me to read my underlines -- 63.142 states in  
19 pertinent part that DOE -- it repeats verbatim  
20 63.21(c)(20). And then it says these activities  
21 include, and it begins to list things, but it lists  
22 facility operation, performance closure,  
23 decontamination, and dismantling the surface  
24 facilities. Then it states the description must  
25 indicate how the applicable quality assurance

1 requirements will be satisfied.

2 And, as part of its answer, DOE says that  
3 they don't have to deal with any of the last three,  
4 repository operations, closure and decontamination,  
5 dismantling and service facilities, and there is no  
6 description in the SAR of those, not even a  
7 description. And part of the argument turns to  
8 63.144 that's saying here 144 anticipates that there  
9 will be downstream changes made as the process goes  
10 along. The problem is that 63.144, in my opinion,  
11 starts out by saying changes to DOE's NRC-approved  
12 safety analysis report, quality assurance program,  
13 description are processed as follows.

14 Now, when you work your way through that,  
15 we have a regulation that requires a description of  
16 the QA program, and DOE is arguing that three of the  
17 named components that the regulation says must be in  
18 the description, they're going to do later, they're  
19 not here. That problem exists with many of the  
20 features of 63.21(c). And, in my view, it appears  
21 that DOE has read the word "description" out of the  
22 regulation for things that are downstream that deal  
23 with decontamination, for example, of the service  
24 facility; but the -- the regulation, the contents of  
25 the application, specifically the SAR, it says they

1 must be included.

2           Now, we're faced consistently, in my view,  
3 because I have waded through the contentions, and I  
4 think slogged is probably a better word, the  
5 contentions and the regulations with this kind of  
6 problem. Is that not simply because of the word  
7 "description"? And Judge Wardwell, I'm sure, will  
8 like to deal with you on what an adequate description  
9 is, but, clearly, if there's nothing there at all and  
10 it's required by a description, isn't that an  
11 admissible contention?

12           >> MR. SILVERMAN: It would be an  
13 admissible contention whether you reviewed this  
14 example or another example and were able to conclude  
15 that there was a legitimate question, a genuine  
16 dispute, about the -- whether there was a violation  
17 of the regulation or not.

18           >> JUDGE MOORE: Isn't it one step in front  
19 of that for contention admissibility? This is  
20 denominated as a legal issue. Isn't the first  
21 question, first and foremost question, what the  
22 regulation means and doesn't that put it into the  
23 admissibility category?

24           >> MR. SILVERMAN: No, Your Honor, it does  
25 not necessarily. It might. That's my point. You

1 may -- you can read some of these regulations. I  
2 admit 63 is a pretty complex set of regulations. You  
3 can conclude, I know what that means and this isn't  
4 the violation. There may be others where it's more  
5 difficult for you, but there are contentions that  
6 have been dismissed because they say a regulation  
7 requires something and it, in fact, doesn't. You may  
8 agree or not agree with us on this one. I haven't  
9 looked at the details of it.

10 But it's common practice, I believe, to  
11 have dismissed a contention at the admissibility  
12 stage because the board looks at an allegation of a  
13 violation of a regulation, reads the regulation, and  
14 says, I don't see a violation and not admit it.  
15 There may be some recalled for briefing. Judge  
16 Farrar mentioned on Monday there may be need for --

17 >> JUDGE MOORE: What's the definition of a  
18 legal issue contention?

19 Is it not, at least at a minimum, what a  
20 regulation means or doesn't mean, what a statute  
21 means, what a statute doesn't mean?

22 >> MR. SILVERMAN: It is a genuine dispute  
23 of material fact or law, a genuine dispute of law,  
24 and genuine implies, in my mind, that the board made  
25 some due diligence inquiry and thought about the

1 regulation and what it means. If you can't -- if  
2 have you difficulty resolving what it means, that  
3 makes it more difficult.

4 >> JUDGE MOORE: The problem is we are  
5 dealing in the context where we have this contention  
6 and you look at DOE answer and it says it's beyond  
7 the scope because we are only -- we don't have to  
8 deal with that now and it's not material because we  
9 don't have to deal with those three things now and  
10 it's not a genuine issue of material law or fact  
11 because we don't have to deal with those three things  
12 now.

13 >> MR. SILVERMAN: Uh-huh.

14 >> JUDGE MOORE: You -- that's all the  
15 answer says. There may well be a great deal of  
16 regulatory history behind this provision that's not  
17 revealed to us in the answers of the petitions and  
18 the replies, and, if we have to take time out on the  
19 hundreds of contentions that have been put before us  
20 and do all the legal research without benefit of  
21 brief, I am a bit old fashioned, as you know, and  
22 that's called flying by the seat of the pants, and I  
23 always prefer -- I don't always agree with counsel,  
24 as you well know, Mr. Silverman, but I certainly  
25 don't like to make judgments without knowing what

1 your position is.

2 And I thought it was, frankly, fundamental  
3 and elementary that a legal issue contention is to be  
4 dealt with by admissibility and we will deal with it.  
5 The history of legal issue contention in the  
6 regulations that recognizes them and certainly in the  
7 legislative history of the 1989 rule, specifically, I  
8 believe, states, if memory serves, that they are to  
9 be admitted and dealt with on briefing subsequent to  
10 admission. That doesn't mean you go to hearing.  
11 They just have to be dealt with, recognizing the need  
12 for them to be ventilated by brief.

13 >> MR. SILVERMAN: Your Honor, I  
14 respectfully disagree that that is the necessary  
15 result. I do agree in every case where there is a  
16 legal issue. We need to go back to the point, and  
17 you're going to probably chastise me for this, but  
18 the first burden is to look at the petition and  
19 satisfy yourself there is a fair claim of a violation  
20 or regulation. And --

21 >> JUDGE MOORE: I understand your  
22 position.

23 >> MR. SILVERMAN: And there may be legal  
24 issues that are easily resolvable, and I believe  
25 there are many contentions out there, and I'm just

1 basing this on my general experience -- I can't cite  
2 a particular example to you off the top of my head --  
3 where a contention has been dismissed at the  
4 admissibility stage because the board looked at it  
5 and said, it's not a violation, end of story. There  
6 have been many other examples as well where the board  
7 has said, don't have enough information, you need to  
8 add a brief.

9 >>JUDGE WARDWELL: If we resolve that there  
10 is a legal component associated with the  
11 admissibility of this contention, isn't the proper  
12 avenue, then, to have it admitted and then briefed?

13 >> MR. SILVERMAN: With all due respect,  
14 legal component is to, to fuzzy a term, if I may  
15 apologize.

16 >>JUDGE WARDWELL: You're accusing us of  
17 something fuzzy?

18 >> MR. SILVERMAN: Well, I understand. The  
19 regulation is clear. Implying it is difficult, is  
20 there a genuine legal dispute, a genuine legal  
21 dispute.

22 Just because there is a legal issue raised  
23 does not mean the contention gets admitted.

24 >> JUDGE MOORE: This one's easy because  
25 you didn't address those three subjects, I don't

1 believe. That's my next question. Can you tell me  
2 whether the QARD or the SAR describes anywhere  
3 facility operations, permanent -- with respect to QA,  
4 facility operations, permanent closure,  
5 decontamination, and dismantling the surface  
6 facility?

7 >>JUDGE WARDWELL: While you're searching  
8 that -- do you need some time for that? Because I'd  
9 like to ask a follow-up question in that interlude, a  
10 short one.

11 >> MR. SILVERMAN: I actually do need a  
12 break to confer, because I believe our technical  
13 people have an input for me that they think is  
14 important.

15 >> JUDGE MOORE: We can come back to it.  
16 They're alerted now.

17 >> MR. SILVERMAN: Yes, but I'm going to  
18 ask you to remind me because I've already forgotten  
19 it.

20 >>JUDGE WARDWELL: After a break, we'll  
21 come back to it, but, back to my statement, if we as  
22 a board deem that there still is a legal question due  
23 to our unfuzzy research into this, isn't the proper  
24 avenue then and really the only avenue to brief it as  
25 a legal question?

1           We wouldn't go to hearing on a legal  
2 question, would we, necessarily, we would brief it  
3 and resolve that and then that would allow us to make  
4 a decision on that part of it to see whether or not  
5 it then goes into the technical aspect of the genuine  
6 dispute.

7           >> MR. SILVERMAN: If you as a board  
8 conclude there's a genuine legal dispute, then that's  
9 the perfectly appropriate way to proceed --

10          >>JUDGE WARDWELL: That's all I want.  
11 Thank you.

12          >> MR. SILVERMAN: -- briefing it and  
13 resolving it after it's been admitted; but I would  
14 ask, if we are going to address Judge Moore's  
15 question, if you would indulge me and repeat it one  
16 more time.

17          Oh, I know, it's whether the QARD, the  
18 Q-A-R-D, includes content related to operations and  
19 the other items mentioned in -- anything other than  
20 construction and design. Closure.

21          >> JUDGE MOORE: Repository operation,  
22 closure and decontamination, and dismantling the  
23 surface facility.

24          >> MR. SILVERMAN: Thank you.

25          >>JUDGE WARDWELL: We'll come back to that,

1 I assume, after break.

2 To Nevada and some of your questions, don't  
3 you qualitatively indicate, and these are those  
4 contentions dealing with the TSPA model, don't you  
5 provide some qualitative outcomes that might resolve  
6 as whatever it is you're contending might change in  
7 your -- if it was changed the way you felt it should  
8 be, you say it would result in movement in one  
9 direction or another in regards to the outcome in  
10 some cases?

11 >> MR. MALSCH: Marty Malsch of Nevada. I  
12 believe that is generally true of our TSPA  
13 contentions. We always tried to state something at  
14 least qualitatively about what the implications were  
15 of our contention if true.

16 >>JUDGE WARDWELL: I don't think I agree  
17 with your statement that generally you did that.

18 I think there are cases where you have.  
19 That's where my question is coming from. Do you  
20 believe there are cases where you haven't provided  
21 any indication of the outcome?

22 >> MR. MALSCH: I think the answer is no.

23 But --

24 >>JUDGE WARDWELL: Under the assumption  
25 there are those that have provided absolutely no

1 indication of which way they should have gone, do you  
2 wish you had in that case?

3 Or was it your intent to have provided at  
4 least a qualitative effect of your contention on the  
5 outcome?

6 >> MR. MALSCH: I think, in every case when  
7 it was reasonably within our ability to do so, we  
8 made some statement about its implications.

9 >>JUDGE WARDWELL: If you didn't, would  
10 that be grounds for dismissal?

11 >> MR. MALSCH: I would say, generally, no,  
12 because usually we are dealing with a separate  
13 enforceable violation, one of the requirements of 114  
14 or 102 or 101. And, as long as we met -- provided a  
15 reasonable basis to believe that that requirement is  
16 not satisfied, then that a violation that of that  
17 requirement is disqualifying of the TSPA and really  
18 nothing more need be said about it.

19 The violation, itself, if supported,  
20 provides a material issue for admission of the  
21 contention. It would then be at the -- some later  
22 stage to resolve whether for some other reason the  
23 contention might not amount to anything or not fit  
24 within the scope of the regulation.

25 >>JUDGE WARDWELL: Thank you, Mr. Malsch.

1           Mr. Silverman, if, in fact, some component  
2     or input parameter to the TSPA model was flawed,  
3     let's just for the sake of argument say it is flawed,  
4     for whatever fashion and whatever that effect may  
5     have on the outcome of the TSPA, whether it shows  
6     that the resulting doses are less or more, isn't  
7     that, by definition, a viable -- doesn't that  
8     discredit the results of the TSPA model, because  
9     there are no reasonable assurances associated with  
10    those calculations and there is no indication of the  
11    level of uncertainty if, in fact, the parameters were  
12    flawed or if, you know, inadequate for whatever  
13    reason?

14           >> MR. SILVERMAN: Well, when you used the  
15    word "flawed," that harkens back to the board's  
16    question from one of the prior boards as to whether  
17    the assertion of an error and omission by itself, an  
18    error, a flaw, alleges a material dispute and a  
19    material dispute. I think our response to that is  
20    not necessarily. It depends. There are large and  
21    significant errors, and there are small and  
22    insignificant errors.

23           >>JUDGE WARDWELL: And I heard that, so I  
24    don't think we need to repeat that, so I want to ask  
25    the follow-up on that.

1 >> MR. SILVERMAN: I think it's the same  
2 question.

3 >>JUDGE WARDWELL: Yeah, I want to follow  
4 up on that, then. But we won't know what the impact  
5 of those -- potentially, we may not know what the  
6 impact of those are unless we start looking at the  
7 merits of it, and, even then, it may be difficult to  
8 ascertain. I raised a legitimate concern about  
9 whether or not those results, by themselves, are  
10 adequate, even if there is an indication that you may  
11 end up with a lower dose associated with the correct  
12 parameters.

13 >> MR. SILVERMAN: The question is whether  
14 it's material or not, and I think you have to start  
15 by looking at the petition, itself, and whether it's  
16 adequately pled, and I don't know whether I'm  
17 plagiarizing from language from Nevada's pleadings or  
18 not, I think I might be, but, you know, there is an  
19 error that occurs, assume an error occurs, a very  
20 small error, if you're measuring as the distance  
21 between atoms, that may be a significant error. If  
22 you're measuring distance between two planets, it  
23 would be completely inconsequential. It would not go  
24 to the integrity of the analysis that you're doing to  
25 measure that distance. It wouldn't be material, and

1 it wouldn't be a genuine material dispute, and so  
2 that goes to sort of the 63.114 type of criteria that  
3 you have to make hard decisions on.

4 >>JUDGE WARDWELL: Let's get to reality,  
5 though, that we don't have those situations that are  
6 as clear-cut as to whether we're measuring between  
7 atoms or planets. And so we're in this la-la land  
8 where it's not intuitively obvious which way it is  
9 certainly at the contention and admissibility stage.  
10 By definition, doesn't that say we ought to go to  
11 hearing to find out that, to find out is it atoms or  
12 planets?

13 >> MR. SILVERMAN: The only problem I'm  
14 having with this discussion is, and I'm sure it's not  
15 intended by the board, because I think the board  
16 understands the principle as well or better than I  
17 do, is that, at this stage of the proceeding, if  
18 you're talking about what the applicant -- how has  
19 the applicant responded, you know, the petitioner has  
20 the initial pleading burden to demonstrate -- to  
21 demonstrate -- that the 2.309 criteria are met, so  
22 the first thing you must do in making these decisions  
23 is look at that petition and analyze it, and they  
24 must meet their burden before that contention is  
25 admissible. And we don't seem to be talking to that.

1           We seem to be talking an awful lot about  
2 what the applicant's response is.

3           >>JUDGE WARDWELL: And I think we haven't  
4 because I think that's second nature to us.

5           >> MR. SILVERMAN: Okay, fine. Then it  
6 doesn't need to be stated further.

7           >> JUDGE MOORE: Let's go to Nevada Safety  
8 5 as another example. It's titled emergency plan.  
9 And, in a nutshell, it also is labeled a legal issue  
10 that SAR subsection 5.7 essentially contains a mere  
11 commitment to develop an emergency plan as opposed to  
12 a plan itself or even a description of the plan.

13           And then it lists, I believe, seven items  
14 that the State of Nevada feels should be included in  
15 the description. Without needing to again work our  
16 way through the regulation, because it parallels what  
17 the QA regulation is, 63.21(c)(21) requires, among  
18 other things, that the license application include a  
19 description of the plan for responding to and  
20 recovering from radiological emergencies. And  
21 63.21(a), of course, requires the application to be  
22 as complete as possible in the light of the  
23 information that is reasonably available at the time  
24 of docketing.

25           We have these seven that are listed. Let's

1 just look at the second one in the list that Nevada  
2 lists maps identifying primary routes for emergency  
3 response access or evacuation are missing from the  
4 SAR subsection 5.7.2.2.4. When you go to those  
5 sections, you find that there is a description that  
6 says something along the lines that the plan will  
7 include a general map and the map will identify  
8 primary routes of access for emergency response  
9 equipment. Nevada is calling for a map, and I think  
10 the question really goes to how complete the  
11 description has to be to be adequate, to be a  
12 description.

13 Now, a map is a shortcut for showing the  
14 primary access route for emergency response equipment  
15 or a very complete description, for example, would be  
16 that the routes will go from X to Y in Nye County and  
17 from Y in Nye County to someplace in Clark County,  
18 they will be over secondary roads; and you can go on  
19 and on in that vein. A map, on the other hand, cuts  
20 to the quick and shows exactly where they are, what  
21 valley they go through, what mountains they go over  
22 or don't go over, et cetera.

23 One of the things that is nowhere to be  
24 found in the answers except in totally conclusory  
25 fashion is what's the adequacy of the description?

1           What is an adequate description? The  
2 regulation just says there has to be a description.  
3 It doesn't say it's got to be an inadequate  
4 description. It doesn't say it's got to be an  
5 adequate description. And, Mr. Silverman, you're  
6 smiling because you're saying a description is a  
7 description.

8           >> MR. SILVERMAN: No, I'm not.

9           >> JUDGE MOORE: But we're left to decide  
10 at the contention admissibility stage, essentially,  
11 the adequacy of the description with no guidance.

12          >> MR. SILVERMAN: Your Honor, on this one,  
13 you are correct, the regulation only calls for a  
14 description and it doesn't define precisely what  
15 should be in that description. We think we provided  
16 an adequate description.

17          >> JUDGE MOORE: Nor is the word  
18 "description" ever defined.

19          >> MR. SILVERMAN: That's correct. But it  
20 is something less than a full emergency plan, and  
21 there is no debate about.

22          >> JUDGE MOORE: It's a description, that  
23 is true.

24          >> MR. SILVERMAN: And what we showed and  
25 which we think demonstrated that there was no

1 material fact -- I thank you for finally picking one  
2 that I am familiar with -- is we cite to SAR section  
3 5.7. We indicate -- we say several things in  
4 response to this. One of the things is we've got 59  
5 pages of detail covering all the of the 16 applicable  
6 emergency planning criteria that are in the  
7 regulation.

8 >> JUDGE MOORE: And I read all 59 pages of  
9 it, and one of the things that struck me in your  
10 answer and in the staff's answer was not one of these  
11 seven items that are claimed to be inadequately  
12 described or addressed in your answer.

13 >> MR. SILVERMAN: I think you are saying  
14 not one of these items was --

15 >> JUDGE MOORE: Addressed.

16 >> MR. SILVERMAN: -- in the description,  
17 is that what you're saying?

18 >> JUDGE MOORE: No. In your answer, you  
19 don't describe -- you don't address any of these  
20 seven items. And, now, you talk all around them, but  
21 these seven items are not addressed.

22 >> MR. SILVERMAN: Well, my response, and  
23 most or all of this is derived from my answer, is  
24 that Nevada lists the items, which DOE commits to  
25 provide at a later date, the seven items. Our view

1 is they don't show the information is required. That  
2 is their burden to show it's required by the  
3 regulation initially, albeit the regulation may be  
4 vague, nevertheless, it's their burden. The precise  
5 content of the description isn't defined, and I know  
6 that, in this particular case, it is not at all  
7 uncommon for these types of details to be included in  
8 a final emergency plan. Where do you draw the line?

9           If you take this too far, the description  
10 is the whole emergency plan, we have to submit a  
11 whole emergency plan. There has to be a reasonable  
12 line drawn somewhere. I mean, Nevada can point out  
13 any number of -- since it is a description and it is  
14 something less than a full emergency plan, then  
15 clearly Nevada can always find something that wasn't  
16 included, and it's up to the board to decide whether  
17 we provided a reasonable and adequate description. I  
18 think, when they -- when you see those words, it's  
19 reasonable, have we provided a reasonable and  
20 adequate description for the purposes that the  
21 regulation calls for, recognizing that a full  
22 emergency plan will be coming at a later date.

23           You know, issues like -- one of the other  
24 things they mention is establishing letters of  
25 agreement and MOUs. It is -- letters of agreement

1 with police, fire, other local community, public  
2 service agencies, hospitals, and the like, ambulance  
3 services, this is all the kind of thing that I have  
4 never seen in an application except in the emergency  
5 plan itself and not until the emergency plan itself  
6 was issued.

7           Similarly, precise evacuation routes.  
8 They're asking for things, in our view, that clearly  
9 are regular recognized components of a full emergency  
10 plan, and the bottom line on this is we don't think  
11 they met their burden to show that this regulation is  
12 violated.

13           >> JUDGE MOORE: Is it a legal issue as to  
14 a question of what is an adequate description?

15           >> MR. SILVERMAN: It certainly has a legal  
16 component to it, yes.

17           >> JUDGE MOORE: Mr. Malsch, do you have  
18 anything to quickly add to this before we move on?

19           >> MR. MALSCH: Just a brief comment. But  
20 I think what has occurred here is that DOE is  
21 inviting the board to decide the merits of our  
22 contention at the contention admissibility stage.

23           >> JUDGE MOORE: Quickly look at Nevada  
24 Safety 36. This is -- will be one of -- my question  
25 falls into the category of puzzlement. The

1 contention challenges the verification and validation  
2 of the net infiltration model. Now, unlike almost  
3 all of the Nevada contentions challenging various  
4 aspects of various DOE models, Nevada Safety 36 does  
5 not contain the standardized language at the end of  
6 the contention that, because the TSPA is a complex,  
7 nonlinear model and the changes and the results  
8 obtained vary both as a function of time post-closure  
9 and from realization realization to realization  
10 within a modeling case, et cetera. Why?

11 >> MR. MALSCH: Marty Malsch, Nevada.  
12 Judge Moore, I can answer that question.

13 >> JUDGE MOORE: There I think I found  
14 either three or five, I can't remember, examples in  
15 the Nevada contentions that didn't have it, and I was  
16 puzzled why.

17 >> MR. MALSCH: I think there are actually  
18 more than that.

19 We did make a careful distinction. We  
20 asked ourselves, putting aside whether or not it was  
21 required, whether we could actually take the TSPA  
22 model, modify it to include our contention, assuming  
23 it's true, and attempt to demonstrate quantitatively  
24 the results on doses or releases. The first thing we  
25 discovered in thinking about that question was that a

1 whole bunch of our contentions, and it's -- I don't  
2 remember how many, but several of -- a bunch of them,  
3 and this would be an illustration, were, if true, so  
4 utterly destructive of the TSPA that it was not even  
5 possible to imagine how one could modify the TSPA in  
6 a way that could give us any dose calculation.

7 Others of our contentions, and these are  
8 the ones listed in I think it's appendix C to  
9 Dr. Thorne's affidavit, but they all contain the  
10 standard paragraph, and it was put in there carefully  
11 and deliberately because we fought for those  
12 contentions, such a thing would be at least  
13 theoretically possible because the contention was not  
14 so totally destructive; and then we attempted to  
15 explain, I think successfully, why it was simply not  
16 possible to do an effective job in demonstrating  
17 quantitative effects on doses or releases.

18 >> JUDGE MOORE: I have a series of  
19 miscellaneous questions that are -- that I don't have  
20 answers for. These require just very, very quick  
21 answers.

22 DOE, on Nevada Miscellaneous 2 entitled  
23 alternative waste storage --

24 >> MR. SILVERMAN: I'm sorry, the title of  
25 it again?

1 >> JUDGE MOORE: Nevada Miscellaneous 2  
2 entitled alternative waste storage. It's labeled  
3 again as a legal issue. In its answer, DOE argues  
4 that Nevada's contentions are outside the scope of  
5 the proceeding because the contention amounts to a  
6 challenge to the waste -- Nuclear Waste Policy Act  
7 that requires DOE to design and construct the  
8 repository so as to permit the retrieval of spent  
9 nuclear fuel.

10 In replying, Nevada argues that the  
11 question of whether Section 122 of the Nuclear Waste  
12 Policy Act, if violated, goes to the merits of the  
13 legal issue contention, not whether the contention is  
14 within the scope of the proceedings. Why is Nevada  
15 wrong?

16 This goes back to the problem I had before  
17 you before of legal issue. I have looked at the  
18 statutes, those that are cited, the arguments  
19 briefed, though they are in the answers and the  
20 replies, and the conclusion I come to is I'm going to  
21 have to scratch my head a great deal and work my way  
22 through these statutes and I want to look at the  
23 legislative history. Why is that just not a classic  
24 example, again, of a legal issue and why is Nevada's  
25 argument that, your arguments, that it go to the

1 merits of the legal issue, not whether it's a legal  
2 issue contention?

3 >> MR. SILVERMAN: I'm not familiar without  
4 going back and re-reading our arguments, but I would  
5 say that --

6 >> JUDGE MOORE: Perhaps that's unfair.

7 >> JUDGE FROEHLICH: -- this might be a  
8 convenient time to break, but, because we have quite  
9 a number of items left, I'd ask that we take a  
10 ten-minute recess at this point and come back at 25  
11 minutes to 4:00 by the clock in the back. We'll be  
12 in recess.

13 [ Recess taken ]

14 >> MR. SILVERMAN: Yes, Your Honor.

15 >> JUDGE MOORE: Yes or no? It's there or  
16 not.

17 >> MR. SILVERMAN: The answer is 62. No.  
18 One brief, one very brief comment before I move on.  
19 I just hope the Board recognizes that -- and I know  
20 the Board recognizes, and I probably speak for all  
21 the counsel that when it's difficult for us to  
22 respond on a particular contention as effective as we  
23 like.

24 >> JUDGE MOORE: I absolutely understand.

25 >> MR. SILVERMAN: But let me respond to

1 this one because I just want to briefly refer you to  
2 what we said. The answer to the question is, whether  
3 the quality assurance report, the quality assurance  
4 requirements document contains a discussion of  
5 quality assurance provisions beyond operation into as  
6 I said, beyond construction, operation, closure, and  
7 both closure, decommissioning is no.

8 >> MR. MOORE: That's all I need to know.

9 >> MR. SILVERMAN: I would like to point  
10 out -- you know what was referred to in our Answer,  
11 then the Yucca Mountain review plan provision?

12 >> JUDGE MOORE: I do.

13 >> MR. SILVERMAN: Thank you.

14 >> JUDGE MOORE: Clark County, your Safety  
15 Contention 2, DOE's answer quotes an SAR subsection  
16 and that quotation ends with a citation to BSC2007-A  
17 Section 6.5. In your reply, you point out  
18 that -- without citation, that what is cited in the  
19 SAR by DOE is the same e-mail that is the substance  
20 of your contention.

21 Can you tell me what the BS C2007-A Section  
22 6.5 citation is? If you can't, the question will be  
23 asked of DOE also. We have no idea what that is.

24 >> MS. ROBY: I would have to check with  
25 one of my counsel behind me, if that's all right.

1 >> JUDGE MOORE: DOE, do you have any idea,  
2 this is the one that involves an e-mail from two  
3 individuals, one of whom is a DOE, one of whom is at  
4 the Air Force about the test, the Nevada test site.  
5 And their contention is I believe ground to ground  
6 missiles.

7 >> JUDGE FROEHLICH: Okay, it's been  
8 displayed.

9 >> JUDGE MOORE: Here it is up on the  
10 screen. This is what the section says and the site  
11 is BS C2007A Section 6.5. We have no idea what that  
12 is and where we can find it and what it says.

13 >> MR. SILVERMAN: We'll have to check the  
14 record system, and give you that precise reference.

15 >> JUDGE MOORE: We would appreciate that  
16 because Clark County, in their Reply, as I said,  
17 indicates that that, I believe, if I'm reading that  
18 Reply correctly, is just referring to the same e-mail  
19 that is an LSN document.

20 >> MR. SILVERMAN: State of Nevada.

21 >> MR. LAWRENCE: Nevada, Yes, John  
22 Lawrence. I believe I know what that reference is.

23 >> JUDGE MOORE: Please.

24 >> MR. LAWRENCE: Typically, I' ve  
25 found those references at the end of that SAR

1 section. So at the end of 1.1 or 111, or whatever  
2 the appropriate subsection is to find references, you  
3 will find all the referenced documents in an  
4 alphabetical listing.

5 >> JUDGE MOORE: Thank you. I appreciate  
6 that. DOE, look at Nevada Miscellaneous One  
7 erosion and geologic disposal. This is Nevada's  
8 contention that says in 50,000 to a million years,  
9 the overburden will erode away, leaving the cask  
10 exposed, thereby it doesn't meet the definition of a  
11 geological repository.

12 One of your responses I found quite  
13 puzzling; it was that this is a direct challenge to  
14 DOE's site recommendation and as a result, it's  
15 outside the scope of the proceeding. If that  
16 argument's accepted, doesn't it also mean that the  
17 NRC could find that the predicted erosion rates make  
18 the site unsuitable, yet be powerless not to issue  
19 the construction permit on the same ground?

20 >> MR. SILVERMAN: Let me scroll down a bit  
21 and see what our Answer is, what you are referring  
22 to, Your Honor.

23 Your Honor, my off the cuff answer to this  
24 is there is a provision in the EPA that says the  
25 citing decision isn't easy to be challenged, that the

1 citing decision was decided by Congress and it is a  
2 challenge --

3 >> JUDGE MOORE: Okay. So for the sake of  
4 argument, I accept that. And doesn't that also mean  
5 that if the staff were to find that the erosion rates  
6 at Yucca Mountain that predicted by DOE were  
7 unacceptable, that they're powerless not to grant you  
8 a construction permit for the same reason?

9 >> MR. SILVERMAN: I'd say that would  
10 probably be an issue for Congress to deal with at  
11 that point if that was the way it was defined.

12 >> JUDGE FROEHLICH: I was going to follow  
13 up on the Clark Safety 2, which had to do with  
14 ground-to-ground missiles in that curad site, but I  
15 would like to switch to maybe Nye Joint Safety 6,  
16 please. And that one deals with potentials for  
17 aircraft crashes of a Category 2 event sequence.  
18 Could you in just a sentence or two, Counsel for Nye,  
19 summarize your concerns?

20 >> MR. VANIEL: Jeff VanNiel for Nye County,  
21 Your Honor. Essentially our concern YOur Honor is  
22 DOE in the LA assumes the flight restrictions will  
23 exist, yet, has not shown that it actually has the  
24 authority to implement those restrictions at this  
25 time.

1 >> JUDGE FROEHLICH: And then I would ask  
2 DOE what assurances are there in the LA concerning  
3 restrictions in place to prevent over flights over  
4 the repository and is that different from the  
5 restrictions that are referenced in that test site in  
6 general?

7 >> MR. SILVERMAN: Your Honor, I can only  
8 presume that we have provided in our Answer the  
9 restrictions that exist and that we're relying on at  
10 this time and that they are based upon a license  
11 application with a reference. I really don't know  
12 the answer to your question.

13 >> JUDGE FROEHLICH: Can you enlighten me  
14 to the DOE's authority to implement airspace  
15 restrictions? Is that something within the DOE's  
16 control or is this an Air Force control or FAA?

17 I'm unclear where to find the resolution to  
18 this whole question on the contentions that raise  
19 airspace questions.

20 >> MR. SILVERMAN: I would have to consult  
21 to get you an answer on that, Your Honor, I'm sorry.  
22 Bear with me one second.

23 >> JUDGE WARDWELL: While you are  
24 discussing, if I might go back to Nye, would you be  
25 comfortable, if in fact, they did show that there was

1 a link with the -- achieving air restrictions from, I  
2 assume, would be FAA, that that would resolve your  
3 contention?

4 >> MR. VanNIEL: Jeff vanNiel for Nye  
5 County, Your Honor. Yes, Your Honor, if there was  
6 some binding commitment that they were able to show  
7 that they would, in fact, have that authority. But a  
8 mere commitment akin to the land use questions that  
9 came up before, a commitment that they'll give  
10 something in the future doesn't provide us with the  
11 comfort factor that we feel we need, given the fact  
12 that the repository is presently designed for those  
13 restrictions to be in place.

14 >> JUDGE WARDWELL: How about a documented  
15 history of the ability of a federal agency to get an  
16 air restriction when requested from the FAA for  
17 things such as cruise missile testings, military  
18 operational areas, sensitive areas, presidential  
19 retreats, that type of thing.

20 >> MR. VanNIEL: Jeff vanNiel again for Nye  
21 County, Your Honor. As one of the other panels  
22 mentioned, either yesterday or the day before, there  
23 have been other incidents in which federal agencies  
24 were unable to agree at times when it was necessary  
25 for things to occur.

1           So the assurance that they will be able to  
2 do is in the future is what gives rise to our  
3 concern, that they don't actually have that authority  
4 at this time.

5           >> JUDGE FROEHLICH:   DOE?

6           >> MR. WARDWELL:   We can possibly get  
7 everyone conferring, we can go home, leave, go out  
8 the back door.

9           >> MR. VanNIEL:   Part of our concern, Your  
10 Honor, is that the DOE referenced authority that they  
11 used in their Answer to our contentions relates to  
12 their control over the test site and not with respect  
13 to the repository, itself.  And part of the other  
14 concern is that the Air Force is the party, part and  
15 parcel with the FAA that needs to be the people that  
16 agree to those flight restrictions.  And you know,  
17 the fact that they have control over what happens at  
18 the airspace, at the test site, doesn't necessarily  
19 mean they have control over the airspace at Yucca  
20 Mountain.

21           >> MR. WARDWELL:   Is there any controlled  
22 airspace above Yucca Mountain at this time?

23           >> MR. LIST:   Your Honor, Robert List from  
24 Four Counties.

25           >> JUDGE FROEHLICH:   I'd like to finish

1 with him. If they aren't able to answer, then I'll  
2 get to you.

3 >> MR. VanNIEL: Jeff VanNiel for Nye  
4 county. It's my understanding, Your Honor, there is  
5 no control over the airspace above Yucca Mountain  
6 because of Yucca Mountain. The only control DOE  
7 would exert at this time is because of its ability to  
8 control for the test site.

9 >> JUDGE FROEHLICH: You misunderstood my  
10 question.

11 >> MR. VanNIEL: I'm sorry.

12 >> MR. WARDWELL: Are there any FAA  
13 controlled restrictions for flights over the Yucca  
14 Mountain airspace at this time?

15 Is it a controlled airspace above there at  
16 this time?

17 >> MR. VanNIEL: I understand, there is,  
18 Your Honor. I'm just trying to get specific  
19 references to who that party is controlling it.

20 >> MR. WARDWELL: I don't think I need that  
21 because I think it's probably clear that it is a  
22 military operated area or a missile operated area.

23 >> MR. LIST: Robert List from Four  
24 Counties. My understanding is -- I speak as a pilot,  
25 it is a -- it's currently a restricted area by the

1 FAA because of the Air Force activity and the test  
2 site activity.

3 >> JUDGE FROEHLICH: Thank you. I'd like  
4 to hear from DOE.

5 >> MR. SILVERMAN: I think that's pretty  
6 consistent which I'm being told by our people, which  
7 is there is a restriction established by the  
8 FAA which is controlled by the Department of Energy  
9 which covers the GROA area, the surface area at this  
10 time. There is a specific restriction for air  
11 flight.

12 >> JUDGE MOORE: Is that in your Answer?

13 >> MR. SILVERMAN: Not from a quick look,  
14 Your Honor. It may be there.

15 >> MR. WARDWELL: Yet, you are requiring  
16 something different. You're taking away from the Air  
17 Force what they now -- the airspace they own and  
18 taking it away from their operations. Isn't that the  
19 contention from Nye that's Aruba's problem?

20 >> MR. SILVERMAN: I'd like to see the  
21 contention again. I would say one of the things we  
22 do say in the Answer is that we commit to certain  
23 specific restrictions that will be established, I  
24 think, as conditions -- I think as conditions of the  
25 license application.

1           And it's not unusual in an application to  
2           make certain commitments to achieve, do certain  
3           things in the future that are not in place at the  
4           time the application is filed.

5           >> JUDGE MOORE:   Okay.   Are --

6           >> JUDGE FROEHLICH:   You have to follow --  
7           is there a requirement for a follow-up beyond the FAA  
8           would be the Air Force because of the current  
9           situation and the current control of the airspace, is  
10          that correct?

11          Or did I miss something from your Answer?

12          >> MR. SILVERMAN:   My understanding from  
13          our Answer that there is additional -- that there are  
14          additional commitments, agreements, restrictions that  
15          will be needed before we receive the license to  
16          receive and possess.   And that's not construct.   And  
17          that's the argument that we make in our Answer.   Of  
18          course that's when the hazard is in.

19          >> JUDGE MOORE:   Is all of this figured  
20          into the aircraft crash analysis?

21          >> MR. SILVERMAN:   I'd have to get someone  
22          up here to talk to you about the specifics of what  
23          went into the air crash analysis.

24          >> JUDGE FROEHLICH:   I'd like to ask of the  
25          Commission staff, to clarify for me their response to

1 Nye Safety 1 and 2, where you did not oppose the  
2 admission of those contentions and Nye Safety 3 and  
3 primarily and to a lesser extent 4, where you had  
4 some, I guess, had some concerns in a post-admission.

5 Although, in the staff response, you said  
6 that Nye Safety 3 was virtually identical to 1 and 2.

7 Could you explain a little more of your  
8 reasoning for your position on these contentions?

9 >> MR. LENEHAN: Your Honor, this is Dan  
10 Lenehan for the staff. Could you give us one moment  
11 to pull up the contentions and our responses and we  
12 can respond after we see what we have here.

13 >> JUDGE FROEHLICH: Indeed, if you'd like  
14 the Clerk to pull up your response, let me know.

15 >> MR. LENEHAN: The contention and the  
16 response, one at a time, please, Your Honor.

17 >> JUDGE FROEHLICH: Mr. Lenehan, why don't  
18 you take a moment. Judge Moore, why don't you ask  
19 the next question so we can move this along?

20 >> JUDGE MOORE: Mr. Malsch, I have a  
21 question with Nevada Miscellaneous 1, Erosion and  
22 Geological Disposal. You denominated as a legal  
23 issue but it is entirely premised on the validity of  
24 your Nevada Safety 41, which is the erosion question.

25 I don't think I have ever seen something

1 called a legal issue that required a factual premise  
2 to be accepted. Usually, it's the reverse of that.  
3 The legal issue is decided so that you can determine  
4 what the factual situation will -- how it will sort  
5 itself out.

6 Here, assuming the Nevada Safety 41, which  
7 is the factual component of the erosion rates were  
8 found to be valid, the legal issue you pose is  
9 irrelevant.

10 If the factual premise is found to be  
11 invalid, the legal question is irrelevant. So how  
12 can this be a legal issue?

13 >> MR. MALSCH: Marty Malsch for the State  
14 of Nevada. I think it's a bit more complicated than  
15 that.

16 First of all, the legal issue posed in the  
17 contention does have a factual premise. And the  
18 factual premise is as stated in the other contention.  
19 The complication is that the other contention is a  
20 TSPA contention and as drafted and if you consider  
21 DOE's Answer in the staff's Answer, it is susceptible  
22 to we would say, invalid, but anyway, arguments by  
23 DOE with respect to particular aspects under Part 63,  
24 dealing with the admissibility of TSPA contentions.

25 None of those considerations would have any

1 bearing on the legal issue because the legal issue we  
2 are raising is purely based upon a factual showing  
3 outside of the scope of Part 63.

4 So let me put it this way: You could, if  
5 the contention upon which it relies is not successful  
6 on its factual merits, putting aside legal niceties  
7 associated with Part 63, i.e, we're simply wrong  
8 about erosion and the legal issue goes away.

9 If for some reason the premise  
10 and the other contention is not allowed or loses on  
11 the merits because of the peculiar provisions in Part  
12 63, there would still be the issue of putting Part 63  
13 aside as a factual matter, we are correct or not  
14 about erosion.

15 Now the easiest way to resolve the issue is  
16 to ask the question and litigate the question whether  
17 or not we are, in fact, right about erosion. If we  
18 are right, then the legal issue is posed. And then  
19 there is the further -- it's clearly there for that  
20 particular legal issue and then we could address  
21 further the question whether there are some other  
22 unrelated problems with the underlying contention  
23 associated with Part 63.

24 Let me give you an illustration. Let us  
25 suppose the underlying contention is -- loses on the

1 merits because we have not established it as a valid  
2 FEP. That would be dispositive I think under Part  
3 63.

4 But it would not be dispositive of our  
5 legal issue because the legal issue simply poses the  
6 question whether erosion will or will not occur,  
7 quite apart from what 63 requirements may be.

8 So there's not an exact one-to-one match.

9 >> JUDGE MOORE: Have you ever seen a legal  
10 issue contention that had a factual premise that had  
11 to be demonstrated before the legal issue had any  
12 meaning, because in my experience, I can -- they are  
13 all the reverse.

14 >> MR. SILVERMAN: I can't think offhand of  
15 any one. I can think also of no other way to state  
16 the contention.

17 >> JUDGE FROEHLICH: Mr. Lenehan, do you  
18 have an answer or do you need a little more time?

19 >> MR. LENEHAN: Could you repeat the  
20 question, Your Honor?

21 >> JUDGE FROEHLICH: I was seeking a little  
22 clarification of why the Staff did not oppose a Nye  
23 Safety 1 and 2 but opposed a Nye 3 and 4, where as it  
24 states at page 1034 of your Answer, at least as to 3,  
25 they're virtually identical.

1 >> MR. LENEHAN: The difference, Your  
2 Honor, is --

3 >> MR. ROACH: The difference Your Honor --  
4 Kevin Roach for the NRC staff. The difference, is  
5 Your Honor, in Nye Safety 3 as opposed to 1 and 2,  
6 they attacked the underlying model and this is not  
7 the case in 1 and 2.

8 >> JUDGE FROEHLICH: Would Nye would care  
9 to respond?

10 >. MR. ANDERSEN: Your Honor, this is Rob  
11 Anderson on behalf of Nye County requesting to be  
12 able to speak even though Mr. VanNiel is the primary  
13 speaker today.

14 >> JUDGE FROEHLICH: At this point as long  
15 as it's quick, please proceed.

16 >> MR. ANDERSON: Nye 1 and 2 and 3 all  
17 deal with the adequately of currently existing of  
18 performance confirmation planning. And it's correct  
19 as NRC's staff has stated that 1 and 2 deal with  
20 matters that are not a part of the TSP and that Nye 3  
21 does involve challenge to aspects of the cite scale  
22 model, but we believe that it is alleged and has  
23 provided the factual support that would indicate that  
24 it shows an inadequacy in the plan at this point in  
25 time.

1 >> JUDGE FROEHLICH: Is there anything that  
2 you care to add at this point?

3 >> MR. LENEHAN: No, Your Honor, thank.

4 >> JUDGE WARDWELL: I have a few questions  
5 dealing with issues that are covered in a number of  
6 contentions. And I'm sorry I don't have reference TO  
7 those contentions, but hopefully, we'll be able to  
8 get some insight into what's trying to be resolved  
9 here.

10 The first one deals with, and I'll address  
11 this to Mr. Malsch or whoever else in Nevada would  
12 like this respond to this, but I believe you've  
13 raised a contention or multiple contentions that  
14 relate to the failure of some SSC, System Structure  
15 Component during the pre-closure period, such as  
16 whatever you else you want to pronounce the acronym  
17 with the conclusion that this will affect the TSPA  
18 later on by preventing canister placement and the  
19 operations of the tunnel because of any failure of  
20 components that were used during operations.

21 This raises the question of -- and in the  
22 process of addressing those contentions, it raised  
23 the question of whether or not maintenance has been  
24 considered, but there was no discussion of that in  
25 your contention whatsoever.

1           And it struck many of us that well, if one  
2 of these systems broke down, then why not, they have  
3 some maintenance plan?

4           Why wouldn't maintenance cover that so they  
5 don't repeat any operation that then may influence  
6 how the model is set up and addressed during the  
7 post-closure period?

8           >> MR. MALSCH: Again, Marty Malsch from  
9 the State of Nevada. It's hard to answer your  
10 question precisely, but in the abstract, it seems to  
11 me there would be two questions raised.

12          >> MR. WARDWELL: Well, let me, look, can I  
13 chunk it down for you then. Do these types of  
14 contentions come to mind?

15          Do you understand the type of contention  
16 I'm dealing with? Something is going to break during  
17 operations is going to affect post-closure.

18          >> MR. MALSCH: Right. I understand  
19 generally what we're talking about. And I think --

20          >> MR. WARDWELL: And what about  
21 maintenance not repairing those types of things so it  
22 doesn't affect post-closure? That's my question.

23          >> MR. MALSCH: That would be an issue. I  
24 guess the question would be -- I don't recall what  
25 DOE said in its Answer about whether maintenance

1 would cover those activities.

2 I would say that if the SAR discussed the  
3 problems, and then provided that there would be a  
4 reasonable solution to those problems in terms of  
5 maintenance, and our contention didn't address the  
6 maintenance question, then our contention has a  
7 problem.

8 >> MR. WARDWELL: DOE, do you remember  
9 those contentions and how you responded to them?

10 >> MR. SILVERMAN: I personally don't  
11 recall a specific contention. I don't recall whether  
12 we mentioned maintenance or not. I would -- I don't  
13 know if this is helpful or not, but one thought on  
14 this kind of a contention, unless that SSC has been  
15 alleged to have been wrongly identified as  
16 non-important to waste isolation, then that  
17 contention is inadmissible.

18 >> MR. WARDWELL: I'm not sure that's  
19 necessarily the issue we are trying to resolve. I  
20 think we got enough guidance from Nevada, however, to  
21 help us them to assess these contentions.

22 Sticking with DOE, I think for the next  
23 one, there are things called performance margins  
24 analysis, analyses. Could let me know what those  
25 are? And then it goes on in regards to I think your

1 position and these are not required to demonstrate  
2 compliance with Part 63. And then I want to explore  
3 that a little more.

4 So if you can start by telling us what  
5 those are and why, why aren't they needed to  
6 demonstrate compliance with Part 63?

7 >> MR. ZAFFUTS: Sure. Paul Zaffuts for  
8 DOE. The performance margin analysis, I cannot tell  
9 you whether there are more than one. I believe there  
10 is only one. It's one assessment. It's -- it's not  
11 required -- it is an assessment that was done outside  
12 of the TSPA. It's not a TSPA assessment. We're not  
13 relying on it and SAR doesn't rely on it and it's  
14 very clear it's not relied upon for Part 63  
15 compliance, meaning, we don't use it to assess or  
16 determine whether we need the ultimate mean dose  
17 requirements.

18 It's also not used to -- under the cord 2-A  
19 Program under the Q. A. Validation of TSPA, but it is  
20 used to instruct and inform, it was used to instruct  
21 and inform the Department as to the conservatisms and  
22 to try to assess the nature of the conservatisms that  
23 are in the TSPA, specifically conservatisms in there  
24 by running this separate assessment with those  
25 conservatisms or with the data or other types of

1 things that do not include those conservatisms. So  
2 it was just a way to get some qualitative assessment.  
3 As I said it was not used. Nowhere in the SAR does  
4 it suggest that it was used for determining or  
5 demonstration of Part 63 requirements.

6 >> MR. WARDWELL: Help me understand what  
7 these are. Could you describe the similarities  
8 and/or the differences between the PMA and the  
9 uncertainty analysis and the sensitivity analyses  
10 that were performed?

11 No is an answer.

12 >> MR. ZAFFUTS: No.

13 >> MR. WARDWELL: Nevada, do you recall a  
14 contention or contentions that you submitted that  
15 related to the PMA?

16 >> MR. MALSCH: I'm Marty Malsch from  
17 Nevada. I believe we have two contentions addressed  
18 to the performance margin analysis. And I don't have  
19 them in front of me, but, oh, yes, they're in Nevada  
20 170 and 171, Nevada Safety 170 and 171.

21 >> JUDGE WARDWELL: How do you respond to  
22 the position that DOE is saying in regard to those  
23 and that enter and how we as a Board should treat the  
24 PMAs, if in fact, they aren't required, or do you  
25 believe they are required as far as 63?

1 >> MR. MALSCH: Again, Marty Malsch for  
2 Nevada. We did not and do not believe that they are  
3 required by Part 63. But as we read the SAR, they  
4 were being offered by DOE in support of the  
5 credibility of a CSPA.

6 Now, I think and our position was if it's  
7 there, we're entitled to challenge it. But I think  
8 there is a very simple way we can resolve this  
9 contention based upon DOE's statements here today.

10 If in fact, the performance margins  
11 analysis will not be used to show compliance with any  
12 provision in Part 63 then I think there is an easy  
13 way to resolve the contention.

14 The Board can admit the contention. We can  
15 reach a stipulation but it will not be used to  
16 resolve anything to comply with Part 63 and the  
17 contention goes away because it's a purely academic  
18 contention.

19 >> MR. WARDWELL: Are you interested in  
20 demonstrating some one upmanship in your knowledge  
21 and tackling the question of what is the similarities  
22 or differences between PMA and the uncertainty  
23 analyses and the sensitivity analyses that have been  
24 performed by DOE?

25 >> MR. MALSCH: I can try. I think what

1 they've done in performance margin analysis is do a  
2 minnie kind of TSPA, eliminating margins, and then  
3 showing that, in fact, a realistic effort to show  
4 compliance would show even lower doses than the  
5 assertedly conservative TSPA that was advanced in the  
6 license application.

7 >> MR. WARDWELL: That's not a bad whack at  
8 it, is it, DOE, you think?

9 >> MR. ZAFFUTS: I thought that's what I  
10 said.

11 >> MR. WARDWELL: I think so. Thank you, I  
12 appreciate that.

13 >> MR. WARDWELL: I guess this is best  
14 addressed to Mr. Malsch and Nevada. You had some  
15 contentions that dealt with the -- stating that there  
16 is a deficiency because a secondary data source was  
17 used.

18 What do you mean by a secondary data source  
19 if, in fact, you can recall those contentions and  
20 what's the problem of using a secondary data source?

21 >> MR. MALSCH: I'm sorry, I don't -- I  
22 don't think I can answer that question without going  
23 into the specific contention.

24 >> MR. WARDWELL: You don't recall having a  
25 contention such as that?

1 >> MR. MALSCH: I don't specifically  
2 recall, no.

3 >> MR. WARDWELL: DOE, here's your chance  
4 to get even.

5 Do you recall any contentions they  
6 submitted that dealt with a secondary data source?  
7 And do you understand what they mean by a secondary  
8 data source?

9 >> MR. ZAFFUTS: Judge Wardwell, I was  
10 hoping that as before, no would be an acceptable  
11 answer because I'm not familiar with any contention  
12 that is alleged. It doesn't mean it's not there.

13 >> MR. WARDWELL: Thank you. Let's see if  
14 we get anywhere with this one. Is it my  
15 understanding there is some contentions dealing with  
16 external problems such as manufacturing problems and  
17 then a reflected in potential problems at the site?  
18 do you recall contentions such as those?

19 >> MR. MALSCH: Yes, I do.

20 >> MR. WARDWELL: And there seems to be  
21 simply a listing of these items in the basis  
22 statement associated with those particular  
23 manufacturing problems, with no direct connection to  
24 the license application developed further in a  
25 contention.

1           And could you elaborate a little bit more  
2 on why you believe that's a problem and what's the  
3 heart of your contention when you are dealing with  
4 these external manufacturing problems? And why isn't  
5 it addressed in a routine manner through any quality  
6 assurance program or other controlling device such as  
7 that?

8           >> MR. MALSCH: Marty Malsch for Nevada. I  
9 think the thrust of those contentions is that because  
10 of manufacturing and other problems, specifically  
11 with such things as a drip shield, that DOE's  
12 assumptions regarding the precise performance of the  
13 drip shield in its TSPA are unfounded.

14           And I think this goes to, in a real way,  
15 the whole concept of a FEP analysis. It seems to me  
16 there are some very clear definitions of when FEPs  
17 are included, in or out, based upon probability.

18           And it seemed to us that based upon known  
19 history and practice with regard to these kinds of  
20 fabrications is not designs, that based upon the NRC  
21 definition of a FEP and the probability of threshold,  
22 we simply could not FEP out manufacturing defects and  
23 problems. And the DOE had utterly failed to address  
24 this problem in its license application.

25           >> JUDGE WARDWELL: Thank you. I'll get

1 back to you after I go to DOE. I want to talk a  
2 little bit more about those FEPs.

3 Would you like to respond if regards to the  
4 inability to FEP out manufacturing problems or have,  
5 in fact, you did evaluate them in your analyses?

6 >> MR. ZAFFUTS: I think there was an  
7 assessment like every FEP. There was an assessment  
8 that was done that was considered. And all I can say  
9 is -- my understanding is, my expectation was it was  
10 applied to considerations in 114 E and F were applied  
11 appropriately.

12 And if it was a challenge, they may have to  
13 demonstrate a material dispute. So that's about all I  
14 can say about that particular one.

15 >> MR. WARDWELL: Thank you. In my  
16 recollection, there is a table or tables that show  
17 those components that are FEP in or FEP out.

18 My question comes to the degree of  
19 technical background as you provide for each one of  
20 those so that's to assess the adequacy of FEPing or  
21 FEPing out. Could you elaborate a little bit more on  
22 your knowledge of what was done by your organization  
23 Provided the application or the TPSA --

24 >> MR. ZAFFUTS: Right. One thing to  
25 understand is that the technical backup for those

1 exclusion determinations or inclusion determinations  
2 are in a separate document, features, events and  
3 processes, AMR. So it's a cited document, a couple  
4 thousand pages. Each one of those has varying  
5 degrees of assessments that are done. There's no one  
6 size fits all.

7           Some were done with models, modeling,  
8 mathematical analyses. Some were done, assessed more  
9 on a qualitative assessment, looking at what the  
10 ultimate determination of either probability, a  
11 probability analysis to meet the standards set forth  
12 in 114-E or a consequence assessment, which deals  
13 with the significance issue. And I think, like I  
14 said, there was no one size fits all.

15           Somewhere based upon like I said, different  
16 models, some were done more associated with -- if  
17 something would be significant or maybe it could be  
18 encompassed by another FEP, but it was a very logical  
19 analytical progression for all of those.

20           >> MR. SILVERMAN: I wanted to underscore,  
21 that's all reflected in the FEP AMR, all that  
22 rationale.

23           >> MR. WARDWELL: Thank you. If that  
24 helps. Mr. Malsch, in your review of FEPs in  
25 general, and the contentions that came out of those,

1 are there ones that you are challenging because there  
2 is not sufficient information in regards to assess  
3 whether or not they should or should be included --  
4 should or should not be included? Or are you -- did  
5 you find that there wasn't enough information to  
6 assess that and not necessarily disagree with the  
7 assessment that was performed?

8 >> MR. MALSCH: Marty Malsch for Nevada.  
9 I'm sure in all of our FEP contentions we either  
10 found an insufficient basis for exclusion, as for  
11 example the FEP document says excluded on legal  
12 ground, which we didn't understand or --

13 >> MR. WARDWELL: Are there FEPs that say  
14 just that?

15 >> MR. MALSCH: I think there are FEPs  
16 which say that and perhaps our previous dialogue  
17 about the manufacturing defect contention as an  
18 example. It may be that that is one of those cases  
19 where manufacturing design defects was FEPed out on a  
20 legal basis that we were required to assume the  
21 perfect functioning of the Quality Assurance Program.

22 Now, there may be other FEPs that were  
23 not FEPed out on legal grounds, but FEPed out on  
24 technical grounds that we found inadequate, but I'm  
25 sure in every case of our FEP contention, we did in

1 fact examine the FEP AMR very carefully.

2 >> MR. WARDWELL: Back to DOE: In our  
3 discussions all this week, we've wrestled with this  
4 material dispute as we're aware of by today's  
5 discussion. As we wrestle with this, could you  
6 describe to me why your organization would feel it be  
7 detrimental to admit the contention and then let it  
8 be resolved at the summary disposition stage when  
9 there is an opportunity to the better explore these  
10 types of conditions that we wrestle with and in  
11 regards to the merits and not have to worry about it  
12 at this point?

13 Let's go ahead and admit it and, if, in  
14 fact, it's clear that the merits are there, it will  
15 be resolved before we have to take time out at a  
16 Hearing.

17 >> MR. SILVERMAN: I'd like to answer that.  
18 This is Mr. Silverman, Your Honor. Any applicant or  
19 virtually any applicant, I'm aware of, would feel  
20 that it is appropriate to not extend the resources  
21 and the time to litigate issues that that applicant,  
22 before the NRC, does not believe raises a genuine  
23 dispute of a material fact or law. In this case,  
24 we've got a governmental agency with a mandate from  
25 Congress, aggressive time line for licensing of

1 three-to-four years -- three years, with an extension  
2 of four, an enormous number of contentions to deal  
3 with and complex issues; and it would clearly be  
4 detrimental to simply throw up our hands and say,  
5 let's just let a contention in that doesn't meet the  
6 standard and we'll expend the discovery resources,  
7 the witness preparation resources, the testimony  
8 preparation resources, the Board's time, the motions  
9 that go all along with that, and it is clearly --  
10 would be a detrimental to the program and to the  
11 mandate that's currently in the Nuclear Waste Policy  
12 Act.

13 >> MR. WARDWELL: Well, I think some of  
14 those you mentioned.

15 >> JUDGE MOORE: None of them are  
16 admissible.

17 >> MR. SILVERMAN: That's your call to  
18 make, Your Honor. Our point is however you decide,  
19 it is not in -- it is perfectly appropriate -- it is  
20 inappropriate for contentions that objectively are  
21 not admissible to be admitted on the theory that,  
22 let's just let it in, because we can spend the time  
23 and resources to litigate it. And particularly in  
24 this case of the project.

25 >> MR. WARDWELL: And I understand that

1 position. Again, the ones we are wrestling with are  
2 the ones that are not clear as what you described is  
3 there, and how do we wrestle as added?

4 I understand that you can't provide any  
5 more guidance than what you just did and --

6 >> MR. MALSCH: Judge Wardwell, excuse me,  
7 Marty Malsch for Nevada. I believe I've located the  
8 contention you referred to dealing with secondary  
9 sources. It's Nevada Safety 118. And we do not bear  
10 in that contention challenge, we make use of  
11 secondary sources per se. We merely challenge DOE's  
12 use of these particular sources.

13 >> MR. WARDWELL: But what did you mean by  
14 a secondary source as opposed to a primary source?

15 >> MR. MALSCH: I think, if I read the  
16 contention properly, a secondary source would be an  
17 article or study that relies upon, let's say a body  
18 of secondary sources would rely upon a single body of  
19 experiments and data located in one primary source by  
20 the original researcher.

21 So the original researcher does a study and  
22 that produces and generates studies about the  
23 studies, if you will.

24 >> MR. WARDWELL: I'll read the transcript.  
25 I think I understand what you are saying and I just

1 have one last one, and it deals with -- it was  
2 brought up in regards to Nevada Safety 172, and I  
3 guess I will direct this to DOE, Mr. Silverman, if  
4 you want to pass it on to whoever.

5           And it deals with the contention that says  
6 that DOE is required to but does not intend to  
7 require reasonable assurances with respect to the  
8 contents and the proper packaging of those contents  
9 by nuclear utilities, providing waste to DOE for the  
10 proposed repository and transportation aging and  
11 disposal canisters.

12           In your Answer on Page 1593 as one of the  
13 items you bring up, you state that a challenge to the  
14 standard contract among parties under the National  
15 Waste Policy Act is outside the scope of this  
16 proceeding. Section 302 of the National Waste Policy  
17 Act makes it clear that the acceptance spent nuclear  
18 fuel by DOE for disposal at the Yucca Mountain  
19 repository is governed by the contract between DOE  
20 and the generator of this spent nuclear fuel, and  
21 that DOE is responsible for establishing the terms  
22 and conditions of that contract.

23           While I understand that the contract for  
24 that is there, are you implying that neither DOE nor  
25 the staff will have any control over the types of

1 things that might be placed in that cannister and  
2 brought to the site?

3 >> MR. SILVERMAN: Your Honor, I want to  
4 give you an answer, and then I'd like to go back and  
5 look at the original statement of the contention, but  
6 I'm sure we're not alleging that.

7 What I think we are saying is that what  
8 goes on at the utilities site in packaging spent fuel  
9 for shipment to Yucca Mountain is within the gambit  
10 of NRC's jurisdiction under the Part 50 licenses of  
11 the utilities, is, I believe, and will be subject to  
12 some quality verification by the department and I  
13 will look around in a minute and see if I'm  
14 misstating that; but it is not something that is  
15 addressable in this proceeding which relates to the  
16 licensing of this facility. It's just as the  
17 transportation safety, the safety of transportation  
18 of material being shipped to Yucca Mountain is  
19 outside the scope of the proceeding, but not outside  
20 the scope of the NRC's jurisdiction to the extent  
21 that it relates to both certifications of casks, so  
22 it's analogous, but if I didn't answer your question  
23 I'd go back to see.

24 >> MR. WARDWELL: What about the contents  
25 of those cannisters?

1 >> MR. SILVERMAN: What about it? I'm  
2 sorry.

3 >> MR. WARDWELL: I mean, the statement  
4 that you -- that I read from your Answer talked about  
5 the contents or maybe it was the contention that  
6 questioned the contents; and I'm questioning to you,  
7 does not the contents of what's in those cannisters  
8 have some affect on the performance and resulting  
9 potential impacts associated with the Yucca Mountain  
10 once it arrives there?

11 I mean, are you saying that there is no --  
12 NRC has no control over what a given utility may put  
13 in there under that contract?

14 >> MR. SILVERMAN: I'm certain that's not  
15 true, that NRC has no control. I'm also certain that  
16 that issue is outside the scope of this proceeding,  
17 because there's nothing in Part 63 that I know of, if  
18 I can do a quick verification here.

19 >> MR. WARDWELL: As you do that, I think  
20 I'll go to Nevada, and make sure I'm paraphrasing  
21 their contention correctly and I'll go to staff to  
22 see what the staff to see what they might be able to  
23 shed some light on whether NRC has a control, it's  
24 not necessarily in this proceeding. Have I  
25 characterized, at least in part, some of what you are

1     contesting in this contention or am I off base?

2             >> MR. MALSCH:  No, Judge Wardwell, you  
3     have captured all or most of the contention.

4             >> MR. WARDWELL:  Eloquently, I must say?

5             >> MR. MALSCH:  I'm sure.  Whatever the  
6     restriction may be over the facilities where the  
7     casks are being moated.  It is certainly within the  
8     scope of this licensing to decide what is an  
9     acceptable disposal content at the Yucca Mountain  
10    site and surely this Board, the commission has  
11    jurisdiction over issues relating to licensing of the  
12    Yucca Mountain site.

13            >> MR. WARDWELL:  Staff, Ms. Young, will  
14    you -- are you able to shed any light on this  
15    contention in regards to whether NRC has some control  
16    authority for the contents of the cannisters as they  
17    are being filled, either under this part or some  
18    other part?

19            >> MS. YOUNG:  Mitzi Young for NRC staff.  
20    I'm not familiar with this contention, directly;  
21    however, I'm sure when activities are being conducted  
22    at the sites where fuel is currently stored, the NRC  
23    has an effective staff available to monitor those  
24    activities.  However, if DOE takes title to the  
25    high-level waste at reactive sites for the spent fuel

1 under their standard contract, NRC is not involved  
2 until it's received at the geological repository  
3 operations area.

4 >> MR. WARDWELL: Mr. Silberg for NEI,  
5 would you like to comment?

6 >> MR. SILBERG: Yes, the cannisters --

7 >> MR. WARDWELL: State your name.

8 >> MR. SILBERG: I' m sorry, Jay Silberg,  
9 the cannisters into which spent fuel would be loaded  
10 at reactor sites come with licensing documents called  
11 certificates of -- COCs, Certificates of Compliance  
12 which sets forth the regulatory limits on what can be  
13 placed inside those containers. NEI activity at the  
14 reactor site in terms of loading of those cannisters  
15 would be done by the utilities, subject to NRC  
16 oversight, subject to compliance with the  
17 requirements of the Certificates of Compliance. So  
18 the work at the sites would be done under very strict  
19 NRC control and NRC regulation -- regulatory  
20 requirements.

21 >> MS. YOUNG: If I caught your question,  
22 was it under the scope of Part 63? Maybe I  
23 misunderstood.

24 >> MR. WARDWELL: It was. It was twofold,  
25 I wanted to see whether there was any or if there is

1 any clarification under what part that is, that would  
2 be helpful also.

3 >> MS. YOUNG: I believe it's Part 71, but  
4 I could be wrong, for Certificates of Compliance?

5 >> MR. SILBERG: For transportation, it  
6 would be Part 71; for storage, it would be Part 72.

7 >> MR. WARDWELL: Thank you, Mr. Silberg.  
8 DOE do you -- you don't have any grounds to dispute  
9 what was said?

10 >> MR. SILVERMAN: Not by Mr. Silberg, no.

11 >> MR. WARDWELL: Mr. Malsch, for Nevada,  
12 do you have grounds for dispute regardless of how it  
13 affects your contention?

14 >> MR. MALSCH: Yeah, I do not question  
15 that the loading/unloading of casks is subject to  
16 jurisdiction in some places. The issue here is that  
17 it turns out that the precise contents of the  
18 cannisters have an important role in whether -- in  
19 assumptions made in the total performance assessment;  
20 and whatever may be the dividing point between  
21 jurisdiction here and there, it is surely within this  
22 Board's authority to decide that this particular  
23 assumption in the TSPA is unfounded without the  
24 existence of some sort of an adequate Quality  
25 Assurance Program controlling how the contents are

1 loaded and precisely what they are. So it has a  
2 direct bearing -- a direct bearing on the total  
3 systems performance assessment and, therefore, it  
4 raises a material issue.

5 >> MR. WARDWELL: Thank you. We'll finish  
6 with the DOE.

7 >> MR. SILVERMAN: Your Honor, the  
8 trance -- an analogous situation, the transport of  
9 these materials in these certificates -- in these  
10 certified Casks also has a bearing on the safety, if  
11 it's an attachment, for example, of the repository,  
12 but it is outside, clearly outside the scope of this  
13 proceeding, it's governed by the transportation  
14 regulations in Part 71 that define the criteria for  
15 issuing a Certificate of Compliance to use in a Cask.  
16 It is one thing to say it's a limited jurisdiction of  
17 the NRC. These matters are not within the scope of  
18 Part 63.

19 >> MR. WARDWELL: Thank you, Mr. Silverman.

20 >> JUDGE MOORE: I appreciate a 30-second  
21 answer, Mr. Silberg -- Mr. Silverman. What is the  
22 relationship between NRC's incident response plan and  
23 emergency plans by Applicant and licenses?

24 Is there any?

25 >> MR. SILVERMAN: I know a fair amount

1 about utility, industry emergency response plans, I  
2 don't know much about the NRC's incident response  
3 plan. I'm sure there is a coordination -- major  
4 coordination project.

5 >> JUDGE MOORE: I'm referring to your  
6 Footnote 15 in your Answer to Nye Joint Safety 5 and  
7 I'm not sure that I understand that there's any  
8 relationship at all between the agency's incident  
9 response plan and Applicant or Licensees emergency  
10 plan.

11 >> MR. SILVERMAN: Well, I don't even know  
12 what my footnote says, Your Honor. Hold on one  
13 second, bear with me.

14 >> JUDGE MOORE: On the screen in front of  
15 you know now. Unfortunately, it runs onto two pages.

16 >> MR. SILVERMAN: I believe this is a  
17 contention that alleges that we failed to comply with  
18 a national incident, right, which is not the NRC  
19 system. It's a I think an inner-agency system and  
20 we'd make a simple point, I think, in this response.  
21 This is just not a requirement that applies to the  
22 Applicant. I see we do talk about the incidence  
23 response.

24 >. MR. ANDERSEN: Your Honor, if I may  
25 reply, Robert Anderson. This is an unusual, a

1 one-of-a-kind licensing where the Applicant must be a  
2 department within the Federal government. I don't  
3 understand the footnote. I mean, they're both a  
4 licensee and a federal agency subject to Homeland  
5 Security requirements, just like every other Federal  
6 department.

7 >> JUDGE MOORE: I don't think I'm going to  
8 get an answer. We need to move on. I understand --

9 >> MR. SILVERMAN: One quick one, Your  
10 Honor, which is compliance with MIMs, whatever it  
11 is, is not a Part 63 requirement.

12 >> JUDGE MOORE: I understand that.

13 What I didn't understand was what your  
14 reference to the NRC incident response plan and the  
15 fact that the agency in response to the presidential  
16 directives has determined that it requires no change  
17 to incident response plans. How are incident  
18 response plans, if at all, distinct from emergency  
19 plans? Are they two totally separate items, as I  
20 believe they are?

21 >> MR. SILVERMAN: I believe they are. I  
22 think what we say in the footnote --

23 >> JUDGE MOORE: Okay. They don't have any  
24 connection with one another?

25 >> MR. SILVERMAN: Well, I don't know that.

1 >> JUDGE MOORE: Okay. I think we've  
2 reached the point where the Board has gone through  
3 and asked all the questions it has of the party  
4 participants for the proceedings. Since we do have  
5 just a little bit of time left, I think what we'll do  
6 is go back and scratch anything that was itching,  
7 that came out in the course of our questioning today  
8 or if you really have to -- in the prior two days --  
9 take maybe a minute or two each and resist the  
10 temptation to turn this into a closing argument. As  
11 we started this morning, I start with the NCAC, and  
12 we will go around the back, please.

13 >> MR. WILLIAMS: Scott Williams for the  
14 Native Community Action Council, a few sentences.  
15 There has been several references today and in the  
16 previous two days about the procedural requirements  
17 for establishing standing and admissible contentions.  
18 There have been references today -- including those  
19 by DOE -- to the fact that non-represented parties  
20 are entitled to some slack, which was Judge Gibson's  
21 word. We're confident that we have established  
22 standing inadmissible contentions. We ask the Board  
23 to provide the procedural flexibility that the  
24 Commission's Orders seems to require here. It's our  
25 belief that the Indian people who live in the area

1 surrounding Yucca Mountain have a lot to contribute.  
2 We suggest that the Commission would benefit from a  
3 full record and encourage you to allow us to  
4 participate. Thank you.

5 >> JUDGE FROEHLICH: Thank you,  
6 Mr. Williams. White Pine.

7 >> MR. SEARS: Mr. Richard Sears for White  
8 Pine County. The Department of Energy has maintained  
9 for the substantial portion of three days with five  
10 expert lawyers -- I think I count that correctly --  
11 that meeting the contention requirements is really  
12 not that difficult and a strict application of the  
13 rules should occur. If compliance with the meeting  
14 requirements is not that difficult, because the  
15 regulations are clear on their face, why does it take  
16 five expert lawyers -- less judges -- to debate the  
17 meaning of these regulations over that period of  
18 time?

19 This facile illustration speaks, Your  
20 Honor, to Judge Froehlich's question whether some  
21 Petitioners, who don't have five expert lawyerd or,  
22 as in my case, they'd be stuck with a poor but  
23 country lawyer should be cut some slack because of  
24 their lack of substantial resources and experts. We  
25 appreciate your attention to our contentions.

1 >> JUDGE FROEHLICH: Thank you.

2 TIM -- oh, I'm sorry, Clark County.

3 >> MS. ROBY: Very briefly, Your Honor,  
4 thank you. I want to comment briefly on the exchange  
5 between Judge Wardwell and DOE on the fact that the  
6 Board is grappling with this materiality question  
7 when it's difficult to determine on which side of the  
8 line the contention falls, so what's the harm in  
9 letting it in?

10 And I'd just like to say that the DOE's  
11 response seems to indicate that strict adherence to  
12 the requirements in this case means that the  
13 interests of safety should not also be considered.  
14 This is a unique case. This is the only case of its  
15 kind. Part 63 was developed specifically for this  
16 case. So where we even have the Board having  
17 difficulty deciding which case it's on, which -- what  
18 materiality really means, the DOE would assert that  
19 it's meaning is the only one that counts; and we  
20 would simply state that there may be interpretations  
21 of what materiality means and the contention  
22 admissibility stage, it ought to fall in favor of the  
23 Petitioner.

24 >> JUDGE FROEHLICH: Thank you. Miss  
25 Houck.

1 >> MS. HOUCK: Thank you, Your Honor.  
2 Darcie Houck with the Timbisha Shoshone tribe or TIM.  
3 I'd like to make the comment that despite the  
4 differences in regards to put the intergovernmental  
5 dispute, both TIM and TOP do share the concerns of  
6 the protection of the tribe's resources and ensuring  
7 that this Board is informed about the potential,  
8 substantial and adverse impacts that the tribe may  
9 suffer; and that voice needs to be heard in these  
10 proceedings and we support NCAI's Petition as well  
11 the native people in this area are going to be  
12 impacted and do need a voice in this proceeding and  
13 we would also support the comments of other parties  
14 regarding the flexibility and weighing in favor of  
15 the Petitioners to grant contention status as well as  
16 standing. Thank you.

17 >> JUDGE FROEHLICH: Thank you. For Nye  
18 County.

19 >> MR. VanNIEL: Jeff VanNiel for Nye  
20 County. Thank you, Your Honor, both for the time  
21 over these last three days and the opportunity to the  
22 participate in these proceedings. We look forward to  
23 the Board's Order in May and to moving rapidly  
24 forward with Hearings on the contentions in the near  
25 future.

1 >> JUDGE FROEHLICH: Thank you. The County  
2 of Inyo.

3 >> MR. JAMES: Greg James, for the County  
4 of Inyo. Thank you, Your Honor, the County has  
5 nothing further. We will submit our position on our  
6 papers.

7 >> JUDGE FROEHLICH: Top.

8 >> MR. POLAND: Thank you, Your Honor.  
9 Doug Poland on behalf of TOP. I'd like to thank the  
10 Board for its time and your obviously extensive  
11 efforts to prepare for this argument this week. It's  
12 been impressive. I stated TOP's position on the  
13 other issues over the past two days and will limit my  
14 comments briefly to the LSN. TOP pleads a single  
15 NEPA contention. It's amended Petition identifies  
16 concessions in DOE's FEIS and SEIS that contamination  
17 from the geological repository might be discharged in  
18 the Death Valley Springs.

19 TOP's single NEPA contention  
20 further pleads that the contamination of the springs  
21 will have a devastating impact on Timbisha Shoshone  
22 culture and religious practices. Those injuries are  
23 set forth in the Affidavits and declarations that we  
24 have put on the LSN. TOP's amended Petition also  
25 identifies and cites other documents in the LSN to

1 support the contention. Despite having done this and  
2 despite our reliance on DOE's own statements and its  
3 own documents, DOE argues that TOPs should be barred  
4 from presenting a single contention to this Board  
5 based on an alleged failure to demonstrate  
6 substantial and timely compliance with the  
7 LSN requirements. Mind you, DOE has not raised a  
8 single complaint that it could not find any of the  
9 LSN materials that we cite or that it cannot evaluate  
10 our contention because we failed to make a document  
11 available.

12 Instead, DOE relies on procedural rules  
13 that they argue create an absolute bar to  
14 participation as a party. That position squarely  
15 puts form over substance. It ignores the purpose of  
16 the LSN as well as the advisory PAPO Board's own  
17 statement that procedural requirements are not to  
18 make the process more difficult and the failure to  
19 comply with case management requirements are not to  
20 be used as grounds to object to the admissibility of  
21 a proffered contention.

22 TOP has not ignored the LSN requirements.  
23 It has acted in good faith. We believe, as  
24 Construction Authorization Board 2 noted yesterday,  
25 that at the very least, DOE must show some prejudice

1 if it seeks to make an issue of LSN compliance. DOE  
2 makes no such claim as to TOP. We believe this is  
3 truly a case of no harm, no foul; and contrary to  
4 DOE's arguments, the LSN requirements do not bar  
5 TOP's participation as a full party in this  
6 proceeding. Thank you.

7 >> JUDGE FROEHLICH: Thank you. Mr. --

8 >> MS. CURRAN: Your Honor, this is Diane  
9 Curran for Eureka County. I know that Eureka has  
10 been instructed not to participate in this  
11 proceeding; but if I could just have a moment, I want  
12 to thank you for the efforts you have made to  
13 webstream this proceeding. It's means a lot to the  
14 officials in Eureka County and I understand that it  
15 was many people tuned in to these proceedings over  
16 the last couple days.

17 And I'd also like to thank you for the  
18 efforts that you made to ensure that the written  
19 materials were put on the media so that people  
20 viewing from far away could see what you are talking  
21 about. We really hope that this is the beginning of  
22 a tradition. Thank you.

23 >> JUDGE FROEHLICH: Thank you, Miss  
24 Curran. For Caliente.

25 >> MR. HUSTON: Your Honor, John Huston for

1 Caliente Hot Springs Resort. Thank you for your time  
2 and the opportunity that's been afforded to us. We  
3 have no documents that have not been entered on the  
4 LSN by DOE or other parties and you probably don't  
5 expect to receive any. Thank you for your  
6 constitution of our contention and your understanding  
7 of us as a limited resource private party. Thanks  
8 again.

9 >> JUDGE FROEHLICH: Thank you. The State  
10 of California.

11 >> MR. SULLIVAN: Tim Sullivan for  
12 California. We appreciate all of the time and effort  
13 that all the Boards have put into this issue and all  
14 the great level of preparation; and we have nothing  
15 further to add.

16 >> JUDGE FROEHLICH: Thank you. Four  
17 Counties.

18 >> MR. LIST: Yes. Robert List on behalf  
19 of Four Counties. First, let me say that, that  
20 we've spent at good deal of time today talking about  
21 the -- the safety contentions. And I know that the  
22 NEPA contentions have not been the centerpiece here  
23 today. However, I would note the parallel between  
24 the points that were debated here concerning the --  
25 the bald denial by the -- by DOE that they have

1 failed to meet the adequacy standards. Because those  
2 same -- those same standards -- those same standards  
3 of adequacy are very close standards also apply to  
4 the NEPA contentions. And we could simply point out  
5 we face the same thing. And we would simply point  
6 out we have alleged in, for example, NEPA 1 and NEPA  
7 2 of the four counties that DOE has utterly failed to  
8 confront or to address two very critical  
9 environmental issues or to discuss mitigation on  
10 them. And we believe that very firmly.

11 I also would like to comment about the fact  
12 that Mr. Silverman shortly ago, about 15/20 minutes  
13 ago, made what we used to call in law school a  
14 pregnant negative comment. Namely, he denied that  
15 there is any responsibility or jurisdiction over  
16 transportation on the part of NRC. And that simply  
17 is not the case.

18 The point -- in fact we point to 51, which  
19 includes a vast array of requirements under NEPA.  
20 And NEPA, of course, if one looks at the  
21 environmental impact statement and the NEPA documents  
22 that were submitted in this matter, by the Applicant,  
23 extensively touch upon transportation in many  
24 respects. However, they failed to do so in a -- in  
25 the kind of a detailed way that is required under the

1 National Environmental Policy Act. And so they have  
2 brought to this -- to this Board and to the  
3 Commission an application with an attendant NEPA  
4 document concerning transportation, that is flatly  
5 sparse and lacks the kind of detail that is required.

6 And while we fully recognize that the --  
7 that the repository is the centerpiece of much of the  
8 attention and will be throughout this process, to  
9 those people who live within the State of Nevada, who  
10 live in communities where much of this material is  
11 going to be transported, that's the closest they're  
12 ever going to come to a dangerous circumstance and  
13 while we're not out in any way to kill this project,  
14 we simply want to see it done properly. I'm not  
15 suggesting that the scope of jurisdiction over safety  
16 and emergency response on transportation extends to  
17 every road and every byway in America; but I am  
18 suggesting that it is within the scope of this Board  
19 and of the Commission insofar as the State of Nevada  
20 is concerned where this funneling effect of 2700 --  
21 minimum of 2700 trucks will likely pass and that's  
22 very close to the 2800 trains in terms of numbers,  
23 will likely pass through these communities.

24 And I would cite one case in closing to the  
25 Board. It's Thomas Vs. Peterson, 753 Fed. 2nd,

1 754, which involves a -- it's a 9th Circuit case  
2 which involved a plan to log a forest area and the  
3 Court held that there was a logical extension, an  
4 inextricable link to the road that led to the area  
5 that was to be logged and indicated that they had to  
6 consider the roadway as well. It's a connected  
7 action. And so we -- we urge this Board and the  
8 Commission, ultimately, to reject the concept that  
9 transportation in a broad sense is off limits.

10 We urge the adoption of our -- of our  
11 contentions; and we thank this Board for its very  
12 extensive preparation and conduct.

13 >> JUDGE FROEHLICH: Thank you, Mr. List.  
14 For the State of Nevada.

15 >> MR. MALSCH: Yes. Thank you. We would,  
16 first of all, like to express our -- on behalf of  
17 Nevada, express our appreciation to this Board and  
18 the other two Boards for the time and attention they  
19 devoted to the issues today and the last few days. I  
20 think the three days, as it demonstrated, that the  
21 Boards were very carefully prepared for these series  
22 of hearings and we thought that the questions asked  
23 were thoughtful and incisive. As I'm sure the Board  
24 appreciates, it took a very substantial effort by  
25 Nevada to file the contentions it did, since there

1 was over -- there were over 8600 pages in the license  
2 application and the hundreds of thousands of pages in  
3 supporting references.

4           This took an extraordinary effort on the  
5 part of the Nevada DOE technical team and I have to  
6 tell you it took more than an extraordinary effort to  
7 file our point-by-point rebuttals to the Answers that  
8 were filed by DOE and the NRC staff. We were,  
9 frankly, surprised and dismayed at the Answers by DOE  
10 and NRC staff because we thought we had crafted  
11 exceptionally well-supported and well-defined  
12 contentions.

13           We were also dismayed to learn the first  
14 thing Tuesday morning they needed still the position  
15 of a new DOE secretary that Nevada has not raised a  
16 single legitimate safety issue about the safety of  
17 the Yucca Mountain repository. We believe that our  
18 contentions meet and in, I think, all cases vastly  
19 exceed the Commission contention requirements and  
20 that the three Boards should so find. Thank you very  
21 much.

22           >> JUDGE FROEHLICH: Thank you. DOE.

23           >> MR. SILVERMAN: Thank you, Your Honor.

24 I do want to -- as everyone else -- express our  
25 appreciation on behalf of the Department of Energy

1 and my personal appreciation for a Board that  
2 conducts itself not only professionally, but with a  
3 sense of humor, even if sometimes we're the brunt of  
4 that sense of humor, it actually makes it much more  
5 palatable and pleasing to go through this experience.  
6 Thank you for that. Mr. Shebelskie has a couple  
7 quick remarks prompted by the other parties.

8 >> MR.SHEBELSKIE: Your Honor, the LSN is  
9 not a technicality. It is a fundamental aspect of  
10 this proceeding that the Commission established 20  
11 years ago to govern this and to act as a means to  
12 facilitate the Commission's ability to meet the  
13 statutory schedule under the Nuclear Waste Policy  
14 Act. In order to achieve that, it's fundamental for  
15 the document production process to take place up  
16 front before we got to this point in the time here.  
17 It is nothing unfair. It's actually a procedure and  
18 a requirement that was the result of negotiated  
19 rule-making with DOE and Nevada and affected  
20 stakeholders. They agreed to this; and the  
21 Commission adopted it in its initial rule-making as  
22 early as the 53 Federal Register 4.4.4.1.1.

23 The Commission had said that no person may  
24 be granted party or governmental participant status  
25 in the Hearing if it is not a substantial and timely

1 compliance with requirements imposed with 1003 at the  
2 time specified for the submission of Petitions to  
3 Intervene. This is a substantive requirement that  
4 everyone has been on notice for a long time. We are  
5 accused of taking an indiscriminate approach to this  
6 to people or to demand form over substance. What we  
7 did -- we didn't challenge everyone's Petition on the  
8 basis of LSN compliance.

9 Had we done that, I'm sure Nevada and Clark  
10 County would be saying, look at that, they accuse  
11 everybody of noncompliance. This is sort of in the  
12 "one no good deed goes unpunished category". We try  
13 to be circumspect and tailored in our objections.  
14 And we objected on the two main circumstances were  
15 presented to us.

16 The first was when Petitioner had done  
17 nothing in the pre-license phase. They had made no  
18 certifications. They had produced no documents.  
19 They had not complied with the PAPO Board's orders  
20 for monthly supplements and certifications. In those  
21 cases, in those instances, it was appropriate to  
22 object, because it's a straight out unqualified  
23 failure to comply with the requirements. The other  
24 situation with that posed by Nevada, Inyo County, and  
25 Clark County, where they had made certifications, but

1 when we looked at their contentions, measured against  
2 their LSN collections, because as a matter of fact  
3 the question has been raised in our minds whether you  
4 have made a good faith effort to identify and in some  
5 cases, supporting information and in all three, your  
6 nonsupporting information. Nebraska has come back in  
7 their reply with a factual foundation to say that  
8 they had done it. The other two have not.

9 Clark County argued to you, that, yes, they  
10 answered all of our factual objections in their  
11 answer; but what they've provided was what Judge  
12 Moore described earlier today in response to the  
13 characterizations of one of our replies is that  
14 unsworn document that consists merely of argument of  
15 council. Clark County has not provided any Affidavit  
16 or any factual support from their LSN administrator,  
17 from their experts, saying that, in fact, they did  
18 undertake a good faith search for all the documents  
19 including the nonsupporting information. They have  
20 instead said we didn't have to do it and based on the  
21 fact that they have not supplemented their production  
22 since they filed a Petition with any meaningful  
23 document, and they said they don't intend to do this.  
24 It is prejudicial to DOE that we have not been  
25 provided party's documents during the pre-application

1 phase, for whatever purposes we might be able to make  
2 up then, including in response to preparation for  
3 our answers.

4 In summation, Your Honor, this is not a  
5 technicality. It's a fundamental point that we had  
6 to live with and the parties aren't required to  
7 comply with this going forward, the schedule is in  
8 jeopardy.

9 >> JUDGE FROEHLICH: Thank you. NEI.

10 >> MR. REPKA: David Repka for NEI. NEI  
11 looks forward to participating in this proceeding on  
12 specific substantive issues in a very substantive way  
13 as we go forward drawing on the substantial expertise  
14 that's available to the -- to NEI. I want to say at  
15 the outset that NEI has painstakingly and carefully  
16 complied with LSN requirements and no party has  
17 objected to NEI's fulfillment of those obligations.

18 Second, there was some discussion this  
19 morning of the threshold for a pleading of  
20 inadmissible contention. NEI believes that a  
21 contention threshold standards are what they are to  
22 be applied neither in a reduced nor a heightened way,  
23 but, instead, in a fair and even-handed manner by the  
24 licensing Board. Against that standard, we believe  
25 that all of our nine proposed contentions have

1 sufficient basis and specificity to meet the  
2 Commission's requirements. With respect to the issue  
3 of materiality, we believe that all of our issues  
4 meet the NRC's requirements and are material --  
5 directly material to the issues in this proceeding,  
6 whether based upon an argument that they will help  
7 establish compliance with the NRC regulations or in  
8 some cases, they suggest a specific noncompliance  
9 with an NRC regulation, either related to, for  
10 example, requirements on the total system performance  
11 assessment or the NRC's requirements for as well as  
12 reasonably achievable for occupational doses. Or in  
13 some cases, both related to compliance and specific  
14 noncompliances.

15           With respect to arguments related to the  
16 ALARA or As Low As Reasonably Achievable Standard, we  
17 didn't have much discussions with that in the last  
18 three days; but we do reject the Department's notion  
19 that anything that takes place outside the GROA is  
20 not relevant to this proceeding or material to this  
21 proceeding. In fact, I think Nevada has made a  
22 similar argument and to the extent that issues --  
23 related issues on activities outside the GROA raised  
24 by Nevada are admitted. Some of those  
25 NEI contentions must be admitted as well. For

1 example, contentions related to the dual purpose  
2 cannisters or reach attack cannister, receive design,  
3 things that aren't directly attributable to the  
4 proposed design and operation of the facility are  
5 material to this proceeding; and NEI's contentions  
6 should be admitted on that basis.

7           And then finally, I would say some of the  
8 other contentions -- and we address this in our reply  
9 finding. They go directly to matters raised by other  
10 parties. To the extent those contentions of other  
11 parties are admitted that are related, the NEI  
12 contention must be admitted as well. That's all I  
13 have.

14           >> JUDGE FROEHLICH: Thank you.

15           >> MS. ROBY: Your Honor, for Clark County,  
16 if I may either now or after NRC staff speaks, I feel  
17 I would be remiss if I did not respond to the remarks  
18 of DOE's counsel.

19           >> JUDGE FROEHLICH: No, let's wrap this up  
20 then. NRC staff.

21           >> MS. YOUNG: Thank you, Judge Froehlich.  
22 The staff also thanks the Board for the opportunity  
23 to answer your probing and piercing questions and we  
24 hope that the staff's answers have been able to  
25 assist you in the inquiry you have before you. The

1 commission's standards are strict by design and the  
2 staff's responses did apply those standards in  
3 determining whether the admissibility requirements of  
4 10 CFR 2.309 were met. And previously, there was a  
5 discussion between I believe Judge Wardwell and  
6 Mr. Silverman, if not Mr. Malsch discussing  
7 performance assessment and consideration of  
8 uncertainty. I would commend to the Board's reading  
9 the final rule, statements consideration, the final  
10 Rule was issued November 2nd, 2001, and at page  
11 55747, there is a discussion of, by the Commission of  
12 what's required for addressing uncertainties. And  
13 under issue 2, there's a statement that some  
14 uncertainties would be directly included in DOE's  
15 estimate of performance. For example, DOE is  
16 expected to conduct uncertainty analysis, i.e., the  
17 evaluation of how uncertainty parameter values affect  
18 uncertainty in the estimate of dose, including the  
19 consideration of disruptive events and associated  
20 probability of the occurrence.

21           Other uncertainties are not necessarily  
22 quantified but are considered during the development  
23 of the conceptual models for performance assessment,  
24 e.g, consideration of alternative models, inclusion  
25 and exclusion of FEPs. Also in responding to a

1 question of Judge Wardwell's previously regarding  
2 Nevada Safety 172, I may not have heard your  
3 question. Before I answered. The staff did not  
4 object to the admission of that contention. The  
5 contents of attack cannister are relevant to a  
6 repository performance. That concludes the staff's  
7 remarks.

8 >> JUDGE FROEHLICH: Thank you, Ms. Young.  
9 On behalf of this Construction Authorization Board  
10 CAB-1 and the two Boards that preceded us this week,  
11 I want to thank the Parties and the Petitioners for  
12 the quality of their Pleadings and for their candid  
13 answers during this oral argument. It has been  
14 immensely helpful to us in making our decision and  
15 will help us get that decision out just as quickly as  
16 possible. Thank you all for your attendance and for  
17 your input. We stand adjourned.

18 [ Whereupon, the Hearing was adjourned. ]

19

20

21

22

23

24

25