

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S ADVISORY
COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
565th Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Friday, September 11, 2009

Work Order No.: NRC-3076

Pages 1-94

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 + + + + +
4 565TH MEETING
5 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
6 (ACRS)

7 + + + + +
8 FRIDAY,
9 SEPTEMBER 11, 2009

10 + + + + +
11 ROCKVILLE, MARYLAND

12 + + + + +

13 The Advisory Committee convened at 8:30
14 a.m. at the Nuclear Regulatory Commission, One White
15 Flint North, Commissioner's Conference Room, 11555
16 Rockville Pike, Dr. Mario V. Bonaca, Chairman,
17 presiding.

18 COMMITTEE MEMBERS:

19 MARIO V. BONACA, Chairman
20 SAID ABDEL-KHALIK, Vice Chairman
21 GEORGE E. APOSTOLAKIS, Member
22 J. SAM ARMIJO, Member-at-Large
23 SANJOY BANERJEE, Member
24 DENNIS C. BLEY, Member
25 CHARLES H. BROWN, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMITTEE MEMBERS (CONT.)

MICHAEL L. CORRADINI, Member

OTTO L. MAYNARD, Member

DANA A. POWERS, Member

HAROLD B. RAY, Member

MICHAEL T. RYAN, Member

WILLIAM J. SHACK, Member

JOHN D. SIEBER, Member

JOHN W. STETKAR, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A G E N D A

OPENING REMARKS BY THE ACRS CHAIRMAN 4

UPDATED INFORMATION RELATED TO THE LICENSE

RENEWAL APPLICATION AND SUPPLEMENTAL

SER FOR THE BEAVER VALLEY POWER STATION 5

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIRMAN BONACA: Good morning. The meeting will now come to order. This is the second day of the 565th Meeting of the Advisory Committee on Reactor Safeguards. During today's meeting, the Committee will consider the following, updated information related to the license renewal application and supplemental SER for the Beaver Valley Power Station, Subcommittee reports, future ACRS activities, report of the Planning and Procedure Subcommittee, reconciliation of ACRS comments and recommendations, preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Tony Santos is the Designated Federal Official for the initial portion of the meeting. We have received no written comment from members of the public regarding today's session.

Region I Staff and several personnel will be on the phone bridge line to listen to the discussion regarding Beaver Valley. We have received a request from Mr. Paul Gunter, Beyond Nuclear, for time to make oral statements regarding Beaver Valley license renewal application.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 A transcript of a portion of the meeting
2 is being kept, and it is requested that the speakers
3 use the microphones, identify themselves and speak
4 with sufficient clarity and volume so that they can be
5 readily heard.

6 Before we proceed with the first item on
7 the agenda, I would like to remind you that all of you
8 have been provided with copies of the papers for the
9 meeting in Japan, Working Group. There are five
10 papers, and you are welcome to provide comments to the
11 authors, as soon as possible, I would say, because
12 they have to be finalized by the middle of the month.

13 We are almost there. And I'm sure that both Charlie
14 and Dana will be anxiously waiting for those papers.

15 MEMBER BROWN: We will entertain no
16 comments, also.

17 CHAIRMAN BONACA: All right. With that -

18 MEMBER SHACK: Can the ACRS Staff send us
19 an electronic version of those?

20 CHAIRMAN BONACA: They could do that.

21 (Off the record comments.)

22 CHAIRMAN BONACA: With that, we will move
23 to the first item on the agenda, and that's the
24 updated information related to the license renewal
25 application and supplemental SER for the Beaver Valley

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Power Station. And Dr. Bley will take us through the
2 presentation.

3 MEMBER BLEY: Thank you, Mr. Chairman.
4 The Committee met with First Energy and with the NRC
5 Staff on the subject of license renewal application
6 for Beaver Valley Power Station Units 1 and 2, and the
7 Staff's Safety Evaluation Report on that application
8 during our last meeting on July 8th of this year.

9 I will not reiterate the specifics of the
10 plant designs, or the issues discussed, except to say
11 that one issue of significant concern was through-wall
12 corrosion of the Unit 1 containment liner that was
13 discovered in April of 2009. Following the meeting,
14 and before our report was finalized, the applicant
15 submitted new information clarifying and expanding the
16 documentation of its plans for the supplemental
17 volumetric examinations of the Beaver Valley
18 containment liners.

19 The Committee agreed to hold the release
20 of our letter until after this briefing to allow us to
21 address factual changes that we might want to reflect
22 in our letter. At this point, I'll turn it over to
23 Mr. Brian Holian of the NRR Staff.

24 MR. HOLIAN: Good morning, ACRS and
25 Chairman. Thank you. My name is Brian Holian. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the Director of the Division of License Renewal. The
2 agenda for today has me doing brief introductions,
3 opening statement, and then turn it over to licensee
4 for their presentation, followed by the NRC Staff
5 presentation. I'll hold off on the NRC Staff
6 presentations until they take their turn at the table
7 after the licensee.

8 Just a few brief comments. We do
9 appreciate the opportunity to revisit this issue
10 following the last meeting. I think there some good
11 questions raised at the last meeting, various
12 questions on the timing of UT inspections. There was
13 a question about the randomness of the UT inspections,
14 smart sampling.

15 On that point, in particular, I'd like to
16 credit an interested stakeholder group that had
17 written the ACRS a letter right prior to that meeting,
18 and they had been following Staff discussions that are
19 with the licensee on that aspect. And just shortly on
20 that, and we'll get into it more later, the Staff was
21 looking at the importance of random samples for the 95
22 percent confidence that we'll discuss more today, both
23 the Applicant and us, but also smart samples for what
24 is the root cause, and could there be other areas that
25 are more prevalent for that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So, we appreciate the opportunity to
2 straighten out both of those examples that we think
3 are important, to have samples of both.

4 There were other questions raised that
5 both the Applicant and the Staff will discuss today,
6 Appendix J testing, how that relates, what confidence
7 that gives you. And we've used the time wisely since
8 the last meeting, also, to clarify with the Applicant
9 via a couple of letters, the criteria that they'll
10 have in place for when they do the UT samples, what
11 their failure criteria will be as they take those
12 samples, to kind of smartly look at our trend what the
13 condition of the liner is, or confirm its condition.

14 One other item that's been brought up, and
15 the Staff still has several letters to respond to for
16 the interested stakeholder group. One other aspect
17 you'll hear part of today in the Staff's presentation
18 is, is a sub-atmospheric containment more prevalent
19 for maybe moisture to be brought in from the outside
20 through porous concrete towards the liner? You'll see
21 today, both from the Applicant and the Staff, the
22 operating experience is centered around construction
23 material that appears to have been left, the cases
24 that we have where the liner has gone through-wall.
25 That's the major issue that we've seen. It doesn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mean we are necessarily ruling out any other potential
2 cause. As a matter of fact, we're looking at having
3 Research ourself with the NRC Staff do some
4 confirmatory look at kind of the different containment
5 designs, and we're still finalizing that.

6 One last item on my introductory comments.

7 In the licensee's letters, and I know at least one
8 member of the ACRS Staff asked me before the meeting,
9 when their letters come in, they talk about regulatory
10 commitments, and you will see that they revised some
11 commitments from the last meeting, which is good. We
12 continue to work with them. It solidifies the SER,
13 and makes those public.

14 Somebody asked me about a sentence in the
15 cover letter about regulatory commitments, there are
16 no regulatory commitments in this letter. That's more
17 of a legal term, since some of the commitments aren't
18 legally enforced until the period of extended
19 operation starts. But the commitments were placed in
20 the SER, and Commitment Table by the Applicant, and I
21 wanted to straighten that point out.

22 With that, I'll turn it over to the Vice
23 President of Beaver Valley Station, Mr. Peter Sena.

24 MR. SENA: Thank you, Brian. Mr.
25 Chairman, members of the ACRS, again, good morning.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm Pete Sena, Site Vice President, Beaver Valley.
2 Again, we do appreciate the opportunity this morning
3 to discuss with you our issues with respect to the
4 Unit 1 containment liner, and the associated corrosion
5 that we identified.

6 Again, as you know, our liner is part of
7 an integrated containment system which undergoes
8 vigorous testing in accordance with industry codes and
9 standards. It is through that inspection plan that we
10 did identify corrosion of our liner, absolutely. We
11 found a problem. As you know, this is a localized
12 pitting corrosion due to foreign material. This
13 foreign material that we identified was from initial
14 construction. This is very similar to corrosion
15 identified at other nuclear facilities throughout the
16 industry.

17 We at Beaver Valley take very seriously
18 our responsibility towards safe and reliable operation
19 of the units. Currently, there are four plants in the
20 United States with an INPO Index of 100. Beaver
21 Valley Unit 1 is one of those four plants. But even
22 though our performance has been very good, we just
23 guard against complacency. It's too easy to say it's
24 good enough.

25 As we went through our decisionmaking, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our actions with respect to the containment liner, and
2 our going forward inspection plans, we would always go
3 back and reference this document. It is something I
4 carry around with me at all times. It's very worn,
5 dog-eared; it's the INPO document on the principles
6 for a strong nuclear safety culture. Principle Number
7 Five states, nuclear technology is recognized as
8 special and unique. The special characteristics of
9 nuclear technology are taken into account in all
10 decisions and actions. Specific attribute discusses,
11 and I quote, special attention is placed on
12 maintaining fission product barriers and defense-in-
13 depth. We absolutely agree; we need to do more. That
14 is not an issue.

15 We believe that the actions we've taken
16 with working through the NRC, and looking at industry
17 OE, that our actions are prudent, and proactive in
18 insuring that our containment liner maintained in a
19 reasonable state of operability throughout the period
20 of extended operation.

21 This morning, our discussion will focus on
22 the safety significance of the corrosion, we'll
23 discuss our dose assessments, our safety analysis, and
24 we will provide detail on our future examination
25 plans, and the timeliness of such actions. With that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'd like to turn it over to Cliff Custer.

2 MR. CUSTER: Good morning. Thank you,
3 Pete. You've already heard from Peter, Site Vice
4 President. With me today to my right is Mark
5 Manoleras, the Site Engineering Director. Along with
6 him to the right is David Grabski, the ISI program
7 owner. I have several site subject matter experts,
8 and members of the LRA core team with me today. I
9 will take a moment just for the record to introduce
10 them.

11 Carmen Mancuso, who is the Manager of
12 Design Engineering, Dave Price, Design Engineering
13 Supervisor for Mechanical Structural, Ken Frederick,
14 Lead Safety Analysis Engineer, Tom Westbrook, Staff
15 Engineer Structural Design Engineer, Bill Etzel, our
16 lead PRA Engineer, Jack Patterson, Containment System
17 Engineer, David Jenkins, our FENOC Legal Counsel,
18 Kathryn Sutton from Morgan Lewis representing FENOC,
19 Dr. Gary Harlow, Chair of Mechanical Engineering
20 Department at Lehigh University, representing FENOC,
21 Dr. Larry Core from Westinghouse helping us in
22 representing FENOC, Clark Mickhoff, also from
23 Westinghouse. Those are the members that we brought
24 with us today in order to address any questions that
25 the Committee may have.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Our agenda today I want to go through is
2 go through the history of the containment liner at
3 Beaver Valley. We'll review the safety significance.

4 We'll hear from Ken Frederick. We'll review our
5 examination plan, and we'll finish -- Mark will finish
6 in reviewing the conclusions.

7 As discussed in the prior ACRS meetings,
8 our Unit 1 containment liner history in 2006, we
9 identified degradation on the concrete side of the
10 liner during the steam generator replacement project.

11 Three areas of general pitting corrosion were
12 identified. These were localized areas roughly one
13 foot in size. Two of the three areas were replaced.
14 The third area was evaluated and monitoring continues.

15 At this time, we basically see no change in that
16 area. Hydro demolition during preparation for the
17 area destroyed the definitive evidence of the
18 corrosion source.

19 Based on the defect characteristics, it
20 could have been FME. We searched through the debris
21 pile, and could not definitively find the FME.

22 MEMBER POWERS: What is FME?

23 MR. CUSTER: I'm sorry. Foreign Material.

24 In 2009 -- thank you. Let me correct -- rather than
25 use the acronym, Foreign Material. In 2009 at Unit 1,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 one indication was noted during the scheduled IWE
2 visual inspection. It was noted as an in-tact paint
3 blister. By our procedure at the time, that required
4 further examination by VT-3 qualified individual.
5 That examination then led to a volumetric examination
6 of the area. Subsequent cleaning identified a one-
7 inch by three-eighths inch through-liner defect, the
8 root cause of which was determined to be wood, low pH,
9 the wood contained low pH, and had high moisture
10 content. It was a two-by-four roughly six inches
11 long. At that time, we repaired the defect, and
12 performed a baseline volumetric examination.

13 At this time, I'd like to have Ken
14 Frederick talk a little bit about the safety
15 significance.

16 MEMBER ARMIJO: Before you do that, could
17 you tell me what the deepest pits that you found in
18 the 2006 examination, the three areas of pitting
19 corrosion, how deep were those pits in comparison to
20 the wall thickness of the liner?

21 MR. CUSTER: Yes. What I'd like to do,
22 I'd like to have Dave Grabski, our ISI program owner,
23 talk to that.

24 MEMBER BANERJEE: Also, do you have sort
25 of a picture of what this looked like, and where the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 wood block was relative to it, just behind it, in
2 contact with it?

3 MR. GRABSKI: Yes, I can speak to that.
4 This is Dave Grabski, the ISI program owner. First of
5 all, the deepest pits found in 2006, one area had
6 small pitting as low as .151 wall that was remaining.

7 MEMBER POWERS: I have no idea what that
8 meant.

9 MR. GRABSKI: Excuse me?

10 MEMBER POWERS: .151 of wall, what does
11 that mean?

12 MR. GRABSKI: 0.151 inches left, the
13 nominal is 375 wall, three-eighths inch. One thickness
14 that we found is a pit of 0.151.

15 MEMBER ARMIJO: That's minimum thickness.
16 I asked pit depth, so I subtract that from -

17 MR. GRABSKI: That's the remaining wall.

18 MEMBER ARMIJO: That's remaining wall,
19 .151.

20 MR. SENA: Take that off of .37.

21 MEMBER ARMIJO: So, the pits were two-
22 tenths of an inch out of .375. Is that correct?

23 MR. GRABSKI: That's the amount that was
24 lost, if you subtract 151 from .375. And that was a
25 very localized pit. The second area was at 0.225

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measured thickness. That would be a loss of .150.
2 Third area generally was at nominal thickness of the
3 liner. However, there was a pit found at .330. These
4 areas -- the area of corrosion was bounded by
5 approximately one foot by one foot area on the liner
6 itself.

7 MEMBER ARMIJO: And you left one area
8 unrepaired, so you could monitor it. Have you
9 actually done any measurement since that time?

10 MR. GRABSKI: Yes, we have. We committed
11 to look at it once every 40 months for the next 10
12 years. And we've done one examination on that, and we
13 found, essentially, it had not changed.

14 MEMBER ARMIJO: Changed in one exam.
15 Okay.

16 MEMBER BANERJEE: So, these pits were on
17 the side in contact with the -

18 MR. GRABSKI: These pits were in contact
19 on the side of the liner that comes in contact with
20 the concrete.

21 MEMBER BANERJEE: It would nice to be able
22 to see what it looked -- is it possible?

23 MEMBER BLEY: We have a set of pictures we
24 had at the last meeting, so we have them on file.

25 MEMBER ARMIJO: That was a picture of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 wood, where the wood was in contact.

2 MEMBER BANERJEE: Contact with the
3 concrete.

4 MEMBER BLEY: This isn't the place where
5 the wood was.

6 MEMBER BANERJEE: This somewhere else.

7 MEMBER SHACK: Yes. Think of two sort of
8 mechanisms of corrosion. One, this patchy kind of
9 area of pitting, and then the localized through-wall
10 with the wood.

11 MEMBER BLEY: Which was found this year,
12 Sanjoy.

13 MR. SENA: Right. So, again, for clarity,
14 the data that Mr. Grabski just presented were the
15 three areas of pitting corrosion identified from the
16 steam generator replacement outage from the 20 by 20
17 foot section of liner that was removed.

18 MEMBER BROWN: When you got this exposed
19 to show the cross-section, is that where you ground
20 away until you got down to the source? Is that how
21 you came up with that?

22 MR. CUSTER: I believe the picture that
23 you gentlemen are looking at is a 2009 event.

24 MEMBER BROWN: Yes.

25 MR. CUSTER: Okay. Dave, do you want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 talk about after we discovered it, how we pursued it
2 with cleaning and so on?

3 MR. GRABSKI: Sure. Dave Grabski, again.

4 Again, the paint blister was found during our IWE
5 examination earlier this year in our outage procedure,
6 that any time we have anomaly on our paints, we
7 require an ASME 11 Code qualified examiner to go do a
8 visual examination before they clean it. After that
9 examination, we cleaned the paint off and found,
10 basically, what you saw in that photo.

11 At that point, we took UT thickness
12 measurements around the through-wall to determine how
13 extensive the thinning was. We found that there was
14 an area about approximately two by five around the
15 hole that had degradation below nominal, so once you
16 got out of that two by five area, it went right back
17 to normal.

18 Basically, what we did after that is make
19 the repair, and we cut out the portion of the liner.
20 We saw behind this area, a two by four block of wood.

21 We removed some of the concrete to get the entire
22 piece of wood out. We found it was approximately six
23 inch in length.

24 MEMBER BLEY: I would like to interrupt
25 this at this point. We've only got about 15 more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 minutes for this presentation, and we haven't gotten
2 to the new material. I think we need to move into
3 that, not reiterating what we went through last time.

4 CHAIRMAN BONACA: Take the time that it
5 takes.

6 MR. CUSTER: Okay. In the discussion that
7 David just provided you, he said that the area of
8 general degradation was two by five of the wall
9 thinning. Keep in mind what we found from the foreign
10 material was actually a piece of two by four, about
11 six inches long. That's what we found behind the
12 liner. And we are talking inches, two inches by five
13 inches, not two feet by five feet, very important to
14 clarify that for the record.

15 Okay. With that, moving forward. Ken,
16 would you like to talk about our assessment of safety
17 significance, please?

18 MR. FREDERICK: Good morning. My name is
19 Ken Frederick. I'm a Lead Safety Analysis Engineer at
20 Beaver Valley, and what we want to talk about now is
21 the assessment of the significance of the liner defect
22 in terms of the impact on possible dose results post-
23 accident.

24 We did an assessment using some data that
25 we obtained from another plant, which had a similar

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 defect, and they actually did a pressure test to
2 determine what the leakage through that defect would
3 be. We took that data, and it was actually scaled
4 based on the ratio of the defect areas between our
5 plant and that other plant, and it was roughly a
6 factor of seven difference in the areas. So, even
7 though the leakage through that clearly is limited by
8 the concrete, which is on the other side of the liner,
9 we increased that leakage rate by that factor of seven
10 as a conservative measure. Again, that leak rate was
11 measured at the peak accident pressure.

12 We took that number for our plant and
13 added it to our previous integrated leak rate test
14 results to determine what the projected total leakage
15 might have been, and compared that to our allowable
16 limit of .1 percent per day. We found out that the
17 projected leak rate was less than what was the limit,
18 which basically meant that our bounding dose analysis
19 were still current. In other words, the leakage did
20 not exceed what we assumed in that dose analysis.

21 MEMBER RAY: Excuse me. How would you
22 adjust, if at all, for a design-basis event affecting
23 the leak rate?

24 MR. FREDERICK: Well, there is -- in terms
25 of the measurement -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RAY: No, I just mean take a
2 seismic event, or something that -- the leak rate
3 you're measuring, of course, doesn't represent
4 accident conditions, it's just a leak rate measurement
5 you're extrapolating from another plant. But the
6 question is, in this case, it's easy enough I think
7 for me and everybody else to say well, it wouldn't be
8 -- the leak wouldn't be increased under accident
9 conditions, like a seismic event, for example, because
10 the corrosion is localized. I'm putting words in your
11 mouth now. I'm trying to get you to say it. You
12 conclude that the design-basis event wouldn't increase
13 the leak rate. Is that correct?

14 MR. FREDERICK: That's correct. Yes.

15 MEMBER RAY: All right. But there are
16 some circumstances that might not be the case. Would
17 that be a fair statement?

18 MR. FREDERICK: I can't imagine anything
19 that would change. I mean, we pressurize to the peak
20 accident pressure when we do that leak rate test.

21 MEMBER RAY: But you don't -- you're not
22 loading it with seismic forces, for example.

23 MR. FREDERICK: Correct. Yes, I wouldn't
24 believe that -- the building is, obviously, designed
25 to be seismic qualified, and post accident qualified

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for whatever pressure and temperature conditions
2 exist.

3 MEMBER RAY: Okay. But, my only point, I
4 guess we're in agreement that you can't -- without
5 some analysis, you would have to show that the
6 corrosion, or the degradation, whatever it is, isn't
7 going to change the behavior of the structure under
8 design-basis conditions. And, in this case, it's
9 pretty easy to do, I would surmise, by inspection.
10 But, nevertheless, that's something you have to add to
11 just measuring the leak rate, isn't it?

12 MR. FREDERICK: If there was some known
13 mechanism where it would increase under those
14 conditions, yes, we would need to add that.

15 MEMBER RAY: Okay.

16 MEMBER ARMIJO: Well, the liner could
17 tear. You've got a hole in it, a seismic event, how
18 can you conclude that it's impossible for it to tear
19 open more and leak more?

20 MR. MANOLERAS: This is Mark Manoleras.
21 Ken may be able to show the margins that are available
22 associated with the analysis, and then can also have
23 some of our structural folks come up and talk about
24 how we believe that would or would not propagate.

25 MEMBER ARMIJO: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MANOLERAS: So, that may be most
2 appropriate at this time, is for Ken to go through
3 some of the analyses.

4 MEMBER SIEBER: I think you also have to
5 keep in mind that a static leak rate test measurement
6 is a conservative measure, because Beaver Valley,
7 along with other sub-atmospheric containments has
8 containment sprays, and the containments sprays
9 actuate the pressure declines. In the original design
10 of Beaver Valley, it was designed to return to
11 atmospheric pressure inside containment on a design-
12 basis accident within one hour, so any static leak
13 rate test measurement that you make is highly
14 conservative with respect to estimating your approach
15 to Part 100 limits.

16 MR. FREDERICK: This is Ken Frederick.
17 Very good lead-in, Mr. Sieber. Next slide, please.

18 MEMBER POWERS: But this is just a
19 plausibility argument. The flow resistance is
20 embodied in the concrete, which is not the concrete of
21 this plant; it's the concrete of some unnamed but
22 similar plant. Am I correct on that?

23 MR. FREDERICK: Yes. The plant that we
24 got the test data from has virtually identical
25 containment in terms of the thickness of the walls.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: I mean, it is not
2 transparently obvious to me that the leakage does
3 exist identical, because the leakage is some random
4 defect in the concrete.

5 MR. FREDERICK: Right. And we recognize
6 that there is some uncertainty in the application of
7 data, and that's why -

8 MEMBER POWERS: This is just a scoping
9 analysis to find out if I'm in big trouble now or not,
10 and you're not. Okay?

11 MR. FREDERICK: Right. And this slide
12 kind of points to that. If you look at -

13 VICE CHAIRMAN ABDEL-KHALIK: Let me just
14 ask you. Does your accident analysis keep track of
15 the pressure in the annular gap between the liner and
16 the concrete?

17 MR. FREDERICK: No, because, normally,
18 there would be no path for that to pressurize.

19 VICE CHAIRMAN ABDEL-KHALIK: So, there is
20 intimate contact. There is no sort of gap downstream,
21 or on the outside surface.

22 MR. FREDERICK: Go ahead, Mark.

23 VICE CHAIRMAN ABDEL-KHALIK: Is that
24 always the case?

25 MR. MANOLERAS: This is Mark Manoleras.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If you would, if we can let Ken please present the
2 margins associated with the safety analysis, I believe
3 that question will be answered, and then we can
4 revisit that.

5 MR. FREDERICK: Okay. What this slide
6 shows, basically, is the margin between what is the
7 leakage value assumed in the dose analysis versus what
8 we would actually expect under a normal post-accident
9 pressure transient. If you look at the red line
10 there, by regulation, Reg Guide 1.183, we're required
11 to assume that for one day after the accident the leak
12 rate is at the tech spec limit. And then for the
13 following 29 days, it's one-half of that. So, if you
14 look at the blue line, that's what we actually would
15 expect it should look like based on -- essentially,
16 this was generated by calculating the area associated
17 with the leakage that we saw, or would project, and
18 putting that into our containment analysis, and
19 running a 30-day transient.

20 MEMBER CORRADINI: So, can you just repeat
21 that? I didn't -- I got the red. What's the blue?

22 MR. FREDERICK: To get the blue, what I
23 did was take the area associated with the leakage
24 projection that we had, which was the ILRT plus the
25 defect leak.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Oh, okay.

2 MR. FREDERICK: Take that area and put in
3 our containment model, and run a pressure transient.

4 MEMBER CORRADINI: Okay. So, not to make
5 matters worse, but I guess I want to make sure I
6 separate the extrapolation from the whole -- if I had
7 the liner with no concrete, where would that line lie?

8 MR. FREDERICK: The blue line?

9 MEMBER CORRADINI: No. Take your concrete
10 -- take your extrapolation from some other
11 containment, whatever its behavior, and if it was just
12 a liner with that hole, where would it lie?

13 MR. FREDERICK: With no concrete.

14 MEMBER BANERJEE: With and without the
15 hole.

16 MEMBER CORRADINI: With and without the
17 hole.

18 MEMBER SHACK: Yes, you want to drill a
19 hole all the way through the concrete equal to the
20 area of the liner hole.

21 MEMBER CORRADINI: Forget the concrete.

22 MEMBER SHACK: It's a big hole.

23 MEMBER CORRADINI: Okay. That's what --
24 okay, fine. That's what I thought, I just want to
25 make sure. This is, primarily, the resistance in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concrete.

2 MR. FREDERICK: That's correct.

3 MEMBER CORRADINI: Thank you.

4 MR. FREDERICK: Roughly, the dose results
5 are proportional to the integrated leak rate over 30
6 days. And if you look at what the integrated value is
7 for this leakage over that time period, it's about a
8 factor of eight different, so even if there is some
9 variability, or uncertainty in the application of this
10 test data, there is a lot of margin between what we
11 would actually expect, and what the dose analysis -

12 MEMBER BANERJEE: Just going back to
13 Mike's question. Is most of this resistance coming
14 from the concrete, or is it just close to the hole?

15 MR. FREDERICK: Most of the resistance is
16 coming from the concrete.

17 MEMBER BANERJEE: So, if the concrete, for
18 whatever reason, actually by this resistance, what
19 would the flow rate be?

20 MR. FREDERICK: We did a calculation, just
21 what that flow area would provide at the peak accident
22 pressure, and the difference is about a factor of 100,
23 so it's pretty substantial.

24 MEMBER BANERJEE: That hole would allow
25 large flow to go through. Concrete is -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Right. If there's no
2 concrete, you would get a much higher flow rate.

3 VICE CHAIRMAN ABDEL-KHALIK: Well, let me
4 go back to the question I raised earlier. This is a
5 sub-atmospheric container, at least initially it
6 operated at sub-atmospheric conditions. During that
7 period, some buckling of the liner occurred, and,
8 therefore, a gap was created between the liner and the
9 concrete. Is that correct?

10 MR. MANOLERAS: What we'll do is, we'll
11 have Tom Westbrook come up and talk -

12 VICE CHAIRMAN ABDEL-KHALIK: Let me just
13 follow the logic. Okay?

14 MR. MANOLERAS: Okay. I'm sorry.

15 VICE CHAIRMAN ABDEL-KHALIK: So, is that
16 correct?

17 MR. MANOLERAS: Our liner is attached to
18 the concrete with Nelson studs.

19 VICE CHAIRMAN ABDEL-KHALIK: Yes, I
20 understand. Nevertheless, the liner buckled in during
21 that period. And, therefore, one would assume that
22 there was a gap between the two somewhere.

23 MR. MANOLERAS: Yes. I'll invite Tom
24 Westbrook to come up and speak to the design of the
25 containment liner.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WESTBROOK: This is Tom Westbrook.
2 I'm the Lead Civil Structural Engineer in Beaver
3 Valley. Your description is not accurate. The liner
4 is designed with Nelson studs on the back, which
5 attach it to the concrete structure. Part of the
6 design criteria was to make sure that that liner is
7 anchored to the concrete structure during sub-
8 atmospheric operation. So, no, there was no separation
9 or gap created between the liner and the concrete.

10 VICE CHAIRMAN ABDEL-KHALIK: Okay. Let me
11 -- it's anchored at discrete points corresponding to
12 the studs. Is that correct?

13 MR. WESTBROOK: That is correct.

14 VICE CHAIRMAN ABDEL-KHALIK: Okay.

15 MR. WESTBROOK: The design is such that --
16 the spacing of the studs were such that the strength
17 of the liner was such that it would not pull away
18 during sub-atmospheric operation.

19 VICE CHAIRMAN ABDEL-KHALIK: So, it didn't
20 deform at all, if I have the studs on some kind of
21 square lattice. It didn't deform at all between four
22 neighboring studs. Is that what you're telling me?

23 MR. WESTBROOK: That's correct. Yes.

24 MR. SENA: And, again, for clarity, the
25 spacing of the Nelson studs, it's one foot center.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Correct, Tom?

2 MR. WESTBROOK: They are one foot on
3 center diamond pattern.

4 VICE CHAIRMAN ABDEL-KHALIK: Okay. All
5 right. Thank you.

6 MEMBER ARMIJO: I'm sorry. I
7 misunderstood you. What's the spacing now?

8 MR. WESTBROOK: One foot.

9 MEMBER ARMIJO: One foot. Thank you.

10 MEMBER MAYNARD: I'd like to suggest we
11 get into what are the actions can we take. I think we
12 could debate all day long the safety significance and
13 go over a lot of this stuff. I'm not sure -- to me,
14 what seems to be more important is, is what
15 inspections, what's going to be done to insure that
16 the integrity of the liner going into the period of
17 extended operation, and we haven't really got into the
18 monitoring program yet. To me, that seems to be more
19 important for what we're here today to discuss.

20 VICE CHAIRMAN ABDEL-KHALIK: But,
21 nevertheless, the case is being made based on this
22 estimated leakage rate, and the question is, are there
23 other conditions that exist that would cause this to
24 be under-estimated? And that's what we're trying to
25 find out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: I guess there are two
2 questions. One is that -- the second is, is this
3 actually progressing, or is it simply something that
4 has happened, and has become sort of idealized? So,
5 if it's an aging-related issue, where these corruptions
6 that you are seeing can be getting worse, then I think
7 we need to address that issue. I'm not assured that
8 we have found that this is not, in some way, aging-
9 related.

10 CHAIRMAN BONACA: Well, I think that
11 Otto's point is well taken, let's hear from them what
12 they have done differently from what they presented to
13 us before, and that may raise questions that you're
14 suggesting here. I think that will be fair, but for
15 the benefit of time, let's move on to -

16 MR. CUSTER: Okay, if we can continue,
17 then. Details of the examination plan are as follows.
18 IWE visual examinations. You'll see that we'll be
19 doing additional IWE visual exams. Non-random
20 examinations, looking at those areas that we think are
21 possibly susceptible. Random sample examinations
22 using statistical random sampling to determine
23 additional details, and give us some idea of the
24 remaining condition, this type of condition within the
25 liner.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Our IWE visual inspections are performed
2 in addition to the Code requirements, so we're looking
3 to establish the condition of the interior liner
4 surface at the time of the inspection. And that will
5 tell us right then and there where we are with things.
6 Additional IWE visual inspections will be performed at
7 both Unit 1 and Unit 2, as defined by the ASME Code.
8 And I'll provide an overall schedule for each unit, as
9 we go through this.

10 Non-random examinations. Those are
11 volumetric examinations using ultrasonic testing to
12 the liner. We'll be looking at a minimum of eight
13 locations at each unit. We'll be using site-specific
14 and industry operating experience to identify these
15 areas with potential characteristics for this type of
16 corrosion to exist.

17 Unit 1 we will commence -

18 MEMBER SHACK: What kind of corrosion are
19 you intending to detect by this examination?

20 MR. CUSTER: We are specifically looking
21 for the type of corrosion that would be affiliated
22 with foreign material, that would be a pitting-type of
23 corrosion, pitting that has some defined shape with
24 it, and a breadth of pits.

25 MEMBER ARMIJO: Do you have any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information from the period of construction,
2 photographs of how the rebar was positioned, where
3 wood might have been used as spacers? Do you have
4 drawings? Have you interviewed people who actually
5 did that work to help guide this non-random?

6 MR. CUSTER: We have photographs. Wood
7 was used to offset the non-structural rebar from which
8 the structural rebar was provided. There was a
9 quality assurance procedure to provide general
10 inspection to insure that the wood was removed.
11 However, our review of the details of that procedure
12 did not specifically -- we did not specifically find
13 sign-offs from an inspector for each area of wood.

14 MEMBER ARMIJO: And, obviously, one wasn't
15 removed, a six inch piece was left there. So, you
16 would know roughly about what the spacing would be,
17 and what elevations these wood blocks would be, and
18 that will help guide your non-random. Is that your
19 thought?

20 MR. CUSTER: That is correct. You will
21 see in the following slide, I'll talk about some of
22 the areas that we've chosen. Right? But we would
23 look -- specifically, we're going to look where the
24 2009 event was.

25 Now, keep in mind, we feel as though this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was, essentially, limited non-compliance to a general
2 procedure. We don't think the procedure overall
3 failed. We think this is a limited case.

4 MEMBER SHACK: And how large are these
5 areas?

6 MR. CUSTER: The spacing typical wood
7 looks like it would be a two by four roughly six
8 inches or one foot long, roughly.

9 MR. SENA: The area of inspection.

10 MEMBER SHACK: Area of inspection.

11 MR. SENA: One foot.

12 MEMBER SHACK: Okay. So, we're talking
13 about five extra patches of one foot by one foot, and
14 three extra patches.

15 MR. CUSTER: Eight at each unit.

16 MEMBER SHACK: Eight.

17 MR. CUSTER: And I'll qualify that in the
18 next slide.

19 MEMBER ARMIJO: But you know the spacing
20 between these wood blocks according to your drawings
21 or pictures, so at least you have a pretty good chance
22 of finding it, if it was there.

23 MEMBER SHACK: Well, I think if you look
24 at their next slide, they give their criteria on how
25 they choose these locations. Is that correct?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CUSTER: That's correct. I'll talk to
2 that here just in a second. Let me clarify the final
3 bullet, that Unit 1 will commence while we're on line.

4 These inspections within the current fuel cycle for
5 non-random and complete them by December 31st, 2010,
6 the end of our next outage at Unit 1. Okay?

7 So, based on the OE, and review of our
8 containment design at Unit 1, we're going to look at
9 these typical areas. Now, as I said, we'll do a
10 minimum of eight at each area. Right?

11 MEMBER BLEY: How did you come up with
12 eight? Why eight? Is there a basis for that? Do you
13 think it covers things?

14 MR. CUSTER: We think that eight is
15 representative of the type of irregularities that we
16 would see, and it's representative of areas that,
17 maybe, potentially, have this condition.

18 MEMBER BLEY: So, from each of these eight
19 things on this slide, you took one location.

20 MR. CUSTER: I'm sorry. Can you say that
21 again?

22 MEMBER BLEY: No, never mind. I'm just -

23 MR. CUSTER: Okay. We're looking at eight
24 for each unit. In other words, although we've picked
25 five areas, we'll look at a minimum of eight. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basically an extension of the cause. Right? And if
2 we find something from that, then we'll consider what
3 we need to do from there. So, we're going to
4 interrogate the areas that were painted more than
5 once. We've had a couple of cases where the top coat
6 at Unit 1 has come off. The primer coat was tight,
7 but we're going to take a look. We never UTed behind
8 those.

9 VICE CHAIRMAN ABDEL-KHALIK: Now, what do
10 you mean by "irregular contour"?

11 MR. CUSTER: Irregular contour, and I
12 think that in earlier discussion, possibly we had some
13 beginning of that. Irregular contour is an area where
14 the surface did not stay with the same radius, where
15 there is some degree of bowing. We believe that that
16 had occurred during original construction. We've
17 monitored these areas at Unit 1 since 1980. They have
18 not changed.

19 VICE CHAIRMAN ABDEL-KHALIK: So, again,
20 back to the question. This irregular contour you
21 think happened during the concrete pour?

22 MR. CUSTER: Yes.

23 VICE CHAIRMAN ABDEL-KHALIK: Or after the
24 concrete pour?

25 MR. CUSTER: During the concrete pour,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 even possibly before.

2 VICE CHAIRMAN ABDEL-KHALIK: So, how would
3 it have happened before?

4 MR. CUSTER: Potentially bowing, as you
5 build the tank. There was a specification for a
6 general radius. There was a specification to allow
7 some irregularity.

8 VICE CHAIRMAN ABDEL-KHALIK: Okay. So,
9 again, you would -- the hypothesis is that most of
10 this happened during the concrete pour, so the liner
11 and the concrete remained in intimate contact.

12 MR. CUSTER: We believe them to be in
13 intimate contact. That's correct.

14 VICE CHAIRMAN ABDEL-KHALIK: There is no
15 annular -- there's no gap anywhere where gas can
16 actually be present.

17 MR. CUSTER: That's what we believe to be
18 the case.

19 MEMBER ARMIJO: Gas will always be present
20 in that interface. There's no way that those things
21 could be leak tight. Water may be a different case,
22 but gas is going to be there.

23 MEMBER SHACK: But he's talking about a
24 macroscopic gap.

25 MEMBER ARMIJO: Right. Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN ABDEL-KHALIK: I'm trying to
2 find out what the velocity through that hole will be
3 during hypothetical accident, where the pressure in
4 the containment may be greater than twice the pressure
5 in whatever gas gap may be present. And if it is in
6 the velocity through that hole will be equal to the
7 speed of sound, and then if you have gas going at the
8 speed of sound through a hole, how does that affect
9 the containment? That's the line of questioning that
10 I'm trying to get to.

11 MR. CUSTER: Give us a moment. Ken
12 Frederick, our Senior Design Analyst, will talk to
13 that.

14 MR. FREDERICK: Just to clarify your
15 question. This is Ken Frederick. Your question is,
16 what effect would gas flowing through the gap between
17 the liner and the concrete, would that have on the
18 concrete, or the liner?

19 VICE CHAIRMAN ABDEL-KHALIK: Well, if I
20 have a gap in-between, imagine, if you will, and if
21 the pressure in that gap doesn't keep up with the
22 rapid rise in pressure inside the containment, so that
23 you have roughly a factor of two of pressure
24 difference between inside the containment, and in that
25 gap, the velocity of the gas going out through that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hole will be equal to the speed of sound. So, it is
2 important that you convince me, at least, that there
3 is no gas gap in-between.

4 MEMBER BANERJEE: Is your concern, Said,
5 that the flow in this gas gap, which has an extremely
6 large area, will find some part of the concrete?

7 VICE CHAIRMAN ABDEL-KHALIK: No, I'm just
8 now -- would be -- if that scenario is true, then I
9 would be concerned about a gas jet moving at the speed
10 of sound that directly impacts the concrete.

11 MR. CUSTER: This would not -- this is
12 Cliff Custer. We're not talking about an infinitely
13 large area here, where the -

14 VICE CHAIRMAN ABDEL-KHALIK: That's why
15 we're asking.

16 MR. CUSTER: We're really not talking
17 about an infinitely large area. I would ask maybe
18 Jack Paterson to come and qualify the size of these
19 areas. Jack is the Containment System Engineer. He
20 can probably help us out with that.

21 MR. PATERSON: Good morning. I'm Jack
22 Paterson. I'm the Containment System Engineer. These
23 irregularities, there were a number at Unit 1. And,
24 as Cliff stated, we did monitor those for a number of
25 years to see if they were growing. They did not grow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We felt that they could have been growing because we
2 were sub-atmospheric. There was a concern about that.

3 They did not grow. We didn't see them change in any
4 way, so we do feel that they are in tact with the
5 concrete.

6 We also did the inspections at Unit 2
7 prior to -- during construction, prior to pulling
8 vacuum on the containment. Those irregularities were
9 there prior to pulling vacuum, so that they weren't
10 caused from the vacuum. Again, we also feel that they
11 are in tact with the concrete.

12 I agree that there is probably a small gap
13 between that concrete and the containment liner. I
14 would think that the pressure test, though, would tend
15 to push the liner, because it has no structural
16 strength, to the concrete and close that gap up during
17 a design-basis accident.

18 VICE CHAIRMAN ABDEL-KHALIK: Thank you.

19 MR. WESTBROOK: This is Tom Westbrook,
20 again. I was present when we removed the section of
21 the liner that was corroded this year, and discovered
22 the wood behind it. The concrete was in direct
23 contact with the liner, and on the edges of the cuts
24 you could not slide a piece of paper against it. And,
25 as Jack stated, under design pressure, the pressure is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 outward, so if there was a very, very small gap there,
2 it would tend to close off.

3 VICE CHAIRMAN ABDEL-KHALIK: Thank you.

4 MEMBER ARMIJO: Well, don't forget about
5 thermal expansion. Steel will expand more when it's
6 hot than the concrete, so there's going to be some
7 gap, but it's not going to be a big gap.

8 CHAIRMAN BONACA: Okay. Let's move on to-

9 MEMBER SIEBER: Well, the calculation on
10 supersonic flow is an easy one to make, a theoretical
11 standpoint. It's just an orifice flow. I don't see
12 any volunteers here ready to sit down and do it, but
13 that's something that probably most of us could
14 produce.

15 MEMBER MAYNARD: Well, if there is a gap,
16 the pressure is going to either equalize quickly, or
17 else, if it continues, it means you've already got a
18 breach in the containment anyway, the concrete.

19 MR. CUSTER: Okay. If we can move on now.

20 The random sample examinations now. The random
21 samples, we're talking about a minimum of 75 sample
22 locations selected to conform with statistical
23 guidance traditionally from an EPRI document, and
24 NUREG 1475.

25 For that sample, we're looking at a one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 foot by one foot random sample location chosen
2 randomly to do ultrasonic testing on those portions of
3 the accessible liner surface. That's similar size to
4 what industry OE tells us. If you look at one by one
5 foot area, you should find it.

6 Now, what I'd like to say is that the
7 final bullet here, and then we'll go back to the
8 bullet on failure, that the sample plan is designed to
9 provide 95 percent confidence, that 95 percent of the
10 accessible unexamined areas are similar to the data
11 obtained through random sampling.

12 We would define a statistical sample
13 failure, one that would cause us to re-look at our
14 sample plan, and determine what to do statistically,
15 is an area following engineering evaluation that was
16 greater than 10 percent material loss due to active
17 pitting corrosion, not attributed to fabrication or
18 erection practices. That's what we would consider a
19 statistical failure, and that would affect --
20 encourage us to take a look at another lot or so.

21 MEMBER BLEY: Let me ask you -

22 MEMBER SHACK: Now, if you find a pit
23 that's 20 percent deep, how are you going to determine
24 whether that's an active process or not?

25 MR. CUSTER: If it's 20 percent deep, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would say it's active.

2 MEMBER SHACK: Okay. So, what you really
3 mean is if you're going to find things greater than 10
4 percent, that's a failure.

5 MR. CUSTER: That's correct.

6 MEMBER SHACK: Okay.

7 MR. CUSTER: That's correct. Anything
8 greater than 10 percent that has localized pitting and
9 looks like this condition, we would consider a
10 statistical failure.

11 MEMBER BLEY: Now, let me sneak this one
12 in. As I understand the way you're going to test,
13 you're doing 100 percent visual before you do the UTs.
14 Right?

15 MR. CUSTER: We're going to do an
16 additional IWE visual before we do the UTs. That's
17 correct.

18 MEMBER BLEY: The one you found, you found
19 through a visual.

20 MR. CUSTER: That's correct.

21 MEMBER BLEY: And since that's repaired,
22 you're not counting that as a failure. If you find
23 more through the visual, what this sample plan is
24 going to do is see if the UT finds something visual
25 doesn't find, and evaluate whether your sampling has -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 - whether you find anything that way that you didn't
2 find visually, so it's after the visual is all done.

3 MR. CUSTER: That's correct. And it
4 complements, if you will, it complements the visual
5 inspection.

6 MEMBER BLEY: Thanks. Said.

7 VICE CHAIRMAN ABDEL-KHALIK: How do you
8 sort of confirm the second clause in the third bullet
9 of Slide 12?

10 MR. CUSTER: Yes.

11 VICE CHAIRMAN ABDEL-KHALIK: That it is
12 not attributed to fabrication/erection practices?

13 MR. CUSTER: Yes. During fabrication,
14 keep in mind this was a large tank outside that took a
15 couple of years to build. Right? There were wind
16 braces that were placed on and then ground off.
17 Right? So -

18 VICE CHAIRMAN ABDEL-KHALIK: I don't think
19 you understand my question.

20 MR. CUSTER: Okay. Could you restate it,
21 please?

22 VICE CHAIRMAN ABDEL-KHALIK: Okay. One of
23 those random samples will show greater than 10 percent
24 material loss. How would you say that that is not
25 attributed to fabrication/erection practices?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CUSTER: Number one, if we determine
2 that it was not a pitting attack similar that would
3 have shape like our FME has shown, that we may have
4 something else going on. We would have to consider
5 what we would do about that. Right?

6 The first thing we would do, if it was not
7 traditional, if it did not indicate like traditional
8 foreign material corrosion would, which is a localized
9 area of corrosion with some pitting attack that had a
10 shape to it, we would have to take a look at it. We'd
11 have to characterize that flaw, evaluate and consider
12 what we'd do. It may be something new that we'd have
13 to look at. Keep in mind, the general liner surface
14 has never been exposed to overall ultrasonic testing.

15 MEMBER ARMIJO: I'm really confused. In
16 the 2006 examination, you found pits far greater than
17 10 percent deep. And somewhere in the SER, or in your
18 submittals, you attributed that to corrosion that
19 probably occurred during construction. You couldn't
20 say for sure, but you did. That's what I remember
21 reading.

22 So, now if you find with this new exam, if
23 you find pits greater than 10 percent of the wall,
24 you're going to say that's due to current or active
25 corrosion? I don't understand.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CUSTER: Keep in mind, the foreign
2 material would have introduced itself during
3 construction. Right? So, if we find pitting attack,
4 we would recognize that as foreign material that was
5 left behind from construction. We would consider it
6 random failure.

7 The two areas that we identified, if they
8 were a random sample plan, the two areas that were
9 replaced in 2006 would be considered a random sample
10 failure, if we were under the same sample plan.

11 MEMBER ARMIJO: See, that's what I was --
12 I thought that's what you were doing, that the random
13 sampling was to address pitting, not related to
14 foreign material, just pitting. And that you're
15 guided or non-random was to look for these locations
16 where these wood blocks might have been left behind
17 after construction. And I can understand your logic
18 that way, but 10 percent of the wall is a pretty small
19 number, and your conclusion will be that it's not due
20 to construction corrosion, but it's due to active
21 corrosion going on right now.

22 MR. MANOLERAS: Yes, we did pick a very
23 conservative number for potential statistical failure
24 criteria. That 10 percent loss of material we would
25 consider to be a statistical failure, unless there was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a way that we could determine it from the fabrication
2 or erection process, that it was, as Cliff mentioned,
3 grinding off one of these wind braces.

4 MEMBER ARMIJO: Okay. I understand.

5 MR. MANOLERAS: Or taking one of these
6 Nelson studs and having to re-weld that, or rework
7 that. If we can't determine it to be that, we would
8 consider it to be a statistical failure -

9 MEMBER ARMIJO: Okay. I understand what
10 you're doing.

11 MEMBER BLEY: I'm still not completely
12 clear. Is this, I'll call it an exclusion of things
13 attributed to fabrication/erection practices. Are the
14 things you're excluding there, the things where you
15 think whatever you find occurred at that time of
16 construction, and nothing has happened since then?

17 MR. CUSTER: Let me offer, for instance,
18 during fabrication or erection, if an arc strike were
19 to have occurred on the wall, as we all know, those
20 get blended. There would be some pattern to it. We
21 would need to assess whether we thought that was an
22 arc strike, or if it was localized pitting attack,
23 rather than just a general surface. If we could
24 discriminate that, we would determine it to be just
25 that, an erection-type practice.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Okay. So, it's not a --
2 it's something that wouldn't have been a corrosion -

3 MR. CUSTER: Something not attributed to
4 corrosion.

5 MEMBER BLEY: Okay. Thank you.

6 MEMBER CORRADINI: So, just to be clear,
7 we've been gabbing privately. So, everything that's
8 greater than 10 percent is in until you determine,
9 based on some thinking process, that it now falls back
10 out.

11 MR. CUSTER: That is correct.

12 MEMBER CORRADINI: Got it. Thank you.

13 MEMBER BROWN: Can I ask a question,
14 please? The unexamined area that you talked about, 95
15 percent confidence at 95 percent of the unexamined
16 area, does the unexamined area include the
17 inaccessible part of the liner, or just the accessible
18 part of the liner?

19 MR. CUSTER: The area for UT would be the
20 UT accessible area. Keep in mind -

21 MEMBER BROWN: I understand that part, but
22 you're doing your statistics based on the unexamined
23 areas. Is that -

24 MR. CUSTER: It would be based on the
25 accessible section of the liner.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: So, all of the inaccessible
2 is not included in the statistical evaluation.

3 MR. CUSTER: That is correct. What we
4 would use is, we would use the information, the data
5 that we got from the random sample plan to gain the
6 insight. We would then need to apply some statistical
7 analysis to that to determine what we would think
8 about the inaccessible portion.

9 MEMBER BROWN: How much of the total
10 containment liner, percentage-wise, is inaccessible?

11 MR. CUSTER: Dave, do you want to talk to
12 that?

13 MR. GRABSKI: Yes, Dave Grabski.

14 MEMBER BROWN: It probably would just be a
15 number.

16 MR. GRABSKI: Yes, it's actually less than
17 6 percent of that part of the portion of the
18 containment liner that is susceptible to this -

19 MEMBER BROWN: I'm talking about the whole
20 liner, the whole liner.

21 MR. GRABSKI: Yes, the wall and the dome.

22 MEMBER BROWN: Yes. And you say only 6
23 percent is inaccessible.

24 MR. GRABSKI: Right. Things like the
25 elevator shaft, and also the floor. There's two foot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of floor that covers -

2 MEMBER BROWN: The lower portion.

3 MR. GRABSKI: Right. We have, also, we
4 have overlay.

5 MEMBER BROWN: So, that's the 6 percent
6 that you're talking about. That's all part of the 6
7 percent?

8 MR. GRABSKI: That is correct.

9 MEMBER BROWN: Thank you.

10 MR. CUSTER: Okay. Continuing on, let's
11 take a look at the examination plan summary then.
12 That would be Slide 13, for Unit 1.

13 For Unit 1, we'll be doing additional
14 visual inspection in the year 2010. That's 100
15 percent IWE visual inspection. In 2012, that's our
16 normal scheduled IWE visual inspection that will be
17 done, as well. Non-random examination schedule, we'll
18 begin the non-random examination schedule in this
19 current fuel cycle. All eight of the non-random exams
20 will be completed by December 31st, 2010. With respect
21 to the random examination schedule, the initial sample
22 consisting of a minimum of 75 will be complete by the
23 end of the next three refueling outages.

24 After we gather the data, we will evaluate
25 if a statistical method to analyze the data, so that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we can gain additional insight for the general liner
2 condition can be applied. We will document a summary
3 of the examination plan results, and the entire random
4 sample plan will be completed prior to entering the
5 period of extended operation.

6 At Unit 2, similar to Unit 1, we will
7 complete an additional IWE visual inspection. A
8 visual inspection will occur in this 2009 outage
9 upcoming for Unit 2, and the normal scheduled IWE
10 examination will be completed in 2011 during that
11 refueling outage. The non-random examination schedule
12 will be completed prior to entering the period of
13 extended operation, and the random sample examination
14 schedule will consist of a minimum of 75 random
15 samples.

16 We will commence that random sampling by
17 the end of the refueling outage in 2011. As we gain
18 data, we will evaluate if a statistical method to
19 analyze the data and gain additional insight for the
20 general liner condition can be used. We'll document a
21 summary of the inspection plan results, and the entire
22 random sample plan will complete prior to entering the
23 period of extended operation.

24 What that, I'd like Mark Manoleras to -

25 MEMBER STETKAR: Can I ask you a question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CUSTER: Yes.

2 MEMBER STETKAR: If your non-random
3 examination process is what I'd call kind of an
4 informed sampling process, where you're checking in
5 areas where you have somewhat suspicion that there
6 might be a problem, why are you deferring that non-
7 random examination on Unit 2 until sometime before
8 2027, rather than doing that now?

9 MR. CUSTER: We simply haven't seen the
10 problem at Unit 2. We've done some additional look at
11 the construction practices used at Unit 2. We believe
12 the use of wood was very limited at Unit 2. Instead
13 of the, for instance, and this is recent discovery, it
14 looks as though the liner rather than use wood
15 spacers, actually used welded angle wire as a
16 standoff. So, that's one of the reasons why -

17 MEMBER STETKAR: Well, that might be
18 different criteria for selecting locations that you
19 check on Unit 2, but I guess I still don't quite
20 understand the rationale of why not check those
21 perhaps different locations sooner than later?

22 CHAIRMAN BONACA: Let me ask you maybe in
23 a different way. You have three outages in which you
24 would perform 75 UTs. What happens if in the first
25 batch of 25, you have findings, are you going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 accelerate the number of UTs? I mean, are you going
2 to change these groups of 25?

3 MR. CUSTER: What we would have to do is,
4 we would have to address them in statistical fashion
5 so that we maintain that confidence level, yes. We
6 would have to take a look and see, based on the
7 information that we gain, would there be further
8 insight? How do we adjust the plan? We would have to
9 adjust the plan to maintain a statistical 95-95
10 confidence level, yes.

11 CHAIRMAN BONACA: You will adjust the plan
12 both in terms of how many are going to inspect, as
13 well as the timing?

14 MR. CUSTER: We would have to look at it
15 to extend the cause, number one. If we gain more
16 information, look at locations that would be similar,
17 for instance. And we would have to adjust the sample
18 plan. That's correct.

19 MR. SENA: Again, if I can clarify, if
20 through the non-random inspections we find an item
21 that would exceed the statistical failure criteria
22 resulting in an increased population, we did commit
23 that that entire random sample plan, even if we have
24 to increase the population, would be complete before
25 the period of extended operation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now, one of the things that we believe is
2 very important is that that initial 75 -- minimum 75
3 samples be complete within the next three outages.
4 What that then affords is the staff to come in during
5 their 71003 inspection, and assess those results,
6 opportunity to inspect, assess, evaluate what we've
7 done in our corrective action program before the
8 period of extended operation.

9 MEMBER RYAN: You know, I'm a little
10 confused. You're talking about random sampling and
11 biased sampling all in the same sentence, and the
12 statistical criteria that you quote. It's a little
13 confusing the way you're talking about it. You've got
14 75 random samples -

15 MR. SENA: Correct.

16 MEMBER RYAN: -- from which you can get a
17 percentage of positives versus negatives, and do the
18 usual statistics. How do you deal with that random
19 program separate from, let me call it a biased
20 sampling program, where you're going where you think
21 you're really going to find something, and it's not a
22 random selected location?

23 The reason I'm asking this is, it's very
24 important to sort out what your rates of positives
25 are, that is, finding the corrosion on a random basis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 versus fixing the things you know that are already
2 present, and I would call a biased location where
3 you're more likely to expect that. So, all of that
4 has to be kind of carefully laid out, so that you can
5 interpret rates of potential failure in other
6 locations in the future, both in time, and in
7 location. So, help me out.

8 MR. MANOLERAS: Yes. This is Mark
9 Manoleras, again. You bring up a good point. And
10 there are many questions, and many combinations of
11 failures, so let me try to provide some clarity. Our
12 random sample plan will be taking a look at the liner
13 to insure that we have a 95 percent probability, 95
14 percent confidence level that the accessible portions
15 of the liner don't have signs of degradation beyond
16 the liner that we talked about, so that's extremely
17 important. So, our sample plan would be adjusted -

18 MEMBER RYAN: What's the assumption behind
19 that result? I mean, because the distribution of the
20 pitting locations allows you to determine that. I
21 still don't know the basis for your test criteria.

22 MR. MANOLERAS: Okay, yes. This is one
23 portion of the test that we're talking about here.
24 We're talking about the random portion of that. We
25 also then have the non-random portion, where we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basically taking a look at areas for cause, where
2 we're going out and we're saying hey, there's a very
3 good opportunity that similar conditions may exist.
4 So, we're taking a look at this from a non-random
5 perspective, and we're not -- we do not take a non-
6 random failure into the 95-95 percent random equation.

7 MEMBER RYAN: I want to go back to the
8 random. I understand the biased. It's at the
9 interface. It's where something happened before.
10 It's at a bolt, whatever it is. That's fine. I
11 appreciate that. But I don't understand how you can
12 say 95 percent confidence interval. What's the basis
13 for the number of samples being 75? How did you get
14 to that 75 is the right number to meet that criteria?

15 MR. SENA: We understand.

16 MR. CUSTER: Yes. Let me just quickly
17 describe 75. If we need to talk further details, I'll
18 ask Dr. Harlow to speak to it.

19 MEMBER RYAN: If you have a statistical
20 sampling plan in which this is laid out, that would be
21 just fine. I'd like to see that.

22 MR. CUSTER: That's basically where we
23 are. We chose the number 75, we felt as though it's
24 actually bounded by NUREG 1475, so we chose that as --
25 a minimum of 75 as an area to start.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: That's different. Then
2 that's based on a statistical test criteria. So, I'm
3 just trying to understand, if you're starting with 75,
4 because that seems like a good place to start, okay.
5 But it doesn't tell you what your ultimate statistical
6 results -

7 MEMBER STETKAR: No, that's how you get to
8 the 75, is from the 95-95.

9 MEMBER RYAN: But I haven't seen how you
10 get there yet.

11 MEMBER POWERS: Yes. It's just an
12 independent, identically distributed occurrences of
13 corrosion. Seventy-five is pretty close to a 95-95 --
14 I mean, plus or minus one.

15 MR. MANOLERAS: It would be supported by
16 analyses; the number 75 is supported by analyses.

17 MEMBER RYAN: Again, if you have a written
18 plan, it would be helpful to read it.

19 MEMBER POWERS: And this is a fairly
20 unusual sampling. It's not like a production process.
21 One failure causes massive rethinking of this whole
22 thing.

23 MEMBER RYAN: Bingo.

24 MEMBER POWERS: They've got to come up
25 with zero indications, or -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MANOLERAS: Our sampling plan -

2 MEMBER POWERS: -- zero unexplainable
3 indications. And then you walk away.

4 MEMBER BLEY: And from -- they pointed us
5 to a methodology document last time around. Now, let
6 me just ask a judgment question -

7 MEMBER RYAN: The methodology document is
8 different -

9 MEMBER BLEY: -- that follows up on what
10 Dana said.

11 MEMBER RYAN: Dr. Bley, a methodology
12 document isn't necessarily the same as -

13 MEMBER SHACK: This is a truly simple-
14 minded argument. This is simply a binomial sampling:
15 red balls, white balls, 95-95, you come up with the
16 number.

17 CHAIRMAN BONACA: Let just say -- I would
18 like to say one thing following my line of thinking
19 before. You're tying together the three inspections
20 to license renewal, because you're saying that they
21 are going to complete it during this before the period
22 of extended operation.

23 MR. CUSTER: That is correct.

24 CHAIRMAN BONACA: So that seems to justify
25 a pace that is pretty slow, in so far as the way you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 do the inspection, which presumes that you're not
2 going to have many problems there. Assume that you
3 have the first set of 25, and you find some problems,
4 I would view that it would be important not any more
5 to key your objection on the license renewal. It seems
6 to me that they would become more and more of a
7 current license period problem. Would you -- I'm
8 trying to understand how aggressively you would change
9 your inspections to reflect that kind of conditions.

10 MR. SENA: Again, this is Pete Sena. So,
11 the plan currently, the minimum of 75 to do within the
12 next three outages at Unit 1, that was picked
13 specifically, such that it was done before the NRC's
14 71003 inspection.

15 If we find a problem, let's say at the
16 next outage, we do our first sampling of 25, we find a
17 problem, it has to be entered into our corrective
18 action process. We have to evaluate that, expand its
19 scope, and go through a timeliness evaluation to pull
20 up and do an accelerated schedule. All right?

21 So, again, I can go under hypothetical
22 scenarios, but the bottom line is, what we find, we
23 have to evaluate, characterize, put into corrective
24 action, assess and correct in a timely manner. If
25 that would then entail accelerating it, that may just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be the case.

2 CHAIRMAN BONACA: Let me ask you one last
3 question. Your judgment, I mean, you live there, you
4 have inspected there, you have looked, is your
5 expectation that you'll find defects or not?

6 MR. SENA: No.

7 MR. CUSTER: Our expectation is we would
8 find no defects.

9 CHAIRMAN BONACA: No defects.

10 MR. CUSTER: That's our expectation going
11 in.

12 MEMBER SHACK: That's his statistical
13 hypothesis.

14 CHAIRMAN BONACA: But I wanted to hear
15 that, because, again, I mean, there is -

16 MEMBER SHACK: You can have some side
17 bets.

18 MEMBER BLEY: It also follows their 100
19 percent visual inspection. I don't know if that
20 answers the same way, if you ask him that question.

21 VICE CHAIRMAN ABDEL-KHALIK: I still
22 haven't heard the answer to Mr. Stetkar's question, as
23 to the logic for delaying the non-random examination
24 for Unit 2, if it is expected to inform the random
25 examinations for Unit 1. The non-random examinations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for Unit 1 are expected to inform the random
2 examinations for that unit. And the question is, if
3 that is the case, why are you delaying the non-random
4 examinations for Unit 2?

5 MR. SENA: So, on Unit 2, we have not
6 identified any corrosion of concern. We have
7 continued to perform our visual inspections, Type A
8 inspections. However, but, we do need to do UT exams.

9 We agree with you. Now, timeliness of those UT
10 exams, all we are saying here is that they will be
11 completed prior to the period of extended operation.
12 And we have not yet laid out the time line for the
13 Unit 2 examinations. No known issues, but our first
14 course of action, the priority is Unit 1 on the non-
15 randomness. We do the non-randoms on Unit 1 by 2010,
16 essentially within the next 13-14 months. If we find
17 issues on these non-random inspections, extended
18 condition would then dictate an increased time line on
19 Unit 2, as well.

20 VICE CHAIRMAN ABDEL-KHALIK: Right.

21 MR. SENA: A narrower time line, a quicker
22 time line. So, again, our inspections are OE-based.
23 What else do we find? We do not expect to find
24 anything, have not found anything. Construction
25 practices were different at Unit 2, so if there is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 need to, we certainly would. Right now, the only
2 formal docketed commitment is that we would do it
3 before the period of extended operation.

4 MEMBER STETKAR: I guess I still don't
5 understand the rationale for Unit 2. You're saying
6 that because you have not had any problems with Unit
7 2, you don't expect to have any problems with Unit 2.

8 Therefore, you don't need to go look for any problems
9 with Unit 2. Wouldn't -- let me turn it around and
10 say, as a confidence builder, wouldn't it be good to
11 go look at the areas of Unit 2 early, to further
12 reinforce your confidence that, indeed, you don't have
13 any problems with Unit 2, and, indeed, the two units
14 are very different, for whatever reason.

15 MR. SENA: All right. So, again, yes, we
16 have not found anything. Do I expect to find
17 something? No, I don't, but we are going to go do
18 non-random samples. Now -

19 MEMBER STETKAR: But if I don't do those
20 until 2027 -

21 MR. SENA: That's not what we're saying.
22 We are not saying we're going to delay it until 2027.
23 All right?

24 MEMBER STETKAR: Well, you're not saying
25 you're going to do it in 2012, either.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SENA: And that's what we're looking
2 at from our timeliness aspect.

3 MEMBER STETKAR: Okay.

4 MR. SENA: Will it be done before the
5 period of extended operation? Absolutely. Could it
6 be done by 2015? Certainly. Could it be done by
7 2014? Certainly. We have not laid out that time
8 line, as of yet.

9 MEMBER ARMIJO: What's your -- you may not
10 have a detailed time line, but what is your intention?
11 Do you want to get this thing out of the way, and out
12 of your hair quick, or do you want to just let it go
13 until it's convenient?

14 MR. SENA: So, again, so we go back to my
15 discussion about the INPO principles. All right. We
16 certainly want to get this out of the way and done.
17 All right? We need to look at our outage scope, our
18 outage inspection plans.

19 MEMBER ARMIJO: Okay.

20 MR. SENA: Non-destructive examination
21 resources, other activities within scope, and simply
22 get this done, and get it behind us. What would be
23 most beneficial to us, all right, again, at Beaver
24 Valley, is to complete the non-random in addition to
25 the completion of Unit 1 before the 71003 inspection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Our goal, our ultimate goal is to have all the
2 information available to the NRC before the 71003
3 inspection. That, to us, is our critical juncture.

4 MEMBER ARMIJO: Okay.

5 MEMBER BLEY: Have you finished with your
6 presentation?

7 MR. CUSTER: Yes.

8 MEMBER BLEY: Thank you very much, and I
9 would like -

10 MEMBER POWERS: Dennis, I would like to -

11 MEMBER BLEY: Yes, Dennis.

12 MEMBER POWERS: I would like to come to
13 your last slide. I don't think he had a chance,
14 actually, to walk through it.

15 MR. MANOLERAS: Okay, yes. Pete's already
16 talked a little bit about the first bullet, but let me
17 follow-through there. Again, this is Mark Manoleras.

18 The liner through-wall defect is consistent, we
19 believe, with other industry limited OE on the
20 subject. We believe our examination plan will
21 incorporate that recent OE, and also provides
22 reasonable assurance of the liner condition prior to
23 the period of extended operation.

24 The important thing is, also, the results
25 of the examination plan will be shared with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 industry, and the results of the inspections, or the
2 examinations, will be docketed following their
3 completion.

4 MEMBER POWERS: What I would like to
5 explore just a little bit with you is, we're asked to
6 reach a conclusion of reasonable assurance at this
7 particular structure, which is an important element of
8 defense-in-depth can be managed, with reasonable
9 assurance it can be managed in the period of extended
10 operation. And, unfortunately, we're being asked to
11 come to that conclusion today, and not at the end of
12 your inspection. And I wondered how you thought we
13 would come to that conclusion? How do I reach this
14 conclusion of reasonable assurance today?

15 MR. CUSTER: Let me respond to that.
16 We've laid out an examination plan, we've laid out the
17 process by which we will further identify, either
18 verify, or determine if it does not exist in our
19 containment liner. We've described to you what our
20 actions would be. We've described to you what our
21 timeliness would be. As we said, as we find things,
22 we will characterize what we find, we'll evaluate
23 them, and readjust our plan to provide the confidence
24 level that this condition does not exist in our liner.

25 MEMBER POWERS: But we should focus in our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 deliberations on whether we have reasonable assurance
2 or not on, first, the quality of your plan, and the
3 criterion by which you declare defect. Now, what
4 constitutes a defect? You've taken a reasonably
5 conservative, 10 percent pitting that you can't
6 otherwise explain is considered a defect. And it's on
7 that basis that you think, plus all the other stuff
8 which you've submitted, and you've submitted quite a
9 lot of stuff, but that's the key thing that we should
10 focus on in arriving at a conclusion of reasonable
11 assurance. That's your position, or your
12 recommendation to us.

13 MR. SENA: Well, again, in addition with
14 what we've done to-date. So, it's the Type A test,
15 recognize that we did on Unit 1 complete the visual
16 exam of 100 percent of the accessible liner, found no
17 other issues with the rest of the liner. Our next
18 outage, we will do another 100 percent visual
19 inspection of the liner.

20 MEMBER POWERS: When is your next
21 integrated leak rate test scheduled for?

22 MR. CUSTER: I'd ask Jack Paterson, our
23 system engineer, looking that up right now.

24 MEMBER POWERS: Jack, you can give me a
25 round number. I don't need a specific date.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Time and date.

2 MR. PATERSON: We completed our last Type
3 A leak test 2006, spring 2006. It will be 10 years
4 from that, roughly 2016.

5 MR. SENA: And, if I can, Jack is the
6 engineer who identified this paint blister. Jack is
7 the engineer that's done this year in/year out, and
8 has done the 100 percent visual inspections. Jack, do
9 you want to maybe comment on the health of the liner,
10 what you've seen?

11 MR. PATERSON: I take pride in the liner,
12 and the containment buildings, both units. I think
13 they're in excellent condition, both units. We
14 maintain our liners. With the new containment sump
15 issues that have -- in the industry, we've really gone
16 over our liners, particularly looking for any paint
17 defects, and repairing them. I feel very confident
18 with both our liners.

19 MEMBER ARMIJO: Thank you.

20 MEMBER POWERS: That is helpful, by the
21 way. I mean, you understand what our problem is. We
22 don't have the benefit of waiting for your sampling
23 results. We have to arrive at a conclusion now, and
24 I'm struggling a little bit with the -- what I hang my
25 hat on to arrive at that. And what you've said is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 very helpful.

2 MEMBER BANERJEE: I think it would be
3 helpful for me -

4 MEMBER POWERS: And Mr. -- your liner
5 engineer is -

6 MR. SENA: Mr. Paterson.

7 MEMBER POWERS: Mr. Paterson is
8 confidence-inspiring.

9 MEMBER BANERJEE: It would be helpful for
10 me if you would, perhaps you've said it already,
11 explain how assured that these things are not
12 progressive. In other words, will there be sort of a
13 repeat check to see that, indeed, whatever you find
14 happened earlier, and nothing is going on now, which
15 continue to sort of age and diverse during this period
16 of extended operation? Just make it sort of a summary
17 statement as to how you give us that assurance.

18 MR. CUSTER: We don't believe we have an
19 issue that we're going to find. However, if we find
20 an issue, we're going to look at it. We're going to
21 characterize it, evaluate it. We'll consider what we
22 need to do in our sample plan to look further. We'll
23 put it in our corrective action plan. Pete has
24 addressed how we would look at the timeliness issue.
25 That's how we would handle it, as we go forward.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: But how will you
2 identify that issue?

3 MR. SENA: So, we go through the UT
4 inspections, speculate we find an area of concern. We
5 can speculate and say it's 8 percent degradation.
6 Eight percent, we evaluate, we characterize, we do not
7 walk away. We have to make then a decision, we would
8 then continue to monitor that exact same location to
9 identify if the corrosion mechanism is still
10 occurring, and still active, or do we evaluate and say
11 at 8 percent, that's unacceptable. Let's cut it out,
12 remove it, and do an analysis of that plate that we
13 removed, and identify what's behind it.

14 MEMBER ARMIJO: Well, that's what you're
15 doing with the defect you found in 2006. You're
16 continuing to monitor to see if it's an active
17 corrosion, rather than just patching it, and
18 forgetting about it.

19 MR. SENA: That is correct.

20 MEMBER BANERJEE: Okay. So, what you're
21 saying is that if you don't cut it out and fix it,
22 then you will continue to monitor it.

23 MR. SENA: Absolutely.

24 MEMBER BANERJEE: And if you then see
25 deterioration, then there is some mechanism operating,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 which is related to aging, or maybe aging. I don't
2 know. I'm not sort of getting a clear picture of how
3 you will know that there are no progressive aging-
4 related effects. What are you going to do to address
5 that issue? Okay. So, you find something, you cut it
6 out. There's no way to know what's going on. Right?

7 CHAIRMAN BONACA: No, they will assess
8 where it's coming from. If it is an original defect,
9 if it is, in fact, progressive, and monitor progress
10 in case of doubt there is concern with progress
11 currently.

12 MEMBER BANERJEE: I agree, but now they
13 remove this piece for this area, they found these
14 things on the liner. At that point, they say they
15 don't know what caused this, whether this is something
16 related to -- and there's no real root cause
17 identified. In fact, if you look at their slides, they
18 leave it open. Right? Wherever this is. They don't
19 know. They say, three areas of corrosion were
20 identified on the liner plate. The lab analysis has
21 not identified the cause for the corrosion. That's
22 the statement. Right?

23 MR. CUSTER: If I may address that
24 question. In 2006, that evidence was destroyed by
25 hydro demolition. We took the removed areas, did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 analysis on those removed areas. It was non-
2 conclusive. But as you look at those areas, those
3 areas had roughly a one foot by one foot area. There
4 was something localized going on. There was localized
5 pitting attack. It's true, that a direct cause, the
6 exact material could not be identified and found, but
7 it is quite apparent to me that it was due to foreign
8 material. We found in 2009 that the direct cause of
9 the corrosion was, in fact, foreign material, a piece
10 of wood, a piece of two by four. It had a very low
11 pH, and it had a high moisture content, which
12 accelerated that corrosion rate. And we would perform
13 an analysis of areas removed similar to what we just
14 did in 2009.

15 MR. SENA: And in all cases going forward,
16 as we've done in the past, if we find an area of
17 concern, an area of degradation, this cannot be a fix
18 and forget. It has to go through, you characterize,
19 you evaluate, and determine the right course of
20 action, dependent upon what we see.

21 CHAIRMAN BONACA: Okay. We're well beyond
22 schedule. I mean, almost an hour. So, let's move on
23 to the other two presentations.

24 MEMBER BLEY: Okay. It's time to move to
25 the Staff. And maybe you can address a few of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 last questions from the Staff's point of view.

2 (Off the record comments.)

3 MR. HOLIAN: Ready to resume?

4 CHAIRMAN BONACA: Let's resume the
5 presentation.

6 MR. HOLIAN: Okay. This is Brian Holian,
7 Director of the Division of License Renewal, just
8 resuming with the Staff's presentation. I'll make
9 introductions right now. We will speed up the Staff's
10 presentation, and particularly concentrate on
11 questions on the slides, especially the first four or
12 five slides, or six are somewhat duplicative of what
13 the Licensee has provided. So, we'll quickly step
14 through those, but please pause and ask us any
15 questions on any of that material.

16 At the middle of the Staff table is Kent
17 Howard. He's Project Manager for Beaver Valley. To
18 his left and right are Hans Ashar and Abdul Sheikh,
19 two Senior Technical Structural Reviewers on the
20 Staff. In the audience are many members that I won't
21 introduce at this time, Dr. Sam Lee, Dr. Raj Auluck.
22 Sam is a Deputy in the Division of License Renewal,
23 Raj Auluck has got the branch involved with
24 structural, and mechanical pieces. We also have two
25 senior-level advisors from NRR Staff, Kamal Manoly,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and Allen Hiser, two senior-level, and several branch
2 chief and staff members. This issue does cross both
3 the License Renewal Division, of course, and the
4 Technical Structural Divisions in NRR. And we've
5 worked together on this issue during the license
6 renewal, and in the time period from the last meeting.

7 With that, I'll it over to Kent.

8 MR. HOWARD: Good morning. As Brian
9 stated in the introduction, my name is Kent Howard. I
10 am the Project Manager for the Beaver Valley license
11 renewal application.

12 Since our last meeting on July the 8th, the
13 Staff has been aggressively pursuing a resolution to
14 the containment liner issue. Since that time, we have
15 had a total of eight conference calls. There have
16 been four amendments to the LRA. We're still working
17 on it. As a result, there are revised UT commitments.

18 Also, there have been new commitments added for non-
19 random, submitting the results of the UTs to the
20 Staff, and, also, looking at alternate statistical
21 analysis. The volumetric examination sampling plan,
22 the timing and acceptance criteria, have been
23 clarified, and will be addressed in our presentation.

24 So, we'll get the next slide, go through it a brief
25 time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 This slide highlights some of the
2 information on the Beaver Valley Units 1 and 2
3 containments, the concrete containments are steel
4 lined reinforced concrete. The concrete shield is 54
5 inches thick. The liner plate is three-eighth inches
6 thick. The containments were originally designed to
7 sub-atmospheric, but were converted to atmospheric
8 containments in 2006. Next slide.

9 For the remainder of our presentation, I
10 will now turn it over to be Abdul Sheikh.

11 MR. SHEIKH: So, this slide is just a
12 repetition of whatever the Applicant has presented.
13 The only item of interest is I have put some numbers
14 on the pH value of 3.7, on the piece of wood which was
15 found, and the moisture content of the wood was 13
16 percent, just to give you an idea.

17 MEMBER POWERS: Why is the pH so low?

18 MR. SHEIKH: The wood pH is low, as far as
19 we can figure out, is during the concreting operation
20 the water from the concrete was absorbed by the wood,
21 and it stayed there.

22 MEMBER POWERS: Water from concrete would
23 ordinarily have a pH of what, 10.8? Why did the wood
24 become acidic?

25 MR. ASHAR: Normal calcium iron oxide pH

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will be 12.5 with concrete, but as the wood pieces,
2 like two by four, they start absorbing more and more
3 of carbon, they being organic in nature, they must be
4 having acidic characteristic to pitting to the -- I'm
5 not a causal engineer. I can't talk more about it,
6 but the pH value that was found by the applicant was
7 3.5. That is what they told us, 3.7.

8 MEMBER POWERS: I just wonder why.

9 MR. ASHAR: Please?

10 MEMBER POWERS: Why?

11 MR. ASHAR: Why it happened?

12 MEMBER POWERS: Why did it become acidic?

13 MR. DAVIS: Dana, can I answer that? If
14 you have ferrous hydroxide, the pH will be about 1.1,
15 so if you have active corrosion occurring, you would
16 expect a low pH. Jim Davis, from the Staff.

17 MEMBER POWERS: I guess I didn't
18 understand the answer.

19 MR. DAVIS: Okay. If you have active
20 corrosion occurring, you're going to produce ferrous
21 hydroxide, which has a pH of about 1.1, so it's in the
22 vicinity of the concrete, so a pH of 3.7 is not
23 unreasonable, if you have active corrosion occurring.

24 MEMBER POWERS: But this is a chicken and
25 an egg problem here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. DAVIS: Not what you asked.

3 MEMBER SHACK: He's starting with a pH of
4 say 10, and wondering how he's going to get corrosion.

5 Now, if you get corrosion -

6 MEMBER POWERS: I get a low pH.

7 MEMBER SHACK: But how do you get the
8 process started with a pH of 10?

9 (Simultaneous speakers.)

10 MR. DAVIS: -- with the steel. And once
11 you start getting corrosion, the pH drops very
12 rapidly.

13 MEMBER POWERS: What you're saying is
14 then, that the corrosion caused the wood to become
15 acidic. The wood didn't become acidic and cause the
16 corrosion.

17 MR. DAVIS: Say that again.

18 (Laughter.)

19 MEMBER RAY: Dana, I think he's saying the
20 wood doesn't protect the steel from corrosion the way
21 the concrete would have done.

22 MEMBER POWERS: Well, then the question
23 becomes what caused the corrosion?

24 MR. DAVIS: The wood caused the corrosion.

25 MEMBER RAY: Well, I guess I thought that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if you don't protect the steel, it will corrode in the
2 presence of moisture. And then -

3 MEMBER POWERS: Any kind of moisture
4 coming in there was going to be roughly equilibrated
5 with the concrete, and it's going to be exceptionally
6 basic. And basic solutions do not attack mild steel.

7 MEMBER RAY: Okay. But that's the
8 hypothesis.

9 MEMBER BANERJEE: Need a little CO2.

10 MEMBER RAY: That's the response, I think.

11 MEMBER BANERJEE: Typically, in pipelines,
12 if you have water and CO2, you get pitting corrosion.

13 MEMBER POWERS: Yes. I mean, there you're
14 running a pH of what, 6, something like that?

15 MEMBER BLEY: And something very local,
16 undoubtedly, gets it started. Huh?

17 MR. CUSTER: This is Cliff Custer from the
18 utility. I'm the Project Manager. It was customary in
19 the late '60s and early '70s, prior to use of
20 wolmanized wood, to treat two by fours with borated,
21 boric acid, basically, to keep the bugs out.

22 MEMBER POWERS: Yes. Okay.

23 MR. CUSTER: And that's where we believe
24 that the pH became -

25 MEMBER POWERS: That's the answer I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 needed.

2 MR. SHEIKH: Okay. The next slide just, I
3 tabulated the industrial operating experience. And,
4 as you can see, there were three plants, the
5 Brunswick, which is atmospheric containment BWR, and
6 North Anna, which is a PWR sub-atmospheric, and DC
7 Cook, which is a PWR atmospheric containment.

8 As you can see in all these cases, I have
9 tabulated they were all -- the root cause was
10 identified as a foreign object found behind the liner
11 when the hole was discovered. There was another case
12 in which the pieces of wood were found at the Surrey
13 Unit 2 external surface, but it was not related to
14 through-wall corrosion. The pieces of wood were found
15 on the surface, outside surface, and they were
16 removed, and there was no impact on the liner. Next
17 slide.

18 Here I have just summarized the
19 degradation root cause. Industry has operating
20 experience, as has been mentioned before. The root
21 cause is identified as foreign objects behind the
22 liner. Beaver Valley has also concluded that the
23 construction imperfections of the wood behind the
24 liner has created the corrosion. And the Staff also
25 believes that the foreign objects are the root cause

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the through-wall corrosion. However, additional
2 visual and volumetric examinations planned by the
3 applicant will provide additional insight regarding
4 the potential corrosion mechanism in the liner.

5 MEMBER RAY: Okay. Excuse me. Now, this
6 is kind of a generic conclusion, which I think is
7 very, very helpful to me, at least. Yesterday, we
8 were looking at a different containment design, one
9 that had a very -- cork they called it. I don't
10 really know what it was, but, anyway, the liner was
11 protected by a very extensive cork layer, so there was
12 no concrete in contact with the steel. Yet, on the
13 other hand, it's protected against moisture intrusion
14 by a moisture barrier. Is the conclusion that you
15 would draw here that that moisture barrier is
16 important to keep the moisture out of the cork, and,
17 thereby, not in contact with the steel? I'm trying to
18 differentiate now. I realize I've gone off, not
19 talking about Beaver Valley now.

20 MR. ASHAR: I was present in yesterday's
21 presentation.

22 MEMBER RAY: I understand, but yes?

23 MR. ASHAR: I was present in yesterday's
24 presentation, and I understand the discussion that
25 went on with the SEIS. And there are -- most of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concrete plants, I mean, reinforced concrete as well
2 as simple concrete, the moisture barrier as between
3 the liner and the concrete, fill concrete, as they
4 call it. And the -

5 MEMBER RAY: He's agreeing with you.

6 MR. ASHAR: Yes. I thought it was some
7 problem with hearing me, what I was saying.

8 MEMBER RAY: I don't want to take too much
9 time on this.

10 MR. ASHAR: No, no.

11 MEMBER RAY: This was a generic issue
12 here. Go ahead.

13 MR. ASHAR: Yes. This has happened in
14 number of plants, the corrosion of liner at the
15 interface between the liner and the concrete has
16 happened in number of other plants. All have some
17 type of a cork material underneath that moisture
18 barrier. Okay. Moisture barrier has been found
19 effective. Now, there are new formulation of moisture
20 barriers, which are much better than the old one,
21 which do not degrade with time as badly as today's
22 moisture barriers. And they found in each case that I
23 looked at, they found the corrosion only in the area
24 where the moisture barrier was degraded, so it came
25 out of pieces cracked up, and then the water went in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And they also inspected the area underneath that,
2 where the cork is there, and they don't find corrosion
3 in that area.

4 MEMBER RAY: Okay. Like I say, I've taken
5 us off on a tangent. I apologize.

6 MR. SHEIKH: Yes, so the mechanism I have
7 only put on the slide is where the through-wall
8 corrosion took place. The other corrosion which are
9 like the cork material, I didn't put in this slide.

10 MR. HOLIAN: Yes. This is Brian Holian,
11 Director of License Renewal. So, we're talking
12 degradation from water on the inside with the moisture
13 barrier that we saw yesterday, and then on the
14 outside. One thing I will add, though, is - and even
15 TMI was ready yesterday to address that, should that
16 have come up, on their containment design, are they --
17 would they be more prevalent for wood, or foreign
18 material to be in there because of the location of
19 rebar even. And they do not believe -- certain
20 containment designs do not believe that they're as
21 prevalent as where the rebar is right close to the
22 liner, in the case of Beaver Valley. So, that's one
23 point I want to bring up. I don't know if that's
24 exactly what you were getting at, but that's one issue
25 that even the Staff is continuing to look at.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SHEIKH: Okay. You know, this slide
2 is a repeat of the applicant sampling plan. The only
3 item that I want to point out is how the 75 samples
4 were selected. It's based on, as we address in the
5 last meeting, on the EPRI report, and if the -- and
6 there was some discussion, what happens if there's a
7 failure, so there is a simple equation with which you
8 can increase the number size, number of samples. For
9 instance, if you have a failure of one sample, the
10 size goes to 110. If you have two, it goes to about
11 142, and then you can continue on. So, that is the
12 only part on this slide. The other is just a repeat
13 of the applicant.

14 This slide just tabulates what the
15 applicant explained. Basically, there are two types
16 of findings of the UT examination. One, there is 100
17 percent loss -- 10 percent loss of liner thickness.
18 What will happen? And the first part, the first thing
19 we're going to do is to perform, as we understand,
20 there will be an engineering evaluation to determine
21 whether there is a statistical failure, which the
22 applicant went through in detail. What is a
23 statistical failure? And if this is a statistical
24 failure, then it will be entered into the corrective
25 action program, and it might -- this will increase the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sample size. And there was some questions; what will
2 happen afterwards? So, that same point will be
3 reexamined during the next outage, to see a trend in
4 the degradation. If the loss in thickness is less
5 than 10 percent, you go through the same process as a
6 loss more than 10 percent, only difference is the
7 sample size will not increase.

8 CHAIRMAN BONACA: The schedule we already
9 heard.

10 MR. SHEIKH: They already heard the
11 schedule, so we have gone over it.

12 The next slide, I just listed, we just
13 listed the generic implications of this finding in
14 2009 at Beaver Valley. The Staff is evaluating the
15 need to issue a supplement to the information notice,
16 which was issued in 2004, to tell the other licensees
17 to look at their plant, and see if there's any
18 applicable actions are required. NRC Office of NRR is
19 going to issue a user need to the NRC Office of
20 Research to investigate the corrosion mechanism in
21 more detail. A new agenda item has been included by
22 the NRC and other industry members in the ASME
23 Subsection IWE meeting to see how we can identify
24 corrosion, and early detection of the corrosion in the
25 liner plate. And changes are being made to the NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 refueling and outage activities baseline inspection
2 procedures to provide additional guidance to inspector
3 concerning containment walkdowns.

4 MR. HOLIAN: This is Brian Holian,
5 Director of License Renewal, just to add to that
6 slide. I mean, it shows what some of the questions
7 from the ACRS members are also posing. This is a Part
8 50 issue, and a Part 54 issue. The Staff realizes
9 that. We work together with the Part 50 divisions on
10 this. That's some of the items that you'll see
11 highlighted there. In particular, highlighting the
12 ongoing inspection. We have Region I on line now
13 listening. The inspector who was here during the last
14 outage is here in the audience, but it's that extra
15 piece that we don't always summarize so well for the
16 Committee, that gives an added assurance, as Dr.
17 Powers was going, that ongoing activities, and
18 inspection and enforcement aspects. We'll be looking
19 their corrective action system. Keep going.

20 MR. SHEIKH: So, that takes us to the last
21 slide, that we -- the Staff has concluded that there
22 is a reasonable assurance that the requirements of 10
23 CFR 5429 has been met, and the Beaver Valley Units 1
24 and 2 containment liner plate will comply with the
25 current licensing basis during the period of extended

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operation. That completes our presentation.

2 MEMBER POWERS: You've reached a
3 conclusion of reasonable assurance without the benefit
4 of this inspection program that's -- and I wondered
5 how you reached that conclusion?

6 MR. SHEIKH: We reached that conclusion,
7 as we discussed before, the applicant stated on the
8 basis of his inspection plan.

9 MEMBER POWERS: So, you have focused in
10 and said okay, the inspection plan, the criterion by
11 which it declares defect, the strategy it has for
12 responding to any findings in that, leads you to
13 conclusion of reasonable assurance.

14 MR. SHEIKH: Correct.

15 MEMBER ARMIJO: Doesn't the understanding
16 of the root cause of the problem contribute to your
17 conclusion of reasonable assurance?

18 MR. SHEIKH: That's part of our
19 evaluation, that we found that the industry operating
20 experience, as well as the applicant's finding, it
21 seems every time there is corrosion, through-wall
22 corrosion, a foreign object was found at the back of
23 the liner. Whether this is sub-atmospheric
24 containment, or atmospheric containment, or a BWR
25 containment, in each case, it was the foreign object,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 which was there to do the -- have the pitting at the
2 back of the liner.

3 MEMBER ARMIJO: Right. And I don't
4 disagree with that. Those are facts, observations.
5 The thing that's still -- I'm struggling with is, the
6 moisture issue, where did that water come from? You
7 can have a block of wood. I don't care what the pH
8 is, sitting on a piece of steel for ages, unless you
9 have liquid water somewhere, there won't be any
10 corrosion. So, for this wood to retain that much
11 water for such a long time is puzzling to me, and I
12 wonder if the Staff, or the Applicant can explain
13 where that water came from? Is it -- I've heard a
14 good explanation from Dr. Powers. I'd like to know if
15 the Staff -- so, I think I -- I have an explanation,
16 but I wonder if the Staff or the Applicant have an
17 explanation for that water?

18 MR. ASHAR: Yes. Earlier in one of the
19 slides, we did mention 13 percent moisture in the wood
20 piece that was given to us by the Applicant.

21 MEMBER ARMIJO: Sure. That's a
22 measurement.

23 MR. ASHAR: And where it comes from, the
24 way I would understand is that even in the hardened
25 concrete, there is a water-cement ratio. Now, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 starts with a water-cement ratio of .5 to .55, which
2 is very large amount of water. Then, as it dries out,
3 it still has chemically combined water in it, which is
4 estimated as close to .17 or so, water-cement ratio of
5 .17. There is normal moisture still available in
6 hardened concrete, which is separate, and only during
7 the very high temperature cases, or radiation effect,
8 or something like that. But that water-cement ratio
9 stays there, so there's always water there.

10 MEMBER ARMIJO: So, your belief: it's
11 water from the concrete that is exchanged, or
12 concentrated in the wood -

13 MR. ASHAR: In the wood, or -

14 MEMBER ARMIJO: -- over a period of time,
15 and is constantly available to provide corrosion.

16 MR. ASHAR: That's correct.

17 MEMBER ARMIJO: Okay.

18 CHAIRMAN BONACA: We need to move on.

19 MEMBER BANERJEE: This is going through
20 the wood. Right? I mean, water -- concrete in
21 contact with steel does not cause corrosion. So, is
22 it postulated that this foreign object exchanges water
23 with the concrete and makes it available for
24 corrosion? I mean, is there some such mechanism
25 proven?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: And lowers the pH.

2 MEMBER ARMIJO: I've never seen the proof,
3 but it's a -- Dr. Powers has an explanation.

4 MEMBER POWERS: I would suspect, without
5 knowing for sure, that what happens is, you turn this
6 plant off every once in a while, and the liner cools
7 down quickly. The concrete is still hot, the water
8 migrates up through the wood, saturates it. Then you
9 start the plant up again, and it progressively dries
10 the -- pushes the water back out, and you get a
11 cycling operation there, where the wood is just being
12 delayed in drying out, because it has a certain
13 absorptive capacity, has a certain ion exchange
14 capability that's probably enhanced as explained by
15 treating it with boric acid so it doesn't corrode.
16 So, it brings this water in, precipitates out, the
17 calcium out of the solution makes it -- replaces it
18 with boric acid, makes it acidic. It does a little
19 corrosion action for a while, then dries back out.

20 MEMBER BANERJEE: So, the mechanism you
21 are postulating is a continuing one.

22 MEMBER POWERS: Oh, yes. Yes.

23 MEMBER BANERJEE: If you've got a piece of
24 wood, it's going to continue to corrode.

25 MEMBER POWERS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: And it's a progressive -

2

3 MEMBER POWERS: Just cycling the pour
4 water of the concrete back and forth.

5 MEMBER ARMIJO: Which makes finding these
6 foreign objects important.

7 MEMBER BANERJEE: So it will get more
8 corroded after 40 years, and 60 years, and 30 years.
9 So it's an aging mechanism. Right? In some sense.

10 MEMBER RAY: I'm sorry. I missed the very
11 first part of what you said, but were you referring to
12 borated water?

13 MEMBER SIEBER: Or wolmanized wood. When
14 they -- I mean, the suggestion -

15 MEMBER RAY: But not borated because it
16 was on the inside.

17 MEMBER POWERS: No, no, no, no. It, as
18 the speaker from Beaver Valley pointed out, it's not -
19 - it was not uncommon in the past to treat
20 construction wood with a little boric acid -

21 MEMBER RAY: Absolutely.

22 MEMBER POWERS: -- so the ants and
23 termites didn't chew on it. And that was common.

24 MEMBER RAY: I thought maybe you were
25 referring to boric acid, which is another non-Beaver

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Valley issue that we're -

2 MEMBER POWERS: No.

3 (Simultaneous speakers.)

4 MEMBER POWERS: The BWR people try to
5 straighten them on that, but it didn't work. It
6 didn't take.

7 CHAIRMAN BONACA: Okay. I think we have -

8 VICE CHAIRMAN ABDEL-KHALIK: I'm just
9 wondering about the verb "will" in the second bullet.
10 Isn't that a little presumptuous, without knowing the
11 outcome of these inspections?

12 CHAIRMAN BONACA: I think that they will
13 do whatever they have to do in order to comply. They
14 have to.

15 MR. HOLIAN: The conclusion - this is
16 Brian Holian, License Renewal. The conclusion
17 includes the 43 commitments in the license renewal SER
18 that they abide by. Part of that is to do those
19 inspections, and the corrective actions for them. It
20 got talked about a little bit by the Licensee just
21 under their normal corrective action process that goes
22 on for any plant, but the correction action program is
23 built into these aging management programs and reviews
24 as a commitment on them to do what they said they were
25 going to do, which is, we find another error, we fix

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and correct it in accordance with a timely process.
2 So, that's -- the program is the will.

3 CHAIRMAN BONACA: Dennis, you have to
4 begin to control this meeting. We really have gone
5 out of control.

6 MEMBER RAY: Only one sentence, Mr.
7 Chairman, if I may. I want to thank you for
8 addressing generic implications here. That's very
9 welcome, from my standpoint. I think we'll need to
10 talk more about that in a different context than
11 Beaver Valley, is my view. And that's all I wanted to
12 say, Mr. Chairman.

13 MEMBER BLEY: I think at this point, it's
14 time to move on to public comments. And is Mr. Gunter
15 here? You may take the podium. Mr. Gunter is from
16 Beyond Nuclear.

17 MR. GUNTER: My name is Paul Gunter. I'm
18 with Beyond Nuclear. We're here in Tacoma Park,
19 Maryland, and I want to thank you for your -- for
20 sharing this time with me. I will cut to the chase.

21 We've been conferring with groups like
22 Citizens Power, and others who share concern,
23 particularly with regard to the containment corrosion
24 problem. And what we find is that there is no
25 reasonable assurance right now, particularly relying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on visual inspections, which we believe are not going
2 to give you a reliable, and reasonable assurance of
3 the aging of the containment liner, because it doesn't
4 look at the exterior. It's quite simple, and I know
5 that's been raised to the attention of the Board
6 before, but we're also concerned about the sample size
7 of the UT. We believe that it's way too small for
8 this particular containment. I think we're talking
9 100,000 square feet, and we're looking at 75 samples
10 of one square foot.

11 But, more particularly, with regard to new
12 information, we wanted to bring to your attention,
13 basically, a document that was provided to the NRC on
14 July 28th, 2009. This is the supplemental information
15 for review of Beaver Valley Station Units 1 and 2
16 license renewal application, and it's Amendment Number
17 39. I draw to your attention on page 4 of 5, there's
18 a commitment, which, basically, speak so the
19 supplement volumetric examinations to be performed at
20 Unit 2 containment liner prior to the period of
21 extended operation. Seventy-five one foot square
22 randomly selected, as described in the FENOC letter,
23 L09205 sample locations will be examined. If
24 degradation is identified, what is deleted here, "the
25 degraded areas will be evaluated and follow-up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 examinations will be performed to insure the continued
2 reliability of the containment liner", and it's
3 replaced with, "it will be addressed through the
4 corrective action program."

5 The amendment, I think, highlights what
6 the concern is, is that it highlights that there is no
7 commitment to any age management program for the
8 containment liner, particularly with regard to
9 volumetric UT for the period of extended operation.
10 And we do not share confidence that a patch-as-you-go
11 for the 20-year extension should provide this
12 Committee, or the public, with any confidence that
13 this particular mechanism is being reasonably managed.

14 Thank you for your time.

15 CHAIRMAN BONACA: Thank you.

16 MEMBER BLEY: Thank you, Mr. Gunter. Any
17 other comments from the public? I think we had no one
18 else on the agenda.

19 CHAIRMAN BONACA: We will -- on the
20 schedule here, we have the time for discussion. I
21 think we'll discuss it in the afternoon.

22 MEMBER BLEY: In the afternoon? That's
23 fine. Then only a half-hour late I return it to you,
24 Mr. Chairman. I thought it was going to be a lot more
25 than that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CHAIRMAN BONACA: I think we need a break.

I know some of you already had it, but we need it.
So, let's take a break now until quarter of 11.

(Whereupon, the above-entitled matter went
off the record at 10:32 a.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

BEAVER VALLEY POWER STATION

License Renewal Application



**FENOC
Presentation to
ACRS**

September 11, 2009

Introductions

- Pete Sena, Site Vice-President
- Mark Manoleras, Site Engineering Director
- Cliff Custer, License Renewal Project Manager
- David Grabski, ISI Program Owner
- Site Subject Matter Experts and members of the LRA core team

AGENDA

- BVPS Containment Liner History
- Safety Significance
- Examination Plan
- Conclusion

BVPS Containment Liner History

- 2006 BVPS-1
 - Degradation of concrete side of liner
 - 3 areas of general pitting corrosion
 - 2/3 areas replaced; 3rd area evaluated and monitoring continues
 - Hydro-demolition destroyed definitive evidence of corrosion source


BVPS Containment Liner History

- 2009 BVPS-1
 - One indication noted by IWE visual inspection as an intact paint blister
 - By procedure, required further VT-3 visual examination; which led to volumetric evaluation (UT)
 - Identified 1"X 3/8" thru liner defect
 - Repaired defect and performed baseline volumetric evaluation (UT)

Assessment of Safety Significance

- Assessment of BVPS-1 shows allowable leakage (L_a) was not exceeded with identified defect; therefore current Dose Analyses remain bounding
- Significant margin exists between actual post DBA leakage and Dose Analysis assumptions due to containment pressure transient
- Margin also exists between Dose Analysis results and regulatory limits
- If a liner defect exists, leakage is limited by concrete
- Safety significance of liner defect is low due to effect of concrete limiting release and conservative assumptions in dose analyses.

Containment Leakage vs. Dose Analysis Assumptions



Examination Plan

- IWE Visual Inspections
- Non-random Examinations
- Random Sample Examinations

IWE Visual Inspections

- Establish condition of the interior liner surface at time of inspection
- Additional IWE visual inspections at BV-1 and BV-2 as defined by ASME code

Non-random Examinations

- Volumetric examination (UT) of liner
- Minimum of 8 locations at each unit.
- Site specific/Industry OE used to identify areas
- BV-1 Five areas; BV-2 three areas
- BV-1 to commence on-line, within the current fuel cycle and completed by December 31, 2010

Non-random Examinations

- **BV-1 Areas**
 - Repainted more than once
 - Irregular contour
 - 5 feet below the 2006 construction opening
 - At final site grade level
 - Adjacent to 2009 location
- **BV-2 Areas**
 - Repainted more than once
 - Irregular contour
 - At final site grade level

Random Sample Examinations

- Minimum of 75 random sample locations
- 1' X1' sample area of UT accessible liner surface
- Statistical sample failure defined as: >10% material loss due to active pitting corrosion not attributed to fabrication/erection practices.
- Sample plan designed to provide 95% confidence that 95% of the unexamined area are similar

Examination Plan Summary

BVPS Unit 1

- IWE Visual Inspection Schedule
 - 2010 Refueling Outage (Additional)
 - 2012 Refueling Outage (Normal Schedule)
- Non-Random Examination Schedule
 - Begin in Current fuel cycle
 - All exams completed by December 31, 2010
- Random Sample Examination Schedule
 - Initial sample consisting of a minimum of 75
 - Initial sample complete by the end of the next 3 refueling outages
 - Evaluate a statistical method to analyze the data to gain additional insight for the general liner condition
 - Document summary of examination plan results
 - Entire random sample plan to be completed prior to PEO

Examination Plan Summary

BVPS Unit 2

- IWE Visual Inspection Schedule
 - 2009 Refueling Outage (Additional)
 - 2011 Refueling Outage (Normal Schedule)
- Non-Random Examination Schedule
 - Complete prior to PEO
- Random Sample Examination Schedule
 - Sample consisting of a minimum of 75
 - Commence by end of refueling outage in 2011
 - Evaluate a statistical method to analyze the data to gain additional insight for the general liner condition
 - Document summary of inspection plan results
 - Random sample plan to complete prior to PEO

Conclusions

- Examinations completed prior to PEO and results available for NRC 71003 Inspection
- Liner thru wall defect is consistent with other industry limited OE
- Examination Plan incorporates recent OE
- Examination Plan provides reasonable assurance of liner condition prior to the PEO
- Results of Examination Plan will be shared with the industry.



U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

Advisory Committee on Reactor Safeguards (ACRS) License Renewal Full Committee

Beaver Valley Power Station, Units 1 and 2 Safety Evaluation Report

September 11, 2009

Kent Howard, Project Manager


Hansraj G. Ashar, Technical Reviewer

Abdul H. Sheikh, Technical Reviewer

Office of Nuclear Reactor Regulation

Beaver Valley Units 1 and 2 Containments

- Steel lined reinforced concrete containment
- Diameter: 126 feet
- Concrete shell: 54 inches thick with 8 layers of rebars
- Liner plate
 - 3/8 inch thick
 - Continuous leak tight membrane
 - Anchored to the concrete shell
 - Not designed as a structural component
- Containment originally designed as sub-atmospheric (5.8 psig)
- Converted to atmospheric containment in 2006



Unit 1 Liner Plate Degradation

- Unit 1 steam generator replacement outage in 2006
 - Corrosion degradation of liner found at 3 areas
 - Two areas replaced
 - One area with minimal loss left in place
 - One area being monitored
- Unit 1 ASME XI IWE inspection in April 2009
 - Paint blister discovered
 - Further investigation revealed a 3/8" by 1" hole in the liner plate
 - 2"x 4"X 6" piece of wood trapped behind the liner plate
 - Non-structural spacer rebar also located behind the hole
- Laboratory Analysis of Wood
 - pH: 3.7- aggressive to carbon steel
 - Moisture content: 13%

- Brunswick Unit 2 - May 1999
 - BWR atmospheric containment
 - 3 holes
 - Leather glove behind one hole
 - Pieces of wood behind two holes
- North Anna Unit 2 – October 1999
 - PWR sub-atmospheric containment
 - ¼ inch diameter hole
 - Piece of 4"x4"X6' wood behind the liner
- DC Cook Unit 2 –November 1999
 - PWR atmospheric containment
 - 3/16 inch diameter hole
 - Wire brush with wooden handle behind liner

Degradation Root Cause

- Industry Operating Experience
 - Construction imperfections and foreign objects root cause of through wall corrosion of containment liner at North Anna 2, DC Cook 2, and Brunswick Unit 2 plants.
- Beaver Valley Applicant's Finding
 - Piece of wood in contact with liner plate
 - Oxygen replenished thru concrete
 - Low pH of wood in contact with liner plate for 37 years root cause of corrosion.
- Staff Assessment
 - Wood with low pH, 13% moisture content, and intermittent supply of oxygen can cause localized pitting and corrosion
 - Occurrence of through wall corrosion is likely due to foreign object (wood) trapped in the concrete against the liner
 - Additional visual and volumetric examinations planned by the applicant will provide additional insight regarding potential corrosion mechanism in the liner

Beaver Valley Commitments

- **Commitments**

- Volumetric (UT) examination

- Minimum of 75 locations selected randomly for each Unit 1 and 2
 - Minimum of 8 non-random locations selected based on operating experience
 - Use of appropriate/applicable statistical methods to determine general state of the liner

- Visual Examination

- 100% of accessible area during the next scheduled outages

- **Staff Assessment**

- Random sample size conform with NUREG 1475 and EPRI guidance for 95/95 confidence

- Increase in sample size in case degradation is detected

- Non-random locations will be selected based on the applicant's site specific experience

- Visual examination will supplement UT examination

UT Examination Criteria

- More than 10% loss of liner thickness on concrete side of the liner
 - Perform engineering evaluation for statistical failure
 - If statistical failure, enter into corrective action program
 - Increase sample size to demonstrate 95/95 percent confidence
 - Reexamination during the subsequent refueling outages
- Less than 10% loss in liner thickness on concrete side of the liner
 - Perform engineering evaluation
 - Enter into corrective action program
 - Reexamination during the subsequent refueling outages

Liner Examination Schedule

Unit 1

- October 2010: 100% visual examination
- December 2010: On-line UT of non-random samples
- April 2012: Scheduled IWE examination
- January 2016: Complete UT of randomly selected samples during next three refueling outages starting in October 2010

Unit 2

- October 2009: 100% visual examination
- April 2011: Scheduled IWE examination
- May 2027: Complete UT of random and non-random samples

- Applicant will provide a summary of the UT testing results as docketed information to the NRC after each outage

Generic Implications

- Staff evaluating the need for issuing a supplement to Information Notice (IN) 2004-09 to holders of operating licenses or construction permits to review the Beaver Valley Unit 1 operating experience for applicability to their facilities and consider actions, as appropriate.
- NRC's Office of Nuclear Reactor Regulation to submit a User need to NRC's Office of Research to investigate the corrosion mechanism.
- A new agenda item was included by NRC and other industry members in the last ASME Subsection IWE meeting to identify early detection methods for liner plate degradation/corrosion.
- Changes are being made to the NRC's Refueling and Outage Activities Baseline Inspection Procedure to provide additional guidance to inspectors concerning containment walkdowns.

Conclusion

- On the basis of its review, the staff determines that the requirements of 10 CFR 54.29(a) have been met.
- The Beaver Valley Units 1 and 2 containment liner plate will comply with the current licensing basis during period of extended operation.

Containment Leakage

Applicant's Assessment

- North Anna Unit 2 and Beaver Valley Unit 1 containment design similar.
- Liner plate hole diameter:
 - North Anna Unit 2: 0.25 inch diameter
 - Beaver Valley Unit 1: 0.69 inch (equivalent diameter)
- Local leak rate test at North Anna 2 hole: 21 SCFH @45 psi
- ILRT performed previously at North Anna Unit 2 with 0.25 inch diameter hole. Leakage within technical specification requirements (<0.1% leakage/day)
- Leakage rate from North Anna Unit 2 extrapolated for Beaver Valley Unit 1.
- Beaver Valley Unit 1 leakage rate within plant technical specifications requirements (<0.1% leakage/day)

Staff Assessment of Leakage

10 CFR Part 100/50.67 Compliance

- Applicant's extrapolated leakage for Beaver Valley Unit 1 from North Anna Unit 2 is acceptable because:
 - Leakage limit of 0.10 percent per day is for the containment system
 - Beaver Valley 1 and North Anna 2 plants have identical configuration and design
 - 54 inch thick concrete is a part of the containment system and provides significant resistance to leakage
 - Total leakage thru the hole when added to the previous leakage determined during ILRT in 2006 less than 0.10 percent per day.
 - Local leak rate test at the hole could have buckled the liner and adversely affected the integrity of the containment.
- Beaver Valley Unit 1 remained in compliance with current licensing basis with 0.69 inch equivalent diameter hole in the liner.

Staff Assessment of Leakage

ECCS NPSH

- No significant effect

Large Early Release Frequency (LERF) Assessment

- NUREG-1765 Guidelines for LERF
 - Leakage Volume: 100% of containment volume per day screening criteria
 - Hole size for Large Dry containments: 2.5-3.0 inch with unobstructive flow thru the liner/steel