

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+++++

NRC PREDECISIONAL ENFORCEMENT CONFERENCE-

VA PHILADELPHIA MEDICAL CENTER

+++++

THURSDAY

DECEMBER 17, 2009

+++++

The meeting convened at 1:00 p.m.

NUCLEAR REGULATORY COMMISSION STAFF

STEVE REYNOLDS, DIRECTOR OF THE DIVISION OF  
NUCLEAR MATERIAL SAFETY.

MARK SATORIUS, REGIONAL ADMINISTRATOR FOR  
REGION III.

CHARLES MILLER, DIRECTOR OF THE OFFICE OF  
FEDERAL AND STATE MATERIALS AND ENVIRONMENTAL  
MANAGEMENT PROGRAMS.

ROY ZIMMERMAN, DIRECTOR OF THE OFFICE OF  
ENFORCEMENT.

JERROD HECK, REGIONAL ATTORNEY.

1                   PATRICIA PELKE, BRANCH CHIEF FOR MITCHELL'S  
2 INSPECTION.

3                   STEVE NORRIS, REGIONAL ENFORCEMENT OFFICER.

4                   MR. ORTH, ENFORCEMENT OFFICER

5                   DARREL WIEDEMAN, SENIOR HEALTH PHYSICIST.

6                   CASSANDRA FRASER, SENIOR HEALTH PHYSICIST.

7                   DEBORAH PERSCURE, HEALTH PHYSICIST.

8

9                   VA PHILADELPHIA MEDICAL CENTER

10                  RICHARD CITRON, DIRECTOR OF THE VA MEDICAL  
11 CENTER, PHILADELPHIA.

12                  CHARLES ANDERSON, HEAD OF RADIATION SAFETY.

13                  MICHAEL HAGAN, NATIONAL DIRECTOR FOR THE  
14 RADIATION ONCOLOGY PROGRAM OF THE VA.

15                  STELLA DANIELS, DEPUTY CHIEF OFFICER FOR  
16 PATIENT CARE SERVICES IN VHA.

17                  JOEL MASLOW, CHAIR OF THE RADIATION SAFETY  
18 COMMITTEE.

19                  AMIT MAITY, CHIEF OF RADIATION ONCOLOGY AT  
20 PHILADELPHIA VA MEDICAL CENTER

21

22

1

2

P-R-O-C-E-E-D-I-N-G-S

3

MR. REYNOLDS: Good afternoon.

4

5

We are ready for this enforcement conference to begin.

6

7

8

9

I'm Steve Reynolds, I'm the Director of the Division of Nuclear Material Safety, the NRC's Region III Office in Lisle, Illinois, and I will be leading this conference today.

10

11

12

13

14

15

16

17

18

I will do introductions in just a moment. But first, just to be clear, this is a pre-decisional enforcement conference between the Nuclear Regulatory Commission, NRC, and the Department of Veterans Affairs to discuss issues associated with the multiple medical events involving the treatment of prostate cancer at the Department of Veterans Affairs Medical Center in Philadelphia, Pennsylvania, or VA Philadelphia.

19

20

21

22

These issues are documented and publicly available in special reports issued by the NRC dated March 30th of this year and November 17th of this year.

1           Some copies of these reports are available at  
2 both entrance doors for people interested.

3           Pre-decisional enforcement conferences such as  
4 this, are typically held in our regional offices.

5           However, due to the significance of these issues  
6 and to show the collective concern of the Agency, the  
7 decision was made to hold the pre-decisional  
8 conference here in NRC headquarters, here in the  
9 Commission Hearing room.

10           The Commission is open for public observation.  
11 Members of the public who are in attendance at this meeting  
12 and on the phone, you should be aware that this meeting is  
13 between the NRC and the Department of Veterans Affairs.

14           Following the conference, the NRC staff will be  
15 available to answer questions and receive comments  
16 from members of the public concerning the matters  
17 discussed at this conference.

18           We will take questions and comments from people  
19 here in the room and from people who are on the  
20 phone.

21           During that session, the NRC's Mr. Chip  
22 Cameron -- will you stand up -- will facilitate our

1 question and answer period.

2           Before we get started with that, let's start with  
3 introductions. There is a sign-up sheet going around, and  
4 again, my name is Steve Reynolds. I'm the Director of the  
5 Division of Nuclear Safety.

6           Next to me is my boss, Mr. Mark Satorius; he is  
7 a regional administrator for Region III.

8           Next to him is Dr. Charles Miller, he's the  
9 Director of Office of Federal and State Materials and  
10 Environment Management Programs.

11          Next to him is Mr. Roy Zimmerman, he's the  
12 Director of Office of Enforcement.

13          Next to him is Mr. Jerrod Heck. He is our  
14 regional attorney.

15          On my right here is Mrs. Patricia Pelke. She's  
16 the Branch Chief for Mitchell's Inspection Branch and  
17 she is the Manager with the direct oversight for the  
18 VA's Master Material License.

19          Next to her is Mr. Steve Norris. He is our  
20 regional Enforcement Officer.

21          I would also like to introduce the members of  
22 our inspection team, and we have them over here to

1 our far left.

2 Mr. Darrel Weideman, he is the Senior Health  
3 Physicist and NRC's Lead Inspector.

4 Next to him is Mrs. Cassandra Fraser, she is a  
5 Senior health physicist and she's the NRC's Project  
6 Manager for the VA's Mass Material License.

7 Next to her is Mrs. Deborah Perscure, a Health  
8 Physicist.

9 Not present, but also involved in our  
10 inspections was Dr. Donna Beth Howe.

11 At this time, would you introduce yourselves,  
12 please.

13 MR. CITRON: I'm Richard Citron. I'm the  
14 Director of the VA Medical Center, Philadelphia.

15 Accompanying me today -- well, let me defer to  
16 Dr. Anderson, head of Radiation Safety for the VA.

17 DR. ANDERSON: I'm Dr. Charles Anderson,  
18 I'm the Chair of the National Radiation Safety  
19 Committee.

20 MR. CITRON: Dr. Hagan, would you go next?

21 DR. HAGAN: Michael Hagan and I'm the  
22 National Director for the Radiation Oncology Program

1 of the VA.

2 MS. DANIELS: I'm Stella Daniels, I'm the  
3 Deputy Chief Officer for Patient Care Services in  
4 VHA.

5 DR. MASLOW: Joel Maslow, I am the Chair of  
6 the Radiation Safety Committee and also the Associate  
7 Chief of Staff for Research at the hospital and the  
8 Interim Chief of Medicine at the hospital.

9 MR. MAITY: Dr. Maiy, Chief of Radiation  
10 Oncology at the Philadelphia VA Medical Center.

11 MR. REYNOLDS: Thank you.

12 For our dinner this afternoon, Mr. Orth, our  
13 Enforcement Officer, will start with the purpose of  
14 this enforcement conference and then he will discuss  
15 aspects of enforcement policy as it relates to  
16 matters today.

17 Then Mr. Wiedeman will summarize our inspection  
18 findings, and then Mrs. Fraser will summarize our  
19 concerns that we documented in our special report.

20 After that time I will turn the meeting over to  
21 you, Mr. Citron, and then during your presentation we  
22 will be asking questions.

1           However, you should not take the questions, or  
2 their absence of questions, as indication of the  
3 Agency's final position.

4           After your presentation concludes, we will break  
5 for a caucus with the NRC staff to discuss any  
6 information that you provided and to formulate any  
7 final questions we want to ask before the end of the  
8 meeting.

9           Depending on how long this conference goes, we  
10 may take a short break around 3:00 p.m.

11           That is pretty much how we will run the agenda,  
12 and then after the meeting closes, we will do the  
13 public question and answer period.

14           Just to start off with some background: Prostate  
15 cancer patients at VA Philadelphia began receiving implants,  
16 brachytherapy, in 2002.

17           Records show that problems started immediately  
18 and continued unchecked until the Prostate  
19 Brachytherapy Program was suspended in the summer of  
20 2008.

21           Based on reports to the NRC, the Department of  
22 Veterans Affairs has identified 97 medical events out

1 of the 114 patients treated.

2           Generally speaking, a medical event is a result  
3 of the actual treatment to the patient being  
4 different than what the physician prescribed.

5           The Prostate Brachytherapy Program at VA  
6 Philadelphia was run by physicians from the hospitals of the  
7 University of Pennsylvania, referred to as HUP.

8           Dr. Gary Kao performed the majority of the  
9 implants and Dr. Richard Whittington performed the  
10 rest.

11           Mr. Mike Bieda, Dr. George Lazurescu, and Mr.  
12 Greg Desobry were the medical physicists involved in  
13 these treatments.

14           Dr. Mary Moore was a radiation safety officer.

15           The Radiation Safety Officer is a person we  
16 expect to ensure the day-to-day safety in the use of  
17 radioactive material, and to ensure that the Medical  
18 Center follows her regulations.

19           VA Philadelphia also had a Radiation Safety  
20 Committee.

21           The Radiation Safety Committee is supposed to  
22 provide oversight to the entire medical program,

1 nuclear medical program, and ensure radioactive  
2 materials are used safely.

3       Lastly, the Department of Veterans Affairs  
4 National Health Physics program NHPP, conducted  
5 several inspections at the VA Philadelphia.

6       As we have heard over these several months, the  
7 last year and a half or so, the Department of Veterans  
8 Affairs -- as we have heard in the past, problems with these  
9 prostate treatments went unchecked and medical events went  
10 unreported from the beginning.

11       Through our inspections, we have identified  
12 eight apparent violations of NRC regulations, and we  
13 have identified several concerns involving inadequate  
14 management oversight including a lack of safety  
15 culture.

16       We are here today to hear from the Department of  
17 Veterans Affairs to hear what happened, why it happened, and  
18 what corrective actions have been and will be taken to  
19 prevent this from happening again throughout the Department  
20 of Veterans Affairs.

21       We also want to understand how the actions or  
22 inactions of the physicians, medical physicists,

1 Radiation Safety Officer, and the Radiation Safety  
2 Committee contributed to these problems and what  
3 actions have been taken to prevent problems in the  
4 future.

5 Before I turn things over to Mr. Orth, I believe  
6 Dr. Miller and Mr. Zimmerman and Mr. Satorius have  
7 opening remarks.

8 DR. MILLER: Thank you, Steve.

9 Good afternoon. As Steve mentioned, my name is  
10 Dr. Charles Miller and I'm the Director of the NRC's  
11 Office of Federal State Materials and Environmental  
12 Management Programs, which we refer to here at the  
13 NRC as FSME.

14 My office is responsible for developing,  
15 implementing and overseeing the regulatory framework for  
16 industrial, commercial, and medical uses of radioactive  
17 materials in the United States. The Region III office of  
18 the NRC has oversight of the U.S. Department of Veterans  
19 Affairs and FSME has programmatic oversight of all NRC  
20 materials and licensees.

21 Based on the findings of this case, my office will  
22 evaluate what changes are necessary to reduce the likelihood

1 of this type of situation happening again at the VA or  
2 elsewhere.

3 Thank you.

4 MR. ZIMMERMAN: [ NO AUDIO ]

5 MR. SATORIUS: Quickly, I am Mark Satorius,  
6 and I am the Regional Administrator in Region III.

7 My region is responsible for a good deal of the  
8 oversight on the Veterans Affairs Hospitals.

9 I have been looking forward to this conference  
10 for months before it's been scheduled.

11 I wanted to hear directly from the Veteran  
12 Affairs how you dealt with this issue, how you've  
13 checked to see that the corrective actions that you  
14 take are going to preclude any further type of  
15 problems, and to hear directly from you how you've  
16 internalized some of the safety culture issues that  
17 our inspections have uncovered.

18 Thanks.

19 MR. ORTH: Good afternoon.

20 The NRC -- I want to take a few minutes here to  
21 describe the NRC Enforcement Program Policy and how  
22 we arrived here today.

1           The NRC's Enforcement Program is governed by the  
2 Commission's Enforcement Policy.

3           The purposes of the policy are to encourage  
4 compliance with our requirements and encourage  
5 licensees to identify and to take prompt and  
6 comprehensive corrective actions.

7           After we identify a potentially safety  
8 significant issue, we determine whether or not it  
9 involves a violation of NRC requirements.

10           When an apparent violation is identified, the NRC  
11 evaluates its actual or potential safety significance in  
12 accordance with our enforcement policy, which is publicly  
13 available on our website and we have additional copies here  
14 in the room at both entrances today.

15           The apparent violation is a sign of  
16 preliminary severity level one through four, with one  
17 being the highest.

18           Severity levels one, two, and three violations  
19 are considered escalated enforcement.

20           If the violation appears to warrant an escalated  
21 enforcement, the NRC holds an internal meeting first,  
22 called an Enforcement Panel.

1           One of the purposes of this meeting is to ensure  
2 that the NRC is consistently applying the Enforcement  
3 Policy.

4           At this meeting, the NRC will make a preliminary  
5 determination about the appropriate outcome for the  
6 issues.

7           We will also discuss whether a civil penalty  
8 appears warranted.

9           As one outcome of the meeting, the NRC can decide  
10 whether we have sufficient information to go forward to make  
11 a final decision, or whether additional information is  
12 necessary.

13           In cases where we determined that additional  
14 information is needed, we will request that a  
15 licensee participate in a pre-decisional enforcement  
16 conference. It is important to note that the  
17 decision to hold a pre-decisional enforcement  
18 conference does not mean that the Agency has made a  
19 final enforcement decision.

20           The apparent violations that we will discuss  
21 today are subject to further review and may change  
22 prior to any resulting final enforcement action based

1 in part, by the information we discuss today.

2           If the NRC determines that a violation did occur,  
3 there are a number of available enforcement sanctions  
4 available to us.

5           They include notice of the violations, civil  
6 penalties and orders.

7           Normal civil penalty amounts are contained in  
8 our enforcement policy. However, the NRC can either  
9 escalate or mitigate the amount of the civil  
10 penalties or the severity levels of the violations  
11 based on factors such as identification, corrective  
12 actions, prior enforcement history, and whether the  
13 violations willful.

14           The nature and extent of the enforcement action  
15 is intended to reflect the seriousness of the  
16 violations.

17           The NRC has requested this enforcement conference  
18 prior to making the enforcement decision on the eight  
19 apparent violations surrounding the medical events at the  
20 Philadelphia VA Medical Center.

21           As mentioned in our letter dated November 17,  
22 2009, pre-decisional enforcement conference provides

1 the Department of Veterans Affairs with an  
2 opportunity to assist the NRC in making our  
3 enforcement decision by providing us your  
4 understanding of the facts and circumstances  
5 surrounding the apparent violations, and whether you  
6 agree or disagree with the NRC's understanding as  
7 provided in our inspection reports.

8 We would also like you to provide your  
9 understanding of the cause or causes for the issues,  
10 your views on the safety significance, and a  
11 description of the immediate and long-term corrective  
12 actions that you have taken or planned to take.

13 During this discussion, we would also ask that  
14 you address the additional concerns documented in our  
15 inspection reports which will be discussed by  
16 Mrs. Fraser, which include, in particular, the safety  
17 culture at your facilities.

18 Finally, this conference provides you an  
19 opportunity to present any additional information that you  
20 believe is important to us to consider before we make our  
21 final enforcement decision.

22 This meeting is not intended to be a debate.

1           Each apparent violation discussed at this  
2 conference is subject to further review and may  
3 change prior to any resulting enforcement action.

4           It is important to understand that decision to  
5 conduct this conference means that the NRC has not  
6 yet made a final enforcement decision.

7           The purpose of the NRC's questions here at this  
8 conference are to gain information to aid us in the  
9 evaluation of the issues.

10           Before we continue with the discussion of the  
11 apparent violations I'd like to ask if you have any  
12 questions concerning the NRC's enforcement policy.

13                   MR. REYNOLDS: Mr. Weiderman will now  
14 summarize the inspection findings.

15                   MR. WEIDERMAN: Copies of our slides are  
16 available at the doorway if you are interested.

17           Regarding the first apparent violation, the  
18 licensee failed to develop adequate written  
19 procedures to provide high competence that each  
20 prostate seed implanted administration was in  
21 accordance with the written directive as required by  
22 Title X of the Code of Federal Regulations, 10 CFR

1 35.41 (a) (2).

2 As a result, this led to 97 reported medical  
3 events.

4 Regarding the Apparent Violation No. 2, the  
5 licensee failed to develop procedures that address methods  
6 for verifying that the administration is in accordance with  
7 a treatment plan and the written directive as required by 10  
8 CFR 35.41 (b) (2).

9 Specifically, the procedures did not include  
10 alternate methods to verify that the treatment was in  
11 accordance with the written directive when the normal  
12 verification method was unavailable.

13 As a result, the licensee did not perform  
14 post-treatment dose verifications for 16 patients  
15 from November 2006 to December 2007.

16 Regarding Apparent Violation No. 3 , the licensee  
17 failed to develop procedures that address methods for  
18 verifying that the administration is in accordance with the  
19 treatment plan and the written directive as required by 10  
20 CFR 35.41 (b) (2).

21 Specifically, the licensee's procedures did not  
22 address reviewing both the applicable treatment plan and the

1 written directive.

2 As a result, for a treatment on May 5,2008, the  
3 wrong seed activity was implanted.

4 Regarding Apparent Violation No. 4, the licensee  
5 failed to instruct supervised individuals regarding  
6 identification and reporting requirements for medical events  
7 as required by 10 CFR 35.27 (a (1)).

8 Two medical physicists, who were supervised  
9 individuals, did not receive training on the  
10 identification and reporting requirements for a  
11 medical event.

12 Regarding Apparent Violation No. 5, the licensee  
13 failed to instruct an authorized physician user regarding  
14 his responsibility to promptly report to the licensee any  
15 condition which may lead or cause a violation of the  
16 Commission's regulations as required by 10 CFR 19.12 (a)(4).

17 Specifically, the licensee failed to provide the  
18 physician instructions for identifying and reporting  
19 medical events.

20 Regarding Apparent Violation No. 6, the licensee  
21 failed to notify the NRC operations center by telephone no  
22 later than the next calendar day after discovery of a

1 medical event as required by 10 CFR 35.3045 (c).

2 The licensee had sufficient information  
3 available at the completion of the prostate  
4 treatments to make a determination that numerous  
5 medical events occurred.

6 Regarding Apparent Violation No. 7, the licensee  
7 failed to record the total dose, the number of sources  
8 implanted, and the total source strength on a written  
9 directive as required by 10 CFR 30.40 (b) (6 (ii)).

10 Regarding Apparent Violation No. 8, the licensee  
11 failed to provide complete and accurate information in  
12 accordance with 10 CFR 30.9 (a), and several 15 day written  
13 reports to the NRC as required by 10 CFR 35.3045 (d).

14 MR. REYNOLDS: Thank you Mr. Wiedeman.

15 Now Mrs. Fraser will summarize our concerns.

16 MRS. FRASER: Area of Concern No. 1:

17 Inadequate quarterly audits of the Brachytherapy  
18 Program by the radiation safety staff.

19 As an example, the audits indicated that written  
20 directives were in full compliance. However, the  
21 administered dose was not in accordance with the  
22 written directive and the pre-treatment plan.

1           Area of Concern No. 2: Failure of the Radiation  
2 Safety Committee to take action regarding computer interface  
3 problems that prevented post-treatment dose verifications  
4 from being performed from November 2006 to December 2007.

5           The licensee continues to treat patients during  
6 this time period.

7           Area of Concern No. 3: The annual audits of the  
8 Radiation Safety Program conducted by the radiation safety  
9 officer for 2006 and 2007 were not finalized and provided to  
10 the Radiation Safety Committee for review and approval.

11           Area of Concern No. 4: The licensee lacked a  
12 safety culture for reporting radiation safety concerns  
13 associated with the Brachytherapy Program to appropriate  
14 individuals. For example, two medical physicists failed to  
15 express their concern to licensee management and the  
16 Radiation Safety Officer regarding the quality of the  
17 implants performed.

18           Area of Concern No. 5: The licensee did not  
19 complete the final dose assessments until October 2009,  
20 approximately one year after the last medical events were  
21 reported. The dose assessment lacked the rigor and  
22 formality required to demonstrate its commitment to

1 performance improvements.

2           There was no criteria established for assessing  
3 doses in a consistent manner, nor apparent leadership or  
4 senior management direction to establish milestones for  
5 completing the assessments.

6           MR. REYNOLDS: Thank you.

7           At this time, I will turn the meeting over to  
8 you Mr. Citron.

9           MR. CITRON: Thank you.

10          I would like to ask Dr. Anderson to be the first  
11 speaker for the VA.

12          Dr. Anderson?

13          DR. ANDERSON: Good morning.

14          Mr. Satorius and other NRC attendees, thank you  
15 for this opportunity to discuss the prostate  
16 brachytherapy medical event circumstances at the  
17 Philadelphia VA Medical Center.

18          In my opening remarks I would like to make  
19 several points that will be presented in greater  
20 detail by the other speakers.

21          As you know, prostate brachytherapy is an  
22 appropriate treatment for low-risk patients with prostate

1 cancer, and as a local booster patients with more advanced  
2 disease.

3 Although risk to healthy tissues in the body is  
4 minimal, side effects do occur.

5 Implant quality must be monitored closely at  
6 each case and facilities performing the seven space  
7 therapeutic procedure must be regularly reviewed both  
8 for regulatory compliance and best clinical  
9 practices.

10 In 2008, VHA performed prostate brachytherapy at  
11 13 VA medical centers.

12 In some medical centers the procedures were  
13 carried out by VHA employees, in other centers the  
14 procedures were carried out by contractors.

15 Procedures at Philadelphia VA were performed by  
16 contract staff of the Hospital of the University of  
17 Pennsylvania.

18 Should be noted that University of Pennsylvania  
19 has one of the leading radiation oncology programs in  
20 the nation.

21 In June of 2008, Philadelphia reported a  
22 brachytherapy procedure in which the delivered dose

1 was less than the prescribed dose.

2           This report set in motion a series of VA  
3 investigations that ultimately discovered 97 treatments that  
4 were reported as possible medical events on the basis that  
5 the dose delivered to the prostate was lower than intended,  
6 or radiation to adjacent tissues was higher than intended.

7           We have apologized to our patients for this  
8 error.

9           The Philadelphia VA has notified patients by  
10 mail and by telephone and is covering all costs  
11 associated with additional tests, while continuing to  
12 monitor the care for patients whether the patients  
13 are seen at VHA or at private facilities.

14           A dose error that must be reported to NRC is  
15 called a medical event. The term, "medical event" does not  
16 necessarily mean a patient was injured, nor does it mean  
17 that the patient will have a poor treatment outcome.

18           The fact that patient injury may or may not have  
19 occurred does not mitigate our deepest regret that  
20 the episode exists and does not alter our sincere  
21 commitment to our patients.

22           Doctors Maity and Hagan will present outcome

1 data later that will show that relatively few  
2 patients required additional treatment and that the  
3 number of treatment failures was not very different  
4 than would be expected if there were no medical  
5 events.

6           The fact that there is such a wide discrepancy  
7 between the large number of recordable events and the small  
8 number of patients who required additional treatment has  
9 caused VHA to question our definition of a medical event.

10           I would note that the issue of how to define a  
11 medical event has been a source of ongoing debate  
12 among brachytherapy experts.

13           It would be useful if a nationally standardized  
14 definition could be arrived at.

15           An important consideration in choosing a  
16 definition is that the calculation of a medical event  
17 will have implications for how implants are performed  
18 in the future.

19           Dr. Hagan will speak to this issue in more  
20 detail during his testimony.

21           When the National Health Physics Program, which we  
22 abbreviate as NHPP, inspected Philadelphia VA in 2008, they

1 cited the medical center for failing to have adequate  
2 written procedures and for failing to report medical events  
3 for patient treatments from 2002 to 2008.

4           These medical events occurred due to inadequate  
5 seed distributions achieved by the physician authorized  
6 user. Of particular significance was the lack of adequate  
7 post-implant reviews, which resulted in the failure to  
8 identify and correct poor prostate seed distributions.

9           In addition, there was a lack of peer reviews  
10 that would've identified poor technique.

11           Peer reviews, as you know, are an examination of  
12 the treatment methodology made either during or after the  
13 course of treatment by a second practitioner.

14           Peer reviews are the standard of care in  
15 radiation oncology practice.

16           The failure to review prostate implants allowed  
17 inadequate patient procedures to continue for several  
18 years and to be performed on many patients.

19           NHPP agreed with the identification of root  
20 cause findings made by the Medical Center Review  
21 Team.

22           The more significant root causes included a lack

1 of peer reviews, a lack of oversight by the Radiation  
2 Safety Committee, and failure of subordinate staff to  
3 report treatment errors to the medical center safety  
4 officials.

5 A permanent implant prostate brachytherapy program  
6 at Philadelphia was suspended in June of 2008.

7 At this time, VHA does not anticipate that the  
8 program will restart in the near future.

9 If restart is considered, VHA will follow  
10 specific criteria for training, mentoring,  
11 inspections, dose verification, and peer reviews that  
12 we have developed with approval of the NRC.

13 In addition, the Undersecretary for Health must  
14 approve the plan to resume services.

15 I serve as Chair of the National Radiation Safety  
16 Committee. This committee is established under a charter  
17 and delegation of authority issued by the Undersecretary for  
18 Health who is the named license official.

19 The committee provides oversight for NHPP.

20 NHPP is assigned to implement the license on a  
21 day-to-day basis.

22 NHPP's task include reviewing permit amendment

1 requests, completing routine inspections, and responding to  
2 incidents or reports of radiation safety concerns.

3         The committee requires NHPP to follow NRC  
4 inspection methods to evaluate compliance by our VHA  
5 facilities during inspections and other interactions  
6 with those facilities.

7         Enforcing program safety standards is essential  
8 to ensure that patients receive the care they  
9 require.

10         VHA, as do other health systems, relies on a  
11 complementary system of accountability to identify  
12 quality programs both within the system and at  
13 individual levels.

14         VHA uses multiple internal and external survey  
15 and inspection processes; for example, the Joint  
16 Commission, American College of Radiation Oncology,  
17 the American College of Radiology, the Nuclear  
18 Regulatory Commission, and others, as well as  
19 individual peer review.

20         The deficiencies in the brachytherapy program at  
21 Philadelphia went undetected by many of these systems for  
22 almost six years. Only the recognition of the potential

1 problems by medical center staff and an NHPP inspection  
2 eventually led to the more in-depth investigations, reviews,  
3 and subsequent disclosure to patients.

4           In November 2008, VHA established national  
5 criteria for suspending a prostate program.

6           Programs are suspended if medical events are  
7 discovered for 20 percent or more of patient  
8 treatments reviewed or evaluated for regulatory  
9 compliance.

10           Moreover, VHA also requires NHPP to inspect any  
11 facility that reports a medical event to confirm  
12 regulatory compliance and implementation of standard  
13 procedures.

14           VHA will suspend any prostate brachytherapy  
15 program if the results of the inspection indicate  
16 significant program deficiencies and program  
17 suspension is deemed warranted by the National  
18 Radiation Safety Committee in consultation with the  
19 Director of the National Radiation Oncology Program  
20 and the principal deputy Undersecretary for Health.

21           In response to issues raised by NRC and to ensure  
22 other VHA facilities where performing permanent implant

1 prostate brachytherapy procedures correctly, NHPP inspected  
2 all VHA permanent implant prostate brachytherapy during the  
3 period from August 2008 through January 2009.

4           Seven facilities including Albany, Boston,  
5 Brooklyn, Minneapolis, Richmond, Virginia, San Francisco,  
6 and Seattle are currently active and offering brachytherapy  
7 treatments.

8           Two facilities that have used contract  
9 physicians, that would be Durham and Los Angeles,  
10 have stopped providing procedures within their  
11 facilities although we did not find treatments to be  
12 deficient at those centers.

13           We suspended four programs in 2008 as initial  
14 assessments of possible medical events were completed.

15           In addition to Philadelphia, the suspended  
16 programs are Cincinnati, Washington and Jackson,  
17 Mississippi.

18           Although the program at Cincinnati was suspended  
19 as an initial precautionary measure, further reviews  
20 indicate the facility was performing clinically  
21 adequate implants.

22           Cincinnati has recently completed the restart

1 requirements and has requested authorization from the  
2 Undersecretary to resume permanent implant prostate  
3 brachytherapy procedures.

4 Likewise, the three previously reported medical  
5 events for Washington were ultimately retracted.

6 That facility plans to undergo the restart  
7 procedure in the near future. A review of Jackson is  
8 ongoing.

9 Standard procedures for permanent implant prostate  
10 brachytherapy have now been established at all VHA programs.

11 The procedures were reviewed with VHA  
12 practitioners at a face-to-face conference in January  
13 of 2009.

14 System-wide implementation was confirmed in May  
15 of 2009.

16 These standard procedures include the following.

17 Initial and periodic training for physicians,  
18 medical physicists, dissymmetrists, and radiation  
19 safety officers and staff.

20 Training in the definition and criteria of  
21 medical events, how to identify a medical event, and  
22 reporting requirements for medical events.

1           Methods and procedures for verifying correct  
2 seed placement, and determining proper needle  
3 placement during prostate brachytherapy procedures;  
4 preparation and completion of written directives, and  
5 methods and procedures for pre-implant treatment  
6 planning, post-implant treatment planning, and  
7 post-treatment dose analysis.

8           VHA clinical standards and procedures are now  
9 among the most rigorous in the healthcare industry.

10           As a further action to prevent similar situations,  
11 VHA has asked the American College of Radiology to conduct  
12 site surveys at each facility, performing permanent implant  
13 prostate brachytherapy.

14           Our goal is 100% accreditation of our  
15 facilities.

16           I note that only 15% of practices in the private  
17 sector are accredited.

18           Furthermore, each VHA facility performing  
19 permanent implant prostate brachytherapy must  
20 develop, maintain, and implement written procedures  
21 based on the American College of Radiology's practice  
22 guideline for transparent permanent brachytherapy of

1 prostate cancer, and based on publications by  
2 American Association of Physicists in Medicine.

3 NHPP has initiated annual inspections for the  
4 seven facilities with current approval for permanent implant  
5 prostate brachytherapy. One-year inspections for Albany,  
6 Boston, San Francisco, Seattle and Richmond have been  
7 completed and the inspection results confirm the facilities  
8 have successfully implemented VHA standard procedures.

9 In addition, NHPP requires these facilities to  
10 complete periodic audits using a detailed checklist to  
11 evaluate their permanent implant prostate program.

12 Let me summarize some key points.

13 The role of VHA NHPP program is to assure  
14 compliance with NRC regulations. NHPP and VHA take  
15 that role very seriously. While it is true that VA  
16 was unaware of the implant problems for several  
17 years, once errors were uncovered, VHA acted swiftly  
18 and comprehensively to investigate and correct  
19 treatment practices.

20 During this time NHPP kept NRC informed of all  
21 of our actions.

22 NHPP has shown itself to be a responsible and

1 effective program.

2           The failure to detect treatment errors resulted  
3 from an undue reliance of contractors to perform their own  
4 peer reviews, which we understood were conducted as part of  
5 the Radiation Oncology Program at the University.

6           As a result of this failure, we have extended  
7 our standard procedures to all contractors who  
8 perform brachytherapy procedures in our hospitals.

9           The investigation and reporting errors was  
10 complicated by the lack of a national standardized  
11 definition of a medical event. The definition we  
12 chose resulted in reporting numerous events.  
13 Selection of a different definition, as other  
14 hospitals have done, would've resulted in reporting a  
15 smaller number of events.

16           Thank you once again for the opportunity to make  
17 an opening statement.

18           MR. CITRON: At this time I would like to  
19 proceed with my statement.

20           Good afternoon, Mr. Satorius and other attendees  
21 from the Nuclear Regulatory Commission. Thank you  
22 for the opportunity to testify today as we approach

1 closure on this very difficult situation. As I  
2 noted, I am accompanied by Dr. Joel Maslow, the  
3 Philadelphia Chief of Research and Chair of our  
4 Radiation Safety Committee, Dr. Amit Maity, the  
5 Philadelphia Chief of Radiation Therapy.

6 Dr. Maity is going to discuss the current status  
7 of Philadelphia's brachytherapy patients, including  
8 their follow-up care and prognosis.

9 Then, Dr. Hagan will outline his own findings and  
10 the recommendations of a blue ribbon panel concerning the  
11 definition of a medical event in brachytherapy.

12 Finally, Dr. Maslow will provide the Philadelphia  
13 VA's perspective on alleged violations and concerns in the  
14 NRC inspection report of November 17, 2009. We have other  
15 staff members with us from the Radiation Safety Program and  
16 who have worked closely with our veterans throughout this  
17 difficult period.

18 They will be available for questions and answers.

19 I am going to focus my remarks on the actions  
20 taken by our Philadelphia VA staff since we  
21 discovered possible dosing issues in May of 2008.

22 The first point I want to make is that the men and

1 women of the Philadelphia VA are dedicated to providing the  
2 highest level of quality health care to our veterans.

3 We treated more than 50000 veterans this year,  
4 including at our medical center, nursing home, and  
5 five community-based clinics in Pennsylvania and New  
6 Jersey.

7 We served a very diverse veteran population,  
8 including a new generation of combat veterans from  
9 Afghanistan and Iraq.

10 I am very proud of the work done at the  
11 Philadelphia VA, I am also deeply troubled and even  
12 angry anytime my fellow veterans may not receive the  
13 level of health care they deserve.

14 I am a Vietnam veteran myself and have almost 40  
15 years of VA healthcare experience.

16 I can state from experience that the  
17 brachytherapy situation does not reflect the  
18 excellent health care offered by the VA.

19 However, this incident did indeed occur at the  
20 Philadelphia VA, and I want to again state that I  
21 apologize for any harm we may have caused any  
22 patient.

1           Our staff at the Philadelphia VA medical Center  
2 discovered the problem of possible under-dosing and  
3 incorrect dosage in May of 2008, and I did not  
4 hesitate to immediately suspended the program.

5           Our first priority was on our veterans, so we  
6 took proactive steps to notify all 114 who underwent  
7 brachytherapy in Philadelphia.

8           Whether we suspected dosing issues in their case  
9 or not, we called them on the phone, sent certified  
10 letters, established a toll-free number, issued a  
11 press release, and notified all area congressional  
12 offices and veterans service officers.

13           All follow-up care came at no cost to the  
14 veteran whether it was at the Philadelphia VA,  
15 another VA hospital, or a non-VA facility.

16           We also advised every veteran or his family of  
17 their right to file a tort claim or seek additional  
18 VA benefits.

19           Most importantly, our staff has worked  
20 diligently with each veteran to provide information  
21 about their treatment and to provide advice and care.

22           Notably, they have been steadfast in their

1 concerns for the patients in the program.

2 Again, our first priority is the well-being of  
3 our veterans and we have taken every step to do the  
4 right thing by them and their families.

5 Along with caring for our veterans, our other top  
6 priority was to find out what happened and to take the  
7 necessary steps to prevent it from happening again.

8 To that end, there have been multiple internal  
9 and external reviews, including an investigation  
10 still underway by the VA office of the Inspector  
11 General.

12 When our staff discovered and reported the  
13 situation, the NHPP conducted a reactive inspection  
14 on May 28th and 29th, 2008.

15 An external review team looked at every case in  
16 June 2008, NHPP along with the NRC visited the  
17 Philadelphia VA Medical Center in June 2008, the  
18 first of many visits over the ensuing 18 months.

19 On July 2, 2008, I convened an administrative  
20 board of investigation to provide another look at the  
21 facts and to provide me with recommendations, they  
22 concluded their work in September 2008.

1           The VA's National Director of Patient Safety  
2 conducted his own review.

3           Finally, there have been two congressional  
4 hearings at the Philadelphia brachytherapy program,  
5 including a field hearing held at our Medical Center  
6 on June 29 of this year.

7           We have national leaders with us here today, Dr.  
8 Anderson and Dr. Hagan, who will discuss how the  
9 lessons learned in Philadelphia have been implemented  
10 across the VA.

11           Both in terms of patient safety and concerning the  
12 definition of a medical event.

13           In the case of Philadelphia, we have  
14 strengthened the contracting process to ensure VA has  
15 quality assurance oversight of any treatments  
16 provided to our veterans.

17           The culture of safety at the Philadelphia VA has  
18 been strengthened and stressed as paramount.

19           Finally, people have been held accountable and  
20 there have been multiple administrative actions  
21 taken.

22           No one can change history or reverse what happened

1 from 2002 to 2008.

2 Clearly there were missed opportunities and I  
3 regret that it took so long to uncover the problems.

4 Also, we may have been the subject, we have been  
5 the subject of intense media interest some of it  
6 inflammatory and much of it using words such as  
7 botched, rogue, or flawed. This attention, whether  
8 warranted or not, has shaken the trust and confidence  
9 that many of our veterans have in their VA healthcare  
10 system.

11 However, I am proud of our staff's actions since  
12 we discovered this problem, and I pledge that we will  
13 continue to rebuild that trust.

14 Again, Dr. Maity will discuss brachytherapy and  
15 follow-up care for the 114 patients.

16 Dr. Maity received his medical degree from the  
17 Boston University School of Medicine and his PhD from  
18 the University of Pennsylvania.

19 Dr. Maity has an impressive background and has  
20 earned specialty certification from the American  
21 Board of Internal Medicine and American Board of  
22 Radiology.

1           He is an associate professor of radiation  
2 oncology at the University of Pennsylvania, and has  
3 been our Philadelphia VA Chief of Radiation Therapy  
4 for just over two years.

5           Dr. Maslow is going to address the specifics in  
6 the NRC report of November 17, 2009.

7           Dr. Maslow earned his PhD in Theoretical Nuclear  
8 Physics from the University of Virginia, his medical  
9 degree from Jefferson Medical College and a Masters  
10 in Business Administration from Drexel University.

11          He is our Associate Chief of Staff of Research  
12 and became Chair of the Philadelphia Radiation Safety  
13 Committee in August 2006, nearly five years into the  
14 brachytherapy program.

15          Dr. Maslow has also served as our acting Chief  
16 of Medicine for just over a year, and headed our  
17 review into the details surrounding the brachytherapy  
18 program.

19          I became the Director of the Philadelphia VA in  
20 August 2007, never expecting that we would soon discover  
21 such a terrible situation.

22          This is easily among the most difficult

1 situations I have faced.

2           However, I am proud of the work done on behalf of  
3 our veterans in a very complex Medical Center.

4           There were clearly missed opportunities along  
5 the way, but I stand by our efforts on behalf of our  
6 veterans over the past 19 months.

7           Again, I am sorry for any harm which may have  
8 been caused to any of our veterans.

9           Thank you again for this opportunity.

10           MR. MAITY: Good afternoon, thank you for  
11 the opportunity to discuss follow-up of patient care  
12 for those 114 veterans who underwent brachytherapy at  
13 the Philadelphia VA Medical Center.

14           Throughout my career I've trained or practiced  
15 in a range of institutions, including Mount Sinai  
16 Hospital in New York City, the hospital at the  
17 University of Pennsylvania, known as HUP, Fox Chase  
18 Cancer Center, John Hopkins Medical Center,  
19 Children's Hospital of Philadelphia, and the VA  
20 Medical Center in Philadelphia.

21           I consider it an honor and a privilege to care  
22 for veterans and I'm proud of the excellent work done

1 by the team in Philadelphia.

2           Prior to coming to the VA, I worked as an  
3 Attending Physician at HUP and at Children's Hospital of  
4 Philadelphia, mostly treating adults with brain tumors and  
5 children with cancer.

6           I became Chief of Radiation Oncology in  
7 November 2007.

8           After several months as acting Chief, and six  
9 months before our staff discovered possible dosing  
10 issues in May of 2008.

11           My priority since the summer of 2008, in regards  
12 to the patients who received brachytherapy, has been  
13 to make sure that they are being properly followed so  
14 that we can determine if they have had a recurrence  
15 of their prostate cancer or a complication from  
16 treatment.

17           For those patients who appear to have recurrence  
18 or complications, I have referred them to appropriate  
19 specialists, often outside the Philadelphia VA, to  
20 discuss further therapy for their prostate cancer or  
21 procedures to help their complications.

22           We have made every effort to either see patients

1 in follow-up ourselves, or to make sure that they are  
2 being followed by other health care providers.

3 Of the 114 patients, 69 are being followed on a  
4 regular basis in our department at the Philadelphia  
5 VA. The remaining patients who live more than 2 to 3  
6 hours away are being followed at their home  
7 facilities.

8 We have contacted the referring health care  
9 providers for these patients to stress the importance of  
10 regular PSA surveillance and physical examinations.

11 We track these outside follow-ups via our  
12 electronic medical record system.

13 Finally, four patients have died, each from  
14 causes other than prostate cancer.

15 None of these four deaths was related to  
16 recurrence of prostate cancer or complication of  
17 therapy.

18 I would like to spend a few moments discussing  
19 particulars regarding our patients.

20 First, control of prostate cancer.

21 Prostate-Specific Antigen, or PSA, is a standard  
22 test for assessing control of prostate cancer.

1           Typically, the PSA falls after brachytherapy  
2 over a period of several years reaching a minimum  
3 value termed the Nader.

4           After the PSA has reached this Nader, we watch  
5 to see any evidence of a rising PSA with a possible  
6 relapse occurring when there is a rise in PSA to  
7 2 nanograms per milliliter above the Nader value,  
8 this is known as the Phoenix Definition.

9           Many prostate cancer specialists will accept this  
10 as a sufficient indication to institute further therapy for  
11 presumed recurrent cancer, others may insist on a prostate  
12 biopsy before starting therapy.

13           Our definition of a relapse is a patient who met  
14 the Phoenix Definition and/or had a positive biopsy.

15           In addition to this, one patient was classified  
16 as having a relapse because he was placed on hormones  
17 by his Urologist for a rising PSA that did not meet  
18 the Phoenix definition.

19           Based on these criteria, we have had 11 relapses  
20 out of 114 patients, for 90.4% biochemical relapse  
21 free survival with a medium length of follow-up of  
22 3.8 years in temporary prostate brachytherapy series

1 to long-term biochemical relapse; free survival rates  
2 for low risk prostate cancer ranging from the mid-  
3 80% to the mid- 90% range treatment for patients with  
4 low doses or rising PSA's.

5 During our brachytherapy review in the summer of  
6 2008, we discussed management of cases with Dr. Kent  
7 Wallner at the Seattle VA.

8 For patients who have been treated approximately  
9 in the one year period prior to this time, the  
10 possibility of a second implant was discussed.

11 Of the patients who met the criteria, 17  
12 patients had such discussions with Dr. Wallner and  
13 eight of them went to the Seattle VA to undergo a  
14 second implant.

15 For patients who have relapsed, multiple salvage  
16 treatment options are available.

17 Treatment options as relevant are discussed on  
18 an individual basis with each patient.

19 Rectal complications.

20 MR. REYNOLDS: Excuse me.

21 You talk about the 11 relapses and then the 17  
22 patients that were considered for Dr. Wallner, are

1 those overlapped there or we have 11 and 17.

2 MR. MAITY: No, for those 17 patients had  
3 not relapsed.

4 Those 17 patients were identified as not having  
5 received the dose that we wanted to give them, and  
6 preemptively it was discussed to undergo a second  
7 implant.

8 MR. SATORIUS: And of those 17, 8 actually  
9 did receive a second.

10 MR. MAITY: Rectal complications.

11 Patients who undergo brachytherapy may  
12 experience rectal complications ranging from  
13 increased frequency of bowel movements, to rectal  
14 bleeding, rectal ulcers, or fistula formation.

15 The definition of adverse events is detailed and  
16 the common terminology criteria for adverse events,  
17 CTCAE Version 4.0.

18 Grade 2 toxicities can be managed with  
19 conservative therapy, whereas Grade 3 and 4 toxicities  
20 require more aggressive surgical or procedural  
21 interventions.

22 A recent review of contemporary brachytherapy

1 series Fan et al Cancer 2009.

2 The incidents of Grade 2 rectal toxicity range  
3 from 3.7 to 8 percent, and the rate of Grade 3 or 4  
4 toxicity ranged from less than 1 percent to 8  
5 percent.

6 Of the 114 patients reported here, six patients,  
7 or 5 percent, had Grade 2 rectal bleeding thought to  
8 be due to radiation proctitis.

9 None of these six patients has required blood  
10 transfusions.

11 For five of the six patients, the rectal  
12 bleeding was self-limited and has resolved.

13 The one exception is a patient taking both  
14 Plavix and Coumadin who continues to have  
15 intermittent rectal bleeding, which is being managed  
16 conservatively.

17 Three patients, 2.6percent, have developed a  
18 Grade 3 rectal toxicity. One of these three  
19 developed a rectal ulcer requiring surgery.

20 A second patient developed an anorectal stricture  
21 requiring dilitation, and a third developed chronic  
22 proctitis and bleeding that has responded to Hyperbaric

1 Oxygen therapy.

2 No patient developed a Grade 4 rectal toxicity.

3 Genitourinary, or GU, complications.

4 Brachytherapy can also lead to GU complications.

5 These range from lower urinary tract symptoms  
6 such as painful urination, known as Dysuria, urinary  
7 frequency, incomplete bladder emptying, to scarring  
8 of the urethra, radiation bladder damage, or  
9 incontinence.

10 As the NRC Medical Consultant, Dr. Goans, states  
11 in his report dated December 12th, 2008, the occurrence of  
12 urinary symptoms is "a fairly routine event after  
13 brachytherapy and is not thought to be specifically related  
14 to seed placement."

15 His most recent report dated October 12, 2009,  
16 Dr. Goans states, based on his review of 39 cases,  
17 that "most patients appear to be doing well  
18 clinically, most have symptoms of Dysuria and urinary  
19 frequency to be expected for this type of procedure."

20 Based on my review of all 114 patients, I agree  
21 with the statement.

22 However, three patients --

1           MR. REYNOLDS: Do you agree with the rest  
2 of his statements in the report?

3           MR. MAITY: Please be specific.

4           MR. REYNOLDS: All of his statements.  
5 I can pull them out and read them for you.

6           MR. MAITY: I'm not sure --

7           MR. REYNOLDS: Did you read his report?  
8 2.6 percent developed a Grade 3 GU toxicity.

9           MR. MAITY: Yes, I did. I can't read your  
10 mind; you have to give me some specifics. Give me a  
11 specific comment that he made.

12           MR. REYNOLDS: I'll pull it out for you.  
13 You can go on, and I'll pull it out for you.

14           MR. MAITY: Three patients, 2.6%, developed  
15 a Grade 3 GU toxicity. Two of these patients had  
16 urethral strictures requiring intervention, and one  
17 patient developed radiation cystitis that has  
18 responded to Hyperbaric Oxygen therapy.

19           No patient developed a Grade 4 GU toxicity.

20           In the literature of the incidence of Grade 3 or  
21 4 GU toxicity has been reported to be in the 3 to 4%  
22 range.

1           On the other hand, erectile dysfunction is a  
2 common problem following brachytherapy affecting 40 to 50%  
3 of patients in many reports.

4           Out of our 114 patients, 36, or 32 percent had  
5 erectile dysfunction prior to brachytherapy.

6           While an additional 30 patients have developed  
7 ED following their implants, or 38.5 percent of  
8 patients who did not have ED at baseline.

9           Patients meeting the NRC internal abnormal  
10 occurrence criteria.

11           The NRC inspection report number 030-34325 2009  
12 001 identified 17 patients who met the NRC's internal  
13 abnormal occurrence criteria.

14           There have been no relapses in this group of  
15 patients. Out of these 17 patients, only one has  
16 developed a Grade 3 rectal or GU toxicity and has  
17 already been discussed.

18           As I stated in my introduction, I consider it an  
19 honor to work with the Philadelphia VA, and I believe our  
20 team has done the right thing for our veterans since  
21 discovering the problem 19 months ago.

22           While we have provided extensive data on

1 patients so the NRC could complete its review, we  
2 have also protected the patient's privacy and dignity  
3 by referring to them by such terms as patient XRT 045  
4 or XRT 071. But these are our patients, they are not  
5 merely numbers.

6 Part of the Philadelphia team today is Pam Devine,  
7 sitting behind me, a registered nurse in Radiation Oncology.

8 Ms. Devine, or I, have personally followed every  
9 veteran who has undergone brachytherapy at  
10 Philadelphia explaining the process to them and their  
11 families and working to allay their fears.

12 We see many of these patients involved and we  
13 know them by name and face. Our focus has been to  
14 make sure they get the necessary follow-up that they  
15 need.

16 While this is an unfortunate situation and the  
17 dosing issues are very troubling, I believe that the  
18 clinical outcomes are promising in the vast majority  
19 of these 114 patients.

20 Where there have been complications, we have  
21 ensured each patient is informed of the range of  
22 treatment options and receives the best treatment for

1 his personal situation. Thank you very much.

2 MR. REYNOLDS: I of four statements.

3 This is on page 17 of his most recent report.

4 He says a number of deficiencies have been  
5 noted, so I would like your opinion on this one, lack  
6 of proper quality control and management of the  
7 brachytherapy program.

8 MR. MAITY: I think Mr. Citron has already  
9 addressed that.

10 MR. REYNOLDS: The consensus is that there  
11 was insufficient quality assurance. So, you agree?

12 MR. MAITY: Yes.

13 MR. REYNOLDS: Then a lack of policies to  
14 address post-implant management of patients and  
15 patient dose.

16 MR. MAITY: Could you repeat that?

17 MR. REYNOLDS: Lack of policies to address  
18 post-implant management of patients and patient dose.

19 MR. CITRON: That question is going to be  
20 addressed by Dr. Maslow, is one of the areas of a  
21 violation.

22 My preference, if you don't mind, is to come

1 back and wait until Dr. Maslow presents his.

2 MR. REYNOLDS: That will be fine. Dr.  
3 Maity was quoting certain sections of the report I  
4 just wanted to know what his view was on the entire  
5 report. I will ask two more, maybe Dr. Maslow will  
6 answer them at that time. Lack of program oversight  
7 and with inadequate reviews surrounding past trigger  
8 events; now or later?

9 MR. CITRON: I think in the past there was  
10 lack of oversight. We recognize that, I believe Dr.  
11 Anderson already spoke to that that was one of the  
12 root causes.

13 MR. REYNOLDS: I understand, I was try to  
14 get Dr. Maity's view on that. I appreciate you  
15 answering that that is fine. Then he says in his  
16 professional medical opinion is that the prior  
17 brachytherapy program did not remotely meet current  
18 medical standards.

19 MR. MAITY: I think that will be addressed  
20 by Dr. Hagan as well, but I think there were some  
21 glaring deficiencies in the program.

22 MR. REYNOLDS: Thank you.

1           MR. MAITY: Next, we would like to go to  
2 Dr. Hagan.

3           DR. HAGAN: Largely involving the  
4 regulatory evaluation of the implant at Philadelphia,  
5 or the application of criteria used for application  
6 of the regulatory evaluation of Philadelphia.

7           I joined the VA in January of 2009, this year,  
8 to find that the Philadelphia staff had been asked,  
9 they had been required to apply multiple sets of  
10 criteria, some with overlap, some with  
11 justifications, some with poor justification leading  
12 to confusing set of applications and reporting of  
13 medical events through the year.

14           From Dr. Maity's presentation, you should note  
15 that the 90 percent level for relapse free survival and  
16 urinary complication rates were consistent with the expected  
17 results from the best centers nationally.

18           As follow-up is extended into the first decade,  
19 however, these results may change.

20           For now, the results are absolutely consistent  
21 with our expectations of the clinical results of  
22 these procedures.

1           That is not to say the procedures performed at the  
2 Philadelphia VA Medical Center met our expectations for  
3 them. While the clinical evaluation of brachytherapy at  
4 Philadelphia shows excellent results thus far, the  
5 regulatory evaluation serves a very different purpose.

6           The regulatory assessment of the implant  
7 established criteria 10 CFR 35, throughout 2008 and  
8 to date.

9           Philadelphia has reported, as we've heard, 97  
10 medical events from 114 patients there; 36, I  
11 believe, for dose to other organs and tissue and 61  
12 for an erroneous dose to the prostate.

13           Turning attention to those reported erroneous dose  
14 to the prostate, the criterion that was added to the  
15 evaluation in Philadelphia to the Philadelphia staff after  
16 the investigation had begun, was the D-90 or the absorbed  
17 dose to a minimum of 90% of the target volume for which  
18 these patients plus the prostate.

19           Beginning in 2005, we have seen conflicting  
20 recommendations, multiple panels in the country,  
21 leading experts in Radiation Oncology, brachytherapy,  
22 and medical physicists have concluded that no

1 absorbed dose metric is appropriate for medical event  
2 criteria for volume implants of prostate.

3 Although I will touch on that briefly, I'm  
4 certainly willing to provide much more information  
5 in-depth than that charge.

6 On that background, in September of 2009, VHA  
7 convened a blue ribbon panel of national experts to provide  
8 guidance regarding criteria to be used for evaluation of  
9 volume implants of the prostate for regulatory compliance.

10 There is group slides here, somewhere, that I  
11 hope to be able to show.

12 The first slide --

13 MR. REYNOLDS: Doctor, is this what it  
14 looks like?

15 DR. HAGAN: Yes.

16 MR. REYNOLDS: We will get it figured out here in  
17 a second.

18 DR. HAGAN: This is the panel makeup  
19 Chaired by Dr. Michael Zelefsky from Memorial  
20 Sloan-Kettering, expert names of which many of us  
21 recognize from, not only the literature, but from  
22 their standing radiation oncology community.

1           They were asked to provide guidance regarding  
2 criteria to use evaluate volume implants.

3           After reviewing the 10 CFR 35 and their own  
4 experience with prostate brachytherapy, the panel  
5 members advised the VA to adopt a treatment total  
6 activity standard as the standard for evaluation of  
7 dose to the prostate. That is for the evaluation of  
8 the treatment site, an image-based verification of  
9 source localization after the implant should be used  
10 and not absorbed dose standard, such as D-90 or  
11 B-100.

12           D-90, B-100 recommended for clinical evaluations  
13 of these implants in the literature are dose  
14 estimates, not dose measures.

15           While important for clinical reporting, they are  
16 too imprecise, too subjective, the panel thought to  
17 be useful as dose measures.

18           In addition, the D-90 estimated at one point  
19 along a several week volume trajectory of the  
20 prostate following implant, poorly reflects the  
21 absorbed dose over the integrated totality of the  
22 time at which the prostate volume is changing.

1           Also, it may not reflect well the intentions of  
2 the provider.

3           For example, a desired purposefully undertreat the  
4 medium load that some providers may choose in their seed  
5 distribution, or to add additional treatment to the apex of  
6 the prostate, may be poorly reflected in a retrospective  
7 application of a standard that was not employed at the time  
8 the implant was conducted.

9           The panel's criteria, shown in the next three  
10 slides, starts with the treatment site accuracy pathway with  
11 a recommendation of considering a medical event when 20  
12 percent of the source activity has not been placed in a  
13 designated treatment site. The panel went on to further  
14 define the treatment site for prostate implants allowing an  
15 expansion outside the prostate upon the attention of the  
16 practitioner to include additional volume outside the  
17 prostate.

18           But also, an expansion to include the area where  
19 the practitioner intends to place seeds.

20           We will see that in specific example of  
21 Philadelphia implant later. Designated treatment  
22 site is not limited to the prostate.

1           It is a definition of the area that the  
2 practitioner decides to place seeds in order to treat the  
3 prostate.

4           The next slide, a little more  
5 straightforward, it is just an application of the  
6 pertinent paragraph so that wrong isotope, wrong  
7 patient use of leaking seals is an application that  
8 is straight out of the regulatory language.

9           The next slide shows an area that is problematic.

10          That is the application of the wrong site  
11 pathway according to the current regulation, which  
12 requires a report for dose to scan organ or tissue  
13 that exceeds 5.5 seabirds, dose to organ or tissue  
14 and 50 percent more than the dose expected and that  
15 is the difficulty.

16          What tissues constitute other organs and tissue  
17 for the prostate and what's the expected dose.

18          There are no published standards for these  
19 criteria.

20          There are no published cohorts of accepted  
21 prostate implants from which to develop these data.

22          So the panel believe that you could characterize

1 it a mutually exclusive way, the bladder, rectum, and  
2 all periprostatic tissue which would include all of  
3 the tissue surrounding the prostate and assign  
4 individual criteria for that, 1cc of the rectum, 1cc  
5 of the bladder, and 2 of periprostatic tissue.

6           Evaluating for dose by dose volume histogram,  
7 doses to those structures looking at the highest dose, the  
8 very high bar, the highest dose to those small volumes and  
9 comparing it to 150 percent of the highest expected dose,  
10 which the Philadelphia has supplied by use of the  
11 prescription dose.

12           The next slide shows the application of the  
13 standards. The first thing that has to happen to be able to  
14 apply the treatment site algorithm is identification of the  
15 prostate, which by itself is a difficult endeavor.

16           We use CT evaluations in identifying the  
17 process, and the CT evaluation is not easy.

18           Prostate contours has been identified here shown  
19 in cartoon in red with the seeds shown in green.

20           Then the expansion criteria to designate the  
21 treatment site based on the intent of the program, or  
22 in this case, the authorized user, to give the blue

1 volume all the way over on the right.

2 Then the total activity standard is applied by  
3 determining the seed count outside of that volume to  
4 the total seed count, and when it is 20 percent or  
5 more, then the implant has not been conducted in a  
6 way that was consistent with the intention of the  
7 authorized user.

8 In terms of dose to other organs and tissues,  
9 similar expansion occurs, but after that a dose volume  
10 histogram looks at these small volumes for periprostatic  
11 tissue, dose to bladder, or dose to the rectum.

12 And in this case, seeds that are inferior to the  
13 prostate, shown in its expanded form over on the  
14 right, delivers more than the prescription dose, in  
15 fact more than 150 percent of the prescription dose,  
16 to a very small volume of periprostatic tissue  
17 rendering this particular example a medical event  
18 secondary to other organ and tissue dose.

19 The next slide: What I will do is take you  
20 through a particular case from Philadelphia.

21 The seeds are shown, once again, in green and  
22 the prostate contours in red all the way in the upper

1 left-hand corner and on the next image, the prostate  
2 is rendered opaque.

3           So the only seeds you can see are seeds that were  
4 intended to be placed outside of the prostate.

5           This is typical of the Philadelphia plans. Many  
6 seeds were intended to be placed outside of the  
7 prostate in order to dose the prostate volume.

8           The expansion allowed applying the rubrics from  
9 the Blue Ribbon Panel is shown again in blue.

10          You can see there are actually seeds that are  
11 inferior, seeds to the left, in this case is inferior  
12 to that blue volume.

13          Using the maximum expansion allowed or  
14 recommended by our Blue Ribbon Panel, the Zelefsky  
15 panel, we can see that the practitioner here had  
16 intended to put seeds an additional 2 to  
17 5 millimeters inferior to that expansion.

18          Down below, we look at the post-implant  
19 evaluation. This is CT that has been done after the implant  
20 has occurred; the same expansion on the CT contours has been  
21 accomplished.

22          You can see that there are six seeds that are

1 inferior lateral to the prostate, or to the designated  
2 treatment site, shown in blue. Here are three, but very  
3 closely the volume that was intended; the three are distant.

4 The three don't rise to 20 percent level so this  
5 is not a medical event from the total activity  
6 standard.

7 This implant was, however, reported as a medical  
8 event based on D-90 criteria.

9 The prescription dose was 160 gray, so 128 gray  
10 for a D-90 would qualify for a report, and this patient was  
11 reported. This implant was reported as a medical event.

12 I want to draw attention to the coverage shown  
13 in the lower right-hand corner.

14 The D-90 is 123 gray. Currently there is one  
15 Phase III randomized prostate brachytherapy implant trial  
16 being conducted by the oncology group, this is the Radiation  
17 Therapy Oncology group specifically sponsored by the ACR.

18 There are detailed quality assessments that go  
19 with that protocol.

20 That protocol for D-90 assigns the goal of  
21 treatment as a D-90 of 90 percent to the CT volume,  
22 which is what we are looking at here.

1           So, a thoroughly protocol compatible implant  
2 would involve a D-90 that goes from 115 gray to an  
3 upper limit that's substantially more, 189 gray.

4           That's the current definition and quality  
5 assessment of implants under this Phase III protocol.

6           This implant, had it been submitted for  
7 inclusion in the Archie Oji study, would've met all  
8 of the QA criteria. This very reasonably done, very  
9 adequate implant is reported still as a medical  
10 event.

11           If we look at the next slide, you will see here  
12 two cases which are also reported as medical events that by  
13 any lay person's eye, seeds are not placed anywhere near the  
14 prostate. I can expand that prostate to a very large volume  
15 and still not include those seeds.

16           There were, in fact, implants that were done very  
17 poorly at Philadelphia in Tier two these reported as D-90  
18 failures. The next slide showed two implants also reported  
19 as D-90 failures.

20           Under the same rubric reported from the  
21 Philadelphia cohort of 114, these two implants also meet all  
22 of the QA criteria for the current Archie Oji protocol.

1           I only mention that because there are no other  
2 agreed-upon standards that we could apply.

3           These implants are actually very adequate from a  
4 clinical standpoint.

5           Next slide shows that application of this expanded  
6 volume to create a designated treatment site does not take  
7 the authorized user off the hook.

8           These poorly done implants continue to meet  
9 medical event criteria by this standard as well.

10           In fact, if we look at the 114 implants done out  
11 of Philadelphia, there is a clearly definable group by  
12 applying this standard that stand alone, and on the next  
13 slide you will see them.

14           MR. REYNOLDS: Doctor, could I ask real  
15 quickly; the numbers here I presume are reference  
16 numbers to specific cases that took place at VA  
17 Philly, is that right?

18           DR. HAGAN: We identified reference numbers  
19 associated with the case through the Philly staff, or  
20 by the Philly staff.

21           MR. REYNOLDS: So, the 114 are scattered  
22 through this like one is 27, one is number 28, one is

1 number 35.

2 DR. HAGAN: Right.

3 MR. REYNOLDS: Ok, thanks.

4 DR. HAGAN: If you look at this slide, this  
5 slide shows 19 cases, which with my review of using  
6 the CT contouring done by Philadelphia and using the  
7 expansions of -- recommended by the Zelefsky Panel,  
8 identify all of these as medical events.

9 Of these, 11 are medical events because of too  
10 many seeds outside the treatment volume, greater than  
11 20 percent. There are another 8 that are medical  
12 events because of additional dose beyond 150% level,  
13 mostly periprostatic tissue, because you can see the  
14 miss here was almost always inferior, sometimes  
15 posterior, but almost always inferior.

16 Now, many of those overlap. Many of these cases,  
17 in fact every case but one that was a medical event are  
18 having too many seeds outside the prostate also delivered  
19 too much dose to periprostatic tissue. But independently,  
20 there are 19.

21 What I want to do now is quickly go through the  
22 other implants bringing us to the total of 114.

1           So you will have seen at least the sizable view  
2 of each one of these implants from Philadelphia.

3           I think as we go through those, starting with  
4 the next slide, you can see that these are very  
5 different.

6           If we look at seeds that are abutting the  
7 expansion volume, you will see that there are, in fact, seed  
8 trains occasionally that are outside clearly poorly placed,  
9 but the majority of seeds, in fact, the overwhelming  
10 majority of seeds, are in the designated treatment sites.

11           We go to the next slide. I will take you through  
12 each one of those, but you can see the same sort of thing.

13           There is a single slide that is up on 38.  
14 Anytime the seeds were inferior, I have also asked  
15 for the rectum to be shown so you could see whether  
16 the seed actually is within the rectal wall or not.

17           Case number 47, you can see that there are six  
18 seeds. Those six seeds abut the treatment site and  
19 there is no posterior expansion allowed, so are in  
20 the prostate, not in the rectum.

21           The next group, and the next, and the next.

22           Here on this one, 65 and 79 come close, not for

1 dose to periprostatic tissue, but for total number of  
2 seeds outside the prostate.

3 Both were greater than 15, but under 20 percent of  
4 seeds outside the prostate.

5 None of the others were close. Next.

6 And one last. The purpose for this  
7 characterization is not to mitigate implants at Philadelphia  
8 in any way, but to present a more balanced presentation of  
9 which implants not only failed regulatory application for  
10 compliance, but clinically failed as well.

11 An erroneous implant should be corrected, as was  
12 discussed earlier with the 17 patients who were given the  
13 opportunity to get a supplemental implant.

14 A technical explanation of the defects of the  
15 erroneous implants needs to be examined so that QA  
16 can be more effective in preventing a second  
17 occurrence of the same seed.

18 And these implants used as a tool for the quality  
19 improvement program within the facility.

20 What this analysis that I've shown you does do,  
21 however, is bring into alignment the clinical  
22 expectation for these patients and the regulatory

1 application of a reasonable set of criteria.

2 We have heard mentioned by several colleagues  
3 that the medical event definition was not clear.

4 The medical event is defined. It is defined in  
5 the current regulation. The question is the criteria  
6 used to apply that evaluation of that definition by  
7 the medical center.

8 The initial use of a clinical tool as a regulatory  
9 metric identified a number of implants as medical events  
10 which were clinically fully acceptable. Subjective nature  
11 of this assessment, which was well known at the time of this  
12 investigation, was reflected with a multiplicity of cases  
13 ruled in or out as another expert would come and do  
14 contours.

15 The original contours would identify one set of  
16 patients as not meeting D-90 criteria. Another expert would  
17 come in and contour, and an additional set would be  
18 identified. A third application of new contours from the  
19 use of a VA expert generated yet another set.

20 The use of CT scanning well beyond the period  
21 associated with post radiation atrophy for the evaluation  
22 resulted in medical events reported from grossly inaccurate

1 imaging.

2           To summarize, the application of guidelines that  
3 have been recommended by the Zelefsky Panel identifies 11  
4 cases as wrong dose criteria and another eight as wrong site  
5 criteria. And I will be certainly willing to take questions  
6 on the application and the significance of the use of the  
7 Zelefsky Panel recommendations.

8           MR. REYNOLDS: I have a few questions.

9           I am also aware that AAPM just came out with  
10 their e recommendations on reporting methods. How  
11 does that mesh with your Blue Ribbon Panel?

12           DR. HAGAN: You're talking about the TG-137  
13 that came out in November.

14           MR. REYNOLDS: Yes, sir.

15           DR. HAGAN: Which is a recommendation for clinical  
16 reporting, not regulatory reporting. In fact, that prompted  
17 a telephone call between myself and Dr. Nath who is the  
18 Chair of TG-137. Dr. Nath has authored a letter to verify  
19 that TG-137 was to apply only to clinical reporting, and  
20 that letter is now making its way through the AAPM internal  
21 regulatory apparatus.

22           It will come out of the government relations

1 committee.

2 MR. REYNOLDS: You said earlier on the  
3 clinical target volume, that area is designated by  
4 the physician. So the ones that you showed today --

5 DR. HAGAN: There is no clinical target  
6 volume. The clinical target volume was the gross  
7 target volume of the prostate. So, there was no  
8 additional expansion to include a clinical target  
9 volume.

10 MR. REYNOLDS: Okay, so what the physician  
11 had intended was just the prostate?

12 DR. HAGAN: That was the assumption made  
13 with this retrospective application of new contouring  
14 and new contouring assessments to implants that  
15 occurred in 2002.

16 There was no indication from the medical record  
17 that the practitioner had intended to treat a volume beyond  
18 the prostate. However, it was clear that in many and most,  
19 in fact almost all of the implants, the intention was to put  
20 seeds outside of the prostate in order to ensure that dose  
21 to the prostate. That was the common style, it is not the  
22 style in every program. There are many programs that limit

1 all seeds being placed internally within the prostate, not  
2 outside of the prostate. In Philadelphia, the intention was  
3 to place seeds both within and without the prostate.

4 MR. REYNOLDS: You just confused me because  
5 I thought you said there was no record of what the  
6 Doctor intended.

7 DR. HAGAN: No, no, there is a record of  
8 what the doctor intended. I did not mean to imply  
9 that there was no record. There was no evidence that  
10 the Doctor intended to treat a volume beyond the  
11 prostate volume.

12 MR. REYNOLDS: The records show he intended  
13 to treat just the prostate volume. In fact he did  
14 not do that. Is that correct?

15 DR. HAGAN: The second part of that is not  
16 correct. The first part of that -- and for many of  
17 his prostate implants he did treat the prostate  
18 volume very nicely. What he didn't do was intend to  
19 place all of his seeds within the prostate.

20 MR. REYNOLDS: He did not do what he  
21 intended by putting them all in the prostate.

22 DR. HAGAN: That's not true.

1           MR. REYNOLDS: I was trying to repeat back  
2 what you are telling me.

3           DR. HAGAN: But you're getting it wrong.

4           He intended to treat the prostate. He intended  
5 to dose the prostate to be the target of his  
6 treatment.

7           In order to ensure dose to the prostate, it was  
8 his intention to place seeds both inside the prostate  
9 and outside of the prostate, which was the reason for  
10 showing that case 32 there where you could see.

11          You get a feel for how many seeds he would  
12 intend to put outside the prostate. That is not  
13 unusual.

14          MR. ORTH: Can I ask a follow-up question?  
15 When you look at the treatment cases and the  
16 documented treatment, documented on that, it would  
17 indicate that there is a certain amount that is  
18 supposed to be or intended to be outside of the  
19 prostate when you look at your records.

20          DR. HAGAN: For every implant there is a  
21 pre-implant plan. I showed you one for case 32 just  
22 to show you so you could get a feel for how many

1 seeds he intended to put outside the prostate.

2           For each implant there is a preplan that shows the  
3 intention in terms of the placement of seeds. One of the  
4 difficulties is that preplanned its based on ultrasound  
5 imaging. Ultrasound imaging shows very nicely or much  
6 better than CT, the Tesla border of the prostate.

7           CT is notoriously inaccurate at showing that.

8           Yet, it is the CT volume that we have to rely on  
9 in order to do the evaluation of seeds in or seeds  
10 outside of the target volume.

11           It is, in fact, the inaccuracy that is associated  
12 with that contouring that has given panels in the past  
13 difficulty in concluding that you could apply an absorbed  
14 dose metric because the contouring from one practitioner to  
15 another is so different.

16           In fact, the current guidelines, the current ACR  
17 guidelines for conduct of these implants cautions against  
18 using D-90 to compared between observers specifically, for  
19 that reason. That contouring is so subjective that using a  
20 similar D-90 or other absorbed dose criteria between two  
21 practitioners is a difficult thing to accomplish.

22           In fact, RTOG that is currently conducting RTOG

1 protocol 232 had a precursor protocol just to demonstrate  
2 that you could get enough congruency and contours to be able  
3 to conduct a protocol. It's not easy.

4 MR. ZIMMERMAN: Dr. Hagan, can I follow-up  
5 on that question to make sure I understand what you  
6 said?

7 If I understood what you said, you're saying  
8 ultrasound will give you a better image. Is that the right  
9 word for the contour of the prostate? It gives you a better  
10 picture, a better representation for what the contour of the  
11 prostate is than CT?

12 DR. HAGAN: And if you could see the seeds  
13 on ultrasound, we would probably be using ultrasound  
14 instead of CT.

15 DR. MILLER: That was my follow-up  
16 question; why would ultrasound not be used in place  
17 of CT or why would you use CT from a clinical  
18 perspective?

19 DR. HAGAN: This specific question gets  
20 debated from time to time in the literature. And I  
21 can say that probably at bottom-line looked at one of  
22 the ABS meetings several years ago is that MRI is the

1 best imaging modality because it gives you the  
2 prostate volume very accurately, even zonal anatomy  
3 within the prostate, and you can see the seeds well  
4 enough to get a fairly accurate seed count off of  
5 MRI. But it is very expensive.

6           So, when we look at the ability of post-implant  
7 imaging to be able to demonstrate in a reasonable way the  
8 achievement of the clinical goal, CT accomplishes that.

9           It does not accomplish that as accurately as we  
10 would like and for doing something like trying to  
11 parse out a 20 percent absorbed dose metric, that CT  
12 subjectivity is paralyzing to that effort. A small  
13 change in the contours of the base of the prostate  
14 can make a 15 to 20 percent difference in the D-90,  
15 the apparent D-90.

16           So, to try to expect to get 20 percent accuracy  
17 based on CT imaging is very difficult. To be able to look  
18 at a large cohort of patients to evaluate a treatment  
19 program, CT is a very reasonable tool for looking at the  
20 clinical success of your program, and it is much more cost  
21 effective than doing MRI.

22           But each of us these days will use an MRI when the

1 CT image is on the borderline of indicating a medical event.

2 So, if we are doing a CT evaluation in a  
3 post-implant setting and it appears that the base is  
4 underpopulated, that is the part of the prostate that  
5 is closest to the bladder which is frequently an area  
6 that is problematic is underpopulated, before we  
7 conclude that it is in fact underpopulated, we will  
8 have an MRI to be the decision-maker there.

9 If we had an infinite amount of bucks to spend in  
10 the prostate evaluation, we would all be doing MRIs for  
11 these implants.

12 DR. MILLER: Following that logic, there is  
13 a certain amount of uncertainty on the part of the  
14 clinician in placement of the seeds as to what the  
15 actual boundary of the contour that they are trying  
16 to achieve is, and based upon the information you  
17 have available by which technique they use, they  
18 attempt to do their best to try to keep it within  
19 that contour, whatever it be. Although there is some  
20 uncertainty as to what the actual boundary of that  
21 is.

22 DR. HAGAN: Right.

1 DR. MILLER: Thank you.

2 MR. SATORIUS: I understand what you were  
3 saying that the plan may include placing some seeds  
4 outside of the prostate in addition to those in, but  
5 isn't it important that the outside placements be  
6 conducted with a level of precision to reduce the  
7 amount of unintended dose to other tissues; isn't  
8 that just as important that they are placed  
9 correctly?

10 DR. HAGAN: Oh, certainly. Every seed, it  
11 is important that every seed be placed as accurately  
12 as possible. Evaluating where that seed is placed in  
13 terms of inside or outside the prostate, how far it  
14 is away from the prostate is a much easier job than  
15 determining the absorbed dose that is occurring  
16 within the prostate volume at any particular date  
17 along the way.

18 So, the ACR currently will recommend that patients  
19 be evaluated either 4-6 weeks out after an implant so that  
20 most of the swelling of the implant has resolved, or at day  
21 zero, so perhaps most of the swelling has not occurred yet.

22 In between becomes an area that is fraught with

1 difficulty. Comparing one patient to the next becomes a  
2 very difficult undertaking which is the other reason.

3 Contour subjectivity and volume change of  
4 prostate are identified over and over again by those  
5 who say the application of absorbed dose metric for  
6 prostate just cannot be done with the precision to be  
7 able to deliver on a 20 percent requirement.

8 MR. REYNOLDS: This Blue Ribbon Panel came  
9 up with this new criteria and that's all well and  
10 good. Do you know what the criteria was used at VA  
11 Philadelphia from 2002 to 2008 for a medical event?

12 DR. HAGAN: I will let Dr. Maslow respond  
13 to that, but I know they had criteria in place, and I  
14 know the VA through the application of their internal  
15 review across the country imposed on them the use of  
16 the D-90 standard.

17 We required the use of the D-90 standard. But I  
18 will let Dr. Maslow describe what they were using prior to  
19 the imposition of the standard.

20 MR. REYNOLDS: One of the main reasons of  
21 the inspection reports is we struggle with getting  
22 consistent information from you on what's a medical

1 event and what's not, and now you come here again  
2 with a new criteria with a new panel.

3 I'm not sure, next week, are you going to come  
4 with another criteria and say no, we don't have 11 or 8, we  
5 only have 5? It's been troubling since last summer.

6 DR. HAGAN: I understand the trouble and I  
7 would like to remove perhaps the inflammatory part of  
8 that comment. Our goal in VHA was to have one set of  
9 criteria that we could use across the system.

10 So in September, we realized that the problem  
11 you're describing was occurring. And we were getting  
12 different sets of criteria dependent on the  
13 inspection that was undergoing and the inspector who  
14 was on site, and the interpretation of the staff of  
15 what they heard from the inspector. So the  
16 application of criteria was changing on a monthly  
17 basis.

18 It needed to bring clarity to this. And so our  
19 interest was to bring in those scholars who had a track  
20 record in brachytherapy that was undeniable, represented  
21 some of the leadership in radiation oncology in the country,  
22 and who had been involved in this process before, either

1 through association with HACKMEWE as panel members or  
2 perhaps ad hoc members in the past and could bring coherence  
3 to provide exactly -- so I have no interest in having a  
4 second panel and a second set of criteria.

5           These have been now raised to the Undersecretary  
6 level and we will apply these only if the Undersecretary  
7 signs that these are the VHA's criteria.

8           DR. MILLER: If I could follow-up on that  
9 to make sure I understand what you said.

10           In that respect, the criteria that the Blue  
11 Ribbon Panel came up with would be a forward-looking  
12 criteria if the Undersecretary endorses it, so that  
13 you have a consistent methodology across the VA.

14           DR. HAGAN: Right.

15           DR. MILLER: That said, if I understood  
16 what you presented in your slides, you were saying if  
17 that criteria had been utilized in the case of the  
18 medical events that got reported, it would be a much  
19 smaller number of medical events that would've been  
20 reported; is that a correct statement?

21           DR. HAGAN: I think is an accurate  
22 statement. Those that we can easily see were

1 clinically well done, but yet called -- that didn't  
2 meet D-90 criteria, one of these separate  
3 investigation would not have fallen out.

4 More to the point, I think people here in  
5 Philadelphia wanted to apply these criteria, that  
6 these were the Philadelphia criteria until D-90 was  
7 applied and they were required to use it.

8 When Philadelphia was required to develop one  
9 consistent set of criteria for other organs and tissues,  
10 they came up with very similar criteria the Blue Ribbon  
11 Panel used, not precisely the same a little different  
12 volumes that they chose, but Philadelphia's criteria, the  
13 medical center's criteria were very close to the Blue Ribbon  
14 Panel's criteria. I think you will hear Dr. Maslow speak to  
15 that.

16 MS. PELKE: If I could just ask a question,  
17 Dr. Hagan.

18 DR. HAGAN: Sure.

19 MS. PELKE: As I understand the methodology  
20 that you outlined from the Blue Ribbon Panel, it  
21 appears to me that this is activity based as opposed  
22 to dose based, is that correct?

1 DR. HAGAN: Correct.

2 MS. PELKE: And Philadelphia, when they  
3 were doing their implants, the written directive  
4 actually prescribed a dose, not an activity to the  
5 prostate; is that correct? It was not an activity  
6 necessarily to the prostate. The physician, the  
7 clinician was prescribing a dose of 160 Gray to the  
8 prostate consistently. That is how we understand the  
9 procedures were being conducted?

10 DR. HAGAN: The written directives, the  
11 prescriptions list both the dose but the written  
12 directive is listed as the number of the seeds to be  
13 placed.

14 MS. PELKE: And where was the verification  
15 on placement of the seeds to indicate that the dose  
16 would've been delivered as intended?

17 DR. HAGAN: Well, the quality control is  
18 the issue that has come up repeatedly. I will direct  
19 your attention to the definition of dose from the  
20 same regulatory language that exists today, that  
21 defines dose for these manual brachytherapy  
22 procedures as either total activity or dose with the

1 implications that that's absorbed dose.

2 That is the current definition. But I think the  
3 use of total activity fulfills the criteria of a dose  
4 specification.

5 MR. SATORIUS: As long as it is placed  
6 properly. You have to put it in the right place.

7 DR. HAGAN: Certainly the case, but within  
8 the criteria of the current regulation that more than  
9 80 percent of the total activity is placed within the  
10 designated treatment site.

11 That then removes the regulatory evaluation from  
12 a clinical evaluation.

13 So, when you quickly move to, well, the dose has  
14 to be right. What is right for the dose? Is it right for  
15 the dose that D-90 is 90 percent of the prescription dose,  
16 or is the goal 90 percent of the CT estimate of the  
17 prostate, which is currently what is used by most  
18 practitioners.

19 There is a 10 percent difference in the evaluation  
20 of an absorbed dose criteria just based on that  
21 interpretation. And so the need to separate the clinician's  
22 decision on whether he will accept under population of an

1 area of the prostate as an intention of his coverage, and an  
2 increased coverage in other areas as his intention, is a  
3 clinical decision.

4 MR. SATORIUS: I appreciate that, I do.

5 I think that my issue is more going to be dealt  
6 with here in this last presentation, because my issue  
7 was you have to know where you are putting the seeds  
8 and you didn't know where you were putting the seeds  
9 a lot of times.

10 DR. HAGAN: I have no disagreement.

11 MR. CITRON: Our next speaker would be Dr.  
12 Joel Maslow.

13 DR. MASLOW: Thank you, Mr. Citron.

14 Good afternoon Mr. Satorius, NRC staff,  
15 visitors. I'm going to provide an overview of how  
16 possible dosing issues were discovered by our own  
17 Philadelphia VA staff in May 2008 followed by the  
18 staff's taken to mitigate the problem as well as  
19 corrective actions taken.

20 Please let me first say that this is a terrible  
21 situation which everybody at the Philadelphia VA takes very  
22 seriously. It will take time to rebuild the trust of our

1 veterans and their families. I want them to know that their  
2 health and well-being is our top priority.

3           Please let me first stress that the Philadelphia  
4 VA reported these cases as possible medical events,  
5 regardless of the probability that any one case represented  
6 a true medical event. Our intent was to be as inclusive as  
7 possible with a goal to retract cases at a later date to  
8 those deemed not true represent medical events.

9           The Philadelphia VA currently is in the process  
10 of retracting multiple cases originally reported as  
11 medical events.

12           The hospital's implemented a number of corrective  
13 actions to prevent future occurrences, and to address  
14 systems issues to improve patient care.

15           Many corrective actions were implemented in the  
16 fall of 2008 and are cited in both the March 30, 2009  
17 and also the November 17, 2009 NRC special inspection  
18 reports. The corrective actions will be addressed in  
19 detail below.

20           However, it is to be noted that the hospital  
21 voluntarily and proactively suspended the Brachytherapy  
22 Program in June 2008, and it has not been restarted.

1           I will first address the eight alleged  
2 violations cited by the NRC and the response of the  
3 Philadelphia VA medical center to correct and address  
4 them.

5           I will subsequently address the areas of concern  
6 listed in the reports.

7           The NRC has detailed many of the corrective  
8 actions and changes implemented in the hospital in the  
9 reports that were just cited.

10          I wish to stress the fact that regardless of  
11 whether we concur or disagree with any alleged  
12 violations, we are very troubled by the events that  
13 have unfolded over the past year and a half, and  
14 consider that the problems that have been reported to  
15 represent a lapse in our commitment to patients to  
16 provide the very best clinical care.

17          The medical center has taken significant strides  
18 to ensure that such an event never occurs again, and that  
19 our patients' safety is our primary goal. The Philadelphia  
20 VA has continued to review all cases to ensure that dose  
21 irregularities of present are completely understood, and has  
22 comprehensively reviewed documents to provide an accurate

1 response to the alleged violations and its concerns.

2 My testimony includes all information from  
3 documents reviewed and/or discovered to date.

4 The first three alleged violations address a  
5 single issue that VA policies and procedures did not meet 10  
6 CFR 35.41. We will discuss in detail four collective sets  
7 of documents.

8 First, the NRC special inspection report dated  
9 June 30, 2003, and the reactive inspection report of the  
10 NHPP dated November 8th, 2005. The PBA MCMS, the medical  
11 center memoranda 1117 and 0076, which is our Seal Source  
12 Policy. I'll also discuss the brachytherapy algorithm that  
13 was developed for the program, as well as the radiation  
14 oncology contract with the affiliate University.

15 In 2003, the NRC conducted a special inspection of  
16 the PBAMC Brachytherapy Program and issued its report dated  
17 June 30 of that year.

18 The inspection scope included, and I quote,  
19 "Inspection of the procedures developed in accordance  
20 with 10 CFR 35.41, and concluded that no violations  
21 of 10 CFR 35.41 requirements were identified." In  
22 particular, the inspection addressed whether, and I

1 quote again "an authorized user or the medical  
2 physicist" -- I'm sorry -- "an authorized user or the  
3 medical physicist will review the treatment plan to  
4 assure the final plans of treatment and related  
5 calculations are in accordance with the written  
6 directive."

7           The policies and procedures of the Philadelphia VA  
8 were again reviewed in 2005 by the NHPP under the offices of  
9 NRC Region III.

10           As before, no violations of 10 CFR 35.41 were  
11 identified. The policies and procedures of the PBAMC  
12 Brachytherapy Program have remained consistent over  
13 the period from 2002 through 2008 with only minimal  
14 changes.

15           It is important to note that both of the events  
16 that were cited that prompted investigations by the NRC and  
17 the NHPP were evaluated by an activity metric, and they were  
18 recorded and reported similarly. Thus, while the policies  
19 and procedures of the PBAMC concerning this brachytherapy  
20 program have some limitations will be detailed, the NRC and  
21 NHPP have determined that the medical center's policies and  
22 procedures were adequate.

1           In their assessment they previously concluded on  
2 two occasions that no violations of 10 CFR 35.41 exist.

3           The Philadelphia VA Seal Source Policy medical  
4 center memorandum 0076 and its precursor MCM 1117  
5 that were in place at the time of the Brachytherapy  
6 Program states in section 3A subsection 1 of the 2005  
7 revision, "That radiation oncology authorized users  
8 prepare written directives and treatment plans that  
9 ensure compliance with the written directive and  
10 provide the written directive to the radiation safety  
11 officer" as per section 3A subsection 3.

12           The Seal Source Policy further sites in section  
13 3(b) subsection (h) the need to, and I quote,  
14 "Evaluate deviations from the written directive to  
15 determine the need for reporting to the NHPP, and  
16 that deviations of 10 percent are required to be  
17 reported."

18           The policy then states in section 4.8 subsection  
19 (14) that, and I quote again, "Radiation therapy shall use  
20 appropriate imaging modalities and list a few ultrasound CT  
21 fluoroscopy during implantation and proposed treatment  
22 source position verification."

1           In contrast to the alleged violations, the policy  
2 requires the brachytherapy implants follow necessary rules  
3 and regulations to adhere to the written directive and  
4 provides direction for post-implantation monitoring.

5           The policy, however, does have the following  
6 limitations.

7           It does not provide explicit citation of 10 CFR  
8 35.40 as the basis for the adherence to the written  
9 directive violation.

10          There is no timeframe listed when  
11 post-implantation imaging should occur.

12          The definition of a medical event and its relation  
13 to the implantation are not explicitly mentioned, and  
14 mention of post-implantation dose calculation is not  
15 included.

16          The PBAMC prostate brachytherapy algorithm was  
17 authored by the lead physician for the program and  
18 codeveloped with the program's medical physicists.

19          The algorithm was conceived in 2001 and revised  
20 multiple times to include times in November 2005 and  
21 2007, as well as other instances.

22          The algorithm provides a detailed operational

1 approach to prostate brachytherapy to include the  
2 requirement that pelvic CT scans be performed the day  
3 following the procedure, and verification of the number of  
4 seeds that have been implanted.

5           The policy is limited in that there is no specific  
6 requirement to compare dose delivered to the prostate with  
7 planned dose, but does require that the day when CT scan be  
8 evaluated for seed placement.

9           The policies requirement of a post-implant CT scan  
10 on the day following the procedure does comply with accepted  
11 standards, but it is not considered as optimal by many in  
12 radiation oncology.

13           A swelling of the prostate gland may, at this  
14 point, falsely lower absorbed dose measurements.

15           Finally, the radiation oncology contract between  
16 the Philadelphia VA and the affiliate University included  
17 specific reference to brachytherapy, and alleviated the need  
18 for and I quote, "verification of implantation in dose  
19 symmetry with calculation from actual implantation."

20           Thus, the policy requiring that implantation  
21 procedures include verification. The contract further  
22 states that, and I quote, "each nonresident physician will

1 abide by the bylaws, rules, and regulations of the PBMC."

2       The contract was revised during the 2003 event  
3 to require that dose deviations be reported to the  
4 radiation safety officer, and states that to assure  
5 patient and staff safety, medical physicists and  
6 radiation safety activities, be reviewed routinely  
7 with the RSO.

8       It later states, however, that while the  
9 government may evaluate the quality of professional  
10 administrative services provided, it retains no control over  
11 professional aspects of the services rendered, including by  
12 examples specific medical treatments. The latter clearly is  
13 a weakness of the contract that removes quality assurance  
14 oversight from the purview of the VA, but should not have  
15 been expected to adversely affect care if oversight by  
16 either party was being adequately performed. I think this  
17 addresses one of your comments from before.

18       Together, the three documents clearly delineate  
19 the need for post implant dose verification in compliance  
20 with 10 CFR 35.41. However, specific reference to 35.40 is  
21 lacking and there is no mention of a medical event.

22       In summary, the NRC and NHPP have already

1 concluded that the policies of the medical center are in  
2 compliance with 10 CFR 35.41. The Philadelphia VA also  
3 concludes that these policies and procedures are in  
4 compliance.

5           However, while the VA concludes that no regulatory  
6 violation exists relevant to its policies and procedures,  
7 this does not condone the fact that such policies were not  
8 followed. It also concedes that the policies could have  
9 been strengthened.

10           The VA failed in its responsibility to ensure  
11 that all brachytherapy cases met the best standard of  
12 care, for which even one core case would've been too  
13 many.

14           The medical center has concluded that there were  
15 three key points in time when the policies and contracts  
16 could have been amended and strengthened. First was when  
17 the documents were written. The second was at the time of  
18 revision of the Seal Source Policy and brachytherapy  
19 algorithm were at the renewal of the radiation oncology  
20 contract.

21           I did mention one change that went into the  
22 contract requiring 10 percent deviation reporting.

1           Finally, the third and perhaps most relevant  
2 time point which these policies and contracts could  
3 have been revised was following or in conjunction  
4 with the 2003 NRC special inspection or following the  
5 NHPP and NRC's 2005 reactive inspection of the  
6 Brachytherapy Program.

7           However, recommendations for significant revision  
8 of the policies are not deemed necessary at those points in  
9 time.

10           The Philadelphia VA has undertaken numerous  
11 corrective actions. It is noted from the November 17 NRC  
12 special inspection report and cited again in the 30th  
13 March 2009 report, the Philadelphia VA had already completed  
14 the following items.

15           Number one: Revising its procedures for the  
16 prostate brachytherapy treatments to ensure evaluation and  
17 verification that the administered dose was in accordance  
18 with the written directive. Two: Directions that require  
19 the radiation oncology staff to stop the procedure if there  
20 was any uncertainty associated with the treatment.

21           Three: Amending the PBAMC Seal Source  
22 Radiotherapy Policy to include A: The comparison and

1 evaluation of treatment plans and associated  
2 calculations with the written directive:

3 B: Direction to allow prostate brachytherapy  
4 treatments; to proceed only when the treatment planning  
5 computer is able to produce pre and post treatment plans.

6 And C: Immediately reporting all deviations that  
7 exceed 10 percent of the prescribed dose or dose fraction to  
8 the radiation safety officer and quality management staff.

9 As I noted, this requirement had already been  
10 implemented in 2003. Instituting a medical center  
11 peer review system for radiation oncology services  
12 and post treatment evaluations.

13 Five: Providing radiation safety training to  
14 radiation oncology staff, nuclear medicine staff, new  
15 employees, trainees, and contractors regarding NRC  
16 regulations for written directives and medical events.

17 Six: Revising the contract for radiation oncology  
18 services to realign these services under the RSO, the  
19 Radiation Safety Officer, the Radiation Safety Office.

20 Seven: Instituting an internal quality assurance  
21 program to ensure communications between radiation  
22 oncology team members regarding safety and treatment

1 concerns.

2           Eight: Suspending prostate brachytherapy  
3 treatments until all the corrective actions have been  
4 completed and that they are approved to restart by the NHPP.

5           Additionally, the medical center has revised the  
6 radiation oncology contract to include post-implant  
7 dose verification, specific requirements to follow  
8 not only regulatory and also local policy, and also  
9 quality assurance.

10           The Seal Source Policy continues to undergo  
11 review and revision to enhance its effectiveness as a  
12 working policy in that a policy that continues to  
13 accomplice new medical knowledge, changes in  
14 regulatory policy, and addresses clinical concerns as  
15 they come up.

16           The radiation oncology quality management program  
17 continues as a vibrant patient safety initiative.

18           The Philadelphia VA has taken steps to ensure  
19 that quality oversights in radiation oncology is our  
20 paramount consideration, and that no similar  
21 occurrences are experienced in the future.

22           We wish to repeat that while we do not consider

1 that the hospital is in violation of 10 CFR 35.41, there  
2 were inexcusable lapses in clinical care and quality  
3 oversight. Alleged Violation No. 4 deals with the training  
4 of supervised individuals regarding identification and  
5 reporting requirements for medical events under 10 CFR  
6 35.27.

7           Regarding training and policies for the  
8 Philadelphia VA medical Center, the medical center has  
9 documentation of training in brachytherapy policy and  
10 procedure that immediately predates the start of the  
11 program. Moreover, the contract physicist codeveloped the  
12 brachytherapy algorithm as it has been stated previously.

13           Finally, the contract affiliate lead medical  
14 physicist who started in January 2008 and took over the  
15 Brachytherapy Program, confirmed that he was trained in  
16 procedures of Philadelphia VA by the former contract  
17 physicist demonstrating knowledge of local procedure by both  
18 individuals.

19           MR. REYNOLDS: Can you state that again,  
20 please?

21           DR. MASLOW: Let me just repeat what I  
22 said. Finally, the contract affiliate lead medical

1 physicist who started in January 2008, confirmed that  
2 he was trained in procedures of the Philadelphia VA  
3 by the former contractor physicist, demonstrating  
4 knowledge of local procedure by both individuals.

5 MR. REYNOLDS: Okay.

6 DR. MASLOW: Regarding the question of  
7 knowledge of NRC regulation, documents faxed to the  
8 NRC on March 17th, 2009 provide clear evidence that  
9 the medical physicists were knowledgeable as to the  
10 definition of a medical event and reporting  
11 requirements with evidence of acknowledgment.

12 Also, the contract physicist was the primary  
13 author for the affiliate training manual that  
14 includes the definition of a medical event.

15 The 15 day report for both the 2003 and 2005  
16 possible medical events, notes that post-implantation  
17 dissymmetry in relation to medical event reporting for the  
18 case was reviewed with the medical physicists.

19 I have copies of these documents today. As part  
20 of the corrective actions, the Philadelphia VA has  
21 included all contract physicists and other contract  
22 personnel of facility mandated training regarding NRC

1 regulation and reporting requirements as it pertains  
2 to radiation oncology.

3           The Philadelphia VA has also initiated a schedule  
4 of regular training sessions of all radiation oncology staff  
5 and relevant regulatory and local policy.

6           Radiation oncology has reviewed and amended  
7 local policy and practice to incorporate chart review  
8 and peer review to address medical issues and safety  
9 concerns.

10           The definition of a medical event occurred at  
11 multiple radiation safety committee meetings and has  
12 been reviewed, and these committee meetings were  
13 through the end of 2008 and 2009, as being reviewed  
14 with all radiation oncology and is continuing  
15 education function.

16           The Radiation Oncology Department has included  
17 medical physicists as part of the departmental QA functions.  
18 As above, while the Philadelphia VA does not consider that a  
19 violation of 10 CFR 35.27 exists, it is apparent that the  
20 medical physicists did not report concerns or procedures.

21           Whether this was related to unwillingness to  
22 inform the VA of concerns because they were employed by the

1 affiliate university, whether they were unwilling to report  
2 events to superiors at the affiliate due to some unwritten  
3 code of conduct, or whether there was a lapse in knowledge  
4 is not known but is not relevant.

5           The fact that such lapses occurred raises  
6 significant concerns that while there have been significant  
7 information disseminated about a culture of safety at the  
8 VA, a culture of excellence was not in place in the  
9 Brachytherapy Program.

10           MR. REYNOLDS: Dr. Maslow, I am sorry. You  
11 made a statement about something not being relevant.  
12 And could you repeat what it was that you consider  
13 not being relevant. If you need to drop back into  
14 your testimony.

15           DR. MASLOW: The reason that any events may  
16 not have been reported. That events were not  
17 reported is the key issue. Other issues are  
18 speculative and I do not wish to speculate.

19           MR. REYNOLDS: You talked about safety  
20 culture being an issue and there was some reluctance  
21 for some of the medical physicists or whatever to  
22 report out of standard issues or issues that they did

1 not think were right.

2 DR. MASLOW: That I do not know why things  
3 were reported.

4 MR. REYNOLDS: Could you then explain to me  
5 what safety culture type issues you were talking  
6 about?

7 DR. MASLOW: I was reporting that there  
8 were cases that have been presented by Dr. Hagan that  
9 clearly did not -- that seemed inferior and those  
10 cases were not reported.

11 MR. REYNOLDS: Is that part of the relevant  
12 statement? You believe that to be relevant or not  
13 relevant?

14 DR. MASLOW: I'm sorry, I am missing the  
15 question.

16 MR. REYNOLDS: Let me try again.

17 I heard something about you did not consider it  
18 relevant. Is safety culture relevant to your  
19 operation?

20 DR. MASLOW: Of theoretical reasons why  
21 things may not have been reported. Upon why the  
22 theoretics are, to me, not the relevant issue.

1           The fact is that they weren't reported is the  
2 relevant issue, and trying to figure that out  
3 certainly is, looking behind, to me is not trying to  
4 correct the past but to ensure that in the future  
5 that we do not have these kinds of events, that  
6 regardless of why things are, we can make up reasons  
7 today for things that occurred years passed.

8           The issue is to bring them all on board, to make  
9 sure that the does not occur great.

10           MR. REYNOLDS: I would disagree with you  
11 there.

12           I'll ask the question another way that will be  
13 simpler.

14           What I'm trying to say is, is it important to VA  
15 Philadelphia that your employees feel free and comfortable  
16 in coming forward with these issues?

17           DR. MASLOW: Absolutely.

18           MR. REYNOLDS: Thank you.

19           DR. MASLOW: That was a point that I was trying to  
20 make.

21           MR. REYNOLDS: I would like to follow this  
22 up too; isn't it important to know why these weren't

1 reported in order to correct going forward in the  
2 future, that problem so it will be reported in the  
3 future?

4 DR. MASLOW: It is. That's not -- the  
5 overarching issue is that there may be multiple  
6 reasons and one can go back and try to parse those  
7 out at a date well into the future.

8 MR. REYNOLDS: If you don't do that, you  
9 don't know why they happen so you can't preclude them  
10 in the future.

11 DR. MASLOW: Thank you very much, and we  
12 have been doing that for a year and a half. But the  
13 issue is to bring everybody into the fold and  
14 basically make sure that reporting is a free and open  
15 process that not only is not punished, but is  
16 rewarded is the function.

17 MR. REYNOLDS: You've drilled down far  
18 enough to satisfy yourself. You understand the  
19 reasons why there were weaknesses in the safety  
20 culture such that you can take actions that will not  
21 preclude recurrence?

22 DR. MASLOW: Well, we have taken actions

1 that I think will preclude recurrence.

2 MR. REYNOLDS: We will be interested in  
3 finding out what some of those are.

4 MR. CITRON: We have taken a number of  
5 steps to try to improve the culture of safety.

6 To begin with we have a new Chief of radiation  
7 oncology who is not only technically very sound and  
8 well respected by the entire staff, but he is very  
9 approachable.

10 He is on site every day. We have a radiation  
11 safety officer that goes through the department everyday and  
12 is very approachable by all the staff.

13 We instruct the staff much better than we ever  
14 have before on coming forward if they have any  
15 concerns or issues. I know in talking to Dr. Maity  
16 recently, he indicated to me that there was a recent  
17 example of somebody being a little uncomfortable and  
18 let me ask Dr. Maity to speak to that.

19 MR. MAITY: I just want to talk about this  
20 whole issue of culture safety. It is one that I  
21 personally take very seriously. I have on numerous  
22 occasions by my actions and words try to convey to

1 the staff that work under me, that any issue that is  
2 of patient concern, needs to be brought to my  
3 attention and that I will act upon it.

4           Recently there was an issue where we were about to  
5 deploy new technology, one person in the department  
6 expressed some concern. And I said, stop it until you've  
7 actually satisfied yourself and satisfied everyone else that  
8 this is safe. So we delayed deployment by a week.

9           I personally am very committed to this.

10          I hired our chief technologist who is extremely  
11 compulsive and takes quality assurance as seriously  
12 as I do. I have made every effort to make sure that  
13 our staff understand this. In addition to this, if I  
14 am not available or if the staff for some reason want  
15 to go to someone else, we have someone from radiation  
16 safety who comes down almost every day.

17          So, this person is known to the staff. If there  
18 were ever a reason for the staff to go to them it would be  
19 very easy, they don't even have to walk out of the  
20 department. They just have to wait for this person to come  
21 and say I'm not comfortable with something.

22          My immediate superior, Dr Gyner (phn) who is

1 the ACOS for clinical support services, we are on  
2 very good terms with him. He is actually very  
3 interested in the running of the department.

4 He comes down on a regular basis, at least once a  
5 week, just to talk to people and I'm not necessarily around  
6 when he comes. He has been identified as somebody who is  
7 interested in the welfare of the patients and in how our  
8 department is running, and people know that he is someone  
9 very approachable. They can go up to him and say this isn't  
10 right. And in fact we have been having discussions in terms  
11 of instituting new technologies.

12 We have weekly meetings where we actually try to  
13 work out how to institute these in the most efficient manner  
14 and he is very much involved, and people work under him.

15 So there are many layers. We have two safety  
16 officers at the VA who are identified as people who  
17 that's their job is to make sure that patient safety  
18 is of paramount concern.

19 We have a list of people who can be contacted  
20 posted in our conference room where we have lunch.

21 It is very visible and it is very clear. They  
22 certainly should come to me and I would expect that

1 they would, but if I'm not around there are many  
2 people that they can go to. And I try to reinforce  
3 it over and over and I know that Mary Moore and her  
4 staff have had personal conversations with all of our  
5 staff to try to make sure that they understand that  
6 patient safety is very important and they should not  
7 be doing things if they have any concerns about them  
8 or they should be notifying somebody higher up. I'm  
9 very confident that we have improved the culture of  
10 safety in our department.

11 MR. REYNOLDS: Thank you for that.

12 DR. MASLOW: Also, the staff knows that  
13 they come to me as the Chair of Radiation Safety.

14 If something needs to be immediately brought to  
15 the attention of Mr. Citron, that door is open.

16 If I need to get access to he or any of the top  
17 management, those paths are open and immediate if  
18 there are concerns.

19 We have if need be, we will institute stop work  
20 immediately if there are concerns. So that is very  
21 apparent. The past is problematic, we agree. The future  
22 will not be.

1           MR. REYNOLDS: I trust that you understand  
2 why I think Mr. Heck and I were probing that because  
3 you got to look into the past and know what the  
4 problems are so they don't happen again.

5           DR. MASLOW: Right. But -- well, I'll go  
6 on. Alleged violation No. 5 --

7           MR. REYNOLDS: Let me stop before you go to  
8 the next one. So if I understand you correctly to  
9 violation No 4, 35.27(a)(1), you're telling us that  
10 the VA did train the medical physicists?

11          DR. MASLOW: What I'm saying is that they  
12 were trained in policy. They had knowledge of NRC  
13 regulation, yes.

14          MR. REYNOLDS: They were trained by the VA?

15          DR. MASLOW: Trained by the VA in --

16          MR. REYNOLDS: In identification and  
17 reporting requirements of medical events like the  
18 violations cited?

19          DR. MASLOW: The medical physicists  
20 received significant training during the events of  
21 2003, 2005 in what was NRC regulation reporting  
22 requirements, medical events determination.

1           MR. REYNOLDS: I don't think you provided  
2 that information to us when we asked repeatedly for  
3 the last year and a half.

4           In fact, it's contrary to what we've heard from  
5 your staff and from the individuals themselves.

6           It concerns me that somebody doesn't have their  
7 story quite right.

8           DR. MASLOW: If you look at the  
9 correspondence that, I believe was forwarded in  
10 March, the contract physician -- the contract  
11 physicist, I'm sorry, were very intimately involved  
12 in medical event determination in 2003 and 2005.

13          I guess it was 2005 is what you have. And if  
14 you look at the reports of the medical center, the  
15 physicists were a part of the medical event  
16 determination and discussions were held. So, yes.

17          MR. REYNOLDS: So, the VA's position is  
18 that the medical physicist did know what a medical  
19 event is and they should've known to report that?

20          DR. MASLOW: Our contention is that they  
21 should've know, yes. They didn't.

22          MR. REYNOLDS: Okay. Let's go back to the

1 first violation. I wasn't clear if your assessment,  
2 whether your procedures provided -- a high level of  
3 confidence was based on inspection reports or on your  
4 own assessment?

5 DR. MASLOW: I'm sorry, could you provide a  
6 little bit more detail?

7 MR. REYNOLDS: I'm having a little bit of  
8 trouble following you when you said that you didn't  
9 think that was a violation and you cited the NRC's  
10 Inspection Report 2003 and NHPP's Inspection Report  
11 2005. I wasn't sure if that was your two reasons for  
12 saying it was not a violation, or you did look at it  
13 yourself and say your procedure is adequate, because  
14 besides those two inspection reports, we have the  
15 inspection report that NHPP just recently issued and  
16 I believe you responded back and you didn't disagree  
17 at that time.

18 Then we have two inspection reports out today that  
19 says those violations, I was trying to figure out what you  
20 relied on to say your procedures were adequate.

21 DR. MASLOW: I reviewed the various  
22 documents that exist at the medical center. Those

1 included the two MCMs, the Seal Source Policy, the  
2 various iterations of the Seal Source Policy,  
3 reviewed the brachytherapy algorithm, and also  
4 reviewed the contract.

5 So, as a group, each one has indication to check  
6 dose. Whether policy was followed, is another issue.

7 MR. REYNOLDS: You say your policies are  
8 adequate?

9 DR. MASLOW: What I said was the policies  
10 were in compliance. The policies certainly could be  
11 improved. I actually listed the areas of  
12 improvements and where I thought that they were  
13 deficient.

14 MR. REYNOLDS: So, procedures weren't  
15 implemented correctly, then that resulted in these  
16 medical events? You had inadequate procedures or  
17 procedures weren't followed. It's one or the other,  
18 or you didn't have procedures at all.

19 DR. MASLOW: Procedures weren't followed.

20 MR. REYNOLDS: Okay, so the doctors, the  
21 medical physicists, and the staff involved did not  
22 follow procedures, or did not follow them well enough

1 to prevent medical events?

2 DR. MASLOW: Things were not reported up to  
3 the Radiation Safety Office as potential problems.

4 MR. REYNOLDS: I understand that very well.

5 DR. MASLOW: And so by definition the  
6 policies were not followed as they should have been.

7 MR. ORTH: I think I might've heard you  
8 say, and you can correct me if I'm wrong, that some  
9 deficiencies you did identify something as  
10 significant as medical event criteria and a time  
11 frame for performing those verifications which, to  
12 me, seem like pretty significant aspects of what we  
13 are talking about.

14 DR. MASLOW: Am I supposed to comment on  
15 that?

16 MR. ORTH: If I am mistaken that those are  
17 some of those deficiencies that you had identified.

18 DR. MASLOW: I went and looked at each of  
19 the policies, basically drilling down to be the most  
20 prescriptive. Those are the areas where I feel the  
21 policies certainly could be strengthened.

22 MR. ORTH: Did the policies, though,

1 contain the criteria for declaring a medical event?

2 I am just trying to reaffirm because I thought that's  
3 what I heard you indicate earlier.

4 DR. MASLOW: The policies didn't list the  
5 words "medical event" by name.

6 MS. PELKE: Mr. Citron, I have one clarification:  
7 Did the policies indicate that dose discrepancies beyond the  
8 ten percent should be evaluated?

9 MR. MASLOW: I'm not sure. The policies indicated  
10 that the dose discrepancies beyond ten percent should be  
11 recorded to the RSL.

12 MS. PELKE: They did say that?

13 MR. MASLOW: Yes. Alleged violation No. 5 deals  
14 with instructing a non-supervised individual that  
15 may lead to a violation under 10 CFR 19.12.

16 The Philadelphia VA notes that the alleged  
17 individual has received training at the Philadelphia  
18 VA in 2002 and 2006 as part of the hospital's  
19 mandatory review that requires employees to be  
20 cognizant of the NRC rules and regulations relevant  
21 to their position requirement. And additionally  
22 important, both of these annual trainings include

1 training that addresses worker radiation exposures.

2       These documents were provided to the NRC by fax  
3 on 17 March, 2009.

4       Additionally, the NRC requirements for reporting  
5 are posted prominently in the radiation Oncology  
6 Department.

7       The non-supervised individual involved in the  
8 decisionmaking of whether the 2003, the 2005 events,  
9 reported to the NRC constituted medical events and  
10 provided the criteria to the radiation safety officer  
11 to enable medical events reporting.

12       As part of the documents faxed to the NRC on  
13 March 17, there was clear documentation that the  
14 physician was knowledgeable about the definition of  
15 the medical event and its reporting requirement. And  
16 finally, documents provided to the RSL in response to  
17 inquiries regarding prior training and knowledge,  
18 indicates that the non-supervised individual had  
19 received formal regulatory training with regard to  
20 brachytherapy.

21       I'm not sure if this last one has been forwarded  
22 as of yet to the NRC.

1 I have copies of these documents today.

2 MR. SATORIOUS: So you trained him and he didn't  
3 follow your expectations or your procedures; is that  
4 what you're saying?

5 MR. MASLOW: I said that a couple of times, yes.

6 MR. SATORIOUS: I just want to be sure.

7 MR. MASLOW: Therefore the Philadelphia VA does  
8 not concur with the alleged violation. The  
9 Philadelphia VA continues to assure that all  
10 authorized users are fully trained for reporting  
11 requirements for medical events as noted by the NRC  
12 on pages 3 and 15 of the special report dated March  
13 30, and again cited in the November 17 report; the  
14 Radiation Safety Office has conducted training  
15 sessions with the staff and radiation oncology to  
16 review the definitions of a medical event and the  
17 reporting requirements thereof.

18 As part of these training sessions, and in  
19 training sessions going forward, there will be  
20 greater attention to ensure the working knowledge of  
21 reporting requirements.

22 As we have stated, regardless of whether we

1 consider the regulatory violation has occurred, it is  
2 apparent that the physicians and the physicists  
3 associated with the program had a duty to ensure that  
4 all cases met the best standard of care in the  
5 medical center, had a duty to ensure that all such  
6 standards were reached. We failed in that duty. We  
7 have ensured that no similar event will occur again  
8 as we've not only provided greater oversight but  
9 more importantly, reaffirmed with all personnel, the  
10 need to report any concerns and have included all  
11 radiation oncology staff and QA functions to own the  
12 process.

13 While radiation therapy is by definition a team  
14 effort, team building has become a clear priority to  
15 ensure that all members are clearly communicated to  
16 ensure that patient safety is paramount.

17 Alleged Violation No.6 deals with the recording  
18 of total dose on written directive under 10, CFR  
19 35.40; Philadelphia VA acknowledges this violation as  
20 a one time event, as confirmed by comprehensive  
21 review of all of the cases at the medical center.  
22 The event was acknowledged by the provider as an

1 oversight and corrective action has been taken that  
2 the provider in question received training and proper  
3 procedure and no further occurrences have been  
4 documented.

5 Alleged Violation No. 7 deals with completeness  
6 and accuracy of VA information provided to the NRC  
7 under 10 CFR 35.3045 part(d).

8 The Philadelphia VA does not concur with this  
9 alleged violation and contends that it had provided  
10 both timely and accurate information as available in  
11 the 15 day reports.

12 The NRC has published in the Federal Register,  
13 Volume 67, number 79 on April 24, 2002, statements  
14 and consideration on reporting medical event under 10  
15 CFR 35.3045 as quoted, we reworded these paragraphs  
16 to read the effects on the individual and what  
17 actions if any have been taken or planned to prevent  
18 recurrence. The words if any were planned were added  
19 because there might not be any effect or any actions  
20 taken at the time the event is reported. End quote.

21 Philadelphia VA does not concur with this  
22 violation. As communicated to the NRC as early as

1 their first reactive inspection in June, 2008, the  
2 Philadelphia VA commenced the comprehensive  
3 evaluation with the brachytherapy program.

4 This response entailed a thorough review of all  
5 patients to include clinical status and prostate  
6 brachytherapy studies, internal reviews and external  
7 reviews of the program. The requisite portions of  
8 the QA reports are addressed below.

9 The information was critical to this  
10 determination of why the event occurred.

11 That fact-finding was ongoing. It was  
12 dutifully communicated to the NRC in relevant 15  
13 day reports and also communicated during visits and  
14 other communications.

15 Recording casualty prior to the completion of  
16 these reviews would be considered as improper and any  
17 reported information would therefore be speculative  
18 rather than based on fact.

19 This could potentially represent a violation for  
20 reporting false information. Information was  
21 reported when known.

22 The effect to individuals was also an ongoing

1 process that required individual assessment of each  
2 patient and critical evaluation of studies and  
3 reports.

4 Clinical information on individual patients  
5 known at the time of each 15 day report was  
6 communicated to the NRC as required.

7 The immediate and most definitive action to  
8 prevent recurrence was closure of the program until a  
9 thorough evaluation had been completed and processes  
10 and procedures revised as needed.

11 The final alleged violation, deals with delay  
12 and reporting medical event on under 10 CFR  
13 35.3045(d).

14 There was no detail in the report as to the  
15 nature of this alleged violation or its basis. The  
16 Philadelphia VA does not agree that medical events  
17 were reported in delayed manner. All medical events  
18 were reported within 24 hours of discovery as  
19 required by the statute nor was discovery delayed.  
20 Therefore the medical center does not agree that a  
21 violation had occurred.

22 MR. REYNOLDS: So you're saying when you had the

1 cartoon as Dr. Hagan referred to back 2002, 2003, 4,  
2 5 and you saw there was a prostate and here are the  
3 seeds. And you trained all those people, that you  
4 recorded at that point in time because that's when it  
5 was reported that it was a medical event?

6 MR. MASLOW: The reporting and discovery by the  
7 medical center was made in 2008.

8 MR. REYNOLDS: That's my understanding, yes.

9 MR. MASLOW: Right. So those were reported as  
10 they were discovered in realtime.

11 MR. REYNOLDS: Well, realtime would have been  
12 back when you -- that would have been ideal. You had  
13 the information right then and there to know that it  
14 was medical events and you didn't report it.

15 MR. MASLOW: There were no concerns raised to  
16 the center and with that when it was discovered by  
17 the RSO and those events were looked at, they were  
18 reported.

19 MR. REYNOLDS: So nobody from the medical center  
20 looked at those medical records as this time just  
21 your contractors? Is that what you're telling me?

22 Mr. Citron: As soon as we knew there was a

1 medical event, we reported it and we learned of the  
2 medical event in 2008.

3 Did we know that there was a medical event back  
4 in 2002, 3, 5 and so forth? We did not.

5 MR. REYNOLDS: Well, our contention is that the  
6 information was there and your staff including  
7 contractors had knowledge of it and in fact, I think  
8 in your administrative order of investigation report,  
9 you say that Dr. Wedington was aware of these  
10 treatments and failed to report them at that time.

11 I would say you knew it back then and you didn't  
12 report it, that is a violation.

13 I understand that once you identified them in  
14 2008, you eventually reported them but you had the  
15 information back during the treatment to report them.

16 MR. ZIMMERMAN: I'm kind of curious on the  
17 scorecard that you went over.

18 Where did you consider to be a valid NRC  
19 violations.

20 MR. MASLOW: The one that we had concurred with  
21 is the violation -- the numbering is a little  
22 different depending on where you read it but it's the

1 one listed 10 CFR 35.3540. I don't know if that is  
2 six or five under your numbering system.

3 MR. SATORIOUS: Five is -- based on our slide.

4 MS. PELKE: Violation No. 7.

5 DR. MASLOW: Violation No. 7 on our slide which  
6 correspondence do not having total on a written  
7 directive.

8 MR. CITRON: I think it would be good if Dr.  
9 Maslow could continue and address some of the other  
10 concerns and alleged violations.

11 MR. MASLOW: Beyond the alleged violations, the  
12 NRC cited five areas of concern.

13 The first two concerns address the lack of  
14 interface between radiology and the variance  
15 planning computers in radiation oncology.  
16 Philadelphia VA self discovered and self reported the  
17 fact that during the time period from November 2006  
18 through November, 2007 that connectivity between the  
19 CT scanner and radiology and the planning computer  
20 had been disrupted.

21 This interruption appeared to affect a total of  
22 18 scans for 18 patients. However, one scan that was

1 performed in February 2007 was retrieved and post  
2 planned dissymmetry completed in March 2007.

3 The statement that post treatment plans were not  
4 performed for patients with brachytherapy procedures  
5 was completed during this time interval is an untrue  
6 statement. As noted, one patient's post plan was  
7 completed in March, 2007.

8 An additional nine patients had post planning  
9 performed between 11 -- on November 19, 2007 and  
10 November, 30, 2007.

11 And one patient's scan was retrieved in June,  
12 2008 after significant effort.

13 For the remaining 7 patients, multiple attempts  
14 to retrieve CT scans were made, however, digital  
15 archives could not be converted into a dye com format  
16 and were therefore not accessible for calculation.

17 The interruption and connectivity was the  
18 subject of a VA sponsored review and a hospital  
19 internal investigation with root cause found to be  
20 several factors. First, after the computer was  
21 temporarily disconnected from the VA computer system  
22 to test a second planning computer, reconnection was

1 disallowed due to security concerns raised by a stand  
2 alone computer having access to the VA network.

3 Resolution was complicated by the fact that the  
4 VA had just revised its security guidelines and that  
5 information technology no longer reported to the  
6 medical center leadership but through a separate  
7 product line within the VA.

8 Further complicating this problem is the fact  
9 that IT realignment resulted in no VA department  
10 having oversight for the variance planning computer  
11 although biomedical engineering committee did assume  
12 oversight but unfamiliar with the computer.

13 Also, active work in the planning system  
14 radiation oncology was confused with work on the  
15 variance planning computer and adding to the  
16 confusion was the knowledge that dissymmetry had been  
17 completed on a scan performed in February 2007  
18 suggesting that the problem had been resolved.

19 And finally, audit reports which I believe  
20 speaks to one of the points that you were making  
21 previously, provided to the radiation safety  
22 committee provided important information with the

1 treatment listed as being completed as planned.

2 That this was not included as an action item in  
3 the minutes of the Radiation Safety Committee. It's  
4 true, however, it belies the fact that significant  
5 effort was in process to address the connectivity  
6 issue, an effort that involved significant  
7 involvement by the radiation safety officer.

8 A coordinated approach to IT and biomedical  
9 interface problems was now in place and in radiation  
10 oncology to prevent problems in the external program.

11 Audit reports reflect better actual dosing  
12 information.

13 The VA should have done better to ensure  
14 back-up systems were in place should ordinary systems  
15 fail.

16 To ensure that similar events do not occur in  
17 the future, the medical center has assured that  
18 clinical care trumps all matters and that care must  
19 be provided in the environment to ensure maximal  
20 safety.

21 The third area of concern states that annual  
22 audits of the Radiation Safety Program for 2006 and

1 2007 were not finalized and provided to the Radiation  
2 Safety Committee for review.

3 Both reports were disseminated to the Radiation  
4 Safety Committee in October, 2008. While there are  
5 two reports related to distribution, the reports had  
6 been completed even at the time of the first  
7 inspection.

8 And the findings of the audits and the necessary  
9 corrective action instituted in the timely manner as  
10 documented in the minutes of the Radiation Safety  
11 Committee.

12 The Radiation Safety Office is scheduled to  
13 complete future reports in a more timely manner such  
14 that similar delays in distribution does not occur.

15 MR. ZIMMERMAN: So you agree that getting 2006  
16 audit in 2008 is unacceptable?

17 MR. MASLOW: We do.

18 MR. ZIMMERMAN: Thank you.

19 We did address the concerns in a very timely  
20 manner. They were not formerly disseminated to the  
21 committee though.

22 The fourth area of concern deals with a

1 perceived lack of safety culture for reporting  
2 radiation concerns.

3 Philadelphia VA shares the NRC's concern of  
4 allegations and implications that were stated in the  
5 report.

6 The fact that patients may have had poor  
7 implants and that any patient was under dosed as part  
8 of the prostate cancer treatment program is not  
9 excusable and indicates that no matter what level of  
10 cooperation existed between physicians, physicists  
11 and the Radiation Safety Office, that the systems in  
12 place were not sufficient to provide adequate safety  
13 net to patients.

14 The VA has made numerous changes to ensure that  
15 this does not occur again since the care of our  
16 patients is absolutely paramount.

17 The fact that the NRC and others have stated  
18 that during interviews conducted in 2008, that the  
19 medical physicists voice reservations about clinical  
20 care is also of great concern. However, this is in  
21 contrast to the correspondence between the medical  
22 physicists and physicians involved in the

1 brachytherapy program following the 2003 incident  
2 that appears to indicate that open lines of  
3 communication regarding safety issues existed and  
4 that decision making was the result of input from all  
5 parties.

6       Importantly, the primary concerns in these  
7 communications that were raised was that patient  
8 safety was paramount which appears to belie both the  
9 allegation that safety culture did not exist, and  
10 that the medical physicists were not able to voice  
11 concern. As stated before, additionally during the  
12 investigation of 2003 and 2005 events, all involved  
13 staff were extensively interviewed and no concerns  
14 were voiced. Therefore, although concerns were  
15 raised by staff from May 2008 and onward, no concerns  
16 were brought forward to senior staff at the VA or the  
17 affiliate university. And no concerns were raised  
18 during in-depth discussions by NRC and NHPP in 2003  
19 and 2005. And yet, while clear lines of  
20 communication appear to have existed between  
21 physician physicists and the Radiation Safety  
22 Program and the fact that the medical center in

1 particular and the VA in general has stressed a  
2 safety culture for all aspects of care for over two  
3 decades, the reality for the brachytherapy program  
4 would appear to be different.

5       That reality is now in place. The medical center  
6 has gone to great lengths to ensure meaningful  
7 interaction in all areas of oncology. Dr. Maity has  
8 worked extensively with staff to empower all  
9 concerns, no matter how minimal and without regard to  
10 rank or position so that there is honest discourse  
11 and discussion to resolve problems before they  
12 develop and to foster and enhance the team approach  
13 to patient treatments within radiation oncology.

14       The final area of concern --

15       MR. ZIMMERMAN: So let me make sure I  
16 understand. So what you're saying there is you agree  
17 with the area of concern but the problem has been  
18 resolved?

19       MR. MASLOW: Yes. The problem as you know is  
20 always an ongoing process.

21       MR. ZIMMERMAN: Sure. Thank you.

22       Dr. MASLOW: The final area of concern deals with

1 the rigor and formality of our dose assessments which  
2 were completed in October of 2009. In response, I  
3 stress again that we have had two areas of focus  
4 during the various reviews and investigations.

5 First, was to ensure the highest level of  
6 follow-up clinical care for a veteran patient. And  
7 second, to ensure that the dosing information was  
8 absolutely correct in order to better delineate  
9 appropriate clinical and regulatory decision making.  
10 Regarding the first, you have heard from Dr. Maity  
11 that we are confident that we are doing the right  
12 thing for our veterans. And second, Philadelphia VA  
13 continues to work through numerous internal and  
14 external reviews of the Brachytherapy Program.

15 Nobody wants closure on these issues more than  
16 the staff at Philadelphia. However, it was important  
17 to get these measurements done correctly. The medical  
18 center leadership dedicated significant resources to  
19 complete this review.

20 We hired a contract physicist who worked  
21 overtime to perform additional dose assessments. Our  
22 own staff worked nights and weekends to get these

1 assessments correct.

2 I personally was taking calls from vacation in  
3 Boston. We hosted teams from NHPP and NRC on  
4 multiple occasions, accordingly, we were deliberative  
5 in our reviews and are confident in our assessment as  
6 our primary concern was for accuracy and patient  
7 safety rather than speed. And the fact remains the  
8 program remains closed without plans to reopen.

9 In summary, the Philadelphia VA immediately  
10 stopped the Brachytherapy Program and initiated a  
11 comprehensive and thorough investigation once our  
12 own staff discovered the problem.

13 The medical center has shared all findings and  
14 possible shortcomings in a open manner with  
15 regulatory agencies, investigative bodies, the public  
16 and our patients.

17 The Philadelphia VA rather than restricting its  
18 evaluation of brachytherapy to the 10 or 20 cases as  
19 requested by the NHPP for a retrospective review in  
20 May and early June of 2008, we quickly opened the  
21 investigation to include the entire program to its  
22 inception.

1           In 2002, based on a few irregularities that I  
2 had discovered and regardless of the political and  
3 public relations impact, the Philadelphia over  
4 reported rather than under reported possible medical  
5 events, reporting cases regardless of the  
6 probability that these represented true problems from  
7 a regulatory perspective.

8           We were the first to point out cases that we  
9 considered deficient to all those that came to visit  
10 Philadelphia and we were very self critical during  
11 the various investigations.

12           This was done to ensure that all deficiencies  
13 were known to enable both complete disclosure but  
14 more importantly to be able to address any area of  
15 concern so that no similar events would occur in the  
16 future.

17           It is to be noted that the retraction process  
18 for some declared medical events has only just begun.  
19 It is important going back to Dr. Hagan's comments in  
20 2003, 2005 events that occurred in Philadelphia were  
21 both reported on the basis of an activity metric and  
22 they were both evaluated by NHPP and NRC under an

1 activity metric.

2           However, as this investigation unfolded, we were  
3 instructed by NHPP to alter that and to utilize a  
4 D-90 metric. However, documentation by NHPP, the  
5 formal documentation to require using a D-90 metric  
6 for evaluation of medical events was not made public  
7 until January of 2009, months after the closure of  
8 our program.

9           The VHA Blue Ribbon panel has developed criteria  
10 for a medical event in line with their 2005 ACMUI,  
11 Advisory Committee on the medical use of isotopes  
12 recommendations that were provided under a activity  
13 metric that would be consistent with the community  
14 at-large. It is noted that those recommendations  
15 that the Blue Ribbon Panel are very consistent with  
16 the documents we forwarded in August of 2009  
17 delineating all the summary of all our medical  
18 events. I'm not sure that that document made it  
19 through to the NRC since NHPP was still using a D-90  
20 metric.

21           Importantly, both the activity metric and  
22 reasons for using an activity metric were delineated

1 in detail. And also, the doses to the non-prostatic  
2 organs were detailed and again, comply very closely  
3 with what the Blue Ribbon Panel subsequently evolved.

4 Moreover, Philadelphia VA used reporting  
5 criteria for medical events that we used was actually  
6 more stringent than the Blue Ribbon Panel. Yet,  
7 regardless of whether 20 or 97 medical events were  
8 determined to have occurred, the fact that even one  
9 may have occurred is of concern.

10 Thus, the Philadelphia VA has been a harsh self  
11 critic during this process. In conclusion: The  
12 Philadelphia V has a long standing history of  
13 excellence marred by this highly regrettable  
14 incident.

15 While we do not concur with most of the alleged  
16 regulatory violations cited by the NRC, we do  
17 consider the level of clinical care and quality  
18 oversight provided in the Brachytherapy Program did  
19 not meet our high standard and have taken significant  
20 measures to ensure that there is never a similar  
21 recurrence.

22 The trust placed in us by our patients has been

1 shaken. That needs to be rebuilt, a process that is  
2 slow and painstaking.

3 While no amount of apology will reverse the  
4 wrongs of the past, we remain committed to ensuring  
5 the best environment for care going forward for our  
6 veterans.

7 I thank you and I welcome your questions.

8 MR. REYNOLDS: I think at this point in time, we  
9 will take a bit of a break or do you have more.

10 MR. CITRON: That concludes our presentation.

11 MR. REYNOLDS: I think we will talk a break for  
12 a caucus. We'll be gone about usually takes about 30  
13 minutes. I believe we have staff here that can take  
14 you to another room if you would like to get together  
15 yourself.

16 MR. CITRON: Yes, thank you.

17 MR. REYNOLDS: So and there will be access to  
18 facilities because we been at it for two and a half  
19 hours now.

20 (Break taken)

21 (SESSION RESUMES)

22 MR. REYNOLDS: All right, we will go ahead and

1 get started again. We have a few clarifying  
2 questions. Mr. Orth and myself will ask some before  
3 we have closing remarks.

4 First, you presented a lot of information today  
5 on information that was different that we heard in  
6 the past 18 months.

7 So we are going to ask you to document that and  
8 the basis for your position and we would appreciate  
9 if we could have that by January 15<sup>th</sup>.

10 MR. SATORIOUS: Just to clarify, we will go  
11 through what that is that we will need from you.

12 I think what you just said as we go through our  
13 questions, we make it clear what additional things we  
14 will want from you in writing because they differ  
15 from what we heard earlier.

16 MR. REYNOLDS: That is -- we want -- Dr. Maslow  
17 went through quite a lot of issues.

18 And it is different from what we heard the last  
19 18 months. We would like your full response for each  
20 violation written down, your complete response and  
21 the basis for that and any supporting document.

22 MR. CITRON: We will be pleased to provide that.

1           MR. REYNOLDS: We will go through each of the 8  
2 violations and ask some clarifying questions and Mr.  
3 Orth will be leading off with that.

4           MR. ORTH: thank you Mr. Reynolds.

5           I would like to target with the first three  
6 violations that we identified the apparent violations  
7 having to do with the inadequacy of procedures.  
8 There were two questions we had relative to that and  
9 I start off by saying if you can indicate whether the  
10 National Health Physicists Program and NHPP agree  
11 with the assessments that the procedures were  
12 adequate? And I don't know who would be best to  
13 answer that.

14          MR. CITRON: Let me ask Gary Williams to come  
15 up and speak with us.

16          MR. WILLIAMS: Gary Williams, National Health  
17 Physicists Program. Mr. Williams.

18          MR. ORTH: The question we would like you to  
19 answer, sir, is the VA stated earlier that with  
20 regard to apparent violations 1 through 3 that goes  
21 to the adequacy of procedures as they exist to  
22 implement 10 CF 35.41(b(2) and 10 CFR 35.41 (b)(2).

1 They indicated that their review shows that the  
2 procedures were adequate or in place and adequate.  
3 And our question was to you, did you have similar  
4 findings? Do you concur?

5 MR. WILLIAMS: As issued in our inspection  
6 report more than a year ago, we cited them for  
7 violations similar to that and we stand on that  
8 violation.

9 Mr. Orth: Thank you, sir.

10 With that, I would ask Dr. Maslow if you could,  
11 to repeat your bases for your consideration that your  
12 procedures were adequate?

13 MR. MASLOW: Sure. As I stated in the testimony,  
14 the procedures -- went through each of the various  
15 documents that were there.

16 One of the key issues is that our procedures as  
17 we reported cases in '03 and '05 were based on an  
18 activity metric.

19 The documents that I cited, Seal Source Policy,  
20 the brachytherapy algorithm, again, required that  
21 seed placement be checked 10 percent deviations after  
22 '03 to be reported.

1           So, those are consistent with how people were  
2 being told as far as an activity metric.

3           The issue which we discussed is that we were  
4 then instructed in '08 to change to D-90 metric for  
5 this assessment which we have decided that is  
6 improper and we -- the

7           MR. CITRON: -- Well, let me try to help out  
8 here. I think when we were trying do these  
9 assessments, we found that we were in uncharted  
10 territory.

11           As Dr. Hagan has pointed out, the criteria on a  
12 medical event were not exactly clear. And we were  
13 looking at two different ways of determining whether  
14 we had a medical event, one based on seed activity,  
15 another based on the D-90 level.

16           And we started out using activity level but we  
17 were directed to go to the D-90.

18           Now, after the Blue Ribbon Panel has reviewed  
19 things and come up with more clear definition of what  
20 the criteria should be, we want to go back to the  
21 activity level. And that seems to be the best  
22 standard to use.

1           MR. MASLOW: Although we put that forward in  
2 August as I mentioned.

3           MR. CITRON: I would add, I'm sorry it has taken  
4 so long but when the criteria at the outset weren't  
5 very clear, we struggled with this and we went to the  
6 best experts that we could find to help us find the  
7 right path to choose. And it has taken a long time.  
8 We are truly sorry about that.

9           But it was more important for us to get it right  
10 and be accurate and fully account for how this  
11 occurred rather than to rush through and try to get  
12 this behind us.

13           MR. SATORIOUS: Let me ask maybe a simpler  
14 question and I'm not familiar with the specific case  
15 numbers but select a case number out of 2004.

16           Just pick one that determined that there has  
17 been a medical event as a result of that.

18           Did you have adequate procedures at that point  
19 in time? That's what we are talking about, at that  
20 point in time. I'm not talking about today or last  
21 month or six months ago. I'm talking about in 2004,  
22 because we claim you don't.

1 MR. CITRON: We didn't have an adequate quality  
2 assurance program at the outset in 2002 and 2008.

3 That was the key failing. And your NRC  
4 inspectors were correct in identifying an area of  
5 concern being with quality assurance and we agree  
6 with that, that was a key failing.

7 MR. SATORIOUS: Did that spill over into the  
8 quality of your procedures?

9 Mr. Citron: The fact -- yes, the fact there was  
10 no peer review and quality assurance program; yes, it  
11 spilled over.

12 MR. SATORIOUS: So in my interpretation just  
13 what you told me in 2004, because of quality  
14 assurance issues and other issues, you didn't have  
15 good enough procedures?

16 MR. CITRON: Well, we had policies and procedures  
17 in place and external reviews had no issues with the  
18 policies and procedures in place.

19 But the quality assurance aspect was not there.

20 MR. SATORIOUS: So you're convinced that you had  
21 adequate procedures in 2004?

22 MR. CITRON: I'm saying that the policies and

1 procedures that we had in 2004 were deemed adequate  
2 and we stand by that.

3 Did we had adequate quality assurance? No.

4 MR. SATORIUS: Okay, I think I got enough.

5 Thank you.

6 MR. REYNOLDS: I'm going to go on to the  
7 question, Violation 4 and 5 but go ahead and read  
8 them to make sure we're clear on what you mean by  
9 fail to instruct, fail to train, supervise  
10 individuals regarding identification and reporting  
11 requirements for medical events as required in 10 CFR  
12 35.27. And fail to instruct a non-supervised  
13 individual regarding identification and requiring a  
14 medical event as required by 10 CFR 19.12(a(4)).

15 Tell me again, you contend that the Philadelphia  
16 VA trained physicians and the medical physicists?

17 MR. MASLOW: Again, what I said was that one of  
18 the physicians was sent out to a course by the VA.  
19 There was discussion of misadministration during the  
20 course. When the physician was brought in with the  
21 required documentation of knowledge of regulatory  
22 knowledge and we have that documentation --

1           MR. HECK: Could you give us a rough time frame  
2 when the physician was sent to the course you're  
3 referring?

4           MR. MASLOW: The course was 1999.

5           MR. HECK: So in 1999 a physician had received  
6 some training in administration as you put it.

7           MR. MASLOW: And in 2000, we have documentation  
8 from the affiliate.

9           MR. HECK: Anything after that?

10          MR. MASLOW: Again, there is the -- there is  
11 the -- what do you call -- the mandatory reviews that  
12 occurred in 2002, 2006. And there is also in 2003  
13 and 2005, medical events determination.

14          MR. HECK: The '03 and '05 medical event  
15 determinations, you considered that training?

16          MR. MASLOW: When I am asked to do procedures  
17 sitting in our classroom and going through procedures  
18 as opposed to actually getting out there and doing  
19 them, I will consider going out and doing the  
20 procedures training.

21          MR. HECK: Sort of on-the-job training, if you  
22 will.

1           MR. MASLOW: But in addition, it's on the job  
2 training with definitions discussed, applied et  
3 cetera.

4           MR. REYNOLDS: With both physicians and all three  
5 medical physicists? I know you're talked about Dr.  
6 Hagan. I just what to know about Dr. Wedington and  
7 your 3 medical physicists. And you referred to  
8 earlier some records provided us in March. And  
9 unless we missed it, those records had nothing in  
10 them about training on medical events.

11           So I'm confused by what we have seen and heard  
12 that your staff has told us and what you're telling  
13 me today. That's why I keep going back over it. I'm  
14 just surprised.

15           MR. MASLOW: I'm sorry about your surprise. I  
16 interrupted you, I'm sorry.

17           MR. REYNOLDS: Both doctors and physicists have  
18 been trained by the VA on definition of medical  
19 events; yes or no?

20           MR. MASLOW: Both physicians have been to annual  
21 review.

22           MR. REYNOLDS: Have they been trained? I'm

1 asking for a yes or no answer?

2 MR. MASLOW: Both were required as part of their  
3 requirements to be cognizant of the requirements of  
4 the regulatory requirements for their jobs.

5 MR. REYNOLDS: Including a medical event? So  
6 your answer is yes?

7 MR. MASLOW: Yes.

8 MR. REYNOLDS: Thank you.

9 MR. ORTH: Dr. Maslow, we had a question  
10 regarding your view on apparent Violation No 6.

11 That was -- I'll read the apparent violation.  
12 "The licensee failed to notify the NRC Operations  
13 Center by telephone no later than the next calendar  
14 day after discovering a medical event, 10 CFR  
15 35.2045(c) licensee had sufficient information  
16 available at the completion of prostate treatments to  
17 make the determination that numerous medical events  
18 occurred."

19 The question that I would like to ask is: At  
20 the time the events occurred, contract, staff,  
21 individuals performing the procedures had information  
22 that would have indicated a medical event. My

1 understanding is that it's not known to you until it  
2 gets to the Radiation Safety Officer or Radiation  
3 Safety Committee. Is that the differentiation that  
4 you indicated?

5 MR. MASLOW: Right. The annual audits, the  
6 annual report, again, the information was coming to  
7 the medical center was that when there was discovery,  
8 they were reported.

9 Mr. Orth: I would kind of add to that, when we  
10 look at the licensee and the activity of all of their  
11 employees as that licensee body and hence, that is  
12 the reason why we cited this apparent violation, was  
13 that when licensee know it's not -- when the CEO  
14 knows or the Radiation Safety Officer knows, it's  
15 when the licensee a member of the licensee staff  
16 essentially has that knowledge whether they transmit  
17 to the highest level of the organization or not,  
18 doesn't fully play into whether we look at the  
19 apparent violation.

20 So I would indicate that.

21 MR. MASLOW: Whether he had knowledge or should  
22 have had knowledge, again is a nuance that...

1           MR. ORTH: Just to reconfirm apparent Violation  
2 Number 7, the licensee failed to record the total  
3 dose, the number of source implants and the total  
4 source strength written directive as required by 10  
5 CFR 35.40(b(6(2)).

6           My understanding is that you did agree with that  
7 apparent violation?

8           MR. MASLOW: That was a single event, yes.

9           MR. ORTH: And then finally the two seconds on  
10 that one and move on. I just wanted to reconfirm  
11 where we were on that. And on Violation No. 8, the  
12 licensee failed to provide complete and accurate  
13 information in accordance to 10 CFR 30.9 (a) in  
14 several 15 day written reports, the NRC is required  
15 by 10 CFR 35.3045(d), Delta. Your position on that  
16 was that you did not agree?

17           MR. MASLOW: Correct. We reported what we knew  
18 as we knew it. We reported all we knew, as we knew  
19 it.

20           MR. MILLER: If you don't mind, Steve, I had a  
21 couple of more questions. The NRC is looking at two  
22 physicians and a few medical physicists to try to

1 understand what the training program for medical  
2 events and understanding reporting requirements was.

3 I heard you say that in '99 one physician was  
4 sent outside to a course for training.

5 Can you describe that training?

6 MR. MASLOW: Since I'm not familiar with, that I  
7 need to defer to --

8 MR. MILLER: Well, let me hold that then. In  
9 '99, this physician was sent to a course. Was a  
10 second physician also sent to that course?

11 MR, MASLOW: No, the second physician was an  
12 expert that came over from the affiliate.

13 MR. MILLER: And that was a medical physicist?

14 MR. MASLOW: Medical physicist again, coming  
15 from the affiliate.

16 MR. HECK: So in '99, one physician was sent to  
17 this training course. You mentioned 2000 who and  
18 2006 mandatory reviews.

19 Were those for the physicians?

20 MR. MASLOW: Those were for the physicians,  
21 correct, not the medical physicists.

22 MR. HECK: And was there some element of the

1 mandatory review that you considered? If so, could  
2 you describe it?

3 Is it more than I certify that I am  
4 knowledgeable. Is there teaching that goes with  
5 this?

6 MR. MASLOW: There is review, would that be  
7 deferred?

8 MR. CITRON: I would like to see if Mary Moore,  
9 our Radiation Safety Officer could try to speak to  
10 that question.

11 MR. REYNOLDS: Ma'am for the record, if you  
12 could identify yourself, that would be good.

13 MS. MOORE: I'm Mary Moore, the Radiation Safety  
14 Officer at the Philadelphia VA. The mandatory review  
15 training that was required for all employees covers  
16 over two days and employees are given several hours  
17 or however much time they need to be able to go  
18 through.

19 Each safety office including radiation safety  
20 has a table and we have a handout of information and  
21 a test that the employees have to take. And there is  
22 one section not only on our -- about our open door

1 policy, but also the requirements for them to know  
2 the regulations and reporting requirements and that  
3 they have to inform the Radiation Safety Officer and  
4 one of those reporting requirements identified is  
5 misadministration because of the '02 when we did the  
6 mandatory review, the changes in Part 35 really had  
7 not come about. And quite honestly in '02 and '03,  
8 we were still calling medical events,  
9 misadministration. So we had that training.

10 We also had -- one thing that needs to be known  
11 about the medical physicists prior to them coming to  
12 us particularly the one physicist who was there in  
13 '98 and '99, was the medical physicist who was  
14 actively busy in our Uranium Implant Program and was  
15 experienced. And the Brachytherapy Program, the  
16 medical physicist was on -- was practicing  
17 brachytherapy medical physicists at two other NRC  
18 licensed sites, that he had come it with a lot of  
19 credentials and experience.

20 So in the dialogues and emails that Dr. Maslow  
21 referred to was the dialogue among these two  
22 physicists and the physicians and myself about

1 criteria, how we could end up having medical events  
2 by using seeds and having a leaking seed.

3 So there was a lot of dialogue and discussion  
4 and review of the regulations in developing the  
5 algorithm and the entire program.

6 MR. HECK: I think we understand there were  
7 conversations and one of the fundamental questions in  
8 looking at, is there a training program where  
9 training instruction, not conversations that occur  
10 when things go wrong but a program that exist that  
11 instructs these users?

12 MS. MOORE: We have an example of that as well  
13 that we just recently found was an email from the  
14 physician to the two medical physicists to assist me  
15 with training of the operating staff for the  
16 Brachytherapy Program. And during that training that  
17 they assisted with an attendant, we discussed the  
18 need for tracking of the seeds, collecting the seeds  
19 and the dissymmetry aspect and we particularly talked  
20 about because the OR staff wanted to know -- had some  
21 specific questions.

22 And complication reg came up in the idea of a

1 seed could be implanted or migrated into a blood  
2 vessel going to the lung and that would be considered  
3 treating an external site and the misadministration  
4 and we would have to report that. So --

5 MR. CITRON: For the sake of time, I think we  
6 can provide you with some documentation.

7 MS. MOORE: We have sign in sheets and the  
8 agenda and it was January, 2002.

9 It was a few days before our first implant where  
10 we conducted training not only for the OR staff, but  
11 the nursing staff, recovery room floor, EMS and  
12 dietary.

13 MR. HECK: And after that? I appreciate that.  
14 '02 -- I heard some training in '99 and '02.

15 MS. MOORE: For the physician, for the lead  
16 physician. The medical physicists and that lead  
17 physician also attended the -- we did the first one  
18 in February of '02 so it was January of '02 for that  
19 training program. And then that was supplemented by  
20 multiple discussions and reviews and particularly  
21 during the '03 and the '05 events where detailed  
22 review of the regulations occurred.

1           MR. CITRON: Let me cut in so we can move on to  
2 other issues if that's all right with Mr. Heck and  
3 Mr. Satorius.

4           MR. HECK: Certainly.

5           MR. SATORIOUS: I think in fairness, one of the  
6 reasons why we are looking very closely and asking a  
7 number of questions on thee two violations associated  
8 with training is that we have sworn statements from  
9 the five individuals that indicate that claim they  
10 have not gotten any training. So only in fairness,  
11 that's why it is important that we receive  
12 documentation from you if you have it that will get  
13 the straight answer.

14           So, that's why we need that. Thanks.

15           MR. REYNOLDS: Any other questions before we  
16 close?

17           MR. ZIMMERMAN: I just wanted to follow up on  
18 two things quickly. In getting that information, I  
19 think it is important for us to not only get the  
20 record and training was attended but to understand  
21 what that training included, okay for clarity.

22           The other point: Mr. Citron, you had made a

1 comment that one of the things you had been  
2 struggling with was what the medical event criteria  
3 was, that it was unclear.

4 Could you just explain a little by what the  
5 source of the uncertainty or unclearness was if you  
6 will, where is it unclear to help us?

7 MR. CITRON: I'm probably the least qualified  
8 person in the room to discuss that but I will try.

9 If you permit me, I will defer to Dr. Hagan.

10 MR. ZIMMERMAN: I'm not pointing that question  
11 at you. Any one on your team that you feel  
12 comfortable answering that question.

13 MR. HAGAN: As I understand it from a  
14 straightforward point of view, Philadelphia, the  
15 permittee, NHPP as their intervenor regulatory  
16 authority between NRC and the permittee and NRC all  
17 have authority or charges to apply the regulations  
18 and assert criteria for the evaluation of a  
19 particular procedure.

20 And Philadelphia as I understand from Dr.  
21 Maslow, Philadelphia's criteria for evaluating their  
22 implant had been to evaluate imaging of the implant

1 and determine that the seeds determined by the  
2 authorized user, that the seeds were placed with  
3 respect to the treatment site in the manner that he  
4 had intended and that this was done by a seed  
5 counting method.

6 This was done by identifying the seeds by  
7 imaging and then, tracking the seeds counting inside  
8 and outside of the treatment site.

9 This was the Philadelphia mechanism. This was a  
10 Philadelphia criteria in that the procedures  
11 reflected that and the actual performance reflected  
12 that. And so when connectivity was lost, there was  
13 no hit taken by their procedure because you could see  
14 the images in the pack system.

15 You could see that the seeds were placed  
16 vis-a-vis the prostate but you couldn't do a post  
17 dose reassessment because you could not share that  
18 information with the treatment planning computer.  
19 But that was not what Philadelphia was doing for  
20 those years.

21 They were not doing post evaluation dose  
22 reconstructions as a method of identifying their

1 compliance with 10 CFR 35. They were -- they  
2 switched to that metric when NHPP during the  
3 evaluation said you must evaluate all 114 patients  
4 under this metric.

5 At that point, they had a number of patients for  
6 whom their CTs were not helpful.

7 CTs were performed at a time when the volume of  
8 the prostate was so excessive that they believed  
9 their dose estimates to be unreliable.

10 So they set about trying to acquire and use the  
11 best images available and this caused a significant  
12 delay as they went back through cases and tried to  
13 apply this new metric. This is my understanding of  
14 Philadelphia.

15 And then, after several iterations of attempt to  
16 identify criteria for other organs and tissues in  
17 paragraph three, finally, decided to put together a  
18 set of cogent well described clear medical event  
19 criteria for other organs and tissue and so that did  
20 not exist to that point.

21 That is not something that they had included in  
22 their medical event determination to that point, that

1 point being summer of 2009.

2           So crafted that in order to be able to evaluate  
3 for other organs and tissues, and evaluated all 114  
4 cases under those criteria and then, reported based  
5 on that.

6           So the report based on their total activity  
7 standard, reported based on their DPA criteria for  
8 dose to periprostatic activity rectum bladder but  
9 also along the way, had reported because at one  
10 point, a few seeds in the bladder may be a medical  
11 event or a few seeds in the rectum wall may be a  
12 medical event and so reported based on that. And my  
13 understanding was that was in addition, an effort to  
14 avoid under reporting.

15           No criteria existed. Let's look at something  
16 that we can at least measure.

17           And so there are patients reported for other  
18 organs and tissues based on 3 seeds in the bladder or  
19 3 seeds in the rectum or 5 seeds in the  
20 peri-prostatic tissue.

21           No justification, no data, no literature to  
22 support that, just this sort of seemed like a

1 reasonable application. And so during the course  
2 from 2008 to date they reported on multiple criteria  
3 and they reported both total activity and D-90 and  
4 their use of D-90 was because NHPP internal  
5 regulators said you must report based on D-90 because  
6 that's our choice because you must report based on  
7 D-90.

8 MR. CITRON: It wasn't the medical center's  
9 choice based on activity but that was not us to  
10 decide.

11 As you can see, there are a couple of different  
12 methods of reporting. And it was difficult to  
13 determine what was the right way to do this and it's  
14 taken a long time.

15 I'm very thankful Dr. Hagan has stepped into  
16 this position and called for a Blue Ribbon Panel to  
17 deliberate this and I think going forward, the whole  
18 nation will benefit from the work of the Blue Ribbon  
19 Panel and a better clarity on what a medical event  
20 is.

21 MR. ZIMMERMAN: Just about four hours we've  
22 been at this and I'm curious if you are comfortable

1 and if here is a way after all the dialogue the two  
2 federal agencies have had, if you can try to craft a  
3 message to those veterans that went through this  
4 process in terms of what they should take away from  
5 this four hour dialogue.

6 MR. CITRON: We have a -- let me offer a message  
7 that comes -- that I would like to convey to the  
8 veterans: That we have a wonderful VA healthcare  
9 system with a lot of talented personnel.

10 And I'm truly sorry that the VA care, the  
11 quality assurance of our care has lapsed and if we  
12 have harmed any veteran, we apologize for that.

13 We have a great troupe of personnel at the VA  
14 medical center in Philadelphia. I been to over 13  
15 VAs around the country in my career and worked in  
16 many and nowhere have I seen more talented doctors  
17 and nurses, compassionate caregivers than at the  
18 Philadelphia VA.

19 We want our veterans to have confidence in us,  
20 to return to get their care at the VA. And we want  
21 to assure them that we will ever be more vigilant in  
22 trying to identify problems and quality of care

1 issues because we did fail a number of our veterans  
2 over the period that we had our Brachytherapy  
3 Program. Thank you.

4 MR. REYNOLDS: All right, any other questions  
5 anybody? A couple of thoughts and I will turn it  
6 over to Dr. Miller and Mr. Satorius to close. But  
7 first, I appreciate your coming in.

8 Our staff has spent thousands of hours doing  
9 inspections and I'm sure your staff have spent  
10 equally if not more and Dr. Anderson has spent a lot  
11 of time on this.

12 That said, you could have violation on written  
13 procedures and training and I'm still confused by  
14 your position. And I'll even go back and in response  
15 to the NHPP report November 21, 2008 and you state  
16 Mr. Citron, the medical center concurs that  
17 authorized user physicians for prostate brachytherapy  
18 and authorized medical physicists did not receive  
19 formal training from staff about the regulatory  
20 requirements to identify and report medical events.

21 And then, your December 29<sup>th</sup> response says  
22 violations had a lack of adequate written procedures

1 and accepts the violation as cited and described the  
2 root and basic causes in the inspection report:  
3 Notes basic causes related to inadequate and  
4 ineffective policy and routine procedures, the lack  
5 of program reviews and lack of training.

6       There is another violation, another lack of lack  
7 of inadequate written procedures and accept the  
8 violation as cited. You note that basic cause relate  
9 to ineffective policy and lack of program reviews.  
10 The NHPP sites you again for failure to complete a  
11 written directive and you accept those violations.

12       So I hope you appreciate where I'm coming from.  
13 We've been through this for 18 months hearing from  
14 your staff one thing and you have written responses  
15 to your own internal NHPP but sworn testimony from  
16 staff and you come today and what Dr. Maslow says is  
17 different.

18       So, again, that's why I'm surprised and I guess  
19 I'll stop here and say, we hope when you provide your  
20 written response, you can either address and agree  
21 with what you told NHPP or provide us with the basis  
22 where you told them was wrong and what our staff has

1 told you over 18 months incorrect.

2 MR. CITRON: As this process has unfolded, we  
3 asked ourselves questions about how could we have  
4 missed this or that and how could some of these  
5 errors have occurred and we dug deeper and deeper  
6 into our pile and uncovered some new information and  
7 we appreciate your willingness to take a look at it.

8 MR. REYNOLDS: We will, thank you.

9 MR. ORTH: If I could just wrap up policy type  
10 issues. Just to kind of reconfirm, we are then  
11 expecting a written response from you, addressing  
12 each of the apparent violations that you disagree  
13 with and providing a basis and in particular with the  
14 training one, we are looking forward to documentation  
15 that indicates the training that was taken and the  
16 substance of that training. Okay.

17 And we will be looking for that response on or  
18 before January 15, 2010. Now, I'll just go over some  
19 procedural type elements of our program to wrap up.  
20 As we discussed earlier this afternoon, this is a  
21 pretty simple enforcement conference, statements and  
22 opinions made by the NRC staff during the conference

1 or silence should not be taken as NRC position or  
2 acceptance of your view. We take into consideration  
3 all the information developed about the issues  
4 including the information presented at today's  
5 conference, information presented in your formal  
6 written response to us.

7 And following the receipt of that information,  
8 Region III staff in coordination with our  
9 headquarters staff, our Office of General Counsel,  
10 our Office of Enforcement, our Office of Federal  
11 State Materials and Environmental Management programs  
12 will review that information and reach a formal  
13 enforcement decision.

14 And you should expect that about 4 to 6 weeks  
15 probably after you provide to us your written  
16 response. We will notify you by telephone prior to  
17 issuing a decision and via letter.

18 As I mentioned earlier, we have basically three  
19 options. We can impose no enforcement action, a  
20 notice of violation only, or notice of violation of  
21 civil penalty.

22 If a civil penalty is imposed, there will be a

1 press release with that and you will have the  
2 opportunity to either pay the civil penalty or  
3 protest the imposition of the civil penalty in whole  
4 or in part.

5 If you protest it, we review your case and may  
6 agree with your response or if we disagree, we can  
7 issue a order imposing in whole or in part.

8 At that point, you can face civil penalty or  
9 request a hearing. With that, I will ask if you have  
10 any questions regarding the process as we go forward?

11 MR. CITRON: No questions.

12 MR. ORTH: Thank you.

13 MR. MILLER: Thank you. I just wanted to make a  
14 brief statement in closing. The medical area is extremely  
15 important to me because it is the only area of NRC  
16 regulation where individuals are given radiation  
17 intentionally. We spend the rest of our time trying to  
18 avoid people getting too much radiation. So it is extremely  
19 important to myself and my staff that we as regulators do  
20 all we can to make sure that it's done in a safe manner.

21 I'm very sure that you spend every hour of every  
22 day trying to assure that the veterans get the top

1 quality care. Veterans are a very important subset  
2 of the public that we serve and we certainly want to  
3 make sure that all the public gets quality care.

4 In that light, we try to make sure that from  
5 everything that we learn constantly that we are  
6 constantly looking at our requirements to make sure  
7 that adequate protection is always provided in a safe  
8 manner.

9 So, it's our duty as regulators to make sure  
10 that happens. Thank you for coming in today.

11 MR. SATORIUS: Thanks Charlie. Those are good  
12 words. I truly think that we all benefited. I know  
13 I benefited from the exchange that we had today and  
14 we filled the whole afternoon all four hours with  
15 that exchange. But, it's always good to hear and  
16 talk across the table clearly at each other on issues  
17 such as this.

18 I sense a certain level of contriteness by the  
19 VA over this. I don't think that is a bad thing.

20 I think that makes one look retrospectively at  
21 and you always got to look at what happened in the  
22 past. You always have to do that. You can't figure

1 out to not make it happen again unless it's done  
2 right. I think there's been a little bit of  
3 confusion here at the end on some of your positions  
4 on the issues that Steve just pointed out.

5 I hear that you been digging deeper. We will  
6 look forward to getting that information because we  
7 intend to do the right thing in this matter and make  
8 sure that you understand our level of focus on  
9 nuclear safety and the safety of nuclear materials.

10 And you're in a better place today I think than  
11 you were in some years past but it was a place you  
12 needed to go to.

13 Lastly, I would just like to say that going to  
14 that place is a journey and if you want to continue  
15 that is not a journey you are ever going to get to  
16 the end of. It is always a journey.

17 So Steve?

18 MR. REYNOLDS: That takes us to the end. Right,  
19 thank you. With that, we will conclude this portion  
20 of the meeting and we will be opening up for  
21 questions for the public.

22 Mr. Citron, you and staff are welcome to stay if

1 you like or welcome to leave and if you're interested  
2 to take any questions you can do that too but it is  
3 your pleasure.

4 MR. SATORIOUS: This is our portion of the  
5 meeting, our outreach to the public. So you're under  
6 no obligation to stay. It's up to you.

7 MR. WIEDEMAN: This is an opportunity for people  
8 in the audience --

9 MR. CITRON: Will you entertain questions on the  
10 phone? The representatives of the Philadelphia VA will  
11 stay.

12 MR. WIEDEMAN: And are you going to answer any  
13 questions? Okay, thank you very much. We have people in  
14 the audience, we have people on the phones. And what I would  
15 like to do is just go to anybody in the audience who has a  
16 question or a comment. And if you could just introduce  
17 yourself to us and then, we will go to the phones. Anybody  
18 in the audience have a question for either the NRC staff or  
19 the VA staff? Okay, let me check in with people on the  
20 phone.

21 Do we still have people on the phone? Did we  
22 ever have anybody on the phone?

1           MR. REYNOLDS: Chip, we are not going to the  
2 phone.

3           MR WIEDEMAN: Oh, okay.

4           MR. REYNOLDS: My fault for telling you  
5 that, so it is just the people here.

6           MR. WIEDEMAN: I just would ask one more time  
7 whether anybody has anything that they would like to say on  
8 this matter? And I would just thank the VA for staying with  
9 us. There does not appear to be any comments or questions  
10 Steve so I will turn it back over to you.

11          MR. REYNOLDS: With that, this meeting has come  
12 to an initial close. Thank you. For those of you  
13 traveling, safe travel.

14                   (Whereupon, the proceedings were concluded)

15

16

17

18

19

20

21

22

CERTIFICATE OF REPORTER

1           This is to certify that the attached proceedings  
2 before the United States Nuclear Regulatory  
3 Commission in the matter of NRC Predecisional  
4 Enforcement Conference on December 17, 2009,  
5 Rockville, Maryland was held as herein appears and  
6 that this is the Original Transcript thereof for the  
7 file at the U.S. Nuclear Regulatory Commission taken  
8 by Caption Reporters Inc., and that the transcript is  
9 a true and accurate record of the foregoing  
10 proceedings.

11

12

13

Lorraine Carter, RPR

14

Official Court Reporter

15

16

17

18

19

20

21

22