

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 ATOMIC SAFETY AND LICENSING BOARD HEARING
4

5 In the Matter of
6 U.S. Department of Energy
7 High-Level Waste Repository
8 Docket No. 63-001-HLW
9 ASLBP No. 09-892-HLW-CAB04

10 January 27, 2010

11 9:00 a.m. PST

12 TRANSCRIPT OF PROCEEDINGS
13 Pre-Hearing Conference
14 Before the Administrative Judges
15

16 CAB04

17 Judge Thomas Moore, Chairman

18 Judge Paul S. Ryerson

19 Judge Richard E. Wardwell
20
21
22
23
24
25

1 APPEARANCES

2 For the Nuclear Regulatory Commission Staff:

3 Margaret Bupp, Esq.
4 Adam Gendelman, Esq.
5 Andrea Silvia, Esq.

6 For the Nuclear Energy Institute:

7 David Repka, Esq.
8 Rodney J. McCullum, Esq.

9 For the Department of Energy:

10 Michael Shebelskie, Esq.

11 For the State of Nevada:

12 Martin Malsch, Esq.
13 John W. Lawrence, Esq.
14 Charles Fitzpatrick, Esq.

15 For Nye County:

16 Jeffrey Van Niel, Esq.
17 Robert Anderson, Esq.

18 For Clark County:

19 Debra Roby, Esq.
20 Bryce Loveland, Esq.

21 For White Pine County:

22 Richard Sears, Esq.
23 Mike Baughman, Esq.

24 For Inyo County:

25 Greg James. Esq.

For Four Nevada Counties:

Jennifer Gores, Esq.

For Native Community Action Council

Rovianne Leigh, Esq.

For California Energy Commission:

Kevin Bell, Esq.

1 APPEARANCES (Continued)

2 For Joint Iimbisha Shoshone Tribal Group:
3 Douglas Poland, Esq.
4 Shane Elk, Esq.

5 For Nye County:
6 Mal Murphy, Esq.

7 For Eureka County
8 Diane Curran, Esq.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 Please be seated. We will resume with the oral
3 arguments and we're on Issue No. 10. Mr. Malsch.

4 >> MR. MALSCH: Thank you very much, Judge
5 Moore. Marty Malsch for the State of Nevada. Before
6 I begin on Issue 10, I wonder if I could beg the
7 Board's indulgence to call their attention to a
8 technical fact bearing on issue 8. That's the
9 defense's FEPs issue, which was called to my
10 attention after the argument yesterday, so if I could
11 only take a few seconds.

12 >> JUDGE MOORE: Go ahead.

13 >> MR. MALSCH: There was a discussion with
14 regard to issue 8 regarding the possible equivalency
15 between a neutralization analysis and a FEPs
16 analysis. The additional fact was called to my
17 attention is this and that is that in a
18 neutralization analysis, you were doing a basically a
19 conditional analysis in which the drip shield effect
20 of it is felt in an unmitigated fashion on the
21 ultimate dose calculation. In a FEPs calculation,
22 though, if you were examining a FEP, which leads to,
23 let's say, the total failure of all drip shields, the
24 effect of that failure, the ultimate calculation is
25 mitigated by the probable FEP in the first place.

1 So, for example, imagine an igneous scenario
2 which leads to the total failure of all waste
3 packages, that would be felt in the ultimate
4 calculation, but it would be discount by something on
5 the order of a tenth of a minus 8 because you take
6 into account the probability of the FEP in the first
7 place. That was called to my attention after the
8 argument, I thought it was important to tell the
9 Board about this.

10 >> JUDGE MOORE: Thank you. Proceed.

11 >> MR. MALSCH: Issue 10 deals with DOE's drip
12 shield installation schedule and what we believe is
13 a -- a very visual and unique issue which it poses.
14 DOE will not install its drip shields until the end
15 of the 100 year --

16 >> JUDGE WALDWELL: Can I interrupt you right
17 off the bat?

18 I remember when I was in graduate
19 school,. Campadre in my room had a sign above his
20 desk "this is a problem I'm solving, a simple
21 equasion." It always got him focused again. For 10,
22 I am not sure of the problem we are trying to solve.
23 What is your opinion of what is the legal question
24 before us with this?

25 And can you enlighten me on how it became

1 designated as a legal question?

2 Because I'm confused on how it did also.

3 I don't see it in your previous contentions,
4 itself, when we're dealing with 162 nor can I really
5 ascertain where it came from.

6 I've read where it's alluded to the Board that,
7 omitted the contention, but I couldn't find that
8 either. And I just need to be steered if you can
9 help me with that before we get into any of your
10 other details, if we could.

11 >> MR. MALSCH: Sure, I'd be happy to do that.

12 Our condition 10, if I recall, said because of
13 DOE's delay of installation of a drip shield until
14 the end of the 100-year period, post -- predisclosure
15 period. After all, the 11,000 or so waste packages
16 containing the wastes that have been in place, that
17 that could not possibly be justified as safe. I
18 think that's the essence of our contention.

19 The legal issue here today is -- is -- what I
20 would call a subset of that, and that is that it
21 cannot be legally justified as safe because by virtue
22 of the schedule, a safety finding, which the
23 regulations require be made before a license is
24 issued to receive and in place wastes cannot possibly
25 be made. I think that dovetails in with the -- with

1 the contention as written.

2 >> JUDGE RYERSON: Was 161, Nevada Safety 162
3 admitted as a legal issue contention?

4 >> MR. MALSCH: No, it was not contention
5 admitted legally as --

6 >> JUDGE WALDWELL: Nor did you have questions
7 associated with it?

8 >> MR. MALSCH: That is true. That is true.

9 >> JUDGE WARDWELL: And when did this come up as
10 a subset, this schedule? I see now what you are
11 driving at with regards to the scheduled portion of
12 it.

13 Can you enlighten us on when and who and how
14 this rose up to the level it has?

15 >> MR. MALSCH: I'm trying to remember when we
16 very first raised the issue. We certainly raised it
17 in connection with the negotiation and discussion of
18 the legal issues; but we had raised it earlier -- and
19 I'm trying to recall and I don't know whether we
20 raised it in our reply or not. I'm sorry, I don't
21 recall.

22 >> JUDGE WARDWELL: And to the best of your
23 knowledge, the Board that admitted this -- the Board
24 that was dealing with this, there was nothing in our
25 Board Order that admitted it as a legal contention

1 when we admitted contentions?

2 >> MR. MALSCH: You didn't designate it as a
3 legal contention, really, one way or the other, that
4 is correct.

5 >> JUDGE WARDWELL: I'm encouraged, I'm not
6 completely --

7 >> MR. MALSCH: You are not.

8 >> JUDGE WARDWELL: I am partially eluded, but
9 not completely.

10 >> MR. MALSCH: In any event, the premise for
11 the legal question is precisely this, if DOE will not
12 install its drip shields until after all 11,000 waste
13 packages containing 70,000 metric tons of waste have
14 been in place; and, thus, systems and structures
15 necessary for disposal safety of the drip shields
16 have been in place will not be installed until many
17 years after the radiological hazards with which they
18 were designed to address have already been
19 introduced.

20 As I said, this is a very unusual -- very
21 unusual proposal. Commission policy and practice has
22 always been that a safety finding must be made before
23 any actual radiological hazards are introduced, not
24 afterwards. That's why case-specific licenses are
25 required in the first place. And that where complex

1 facilities are involved -- and certainly this is a
2 complex facility -- that safety finding required
3 before the hazards are introduced always includes a
4 finding that all of the systems and components
5 necessary for safety have been properly fabricated
6 and installed.

7 For example, you see that for faux power reactor
8 licenses in 50, in 57 (a) (1) you see that for low
9 power instances under Part 50, that's in 50.57 (c)
10 and for some materials licenses, for example,
11 plutonium processing facilities under 70.23 (a)(a).

12 So the issue here is whether Part 63
13 incorporates that same policy. If so, exactly how
14 does it incorporate that policy; and if it does, are
15 we required to do anything about it at all at this
16 particular stage in the licensing proceeding?

17 >> JUDGE WARDWELL: The policy you are referring
18 to in regards to the other licenses, is that -- is
19 that merely a policy or is it truly a regulation that
20 says, that thou shall not -- that there shall be a
21 safety finding prior to any radiological impact means
22 installed?

23 >> MR. MALSCH: Yes, in the three regulations
24 that I cited, no license can be issued until that
25 finding is made -- and that even applies to a low

1 power license, for example.

2 The regulations I cited, we believe that Part 63
3 is consistent with this longstanding policy and
4 practice. 63.41 (a) (2) requires that before wastes
5 may be received or replaced in a repository, the NRC
6 must find, quote, "That the construction of any
7 underground storage place required for initial
8 operation is substantially complete in conformity
9 with the act and the application in the regulations."
10 The wording is a bit awkward, but it must mean that
11 satisfactory completion of any underground storage
12 space required for an initial operation must mean
13 satisfactory completion of whatever safety features
14 are necessary for adequate isolation of the wastes
15 that will be in place as a part of the initial
16 operation. And in our case, that finding cannot be
17 made, because all of the wastes will be in place
18 before a single drip shield is installed.

19 >> JUDGE WARDWELL: When will -- when will the
20 receive and possession license be needed in order to
21 start receiving the wastes?

22 >> MR. MALSCH: It would be needed before any
23 wastes could be received on the site.

24 >> JUDGE WARDWELL: What I mean is regards to
25 construction starts, constructional license granted,

1 construction starts -- it takes 100 years to complete
2 all the -- all the tunnel drifts, as I understand it,
3 or approximately; but at that same time,
4 wastes -- there is a plan to -- at the -- as a
5 companion activity start putting wastes in some of
6 those drips already completed; is that not correct?

7 >> MR. MALSCH: That -- that is correct.

8 >> JUDGE WARDWELL: And receive and possession
9 license would be needed for that activity; would it
10 not?

11 >> MR. MALSCH: That is correct.

12 >> JUDGE WARDWELL: And approximately about
13 how -- do you remember how much lag time there is?
14 How many drips have to be constructed before they're
15 going to start the companion, the dual duplicative --
16 not duplicative but the parallel -- duplicative or
17 parallel activities at the site?

18 >> MR. MALSCH: I don't know. I mean, I'm not
19 sure. it's a fairly long period. I don't know
20 exactly how long it is. All right. Now, DOE -- .

21 >> JUDGE MOORE: The waste will arrive on the
22 GROA years in advance to be in place underground.

23 >> MR. MALSCH: Well, some years in advance. I
24 presume they could commence construction of the
25 underground facility as soon as they receive the

1 construction authorization and, in theory, they would
2 be poised to begin in placing wastes very shortly
3 after the above-ground infrastructure was available
4 to allow that to be done. That would be in the very
5 beginning, but I don't know how long the actual
6 replacement operations would last.

7 Now, DOE's staff tell us that there's no problem
8 here, because, first of all, they say, all that is
9 required by way of a finding is a finding
10 that -- that the construction of underground storage
11 space has been completed. And I would submit,
12 that's -- that's a silly meaning of the regulations.
13 Obviously, what the Commission had in mind is not
14 only adequate completion of the space, but also
15 adequate completion of whatever facilities in the
16 space are necessary for safety.

17 For example, this would now include not only
18 disposal safety but in placement safety. For
19 example, this staff would be very interested, the
20 Commission would be very interested in the safety of
21 tunnel support or rails for in placing wastes or
22 waste monitoring equipment, that would all be a part
23 of this finding. So satisfactory completion of the
24 space must be also satisfactory completion of
25 necessary structured systems and components in this

1 space.

2 Well, then the next response is, well, but, no,
3 the only finding is that structured systems
4 components necessary for initial operation are
5 completed and we need not concern ourselves with the
6 drip shields because they will not be in stored as a
7 part of the initial operation. And that is true in
8 any temporal sense; but in a more meaningful sense, I
9 think the regulation has to be read to say that as
10 the -- as the wastes are in place in the tunnels, one
11 should be sure that there is completed construction
12 of whatever safety features are necessary to assure
13 that those wastes that are being in placed, in the
14 initial operations will be in place with adequate
15 disposal safety. And, in fact, the regulatory
16 history suggests of this initial operations, suggests
17 it was added not to avoid having to address some
18 safety question, but purely to allow DOE to begin
19 disposal operations without excavating the entire
20 repository drifts. So they can begin with just one
21 tunnel. They wouldn't have to construct all the
22 tunnels; but that doesn't necessarily excuse them
23 from having necessary structure systems and
24 components for disposal safety in place.

25 >> JUDGE RYERSON: But if 162 was admitted as a

1 fact, as a factual contention and I guess I'm not
2 quite clear how the legal issue, particularly as it's
3 been framed here, how that necessarily advances or
4 doesn't advance the ball. I -- this is the issue as
5 it was agreed upon by the parties, I take it, and if
6 we had an opportunity in our Order to modify it and
7 we didn't avail ourselves of that opportunity; but as
8 I look at it, I find it a little confusing. I think
9 the issue we are arguing, and tell me if this is
10 correct, is basically whether as a matter of law it's
11 impossible for the Commission to make the required
12 findings to issue a construction authorization in
13 light of the drip shield installation plan? I mean,
14 is that essentially the issue?

15 >> MR. MALSCH: That's a fair statement of the
16 issue.

17 >> JUDGE RYERSON: Why is that an issue of law
18 as opposed to an issue of fact to be adjudicated?

19 >> MR. MALSCH: Well, I think -- I think if you
20 read the regulations the way we read them.

21 The impossibility arises as a matter of law not
22 as a matter of fact, once you accept the factual
23 premise, that there will be no drip shields in place
24 until after all the wastes are in placed in the
25 tunnels. I think that's the factual premise. I

1 believe that's what the application provides. I
2 think once that's the premise, I think our argument
3 flows from that.

4 >> JUDGE RYERSON: But the substantial
5 completion section is not -- is only indirectly
6 relevant, I take it, at the constructional
7 authorization phase? I mean, we can't have
8 substantial completion before a construction
9 authorization?

10 So it's -- it's simply in anticipation of
11 whether that would be possible, which strikes me as
12 more of a fact question.

13 >> MR. MALSCH: Well, I don't think it's a fact
14 question, if what you are talking about is a legal
15 certainty that a safety finding cannot be made at
16 the operating license stage. I mean, I agree with
17 you, in ordinary circumstances, one would not be
18 concerned about that as the construction at the
19 construction authorization stage. There is no
20 construction to address; but if you know now at the
21 construction authorization stage, that because of the
22 schedule, a finding required for operation cannot
23 possibly be made, then we would say it would be
24 irrational not to take it into account now before DOE
25 gets its license. Because otherwise the results

1 would be DOE could commence construction of the
2 repository only to be told by the NRC five years
3 later, sorry, we can't give you a license and ha-ha,
4 we knew that all along. I mean, that's irrational.

5 If this is the problem we think it is, it has to
6 be addressed now and it can't be postponed until
7 later. But it did occur to me, there is a factual
8 issue that is associated with this issue and that is
9 NEI contends that the drip shields are not necessary.
10 So if NEI were to prevail on that contention then,
11 then we don't need the drip shields. We wouldn't
12 need to make any finding amount about satisfaction of
13 the completion of the drip shields. And the issue I
14 guess is effectively removed. So that issue would
15 remain, no matter what one, what the Board did with
16 this particular issue; although, if the Board decided
17 this issue in our favor, then NEI's contention would
18 be a very important contention.

19 >> JUDGE RYERSON: Yeah. Well, I guess that's
20 my concern. You're asking us to decide, as a matter
21 of law, what might be the fact question five years
22 down the road. If NEI were to prevail, for example,
23 then, as a matter of law, the finding could be made,
24 could it not, of substantial completion if the drip
25 shields were turned out not to be necessary,

1 hypothetically?

2 >> MR. MALSCH: Well, I agree with that, except
3 we are dealing with the application as filed. And we
4 filed contentions, if the application is filed. I
5 think giums need to be made based upon the
6 application as filed; and the application as filed
7 has drip shields.

8 Now, if in response to some reconsideration, the
9 DOE may want to undertake either after consideration
10 of the NEI contention or otherwise, they want to
11 either amend the drip shield installation schedule so
12 drip shields are installed as the wastes are in
13 placed or they want to do away with it altogether,
14 well, then they'd have to file an application, an
15 amendment to the license application and we would
16 deal with it then; but for now, we're -- we're
17 dealing with the application as it stands.

18 >> JUDGE MOORE: Mr. Malsch, if -- as DOE
19 states -- the drip shield is a component part of the
20 waste package engineered barrier, then it can't
21 possibly be installed until the other components of
22 the waste package engineer barrier are installed, but
23 if it is looked at, as DOE proposes, that it is one
24 engineered barrier, one system with subcomponents,
25 then that initial waste package has to be in place

1 before you could put the drip shields in. Aren't you
2 looking, especially with regard to your argument
3 about what the word "space" in 63 -- I believe
4 it's -- 41 means? It's a physical impossibility
5 under their definitions to put the drip shield in
6 before you put the waste in place?

7 >> MR. MALSCH: Well, I think the time
8 difference is in that respect almost trivial. I
9 mean, you -- you would be installing the waste
10 package and the drip shield almost simultaneously. I
11 don't see why things can't be engineered in that
12 manner. And if that's the way it's done, then the
13 finding would be made, there wouldn't be any problem.

14 >> JUDGE MOORE: Why isn't it being done that
15 way?

16 >> MR. MALSCH: Because DOE is proposing to
17 install all of the waste packages before installing
18 any single one of the drip shields.

19 >> JUDGE WARDWELL: And -- and the reason for
20 that, is it not, is to maintain ability for
21 retrieval, exactly, if I recall?

22 >> MR. MALSCH: I don't know what the reason is.

23 >> JUDGE WARDWELL: Right now, the drip shields
24 will not be installed. They'll be installed all at
25 once after all the waste packages are installed, even

1 though waste packages will be installed sequentially
2 while other drifts are being excavated.

3 >> MR. MALSCH: Right. Right.

4 >> JUDGE WARDWELL: Something you said may have
5 confused me a little. Is it your position now, there
6 are no factual issues left in 162?

7 >> MR. MALSCH: Not if the Commission decides
8 this issue in our favor. I think if they decide this
9 issue against us, I'm not sure if it would remain a
10 factual issue other than NEI contention. But I think
11 it would be an important policy question for the
12 Commission to address as to whether they would want
13 to NEI to contemplate this highly unusual situation.
14 I mean, for example, if the Board should decide that,
15 yes, we agree that it would be an impossibility of
16 making this operating license finding but because of
17 the two-stage licensing process, it isn't necessary
18 to look at that now. I think the Commission might
19 want to look at that even as a policy matter and
20 decide whether that makes any sense. I mean, among
21 other things we have discussed in our Briefs, DOE's
22 suggestion that this matter could be handled by a
23 license condition; that is to say, you don't have a
24 license to receive and possess would be issued on
25 condition that all of the 11,000 drip shields would

1 be installed 100 years from now. And we raised I
2 think what is the very important question of exactly
3 what would be the effect of such a license condition?

4 I mean, if the -- if the great, great, great
5 grandson of the current NRC inspector of Yucca
6 Mountain were to inspect the site prior to site
7 closure and happen to notice there were no drip
8 shields and ask the DOE official on site, you know,
9 "What's going on here?" And was told, "We're really,
10 really, really sorry, we had every intention of
11 installing them. It turned out we just couldn't."
12 What would the NRC be in a position to do now with
13 all the waste packages in place?

14 I mean, in theory, we -- obviously, a civil
15 penalty would do no good. It would simply pass
16 treasury monies from the treasury to DOE to NRC back
17 to the treasury. It wouldn't address a safety
18 problem. NRC's ability to enforce license conditions
19 is rooted upon its fundamental authority to revoke
20 licenses and to order divestiture of the materials.
21 In this case, that would mean orderly retrieval. But
22 as we pointed out in our Briefs, that would be a very
23 difficult order to issue because it would entail a
24 balancing of the risks to workers and maybe others
25 associated with the retrieval operations associated

1 with the risks to the citizens of Nevada with a
2 repository with no drip shields and possibly in
3 violation of the EPA standards. I don't know what
4 the outcome would be of that; but it could be that
5 Nevada is stuck with a repository that's in violation
6 of the EPA -- EPA rules. So I don't think the
7 license condition which -- which DOE has proposed is
8 by any means a satisfactory answer to this problem.
9 I think this is a real serious problem with DOE's
10 proposal. I think it should be addressed now,
11 because, otherwise, what is the purpose of a
12 construction authorization proceeding if not to
13 examine the possibility of real serious problems with
14 preventing an operating license from being issued in
15 the first place. So it is no answer to say, oh, this
16 is just a two-stage licensing process.

17 >> JUDGE MOORE: What happens to NEI's
18 contention if your position were accepted?

19 >> MR. MALSCH: Well, if our position were
20 accepted, that would be the law of the case. Then we
21 could -- if NEI presumably wishes to go forward --
22 litigate that issue. In which case I suppose it
23 would be moot. If DOE then also filed an amendment
24 to its license application which, if given, no
25 indication it would do so. So I think we have to

1 deal with the application as it is currently filed
2 and that is with the drip shield installation
3 schedule as is currently filed. Even if DOE should
4 prevail in its -- in its contention, that doesn't
5 require the DOE to amend its license application. It
6 could still go forward on the drip shields. If it
7 amended the license application to eliminate the drip
8 shields or to install them as the wastes were in
9 place, then that would effectively moot this issue;
10 but it hasn't done so or given any indication that it
11 would.

12 >> JUDGE WARDWELL: It's my understanding DOE
13 doesn't exactly agree with your legal
14 interpret -- your definition of the legal issue in
15 this contention; is that correct?

16 >> MR. MALSCH: I think we have a disagreement
17 as to whether it's in the scope of the contention.

18 >> JUDGE MOORE: Okay. Well, we'll ask them as
19 they come up for their opinions. Thank you, Mr.
20 Malsch.

21 >> MR. MALSCH: Thank you.

22 >> MR. SILVERMAN: It's still morning. good
23 morning, Your Honor.

24 Don Silverman with the Department of Energy.
25 Before we get into our Petition and my responses to

1 Mr. Malsch, I want to go to the specific question
2 that Judge Wardwell asked at the beginning and I
3 think Judge Ryerson followed up on with, which is:
4 What is the legal question?

5 What's the problem?

6 And where did this all come from?

7 And in particular, I think you were a little
8 befuddled -- correct me if I'm wrong -- with respect
9 to the fact that you didn't see a clear relationship
10 to the legal issue in the contention and I would just
11 like to make clear, we did not agree to this language
12 in this contention. We worked very closely with
13 Nevada and agreed on almost every single contention;
14 but in this particular one, when we filed our joint
15 stipulation with the Board, we specifically said
16 Nevada and DOE disagreed with respect to the nature
17 of this legal issue, raised in this contention and
18 we'll file separate views. We filed separate views.

19 The essence of those separate views were, Nevada
20 is arguing that the pre-operational findings that are
21 required by 63.41 (a) need to be addressed now. And
22 our objection was that 63.41 (a) -- and that
23 requirement didn't appear in the contention at all.
24 And the Boards, for whatever reason, made the
25 judgment to admit this legal issue as a legal

1 issue -- admit might be -- to have us argue this
2 legal issue as it is written today, which was the way
3 it was proposed by the State of Nevada. So I just
4 want to clarify, we did not believe this was an
5 appropriate interpretation, that this did not flow
6 logically from the contention, and particularly
7 because this -- the very regulation that's at the
8 essence of their argument wasn't even mentioned in
9 the contention. I did want to point that out.

10 Our main response to Mr. Malsch is -- is really
11 three-phased. The first is, we have plain language
12 in these regulations -- our basic position is, we are
13 not required to make this pre-operational finding
14 that construction of the underground storage space
15 is -- that the 63.41 (a) finding, the construction
16 underground facility has substantially been completed
17 at this time. These regulations, the structure and
18 language is clear. There are -- there is a
19 regulation which specifies findings to be made at the
20 construction authorization stage. That is in 63.31
21 (a) (2). Those are the ones that we have to be
22 focusing on.

23 There is a separate regulation that specifies
24 findings to be made at the possession and use stage.
25 That is 63.41 (a), not mentioned in the contention,

1 but very clear in the regulations. There are two
2 different regulations, they're established for two
3 different stages of the license proceeding; and if
4 NRC had wanted us to import into this current
5 proceeding the criteria for issuance of a license to
6 possess and use, we believe they would have done
7 that. So as a matter of plain language of the
8 regulations and the structure of the regulations, we
9 don't think that's appropriate and consistent with
10 the regulations.

11 Furthermore, with respect -- secondly, with
12 respect to the language of the regulations, if you do
13 look at 63.41 (a), which is the pre-operational
14 findings, it defines what that finding is. That the
15 facility has been substantially completed in
16 accordance with the application. And it does that --
17 defines, it says absolutely modifies that, defines
18 it, says the construction is considered to be quote
19 "substantially complete if the underground storage
20 space required for an initial operation is
21 substantially complete."

22 Our position is the space, it is -- it should be
23 defined in an ordinary definition. The Commission
24 could have said, construction is considered to be
25 substantially complete if the underground storage

1 facility was substantially completed, if the
2 underground facility and equipment was substantially
3 completed, if the underground facility and engineer
4 barriers were substantially completed. But they
5 didn't do that; they said "space". And, furthermore,
6 they modified the phrase further with the phrase
7 required for initial operation; and if you look at
8 the regulations, the conceptual regulation, 63.102
9 (c), it defines three periods of operation and there
10 is an initial period of operation, which is the
11 period of in placement. That's one of the three
12 defined phases. The drip shields are not required
13 for that phase, for that phase of the process. The
14 drip shields are a protection measure. They are a
15 part of the post-closure safety case.

16 So, for that reason as well, we think the plain
17 language does not support Nevada's position.

18 Mr. Malsch suggests there is a safety issue
19 here. And he suggests -- doesn't suggest -- states
20 that there is a definitive safety finding to be made
21 at this particular time, and I want to respond to
22 those points.

23 First of all, with respect to the -- whether
24 there is is a safety issue, we don't believe there is
25 one for several reasons.

1 First of all, the application makes clear that
2 there will be some drip shields, a small number,
3 installed early in the "in placement" process for
4 purposes of the performance confirmation program. So
5 there will be analyses done and scientific
6 studies -- analyses done and scientific studies done
7 to see how well these drip shields perform.

8 Secondly, the NRC still has to determine based
9 upon the license application that the drip shields
10 can be installed in accordance with our commitments
11 and can confirm adequate installation before closure,
12 before the time when these drip shields are needed to
13 perform their function, and that would be as part of
14 a closure amendment. There is a specific proceeding
15 for an amendment application to close the facility.
16 That's in Section 63.51.

17 Third, we have the requirement to preserve the
18 ability to retrieve the wastes through the repository
19 design prior to permanent closure. If we meet that
20 obligation to the satisfaction of the agency, in my
21 view, that obviates the safety issue and, in fact,
22 Nevada essentially acknowledges that last point on
23 safety, on Page 862 of its actual contention.

24 With respect to the notion and Mr. Malsch did
25 not address there today, a definitive disposal

1 finding to be made today or in connection with this
2 construction application, it's a misreading of the
3 regulations. There are multiple important safety
4 findings to be made; and they are made at different
5 stages of the process. There is the 63.21 finding to
6 be made with respect to the construction
7 authorization. There is the 63 -- I'm sorry, the
8 63.31, reasonable expectation finding. There is a
9 finding before possession and use. It's in section
10 63.41. And it requires the NRC to find that our
11 activities will be in conformance with the LA, the
12 Atomic Energy Act, the regulations; and there will
13 be -- there will not constitute an unreasonable risk
14 to public health and safety, more than broad enough
15 language to encompass the findings that need to be
16 made at that point.

17 More on point is the provisions governing the
18 permanent closure amendment, because that is when the
19 drip shields come into play. And the regulations
20 that govern the findings to be made there at that
21 point in time are in Section 63.45 and Section 63.51;
22 and the regulations say that the Commission will make
23 the same determinations that quote "govern the
24 issuance of the initial license and any other
25 information bearing on permanent closure, i.e., such

1 as, the adequacy of the drip shields to perform their
2 function that was not available at the time the
3 license was issued."

4 We need that fits perfectly, those are all in
5 the regulatory scheme. And as I said earlier, I
6 think the waste retrieval provisions and the
7 obligation to preserve the option of retrieval,
8 largely dispose of any significant safety issue.

9 Just bear with me a minute. Those are my major
10 comments, but I would like to look over the points
11 that Mr. Malsch made. He did say this was a very
12 unusual proposal, the notion of installing the drip
13 shields not until after all the waste is installed
14 and after the adequate safety finding, it would be
15 too late to make that finding.

16 As I pointed out, there is a permanent closure
17 amendment findings to be made and I think that
18 demonstrates that that's a faulty assumption. And
19 again, I want to remind the Board, it's not an
20 unusual proposal. Because the drip shields are
21 intended -- they're a part of the post-closure case.
22 They're a part of the post-closure safety and
23 amendment findings.

24 >> JUDGE WARDWELL: Can we address that for a
25 minute?

1 >> MR. SILVERMAN: Sure.

2 >> JUDGE WARDWELL: Mr. Malsch pointed out
3 that -- are you aware, let me strike that --

4 Let me ask this: Are you aware of any other
5 license that the NRC grants where it's permissible to
6 put in radioactive materials before any of the
7 containment or controls or needs to protect and
8 provide for the health and safety of the public are
9 installed?

10 >> MR. SILVERMAN: Let me -- I think the premise
11 of your question, with all due respect, is: It was
12 not correct, for any other facility.

13 >> JUDGE WARDWELL: It had no premise.

14 >> MR. SILVERMAN: Well, the premise is -- the
15 premise is that that you are putting waste in before
16 you have certain controls or protections in place to
17 insure the safety of it.

18 >> JUDGE WALDWELL: To meet the safety of the
19 people. The drip shields are relied upon in order to
20 meet safety findings; is that correct?

21 >> MR. SILVERMAN: Yes.

22 >> JUDGE WARDWELL: Are there any other
23 licenses, that you are aware of, where a system
24 structure component that is relied upon for safety is
25 allowed to be installed after the radioactivity has

1 been entered into that?

2 >> MR. SILVERMAN: I'm not. But there is --
3 this is my point. There is a fundamental difference
4 between this repository and any other licensed
5 facility.

6 >> JUDGE WARDWELL: But that's my second
7 question. Is there anything different that allows
8 you to?

9 THE WITNESS: Yeah, there sure is. This is a
10 permanent repository and the safety findings that
11 have to be made are that this waste can be disposed
12 of safely and held in the repository for a million
13 years. In -- and so the drip shields are a component
14 of the safety case to be made, to demonstrate that
15 this stuff can stay there forever.

16 All right. That is very, very different from
17 any other proceeding I can think of where there is,
18 I'm -- any other facility I'm aware of where at least
19 the initial intent is not to leave the waste in
20 place. It's to have the waste -- it's to have the
21 radioactive material come on the site, operate with
22 it, and then the envisioned -- envisioned intent
23 would be to remove it pursuant to a decommissioning
24 plan or possibly to leave it in place pursuant to a
25 decommissioning plan; but you wouldn't know that

1 until much later. It's very different.

2 >> JUDGE WARDWELL: But the main purpose of this
3 is for permanent disposal? There is only an option
4 for retrieval that must be maintained?

5 >> MR. SILVERMAN: That's correct.

6 >> JUDGE WARDWELL: Is there an operational
7 license granted for this facility?

8 >> MR. SILVERMAN: Essentially, yes, sure. It's
9 the receive and possess license.

10 >> JUDGE WARDWELL: Why isn't it called an
11 operational license?

12 >> MR. SILVERMAN: It's not called an
13 operational -- operating license, because that term
14 is only used in Part 50 and perhaps Part 52 because
15 of -- under the Atomic Energy Act -- and it's I think
16 it's more form over substance really, but what you
17 have is the licensing of a facility for when you are
18 dealing with a reactor, and you're licensing of the
19 construction of the facility, then you get an
20 operating license to operate the facility. There is
21 not much difference really practically between that
22 and almost every other licensed facility where you
23 have -- rather than a license to operate -- a license
24 to receive and possess. It's effectively the same
25 thing.

1 >> JUDGE WARDWELL: Well, couldn't one not argue
2 that the post-closure period is really the
3 operational period of this facility, because this is
4 what the facility is designated for?

5 It's not a -- it's not a -- a -- a decommission
6 unit and reclamation process, but this facility is
7 designed for long-term storage of this?

8 That is the operations of it; could one not
9 argue that?

10 >> MR. SILVERMAN: No, I think one could argue
11 that's part of the operations.

12 >> JUDGE WARDWELL: Sure.

13 >> MR. SILVERMAN: And there are findings to be
14 made before the possession and receipt and
15 above-ground operations, "in placement" period, and
16 all that period up to permanent closure, there is a
17 regulation that governs that. That's a part of the
18 operations period. And then we have the other part
19 of the operations period which is post -- which is
20 closure and post-closure, and there are findings to
21 be made there.

22 >> JUDGE WARDWELL: So, if, in fact, it could be
23 a part of the operations, then the statement at 41
24 (a)(2), that talks about initial operations, one
25 could have designated these drip shields as part of

1 the engineered barrier system that we're going to put
2 in place prior to putting in place any waste material
3 underground as a logical way to do it?

4 If there was not -- unless there is some other
5 reason not to -- why aren't the drip shields placed
6 right after the waste is put in place?

7 >> MR. SILVERMAN: My understanding -- and there
8 may be other reasons, and I'll get corrected if I'm
9 wrong -- but I think it was alluded to earlier, is at
10 least one reason is that it will aid in the ability
11 to retrieve the waste prior to permanent closure by
12 not having the drip shields installed, and I need to
13 find out if that's completely accurate.

14 >> JUDGE WARDWELL: It was a blank stare.
15 That's my impression also. But could not the drip
16 shields be redesigned so that you could still achieve
17 retrieval without that, i.e., the drips made bigger,
18 the drip shield's clearance is less?

19 >> MR. SILVERMAN: That depends. It's possible.

20 >> JUDGE WARDWELL: Is there any reason to
21 believe you couldn't? Correct?

22 >> MR. SILVERMAN: There may be -- there may be
23 not. There may be significant impediments to doing
24 it, but the Department's obligation so, to propose a
25 design that meets the regulations -- and there is a

1 specific recognition by the Commission that the NRC
2 is not to evaluate alternative designs other than
3 those proffered by the Department. If it fails the
4 appropriate regulatory criteria, it fails and the
5 license is an issue or there is conditions or
6 whatever, but --there is one design to be evaluated.

7 >> JUDGE WARDWELL: Let me finish up with one --
8 the key question that I've got here or the scenario
9 that I'm developing in my mind is that is -- it seems
10 logical to me that you would want to have all your
11 systems in place prior to introducing radioactivity.
12 It just seems logical.

13 Would not -- even if this fails as a legal
14 issue, some of the things we've just talked about are
15 really factual types of discussions, not legal
16 discussions at all.

17 >> MR. SILVERMAN: Mm-hmm.

18 >> JUDGE WARDWELL: And there's valid points
19 that you've raised in regards to the questions I
20 have; but they're really to the merits issues, as I
21 see them. Do you see any reason why 162 doesn't
22 survive as a factual contention regardless of the
23 outcome of the legal aspects associated with this
24 contention?

25 >> MR. SILVERMAN: I think it does potentially

1 survive in a somewhat constrained way. I think if
2 you find in our favor that the pre-operational
3 findings are not required at this stage and obviously
4 that particular regulation -- which isn't mentioned
5 in the contention at all -- can't be a basis for the
6 factual arguments that are made by the State of
7 Nevada.

8 However, the contention, as written, did
9 identify a number of other regulations and argues
10 that our plan violates those regulations; and I think
11 that would be a potential factual issue that would
12 survive.

13 >> JUDGE WARDWELL: Thank you.

14 >> JUDGE MOORE: Thank you, Mr. Silverman.

15 >> MR. SILVERMAN: Thank you.

16 >> JUDGE MOORE: NRC staff.

17 >> MR. GENDELMAN: Good morning, Your Honor,
18 Adam Gendelman for the NRC staff. The Board should
19 not impute Section 63.41 --

20 >> JUDGE WARDWELL: May I interrupt? I already
21 have.

22 >> MR. GENDELMAN: You may.

23 >> JUDGE WARDWELL: So I want to get my focus on
24 here. Would you mind if I need your interpretation
25 of what the legal question we had before us is?

1 >> MR. GENDELMAN: Yes, Your Honor. The staff
2 understanding is that because Nevada believes that
3 the license application as submitted cannot satisfy
4 Section 63.41, the license receive and possess
5 requirement, that it, therefore, would not be logical
6 to issue a construction authorization even if an
7 application was otherwise reg -- satisfactory sort of
8 by bringing 63.41 before the Board now through
9 Section 63.31 (a)(2), requiring a finding of
10 reasonable expectation that the wastes can be
11 disposed of without unreasonable risk to public
12 health and safety. And that the staff
13 understanding --

14 >> JUDGE WARDWELL: Isn't Nevada's position
15 stronger that, as a matter of law, that those
16 findings can't be made?

17 >> MR. GENDELMAN: Right. In publication of the
18 2001 final rule, the competition described the
19 purpose of 63.31 quote "This section states the basis
20 on which the Commission may authorize construction of
21 a geologic repository operations area at the Yucca
22 Mountain site" at 66.CFR.6781.

23 The Commission described Section 23.41. This
24 section states the basis on which the Commission may
25 issue a license to receive and posess special nuclear

1 or biproduct material at a geologic repository area
2 at the Yucca Mountain site. There is no discussion
3 there or elsewhere about imputing Section 63.41 into
4 this construction authorization proceeding.

5 The Commission recently held that quote, "Courts
6 construe regulations in the same manner they do
7 statutes, by ascertaining the regulation, a basic
8 tenet applicable to regulatory construction is that a
9 statute should be construed so that effect it is
10 given to all of its prediction, it's hydroresources
11 63.NRC.483, 491 in 2006. Nevada's reading does not
12 give effect to the plain meaning of 63.41 (a) (2);
13 and, further, it would render that section
14 meaningless with respect to license and receive and
15 possess proceeding as they would already be findings
16 as to that requirement.

17 The staff now is making safety findings about --
18 in it's evaluation, it is evaluating the drip shields
19 for compliance with several safety requirements,
20 including 63.21, .31, 112, and 113. That is, the
21 staff is evaluating the Department's drip shield and
22 installation plan to determine whether there is a
23 reasonable expectation that the wastes can be
24 disposed of without unreasonable risk to health and
25 safety. These aren't being delayed. These aren't

1 delayed findings. But the imputation of the Section
2 63.41 requirement is beyond the scope of this
3 proceeding and just to follow on what was discussed
4 before, the staff followed a comment on the proposed
5 language of this con -- this legal issue -- and felt
6 that it was beyond the scope of the contention.

7 >> JUDGE RYERSON: Do you agree that, as
8 written, Nevada Safety 162 continues to pose a fact
9 question report?

10 >> MR. GENDELMAN: I think that's right. The
11 staff's comment was whether or not the claim that
12 63.41 requirements should be imputed was out of the
13 scope of the contention, but as to whether or not the
14 contention makes a factual claim, I -- I think
15 that's fairly clear from the language of the
16 contention.

17 Thus, the Commission makes findings pursuant to
18 63.31 now concerning, among many other things, the
19 DOE's drip shield, fabrication and installation
20 plants.

21 To that end, in fact, the staff issued a request
22 for additional information about those fabrication
23 and installation plans -- and I can give you a
24 citation and, I believe, the ML number and the LSN
25 number in a moment. It's ML09-182-0629, Chapter

1 2.1.1.2 cet 1, where the staff in its review now
2 during the construction authorization proceeding
3 asked questions about the drip shield fabrication and
4 installation. So, in summary, the staff is making
5 safety findings as to the drip shields now, but the
6 imputation is inappropriate under our rules; and
7 unless the Board has anything further --

8 >> JUDGE MOORE: Thank you.

9 >> JUDGE WARDWELL: I have one question on Page
10 Page 46 of your Brief where you talk about -- the
11 Brief for the legal issue, the top of the paragraph,
12 this is in your discussion of 63.41. You mentioned
13 something that you've alluded to in your oral
14 presentation here today that where a law includes
15 particular language in one section but omits it in
16 another, it is presumed the exclusion was intentional
17 and purposeful.

18 Doesn't that contradict with your position in
19 issue 2 that you -- when you said there was no
20 significant change intended by the removal of
21 language in that issue?

22 >> MR. GENDELMAN: Well, in this case, I think
23 that language is being used to note that this fairly
24 novel construction by Nevada reading one requirement
25 for a clearly segmented consideration license to

1 receive and possess requirements into the
2 construction authorization requirements, it is not
3 supported by a -- by a position like that.

4 I think with respect to that change, as I
5 believe was noted before, and I can get you a cite
6 for this again, if you like -- that the purpose with
7 that change was to comply with the EPA's stated
8 standard and that it was not an intentional
9 substantive change, but certainly I would speak with
10 my co-counsel and give you more on that, if you like.

11 >> JUDGE MOORE: No need.

12 >> JUDGE MOORE: Thank you, counsel.

13 MR. GENDELMAN: Thank you.

14 >> JUDGE MOORE: We'll now address issue 11.

15 Mr. Malsch.

16 >> JUDGE WARDWELL: Do have you time for
17 rebuttal?

18 >> JUDGE MOORE: Oh, did you want any rebuttal
19 on that, on issue 10?

20 >> MR. MALSCH: If I may, for a few minutes,
21 then I will go into issue 11. I don't think it's any
22 secret to anybody that Nevada thinks that DOE's plan
23 to assure safety of the repository by installing
24 11,000 drip shields 100 years from now is
25 unbelievable and fantastic that when Dr. Wardwell

1 asked DOE the question whether there was any
2 precedent when the NRC has ever allowed materials to
3 be possessed on site without a finding that necessary
4 safety equipment was in place, I think he really had
5 no answer. I mean, other than to say, oh, but this
6 is different; but why is this different?

7 I mean, obviously, the Commission would not have
8 allowed operation of a reactor without necessary
9 safety equipment in place and it would have made no
10 difference whether the reactor was going to operate
11 for a 40 years or a hundred years or a million years.
12 The principle is still there. And the principle is
13 still the problem there. The fact is there would be
14 wastes received on site and in wastes in tunnel
15 drifts, all 700 metric tons without metric systems in
16 place. I submit, that is absolutely unprecedented in
17 all the decades of NRC regulation.

18 Secondly, I agree, you could read the
19 regulations to say that at the construction
20 authorization stage, one need not address this issue;
21 but I would submit that the finding required at the
22 construction authorization stage that there was
23 reasonable assurance of safety disposal would embrace
24 this finding if it made sense to do so. And I think
25 it clearly made sense to do so.

1 If we are right about this issue, it would be
2 utterly irrational for the NRC to authorize
3 construction of the repository, knowing that it can
4 possibly operate. That is contrary to the whole idea
5 of there being a construction authorization stage in
6 the first place.

7 Finally, as to the scope question with which is
8 raised. Whether this is in the scope of our
9 contention, I would just mention that, in fact, we
10 did raise this issue in our reply to DOE's Answer to
11 that contention. That's on Page 693 to 699.

12 We did not actually characterise it precisely as
13 a legal issue; but it is there. And whether -- and
14 whether that is within the scope of the contention
15 was addressed in the papers and arguments we've
16 submitted in connection with the framing of this
17 legal issue in the first place. Thank you.

18 Let me address now issue 11. We've agreed --

19 >> MR. GENDELMAN: I'm sorry, Your Honor, I
20 apologize, in speaking with co-counsel, I wanted to
21 slightly correct -- in response to your question
22 about issue 2, I just wanted to note that in issue 2,
23 the language change was from a proposed rule to the
24 final rule, where the statement I believe you cited
25 in our discussion concerned construing a regulation

1 as a whole and didn't discuss proposed language
2 versus final language.

3 >> JUDGE MOORE: Thank you.

4 Proceed, Mr. Malsch.

5 >> MR. MALSCH: Yes. This is issue 11 which
6 deals with DOE's PMA or Performance Margins Analysis,
7 we have agreed to share time 50-50 with staff on this
8 issue and we have agreed that we would go first, and
9 I would like to reserve a few minutes for rebuttal.

10 In its opening Brief, Nevada argued that DOE's
11 Performance Margins Analysis is of indeterminate
12 quality and cannot be used to validate or provide
13 confidence in the TSPA because it has not complied
14 fully with Quality Assurance requirements in subpart
15 (g) of Part 63. DOE appears to insist to the
16 contrary.

17 First of all, it's important to recognize
18 exactly what the Performance Margins Analysis PMA
19 actually is -- and that's explained quite carefully
20 in the Safety Analysis Report at Section 2.4 at Page
21 245 through 24 -- 246 analysis. It explains there,
22 that the PMA is a separate set of TSPA calculations
23 from which some conservatisms -- some supposed
24 conservatisms have been removed.

25 So, clearly, the PMA is is a kind of a

1 Performance Assessment much like the TSPA except that
2 certain conservatisms have been removed. It clearly
3 fits the definition of a Performance Assessment in
4 63.2 and 102 (j).

5 Most importantly, though, DOE concedes in its
6 Brief here that the PMA uses unqualified software and
7 data. Now, QA requirements are found in subpart 63
8 and the PMA is subject to these requirements if three
9 conditions are met -- and I would submit that all
10 three conditions are clearly met.

11 The first condition is in 63.142 (a), which sets
12 forth the terms of the applicability of subpart (g).
13 The relevant provision here says that QA requirements
14 apply to analyses of samples of data and scientific
15 studies; and, clearly, the selection of data to
16 support the Performance Margins Analysis in a conduct
17 of the PMA, itself, including the developing and
18 selection of models for the PMA constitute both an
19 analysis of samples and data and a collection of
20 scientific studies. No language suggests otherwise;
21 and DOE points to none.

22 In fact, their Briefs completely ignore this
23 particular aspect of subpart (g). In fact, if the
24 PMA doesn't constitute a analysis of samples and data
25 or the collection of scientific studies, nor does the

1 total Performance Assessment or DOE, even that is
2 exempt from requirements in subpart (g). So this
3 particular condition is clearly met.

4 Second, under 63.142 (a), subpart (g) applies to
5 activities that are related to design of barriers
6 that are more than to the waste isolation. Well,
7 clearly, the PMA is so related. It applies to the
8 same repository system as a TSPA, and it assesses the
9 performance of the same natural barriers used in a
10 TSPA to establish a disposal safety. So, clearly,
11 the PMA is related to the design of barriers that are
12 important to waste isolation. This condition is
13 clearly met.

14 Third, there at 63.141, which defines the scope
15 of subpart (g) and provides, in effect, that QA
16 requirements in the subpart apply to all activities
17 quote, "Necessary to provide adequate confidence that
18 the repository would perform satisfactorily," which
19 we take to mean will perform safely.

20 So from that, we see that the PMA is subject to
21 subpart (g) and is Quality Assurance requirements if
22 it is necessary to provide adequate confidence in
23 safe disposal. So, if DOE is offering the PMA in
24 evidence because it believes it is necessary to
25 establish the adequacy of the total system

1 performance assessment, it's subject to QA but cannot
2 be used for this purpose because it uses unqualified
3 data and software.

4 If DOE doesn't believe the PMA is necessary to
5 show adequacy of the Total System Performance
6 Assessment, then TSPA is able to stand on its own
7 without the Performance Margins Analysis and should
8 stand on its own.

9 We consider the effect, the muddying effect
10 there would be if the Board and Commission were to
11 access the accuracy of the TSPA based on a
12 combination of qualified and unqualified data and
13 models. If we're going to do this, why bother to
14 have Quality Assurance requirements in law?

15 >> JUDGE MOORE: Mr. Malsch, in your reply, you
16 state that the PMA must be struck from the
17 application. If it can't be relied upon, it can't be
18 relied upon. Why must it be struck?

19 >> MR. MALSCH: I think we should not take that
20 literally. I think I mean by that, it would not be
21 admissible in evidence to establish post-disposal
22 safety with the peak Performance Margins Analysis in
23 it.

24 Now, DOE says that in their Briefs and in their
25 Safety Analysis Report that the PMA was intended as a

1 validation tool providing confidence and they also
2 said importantly is offered to show no risk of
3 delusion, which I -- which means that it is offered
4 to show that factors or models in the TSPA believe to
5 be conservative are, in fact, conservative in terms
6 of the ultimate dose and release calculation. These
7 things sure sound to us like things that are
8 necessary to establish the adequacy and safety of the
9 Total System Performance Assessment; and, therefore,
10 that is what DOE is offering them for.

11 I think it should be subject to QA and they --
12 as DOE has admitted -- are not fully compliant with
13 QA requirements.

14 On the other hand, if DOE is only offering the
15 PMA as corroborative evidence to show extra
16 assurance, and it's not clear at all that's all that
17 they are offering it for -- because as I indicated,
18 the SCR talks about dissolution, adequate validation
19 and the like, but if that is what they are offering
20 it for, I suppose in theory it's not subject to QA
21 because it is not necessary to establish the adequacy
22 of the Total System Performance Assessment; but I do
23 think that would lead to a highly prejudicial
24 situation for the other parties who are opposing the
25 license application.

1 By analogy, would we admit the results of a
2 illegal search and seizure in a criminal case not to
3 provide evidence of proof beyond a reasonable doubt,
4 but evidence of proof way beyond a reasonable doubt?

5 Once the evidence is received, it's impossible
6 to make distinctions of these sorts. So if DOE is
7 offering it as corroborative evidence, that's all
8 very interesting; but to admit it as such would
9 hopelessly muddle up the safety case and would
10 greatly prejudice the other parties.

11 So, in conclusion, either the term PMA is
12 necessary to show the adequacy of the TSPA; in which
13 case, it can't be allowed to do so, because it
14 relates DOE requirements or it's not necessary in
15 which case it's both irrelevant and its admission as
16 a part of DOE safety case would be highly
17 prejudicial.

18 >> JUDGE MOORE: Thank you, Mr. Malsch.

19 Staff.

20 >> MS. SILVIA: Andrea Silvia on behalf of the
21 NRC staff.

22 If the PMA is being relied upon to meet the
23 regulatory standard of adequate confidence, then it
24 must meet the Part 63, subpart (g) Quality Assurance
25 requirements. Section 63.142 (a) requires a Quality

1 Assurance Program to be applied to all structured
2 systems and components important to safety to design
3 and characterization of barriers important to the
4 lake isolation and to related activities. The
5 related activities includes analyses of data and
6 scientific studies. The PMA, a set of calculations
7 that analyzes post-closure performance over a set of
8 modeling cases falls into the category of related
9 activities under 63.142; therefore, if the PMA is
10 needed to provide adequate confidence under 63.141,
11 that the repository will perform satisfactorily, it
12 must be subject to a Quality Assurance Program.

13 However, nothing prevents DOE from providing
14 additional information in its license application to
15 offer additional confidence in the performance
16 assessment. Information that is not needed to
17 demonstrate adequate confidence does not need to be
18 qualified under DOE's Quality Assurance Program.

19 >> JUDGE MOORE: Counsel, I'm just curious, how
20 do you respond to Mr. Malsch's comment that it can't
21 be relied upon, but here it is and the -- here it is,
22 is only for the staff to rely upon.

23 >> MS. SILVIA: Not -- the staff does not need
24 to rely upon everything included in the license
25 application to make its safety findings. There is

1 nothing in the regulations that prevents DOE
2 from providing additional information.

3 >> JUDGE MOORE: You said that if it is used
4 to -- for add-in confidence, why would the staff ever
5 accept something as added confidence that was not
6 QA-qualified, almost definitionally is it something
7 that's not QA-qualified, something in which one
8 cannot establish a confidence level?

9 >> MS. SILVIA: Well, the staff will not rely on
10 anything for its safety findings that is not
11 credible, but as of now, the staff has not completed
12 its safety findings, so it's -- unclear how the staff
13 will or will not use the PMA; but if it is necessary
14 to the staff safety findings, the staff will insure
15 that it is subject to the subpart (g) Quality
16 Assurance Requirement.

17 >> JUDGE MOORE: Thank you, counsel.
18 DOE.

19 >> MR. SILVERMAN: Thank you, Your Honor.
20 Don Silverman for DOE.

21 I think there's two ways that the Board can deal
22 with this particular legal issue and there is a very
23 simple way. I'm going to address that first; and if
24 we want to get into the details of perhaps the more
25 complicated way of dealing with them, we can do that.

1 A significant part of Mr. Malsch's argument,
2 was -- he's stated three reasons for why the PMA is
3 the kind of analysis that should be governed and
4 conducted pursuant to a -- the department's Quality
5 Assurance Program. We agree with that.

6 And that takes me back to the actual statement
7 of a legal issue. And if we read that statement as
8 precisely as written, it says, "Whether under certain
9 regulations" -- which are basically among others, the
10 QA regulations -- "the PMA can be used to validate or
11 provide confidence in the TSPA, if its data and
12 models are not qualified under DOE's Quality Issuance
13 Program, the Department's position is if those data
14 and models are not qualified under a QA program, then
15 the answer is, no, we can't rely on them. That would
16 resolve the legal issue. We're in agreement with the
17 part with both the staff and Nevada on that.

18 Where we depart -- and that could resolve the
19 matter as a legal matter. Where we depart is
20 whether, in fact, that PMA has been conducted in
21 accordance with DOE's Quality Assurance Program and
22 our position is that it has been. There was some
23 language in the SAR and in some of the supporting
24 documents that refer to the use of unqualified data.
25 And that's where I think we got a little confused

1 that perhaps DOE's language could have been written a
2 little more clearly. But the operative phrase that I
3 think the State of Nevada is relying on is a
4 statement in a document that supports DOE. It's the
5 TSPA model analysis report. And they're referring to
6 an Appendix to the TSPA model analysis report. The
7 basic TSPA model analysis report sets forth the basic
8 findings, how we went about the TSPA, and the
9 conclusions to the TSPA. This Appendix that we're
10 referring to deals with the PMA as a tool to test the
11 conservatisms in, as an ancillary analysis, if you
12 will, to test the TSPA. And in that section of the
13 Appendix, which deals with PMA, we say that PMA
14 contains both qualified and unqualified data.

15 What we meant by that was in context, when we
16 refer to unqualified data, was that the data was not
17 qualified for direct use in the TSPA. That is not an
18 after the fact rationalization, if you read the
19 sentences around that particular sentence, I think it
20 is reasonable to draw that conclusion -- and I have
21 consulted with our people and they assure me this is
22 what they intended. They merely meant to say that
23 this data was not suitable for use -- direct use --
24 in the TSPA; but they did not mean to imply it was
25 conducted or evaluated in accordance with a QA

1 program or that it was unsuitable for use in a
2 cooperative analysis.

3 This particular section of this attachment,
4 Appendix to the TSPA model report says -- and I'm
5 just citing this operative sentences. The PMA
6 utilizes the TSPA-LA model with changes to certain
7 inputs in models. I'll give -- this is Page C-8 of
8 the Appendix to the TSPA model report.

9 This PMA utilizes the TSPA-LA model with changes
10 to certain inputs in models. This section presents
11 those inputs that have been changed from those used
12 in the TSPA-LA model and additional inputs necessary
13 to support the PMA. Table C-4-1 lists the input
14 parameters to the TSPA-LA model that have been
15 changed or deleted for the PMA; and then it says, the
16 PMA contains both qualified and unqualified data,
17 what we really meant there, in this context was -- we
18 couldn't use some of this data for the TSPA, but we
19 did not suggest it wasn't perfectly suitable for a
20 corroborative analysis.

21 >> JUDGE WARDWELL: So, all of this discussion
22 is really -- as you, the latter discussion is really
23 a factual issue, not a legal issue, isn't that
24 correct, on whether or not your PMA actually does
25 meet the QA is a factual discussion?

1 >> MR. SILVERMAN: I agree with that, if the
2 Board simply agrees that we cannot use data in the
3 PMA that isn't appropriately qualified under our
4 Quality Assurance Program, assuming that Quality
5 Assurance Program complies with the regulations, then
6 there would be a factual issue as to whether it does
7 or not.

8 >> JUDGE WARDWELL: So the way the legal issue
9 was framed from the suggestions of the parties was
10 whether or not under a 10.CFR.63, 113, 114, Part 63,
11 subpart (g), the PMA can be used to validate or
12 provide confidence in the TSPA if its data and
13 models are not qualified under DOE's Quality
14 Assurance Program, you agree that on that legal issue
15 is correct?

16 >> MR. SILVERMAN: The answer is no -- and our
17 further position is, however, it was the -- data
18 was -- the data was qualified in accordance -- for
19 the purpose it was used.

20 >> JUDGE WARDWELL: Right, and that gets back to
21 Nevada Safety 171 where it basically -- it -- Nevada
22 designated it as a legal issue. They've provided in
23 their first sentence, the first half of a sentence
24 pretty much the same thing as you agreed upon wording
25 here for the legal issue of 11, but then it goes on

1 to say, but it cannot lawfully be used for these
2 purposes because it relies on datas and models that
3 are not qualified pursuant to DOE's Quality Assurance
4 Program. That is a factual issue, is it not, similar
5 to what you just tried to provide some defense why
6 you felt it was qualified?

7 >> MR. SILVERMAN: I agree it is; and, in fact,
8 that statement of the legal issue and statement
9 contention is identical to the legal issue, yes, I
10 agree.

11 >> JUDGE WARDWELL: The first half is identical,
12 after the "but" isn't.

13 >> MR. SILVERMAN: You are right.

14 >> JUDGE WARDWELL: Because nothing in your
15 wording of 11 says whether or not your data and
16 models are or are not qualified. This is more
17 specific -- and it seems to me, part of 171 even
18 though it's designated as a legal issue might survive
19 as a factual issue. Would you have any objections to
20 that?

21 If we can recast 171, the residual last half of
22 it as a remaining factual issue to be --

23 >> MR. SILVERMAN: Right, as to whether the data
24 and models are qualified pursuant to the QA program,
25 I would have no objection to that whatsoever; and I

1 think unless you have further questions, that was all
2 we have for us.

3 >> JUDGE MOORE: Thank you, Mr. Silverman.

4 Mr. Malsch, do you wish brief rebuttal?

5 There seems to be complete agreement that the
6 answer to the legal question that as posed in issue
7 11 is no; and do you agree that the remaining part of
8 your contention 171 is a factual matter?

9 >> MR. MALSCH: I think the remaining part of
10 the contention could be a factual matter, but I still
11 think the contention can be resolved as a pure legal
12 matter for the following reasons...what you have here
13 is a concession by DOE that its PMA used models and
14 software that were not qualified as direct inputs to
15 the TSPA and that was explained to me that it could
16 not be used to support the TSPA directly but could
17 only be used to provide corroborative evidence of the
18 adequacy to TSPA. And we've agreed here that if that
19 is the only purpose for which the TSPA is being
20 offered -- that is to say to provide corroborative
21 evidence -- then it need not be subject to subpart
22 (g), even though it may be subject to other DOE
23 Quality Assurance requirements.

24 The problem I have is -- is a problem that I
25 raise in connection with the illusion of a criminal

1 case. I think it would be highly prejudicial and
2 contrary to the overall intent to subpart (g) to
3 admit into evidence unqualified information and
4 models and data to provide added confidence on top of
5 adequate confidence. I think that muddies the issue
6 up completely and is highly prejudicial.

7 >> JUDGE MOORE: But your premise is that DOE's
8 statement from Appendix C noted in footnote 12 of
9 DOE's Brief and then again in their reply Brief of --
10 I guess it's the TSPA, Appendix C, is black and white
11 to be read literally that they used unqualified data
12 to support the PMA.

13 I believe -- and I'm sure Mr. Silverman will
14 correct me if I am wrong -- that he just explained to
15 us that that, although poorly worded, is not
16 meant -- was not meant literally, and that there were
17 elements of the Sandia (phonetic) work that were
18 unqualified or would be unqualified under DOE's QA
19 program. I do not believe Mr. Silverman said that
20 that statement was to be read literally and meant
21 that they did, in fact, use that material and that
22 would still remain as a factual question.

23 >> MR. MALSCH: I -- I think the -- this is the
24 TSPA model report is actually quite clear about this,
25 and let me read exactly what DOE said in its model

1 report. It said, "Table C-4-2 lists input parameters
2 that have been added to the TSPA-LA model for the
3 PMA, Performance Margins Analysis. The PMA contains
4 both qualified and unqualified data."

5 Then it goes on to say, "The data traceability
6 described in Section C-4-1 and C-4-2 providing
7 mapping from the PA-parameters to the data source."
8 So --

9 >> JUDGE WARDWELL: Well, regardless -- are you
10 still quoting, I'm sorry?

11 >> MR. MALSCH: Yes. This goes on in the final
12 section, Section C-5, I'll read that to you also.
13 "It is important to reiterate that while these
14 additional submodels and data" -- the ones we're
15 talking about here -- "were developed in accordance
16 with apple Quality Assurance Requirements. Now,
17 these must be other than DOE's Quality Assurance Plan
18 for direct inputs in the TSPA. In some cases, they
19 represent models with limited technical foundation,
20 verification and validation consistent with the
21 requirements of SY-PRO-O66 (phonetic) models." This
22 is the program relied upon for developing the data.
23 "PA models, submodels may use software that is
24 controlled but not qualified."

25 So what the DOE is telling you is that they, the

1 PMA was not qualified as a direct input to the TSPA
2 and what they mean by that, clearly is, it is only
3 qualified and it was only intended to be used for a
4 corroborative evidence purposes.

5 >> JUDGE WARDWELL: Whether or not DOE's data
6 models are qualified under DOE's QA program is a
7 factual discussion, not a legal one; isn't it?

8 I mean, all you're saying is, yeah, you've got a
9 position and they've got a position and let's sort it
10 out whether or not their data or models do match and
11 are in compliance with their QA program?

12 >> MR. MALSCH: Well, but there is only one
13 Quality Assurance Program. That's the one that's
14 associated with the license application. I believe
15 the DOE is telling us that the PMA uses data and
16 models, it does not qualify in accordance with that
17 program. Perhaps --

18 >> JUDGE WARDWELL: That isn't what I just heard
19 him say; but, regardless, that debate is a factual
20 issue.

21 >> MR. MALSCH: If there is a debate about that,
22 I would agree, it's a factual issue, that is correct.

23 >> JUDGE WARDWELL: Okay. Whether or not the
24 PMA can be used to validate or provide confidence in
25 the TSPA, if it's -- if it's data or models are not

1 qualified under DOE's Quality Assurance Program is
2 the legal question. And both parties agree that,
3 yes, it can't be, if it doesn't meet it.

4 >> MR. MALSCH: That is correct.

5 >> JUDGE WARDWELL: So it seems to me the legal
6 issue is resolved. What's remaining is the last half
7 of what you said under 171, your position is it
8 cannot lawfully be used for these purposes because it
9 relies on datas and models -- data and models that
10 are not qualified under the QA program. That's a
11 factual discussion.

12 >> MR. MALSCH: I think it is, but there is
13 another piece of the legal question that would need
14 to be addressed. And that is -- let's assume for
15 purposes of argument the resolution of the factual
16 question is that the PMA relies upon data and models
17 that are not, in fact, qualified under subpart (g).
18 The question then remains whether it may be offered
19 as corroborative evidence.

20 >> JUDGE WARDWELL: Where is that stated in
21 legal issue 11?

22 >> MR. MALSCH: The issue is in terms of whether
23 the team may be offered to provide -- to validate or
24 provide confidence, provide confidence can mean both
25 adequate confidence and extra confidence. I think

1 it's within the scope of the legal question. And
2 it's important to know that because then we would
3 know what uses could be made of the PMA in the event
4 it does turn out to be factually correct. That it
5 does use data and software that are not qualified
6 under subpart (g).

7 >> JUDGE MOORE: But if it can't be relied upon
8 for the TSPA, then we're all in agreement that
9 unqualified data cannot be. It's a factual matter
10 pure and simple, whether or not DOE crossed the line
11 or didn't cross the line and if in its review the
12 staff errs because the SCR will be out by the
13 time -- will be out by the time there is discovery
14 and go to hearing, that will all be known whether or
15 not the staff has complied with the regulations -- in
16 enforcing the regulations.

17 >> MR. MALSCH: Let me put it this way...if the
18 PMA, if it is agreed, that the PMA cannot be offered
19 to either provide adequate confidence or any
20 confidence at all in the TSPA, without it being fully
21 compliant and I agree, there is no other issue
22 remaining except a factual issue whether or not it is
23 fully compliant.

24 >> JUDGE MOORE: But I ask you what initially
25 that in the context of your supply Brief, you said it

1 should be struck from the application, why it needed
2 to be struck and I believe your answer was that that
3 was for perhaps an overstatement or something in that
4 regard, and you then explained that it, in effect,
5 that it did not have to be physically removed.
6 Doesn't that not contradict what are you now telling
7 me?

8 >> MR. MALSCH: No, I'm saying that in terms of
9 the ultimate DOE safety case, post-disposal safety
10 case, when it comes to establishing the post-disposal
11 safety case, if it is -- if it is agreed that a PMA
12 which uses unqualified software and models, cannot be
13 offered as any evidence of confidence or any support
14 at all for the TSPA, I agree, the only issue is
15 whether, in fact, the TSPA is compliant or not
16 compliant with subpart (g).

17 My only issue is, this whole question about
18 corroborative evidence. And I think it should be
19 made clear that we believe that the use of the PMA to
20 provide corroborative evidence, you know, added
21 confidence, extra confidence, would be highly
22 prejudicial and contrary to subpart (g).

23 >> JUDGE RYERSON: Okay. But one interpretation
24 of the question, the legal question that imposed was
25 would cover that, I mean, it says, it can, you know,

1 cannot be used to validate or provide confidence in
2 the TSPA. And your concern is that providing
3 confidence should be interpreted as also extending to
4 some other type of corroboration?

5 >> MR. MALSCH: Well, yeah, we were construing
6 confidence in a broad sense as support for any
7 support to the TSPA.

8 >> JUDGE RYERSON: That's a rational reading of
9 this -- of this issue, and there seems to be no
10 disagreement on the issue as a legal issue.

11 >> MR. MALSCH: Thank you.

12 >> JUDGE MOORE: Thank you.

13 >> MR. SILVERMAN: May I add a brief word, Your
14 Honor?

15 >> JUDGE MOORE: Whoa.

16 >> JUDGE MOORE: Perhaps not.

17 >> MR. SILVERMAN: I don't know my own strength.

18 One very quick comment, Mr. Malsch is, has
19 repeatedly said it was entirely prejudicial to admit
20 its evidence into this case. Data or information
21 that's not qualified pursuant to a QA program. I
22 don't believe that's the evidentiary standard at all.
23 If it was the evidentiary standard, I don't believe
24 the state of Nevada could beat it, because I don't
25 believe -- I suspect much of the information they

1 will submit in this case is not prepared pursuant to
2 the a qualified -- pursuant to a QA program, that
3 meets the requirements, I think that's completely
4 wrong.

5 >> MR. MALSCH: Your Honor, in fact, we do have
6 a compliant program data gathering analysis supplied
7 with this.

8 >> JUDGE MOORE: I think we've heard all we want
9 to hear on issue 11. I would like to thank all
10 counsel, parties for your Briefing and presentations.

11 Mr. Silverman, do you wish to be acknowledged?

12 >> MR. SILVERMAN: I do.

13 >> JUDGE MOORE: If it's for the last word, the
14 answer is no; if it's for another purpose --

15 >> MR. SILVERMAN: It's for another purpose,
16 it's to respond to something yesterday and to come
17 back to you and also to make one clarification on
18 something I made yesterday.

19 >> JUDGE MOORE: Go ahead.

20 >> MR. SILVERMAN: I would never seek to try to
21 get the last word in.

22 Two points I wanted to bring up, one was a
23 clarification and I -- frankly, I have not gone back
24 to look at the transcript to see exactly what I said,
25 but it's been called to my attention that in

1 connection with the Nevada 161, which is the absence
2 or failure of the drip shields, that the record might
3 not have been clear as it could have been on one
4 matter. And in the context of that discussion
5 yesterday, I wanted to point out that there was some
6 discussion of the igneous scenarios. And the record
7 might not have been clear with respect to that
8 discussion.

9 What I would like to make clear to DOE -- I'm
10 sorry, what I'd like to make clear to the Board is
11 that in DOE's analysis of the igneous scenarios, we
12 not only -- what I'll say took out or pursued away,
13 assumed the failure of the drip shields, all of the
14 drip shields, in the event of an igneous intrusion,
15 but we also simultaneously assumed away the waste
16 packages. In other words, assumed failure of all the
17 waste packages. And the results of that were
18 included in our ultimate dose estimate and they were
19 documented in the TSPA analysis report. I have to go
20 back and find exactly the place in the transcript
21 where that subject came. I must admit to you I don't
22 remember exactly what I said. Hopefully, that will
23 clarify matter if and when you go back and look at
24 that part of the transcript.

25 >> JUDGE RYERSON: Mr. Silverman, just to

1 clarify, those phenomenon are discounted in the TSPA
2 by virtue of the probability that they will occur;
3 is that correct?

4 >> MR. SILVERMAN: That is
5 effectually -- discounted, I'm not sure I used that
6 word. I understand what you are saying. >> JUDGE
7 RYERSON in other words, the effect of the overall
8 calculation is diminished by the likelihood that it
9 will, in fact, occur?

10 >> MR. SILVERMAN: Absolutely. Because the
11 legal standard is a mean dose based upon many many
12 scenarios, weighted by the probability of occurrence
13 of those scenarios. And that's set forth in the
14 regulations, so you are correct.

15 >> JUDGE RYERSON: So it's very different from
16 simply saying there are no drip shields there, there
17 are no drip shields modified by the likelihood there
18 will be an effect?

19 >> MR. SILVERMAN: I believe that's correct.

20 Then I would like to respond, do the best I can
21 to respond to Judge Wardwell's question, bear in
22 mind, you are talking to a political science major
23 here, so I can only go so far. But your question to
24 us on the same contention was: Why would DOE not
25 want to know if 99% of the protection of the REMI

1 (phonetic) is provided by one component or one
2 barrier. And I'd like to take a shot at that and
3 basically would like to point out to you that we
4 think we have quantitatively demonstrated the
5 relative importance of the individual barriers and we
6 did that in almost 200 pages of the SAR in Section
7 2.1.

8 The function of a barrier is to isolate waste.
9 That is, to reduce or prevent the movement of water
10 into the repository, into the waste, or the movement
11 of radionuclides to the system. Those the the
12 processes, excuse me, those are the purposes of the
13 barrier.

14 >> JUDGE WARDWELL: What barrier ever prevents
15 the movement of water?

16 >> MR. SILVERMAN: Completely prevents the
17 movement of water?

18 I suspect the technical people would tell me
19 that no barrier completely prevents it.

20 >> JUDGE WARDWELL: So really, those two words
21 should be just reduced rather than reduce or prevent?
22 You were reading off a phrase that said, we had
23 multi-- we got barriers and they reduce or prevent,
24 but, in fact, none of them prevent; is that correct?

25 >> MR. SILVERMAN: I suspect that's correct, so

1 I think it would be fair to say reduce.

2 >> JUDGE WARDWELL: Thank you.

3 >> MR. SILVERMAN: The movement again of water
4 or radionucleides. To remove the water and
5 radionucleides. So our barrier is confirmed -- it's
6 in those terms not in those of the contribution to
7 the actual ultimate dose. The analysis was to the
8 intended nor is it required to quantify the
9 performance of each of the individual barriers in
10 terms of the fraction of dose to the REMI (phonetic)
11 that that barrier contributes.

12 So we demonstrate the performance of each
13 individual barrier again in terms of its contribution
14 of the isolation of waste. Our view is that's all
15 that's required and that's sufficient to provide a
16 sound basis for assessing barrier capability and the
17 basis for that, the legal basis for that is reflected
18 in the regulations in Section 63.115 (c), which I
19 will very briefly read from and, again, those two
20 pages of Federal Registry Notice that I continue to
21 refer back to that we spentt so much time on
22 yesterday, but I'll refresh your memory 66 Federal
23 Reg 55758 and 59. I'm not going to re-read from
24 that. But I will read to you in 63.115 (c), 63.115
25 is requirements for multiple barriers.

1 "Demonstration of compliance with 63.113 (a),"

2 which is the multiple barrier requirement, "must (c)

3 provide, the technical basis for the description of

4 the capability of barriers identified as important to

5 waste isolation to isolate waste. The technical

6 basis" -- this is the key phrase.

7 "The technical basis for each barrier's

8 capability shall be based on and consistent with the

9 technical basis to the performance assessments used

10 to demonstrate compliance with 63.113 (b) and (c),"

11 which are the performance standards and the overall

12 barrier system.

13 In other words, what it's done to meet the

14 multiple barrier standard should be the same

15 performance assessment used to determine compliance

16 with the ultimate dose standards. I hope that that

17 is clear and helps.

18 >> JUDGE MOORE: Thank you.

19 >> MR. SILVERMAN: Thank you.

20 >> JUDGE MOORE: All right. Once again -- oh,

21 staff.

22 >> MS. SILVIA: The staff has a brief

23 housekeeping question. With depositions starting in

24 a few weeks, we were just wanted to check and make

25 sure that the comments from the parties regarding

1 DOE's statements for its LSN collection, if you had
2 any idea of when those would be due from the other
3 parties?

4 >> JUDGE MOORE: At this point I can't give you
5 a date, but if the material that Mr. Shebelskie is
6 going to provide the Board next Thursday, I would
7 imagine and it will have to be determined and we will
8 issue an Order the 1st of next week, that it will
9 be a reasonably short time for comment on anything
10 that DOE tells us.

11 >> MS. SILVIA: Thank you, Your Honor.

12 >> JUDGE MOORE: Mr. Malsch.

13 >> MR. MALSCH: I would just like to briefly
14 observe what you just heard from Mr. Silverman is a
15 re-argument of issue No. 8, dealing with defense in
16 depth. I don't think I need to respond in detail to
17 what he said other than to observe that we think the
18 record is clear from the argument yesterday.

19 >> JUDGE MOORE: I -- I believe it can be
20 characterized, as can all oral arguments, there are
21 three: The one you prepare to give, the one you
22 give, and the one you wish you gave; and I put this
23 into category 3.

24 >> MR. MALSCH: Thank you.

25 >> JUDGE MOORE: Again, I would like to thank

1 counsel and we will stand adjourned. The Board will
2 now wrestle with issues 1 through 11.

3 (Whereupon the proceedings were concluded)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25