

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 ATOMIC SAFETY AND LICENSING BOARD HEARING
4

5 In the Matter of
6 U.S. Department of Energy
7 High-Level Waste Repository
8 Docket No. 63-001-HLW
9 ASLBP No. 09-892-HLW-CAB04

10 January 26, 2010

11 9:00 a.m. PST

12 Before the Administrative Judges
13

14 CAB04

15 Judge Thomas Moore, Chairman

16 Judge Paul S. Ryerson

17 Judge Richard E. Wardwell
18
19
20
21
22
23
24
25

INTERIM DRAFT COPY

1 A P P E A R A N C E S

2 For the Nuclear Regulatory Commission Staff:

3 Margaret Bupp, Esq.

4 Adam Gendelman, Esq.

5 Andrea Silvia, Esq.

6 For the Nuclear Energy Institute:

7 David Repka, Esq.

8 Rodney J. McCullum, Esq.

9 For the Department of Energy:

10 Donald Silverman, Esq.

11 Ray Kuyler, Esq.

12 For the State of Nevada:

13 Martin Malsch, Esq.

14 John W. Lawrence, Esq.

15 Charles Fitzpatrick, Esq.

16

17

18

19

20

21

22

23

24

25

1 PROCEEDINGS

2 >> JUDGE MOORE: Good morning, ladies and
3 gentlemen. I'm Judge Thomas Moore. On my left is
4 Judge Richard Wardwell, and on my right is Judge Paul
5 Ryerson. Construction Authorization Board 04 is
6 hearing argument today on the 11 legal issues
7 identified in the Board's Order of October 23rd,
8 2009. The terms of the oral argument were set in our
9 earlier January Order of January 11th, and pursuant
10 to that Order, the issues will be heard sequentially,
11 starting with legal issue 1. Each side, as
12 identified in the Order, will have 20 minutes for
13 argument on each issue, beginning with the proponent
14 of the involved contention. Only one counsel for
15 each party will be allowed to argue with respect to
16 any one issue. Counsel arguing first may reserve a
17 brief time for rebuttal, but I would caution counsel
18 that rebuttal is just that, to be strictly confined
19 to responding to arguments advanced by opposing
20 counsel. The Board will keep an eye on the clock,
21 and on those issues in which the Board has numerous
22 questions, we will take that into account in
23 allocating your time. By the same token, counsel
24 certainly need not feel compelled to use all its
25 allotted time in the absence of Board's questions,

1 and in that regard, in that regard, the Board is
2 fully familiar with your written filings.

3 The argument this morning is being
4 recorded on the DDMS. It is also being web-streamed
5 for public viewing at the links published in our
6 January 11th Order as well as being broadcast on the
7 agency's broadband network.

8 We will begin this morning by having
9 counsel identify themselves for the record. Please
10 state your name, affiliation, and who you represent,
11 and we will start with DOE.

12 >> MR. SILVERMAN: This is Don Silverman.
13 I'm with Morgan, Lewis & Bockius, representing the
14 Department of Energy.

15 >> MR. KUYLER: Ray Kuyler, also with Morgan
16 Lewis, Department of Energy.

17 >> MR. MALSCH: Marty Malsch, representing
18 the State of Nevada.

19 >> MR. LAWRENCE: John Lawrence, State of
20 Nevada.

21 >> MR. FITZPATRICK: Charles Fitzpatrick,
22 State of Nevada.

23 >> MS. BUPP: Margaret Bupp, NRC staff.

24 >> MR. GENDELMAN: Adam Gendelman, NRC
25 staff.

1 >> MS. SILVIA: Andrea Silvia, NRC staff.

2 >> MR. REPKA: David Repka, representing the
3 Nuclear Energy Institute; and on my right is
4 Mr. Rodney McCullum, who's the Director of Fuel Cycle
5 Services for NEI.

6 >> JUDGE MOORE: Thank you. Although there
7 are only four parties arguing this morning, I'm sure
8 the court reporter would greatly appreciate it, as
9 well as those reviewing this on the webstream or the
10 broadcast, if counsel would identify themselves and
11 the party they represent before they start each
12 argument. At a convenient time this morning, the
13 Board will take a brief recess and then at
14 approximately noon or thereabouts, at a convenient
15 time, we'll take a 90-minute luncheon recess. We'll
16 then re-convene with at least one brief afternoon
17 recess and go until somewhere between 5:00 and 6:00,
18 or perhaps a little later, if we're within striking
19 distance of finishing all 11 issues. If not, we will
20 continue with the legal arguments tomorrow after the
21 case management conference, which will convene at
22 9:00 a.m.

23 If the parties have nothing for us, before
24 we start, then we will commence with legal issue 1,
25 and NEI, if you would approach the podium and begin.

1 >> MR. REPKA: Good morning. My name is
2 David Repka and I'm representing the Nuclear Energy
3 Institute. I would ask to reserve two minutes for
4 rebuttal. Legal Issue No. 1 relates to NEI's Safety
5 005. Contention NEI Safety 005 asserts that the DOE
6 plan for criticality control in the disposal packages
7 is unnecessarily conservative and will result in
8 disposal control rod assemblies being required to be
9 inserted into many waste disposal packages to meet
10 post-closure performance objectives. The result of
11 this conservative approach will be that workers at
12 Part 50 Reactor license sites, who will be required
13 to install those control rod assemblies, will receive
14 occupational doses that are unnecessary. Our
15 contention is that those occupational doses and the
16 design of the repository that would use these control
17 rod assemblies is contrary to the requirements that
18 DOE maintain doses, occupational doses As Low As
19 Reasonably Achievable or ALARA. DOE and the staff
20 both take the position that those consequences to
21 Part 50 Reactor licensees do not need to be
22 considered. Both the staff and the DOE are taking a
23 narrow, legalistic approach that will lead to a
24 result that's contrary to safety. Their approach
25 would lead to a situation where DOE, in the design of

1 the repository, has no accountability with respect to
2 the radiological dose that that design will cause.
3 Their position would result in only one narrow
4 offsite population not being protected by NRC ALARA
5 requirements, Part 50 Reactor workers. To be sure,
6 NEI supports the Yucca Mountain repository. NEI's
7 contention is simply that this one limited aspect of
8 the license application is unnecessary, contrary to
9 regulations and contrary to protection of public
10 health and safety. The waste --

11 >> JUDGE MOORE: Counsel, if Part 50, by
12 your statement, clearly covers reactor employees,
13 then why do you need duplicative coverage under Part
14 63?

15 And, second question is, where do you draw
16 the line between fuel handling and shipping or
17 transportation?

18 >> MR. REPKA: Okay. Trying to address your
19 first question first. I do not believe there is
20 duplicative coverage. The ALARA obligation that
21 extends to DOE is a design obligation, and relates to
22 the design of the facility and the related aspects of
23 the waste package preparation. Fuel handling is the
24 Part 50 Reactor licensees' responsibility, and as DOE
25 has made the argument that they don't control fuel

1 handling. And we believe that's a strong man
2 argument. We're not asking DOE to control fuel
3 handling. Reactor licensees are responsible for
4 maintaining doses ALARA with respect to inserting the
5 control rod assemblies and doing those things that
6 they can control. What Part 50 Reactor licensees
7 don't control is the design of the repository, the
8 design approach that would require the control rod
9 assemblies be inserted in the first place. And
10 that's the activity that is unnecessary. That's the
11 activity for which DOE has control and has
12 accountability and has responsibility under the ALARA
13 regulation that applies to both operation and design
14 of the facility. An example --

15 >> JUDGE MOORE: Can -- yeah, can I add a
16 hypothetical on this then?

17 If a plant was so designed, let's say it's
18 a new innovative plant that has been licensed but
19 has been so designed that it requires a different
20 type of fuel or, for instance, no cladding on the
21 fuel, hypothetically, so it's an action by this
22 plant that is requiring a fuel fabricator to do
23 something out of the ordinary, that, in fact, may
24 increase the exposures to the fuel manufacturers'
25 employees. Would your same argument apply to that

1 then?

2 >> MR. REPKA: I think in that situation,
3 there may be an obligation, with respect to DOE and
4 the design, to consider whether that control rod
5 assemblies are necessary for that facility. And if
6 the cladding design has some effect on the
7 criticality analysis so that it may be necessary to
8 insert the control rod assemblies, then the control
9 rod assemblies will be necessary. The point is they
10 have to consider the clad design, they have to
11 consider everything in the design process for the
12 repository. And if conservatism is leading them to a
13 result that is contrary to safety, they can address
14 that there. I think that's a situation that, that
15 would be a given, that DOE would have a
16 responsibility to at least consider.

17 An example that I would come up with is
18 one where suppose that DOE were dictating that the
19 waste needed to be packaged in egg cartons, paper
20 egg cartons, and said, you know, this is how it has
21 to be packaged at the site, it'll be put into a
22 transportation cannister, it'll be safe for
23 transport, but while it's at the site, go ahead and
24 put it in these egg cartons. Well, that's something
25 that they need to consider the ALARA implications of

1 that.

2 If it was the -- if the licensee was
3 designing the package, the licensee would control
4 that and would be forced in their process -- their
5 design process to consider the ALARA dose of
6 packaging in egg cartons. There is no reason that
7 DOE shouldn't have to consider that, too.

8 >> JUDGE MOORE: But if the NRC required
9 that, would they have to?

10 >> MR. REPKA: If the NRC required --

11 >> JUDGE MOORE: Does the regulator have
12 to consider ALARA?

13 >> MR. REPKA: I think that there is no
14 regulatory obligation, the same as would apply to the
15 licensee to consider ALARA, but I certainly would
16 think that the NRC and its rulemaking process would
17 consider all the implications of its requirements and
18 certainly would address any comments or concerns that
19 were raised regarding that in its rule.

20 >> JUDGE MOORE: Is there in Part 63 or in
21 the ALARA regulations in Part 20 a general
22 requirement that ALARA be considered in design?

23 >> MR. REPKA: I think that --

24 >> JUDGE MOORE: Because there is a
25 counterpart in Part 50.

1 >> MR. REPKA: Yes, and I think that 2011.01
2 (b) extends to the design.

3 >> JUDGE MOORE: But it doesn't explicitly
4 say design, does it?

5 >> MR. REPKA: It doesn't use the word
6 "design," but it does talk about to the extent
7 practical consider ALARA, with respect to the
8 activities of the licensees. If you then look at the
9 Yucca Mountain review plan, which is the staff
10 guidance document that DOE itself has relied upon,
11 there is, in fact, a criterion that DOE selectively
12 omitted that specifically says ALARA should be
13 considered in the design. So, this is fundamentally
14 a design issue. So --

15 >> JUDGE RYERSON: Counsel, Mr. Repka, the
16 ALARA considerations that you are talking about arise
17 out of Part 20, correct?

18 >> MR. REPKA: Correct.

19 >> JUDGE RYERSON: If Part 20 didn't apply,
20 what would be your position on Part 63 -- 63.11,
21 specifically? Would you see that as also creating an
22 ALARA obligation or totally Part 20?

23 >> MR. REPKA: I think 63 -- I think 63.111
24 is what ou are referring to, I think 63.111 is the
25 regulation they are relying on that's limited to the

1 activities, to the GROA itself. I think that's a
2 very limited reading of that regulation, and I can
3 certainly say that it was not meant to preclude
4 consideration of ALARA in design, but there is
5 certainly nothing in Part 63 specific like in part
6 2011.01 (b) that, I think, extends to the activities
7 that are at issue here.

8 >> JUDGE RYERSON: So, you are relying on
9 both sections?

10 >> MR. REPKA: I think we are relying on
11 both sections and we are also, I think, a thing we
12 are relying on here is just the general obligation to
13 protect public health and safety. And certainly in
14 NRC case law, I think it's well established with the
15 contention can plead non-compliance with the specific
16 regulation, but also can plead that there is a gap in
17 the regulations, where there's a safety issue. And
18 if nothing else, we believe that this aspect of
19 design element would leave out an important safety
20 consideration of an important radiological dose that
21 should be considered.

22 >> JUDGE WARDWELL: Back to your example of
23 the egg carton analogy. Doesn't that say, then, the
24 heart of your contention here has nothing to do with
25 conservatism or cost. The egg carton analogy would

1 be less conservative and less costly. So, in fact,
2 to what-degree does your contention rely on these
3 statements that you have throughout it relating to
4 cost and conservatism?

5 >> MR. REPKA: Yeah, and I think -- I was
6 going to address that with respect to the second
7 aspect of this issue. I think the contention has
8 been characterized as being one about cost. I don't
9 think it's one about cost at all. I think the
10 contention is about criticality and compliance with
11 the criticality requirements and the conservatism and
12 the implications of that are primarily dose
13 consequences. You know, in fact, this is a -- the
14 secondary thing is these, these control rod
15 assemblies will lead to increased costs, but they
16 will also lead to increased doses. So this isn't a
17 situation where we're arguing that increased doses
18 ought to be ignored, because in order to save money.
19 It's the opposite. It's compelling increased doses
20 at increased cost. But the costs are very much a
21 tertiary concern and an implication of what's going
22 on. The contention, again, is really about
23 criticality and it's about occupational dose that
24 will result.

25 >> JUDGE MOORE: Counsel, did this issue

1 arise only when DOE switched tracks a number of years
2 ago, two or three, and declared it was going to have
3 a clean GROA, if you will, and dispensed with the wet
4 transfer storage operation that was originally
5 planned?

6 >> MR. REPKA: That is quite likely. I do
7 not know the answer to that. In fact, I will consult
8 with my technical adviser and come back to that when
9 I come back for rebuttal.

10 >> JUDGE MOORE: Assume for a moment that
11 DOE had a transfer facility at Yucca Mountain, and
12 ignore your tad cannister arguments, would this issue
13 even be before us?

14 >> MR. REPKA: It would not, because
15 certainly DOE would have no objection to the
16 content -- objections they have raised would not
17 apply and that's the point we've made is that if you
18 took the logic of pushing activities offsite, you
19 could push all, you know, any number of repackaging
20 activities offsite.

21 >> JUDGE MOORE: This goes back to my first
22 question -- where is shipping and waste handling?
23 Where is that line drawn?

24 >> MR. REPKA: I think that's probably a
25 line drawn, you will know it when you see it, but I

1 think clearly here, we haven't crossed that line.
2 This is a design issue, because it's the design
3 that's requiring installing these devices that don't
4 need to be installed in the first place to meet
5 criticality. So clearly it's a design issue. If
6 there was something being done in the insertion of
7 these devices that could be done better or more
8 efficiently from a dose perspective, that might be a
9 fuel handling issue. But that's not what this
10 contention is about.

11 >> JUDGE WARDWELL: What is the net effect
12 of this contention if you were successful in it?
13 What would happen?

14 >> MR. REPKA: I think what would happen is
15 the control rod assembly inserts would not be
16 necessary and in not all cases, certainly in more
17 cases they wouldn't be necessary.

18 >> JUDGE WARDWELL: Is there a mandate on
19 the applicant to achieve the lowest degree of
20 exposure in ALARA, or to consider that in its
21 decisions?

22 >> MR. REPKA: It's to consider, it's as low
23 as reasonably achievable and it's clearly a balance,
24 which would be addressed as a factual matter, but,
25 again, here we are talking about we're not lowering

1 costs at the -- to gain we're not increasing doses to
2 lower costs. It's the opposite. We are actually
3 increasing costs and increasing doses. That kind of
4 ALARA calculation doesn't really work.

5 >> JUDGE WARDWELL: That's why you are
6 bringing up the conservatism and the cost issue in
7 here as the component that is part of the
8 decision-making process?

9 But on the other hand, the net effect of
10 this may be exactly the same design, could it not
11 be?

12 >> MR. REPKA: Well, I think what the net
13 effect of it will be, if you remove some of the
14 unnecessary conservatisms, there is an enrichment
15 versus burnup curve, that's in the application that
16 specifies when fuel is in an acceptable region versus
17 non-acceptable with respect to criticality, and if
18 you are in the non-acceptable, you need to insert
19 these control rod assemblies. That curve will move,
20 so the number of cases where you would actually have
21 to insert the control rod assemblies would change.
22 So, I think the first effect is the license and the
23 range of the enrichment burn-up curve would change.
24 Then the effect in the real world would be the
25 control rod assemblies --

1 >> JUDGE WARDWELL: Let me ask this, so that
2 you can conserve your time. Is there anything to
3 prevent DOE from looking at this and say, okay, you
4 have to look at ALARA for this and they look at it
5 and say, well, no. The conservatism that we've built
6 into this in regards to the long-term effects far
7 outweigh the short-term effects of the increased dose
8 exposures and the design doesn't change, is there
9 anything to prevent them from doing that?

10 >> MR. REPKA: The only thing that could
11 prevent them from doing that -- they could take that
12 position, if they could defend it, but that's what
13 this forum is about. This compliance with ALARA
14 requires a balancing and I think we would make the
15 argument and they would make the argument, and I
16 think we would show that that position is incorrect.

17 >> JUDGE WARDWELL: Thank you.

18 >> MR. REPKA: I apologize. I don't have a
19 watch, so I don't really -- I'm not sure where I am
20 on time.

21 >> JUDGE MOORE: I will let you know.

22 >> MR. REPKA: Okay. I think one of the
23 fundamental issues that DOE has raised here is a
24 definitional issue, and they've argued that under the
25 definitions in Part 20, that Part 50 Reactor workers

1 are not members of the public. I disagree with that.

2 I think that they are members of the
3 public, because they are offsite relative to the
4 repository. DOE relies on the definition of an
5 occupational dose in Part 20 for that conclusion.
6 But I could also look at the definition of member of
7 the public, which would exclude occupational doses.
8 So the whole definitional issue is one of, it's
9 misdirection. The two point in opposite directions.
10 It's clear to me that citing one definition without
11 citing the other doesn't work.

12 >> JUDGE RYERSON: Is that definition also
13 in Part 20, did you say? Where is that definition
14 that you just --

15 >> MR. REPKA: There is a definition of
16 member of the public in Part 20.1003, as well as
17 occupational dose. There is also a definition of
18 public dose, which refers to the fact that a public
19 dose may be one that is received by a member of the
20 public from exposure to radiation, or to radioactive
21 material released by a licensee or to any other
22 source of radiation under the control of a licensee.
23 So in this case, it points us in the direction of the
24 determinative issue being one of control. I think
25 that's something that the staff cited in their brief

1 under 20.1201, talks about control and the staff, and
2 DOE argued that these are doses that they don't
3 control. But, in fact, as we have been talking about
4 all morning, they are doses that they do, in fact
5 control, that DOE does control through the design
6 process. So I think that, one, the definition -- the
7 definitional issue, you know, Part 50 Reactor workers
8 are offsite. They are members of the public relative
9 to the repository. And, therefore, can't be excluded
10 on that basis, but even if you assume that these were
11 occupational doses, 2011.01 (b) clearly extends ALARA
12 to occupational doses and Part 50 Reactor workers
13 would be covered in that context. And public dose
14 definition points us in the direction of control.
15 And so again, we're not arguing that DOE needs to
16 control those things which it can't control, but we
17 are arguing that DOE needs to control the design
18 process and be accountable for the ALARA implications
19 in that process.

20 I think I want to just say a few other
21 words on the second aspect of this contention, just
22 reiterate what I said already in an answer to a
23 question from Dr. Wardwell, the issue relates to
24 whether or not cost needs to be considered. Again,
25 I don't think this contention is fundamentally about

1 cost. It's about occupational dose and in
2 compliance with the ALARA regulation and I think
3 that the costs, we've talked about costs, we've
4 talked about dose. When we talk about costs, we're
5 really mostly concerned about the cost in terms of
6 dose, and those are things that need to be
7 considered under ALARA. DOE has accountability in
8 that context, but beyond that, these are issues that
9 can be considered in addressing the licensing basis
10 of the plant relative to criticality control. The
11 Board may not -- if we assumed ALARA did not apply,
12 the Board may not be in a position to tell DOE, we
13 don't think you want to do that, maybe they could as
14 a matter of public health and safety under the Broad
15 authority to fill a gap in the regulations. But
16 let's just assume that, you know, the Board was
17 disinclined or felt it couldn't tell DOE, you know,
18 you can do whatever you want as long as it complies
19 with our existing regulations, you have no
20 accountability with respect to the costs or the
21 occupational exposures.

22 >> JUDGE RYERSON: Hasn't the Commission
23 resolved that aspect of this issue for us already?
24 The Commission's decision affirming most of the
25 contention and admissibility decisions says our

1 regulations set a minimum safe -- standard for
2 safety, not a maximum. And at least I read that as
3 possibly addressing the second question that you
4 posed. Do you see it still a live question in light
5 of what the Commission has said?

6 >> MR. REPKA: I think actually, I think the
7 Commission sent some mixed messages on that, but I
8 think it is a minimum. I think the Board in defining
9 whether or not, in fact, this complies with the
10 criticality requirements meets the minimum
11 criticality requirements is still -- if that's in
12 dispute by a party, I think the Board is still free
13 to say, yes, DOE, you comply with the criticality
14 measures, we think it goes beyond the minimum. That
15 regulatory margin will give the DOE some operational
16 flexibility in the future knowing the licensing basis
17 of the plant, knowing where the flexibility is to
18 eliminate unnecessary requirements, eliminate -- or
19 limit unnecessary specifications, I shouldn't say
20 requirements. So I think that -- I think that aspect
21 of this contention is still in play. I think beyond
22 that, the Commission talked a little bit about margin
23 in terms of the context of the contentions on drip
24 shields and said that conservative -- conservatism is
25 relevant there because it goes to the issue of

1 fundamental compliance, which also that context was
2 put into dispute by other parties. So I think,
3 again, I think, you know, I back up and say this
4 contention is really about, A, accountability for
5 real radiological doses and, B, it's about ALARA, and
6 C, it's about what's necessary for safety.

7 >> JUDGE MOORE: Counsel, can you give me an
8 example, across the entire spectrum of
9 NRC regulation, in which ALARA has not -- has not had
10 a geographical boundary?

11 >> MR. REPKA: I think that there's nothing
12 that's quite analogous to this situation. I think
13 that the parties, the staff, and DOE have raised the
14 concept of this would be like Part 50 licensees being
15 accountable for ALARA at fuel fabrication facilities.
16 That's not the case and I think that really is a
17 distinguishable situation because this is not a case
18 where the Part 50 licensee is dictating exactly how
19 to go about fabricating the fuel. So the -- I think
20 there is nothing that's directly analogous that I can
21 point to. However, I would say that if the Part 50
22 Reactor licensees were doing something like an egg
23 crate design that was -- that the fuel fabricators
24 felt was leading to unnecessary dose, that would be a
25 situation, you know, and I don't know that it's ever

1 happened, I don't know that it could happen, but I
2 think that that would be a situation where that ALARA
3 dose would be considered. I think what doesn't work
4 here is to argue that occupational doses are covered
5 by ALARA, doses to the members of the public are
6 covered by ALARA, but the only people in the United
7 States who aren't covered by ALARA are, in this
8 context, Part 50 Reactor workers with respect to the
9 design. So that's a conclusion that I think just
10 doesn't work as a matter of law or policy.

11 >> JUDGE RYERSON: Let me follow-up, if I
12 can, on Dr. Wardwell's hypothetical. Suppose DOE
13 demanded of a utility that the utility send nuclear
14 waste in egg cartons, what are the utility's options
15 at that point? Does the utility have the right not
16 to send its waste to the national repository? What
17 happens?

18 >> MR. REPKA: I think that it probably, and
19 I'm speculating here because I haven't looked at that
20 issue, but it would probably be a contract issue
21 under the standard contract for waste disposal, DOE
22 has its obligations to take the waste, the licensees
23 are going to be obligated to do certain things to
24 make that happen. So, you know, whether there is a
25 contractual remedy for licensees, I don't know, but

1 that would be the first place I'd look. I don't
2 think that there is -- I think in that context, Part
3 50 Reactor licensees would have very limited options
4 to say, we don't want to do what DOE says.

5 >> JUDGE RYERSON: Certainly, the utility
6 has more options with fuel fabricators than it would
7 have the repository.

8 >> MR. REPKA: Correct. Part 50 Reactor
9 licensees have every incentive in the world to move
10 the material from their sites and, therefore, to
11 expedite whatever DOE needs to make that happen.

12 >> JUDGE WARDWELL: Back to your definition
13 of member of the public, it confuses me a little bit.
14 As I read 21.003, it says a member of the public
15 means any individual except when that individual is
16 receiving an occupational dose.

17 >> MR. REPKA: Right.

18 >> JUDGE WARDWELL: How -- how do you allege
19 that the workers at a -- whatever else that is
20 packaging this material, or even in an active plant
21 that are packaging this material, not be receiving an
22 occupational dose?

23 >> MR. REPKA: Well, I think that's the
24 problem with the definitions. They both exclude each
25 other. And my point is that DOE are --

1 >> JUDGE WARDWELL: Both definitions, you
2 mean the definition of the members of the public and
3 occupational dose or --

4 >> MR. REPKA: Right, they exclude each
5 other. So I think, I would have to read those
6 regulations in concert and come to the conclusion
7 that an occupational dose is an occupational dose
8 that is on -- that you as a licensee is responsible
9 for. A dose to the member of the public is something
10 that you are responsible for. It's occurring off
11 your site. I don't think you can necessarily get
12 that out of the regulations, but the definition of
13 public dose points you to the issue of control. And
14 I think that's the only logical way to reconcile the
15 regulations is to say that it's, it's the doses which
16 you control are -- if it's on your site, it's an
17 occupational dose, if it occurs to members of the
18 public off your site, then it's a dose to the members
19 of the public.

20 >> JUDGE WARDWELL: Are you suggesting we
21 use common sense in interpreting these regulations?

22 >> MR. REPKA: That's -- I think common
23 sense or judicial prudence or something, legal
24 scholarship, one way or the other, but we can't have
25 a result where you have two definitions that are

1 encompassing and then we're carving out a third
2 category of unprotected workers.

3 >> JUDGE MOORE: Move on to your second
4 issue.

5 >> MR. REPKA: Okay, and I think the second
6 issue is the issue whether cost should be considered
7 or not. Again, I think the premise of the issue is
8 not, I disagree with the premise. I think the issue
9 is really about occupational dose and cost only
10 indirectly. I think occupational dose should be
11 considered in the ALARA context and I think
12 occupational dose also needs to be considered as part
13 of addressing compliance with criticality requirement
14 to say that this may be the minimum compliance with
15 respect to criticality, but that there is margin
16 there, and the Board is free to argue and conclude
17 based on the record that there is flexible to reduce
18 some of that conservatism to save dose going forward
19 in the future.

20 >> JUDGE MOORE: Thank you. DOE.

21 >> MR. SILVERMAN: Thank you, Your Honors.
22 Good morning. We plan to take ten minutes of the 20
23 minutes, with the staff taking ten minutes as well
24 for all the contentions we're sharing. I'm happy to
25 be here this morning. DOE's position on this

1 contention is, we think, very clear and is absolutely
2 consistent with not only the plain language of the
3 Part 63 regulations, but a clear history of the
4 implementation of the ALARA requirements. And that
5 is that we are not required to take into account
6 ALARA considerations arising out of activities at
7 nuclear power plant sites or at any other site. Part
8 63 makes it clear when it talks about --

9 >> JUDGE MOORE: Mr. Silverman, is the
10 standard contract by which DOE is agreeing to take
11 the fuel from utilities, nuclear power plant
12 utilities, have anything to do at all with the way in
13 which it is to be received?

14 >> MR. SILVERMAN: Help me out.

15 >> JUDGE MOORE: Does the standard contract
16 say that it will be delivered to DOE's door or DOE
17 will pick it up at the utility's door in X form?

18 >> MR. SILVERMAN: I am not certain exactly
19 what the standard contract says, but my understanding
20 is, if I'm answering your question, is that the
21 Department's responsibility to pick up the waste and
22 that the shipment of the waste from the reactors, and
23 I can verify this, it's my understanding from the
24 reactors to the repository is done by Department of
25 Energy or DOE contractors pursuant to DOE regulatory

1 requirements, which include occupational dose
2 requirements. They have regulations that govern
3 that. Does that answer your question?

4 >> JUDGE MOORE: Well, I was trying to see
5 whether there was an interplay between one set of
6 obligations and ALARA and the DOE design?

7 >> MR. SILVERMAN: Well, certainly one thing
8 that's clear to me is that the standard contract does
9 not modify the NRC regulatory requirements, the Part
10 20 requirements, Part 63, and the meaning and
11 interpretation of ALARA in anyway, and the scope and
12 breadth of its coverage. And in Part 63, as you
13 know, the ALARA issue comes up in the preclosure
14 context, it is not a post-closure issue. When you
15 look at subpart K., which are the preclosure
16 standards in Part 63, you see that they establish
17 exposure limits for the storage of waste by DOE at
18 the Yucca Mountain repository and on the Yucca
19 Mountain site. That's 63.201. The preclosure
20 standard in 63.204, which is also a part of subpart
21 K, sets a public dose standard for waste managed and
22 stored within the Yucca Mountain site, a public dose
23 standard. And Mr. Repka has indicated, and we
24 completely agree, that these are occupational doses
25 they're talking about at the reactor sites. And

1 those terms, in our view, are mutually exclusive.

2 >> JUDGE RYERSON: Mr. Silverman, suppose,
3 again, I basically ask you the question I asked
4 Mr. Repka, if a utility feels that DOE's
5 requirements, with respect to the waste, are such
6 that it's going to result in unnecessary exposure to
7 its own workers, what are utility's options? Does it
8 have a choice of any kind here?

9 >> MR. SILVERMAN: Yes, it does.

10 >> JUDGE RYERSON: Well, what is its choice?

11 >> MR. SILVERMAN: First of all, it's
12 important to understand, one of the very first things
13 Mr. Repka said was this would result -- DOE's
14 interpretation would result in a requirement that
15 control rods be placed in the spent fuel containers.
16 That is not necessarily the case. The SAR itself
17 requires "adequate reactivity controls." It does not
18 specify that there be control rods. I'm not a health
19 physics expert, but it's my understanding from
20 talking with our experts is that there are methods by
21 which the reactor could look, do additional analysis
22 to determine how to load those fuel cannisters, when
23 to load them, with what fuel, do additional analyses,
24 find alternatives as part of their own ALARA
25 obligations, and it is not a foregone conclusion that

1 they have to install these activity controls. We do
2 not mandate in the safety analysis report. But our
3 main point is that the regulations are clear, that
4 the ALARA obligation applies to the waste managed and
5 stored at the reactor site -- I'm sorry, at the
6 repository site. That encompasses the workers at the
7 repository site.

8 >> JUDGE WARDWELL: Mr. Silverman, if I
9 might, those regulations are entitled something to
10 the effect of activities at the GROA. And so
11 naturally the regulation itself is going to deal with
12 discussions of activities of the GROA. What I'm
13 interested in is where in those regulations does it
14 say that you do not, or that you are exempt from
15 addressing other exposures in your ALARA evaluation?

16 >> MR. SILVERMAN: 63.204, which sets the
17 preclosure standard, these are to be read together.
18 The ALARA obligation is very much a part of the dose
19 limits regulations, sets a public dose standard. But
20 that public dose standard is for waste managed and
21 stored at the site. So what we're looking at here is
22 the dose from the activities at the site and its
23 effect on people at the repository site and its
24 effect on people who are members of the public. What
25 we're talking about here is the mutually exclusive

1 situation where we have a reactor facility, workers
2 engaged getting an occupational dose from worker
3 activities at the reactor site and --

4 >> JUDGE WARDWELL: And we're talking about
5 that in context of a requirement that is being driven
6 by the high level waste facility at Yucca Mountain,
7 DOE's activities?

8 >> MR. SILVERMAN: Well, it is not a
9 requirement, as I specified before, to put in
10 reactivity control rods. The Department of Energy
11 made a judgment about how -- that there will be
12 adequate reactivity controls, but they haven't
13 required the installation of the control rods.

14 >> JUDGE WARDWELL: But you don't know
15 necessarily of any other mechanism that might do
16 that? I mean, that's a part of the evaluation?

17 >> MR. SILVERMAN: That would do what, sir?

18 >> JUDGE WARDWELL: Help me here in regards
19 to where in the regulations are you not exempt from
20 considering occupational doses caused by your actions
21 as part of your license, whether, you know, including
22 the words --

23 >> MR. SILVERMAN: We are exempt because of
24 occupational doses are limited to exposures resulting
25 from waste stored and managed at the repository site,

1 that's 63.204.

2 >> JUDGE WARDWELL: But that's because that
3 section is entitled that, isn't it? I mean, that's
4 why it only says it. In there it doesn't say, you do
5 not have to consider outside activities?

6 >> MR. SILVERMAN: No, it does not, no, it
7 does not, but maybe that leads to my second point --
8 Your Honor, to the best of my knowledge -- and I
9 think the staff may be able to speak to this as well,
10 I am, and I think the Board was hitting on this
11 earlier -- I am not aware of the ALARA requirements
12 for a particular licensee being applied to the
13 activities of another licensee. Sort of what I'll
14 call interfacility ALARA analyses. I think that that
15 is not the way the regulations have, to the best of
16 my knowledge, ever been applied. There is no gap
17 here in our view. We have our obligations, the
18 licensee has its own obligation with respect to the
19 activities it controls, its employees, operating at
20 its own facilities, the reactor facilities, under the
21 control of the license -- of the different licensee.
22 And if you carry this to the extreme, this position
23 of NEI, if you just take the whole fuel cycle, for
24 example, you would have a potentially enormous
25 cross-hatching of ALARA -- interfacility ALARA

1 analyses, which don't occur. For example, enrichment
2 facilities, there are some enrichment facilities that
3 enrich waste up to 5%. There are some that have
4 asked for authority to enrich waste up to 10%.
5 Presumably, exposure to that waste would produce a
6 higher dose. I don't believe the reactor facilities,
7 I don't believe the enrichment facilities are doing
8 an analysis or ever had to do an analysis to figure
9 out what the dose impact would be and whether that
10 was ALARA at the reactor site. The same thing with
11 the fuel fab facilities, the reactor may impose --
12 the customer may impose some particular requirement
13 specification for that fuel they want. But that fuel
14 fabrication facility that does have its own ALARA
15 requirements for its own activities, to the best of
16 my knowledge, doesn't look forward to analyze
17 activities outside its control and the impact of
18 those specifications on activities at the reactor
19 site. We just don't think this is ever the way the
20 ALARA requirements have been interpreted.

21 >> JUDGE WARDWELL: Where would you draw the
22 line, if you, for instance, hypothetically did
23 require, you being DOE, did require that the
24 individual plants ship it in egg cartons, would you
25 also say that you're not responsible for evaluating

1 the ALARA aspects of that?

2 >> MR. SILVERMAN: The shipment?

3 >> JUDGE WARDWELL: Let's say that DOE
4 requires a shipment to come in egg cartons, like was
5 hypothetically brought up earlier, do you believe
6 that your position still holds that DOE is not
7 responsible for considering their actions on -- just
8 because it happens to be their site?

9 >> MR. SILVERMAN: Obviously, we think, you
10 know, the hypothetical suggests something that
11 wouldn't happen, but I would say --

12 >> JUDGE WARDWELL: True, but where do you
13 draw the line then, if are you implying, and in fact
14 you would agree that logically have to look at ALARA?

15 >> MR. SILVERMAN: No, I would not. I would
16 not. I believe the ALARA regulations are clear and
17 have been applied historically for many, many years
18 to focus the analysis on the activities and the
19 effect of the activities of a particular licensee on
20 its workers and on members of the public, and that
21 any result of that would necessitate an ALARA review
22 by another licensee, such as a reactor facility with
23 respect to its own activities. And I do not believe
24 we will find, once again, maybe there is an example
25 out there, I'm not aware of it, where that is the way

1 the ALARA regulations have been applied. NEI has not
2 cited any real regulation that supports their
3 position.

4 >> JUDGE WARDWELL: Isn't the effectiveness
5 of looking at historical precedence somewhat
6 diminished by the fact that we are dealing with a
7 site-specific regulation here, though?

8 >> MR. SILVERMAN: I don't think so. The
9 site-specific regulation points us to comply with
10 Part 20. You don't get terribly far until you look
11 at Part 20. We're applying the ALARA concept which
12 is a Part 20 analysis.

13 >> JUDGE MOORE: Mr. Silverman, you have
14 raised a matter that goes to the foundation of this
15 contention. The contention states that, the latter
16 part of it, the conservatims will unnecessarily lead
17 to the expectations that disposal control rod
18 assemblies be inserted in some fuel assemblies at
19 nuclear power plants prior to shipment to disposal.
20 Now you have, as a matter of fact, said there is no
21 such requirement.

22 >> MR. SILVERMAN: That's correct.

23 >> JUDGE MOORE: Before we can ever get to
24 this legal issue, would that factual issue not have
25 to be decided?

1 >> MR. SILVERMAN: Your Honor, if there is
2 any question about the factual issue, I can get you
3 the citation to the SARS section that says thou shalt
4 have activity controls and it does not specify the
5 need for the control rod assemblies as necessary and
6 the only means of meeting that regulatory criterion
7 that we've established in our SAR, and you can take
8 official notice of that. I don't think we need a
9 full hearing on that or adjudication on that issue.

10 Should I move on to the second point or do
11 have you further questions?

12 >> JUDGE MOORE: Is there any significance
13 to the fact that 20 -- Section 20.110 (b) applies
14 only to licensees, but not applicants while the
15 definition in section 20.1002 applies to persons?

16 >> MR. SILVERMAN: Can you refresh my
17 memory?

18 >> JUDGE MOORE: License to receive and
19 possess.

20 >> MR. SILVERMAN: 2011.01 (d), I don't have
21 that in front of me, Your Honor, that was the title
22 to that regulation. I'm sorry.

23 >> JUDGE MOORE: It is 111.01, did you say?

24 >> MR. SILVERMAN: 11.01 (d).

25 >> JUDGE RYERSON: 11.01. 11.01 is

1 radiation protection programs and (b) is just a
2 paragraph the licensee shall use to the extent
3 practical procedures and engineering controls based
4 upon sound, radiation, protection principles, yada,
5 yada, yada. An order that, doses to member of the
6 public that are as low as reasonably achievable?

7 >> JUDGE MOORE: I was just wondering one,
8 the definition -- I'm sorry, 20.111 -- 20.1101 (b)
9 uses specifically the word licensee.

10 >> MR. SILVERMAN: I probably have to look
11 at the whole reg., but I don't think the
12 distinction -- there's a distinction their that
13 affects our argument. Can I touch briefly on the
14 second sub-issue, is that what you'd like me to do?

15 >> JUDGE MOORE: Yes. Please proceed.

16 >> MR. SILVERMAN: Thanks. And I'll be very
17 brief. Our position is -- first, let me say that
18 counsel for NEI has stated that the contention is not
19 about cost. I think if you read the contention it
20 is, at least in part, about cost, but the critical
21 issue here is that we have a legal issue that we've
22 all agreed to decide here today and that is, it does
23 relate directly to costs And that's whether we, as
24 the Department of Energy, have an obligation to meet
25 the regulatory requirements, but to do so without

1 unnecessary expenditure of resources. Our position
2 is we absolutely do not have that obligation, that
3 the Atomic Energy Act does not provide any
4 requirement except to meet the requirements of the
5 safety requirements at any cost that's necessary.
6 The Part 63 says nothing at all about the need to
7 reduce expenditures in meeting regulatory
8 requirements. NEI relies on the Nuclear Waste Policy
9 Act for their position, Section 121 in particular,
10 that is the section that directs the EPA to
11 promulgate environmental standards for offsite
12 releases and directs NRC to adopt implementary
13 regulations. It is silent on the question of
14 economics and the cost of compliance. We agree that
15 the NWPA has the general policy, among others, of
16 facilitating the development of the repository, but
17 there is no directive for the Nuclear Regulatory
18 Commission to factor into its licensing process
19 economic and budget considerations. That is the
20 decision of the Department of Energy. We don't think
21 NEI pointed to any statutory or regulatory authority
22 to support that position.

23 >> JUDGE MOORE: Where does the
24 consideration of economic costs and the definition of
25 ALARA apply?

1 >> MR. SILVERMAN: It comes in -- once you
2 have the obligation to consider whether an activity
3 is as low as reasonably achievable, then you do
4 consider economic as well as other considerations.
5 But until you have that analysis -- that obligation,
6 we believe strongly, we do not have that obligation
7 with respect to occupational doses at reactor
8 facilities, for activities which we do not control,
9 then you don't get into issues of costs. And when it
10 becomes an issue of cost, it would be an issue for
11 the reactor licensee. And, again, our bottom line is
12 this is the way we believe regulations have been
13 interpreted as far back as we can remember.

14 >> JUDGE RYERSON: You're not arguing
15 though, Mr. Silverman, that the Commission has
16 basically decided the second half of this question,
17 in the June 30 decision?

18 >> MR. SILVERMAN: In the June 30 decision,
19 I think that they've come pretty close to that.
20 That's -- that would be the decision on the appeal of
21 the admissibility issues. And I probably can't pull
22 out every quote, but on page -- bear with me one
23 second -- .

24 >> JUDGE RYERSON: I think 25 is where they
25 say our regulations set a minimum standard for

1 safety, not a maximum. I was wondering whether you
2 viewed that as deciding this issue for us or not?

3 >> MR. SILVERMAN: I think that that partly
4 -- that is dispositive, as well as the statement on
5 page 26, where the Commission says, we reiterate that
6 in and of -- this is in a footnote on page 26,
7 reiterate that in and of itself the assertion of
8 DOE's analysis is overly conservative does not rise
9 to a level of admissible contention because
10 "overconservatism is not an issue material to a
11 finding the NRC must make in this proceeding."

12 >> JUDGE MOORE: Thank you. Staff.

13 >> MS. SILVIA: Good morning. This is
14 Andrea Silvia for the NRC staff. With respect to the
15 first sub-issue. DOE is not required to address
16 ALARA considerations at reactor sites remote from the
17 GROA. Part 63 deals with operations at the GROA and
18 radiation and radioactive material that emanates from
19 the GROA. Nothing requires or indicates that its
20 scope includes workers at remote nuclear reactor
21 sites. Furthermore, Part 20 does not direct
22 licensees to analyze how their activities affect
23 other licensees. Part 20 is concerned with licensees
24 reducing occupational exposures to their own workers
25 and limiting doses to the public. NEI cites three

1 regulations in Part 20 to support its argument.
2 20.1002, 20.1003, and 20.1101.

3 >> JUDGE RYERSON: Ms. Silvia, what is your
4 response, though, to the contention that this is a
5 unique situation? This is a situation where the
6 utility has, I think, very limited, if any, options
7 in terms of whether it will send the waste to the
8 repository if it's constructed? Does that -- does
9 that bear at all upon your view that, well, it's
10 unusual for one licensee to have to consider
11 something that another licensee has some degree of
12 control over if the second licensee loses control by
13 reason of judgments made by the first license?

14 >> MS. SILVIA: I don't think it's all that
15 different than the situation with low level waste
16 disposal facilities, and in those cases low level
17 waste disposal facilities do impose additional
18 requirements beyond regulatory requirements for how
19 they will accept fuel, excuse me, how they will
20 accept low level waste into their facility and as far
21 as what we're aware, the low level waste facilities
22 do not analyze ALARA considerations of their design
23 impacts at nuclear reactor facilities.

24 >> JUDGE MOORE: And the NRC does not
25 require them to?

1 >> MS. SILVIA: Correct.

2 >> JUDGE WARDWELL: Could you point to
3 anywhere in the regulations where DOE is exempt from
4 considering any increased radiological exposures
5 outside of the GROA?

6 >> MS. SILVIA: I don't think the
7 regulations specifically say that I think it's more
8 in the way of looking at Part 20 as a whole and Part
9 63 and that there is nothing indicates the intent to
10 extend the ALARA considerations beyond the GROA with
11 respect to occupational doses received by other
12 licensees. For instance if you look at the radiation
13 protection program requirements in Part 20,
14 everything in that indicates that it was meant to
15 apply to licensees own workers, and in terms of how
16 they monitor the doses, in terms of the actions that
17 a licensee could take too actually reduce the doses.
18 A lot of the reporting requirements, for instance,
19 would be impossible for DOE to do with respect to
20 workers at Part 50 facilities.

21 >> JUDGE WARDWELL: Do you see anything
22 faulty in NEI's position, as I understand it, in
23 regards to sorting out the definitions of members of
24 the public versus the occupational dose standard
25 versus the public dose standard, in the fact that one

1 contradicts to a certain degree the others and -- but
2 when taken as a whole and considering what would be a
3 logical outcome that, in fact, leads you to believe
4 that increased doses to other persons outside of the
5 GROA still falls within the realm of the requirements
6 that DOE must meet?

7 >> MS. SILVIA: I think NEI's asserting that
8 there is a regulatory gap, and I don't think there is
9 with respect --

10 >> JUDGE WARDWELL: You don't see anything
11 contradictory in those three definitions, members of
12 the public, the occupational dose, and a public dose
13 when you try to sort this out?

14 >> MS. SILVIA: I think the workers at Part
15 50 Reactor facilities would be covered under the
16 licensees of the Part 50 facilities --

17 >> JUDGE WARDWELL: But there are other
18 high-level waste besides reactor facilities, I mean,
19 there is FSE sitting out there on green grass right
20 now that are going to have to make it to Yucca
21 Mountain in some fashion.

22 >> MS. SILVIA: And workers at these FSE
23 sites would be covered by the ALARA programs of their
24 licensees as well, and I think as counsel for DOE
25 pointed out, there are other actions besides

1 insertion of control rods to eliminate excessive
2 doses, so it's something that's not entirely --

3 >> JUDGE MOORE: And what are those? Could
4 you give us examples of the plethora of those that
5 might be available?

6 >> MS. SILVIA: I think, not being a
7 health-physics expert, I'm not entirely sure of the
8 realm. I think probably the how the geometry of the
9 control rods are put -- or not the control rods, of
10 the fuel is inserted into the package would probably
11 have an effect, how long fuel is aged before it is
12 packaged for transport. So there's things that can
13 be done within Part 50 or licensees on ALARA programs
14 to reduce the doses to workers, and the other thing
15 to mention, I think NEI is seeking to apply the ALARA
16 principles to a design parameter that's important to
17 postclosure performance because the insertion of the
18 control rods, if it is done, would be done for the
19 purpose of preventing criticality during the
20 post-closure control period and ALARA considerations
21 do not apply to post-closure activities, so DOE, if
22 the insertion of the control rods is done for
23 preventing post-closure criticality, then ALARA
24 considerations do not apply because that would
25 necessarily entail some balancing of the safety to

1 future generations with the present day costs of
2 occupational exposures to workers, which is something
3 I think the Commission explicitly said they were not
4 going to consider -- they were not going to require
5 consideration of.

6 >> JUDGE RYERSON: But if the exposures that
7 NEI claims to be concerned about are all preclosure,
8 I mean, they would be exposures at utilities, I mean,
9 this is not a question of whether the adequacy of the
10 post-closure standards that would apply to the
11 general public.

12 >> MS. SILVIA: Right, but I think NEI is
13 claiming that the post-closure standards could still
14 be met even if control rods were not inserted.
15 However, one -- there has been no showing that the
16 post-closure standards could be met, but even if it
17 could, it's within DOE's--it's DOE's proposal that
18 the NRC is evaluating, and if part of their safety
19 case is a certain element of conservatism, then there
20 is nothing that prevents -- there is nothing
21 from -- excuse me, there is nothing to prevent the
22 DOE from using a margin of safety in an element of
23 their design. And so I think it -- you necessarily
24 have to get into the post-closure element of the
25 design because the control rods are -- if they are

1 inserted, it will be to prevent post-closure
2 criticality.

3 >> JUDGE RYERSON: In other words, you're
4 saying to make the evaluation that would be necessary
5 to consider the present exposure at a utility or the
6 nearly present exposure, you would have to get into
7 issues that the Commission has enclosed, which is the
8 importance of maintaining the post-closure levels and
9 that's already said, that's governed by a regulation,
10 that's not something that could be waived, is that
11 essentially your argument?

12 >> MS. SILVIA: Yes.

13 >> JUDGE MOORE: Counsel, section 20.1002,
14 entitled scope, is the general provision that applies
15 Part 20 to Part 63, and hence incorporates ALARA.
16 If, with that in place, isn't 63.111 (a) (1) totally
17 and completely redundant and unnecessary, unless we
18 have a case of the specific defining the more
19 general? And aren't -- must not the regulations be
20 read that way? If Part 63 applies -- oh, I'm sorry.
21 If Part 20 applies across the board, as it's been
22 suggested, then why do you need 63.111 (a) (1) that
23 specifically applies it to the GROA.

24 >> MS. SILVIA: I don't think you need the
25 63.111. I think, in this case, they are redundant.

1 In addition to the plain language of Part 20, the
2 regulatory guide 8.10 describes the general operating
3 philosophy acceptable to the NRC staff as a necessary
4 basis for a program of maintaining occupational
5 exposures to radiation as low as reasonably
6 achievable. The reg guide 8.10 states that any
7 program for keeping exposures ALARA requires two
8 things. One, a management commitment to ALARA and,
9 two, radiation protection personnel who remain
10 vigilant. The discussion in this reg guide clearly
11 indicates that the radiation protection program
12 applies only to the licensee's facility, as discussed
13 earlier. The Part 20 also contains and controls
14 reporting requirements that require knowledge of
15 information only the licensee would have about its
16 own employees. This indicates that the licensees
17 would only be required to apply the ALARA principles
18 to their own facility. Furthermore, ALARA embodies
19 the principles of reasonableness and practicality.
20 It's reasonable and practicable for the licensees to
21 consider and be responsible for ALARA considerations
22 at their own facilities, not facilities of other NRC
23 licensees have their own ALARA programs to implement.
24 >> JUDGE WARDWELL: Just for completeness, I
25 assume your statement in regards to the question I

1 asked that you don't know of any specific regulation
2 that exempts it, likewise that reg guide doesn't
3 exempt them detract them from looking beyond the
4 GROA.

5 >> MS. SILVIA: Correct, yes, Your Honor.
6 If there is no further questions on this first issue,
7 I'll go on to the second issue.

8 >> JUDGE MOORE: Thank you. Move on.

9 >> MS. SILVIA: DOE does not need to
10 demonstrate that it meets safety and environmental
11 standards without any alleged unnecessary expenditure
12 of resources. With respect to financial costs and
13 it's ruling on the admissibility of contentions, the
14 Commission has already stated that cost and delay are
15 not material to this proceeding. Similarly, the
16 Commission agreed with the staff that with respect to
17 NEI safety 4, that NEI cited no legal requirement
18 that before the staff can make the safety findings
19 associated with the seismic review of the
20 applications, the staff must first find that the
21 design is not too conservative, that the associated
22 costs are not excessive. The Commission also stated,
23 as Judge Ryerson pointed out, that our regulations
24 set a minimum standard for safety, not a maximum.
25 Therefore, asserting only that a design is too costly

1 or too conservative is not enough to bring it within
2 the Commission's purview.

3 >> JUDGE RYERSON: Ms. Silvia, your
4 position, or the Staff's position, then is that the
5 second half of this issue is foreclosed, has been
6 decide by the Commission; is that correct?

7 >> MS. SILVIA: I think the Commission
8 clearly stated if the issue was only
9 accepted -- excessive.

10 >> JUDGE RYERSON: Costs unrelated to ALARA?

11 >> MS. SILVIA: Yes.

12 >> JUDGE RYERSON: Your view is that the
13 Commission decided that we don't have to.

14 >> MS. SILVIA: Right, I think the
15 Commission has already ruled on that, yes. With
16 respect to environmental costs, NEPA does not require
17 a party to accomplish its purpose without any
18 unnecessary expenditure of resources and with respect
19 to dose costs under ALARA, there is nothing cited in
20 the case, there is nothing in the case cited by NEI,
21 nor in any case has the staff found that indicates
22 the Commission will direct a license applicant to
23 reduce the safety margin in order to avoid
24 unnecessary expenditures. The NRC staff ALARA
25 guidance states that a cost benefit analysis may be

1 helpful in arriving at the judgment, ie. the ALARA
2 decision, but it should not be the decisive factor in
3 all cases and that's from Reg Guide 8.8. If an
4 element of DOE's design is needed to provide adequate
5 protection of public health and safety, ALARA
6 considerations would not override that design
7 feature. To the extent that a design feature is
8 needed to satisfy the post-closure dose standard,
9 ALARA would not apply. The ALARA principal deals
10 with optimizing the reduction of potential doses from
11 radiation to members of the general public and
12 workers. It does not require consideration of
13 whether a specific expense is unnecessary. Although,
14 ALARA considerations involve weighing costs and
15 benefits of achieving further reductions that lower
16 regulatory limits, they should not be used as a
17 vehicle to second guess every aspect of a license
18 proposal. Thank you, Your Honor.

19 >> JUDGE MOORE: Thank you, Counsel. NEI,
20 take two minutes for rebuttal.

21 >> MR. REPKA: Thank you, Judge Moore.
22 David Repka for NEI. Just a couple of points.
23 First, Judge Moore, to respond to your question, you
24 asked about what caused this situation with the
25 packaging at the waste sites, it was a result of the

1 change in DOE to go through the transportation aging
2 and disposal of cannisters and do the repackaging
3 offsite. What -- if the repackaging was being done
4 offsite, I wouldn't concede, however, that we
5 wouldn't necessarily be concerned. NEI does have
6 union members who are engaged in activities at the
7 sites, and we may still be concerned with the ALARA
8 design issue.

9 >> JUDGE MOORE: In that regard, it goes
10 back to my very first question, where is the line
11 between waste handling and transportation, because
12 that seems to me to be overriding all of this.

13 >> MR. REPKA: I think -- again, the line
14 we've clearly crossed it where we're dictating that
15 certain activities be done in furtherance of the DOE
16 project and in furtherance of the DOE license
17 application. With respect to both DOE and the staff
18 said that there were other options available
19 to -- for reactivity controls, none were specifically
20 mentioned. I do believe that that's ultimately a
21 factual issue that would go into an ALARA
22 consideration, would be a matter for the merits. But
23 beyond that, we are not aware of any specific
24 reactivity control measures that would -- could be
25 accomplished without dose consequences. Staff

1 mentioned aging. We looked at the specification in
2 the license application and it's an enrichment versus
3 burnup curve. Aging is not a factor in that curve.

4 But again, those are fundamentally factual
5 issues, and our point is any reactivity control is
6 not necessary. So any dose would not be necessary.
7 Staff says that we're looking again to somehow
8 compromise the post-closure criticality objective.
9 We're not doing that, we are not asking that that
10 post-closure standard be change, reduced,
11 overwritten; we're simply saying that it can be met
12 and will be met consistent with ALARA. Finally, DOE
13 again says this is not something that they control.
14 Fundamentally, I disagree with that. This is a
15 design issue that they do control.

16 And then one last point I'll make is DOE
17 made the example about applying ALARA to other
18 activities and other licensees and talked about the
19 fuel fab facility applying for a bigger, a greater
20 enrichment value for their fuel. Well, ultimately,
21 that's a very distinguishable circumstance because
22 there is all sorts of commercial responsiveness
23 requirements and the reactor licensees would be the
24 ones that would ultimately decide what enrichment
25 fuel they would be using in their facilities and

1 believe me, they would consider the ALARA
2 implications if they were going to go to a high
3 enrichment fuel. It's not to say they wouldn't do
4 it, but they certainly would consider the ALARA
5 implications.

6 >> JUDGE MOORE: The reason for my question
7 on where the line is drawn between fuel handling and
8 transportation, you repeatedly in your brief and
9 reply brief say that DOE could move more and more
10 things offsite to contractors. You give no examples.
11 What could they possibly do that doesn't run afoul of
12 the definition of waste handling and disposal in Part
13 63?

14 >> MR. REPKA: I think it's -- the best
15 example of what they could do, again, is push more
16 activity packaging activities offsite. Again, that's
17 certainly related and part of the transportation
18 issue. It's preparing the cannisters for
19 transportation and disposal or what the case may be.
20 Again, it's something being done using reactor
21 licensees as an agent for the transportation and
22 disposal process that is ultimately their
23 responsibility. But instead of requiring that only
24 some cannisters be repackaged, they could require
25 that all cannisters be repackaged, and they should

1 all be done offsite. Or conversely, they could
2 decide that all repackaging be done onsite. That's
3 precisely what they haven't decided to do. So there
4 is a range of things that they could require to push
5 activities offsite if they didn't have to consider
6 the ALARA implications.

7 >> JUDGE MOORE: Thank you, Counsel. Let's
8 move on to issue two. State of Nevada.

9 >> MR. MALSCH: Good morning, Your Honors.
10 I'm Marty Malsch for the State of Nevada. Issue 2
11 relates to the treatment of climate change in the
12 10,000 year total systems performance assessment.
13 Specifically, climate changes as they may be affected
14 by anthropogenic greenhouse gas emissions. And the
15 issue is whether Part 63 gives you the right in
16 projecting the effects of anthropogenic greenhouse
17 gas emissions to rely exclusively upon the historic
18 geologic record ignoring all other evidence. DOE
19 says yes, we say no; I'm not clear exactly what
20 staff's position is. In any event, we believe DOE is
21 wrong. DOE's position runs into a very serious
22 problem right at the outset, because the applicable
23 regulation, which is in 63.305 (c), simply provides
24 that DOE must vary factors relating to climate based
25 upon cautious but reasonable assumptions. There is

1 nothing in here at all about use or reliance upon
2 historic geologic record. But to make things even
3 worse, the rule-making record indicates that the
4 Commission, in its original 1999 to 2001 Part 63
5 rule-making, considered the argument and specifically
6 rejected it. In its notice of proposed rule-making,
7 it offered up a proposed 63.115 (c) (3). And that
8 would have provided that, "climate evolution shall be
9 consistent with the geologic record of natural
10 climate change in the regions surrounding the Yucca
11 Mountain site." That was in the proposed Part 63
12 rule. It was specifically dropped from the final
13 rule in favor of the language we currently see in
14 63.305 (c), which makes no specific reference
15 whatsoever to the historic geologic record. So we
16 see right off the bat, they will encounter some fatal
17 problems, both in terms of the language of the
18 regulation and the rule-making history behind Part
19 63.

20 >> JUDGE WARDWELL: Is there any place you
21 can point to, Mr. Malsch, in the regulations that
22 says DOE is required to look at anthropogenic climate
23 change impacts.

24 >> MR. MALSCH: I think no. I think the
25 regulation is silent. It just talks about projecting

1 climate changes based upon cautious but reasonable
2 changes.

3 >> JUDGE WARDWELL: Don't we just sugar down
4 to a merits issue then on whether or not using the
5 historic geological record is sufficient enough to
6 meet this reasonability standard associated with 305
7 (c)?

8 >> MR. MALSCH: I think that is exactly
9 correct.

10 >> JUDGE WARDWELL: So, in fact, we could
11 decide against your position here that there is
12 nothing in there that requires them to look at it,
13 but still move forward on the factual issues and you
14 would be satisfied, would you not? I mean, no
15 difference occurs, does it?

16 >> MR. MALSCH: Well -- yes, we have
17 contentions in effect that say DOE has not properly
18 evaluated climate change because it has not taken
19 into account properly anthropogenic greenhouse gas
20 emissions. As long as we are given the leeway to
21 offer that evidence and make our case, and as long as
22 those contentions remain admissible, we're satisfied.

23 >> JUDGE WARDWELL: But this legal issue
24 that we're trying to decide now says that, if I
25 understand it correctly, that there is a requirement

1 for them to look at the anthropogenic effects? And
2 I'm asking you, where is that requirement
3 specifically stated?

4 >> MR. MALSCH: Right. I think that's an
5 overstatement, I don't think we would say on the face
6 of the regulation a requirement to consider
7 anthropogenic greenhouse gas emissions. As we have
8 looked at the issue, we thought the issue was whether
9 DOE in it's evaluation, in attempting to project the
10 effect of anthropogenic greenhouse gas emissions had
11 the right to rely exclusively upon historic geologic
12 record. And I think their position in the brief is
13 yes, they do and if they do so, it is legally
14 sufficient, per se, rendering inadmissible Nevada's
15 climate change contentions.

16 >> JUDGE WARDWELL: But didn't you agree to
17 a wording of this legal issue and as I read that
18 legal issue, that's kind of what it says to me, but
19 correct me if I'm wrong.

20 >> MR. MALSCH: No, it's a little -- as I
21 look back on it, the wording is a little strange,
22 because it poses an alternative. It says, does the
23 regulation require DOE to project future levels of
24 anthropogenic greenhouse gas emissions and evaluate
25 the impact of these. Or whether it is sufficient.

1 It's the 'or whether' part, that's a slight mismatch
2 there I think in the way the issue was framed.

3 >> JUDGE WARDWELL: As I read, that it just
4 meant that you would -- this was a specific analysis
5 approach they could use and it is sufficient to do
6 that on a legal basis, not on a factual basis.

7 >> MR. MALSCH: That's the way I read DOE's
8 brief, they seem to be saying they had a right to
9 approach anthropogenic greenhouse gases.

10 >> JUDGE WARDWELL: Your position is it not
11 as I heard you, I think, is it not true that they
12 are -- they have the ability to do that, there is
13 nothing to prevent them from doing that legally?

14 >> MR. MALSCH: That's correct. They may
15 try. Whether or not at that time try is successful
16 really goes to the merits of the case.

17 >> JUDGE RYERSON: So, Mr. Malsch, just to
18 clarify, your position then is that DOE's analysis
19 based on the historic geologic record is neither
20 required nor per se specific. It simply comes down
21 to whether it's an adequate cautious but reasonable
22 assumption of change?

23 >> MR. MALSCH: That's exactly correct. And
24 I think whether DOE's approach, or for that matter,
25 our approach, represents the use of cautious but

1 reasonable assumptions presents a factual issue for
2 resolution at trial. Just to go through quickly,
3 some of DOE's arguments. Since the Commission
4 specifically considered DOE's arguments and rejected
5 it, they really don't have much to go for based on
6 the rulemaking record. There is indications in the
7 rule-making record that the Commission believed that
8 historic geological records would provide a solid
9 basis for projecting climate changes, but that
10 doesn't mean it's the only basis for projecting
11 climate changes. It's also true that the Commission
12 said that the Paleo climate record was a sufficient
13 basis for believing that you could include it in your
14 total performance assessment, but that's okay. That
15 doesn't mean other approaches to the climate change
16 process couldn't be used. And that really leaves the
17 National Academy of Science made no legally effective
18 findings or recommendations on the subject. In fact,
19 there is a kind of a neat summary of the NEI's
20 findings in the Commission's original notice of the
21 proposed rule-making in Part 63.

22 It says, 64 Fed Register 8642 to 8643; and
23 that summary indicates that there is no, in the
24 Commission's view, NEI's recommendation or finding
25 that anthropogenic greenhouse gas emissions should

1 be based solely upon the historic geologic record.
2 That leaves only the 2005-2006 rule-making where
3 there is no doubt that the Commission, in major
4 part, based the rate on an assessment of the
5 historic geologic record, but that only pertains to
6 the post-10,000 year performance assessment. The
7 commission in its proposed rule-making in 2005
8 suggested or proposed no changes in how climate
9 change would be treated in the 10,000 year
10 performance assessment. And the Commission
11 specifically advised Nevada and other parties that,
12 quote, "NRC requests and will respond to comments
13 only on those provisions of Part 63 that we are now
14 proposing to change." Since they weren't proposing
15 to change anything, to treat this rule-making as
16 affecting our ability to raise issues in the 10,000
17 year assessment goes way beyond the scope of the
18 rule-making when we violate fundamental principles
19 of fairness and for that matter would violate the
20 Administrative Procedure Act.

21 That leaves only the EPA rule, which has
22 language exactly like the NRC rule. It doesn't have
23 any specific thing dealing with the use of historic
24 geologic record. There is a very strange statement
25 in the NRC rule-making about how EPA says we specify

1 the use of a geologic record. I have no clue what
2 that can refer to, because there is no such
3 specification in the EPA rule. My only speculation
4 is they have been referring to how they approach the
5 definition of the aquifer for purposes of applying
6 to the ground. So, in conclusion, as Staff says,
7 "we agree that DOE is given some flexibility in how
8 to address climate change. If it wishes, it may try
9 to get away with projecting anthropogenic greenhouse
10 gas emissions based on historic geologic. Whether
11 it will succeed does not raise a question of law, it
12 raises a question of fact. And we'll see how that
13 comes out. And we have our entitlement by virtue of
14 our mitigated contentions to challenge DOE for that
15 purpose.

16 >> JUDGE MOORE: Thank you, Counsel.

17 >> MR. MALSCH: Thank you.

18 >> JUDGE MOORE: Mr. Silverman.

19 >> MR. SILVERMAN: Thank you, Your Honor.

20 This is Don Silverman for DOE.

21 First, if I heard Mr. Malsch correctly on
22 several occasions, I think he said that the
23 Department of Energy was permitted, I could be
24 mistaken, to use the geologic record as the basis
25 for projecting the effects of the anthropogenic

1 climate changes going forward. That's an important
2 admission if that's, in fact, what the records
3 reflect. Our position is, Mr. Malsch started out by
4 arguing that we have a problem fundamentally up
5 front and that is with our interpretation of the
6 regulations and that is first, that the language of
7 63.05 talks about cautional assumptions only and
8 doesn't speak to the geologic record. Secondly, it
9 argues the regulatory history of the regulations
10 supports his decision. Let's be clear on the
11 regulation, first. The language of this regulation
12 is very, very general. It does not, he is correct,
13 refer to the word "geologic record." All it uses is
14 the phrase that we must vary factors related to
15 climate based upon cautious but reasonable
16 assumptions consistent with present knowledge of
17 factors that affect the Yucca Mountain disposal
18 system.

19 Our view is the language of the regulation
20 simply doesn't clearly and explicitly specifically
21 speak to the issue we are here today to decide,
22 which is whether it's sufficient and appropriate to
23 use the geologic record for purposes of determining
24 the effects of the anthropogenic climate change.

25 >> JUDGE MOORE: But is it not your position

1 that it is sufficient as a matter of law to rely
2 exclusively on the geologic record?

3 >> MR. SILVERMAN: It is absolutely our
4 position. That is not based on this case we have a
5 clear regulation that speaks collectedly to it, but
6 because contrary to what Mr. Malsch has said, there
7 the a very consistent regulatory history here that
8 supports our interpretation that indicates that both
9 the EPA -- frankly, going back to the National
10 Academy of Sciences through the EPA rulemakings and
11 through the NRC rulemakings, a consistent recognition
12 that use of the historical geologic record was a
13 permissible way to perform this analysis.

14 >> JUDGE WARDWELL: But not an exclusive
15 way, I ask? Question mark. That's the key point, it
16 seems to me.

17 >> MR. SILVERMAN: I don't think that is the
18 key point. If I were to acknowledge, it's not the
19 exclusive way. The point is whether it's a
20 permissible way to meet the regulations, is it what
21 the NRC intended as an acceptable means of meeting
22 the regulation.

23 >> JUDGE MOORE: But your position is as a
24 matter of law which removes it from factual
25 challenge?

1 >> MR. SILVERMAN: Yes, as a matter of law,
2 we are permitted to remove it from factual challenge,
3 and if I may --

4 >> JUDGE MOORE: Well, that certainly,
5 speaking only from myself, moves the definition of
6 permitted to mean something other than what I believe
7 it means. If, as a matter of law, it can be done
8 this way and only this way, that is exclusively, and
9 it's not subject to factual challenge as to whether
10 that's a reasonable and cautious approach, being
11 permitted to do it and being -- and being required
12 when there is no other way to do it are two different
13 things.

14 >> JUDGE WARDWELL: I didn't hear a question
15 there, so let me ask a question. If, in fact, you
16 had chosen another path besides the geologic record,
17 i.e., evaluating the climate change the way Nevada
18 suggested a better way to do it on a scientific
19 basis, you would be in violation of the regulations.
20 Is your position?

21 >> MR. SILVERMAN: No, I would say we would
22 have a very difficult road to hoe in convincing the
23 agency that we meet the regulations. I'm not sure I
24 agree with where you are headed, maybe I don't
25 understand. If our interpretation is, as a matter of

1 law, the use of the geologic record is a permissible
2 and acceptable means of meeting the minimum
3 requirements, the requirements of the regulations,
4 and that is what the legal issue is, whether it is
5 sufficient under the regulations to analyze effects
6 using the geologic record, then if we have used the
7 geologic record, then as a matter of law, we have met
8 the regulations.

9 >> JUDGE WARDWELL: But when we're dealing
10 with a regulation that says reasonableness, there are
11 other ways to do it then also and then we don't we
12 get back to the same old factual basis, whether or
13 not that reasonableness is achieved when we're
14 dealing with something as general as the terms that
15 are in 305 (c).

16 >> MR. SILVERMAN: No, I don't think so,
17 Your Honor. I think it's, it's clear that if there
18 is a regulation provides as the regulatory history
19 strongly supports that the department may use the
20 geologic record, then that resolves the issue. If we
21 had done it, this is what the NRC intended when they
22 adopted the regulation as an acceptable means and
23 that results --

24 >> JUDGE WARDWELL: Then why didn't they use
25 the phrase "shall use?"

1 >> MR. SILVERMAN: The point is they did not
2 use -- refer to the geologic record at all in the
3 rule itself.

4 >> JUDGE WARDWELL: Then why didn't they,
5 then, if your position is correct?

6 >> MR. SILVERMAN: They don't specify the
7 geologic record is an acceptable means. They don't
8 refer to it at all. I think the key here is the
9 regulatory history, which I'd like to take a minute
10 on, if I may. The plain language is not clear.

11 >> JUDGE MOORE: Before you start down the
12 regulatory history route, as I understood the legal
13 issue, it's divided into two parts. And DOE's
14 position is whether 10 CFR.305 requires DOE to
15 project future levels of greenhouse gas emissions
16 such as CO-2 and evaluate the impact of these gases
17 on future climate Yucca Mountain in the 10,000 year
18 performance assessments and/or whether it is
19 sufficient under the regulation for DOE to analyze
20 the effects, which I believe as Mr. Malsch's position
21 that as a matter of law, the first phraseology would
22 preclude any factual challenge and the second after
23 the or allows the factual challenge.

24 >> MR. SILVERMAN: I don't understand how
25 that allows a factual challenge. If it is sufficient

1 under the regulation to analyze the facts, using the
2 geologic record, that ends the inquiry if we use the
3 geologic record.

4 >> JUDGE WARDWELL: And where does it say
5 that?

6 >> MR. SILVERMAN: As I said, the plain
7 language is not clear. So I object to Mr. Malsch's
8 characterization we have a problem from the beginning
9 that resolves that. He says it's clear in the plain
10 language. He says it doesn't say anything on this
11 specific point. We are acknowledging that you can't
12 solve this problem just by reading this regulation.
13 It doesn't speak directly to the issue. But --

14 >> JUDGE WARDWELL: But wouldn't the
15 regulation -- if one was trying to create a
16 regulation that allowed flexibility in evaluating
17 climate change, wouldn't it come out like this?

18 >> MR. SILVERMAN: It might very well.

19 >> JUDGE WARDWELL: If one wanted to limit
20 how you did climate change, wouldn't one logically
21 say, you shall do it the way?

22 >> MR. SILVERMAN: Your Honor, you're right.
23 The issue is not whether this is the only way. It is
24 whether it is an accept -- we are here to determine
25 whether we meet the regulatory requirements and if

1 the Commission has said you may meet the regulatory
2 requirements, by using the geologic record as a
3 surrogate, if you will for the speculation that would
4 be involved in trying to predict future human impacts
5 on climate, if that is chlorand if that is what the
6 NRC intended, that resolves the matter. Require but
7 it clearly did not do that, you admit.

8 The Commission promulgate regulation. It
9 promulgates, said, based upon cautious but
10 reasonable assumptions of change. I agree, that's
11 not real spec. Right. But I don't think it's
12 necessarily unclear. It could say that there is a
13 fact question, obviously, as to whether something is
14 cautious but a reasonable assumption. Why is it the
15 case that we then have a hearing on that issue?

16 >> MR. SILVERMAN: Why shouldn't you have a
17 hearing?

18 >> JUDGE RYERSON: As opposed to going to
19 look at regulatory history? Why do we get to the
20 regulatory history where we have a regulation that
21 you may not like it. It's not as spec as you think
22 it should be. But is it unclear? Does it require us
23 to go look at regulatory history?

24 >> MR. SILVERMAN: Well, the answer to that
25 is that you don't get to a factualgium, to decide the

1 issue as a matter of law when you have a clear
2 regulation with clear language that speaks to the
3 issue and then you can rely on the plain language of
4 the regulation. Our position here is that this is
5 very general language in the regulation. It's very
6 hard to come to a conclusion based exclusively on the
7 language of that regulation and the canons of
8 statutory and regulatory interpretations say,
9 therefore, you should look ought the regulatory
10 history for guidance on what that regulation means.
11 You need to go through that step before you decide
12 that there is a fact issue to the regulation.

13 >> JUDGE WARDWELL: If there were no
14 regulation, where do you see it's not clear? It may
15 be general and it may not dictate a spec method. But
16 it seems to me the language is clear in 305-C.

17 >> MR. SILVERMAN: With respect to the use
18 of the geologic record, which is the issue before us?

19 >> JUDGE WARDWELL: The issue before us is
20 how to address climate change. They're very clear on
21 how you do it.

22 >> MR. SILVERMAN: In a very general sense.

23 >> JUDGE WARDWELL: It's may be general.
24 It's not definitive.

25 >> MR. SILVERMAN: I don't think the issue

1 is whether we're using cautious but reasonably
2 presume shun. That is the legal issue before the
3 Board.

4 >> JUDGE WARDWELL: As you state, is this
5 not correct, if there is nowhere in the regulations
6 that states that you may or shall use only -- the
7 geological records?

8 >> MR. SILVERMAN: Absolutely. But, as I
9 said, we are relying on a very consistent regulatory
10 record and just to briefly do this, if I may, then
11 the National Academy of Science's recommendation,
12 findings and report itself, and the EPA regulations
13 and the NRC implementing regulations that implement
14 the EPA standard are very inextricably linked. They
15 are all evidence in our view of what was intended by
16 the regulator by the end of the day. The National
17 Academy of Sciences report discusses using the
18 geologic record to quantify -- it says on page 95,
19 although the typical nature of past climate change is
20 well known. It is obviously impossible to predict in
21 detail either the nature or time of future climate
22 changes.

23 And then in particular on pages 68 to 69,
24 it says, one critical gap in our understanding is
25 with respect to future human behavior. There is no

1 scientific basis for predicting future human
2 behavior. This informs, the National Academy of
3 Science is not the NRC, but informs the EPA rule,
4 which informs the rule. The DOE says we specify
5 climate based on an examination of evidence in the
6 geologic record. The evidence preserved in the
7 recent geologic record provides a means to
8 reasonably bound the range of possible conditions,
9 most importantly, if I may, you if you may indulge
10 me for a minute.

11 The NRC interpreting its own regulations,
12 when it adopted part 63, it says the geologic record
13 provides strong evidence of past climate over a long
14 time, which provides a strong basis for predicting
15 future changes. It says, comments suggesting that
16 NRC consider future economic growth, i.e., human
17 activity trends ignore inherently large
18 uncertainties. It says, future predictions, which
19 we're zoo saying we're not required to do, would add
20 inappropriate speculation that, therefore, the rule
21 precludes, does say precludes in this case,
22 consideration of changes of assumption of lifestyle
23 and land use, human impacts, that can be subject to
24 speculation and future economic growth.

25 >> JUDGE WARDWELL: But nothing about CO2?

1 Is that correct?

2 >> JUDGE MOORE: Clearly in context.

3 >> MR. SILVERMAN: In context of climate
4 change.

5 >> JUDGE MOORE: Mr. Silverman, the
6 commission drew a line between such things as
7 population changes around Yucca Mountain. And they
8 specifically spoke to that. And water usage, because
9 of population changes and predicting and projecting
10 those things as opposed to climate change. I think
11 you are mixing the two together and I certainly can't
12 read the legislative history the way you just recited
13 it with regard to that particular provision. I think
14 the Commission made a very clear line that they were
15 drawing between two different types of activity, one
16 of which -- and they do reference and refer to the
17 geologic record for climate change, but that's
18 totally distinct from the other matter they were
19 talking about.

20 >> MR. SILVERMAN: And the other matter they
21 were talking about, your saying, Your Honor, was
22 what?

23 >> JUDGE MOORE: Population change in the
24 Yucca Mountain, economic growth in the area, water
25 usage.

1 >> MR. SILVERMAN: No, Your Honor. One of
2 the quotes I read from the statement of
3 considerations says the geologic record provides
4 strong evidence of past climate over a long time,
5 which provides a strong basis for predicting future
6 change.

7 >> JUDGE MOORE: That is true. And you
8 contrast that to the other matters that they are not
9 going to get involved with at all. And that's
10 population change economic development and all of
11 those things. I think they treat them as two
12 distinct matters in all of this legislative history.

13 >> MR. SILVERMAN: Well, we disagree with
14 that. I would add to the statements of consideration
15 on final promulgation Part 63, and I think it was
16 2001 to 2009 rule-making where the NRC said, in
17 implementing, this was the regulation implementing
18 the final EPA standards that quote, "all climate
19 predictions are based on and calibrated evidence,
20 past climates contained in the geologic record."

21 >> JUDGE MOORE: In regard to that, that you
22 just quoted, that is in a paragraph that the next
23 sentence says, the values specified for depercolation
24 rates adopted in the final regulation capture the
25 range, uncertainty and deep percolation et cetera.

1 >> MR. SILVERMAN: Yes.

2 >> JUDGE MOORE: That clearly refers to post
3 10,000 year period, does it not?

4 >> MR. SILVERMAN: That portion does and
5 that rulemaking was focused on.

6 >> JUDGE MOORE: Why, why in the same
7 paragraph would the sentence before a switch in
8 subjects be referring to the pre-10,000
9 period -- pre-10,000-year period, which is what you
10 quote and the very next sentence refers to the
11 post-10,000 year period in the same paragraph without
12 any demarcation that's telling you they're totally
13 switching horses?

14 I mean, doesn't it have to be read in
15 context?

16 >> MR. SILVERMAN: It does have to be read
17 in context and the post-10,000 year period and the
18 use of the percolation rate if you will for that
19 period, but the language that I'm reading from is
20 that it first says all climate are based on the
21 geologic record. I'm shortening up that sentence.
22 We know that the NRC went on in the next sentence
23 and in that rulemaking say in the post-10,000 year
24 period, you may do something different.

25 You may use the percolation rate. We just

1 point this statement out. We recognize this is a
2 rulemaking on the post-10,000 year period. We think
3 this statement is supportive of the rest of the
4 regulatory record that we rely on. It is consistent
5 with the National Academy Sciences Report, from the
6 EPA rulemaking and the NRC rulemaking. We don't
7 believe the Department, I'm sorry, Nevada pointed
8 out any specific prohibition in the regulations or
9 the regulatory history that precludes the Department
10 from proceeding in the way they did. If they have
11 done what they are permitted to do, then the issue
12 ought to be decided as a matter of law.

13 >> JUDGE WARDWELL: The proposed 63 and 115
14 (a)3 that said claimant evolution shall be consistent
15 with natural climate change in the region surrounding
16 the Yucca Mountain site. Any hypothesis of why that
17 was dropped?

18 >> MR. SILVERMAN: I have hypotheses. I
19 think Staff may be able to speak to this better than
20 I. I would admit errors of hypotheses.

21 >> JUDGE WARDWELL: Doesn't it seem strange
22 if they were back in your position, as I hear your
23 position, it's more than just whether or not are you
24 allowed to look at climate historic records to
25 develop climate change, in fact, you have to use that

1 process that they would drop something like 115 A-3?

2 >> MR. SILVERMAN: Well, our position is not
3 dependent on whether we have to or are permitted to
4 under the regulations, but I understand your point.

5 >> JUDGE WARDWELL: We got a continuous
6 Google here, under the regulation, it's cautious but
7 reasonable. There is nothing either way. So when
8 you say under the regulations, it's left opened in
9 the regulations. You may have a position that the
10 regulatory history supports the fact that it is
11 sufficient and complete and conclusive --

12 >> MR. SILVERMAN: Yes.

13 >> JUDGE WARDWELL: -- that you can use a
14 geologic record.

15 >> MR. SILVERMAN: Yes.

16 >> JUDGE WARDWELL: But we can't say that I
17 don't believe that under the regulations, under the
18 regulation allow freedom in that regard, do they not?
19 Doesn't 305-(c) --

20 >> MR. SILVERMAN: I disagree.

21 >> JUDGE WARDWELL: Doesn't 305 (c) address
22 freedom in how you address climate change?

23 >> MR. SILVERMAN: 305-(c) on its face does
24 not specify precisely how you address climate change
25 and, however, when we interpret regulations, we may

1 use the regulatories to support that regulation.
2 With respect to -- and I think the Staff may speak to
3 this, with respect to the fact that there was a
4 proposed rule that phrased the geologic record and
5 the final rule did not, again the staff can speak
6 better to this. My view is if the Commission had
7 several things. One, if the Commission had intended
8 to preclude the use of a geologic record, then when
9 that language was removed from the regulations,
10 that's a pretty fundamental change.

11 I mean, now we're talking, you can't look
12 backward, you got to look forward, you got to look
13 forward and speculate about what the future of the
14 world will look like in future human activity will
15 look like. We would have expected they would have
16 said something about that in the intent in their
17 explanation and they did not do so. We think what
18 they were doing was really essentially changing the
19 regulation to essentially parrot the EPA regulation
20 that the NRC had to be consistent with.

21 >> JUDGE WARDWELL: But the position isn't
22 that you are precluded from using this. It's just
23 that's the factual issue of whether or not it's
24 sufficient to meet the --

25 >> MR. SILVERMAN: That's not a factual

1 issue, Your Honor, in my view. That's a legal issue.

2 >> JUDGE MOORE: Thank you, Mr. Silverman.
3 Staff.

4 >> MS. SILVIA: Andrea Silvia on behalf of
5 the NRC staff. Just to quickly address that DOE
6 counsel has just been discussing. The removal of the
7 proposed 63115 (a)3 language stating that climate
8 evolution shall be consistent with the geologic
9 record of natural climate change in the recent Yucca
10 Mountain site was not found in the final Part 63 and
11 in the rulemaking at 66 Fed Reg at 557334. We
12 believe the Commission's explanation is that it
13 adopted EPA4 CFR. part 197 subpart (b) 10 CFR. part
14 63 subpart L, which includes the 63.305, with the
15 precise wording of the EPA standards in most cases
16 and that was to be consistent with the Energy Policy
17 Act of 1992's direction, for the Commission to modify
18 technical criteria to be consistent with the EPA's
19 criteria, and that no substantive change was actually
20 intended by the removal.

21 >> JUDGE WARDWELL: So EPA didn't require
22 any specific methodology to evaluate the climate
23 change that if that's what their wording was, then.
24 Is that your position?

25 >> MS. SILVIA: Correct.

1 >> JUDGE WARDWELL: So both the geologic
2 records could be used and it can be defended
3 successfully or there could be a requirement to look
4 at the -- to address Judge Moore's statement
5 concerning the population around Yucca was clearly
6 prohibited by the climate change from global CO2
7 increases could be another way and if there is a
8 factual issue on whether it will be resolved on
9 whether or not one of the other meets this sufficient
10 reasonableness?

11 >> MS. SILVIA: I don't think the regulation
12 requires a specific manner. However, it's legally
13 permissible for DOE to use the geological record and
14 it becomes a factual matter whether or not DOE was
15 justified in relying on the geologic record.

16 HON. PAUL RYERSON: Does the Staff disagree
17 with Nevada at all on this issue?

18 >> MS. SILVIA: I think Mr. Malsch said I
19 don't think we have the same position. The
20 regulations does not preclude the use of the geologic
21 record. In addressing the use of the geologic
22 record, the Commission in its statements of
23 consideration for various rulemakings have made many
24 statements suggesting that the geologic record is an
25 appropriate tool.

1 For instance, in responding to the issue
2 of whether the NRC should include potential future
3 climate changes in a case referenced biosphere.

4 The Commission stated the climatic data
5 support that one ice agents have occurred in the
6 past history, two, climate changes in the past have
7 exhibited a cyclical pattern and three cycle is back
8 to another ice age. That's at 66 Federal Register
9 65775. The Commission also stated it believes there
10 is sufficient information in the failure of the
11 climate record to justify the climate change in the
12 final reg layings regarding the effect on the
13 repository components. That's the same page. The
14 commission further stated that the natural systems
15 of the biosphere vary, for example, climate change
16 because the geologic record provides evidence of
17 past climate over a long time frame which provides a
18 strong base for predicting future changes. The
19 postischemic behavior has a similar approach could
20 not be used and the influence of local populations
21 has on the biosphere. The suggestion that NRC
22 consider alternative futures relating to human
23 behavior is speculative and leads to problems
24 deciding which are credible and which are
25 unrealistic. The commission noted that it has

1 extensively investigated relevant research on future
2 claimant claim in the Yucca Mountain area and that
3 summarizing information and a status report. This
4 IR.S Indirectly addresses the treatment of gas
5 emissions and concludes for ' high level waste
6 repository, it is adequate for future idea logic
7 conditions by studying conditions in the past
8 climate. These statements reflect the commission's
9 understanding that the geologic record is the basis
10 for projecting future climate by Yucca Mountain.

11 Furthermore, the statement indicates the
12 commission was concerned about the speculation
13 inherent in the factors associated with future
14 behavior. The Commission sought to avoid such
15 speculation and attempts at determining which
16 narratives are credible. The interpretation of
17 63305.

18 >> MR. FITZPATRICK: With the Commission
19 statement to allow DOE to analyze the effects of
20 anthropogenic greenhouse gases on future climate
21 based and the historic geological record, not
22 attempting to protect future levels anthropogenic
23 greenhouse gases emissions which are necessarily
24 affected by human behavior.

25 >> JUDGE MOORE: Do you agree with the

1 caveat that it would be subject to challenge?

2 >> MS. SILVIA: Yes. The Commission's final
3 Part 63 reflects Staff continue investigation into
4 this area and continue to intense a pragmatic
5 appropriate to speculation area of climate
6 prediction. Although, as the Judges pointed out,
7 this affects on tell post-10,000 year period the
8 commission did state that all predictions are
9 calibrated on past containment of the geological
10 record. This statement has remained for the initial
11 10,000 year period. 63.305 requires.

12 >> JUDGE WARDWELL: Why do you say that?
13 Sorry, I scared myself. Why do you say that.

14 >> MS. SILVIA: Whether the climate
15 predictions are going to be for 8,000 years from now
16 or 800,000 years from now, the basis is still the
17 geologic record and the starting point is essentially
18 the geologic record.

19 >> JUDGE RYERSON: Let's come back to the
20 legal issue that we're facing here and see if I
21 understand how you all disagree with Nevada. By its
22 terms, 63.305 (c) says nothing about historic
23 geologic record. Correct?

24 >> MS. SILVIA: Yes.

25 >> JUDGE RYERSON: You believe based

1 on -- Staff believes based on the history of that
2 regulation, that the historical geographic, geologic
3 record is probably a good start. Is that your
4 position?

5 >> MS. SILVIA: It may be sufficient.

6 >> JUDGE RYERSON: May be. In other words,
7 in the Staff's view, there is inherently a fact
8 question under, under 63.305-(c). Is that --

9 >> MS. SILVIA: Correct.

10 >> JUDGE RYERSON: Is that your position?

11 >> MS. SILVIA: DOE has flexibility and NRC
12 will evaluate what DOE proposes to make sure that it
13 meets the regulatory requirements.

14 >> JUDGE RYERSON: Okay. How if at all does
15 your position differ from Nevada's, as you understand
16 it?

17 >> MS. SILVIA: I think I heard Nevada say
18 this morning is consistent with our position, however
19 there is some language in the briefs that I wasn't
20 sure if Nevada was intending for DOE to have to
21 predict the levels of anthropogenic greenhouse gases
22 into the future. And with that part, we disagree
23 that is a requirement for DOE to specifically project
24 levels of greenhouse gases at certain times in the
25 future.

1 >> JUDGE RYERSON: You might argue the facts
2 somewhat differently, but as to the question -- as to
3 the issue of whether there is a fact question as
4 opposed to a legal question, you are in Nevada's
5 camp, as I take it, there is a fact question.

6 >> MS. SILVIA: Yes.

7 >> JUDGE MOORE: Thank you, Counsel.
8 Mr. Malsch, do you have any quick rebuttal?
9 Specifically start with the way the issue is framed,
10 why have you not been hoist of your own as
11 Mr. Silverman suggests?

12 >> MR. MALSCH: I don't think so. The way
13 is issue is framed is largely crystalized by the
14 second half of the question. And I think the issue
15 is whether, if DOE chooses to base projection of
16 anthropogenic greenhouse gases on the historic
17 geologic record, they may do so. The question is
18 whether having done so it is as a matter of law
19 sufficient or whether that may be challenged. And I
20 think we and the Staff are in agreement that it can
21 be challenged. I have -- unless the Board has other
22 questions, I have no other rebuttal. I do have one
23 request though, that is that depositions on climate
24 change contentions, including the contentions
25 affected by this issue as well as the contentions

1 affected by the issue coming up, are scheduled to
2 begin I think in February. So an early ruling on
3 this issue would be greatly appreciated.

4 >> JUDGE MOORE: Thank you, Mr. Malsch.
5 It's now 10:50. We will take a ten-minute recess.
6 Re-convene at 11:00. Thank you.

7 (Recess)

8 >> JUDGE MOORE: Please be seated. We will
9 now address Issue 3. Mr. Malsch.

10 >> MR. MALSCH: Thank you, Judge Moore.
11 Marty Malsch for the State of Nevada. I would like
12 to reserve a few minutes for rebuttal. This issue
13 deals with the climate change in the post-10,000
14 assessment. And we believe that climate change
15 processes the kind of FEP and feature processor, the
16 climate change processes properly included in the
17 10,000 year performance assessment must be included
18 as well in the post-10,000 year performs assessment,
19 but operation of 10 CFR.63.342-C. Staff and DOE
20 disagree claiming the depercolation rates instead in
21 342-C-2 is always applicable and controlling 10,000
22 years.

23 Now, as I stated before I begin this is a
24 very difficult regulation to get one's arms around
25 and I would submit and concede that our

1 interpretation is not perfect. I would submit that
2 DOE's and Staff's interpretation suffers from far
3 more serious -- the regulation 342-C. It provides
4 DOE's performance assessments shall project the
5 continued effects of FEPs beyond the 10,000 year
6 performance assessment beyond the 10,000 year
7 post-disposal period through the period of geologic
8 stability. There is no exception made for any FEPs
9 let alone any climate change FEPs. Then to
10 emphasize the point that no included in our screen
11 into the 10,000 performance assessment is excluded.
12 The next clause of that same sentence says, pursuant
13 to DOE must evaluate all of the 10,000 year FEPs in
14 a post-10,000 year assessment and you would think
15 all means all. The next clause of that same
16 sentence says FEPs climate change and corrosion must
17 also be included in the post-10,000 year assessment.
18 Also, with normally we understood the name not to
19 mean any substitution but in addition to. So the
20 NRC provides repeatedly twice just to make the point
21 clear that 10,000 year FEPS, 10,000 year performance
22 FEPs must be extended without exception to the next
23 990,000 years.

24 Now, looking at the regulation, as I said,
25 this is a difficult regulation to get one's hands

1 around. And it strikes us that the drafter of the
2 regulation must be assuming there would be no
3 climate change FEPs in the 10,000 year performance
4 assessment. If you make the assumption that there
5 are no climate change FEPs in a 10,000 year
6 performance assessment, then the regulation hangs
7 together. There are no FEPs to extend, but there is
8 under 341-C, 2 an obligation to consider climate
9 change and then (d)- is given option. It says it
10 may represent climate change by the use of constant
11 climate conditions and value. So, it changes
12 together under that assumption, but once you assume
13 the climate change FEPs are included in the 10,000
14 year performance assessments, you run into
15 difficulties right away.

16 Now, our interpretation has the effect of
17 reading 342-(c) to say you must extend climate
18 change FEPs beyond 10,000 year period.

19 But then there is some duplication in the
20 regulation, some redundancy, because 342-C-2,
21 effectively says the same thing, shall include
22 climate change FEPs in the post-10,000 year
23 assessment period.

24 So our interpretation does suffer from an
25 imperfection. It reads there is some redundancy in

1 the regulation.

2 >> JUDGE WARDWELL: Don't you also have a
3 problem with the fact that exclusive of just that
4 redundancy, in the first part of 342, it doesn't
5 dictate that it be extended using the same
6 methodology that was used in the pre10-K period, does
7 it?

8 >> MR. SILVERMAN: It doesn't specifically
9 address methodology.

10 >> JUDGE WARDWELL: It includes the same
11 process that you went through in the pre-10 must be
12 extended into the post-10, is what your position is;
13 is that correct?

14 >> MR. SILVERMAN: I think that's correct.
15 In part, that depends on how you define the FEP. If
16 you define FEP as a fairly detailed parishion of
17 description of a process and how it operates, you end
18 up carrying all or most of the parameters over in the
19 assessment after 10,000 ears.

20 >> JUDGE WARDWELL: That would be one
21 option, but the regulation doesn't require that to
22 take place. They could switch persons, say, oh, no,
23 after 10,000, I'm going to do something different?

24 >> MR. SILVERMAN: I think that well, I'm
25 not sure that's clear. It depends on what means by

1 shall extend 10,000 year thefts. I think if it means
2 you shall extend the FEPs precisely as they have been
3 defined in all details to the next 990,000 years, I
4 think you are limited somewhat, except that --

5 >> JUDGE WARDWELL: But it doesn't say that.

6 >> MR. SILVERMAN: It is not spec. It
7 doesn't say that spell. As I said, our reading would
8 mean that 342-C, the opening paragraph would require
9 climate change FEPs to be extended and in considered
10 in the post-10,000 year period and then there is some
11 redundancy because 342-C-2 then says you shall also
12 consider climate change FEPs in the post-10,000 year
13 period.

14 >> JUDGE WARDWELL: How many climate change
15 FEPs are there, offhand, do you know?

16 >> MR. SILVERMAN: No, I actually don't
17 know.

18 >> JUDGE WARDWELL: More than one?

19 >> MR. SILVERMAN: I think there is more
20 than one. I honestly don't know the answer to that
21 question.

22 >> JUDGE WARDWELL: So some may get screened
23 out, there is a redundancy even those that did get
24 screened out, hey, here's 3426 (c) come to be rescue
25 that. You still got to look at it in the post-10,000

1 year period?

2 >> MR. SILVERMAN: I think that's correct.

3 I think the question is then whether, you know, that
4 would be sufficient or whether more would be need is
5 to be done by 342-C-2. But there is a little
6 redundancy, but there is already redundancy built
7 into the opening paragraph. It says twice to extend
8 beyond 10,000 years, FEPs included in the 10,000 year
9 assessments. But that's just in Section 63.342.

10 >> JUDGE MOORE: Without even getting to
11 one.

12 >> MR. SILVERMAN: Without even geting to
13 one or two or three. Staff's interpretation, though,
14 I would submit --

15 >> JUDGE MOORE: Under your interpretation,
16 they are at least being consistent in their
17 redundancy.

18 >> MR. SILVERMAN: That is correct. They
19 are consistent in their redundancy. We must not be
20 too concerned about the redundancy. On the other
21 hand, Staff's interpretation and DOE's interpretation
22 runs into some serious problems, because they would
23 read the regulation as if it said, except as provided
24 below twice in the opening language.

25 In addition, they run into a problem

1 because the use of constant climate conditions or
2 values is preceded by the word "may" not "must".
3 The only requirement in 63.342. C .2 is that climate
4 change must be considered. The rest is
5 discretionary. They may use, it may be represented
6 by constant climate conditions or values.

7 >> JUDGE WARDWELL: But if they had chosen,
8 if they chose to use that constant infiltration, that
9 is by law acceptable?

10 >> MR. SILVERMAN: I would agree with that
11 F. they may choose, they so choose by law acceptable.
12 I will make one important point, though, that is the
13 DOE and Staff's interpretation is not necessary to
14 fulfill the fundamental purpose of the regulation.
15 DOE and Staff says that we need to read the
16 regulation the way you read it because as the
17 interpretation leads to the use of arbitrary
18 assumptions and causes unbounded and unresolvable
19 speculation. But that's just not true. Under our
20 interpretation, climate change FEPs identified in the
21 first 10,000 years are carried over into the next
22 10,000 years and there is no need to create an
23 entirely new species of post-10,000 year climate
24 change FEPs. If they had not carried over, if there
25 was no FEPs to carry over, then DOE still has to

1 include climate change but it may avoid speculation
2 by choosing to use the constant climate conditions or
3 value specified in paragraph two. So under our
4 interpretation, there is no boundless, unbounded
5 speculation or uncertainty. It's all pretty much
6 straight forward.

7 >> JUDGE WARDWELL: But it would be if you
8 are proposing that the FEPs that were screened in for
9 the pre10-Period had to be extended using the same
10 processes that were used in the pre-10 for the
11 post-10-K-period, because then you wouldn't be using
12 the constant infiltration. You would be using in
13 their position speculative projections.

14 >> MR. SILVERMAN: That's what they say.
15 But by decision, if the climate change FEPs in all
16 their details, are screened in to the 10,000 year
17 assessment, it seems to me by definition they are not
18 speculative and not posing unsolvable issues. If
19 they did, they should have been screened in in the
20 first place.

21 JUDGE WARDWELL: The argument is, is it
22 not, that the pre-- the difference between pre-10
23 projections and extending those out to two orders of
24 magnitude time frame is somewhat speculative is
25 their position, is it not?

1 >> MR. SILVERMAN: I mean, I agree, it
2 becomes increasingly more speculative. If it were so
3 speculative it was incapable of proof or incapable of
4 any kind of scientific revolutionary, they would have
5 been unable to define the depercolation rate. So
6 obviously things were not that speculative and not
7 that unfound ubounded, otherwise, they couldn't have
8 specified the rate not first place.

9 JUDGE WARDWELL: But that rate could have,
10 I'm hypothesizing now -- the rate was arrived at
11 recognizing that doing it any other way than the way
12 that they derive that would be truly speculative in
13 that they took a shot at it and said, fine, let's
14 all use this because we're in la-la land anyhow,
15 this is as good of an approach we can come up with
16 as by the collective wisdom of everyone that
17 participated in this process, we'll liver with this,
18 because we are -- we'll live with this because we
19 are in this somewhat speculative land with.

20 >> MR. SILVERMAN: We are in a speculative
21 land, I agree. I would say this, that the regulation
22 does say that specifically DOE may project climate
23 changes in the post-10,000 years using these
24 particular specifications, not that they must, so it
25 is opened for DOE, even.

1 >> JUDGE WARDWELL: Oh, sure.

2 >> MR. SILVERMAN: To do it in a different
3 manner. Ward but we're not their address that.

4 I sense they haven't used any other
5 alternative approach. That's not a fear.

6 >> MR. SILVERMAN: I think that is correct.

7 HON. PAUL RYERSON: Mr. Malsch, in the
8 regulation, isn't and also the key into interpreting
9 the regulation quite apart from the practical
10 consideration here?

11 I mean, I think you argue, do you not that
12 DOE is in effect saying it doesn't say and also, it
13 says provided however that.

14 I think you would agree, provided it said
15 however that, would you agree that DOE's position
16 would prevail?

17 >> MR. SILVERMAN: I agree, I think that
18 causes a serious language problem.

19 HON. PAUL RYERSON: Suppose it said
20 provided further that, would you agree DOE's position
21 would prevail?

22 >> MR. SILVERMAN: I think the regulation
23 becomes ambiguous because of the word -- it suggests
24 that previously, it suggests the preceding language
25 is still somewhat awkward.

1 HON. PAUL RYERSON: Is there a difference
2 between O*ERPB on the one hand and also and on the
3 other hand provided further that?

4 >> JUDGE MOORE: It's really very similar.
5 Isn't it really a question of instead of provided
6 further, it really, if it would have to be read
7 except for?

8 Because then it's clear that what precedes
9 it is the accepted and what follows?

10 >> MR. SILVERMAN: I think would have been
11 the ideal way to draft the regulation if the Staff's
12 interpretation would have run with what was in it,
13 obviously, it wasn't drafted that way.

14 I freely admit the and also if it is to be
15 cannot be understood in its normal sense to mean
16 accept, as provided for, except for. Is. I can't
17 get there from and also.

18 >> MR. SILVERMAN: And also provides a
19 serious staff interpretation and I would say --

20 >> JUDGE MOORE: Saying you speak to the
21 argument that the and also is merely limited to
22 qualifying the two methods that may lead us, to
23 methods that may then will used to follow in, one and
24 two?

25 C1 and 2?

1 >> Really, there's three,.

2 >> JUDGE WARDWELL: Corrosion has some
3 limitations, igneous has some and the climate change.

4 All three, really all four of those issues
5 that are there are addressed in some fashion.

6 >> MR. SILVERMAN: Yeah, I don't frankly
7 understand how staff's interpretation would be
8 correct among other things.

9 These four kind of FEPs considered are
10 optional. It is how they may be addressed. If you
11 strip away from the paragraph 342-C, all the maze,
12 all you end up with is you must consider climate
13 change, period.

14 >> JUDGE WARDWELL: I don't know if this
15 will help you or not, I can somehow understand
16 Staff's and DOE's position because when I first read
17 it, that was how I interpreted it. It wasn't until I
18 later that I saw the logic of what you are proposing.
19 But I'm still struggling with that, in terms from a
20 logic standpoint if you read through it without
21 focusing on things, that is what they are trying to
22 say.

23 But I have a further problem that I need
24 help from you on and that's back to what I alluded
25 to earlier. Let's say for the sake of argument,

1 your interpretation is correct, I still see nothing
2 in everything that takes place before you get down,
3 before the "and also," everything preceding the "and
4 also" doesn't say anything to me that in the
5 projection of those FEPs into the post-10,000 year
6 period that you have to use the same methodology
7 that you use in a pre-10 and help me see that in the
8 wording here.

9 That limits DOE even if your
10 interpretation is correct that one, two and three
11 after DOE refers only to those that have screened
12 out, even if your interpretation it that way, there
13 is nothing in the paragraphs that I can see that
14 says that the same methodology has to be used in the
15 prepost-10 used in the pre-10, where do you see
16 that?

17 >> MR. SILVERMAN: I think, you can only see
18 it in terms of how one chooses to define a FEP. I
19 mean, is a FEP screened into the 10,000 year
20 performance assessment just climate change or is it
21 climate change as it has been evaluated using the
22 analysis techniques and parameters all considered
23 together in the 10,000 year performance assessment,
24 is that water carried over or was it just climate
25 change as effect?

1 I mean, I had always assumed that what
2 gets carried forward is the effect as it has been
3 defined with a lot of its specifics and techniques
4 going along with it. But I agree with you, it's not
5 perfectly clear. Because it does not specify
6 specifically that all details of the FEP methodology
7 you get automatic carryover.

8 >> JUDGE WARDWELL: And one example might be
9 effect that deals with the temperature aspect of
10 climate change and that they, they have used the
11 geologic record to indicate what was there for the
12 first 10,000 years, but then moving forward, they may
13 use some other aspect of how they want to project it
14 in the forward. Or vice versa they may have used
15 the CO2 rates in the last part and as modified by
16 someone's analysis and they were comfortable with
17 doing that up to the 10,000 year period and realized
18 no -- like the infiltration rate, this is somewhat
19 speculative so we're going to change our approach and
20 recognize the carbon pay be limited whatever and that
21 it's going to be self correcting and they may go
22 ahead and project it?

23 >> Well, all I can say is on this point,
24 the regulation isn't that clear, but from the FEP, I
25 assume they meant to carry along with some essential

1 details as to what exactly it meant. Now, whether
2 that includes all the details, I think remains to be
3 seen.

4 >> JUDGE WARDWELL: Do you agree, then I'll
5 let someone else -- I want to fix this point. If,
6 in fact, the interpretation I just provided that
7 there is no requirement that the methodology be
8 carried forward, it's effect be carried forward, if,
9 in fact, that is an appropriate reading of this, then
10 wouldn't DOE also be free to lump all of the climate
11 changes together as they move forward into the
12 post-10,000 year period and use a constant
13 infiltration rate to represent all the different
14 climate FEPs?

15 >> MR. SILVERMAN: They could try to do so,
16 but remember the issue in this frame is whether
17 climate change effects properly screened in 10,000
18 year assessment gets carried forward so if we were to
19 treat climate change in a 10,000 year performance
20 assessment, then that victory of ours in a 10,000
21 year assessment would carry forward at least to the
22 10,000 year post-assessment period.

23 >> JUDGE WARDWELL: But under the
24 interpretation approach that I have provided here,
25 they could switch horses after the 10,000 year period

1 and just represent all of those as a constant
2 infiltration rate even if your wording in the end
3 also is accepted also.

4 >>MR. SILVERMAN: I can't say that isn't
5 absolutely forbidden. I think it takes the
6 definition of FEP. It might be a little awkward.
7 As I said, the regulation isn't clear in the bounds
8 and FEP, it doesn't include every single detail or
9 just the essentials?

10 One last is the I struggled in vain to
11 find a rule making history. I couldn't find it.
12 Let me just mention one part that DOE and staff as a
13 specialowe it appears in the final rule making in 74
14 Fed Reg 818. Here the NRC says this deals with
15 seismic here the NRC says the seismic as occurs in
16 the post-10,000 year assessment should be based upon
17 the seismic as occurs in the 10,000 year performance
18 assessments and that DOE would only consider the
19 seismic effects listed in 63.342-C. Well, let's
20 look at that, the part that says that the seismic
21 has occurred identifies in the 10,000 year
22 assessment can carry forward can only be through, if
23 we're correct, that the four FEPs listed in 342-C,
24 seismic corrosion, igneous. And the like, even if
25 they're listed in 6342-C. So that supports our

1 carry forward argument. In other words, there
2 wouldn't be no basis for carrying forward the
3 seismic as it occurs. The second part appears to
4 support DOE and staff because it says DOE would only
5 consider the effects listed in 6342 CI except if the
6 language here is may, not must. So the drafters
7 would have been a bit strange, the drafter seems to
8 be at least a bit estranged in the regulation. What
9 one looks for in the rulemaking history and does not
10 find is an indication that the so in summary, wily
11 the the climate change FEPs properly included in the
12 10,000 year assessment by operation of the 342-C get
13 carried forward in the post-10,000 year period.
14 This is backing up quite a bit.

15 I want to clarify record in which of your
16 contentions do you believe extend into the
17 post-10-Kperiod and the reason I say that is 11
18 seems clear that it's extend into the post-10,000
19 year period. In 13, you used the phrase or more
20 years in Item 2 in -- you know, stating the basis
21 for it. Then during and beyond in 5, section 5
22 would be a brief. That's the only place that I
23 could find that you talk about post-10,000.

24 Year period in 13. In 19, you only use or
25 more years in Section 5 and that's the only time I

1 can see it is it your position that all three of
2 those contentions extend into the post-10,000 year
3 period even though there is no mention in the
4 contention statement itself?

5 >> MR. SILVERMAN: I think, I have to go
6 back and look at our contentions. I think the
7 contentions we have focus on post-10,000 year climate
8 change are 11 and 19. Of course, 202, which raises
9 the broader question of how the regulation must be
10 interpreted, whether there is a rule challenge there.
11 I think the focus, though, is on whether 19 --

12 >> JUDGE WARDWELL: Is there any other place
13 in 19 that I missed that it talks about the
14 post-10,000 year period that provides 4 more years in
15 Section 5?

16 >> MR. SILVERMAN: If my recollection is
17 correct, I believe you are right. It's been a while
18 since I've looked at those contentions.

19 >> JUDGE MOORE: Thank you.

20 >> MR. SILVERMAN: Thank you, Mr. Moore.
21 Thank you.

22 >> JUDGE MOORE: DOE.

23 >> MR. SILVERMAN: Thank you, Your Honor,
24 Donald Silverman for Department of Energy. The legal
25 issue as stated is whether the Department was

1 required to carry forward FEPs climate change
2 processes including FEPS in the first 10,000 years
3 beyond 10,000.

4 Judge Wardwell correctly in our view
5 captured our fundamental point, which is there is a
6 distinction here between a FEP and the methodology
7 used for projecting the effects of that FEP going
8 forward.

9 >> JUDGE WARDWELL: I don't believe
10 my -- maybe I should clarify it, what I thought your
11 position was that everything after the and also
12 applies to both screened in and screened out FEPs.
13 In 342-(c) 1, 2, 3 and 4.

14 >> MR. SILVERMAN: Yes.

15 >> JUDGE WARDWELL: Apply to both pre and
16 post-?

17 >> MR. SILVERMAN: It certainly applies to
18 pre. The ones that were included in the pre-10,000
19 years. And I believe it applies to the post.

20 >> JUDGE WARDWELL: I believe that's your
21 position. And that's the heart of your position.

22 >> MR. SILVERMAN: But the legal why, I'm
23 verify it in a latter part, it's not the heart of our
24 legal position. The legal issue is some with respect
25 to those FEPs that have been included in the first

1 10,000 years, is that is the legal statement. Our
2 answer to the question, whether we must carry those
3 forward into post-10,000 year period is yes and we
4 have done so. Mr. Malsch is muddling in our view the
5 distinction between a FEP, which is a feature, event
6 or process and methodology of projecting the effect
7 of that feature, event and process. Remember, as he
8 tries to question whether a FEP means something more
9 than feature event or a process and doesn't perhaps
10 include analytical methods for analyzing that FEP.

11 Well, it doesn't make sense under the
12 regulations to read FEP that way. FEP, first of
13 all the language is clear, climate change is a
14 process. Secondly, one of the very first things you
15 do in the performance assessment is you identify
16 FEPs, features, events or processes, before you ever
17 get to effect. So the answer is, we have carried
18 these forward, the FEP. The climate change FEPs
19 into the post-10,000 year period in accordance with
20 the regulation. But our view is then, the real
21 issue here is whether we are permitted under the
22 regulation to use the percolation rate methodology
23 that constant climate change methodology set forth
24 in the remainder of 642-C. We have no question that
25 that was what was intend.

1 NRC and EPA understood there was a very
2 significant element of speculation here beyond
3 10,000 years and identified, if you will, a
4 surrogate for the climate change, whatever climate
5 change methodology DOE might have used in the first
6 10,000 year period. We have, you asked about the
7 number of climate change FEPs, I'm not sure exactly
8 what the number is. But I have effectively three
9 here that are included.

10 I can give you the number, two say climate
11 change, someone claim change, the other is climate
12 modification, increases recharged. The other has to
13 do with precipitation. In each one of these cases,
14 we explain in the FEP and the TSP in the FEP
15 analysis report that in the first 10,000 years
16 period we used a certain methodology. We then go on
17 and say and we include this FEP in the post-10,000
18 year period, but we use a different methodology. We
19 use the methodology we may use under the regulations
20 and I don't think there is any doubt that that was
21 what was intended by the regulation and one of the
22 reasons --

23 >> JUDGE WARDWELL: The only difference
24 would be subtle but as I read your arguments and are
25 you right, as far as legal issues, I understand, we

1 agree on a legal issue aspect, but if your argument
2 is that the Defendant, that we differ a little bit, I
3 think, because you use the argument that the and also
4 applies to both pre-screen FEPs things following the
5 and also, the 1, 2, 3, applied to both preand
6 prescreened and not prescreened FEPs?

7 >> MR. SILVERMAN: I believe we could be
8 wrong, I don't think we made that argument. Because
9 that's not the legal issue and I would have certainly
10 made every best effort to limit myself to included
11 FEPs.

12 >> JUDGE WARDWELL: I will have to look at
13 that, maybe it was Staff, maybe I thought it, because
14 that's how I interpreted when I first read it.

15 HON. PAUL RYERSON: Actually, the legal
16 issue in front of us, Mr. Silverman, as stated by the
17 parties and we agreed to in our another, there isn't
18 a dispute as to that as expressed. I do understand
19 you?

20 >> MR. SILVERMAN: I completely agree with
21 you.

22 HON. PAUL RYERSON: But you are not -- you
23 don't disagree we should go beyond that issue as
24 framed and decide the issue that appears in the
25 briefs, that's how we do it?

1 >> MR. SILVERMAN: I think you should.

2 >> JUDGE WARDWELL: If we are going to
3 address that, whether a 342 (c) is included. In the
4 pre-10-K period carried into the post-10-K period
5 using the same approach as the pre-10-K, we agree
6 that's kind of a legal issue as stated.

7 >> MR. SILVERMAN: As the parties agreed to
8 it.

9 >> JUDGE WARDWELL: Yes, if you -- if I'm
10 correct someone has submitted that the reason you can
11 is because everything after the "and also" applies to
12 both prescreened and not screened FEPs in the
13 pre-10-K period, differs from mine because, not mine
14 but another reading of this that I'm proposing where
15 there is nothing in the regulations in A, B, and even
16 the first part of C that dictates that Nevada -- that
17 DOE has to use the same methodology. Under that --
18 we'll call it my interpretation of those regulations
19 where there is nothing dictating how DOE advances the
20 methodology in the post-10-K period so you are free to
21 use anything you want to. But if you did use
22 something like the infiltration rate and Nevada --

23 >> MR. SILVERMAN: In which period, Your
24 Honor?

25 >> JUDGE WARDWELL: Post-off 10-K, if you

1 switch horses in the middle of the stream pre-10, I'm
2 doing this it way, post-10, it's logical I'm doing it
3 this way, but Nevada's reading is correct that the
4 "and also "and everything that follows only applies
5 to prescreened stuff, there would still remain a
6 factual issue of whether or not touch-tone may use
7 the I is technically defensible if my reading of the
8 stuff before is correct. I've confused everyone on
9 that.

10 >> MR. SILVERMAN: That confused me at
11 least, I apologize.

12 >> JUDGE WARDWELL: I don't know if anyone
13 understands where I'm going with this. But if for
14 the sake of argument, say Nevada's position is
15 correct that everything after the "and also" only
16 applies to those that were prescreened -- .

17 >> MR. SILVERMAN: Within you say
18 prescreened, what do you mean?

19 >> JUDGE WARDWELL: They're not evaluated,
20 during the 10,000.

21 Period they don't have any impact so we
22 don't have to worry about them in the future.

23 >> MR. SILVERMAN: And I don't agree with
24 that, but go ahead.

25 >> JUDGE WARDWELL: For most of the FEPs and

1 we have the and also, and Nevada's position is this
2 "and also" only applies to those that were not an
3 leads during the pre150-K-period but the and also
4 says, oh, gee, even though you didn't, you have to
5 look at 'em this way and do one of the options is to
6 use the I.

7 >> MR. SILVERMAN: Right.

8 >> JUDGE WARDWELL: And if it was, if it was
9 an FEP that was not analyzed for the 10-Kperiod
10 because I mean they're analyzed. That's why I use
11 the word.

12 >. MR. ANDERSEN: Leads. I use prescreened.

13 >> MR. SILVERMAN: Analyzed in detail,
14 precluded.

15 >> JUDGE WARDWELL: However you want to word
16 it, you take an FEP, you analyze it, it's not
17 significant. Okay, it's screened, that's what I use,
18 screened out.

19 >> MR. SILVERMAN: Right.

20 >> JUDGE WARDWELL: Nevada's position is
21 everything after the "and also" only applies to those
22 that were screened out for the pre10-K-period.

23 >> MR. SILVERMAN: Right.

24 >> JUDGE WARDWELL: For sake of argument,
25 let's assume that's correct. My reading of the

1 regulations then says that for even those that were
2 screened in, I that were analyzed and showed to be
3 significant nor the 10-K-period, there is no
4 requirement that they be analyzed exactly the same
5 way for the post-10-K period.

6 >> MR. SILVERMAN: I agree with that.

7 >> JUDGE WARDWELL: You can do it anyway you
8 want.

9 >> MR. SILVERMAN: I agree with that.

10 >> JUDGE WARDWELL: But for the sake of this
11 argument, we assume their interpretation is correct,
12 one through, 1, 2 and 3 don't apply as a matter of
13 law to those that have been screened in, have been --
14 need to be carried forward, if their argument is
15 correct, I'm not saying it is.

16 >> MR. SILVERMAN: That's their argument.
17 That's my understanding.

18 >> JUDGE WARDWELL: But before the "and
19 also, "my interpretation says there is nothing there
20 that says you have to use the same methodology.

21 >> MR. SILVERMAN: That's correct.

22 >> JUDGE WARDWELL: You are free to use
23 anything you want to.

24 >> MR. SILVERMAN: There is nothing there.

25 >> JUDGE WARDWELL: One is that I peeked

1 ahead to everything after the "and also" and saw this
2 infiltration rate and saw the understanding of, yeah,
3 it only applies to those that have been screened out
4 in the pre-10, still it's not a biological thing to
5 use for those going on. So I'm going to go ahead and
6 use it, fine, you can use it. Fine, you can use it
7 but there is a factual issue as to whether it is
8 sufficient or not where there wouldn't be if, in
9 fact, the FEP was the FEP was screened out for the
10 pre10-K-period because the "and also" for their
11 interpretation allows you pre-emptively to use that
12 I.

13 >> MR. SILVERMAN: I agree with you right up
14 to the very end with everything.

15 >> JUDGE WARDWELL: Don't say agree,
16 understand.

17 >> MR. SILVERMAN: Making assumptions as to
18 what their position is. I don't see a factual issue
19 here in the hypothetical that you put forward.

20 >> JUDGE WARDWELL: Because the "and also"
21 doesn't apply to those screened in for the
22 pre-K10-K-period under this assumption of Nevada's
23 position. Here if I understand, this distinction,
24 this was deemed after the prior discussion we had on
25 the previous contention, I think we are still in

1 legal analysis space, we are interpreting the
2 regulation. I'm not suggest that if there were a
3 factual contention that raised, for example whether
4 we have adequately applied the percolation rate or we
5 have adequately applied the geologic record. If
6 there is an admitted contention on that point.

7 I take hat back, the geologic record is a
8 different view.

9 On the percolation rate, if we adequately
10 applied it, in there is an admitted contention, if
11 they have said you have not adequately implemented
12 the regulation as written and used the constant in
13 time values, improperly, that would be a legitimate
14 factor issue. We are not there now. I think the
15 issue to be decided is may we use that percolation
16 rate as a permissible means for the regulation T.
17 answer is, yes, and we think the statements of
18 considerations support that and that is the
19 position. Require if I understand Dr. Wardwell's
20 point, though, he's giving you a load and taking
21 half of it back.

22 >> MR. SILVERMAN: Keeping a load?

23 HON. PAUL RYERSON: We understand your
24 position, we understand the DOE's position is that
25 the second part of 342.5 applies and that may as used

1 in that section is a get out of jail free card . You
2 are allowed ,your position is as a matter of law you
3 can use it to define percolation rates in the
4 post-10,000.

5 >> MR. SILVERMAN: And NRC anticipated that
6 because of the speculative issue.

7 HON. PAUL RYERSON: What Dr. Wardwell I
8 think is saying, suppose Nevada prevails on that, as
9 he sees, as he reads the regulation, there is still
10 no requirement anywhere that says you have to carry
11 forward. You might have to carry forward, but you
12 don't have to carry forward with the same
13 methodology.

14 >> MR. SILVERMAN: Absolutely.

15 HON. PAUL RYERSON: That's what he is
16 further saying, I think, is that on that question, on
17 whether you can substitute a new, a different,
18 methodology and you choose to elect the inapplicable
19 methodology that happens to exist in the latter part
20 of 342, then you are subject to a reasonableness
21 test. Then there would be a fact question so many of
22 you suggest an admissible contention on point. But
23 at least in theory, you would be subject to a factual
24 question on whether your choice was then reasonable.
25 So he's saying, there is another way to get there. I

1 agree, but the other way requires -- .

2 >> MR. SILVERMAN: I agree, we are not there
3 now. And we would need to go back to the contentions
4 as admitted unless and until Nevada files new
5 contentions to see if there were any that raised a
6 question about the adequacy of the methodology
7 used -- .

8 HON. PAUL RYERSON: I'm assuming.

9 >> MR. SILVERMAN: Assume the correctness of
10 their legal authorities.

11 HON. PAUL RYERSON: I'm distinguishing
12 between the adequacy of the compliance with the
13 specified perk rate and the more general notion of
14 whether it's appropriate to use that perk rate
15 instead of carrying forward the same methodology used
16 in the first 10,000. The year period.

17 >> MR. SILVERMAN: Absolutely.

18 >> JUDGE WARDWELL: And the ones they claim
19 would make a difference it would be 11 and 19. Those
20 are not --

21 >> MR. SILVERMAN: This really affects 20211
22 and 19.

23 >> JUDGE WARDWELL: Yes, 202. That's what
24 they effect, because 11 and 19 still have -- it's not
25 a pure legal contention like some of them are, where

1 they are designated a legal contention. These legal
2 questions came up as regards of reading 11 and 19 and
3 there is still a factual basis to those and now it's
4 a question of how do you interpret all the ways and
5 there is three ways to read these regs, and also
6 only applies to those prescreened, and also apply to
7 all effects going on to the post-10 or the and also
8 doesn't apply -- only applies to the prescreened ones
9 and screened out ones and those that you go forward
10 with the ones that have been screened in, the
11 methodology isn't dictated.

12 >> MR. SILVERMAN: You know, as we read the
13 rulemaking record here the NRC in our view contended
14 that beyond 10,000 years, regardless of the
15 situation, that it was acceptable to use the
16 percolation rate. And the EPA's view would be the
17 same, when the EPA adopted working on influencing
18 the NRC had to be consistent with, it dealt with this
19 issue in the federal register noticed, this is 161
20 fed reg 4059. They talk about the post-10,000 year
21 period, they say between 10,000 years and a million
22 years. There are 45 changes between six climate
23 states incorporated in the TSPA model, without
24 reviewing all the testing. They go on to say, we do
25 not believe to know with certainty when the climate

1 states peak precipitation occurred with modeling, et
2 set remarks et cetera, they would say it's reasonable
3 to conclude and believe the extent of climate change
4 can be reasonably represented by constant conditions
5 taking effect of 10,000 years, that the tenor of what
6 they were saying was after 10,000 years, there is too
7 much speculation and that it is acceptable and
8 appropriate to use percolation rate. And there is no
9 qualification there as to whether it was included,
10 excluded or otherwise.

11 >> JUDGE WARDWELL: Here's a softball
12 question for you to throw out. Given the ambiguity,
13 what logically makes sense to and also and
14 everything thereafter this applies to?

15 >> MR. SILVERMAN: I think ours is a logical
16 interpretation. I won't surprise you, that is there
17 was a recognition that it was very difficult and it
18 would produce undue speculation to extend
19 methodologies that might be acceptable for a 10,000
20 year period on climate change out beyond that time
21 and I refer you again to those statements of
22 consideration and that, therefore, and really I think
23 it applies to the seismic and the igneous and the
24 general corrosion provisions of 342 (c) .2. The
25 regulation says we're working on a million years,

1 we've got to come up with something that's
2 reasonable, that's managable.

3 It may not be perfect, but it provides a
4 some certainty to the apply tonight do an analysis
5 is reasonable, reasonably bounding for insurance of
6 protection of public health and safety and because
7 of the need to avoid speculation, we are going to
8 specify you may use these methods, in lieu of any
9 some other methods you may use during a period of
10 time.

11 >> JUDGE WARDWELL: Having thrown that
12 softball up to you when reading it under Nevada's
13 interpretation of it, though, re-reading it, doesn't
14 it seem like the language is more supportive of
15 theirs, even though it doesn't seem as logical?

16 >> MR. SILVERMAN: I don't read it that way.

17 >> JUDGE WARDWELL: I am surprised.

18 >> JUDGE MOORE: Mr. Silverman, help me.
19 How do you read and also to mean except as set forth
20 in the law?

21 Because under your interpretation, that
22 is --

23 >> MR. SILVERMAN: You mean except forth
24 above?

25 >> JUDGE WARDWELL: No, below. The 1, 2,

1 and 3, acceptable for 1, 2, and 3.

2 >> MR. SILVERMAN: Let me back up, I'm
3 getting confused. When I look at 2.34.2. (c) before
4 we get to the 1 it says in essence in book language
5 that if you've got a FEP included in the first 10,000
6 years, you need to include it beyond 10,000 years,
7 you need to project touch-tone effects of that FEP.
8 Okay.

9 >> JUDGE MOORE: Then it repeats itself.

10 >> MR. SILVERMAN: Where does it repeat
11 itself?

12 >> JUDGE MOORE: In the last sentence, all
13 of the features and processes. It just said that in
14 the previous sentence.

15 >> MR. SILVERMAN: Yes, it does repeat
16 itself.

17 >> JUDGE MOORE: Okay. Now you are to and
18 also and I will argument makes perfect sense to me
19 if you read and also as except as a set forth law
20 which is talking about 1, 2 and 3.

21 >> MR. SILVERMAN: That is essentially, that
22 is consistent with what we're saying.

23 >> JUDGE MOORE: And also just doesn't
24 express except as set forth in the law that you're
25 suggesting it does suggest several other

1 interpretations of, fact, I think the only ones, if
2 you are going to read it, and pay attention to the
3 regulatory language, you would have to accept the
4 other interpretations, but if the legislative history
5 is in the teeth of the regulatory language, which do
6 you follow?

7 >> MR. SILVERMAN: If the legislative
8 history flies in the face, if you will, of -- I don't
9 see it that way. Obviously, you follow the language
10 of the regulation when you interpret the language of
11 the regulation basically mean the and also, that the
12 first part before you get there says you have to
13 project FEPs to be included and the -- and also is
14 intended to mean, essentially, but if you have
15 exclude FEP in the first 10,000 years, you still have
16 to consider these four particular FEPs going forward.
17 And you may use these methodologists for doing so.

18 >> JUDGE MOORE: Okay. Staff.

19 >> MR. SILVERMAN: Thank you.

20 >> JUDGE MOORE:

21 >> JUDGE WARDWELL: If are you doing all the
22 work for Staff, why did you bring those other two
23 people with you by the way?

24 >> MS. SILVIA: They have a role in the
25 afternoon. Andrea Silvia on behalf of the NRC staff.

1 DOE must evaluate the effects of climate change in a
2 post-10,000.

3 Year period, one way to do this is to use
4 the specified depercolation rate in the rule. The
5 depercolation rate in the rule was intended to
6 account for all significant climate changes effects
7 in the first 10,000 year analysis and therefore can
8 strain it to limit unresolvable speculation
9 regarding future climatic cycle.

10 The same consideration for the final
11 post-10,000 year rule contains many statements that
12 support the staff interpretation. For example, in
13 describing the NRC's proposed rule, the Commission
14 stated with the respect to consideration effects
15 after 10,000 years, the NRC proposed to adopt spec
16 constraints -- the specific constraints EPA proposed
17 for FEPs after 10,000 years.

18 >> JUDGE WARDWELL: And can I interrupt you
19 quickly. It's your position the and also refers to
20 both FEPs that have been screened out for the 10,000.

21 An those that have been screened in for
22 the 10,000 years, if both of those carried forward,
23 can use the 1, 2, and 3 below to address being a
24 seismic climate change in corrosion?

25 >> MS. SILVIA: Yes. That quotation was

1 from page 10 A12 of the registered notice. In
2 describing the NRC's final rule the Commission stated
3 EPA's rule requires DOE to affect the climate period
4 after 10,000 years. This assessment is limited to
5 the effect of increased water through the repository.
6 That's at page 10 A13. In response to comments
7 regarding the proposed statements at 53114 the
8 competition stated the changes at 63114 insure the
9 performance assessment method such as the support and
10 treatment of FEPs will be at the same for the
11 performance, will be at the same or the periods
12 before and after 10,000 years, subject to the limits
13 on performance assessments after 63.342. That's at
14 page 10817.

15 In response to an NEI comment, the
16 Commission stated, DOE is required to include those
17 FEPs that are screened into the performance
18 assessments for the first 10,000 years after the
19 exposure and the FEPs specified, II, seismic, events
20 and processes and corrosion. This response was
21 specifically responding to a comment by NEI which
22 urges the NRC to clarify that FEPs that are screened
23 in for the first 10,000 years are the only FEPs this
24 need to be considered for entire preclosure years
25 and specific examples, NEI-- neither which are

1 identified in the specs specified not rules. The
2 comment was emphasizing the four FEPs need to be
3 considered regardless of whether they were included
4 in the initial 10, 000 year performance
5 assessments. It was not meant to the address how
6 these four FEPs could be addressed.

7 The EPA proposed rule also has language
8 that supports staff interpretations. For instance,
9 I had 70 Fed Reg page 05491 EPA stated with regard
10 to ingenious seismic and climate logical effects, we
11 propose to specify certain significant aspects or
12 characteristics of the event to which the elite may
13 limit it's analyses. On page 49059 the EPA stated,
14 there are too many uncertainties available in trying
15 to project a future set of climate conditions and it
16 is difficult to place specific times on one discreet
17 publication should be subjected into the modeling.
18 Instead, we believe that it is reasonable to assume
19 an average increase if precipitation over the entire
20 time frame from 10,000. Years through the period of
21 geologic stability and to model those consequences.
22 Further.

23 The language of the rule itself does
24 support Staff's interpretation . Section 63.342 is
25 entitled limit on performance assessments.

1 Subsection A and B state that DOE does not have to
2 consider very unlikely or unlikely FEPs and
3 subsection C, which we're talking about here, first
4 does provide that general direction that DOE has to
5 project the continued effects of FEP included in a
6 10,000 year performance assessment. The limits on
7 the performance assessment entitled in the rule are
8 pertained in the subsection, the and also language
9 indicates there are additional sections that qualify
10 or contain the general direction to carry forward
11 FEPs. Subsection 1 contains rules for seismic , 1 I
12 and I2 and Iii containing the limits for seismic and
13 ingenious activity analyses.

14 Sub section 2 contains limits and
15 subsection 3 provides methods to limit the analysis
16 of general corrosion. The intent of the Commission
17 that this Sprewell to provide a way for DOE to limit
18 it's climb change announces the reflective in the
19 statements of consideration at page 10 E13.

20 The commission stated the effects selected
21 for use in the performance assessment for the first
22 10,000 years should also be used for projecting
23 repository performance after 10,000.

24 Years. NRC adopted additional constraints
25 in the performance assessments of a period of time

1 after 10,000 years.

2 >> JUDGE WARDWELL: If I heard you correctly
3 on that, they didn't say anything about these FEPs
4 that have been screened out for this, is that right?

5 Read that again? I missed that.

6 >> MS. SILVIA: It says "the effects
7 selected for use for the first 10,000 years should
8 also be used for projecting repositories performance
9 for after 10,000 years. NRC adopts EPA's additional
10 constraints for the inclusion of seismic activities
11 igneous activity, climate change and general
12 corrosion for the period of time after 10,000 years.
13 In an average construction leads to a redundant
14 analysis. 63.342 C-2 allows DOE to use depercolation
15 rates. If DOE uses this approach and is required to
16 perform analysis DOE is forced to carry out a
17 redundant analysis. Because the specified
18 depercolation rate already accounts for future
19 processes related to climate change, such as net
20 infiltration and anthropogenic -- -

21 The number and increases, of national
22 science change and temporal climate conditions
23 requires DOE to consider such effects in addition to
24 the depercolation rate is did you make --
25 consequently, they should not carry forward the

1 analyses if it uses the depercolation rate specified
2 in the rule.

3 >> JUDGE MOORE: Counsel, Mr. Malsch, you
4 wanted a brief rebuttal?

5 >> MR. MALSCH: Yes, thank you. I'll be
6 brief, briefly. I just want to address the point
7 just made about how our interpretation would lead to
8 redundant analysis. The language here in 342-point
9 C.2 is may represent climate change by constant
10 times, values or conditions and it may, if it chooses
11 to do so, shall use the depercolation rates specified
12 in the NRC rule. The word is "may".

13 So presumably, if doing so would result in
14 duplication and redundant analyses, we wouldn't
15 choose to do so we would choose to do something else
16 instead. There is never any requirement as we read
17 it for redundant and consistent analysis.

18 >> JUDGE WARDWELL: To my one question, you
19 seem to, when you start off with your first
20 presentation, your first set of arguments, you
21 recognize the ambiguity in the regulations, how
22 difficult they are.

23 I don't know how to word it. I know what
24 I'm going to get for an answer, but it seems to me,
25 the logical reading of this would be that 1, 2 and 3

1 3 of (c) to anything in the post-10,000 year period.
2 Whether they have been screened out or screened in.
3 That just makes logical sense to me. It's in la-la
4 land. Here's a way to do it from here on in.

5 On the other hand, I understand your
6 arguments, but it wasn't until you brought it up
7 that I even thought that was a way to interpret the
8 language. Besides your previous arguments, is there
9 anything else you could contribute that helps
10 overcome the very common sense reading of these,
11 meaning that 1 through 2 and 3 should apply to any
12 fact, whether it was screened out or screened in?

13 >> MR. MALSCH: Well, let me say two things
14 in response to that. First of all, we have to be
15 respectful of the language also language and,
16 secondly, I think the regulations should be construed
17 to give Nevada a chance to make arguments about how
18 post-climate change should be considered in the
19 post-10,000 year period. It seems to me if we make a
20 case that it is not speculative and doesn't result in
21 unfounded uncertainty to consider climate change
22 processes and ways other than as specified in 342-(c)
23 .2, we should be given a chance to do so. And if it
24 turns out we're wrong and that's unfounded and
25 speculative, so be it, our contention loses on the

1 merits, not on the basis of legal argument.

2 >> JUDGE WARDWELL: Did you understand the
3 different reading that I had than I thought you had
4 of the regulations and --

5 >> MR. MALSCH: Yes, I did.

6 >> JUDGE WARDWELL: And if you want to
7 accept my reading of it, never mind. I strike that
8 question before I ask it, before I get you to answer.

9 >> MR. MALSCH: I will say this, when one
10 thinks a lot about this issue, the principle effect
11 is to give ones self a very large headache. Thank
12 you.

13 >> JUDGE MOORE: Thank you. Thank you.
14 Just using Mr. Malsch's words, it's a good time to
15 get rid of the headache. So we will break for 90
16 minutes for lunch. We'll re-convene at 1:30 and take
17 up Issue 5. Thank you.

18 (Whereupon a lucheon recess was taken)

19 >> JUDGE MOORE: We will commence with Issue 5,
20 Mr. Malsch.

21 >> MR. MALSCH: Thank you. Issue 5 deals with
22 Nevada contention safety 041 which provides that land
23 surfaces and erosion in Yucca Mountain is a ongoing process.
24 It will continue both before and after 10,000 years and
25 therefore will eventually be reached where the repository

1 drifts are actually the waste canisters will be exposed
2 directly to the environment, surely a worst case scenario.

3 The legal question assumes as Nevada 041 provides
4 erosion will continually increase and be increasingly
5 adverse to performance both before and after 10,000 years
6 and the question is posed whether in these circumstances
7 Part 63 requires us to ignore the radiological consequences
8 for erosion after 10,000 years if it turns out there is no
9 effect on dose release before 10,000 years.

10 Now, the regulatory context here is important to
11 understand because erosion is not one of the four FEPs
12 listed so unless it is screened in for the first 10,000
13 year, it is out the next 990,000 years and therefore, the
14 issue is framed in terms of the FEP screening criteria for
15 the first 10,000 years.

16 That is an issue, what are the FEPs screening
17 criteria for the first 10,000 years, specifically, must a
18 FEP like erosion which is an ongoing process be speeded up
19 if it does not change dose or releases in the first 10,000
20 years? We say no. DOE and Staff say yes.

21 Interpretation means a relationship between --
22 depend on the interpretation among 3 NRC regulations,
23 63.342(a) 63.102(j) and 63.11(a)5. And let me turn first to
24 342(a) which is DOE staff's favorite.

25 342(a) says that DOE needs to know -- evaluate the

1 impact resulting from any process if the results of
2 performance assessment would not be changed significantly in
3 the initial 10,000 year period after disposal.

4 Okay, but what does -- what is meant here by
5 results? The results mean the ultimate results, namely, the
6 calculated -- calculations of doses. Or the results include
7 intermediate effects such as effect on erosion.

8 Right away, Staff's and DOE's interpretation runs
9 into kind of a problem.

10 You can't calculate doses or releases without
11 having at least some framework and performance assessment.
12 But the first step in doing a performance assessment is
13 select the effects.

14 So you can't have FEPs without a performance
15 assessment but then you can't have performance assessment
16 without FEPs. So DOE's interpretation is an immediate
17 catch 22 problem.

18 Putting that aside, DOE relies here on two
19 regulations, 63.2, and 63.113 and they relied upon the
20 define what is meant in 342(a) by the term "results in
21 phrase results performance assessments would not be changed
22 significantly.

23 But neither of these regulations really gets it
24 anywhere.

25 42.2 justify a performance assessment in a way

1 that several products or results are produced including not
2 just an dose but also, effects of FEPs on system
3 performance.

4 There is no definition here of what results mean
5 and surely, no clear indication that results mean 342(a)
6 could be only ultimately effects on dose and releases.

7 And the other regulations DOE refer to was 43113
8 hospes fights whether it ultimate result of performance
9 assessment and does not define results or results within the
10 meaning of 342(a).

11 So we don't believe that 342(a) supports DOE all
12 that much.

13 The next regulation to look at a is 43.114(a) 5.
14 This says quote, "FEPs must evaluated in detail if the
15 magnitude and time of resulting radiological exposure to
16 RAI or radioactive nucleoid releases environment for 10,000
17 years after disposal would be significantly changed by their
18 omission.

19 Well, providing certain FEPs must be evaluated is
20 not necessarily inconsistent with the idea that other FEPs
21 must be evaluated as well but DOE's interpretation here
22 runs into a serious safety problem. The regulation says to
23 be screened in must effect both the timing and magnitude of
24 exposure.

25 So, under Staff's and DOE's theory, a FEP would

1 increase releases and doses to lethal levels of RAI would be
2 screened out of the assessment if it turned out that those
3 releases or doses appear -- timing of their appearance did
4 not change under the regulation, not just slow an effect on
5 both the timing and release.

6 So you can't read 114(a) 5 as a basis for
7 screening out every FEP that does not meet this particular
8 standard.

9 And that leaves 63102(J) which we think clearly
10 supported Nevada and it says the performance assessment is
11 a systematic analysis among other things identified the
12 processes and event that might affect performance of the
13 repository and quote, those features and processes expected
14 to material effect compliance with 63.113(b), the dose
15 standard or the potentially, adverse performance included.

16 Now, the order here is significant. Either kind
17 of screened -- either kind of effect the FEP and these
18 provisions, these provisions must mean different things.
19 That's why the Order is significant.

20 You can be screen in either because of the effect
21 on dose or performance.

22 >> JUDGE RYERSON: Mr. Malsch, do you see any
23 significance to the fact you're reading from a section
24 called concept which is designed to provide a functional
25 overview of the subpart and does that have any significance

1 or prescriptive value?

2 >> MR. MALSCH: I don't think so. I think it is
3 on a view of the other sections in the regulation..

4 Certainly is an older view to interpretation let
5 say 62242(a) but more importantly, if you look at 102, there
6 are actual requirements in 102.

7 So it is not just a decrease. It actually have
8 requirements in it.

9 >> JUDGE MOORE: Is the word functional before
10 overview significant? It says provide a functional
11 overview.

12 >> MR. MALSCH: Well, it does suggest in its
13 adding information to help you understand the sections that
14 follow. I guess in that sense, it is helpful.

15 But I don't think you can dismiss what it says
16 here just because it's titled functional overview.

17 >> JUDGE WARDWELL: There any definition of what
18 would be potentially adverse to performance?

19 >> MR. MALSCH: Not really.

20 There is an implication in another part of 102(j)
21 that gives examples of adverse performance as things like
22 potentially adverse effects of fracture --that's an example
23 of a FEP which would be potentially adverse to performance.
24 That sort of supports Nevada's position.

25 >> JUDGE WARDWELL: Doesn't the sentence that you

1 just read goes on to say whether events, classes, scenario
2 classes that are very unlikely, less than one chance over
3 10,000 years can be excluded from the analysis in 102(j)?

4 >> MR. MALSCH: Yes.

5 >> JUDGE WARDWELL: How does that relate -- this
6 says that in the first half of the sentence, it says oh gee,
7 you got to include these are adverse to performance. But
8 then goes on to say, but you can't exclude those that have
9 less than one and ten to minus 8 chances of occurring.

10 Would not one say that must be the definition of
11 when it is potentially significant or not. Correct?

12 >> MR. MALSCH: You have two different types of
13 FEP screening and the consequence screening criteria and I
14 think when this is talking about the consequence screening
15 criteria, it says as I quoted, that was expected to affect
16 compliance and filled with potential adverse are included.
17 I think that is significant.

18 I think our interpretation is the best one and the
19 only one that harmonize all three of the regulations 342(a),
20 102(j) and 114(a)5. But perhaps more importantly, if we
21 construe the regulation as Staff and DOE would have us
22 construe them, we would ignore a potentially very serious
23 safety problem, erosion of repository. And this is contrary
24 for interpretation that you must construe the regulations so
25 as to be consistent with public, health and safety.

1 The Staff's interpretation reminds me of a little
2 story about an office worker on the 50th floor of the
3 Empire State Building, walks to the window and sees that
4 some man has fallen off the top of the building and is
5 falling past window.

6 As the man flies past the window, the office
7 worker asks, how is your health? And the man replies, no
8 problem so far. That's pretty much the Staff's position.
9 It was erosion, no problem so far is good enough. I think
10 that interpretation is contrary to safety and should not be
11 followed here.

12 >> JUDGE WARDWELL: Can I go back to the sentence
13 on 102(j) where it allows very specifically that if any
14 event is unlikely, it can be excluded regardless of the
15 consequence?

16 >> MR. MALSCH: That is true, a separate screening
17 criteria.

18 >> JUDGE WARDWELL: And has not erosion been
19 screened by that process as best you know?

20 >> MR. MALSCH: I think so far if you believe DOE,
21 it has been screened out on the basis of low consequence. I
22 believe that's the case.

23 But of course, the question really is whether DOE
24 is correct in that respect. And we say no.

25 If there are no questions, I would like to

1 reserve a few minutes for rebuttal.

2 >> JUDGE MOORE: Thank you.

3 DOE?

4 >> MR. KUYLER: Good afternoon Your Honors, Rick
5 Kuyler for the Department of Energy. In addressing this
6 legal issue, I first would like to point to the Board's
7 attention that in other pleadings on other issues before
8 this Board, state has effectively conceded and agreed upon
9 legal issues in DOE's favor and I'll explain that. And
10 then, I would like to respond to some of the quotes that
11 Mr. Malsch says in his oral argument. First, the legal
12 issue is whether given that a FEP is properly excluded from
13 the performance assessment during the first 10,000 years,
14 whether they might consider this FEP in a million year
15 performance assessment.

16 And as explained to you, the plain text of
17 63.342(c) which is the regulation that we are seeking to
18 interpret today includes no requirement to include erosion
19 as a FEP in a million year assessment if it is not included
20 in the first ten thousand years.

21 The State has admitted other briefs before this
22 Board that 63.342(c) cuts against it.

23 This is 6302. This contention was proffered after
24 the 2009 final rule that essentially copies the text of the
25 Nevada Safety 41 and adds in the question 242 be waived

1 specifically for this erosion FEP. And in the course of
2 asking for a waiver of the Commission's rule in this regard,
3 the State in a number of occasions admits that the
4 regulation cuts against it.

5 On page 10, of United States 203, " The implicit
6 limitation of 63,342(c) has the effect of excluding this
7 contention." And again, this contention is the same
8 contention that we're talking about today effectively.

9 Second, on page 11, because DOE excludes land
10 surface erosion for the 10,000 year assessment, it is not
11 required to include it in the post 10,000 year assessment.
12 And that is precisely the position on this -- And finally on
13 page 14 of the State's reply on Nevada Safety 203, the state
14 explains why it believes the Commission promulgated the rule
15 that it did. The.

16 State says Nevada challenges the Commission
17 judgment in its final rule that there would be no
18 unreasonable risk to the public, health and safety. FEP in
19 the 10,000 performance assessment were limited to those
20 included in the 10,000 year assessment plus the particular
21 FEPs identified in 342(c) of which erosion is not on that
22 list.

23 Perhaps recognizing that 342(c) cuts against it,
24 the State in its legal briefing attempts to change the
25 subject and focus our attention on 63.102(j) but neither the

1 original contention, raises the question of what the effect
2 of that regulation is. So the State is essentially asking a
3 decision on which regulations are controlling, 102(j) or
4 342(c).

5 I think we explained that 342(c) is clearly a
6 controlling regulation. Based on the plain text of the
7 regulation --

8 >> JUDGE WARDWELL: Could you elaborate a little
9 more on why -- certainly, you got the definition of a legal
10 question but let's dig into addressing the legal question
11 and then a process. Now 63.114 is brought up that if
12 radiological -- radio nucleoid releases is the accessible,
13 would be significantly changed by their emission, than the
14 FEP should be included. And I certainly believe that as a
15 merits issue, one would want to logically determine whether
16 or not the task would be exposed in a million year period
17 because certainly, that would result in a release that would
18 be significant, I think would be fairly obvious by most
19 people. So why isn't that of importance in our assessing
20 this legal question?

21 >> MR. KUYLER: That is the State's allegation,
22 factual allegation in this contention, and in its waiver
23 request in 203. But the Commission reached an opposite
24 technical conclusion, not only the Commission but most of
25 the EPA as well, reached an opposite technical conclusion

1 that erosion was not on the list of FEPs.

2 >> JUDGE WARDWELL: Point to me where the
3 Commission said, we have looked at erosion and will exclude
4 it?

5 >> MR. KUYLER: That is not stated.

6 >> JUDGE WARDWELL: Thank you.

7 >> JUDGE MOORE: Counsel, will the resolution of
8 the waiver petition moot this issue?

9 >> MR. KUYLER: I think that this issue comes
10 before the waiver petition issue. If this legal issue is
11 found for DOE, then, the waiver petition has yet to be
12 determined. That remains pending if the legal issue is
13 found for Nevada and there would be no rule to waive and it
14 -- because they would have gotten the same result as if the
15 Commission had --

16 >> JUDGE RYERSON: If I recall 202 asks for a
17 waiver in the alternative. And 203 is really not a
18 contention as it is simply a request for a waiver, as I
19 recall.

20 >> MR. KUYLER: That's correct, Your Honor and
21 that's why we believe that 203 itself is effectively a
22 concession of this legal issue because it was not couched in
23 the alternative.

24 >> JUDGE MOORE: Go ahead.

25 >> MR. KUYLER: In looking at both the text and

1 the regulatory history of 342(c) 102(j), I think it is clear
2 342(c) sets limit on performance assessment which specifies
3 how whether a FEP is to be included or not in the million
4 year performance assessment particularly while 102(j)
5 provides a functional overview.

6 In the statements of consideration for 102(j),
7 the Commission stated that except for Section 102 of subpart
8 E, sets forth requirements for performance objectives.

9 So, 102(j) does not set substantive criteria.

10 This date offers further explanation of why 102(j)
11 would change the reading of 342(c).

12 And I think I heard the State correctly say
13 earlier that essentially, their position is the structure of
14 the regulation and where it appears in the history of the
15 regulation really does not make much difference in how to
16 interpret.

17 >> JUDGE RYERSON: If I understand one of
18 Mr. Malsch's argument, it is essentially something like
19 this; Like many of these regulations, the regulations might
20 be read or harmonized one way or the other, a certain
21 ambiguity.

22 His point was if I understand it, that well, in
23 that situation, the NRC should be interpreting regulations
24 on the side of safety and concern about public health and
25 safety.

1 Do you have a response to that? I mean, it would
2 seem that -- do you disagree that erosion clearly seems like
3 a process that might not have any significant effect in the
4 first 10,000 years and could be very, very likely to have an
5 enormous effect in the remaining 990,000 years. That's the
6 nature of erosion. I don't think you would be anxious to
7 buy a house on Chesapeake on Calvert Cliffs that would set
8 back 150 feet if you had 10 feet of erosion every year.

9 What's your response to his practical argument?

10 >> MR. KUYLER: The factual allegation to a layman
11 may seem reasonable but I think that the Commission reached
12 a different conclusion that there was specified FEPs that
13 were chosen that could have a significant effect. And I
14 think there is clear language in the regulatory history that
15 they did not name erosion, but they looked at a number of
16 different possibilities and concluded that the key FEPs that
17 might have been excluded in the first 10,000 years,
18 particularly, general corrosion was discussed would be
19 something that would definitely have an effect. And in the
20 interest of limiting speculation and not introducing a
21 second or third speculative analysis, EPA and the Commission
22 chose to exclude.

23 If there is a legitimate factual issue challenging
24 the Commission's rule on this, then, the waiver of petition
25 would be the correct one and a significant one.

1 As far as construing the regulations to -- in the
2 course of public health and safety, and the brook case in
3 that regard, but don't think that case suggests that the
4 Board can revise a Commission's judgment regarding public
5 health and safety and rewrite the regulation.

6 And again, keeping in mind that the State is
7 effectively conceded this is the Commission's judgment
8 regarding public health and safety.

9 >> JUDGE WARDWELL: Do you have a problem if we do
10 make a decision with regard to public safety if we find that
11 there wasn't strong evidence that the Commission nor EPA
12 really considered erosion or any other aspect?

13 Maybe they just flat overlooked it. People are
14 human and just didn't think of it.

15 Now, it comes to light and oh, gee, that's an
16 obvious one that may be should have been looked at.

17 >> MR. KUYLER: That was on 203. That's not the
18 legal issue that we're discussing today. So DOE has
19 submitted its response to that safety 203-6789 and
20 explained why we believe that waiver should not be granted.

21 State raises a couple of different issues in its
22 reply mentioned in oral argument today that I would like to
23 address. First is the alleged catch 22 in our
24 interpretation of the word "results". The State says
25 results mean calculated dose, no performance assessment

1 capable of producing such results unless events and
2 processes were selected. I think that really ignores the
3 structure of what a performance assessment is. It includes
4 the screening of FEPs and then, taking the included FEPs and
5 running the total system for the assessment to compare the
6 results to doses and releases.

7 So there is no catch 22.

8 The State also points to an alleged unsafe result
9 if one follow the plain text of 114(a)5.

10 This provision specify FEPs must be evaluated in
11 detail, if the magnitude and time of the resulting would be
12 significantly changed by their omission.

13 State focuses on magnitude and time and says our
14 interpretation of this regulation is incorrect.

15 First, we did not offer any interpretation of that
16 regulation. We have merely quoted it in our brief.

17 The State quotes the very same regulation in its
18 contention, raises no dispute of that issue.

19 And DOE also conducted FEPs screening analysis for
20 the erosion FEP under a more conservative approach and
21 specified in 114 (a)5 the analysis shows that magnitude
22 resulting doses and releases would not be significantly
23 changed within the first 10,000 years.

24 And so, we think that issue is a red herring.

25 So --

1 >> JUDGE MOORE: Wrap it up, counsel.

2 >> No further questions.

3 >> JUDGE MOORE: NRC Staff.

4 >> MR. GENDELMAN: Good afternoon Your Honor, Adam
5 Gendelman for NRC staff. I would like to begin with
6 something that the Board met with the Commission's
7 consideration of erosion and Part 63 rulemaking.

8 The Commission discuss comments about geometric
9 characteristics which include erosion and landslides in the
10 final March, 2009 rulemaking at its 74 Federal Register, 10
11 equal nine to 10.820.

12 Centrally, Section 801 of the Energy Policy Act of
13 1992 requires that NRC's regulations be consistent with that
14 of EPA and The National Academy of Sciences. In the
15 August 2005 proposed rule, 70FR 49058, EPA discussed EPA's
16 finding and made its own. " The EPA pointed out that the
17 site specific studies performed by DOE indicate increasing
18 erosion to the extent necessary to expose the repository
19 within the period of geologic stability is extremely
20 unlikely citing the reported page 91 and EPA speaking,
21 "therefore, we do not believe it is important or necessary
22 to require DOE to assess potential for erosion for climate
23 change." And the final adoption was at 73FR 61284.

24 The Energy Policy Act requires the NRC promulgate
25 regulations not consistent with those of EPA and so the

1 Commission did consider consistent with EPA did not give it
2 special treatment in the post 10,000 year period.

3 >> JUDGE WARDWELL: Can you cite that where the
4 Commission says that specifically with regard to
5 accepting or evaluating EPA'S suggestion recommendations
6 in relationship to erosion specifically.

7 >> MR. GENDELMAN: Beyond the discussion of
8 geomorphic characteristics in the final rule, no.

9 >> JUDGE WARDWELL: Thank you.

10 >> >> MR. GENDELMAN: Inclusion of the post 10,000
11 year performance assessment would also require
12 Commission consideration of deep perforation rate other
13 than that specified in 73342 C 2 as Nevada has stated --

14 >> JUDGE WARDWELL: Could you say that again.

15 >> MR. GENDELMAN: I'm sorry, Your Honor. Inclusion
16 of this fact in the post 10,000 year assessment would
17 require use of a percolation rate that is if this FEP
18 was carried in the post 10,000 year period. It would
19 require use of infiltration percolation rates other than
20 those specified in 63.342(c)2.

21 >> JUDGE WARDWELL: Why would that be necessary
22 true? Mostly what I heard them say in their concern is
23 that the cask would be exposed. They didn't relate it
24 anywhere to infiltration. Now, certainly maybe
25 infiltration really won't change. It's just the casks

1 will be exposed. I didn't have much argument.

2 >> MR. GENDELMAN: Your Honor, I'm beginning with
3 the language of the legal issue itself. Discussing
4 erosion shown in increase in infiltration.

5 >> JUDGE WARDWELL: But aren't they using that
6 strictly as a demonstration that there would be some
7 adverse performance that might be potential because it
8 has shown some detrimental effects during a pre-10 K
9 period that says hey, does not make sense to look at it
10 during the post ten. And our concern is that the whole
11 cask may eventually be exposed?

12 >> >> MR. GENDELMAN: Well, I think insofar as that
13 issue suggest, manifest as an increase in seepage --

14 >> JUDGE WARDWELL: The constant I is a
15 post-closure effort and this discussion, the legal question
16 is that a pre-10-K discussion that was with regard to legal
17 issue? So it has nothing do with the constant I.

18 >> MR. GENDELMAN: I want to make sure I understand
19 the question.

20 >> JUDGE WARDWELL: Good, then you can explain it
21 to me too.

22 >> MR. GENDELMAN: In the post 10,000 year
23 assessment, it's the Staff's understanding that the way this
24 would manifest as potentially detrimental for performance
25 would be through among other things, an increase in the

1 de-percoration rate.

2 >> JUDGE WARDWELL: But not necessarily so.

3 It's just a pure physical removal of material
4 regardless of the I rate, their concern is hey, you may
5 remove all the material and expose the cask as I heard them
6 say in the post 10,000 year period. That's their concern.

7 And you know, other people brought up, oh yeah,
8 that also means the change in the I. It may or may not.

9 The I rate may be the same, the total volume of
10 water or the timing of any infiltration may decrease because
11 it's getting thinner but the I does not necessarily as a
12 factual issue that would need to be brought up at hearing
13 for the post 10,000 year period.

14 I think they are assessing and certainly could
15 just look at the mechanical removal of the thickness of
16 material, could they not?

17 >> MR. GENDELMAN: They could and I think that
18 certainly goes more to merit which of course is not an issue
19 here.

20 As to the other argument regarding the explicit
21 provisions of Section 63.342(a), as Nevada has stated if
22 this FEP is screened out in the first 10,000, there is no
23 other operation included with these screened out in the post
24 10,000. And while possible impact performance, one of the
25 assumptions in this legal issue is that there is no showing

1 of an increase in radiological exposures or releases.

2 And I think this gets to something that was
3 discussed before the definition of the results for 342 and
4 for 114.

5 The definition of performance assessment in
6 section 43.2-in section 63.2 is that first, identifying the
7 feature of event and processes and I'm paraphrasing, or
8 sequence of FEPs that might affect the outcome of disposal
9 system, that identification. Second, examines the effect of
10 those FEPs and sequences of events and processes upon the
11 performance.

12 And then, third, estimates the dose incurred
13 including associated uncertainties as a result of releases
14 caused by effects. And so, the Staff argued that the only
15 reasonable reading of results with respect to the
16 performance assessment is the -- that the third aspect, the
17 dose result which is what performance is definitively
18 measured by. The performance of repository is definitively
19 combines with the requirements in 63.311, 321 and 331 for
20 the different dose requirements.

21 And so, reading results as the dose and the
22 definition of performance assessment, then, 114(b)5 and 342
23 discussing the significant change in the results of the
24 performance assessment meaning significant change in dose
25 which again, I think is very successful and start thinking

1 of what the performance assessment is accessing would lead
2 one to conclude that the FEP in the first 10,000 years did
3 not significantly affect that result. It would be screened
4 out.

5 And in this case, the assumption is there is no
6 showing of any change of a significant one. That Your
7 Honors, the assumptions in this legal issue require that
8 this FEP be screened out in the first 10,000 year period and
9 therefore under 63.342, in the post 10,000 years.

10 Unless the Court has any questions, I don't have
11 anything further.

12 >> JUDGE MOORE: Thank you Counsel.

13 Mr. Malsch, you wish brief rebuttal?

14 >> MR. MALSCH: Yes, thank you. Just two quick
15 points. First of all, I don't propose to repeat it here but
16 there has been extensive discussion whether the Commission
17 in fact considered erosion in connection with its 2005, 2006
18 rulemaking and the post 10,000 year performance assessment
19 that discussions in connection with our rule waiver
20 petition, Nevada Safety 203 so I would refer to the Board
21 that discussion with respect to the issue whether the
22 Commission considered erosion actually in the post 10,000
23 year period.

24 The only other point that I wanted to address was
25 some proposed concession. I don't understand that.

1 We filed a rule waiver on the premise that we
2 could lose on this issue and that we could be in a situation
3 where erosion could be screened out in the first 10,000
4 years because that's the premise for our petition because
5 we don't know how this Board is going to come out and we
6 don't know how the ultimate proof will come out on how fast
7 erosion progresses.

8 So that is not any kind of concession, it's just
9 setting up a factual premise for to make our rulemaking
10 petition a meaningful one so that it actually is correctly
11 framed. So I do not understand how you can make any
12 concessions on this particular issue.

13 >> JUDGE MOORE: If as the Staff points out, EPA
14 in its rule did consider erosion, and the NRC has to adopt
15 consistent standards, would it not necessarily be
16 inconsistent for the Commission to have included erosion?

17 >> MR. MALSCH: I don't think so.

18 First of all, the rule, EPA rule does not have any
19 mention of erosion. What you find is some indication in the
20 rulemaking history, that EPA considered erosion. But the
21 requirement and statute is that the NRC rule must be
22 consistent with the EPA rule. There is no mention here of
23 the rulemaking history necessarily.

24 But more importantly, I think the EPA rule which
25 is in 197 -- 19736 has introductory clause section accept

1 as-condition introductory clause on the nature of the
2 statute because policy act which is the in effect, EPA rules
3 are minimum requirements NRC is consistent with EPA rule as
4 long as requirement are equal to EPA minimum requirements
5 but NRC has the authority under the public health and safety
6 to ask for more.

7 That simply turns us away from the rule into what
8 the NRC rule provides and thus been arguing about so far
9 earlier this morning.

10 So I don't see how the EPA rule is controlling one
11 way or the other.

12 Thank you.

13 Thank you.

14 >> JUDGE MOORE: Would you like to go ahead and
15 address Issue 6?

16 >> MR. MALSCH: Yes.

17 In Issue 6, Nevada argues that preliminary and
18 conceptual repository design information is insufficient.

19 And that final design information must be provided
20 in the license application. And by final design
21 information, meaning that level of design information one
22 finds in a typical final safety analysis report under Part
23 50 operating and a combined license application under Part
24 52 and DOE staff disagreed.

25 The resolution of issue we believe turns upon

1 looking carefully at licensing process in Part 53 and its
2 history as it's solves from Part 60.

3 Part 63 does not use adjectives "final" or
4 "conceptual" or "preliminary" in specifying the amount of
5 design the required in the license application.

6 In two places it does ask for information from DOE
7 that might affect or might influence the final design but
8 that does not necessarily mean as DOE would have it the
9 final design is yet to be developed. It could just as
10 easily be the final design information, the final design is
11 available and should be included in the license application
12 but the NRC wanted a full and complete disclosure from DOE
13 of not only factors that it knew influenced and in fact
14 affected the final design but disclosure of facts that one
15 time, they thought may influence or impact the final design
16 so NRC could do in effect, a second guessing of DOE design
17 evaluation.

18 So I don't think the brief references here twice
19 to final design carries one way or the other.

20 Instead, what I think is more important is to look
21 at the overall structure of Part 63.

22 34069 importantly, there is only a single license
23 application under Part 63 and only one safety analysis
24 report.

25 There is no separate application to operate,

1 merely, update of the application construct and the
2 regulations specify the content of that update 63.24 in
3 that regulation, there is no specifically requirement to
4 deal with any design safety evaluation or submit any design
5 information.

6 So there is only one safety analysis and only one
7 review of design under Part 63 and that takes place at the
8 construction authorization stage.

9 In NRC practice, that usually means that FSAR
10 level is insufficient and talking here about an FSAR level
11 design information.

12 The second indication and the second regulation to
13 take a peek at 6321(c)3R.

14 This says there is the application and
15 construction authorization stage must include quote,
16 dimensions, material properties, specifications, and
17 analytical and design methods along with any applicable
18 codes and standards.

19 This language very closely resembles the language
20 in a 52.79 (a)4 which specifies the difference in terms of
21 design information, application for a combined license which
22 that regulation makes clear is an FSAR level design.

23 The contrast with 5204(a)3 which describes what is
24 a FSAR level of design information, a preliminary design
25 information, that is described as consisting only of general

1 arrangement and approximate dimensions.

2 Here, we have not general arrangements and
3 approximate dimensions but instead a requirement that there
4 be a description of specifications, arrangements and
5 dimensions, nothing approximate or preliminary about it at
6 all.

7 The license process which led to Part 63
8 reinforces this concept, that it was deliberate departure
9 from the old 2 stage licensing process in Part 50.

10 The most important part of that history is we
11 submit the indicate the indication very early on at formal
12 safety reviews would be conditioned before financial and
13 institutional commitment could influence the review. That's
14 the 44 fed 70410.

15 So the clear implication is here that all design
16 safety reviews would be completed before the repository was
17 constructed and there would be a related financial
18 institutional. So in summary, we believe the regulations
19 and history indicate that Part 62 is a deliberate departure
20 from Part 63, intended only one design safe and that at the
21 construction authorization stage, this review takes place
22 before significant financial commitments.

23 This normally NRC practice suggests there must be
24 an FARS design and the language intends to confirm this.

25 We believe the closest analogy to Part 63 is the

1 combined licensing process in Part 52 which under 5279
2 clearly requires a design information at the construction
3 authorization stage.

4 The history side cited by Staff just calling a
5 process multi-step or multi-staged does not tell us a whole
6 lot about what kind of information must be included in a
7 particular stage and calling Part 63 risk-informed, does not
8 because after all, Part 52, the combined license application
9 requirements call for a final design information which
10 clearly that is risk-informed so there is nothing
11 incompatible with the idea of a regulation being
12 risk-informed and the idea that at the construction
13 authorization stage must include final design information.

14 I think the most difficult question here is
15 whether is to be for what is wrong with looking at the
16 application here and deciding on a structure system or
17 component basis, SSE basis by basis, whether the information
18 is clearly not sufficient to do the necessary safety
19 evaluation. This would be a case-by-case approach involving
20 difficult judgments and in each case about level -- what
21 level of design information is sufficient.

22 And I would concede that in theory, that could be
23 done and after all, that was done for all hundred reactors
24 or so in operation today, did not necessarily produce an
25 unsafe result, but what it did produce results in which

1 there was considerable instability and constant back fitting
2 because the practice -- as practice and history developed,
3 turned out that when the final design was developed and
4 issues arose, with the result that an application were filed
5 with operating license stage, there was a constant need for
6 very expensive back fitting and regulatory changes.

7 I think the regulatory history shows a deliberate
8 intent to avoid and prevent that situation from occurring
9 and that's why case-by-case judgment would be insufficient.

10 >> JUDGE MOORE: But don't the analogies break
11 down when you consider that you're talking a hundred year
12 span of time from the greater number of construction permit
13 to final closure? An awful lot can happen in a hundred
14 years.

15 MR. MALSCH: Well, that's true but I'm really
16 focusing on the span of time between construction
17 authorization and authorization to construct waste.

18 They were talking about four or five years. It is
19 interesting if you look at regulation that define the
20 content of the application to amend the license for final
21 closure, there is nothing to hear about design the
22 assumption is it's already been settled. Nor is there any
23 indication to -- the updated application to receive there
24 is no indication there that is any design information to be
25 submitted.

1 The clear assumption is whatever you need by way
2 of design information, is in the application at the
3 construction authorization stage.

4 And I think the history of regulatory process for
5 complex facilities under Atomic Energy Act, that is
6 associated with a final level of design information, not a
7 preliminary.

8 >> JUDGE RYERSON: Is this to some extent, Mr.
9 Malsch, a semantic distinction that we are perhaps drawing?
10 I have some concern about where resolution of the issue as
11 it has been put to us today as to where that takes us.

12 Now, there are two contentions, the two identical
13 contentions I think, 146 and 201 basically say the same
14 thing.

15 So those contentions would be resolved by our
16 decision. But beyond that, don't we have an obligation in
17 other contentions that deal with a sufficiency of the design
18 information to basically look at each of those as a factual
19 matter and it's not clear to me how much resolution of this
20 issue will affect that.

21 Can you comment on that?

22 >> MR. MALSCH: I think if this issue is resolved
23 in our favor, that should effectually moot those other
24 contention because it will turn out that for those other
25 contentions, needed final design information that was not

1 provided.

2 >> JUDGE RYERSON: So you would envision summary
3 disposition on those?

4 >> MR. MALSCH: We would.

5 Just to give you an indication by way of
6 background, typically, a preliminary safety analysis report
7 is submitted at a stage when at least for safety structure,
8 this is from components, the level of design is about
9 30 percent complete.

10 And FSAR level design is about 70 percent
11 complete.

12 In a PSAR, the application usually contains
13 criteria, codes and standards and then, as Part 50 suggest,
14 approximate of dimensions in general region, not exact
15 dimensions in contrast, at the operating license stage, you
16 would have much more detailed design information, diagram,
17 design procurement specifications, electrical diagram and
18 ventilation diagrams.

19 You don't see any of that in typical preliminary
20 safety analysis report and that's the distinction, level of
21 generality in terms of how the design is described and how
22 much detail is given to it.

23 >> JUDGE WARDWELL: Did you say that the FSAR in
24 general is based on about 70 percent design completion?

25 >> MR. MALSCH: When the FSAR was submitted the

1 design was about 70 percent complete. I would not say
2 70 percent of the design was in the FASR, that would be an
3 enormous calculation.

4 >> JUDGE WARDWELL: Well, you used that argument
5 because the word "final" why preliminary are in here in 63
6 then, therefore, it must mean final. So you're satisfied
7 with 75 percent as being final design? What's your
8 definition of final design?

9 >> MR. MALSCH: Final design includes as I just
10 suggested includes such things as actual dimensions, not
11 approximate dimensions, actual arrangements, not general
12 arrangements. Diagrams, design procurement specifications
13 and the like. If any application or reference some place in
14 the application.

15 >> JUDGE WARDWELL: And your position is that even
16 if those are important to waste isolation or other safety
17 aspects, they still should be in there or only those
18 components that are safety related?

19 >> MR. MALSCH: I would say logic would only apply
20 to structure systems and components important to safety or
21 waste isolation.

22 >> JUDGE WARDWELL: But certainly, you don't
23 envision that every final detail can possibly be nailed down
24 at this time when or that you would ignore other information
25 that's gained in the future during this period of time that

1 yes, they are going to receive and possess something within
2 five years but they are also going to be receiving and
3 possessing it as construction continues over 100 year
4 period?

5 >> MR. MALSCH: That's true and in fact, when you
6 look at the regulation and updating the license application,
7 it talks about updating among other things the design
8 information developed during construction.

9 So I think contemplated in that although, there
10 should be a FSAR level in the design application, that could
11 change as construction progresses and that would be the
12 appropriate suggestion of an update.

13 >> JUDGE WARDWELL: But they never stated that a
14 FSAR type of design information needs to be submitted with
15 this application?

16 >> MR. MALSCH: It is not specific.

17 AS I said, it doesn't use the word "preliminary"
18 or "conceptual" and FSAR versus PSAR. But I think the
19 history shows that there was to be a definite departure from
20 the approach at the construction authorization stage, all
21 you had was a PSA honorable design permission. I think that
22 was the Commission's clear intent.

23 >> JUDGE MOORE: Talk to me just general, give me
24 some specifics as to what's missing. If you look at
25 63.21.3, little (i).

1 >> JUDGE WARDWELL: 63.21 3 (c) --

2 >> JUDGE MOORE: Are there specifications of the
3 waste package missing?

4 >> MR. MALSCH: I think there are some elements
5 missing. I can give you some examples of things that are
6 missing.

7 >> JUDGE MOORE: Are the dimensions missing?

8 >> MR. MALSCH: There are some dimensions missing.
9 Let me give you some examples from the
10 application.

11 For example, let's take the so-called tad
12 canister. It says, this is SAR Section 1.3.1.2.4. It says
13 "The federal capacity of tad canister as well as its
14 capability meet radiation dose limits at the level of a
15 cask. It says codes and standards have been evaluated and
16 testing specifications are being developed to ensure the
17 functions performed by the transport and replacement
18 vehicle, the thing that she claims is the waste. It says
19 that those are being developed. Those are just two
20 examples.

21 There are probably numerous other examples in the
22 license application there where design details are missing
23 and left for later development and later consideration.

24 >> JUDGE RYERSON: Do you agree, Mr. Malsch that
25 the fundamental or the prime requirements goes back to 63.21

1 (a) which says, the application must be as complete as
2 possible in light of the information that is reasonably
3 available at the time of docketing.

4 That's the general statement and as it proceeds to
5 be more specific on other aspects of the application. But
6 would you agree that is the prime standard that applies?

7 >> MR. MALSCH: No, I don't think that is the
8 prime standard because if you take it literally and say all
9 that is required to be submitted is whatever is reasonably
10 available at the time, then, DOE is in total control of the
11 license application which can't possibly be the case.

12 I think all that regulation means, I think the
13 history of the regulation supports the proposition that it
14 boils down whatever information is required to be submitted
15 by other regulations has to be submitted. This regulation
16 just tells you to be especially fulsome and complete in your
17 disclosures but does not excuse you in complying with any
18 other regulation disclosure requirement.

19 >> JUDGE MOORE: You mentioned this before but if
20 you apply the language of 63.21(a) and apply any of the
21 other provisions of 63.21, it is a determination depending
22 on what component you're looking at any particular time
23 whether there is enough information? And at what stage is
24 it? Isn't that what's reasonable available at the time of
25 docketing, all that implies?

1 >> MR. MALSCH: I think that begs the question
2 what the regulation requires. The regulation about
3 reasonable available at the time of docketing does not
4 undercut any other Commission regulation. They have to be
5 satisfied at first.

6 So putting that regulation aside, the question
7 then is what does 5021 require in terms of the contents of
8 the license application and we say that regulation
9 considering the regulatory history indicates we are talking
10 about a final level of design information.

11 If we're right about that, the sentence you quoted
12 does not only undercut the right, if we're wrong about that,
13 we're just wrong about that and that particular section is
14 just irrelevant.

15 >> JUDGE WARDWELL: There is nothing in this
16 reasonably available statement in 21(a) that exclude DOE
17 from vigorously analyzing everything it can up to that
18 point. It has to be a reason why it is unavailable. They
19 can't just dictate that it is not available because we
20 didn't get it. Isn't that a fair assessment of how that is
21 interpreted?

22 >> MR. MALSCH: I think that is a fair assessment
23 except that even if they had every good reason for not
24 having a particular piece of information available in terms
25 of logistics, resources, timing, personnel; still, if

1 another regulation requires it be submitted, that regulation
2 does not offer them any excuse. It has to be submitted and
3 in fact history indicates that provision indicates that
4 other regulations have to be satisfied before that
5 regulation even comes into play.

6 >> JUDGE WARDWELL: But don't 20 -- 32(b) and 24(b)
7 go to a certain extent, defining what is not reasonably
8 available and in there, aren't there statements with regards
9 to what needs to be updated later which to me defines what
10 isn't available now?

11 >> MR. MALSCH: I think that is a fair comment but
12 if you look at regulations in terms of what is to be updated
13 later, to include a safety evaluation of any design; there
14 is no update calling for a safety evaluation of design. The
15 only safety evaluation of design mentioned is the one that
16 takes place at the construction authorization stage. That's
17 it.

18 >> JUDGE WARDWELL: But if a design is going to
19 change because of any update, it would require that also?

20 >> MR. MALSCH: That is true.

21 So, we would say that the regulations and the
22 history contemplate there would be a final level of design
23 information but that new information developed during
24 construction would call for an update.

25 But that does not only undercut the initial

1 requirement that the initial application and the
2 construction authorization stage be complete and have a
3 final level of design information.

4 >> JUDGE MOORE: Thank you, Mr. Malsch.

5 >> MR. MALSCH: I would like to reserve a few
6 minutes for rebuttal.

7 >> JUDGE MOORE: DOE?

8 >> MR. KUYLER: The legal issue before the Board
9 is not what the right level of design detail should be in
10 the license application or even whether the existing design
11 prelim conceptual. Those words don't appear in the legal
12 issue. The issue of what the right level of design whether
13 DOE's design preliminary or construction activities cemental
14 railroad are factual issues in this contention the issue is
15 whether there is a regulatory requirement for final design
16 information to be submitted for all components across the
17 board in the repository.

18 Plain language of Part 63 does not include any
19 requirement like this for final design.

20 The State appears to avoid the plain text issues
21 and focuses instead on the alleged overall structure of
22 Part 63 and the alleged single step process that is
23 analogous to Part 52 and seeks to import standards from Part
24 50 and Part 52 into Part 63 where they don't appear.

25 As we pointed out in our brief, the Government

1 regulation of approximate regulation of 63.21(c)3 which does
2 not refer to final design information. Instead as we have
3 explained, this regulation and the other provisions in Part
4 63 allow DOE to submit an application that provides
5 sufficient information to demonstrate compliance with
6 performance objectives to enable the Commission to reach the
7 safety conclusions and essentially a functional analysis
8 while retaining the flexibility to further design.

9 State brings us to 63.21 (c) -- I think we raise
10 this as well which talks about information probable license
11 specifications. The regulation adds special attention in
12 SAR which comparable license specification, special
13 attention must be given to those items that may
14 significantly influence the final design. That provision
15 makes no sense.

16 If there already had to be a final design in SAR
17 particularly if one considers what a license specification
18 is which is something that a licensee must do or not do
19 under the terms of its license after he gets it.

20 So why would one have a license specification
21 addressing final design if it already had to be there.

22 So, although the plain text is clear, the Board
23 may not require further and believes the regulatory history
24 confirms our reading of the regulations.

25 The state relies on the two key arguments. First,

1 that if a design is not final, then, it necessarily must be
2 preliminary or conceptual and therefore, must be deficient.

3 We disagree with that unsupported characterization
4 of our license application, and more importantly, the
5 questions of whether the design is preliminary and
6 conceptual or whether such a design is sufficient if it
7 existed are not the legal issue before the Board today.

8 Second, in an effort to manufacture the finality
9 requirement, it does not appear in the text of Part 63, the
10 state relies on an extensive discussion of regulatory
11 history of other regulations, Part 60, the licensing support
12 network and various other rulemakings over the years.

13 We think that most of that regulatory history cuts
14 in our favor in supporting the idea of functional analysis
15 and in any case, does not change the plain text of the
16 regulation.

17 >> JUDGE WARDWELL: Is there anywhere in the
18 regulations that provides guidance in regards to what you as
19 the applicant might have just decided you didn't want to
20 evaluate so you didn't collect any data so therefore, it
21 wasn't reasonably available even though it could have been
22 if you have conscientious in your effort to incorporate it
23 into your design at this point in time when you submitted
24 your application?

25 >> MR. KUYLER: I'm not sure I entirely understand

1 your question Your Honor but --

2 >> JUDGE WARDWELL: The argument comes up, Nevada
3 brought it up today and certainly logical that if final
4 design isn't required or if you go to 21 and whatever is
5 reasonably available, one could interpret that to mean, oh
6 well, DOE just won't bother getting some information,
7 therefore, it won't be available when they submit their
8 application, therefore, it does not need to be part of the
9 application. But it was because -- it wasn't because the
10 information couldn't have been gotten, or collected to
11 provide the design but that the applicant didn't bother
12 doing it because of personnel expense, whatever, they just
13 decided we are not going to do it.

14 21(a) still allows me just to submit an
15 application with whatever I got available at that time.

16 >> MR. KUYLER: I don't agree with that, Your
17 Honor.

18 I think the reasonable available language does not
19 swallow up all the other substantive requirement of Part 63.

20 The Department must submit a license application
21 that has sufficient detail to enable the Staff to review and
22 to reach conclusions, final conclusions as appropriate for
23 the construction authorization stage for public safety --

24 >> JUDGE WARDWELL: Does it allow you to update
25 your design in the future between the construction

1 authorization and up to the receive and possess?

2 >> MR. KUYLER: Yes, r Honor, we believe it does,
3 6324 talks about updating the application and the design
4 information that's in 63.24(b)1.

5 >> JUDGE WARDWELL: What does it say there with
6 regard to the types of things that could be considered
7 either there or 32(b) or both?

8 What are the types of things that they are
9 thinking about that might be included in those updates?

10 >> MR. KUYLER: I think they are talking about
11 items that might have been identified during construction or
12 deficiencies that have been reviewed through construction.

13 >> JUDGE WARDWELL: Something you came upon while
14 you're constructing that you would update?

15 >> MR. KUYLER: That appears to be what's
16 contemplated in those regulations.

17 >> JUDGE WARDWELL: And it says something about
18 long term testing. Certainly if you had such an application
19 like 63 for the High Level Waste, there may be some very
20 long term testing stuff that goes on, that will not be
21 complete for decades.

22 That I can understand but baring that, isn't that
23 pretty much what they are talking about as far as updating?
24 They are not talking about, oh, here's some other stuff.

25 You should have a pretty well defined set of

1 design completed at the construction authorization stage
2 exclusive of what you might see different during
3 construction or long term testing assessments --

4 >> MR. KUYLER: I would agree with that and that
5 is generally what the Department has done.

6 There is an updated safety analysis that must
7 before submitted with the receive and possess license, 6341.
8 There is provision for more general reviews, 6341(b), that
9 activities to be conducted at the Geological Repository.
10 The application as amended, provision in the Atomic Energy
11 Act, and the rules and regulations of the Commission.

12 So, again, I don't see any requirement that the
13 design be final at the construction authorization stage nor
14 is it clear what it means in Part 63.

15 >> JUDGE MOORE: Is there to be any significance
16 to the fact that within 63.21(c)2, the Commission uses the
17 words "approximate dimensions" when speaking of the GROA and
18 less than 50 words later in speaking of not only the GROA
19 but the engineering barrier system, it speaks in terms of
20 dimension and specification without the word "approximate".
21 Does that not clearly imply that they are different? And
22 there is a different level of detail?

23 >> MR. KUYLER: It may or may not. I'm not sure
24 that it clearly implies that. The State talks in its legal
25 brief about dimensions and specification.

1 We think that and there is a great deal of detail
2 in the design that exist in the application and more
3 importantly, though, by its own terms, this contention
4 raises a pure legal issue, does not allege any lack
5 dimensions and specification. By its own terms offers no
6 factual support and DRS and other confessions that it has
7 raised and have been admitted and alleged design.

8 We believe she should be evaluated on functional
9 analysis that exist in Part 63. And --

10 >> JUDGE WARDWELL: Let's make sure this round is
11 going to go to the next question, that even if we resolve
12 this legal issue that there is nothing specific in 63 that
13 dictates final design be submitted, that does not
14 necessarily preempt any factual issue associated with
15 sufficiency of the design that may be brought up in some of
16 the contentions. Is that a fair assessment?

17 >> MR. KUYLER: Not in an admitted contention,
18 your Honor.

19 >> JUDGE WARDWELL: Thank you.

20 >> JUDGE MOORE: Thank you Counsel. NRC staff.

21 >> MS. BUPP: Good afternoon Your Honor, my name
22 is Magaret Bupp. I represent the NRC staff. NRC staff's
23 position with respect to Legal Issue 6 is that this
24 regulation does not require final design information to be
25 included for all topic and license application.

1 Rather, the finality and level of the detail for
2 information provided will vary for each license application
3 according to their risk significance of the topics.

4 Therefore, any contention concerning sufficiency of design
5 information, in the license application must be resolved in
6 on the technical merits.

7 First, the regulation do not explicitly require
8 final detailed design to be submitted across the Board for
9 each topic in the license application.

10 The safety finding that the NRC must make at the
11 construction authorization stage is whether there is
12 reasonable assurance that the types of radioactive material
13 described in the application can in a geological repository
14 operations area of the design proposed without unreasonable
15 risks to the health and safety to the public and whether
16 there is a reasonable expectation that the materials can be
17 disposed of without unreasonableness to the health and
18 safety of the public. At the construction authorization
19 stage, the only information that is required to be submitted
20 is information that is needed to support the Commission's
21 finding.

22 As I think as has already been discussed
23 extensively in the other two prior arguments, 63.21 (c) 3
24 describes the requirement for description and discussion of
25 design various components of the Geologic Repository and

1 Engineering Barrier System, does outline what type of
2 information, DOE must submit but even here, does not state
3 whether this information must be final.

4 In addition, the regulatory history of both parts
5 60 and Part 63 support the staff's reading of the
6 regulation.

7 As the Commission was considering Part 60 final
8 rulemaking, the Commission stated, "if the issue being
9 address in the license application is one that is important
10 at construction authorization stage, reasonable available
11 standard is intended DOE to develop and provide information
12 in detail. This shows that even prior to the implementation
13 of Part 63, the Commission understood that not every topic
14 in the license application would require the same level of
15 detail.

16 Part 63 itself is designed to provide necessary
17 flexibility for making licensing decisions consistent with
18 the amount and level of detailed information, appropriate at
19 licensing station. That means the level of detail for
20 information provided at each little stage may vary.

21 For example, knowledge available the time of
22 construction authorization will by be less, August annealing
23 on the part of the Commission that information could
24 change over time, that DOE could provide additional
25 information over time and that was built into the

1 requirements in Part 63 for a license application followed
2 by an update in the license application and two, reviews by
3 the NRC, a separate construction authorization review.

4 >> JUDGE WARDWELL: Do you know of any other update
5 criteria besides listed in 24 and 32(b) specifically
6 focusing on just that information that's observed during
7 construction or discovered during construction or long term
8 testing. I'm paraphrasing there may be a couple of others
9 in there?

10 >> MS. BUPP: There is the only requirement for
11 the license application update, however, during the
12 construction hearing if there were to be changes made to
13 safety significant portion of SAR during the period of
14 construction, DOE would have to follow the 63.44 change
15 policy and potentially come in for an amended construction
16 authorization.

17 So there is that requirement as well. If the
18 changes were so significant they met criteria for filing --
19 for.

20 >> JUDGE WARDWELL: But you don't envision
21 anything more than those items that would be updated at the
22 receipt of the update, is that correct? The design would
23 be SUFFICIENT enough the construction authorization stage
24 such that it only need to be updated with those types of
25 information..

1 >> MS. BUPP: Yes, but at the construction, the
2 application must include all of the information 6321 to a
3 sufficient level of detail for NRC the make a finding.

4 You can't put it off. Finally, in addition to
5 plain language of the regulations and the regulatory history
6 of Part 63, the fact that Part 63 is a risk-informed
7 performance based regulation provides additional support
8 from the NRC staff's position.

9 The --- in the final rule for Part 63 at page --
10 Federal Register I think 74, page 74 Federal Register,
11 55732, the Commission discussed about Part 63 is a
12 risk-informed, performance-based regulation. They defined
13 risk-informed performance based regulation as approach to
14 focus attention on the most important opportunities to
15 establish objective criteria based upon risk for evaluating
16 performance and develop measurable or calculable parameters
17 and to focus on the results as the primary basis for
18 regulatory decisionmaking.

19 >> JUDGE MOORE: You said that was the final rule?

20 >> MS. BUPP: Yes, for Part 63.

21 >> JUDGE MOORE: --Your cite --

22 >> MS. BUPP: I may have mis-spoken.

23 >> JUDGE MOORE: I believe your page number was --

24 >> MS. BUPP: Was incorrect? It is 66 Federal
25 Register.

1 >> JUDGE MOORE: So that would have been?

2 >> MS. BUPP: In 2001 and it is page 557.2 of 66
3 Federal Register. I apologize for mis-speaking. I confused
4 2000 and 2001.

5 And in the preamble background section of the
6 rulemaking the Commission defines Part 63 as risk-informed
7 requirement-based regulation and defines performance-based
8 regulation as one where you focus on the most risk
9 significant activity.

10 This goes to the idea that different activities
11 that are contemplated under the license application will
12 require different levels of detail with regard to the design
13 because we want the most information and the Staff want to
14 focus its review on the most risk significant activities.

15 So since the level of information required is
16 different activities under the license application will
17 vary, then you can't have this sort of blanket idea that
18 Nevada is proposing where all the information must be final
19 and if it's not final detailed information, it is no good.

20 From the Staff's perspective, you have to look
21 issue by issue and look at each specific component of the
22 design and decide whether the Commission provides support
23 for that one specific topic is sufficient.

24 And it will require hearing if there is an
25 admitted contention on sufficiency design detail. It will

1 require hearings rather than being able to file a motion for
2 summary judgment based on a legal issue but I think the
3 appropriate thing is for there to be a specific hearing on
4 each of the admitted contentions.

5 Unless the Board has further questions, that
6 summarizes the Staff position.

7 >> JUDGE MOORE: Mr. Malsch, do you want a few
8 moments of rebuttal?

9 >> MR. MALSCH: Yes, thank you, just a very brief
10 comment.

11 If the Board wants to rule in our favor on these
12 two contentions, result would be that a FSAR level detail
13 information is required.

14 As I understand from the DOE, they believe that in
15 all or at least, many respects, their application currently
16 meets that requirement. If that is their belief and the
17 Board decides to issue in our favor, there remains a factual
18 issue as to whether in fact, various components, a final
19 level design information is or is not provided.

20 So there is the possibility of a hearing but that
21 does not preclude to resolve this legal issue on legal
22 grounds.

23 >> JUDGE MOORE: You have specific contentions
24 where you claim the information is inadequate?

25 >> MR. MALSCH: That is correct. So if we were

1 not to prevail on the these particular contention, those
2 contentions would remain as issues for hearing controversy.

3 >> JUDGE WARDWELL: Could you reiterate what your
4 definition of final design is?

5 >> MR. MALSCH: The level of design information
6 typically found in a final safety analysis report at the
7 operating license stage under Part 50 or combined license
8 application under Part 52.

9 >> JUDGE WARDWELL: But you admit it was a
10 70 percent design?

11 >> MR. MALSCH: We are talking about in general
12 terms a level design detail associated with 70 percent
13 inclusion design.

14 >> So why does that not get us back because that
15 is kind of a type of thing. What is 70 percent? Does that
16 mean the whole design, or and the fact there is a phrase,
17 final or preliminary is not used in 73, where is this all
18 getting us.

19 I'm back to Judge Ryerson's comment earlier about
20 it.

21 Why don't we just jump to the issue of importance
22 and that's the individuals that you feel is a sufficiency of
23 design and be done with this.

24 >> MR. MALSCH: We address that one. First of
25 all, you're right, we can't look at the application as a

1 whole and resolve this question as a factual matter
2 depending upon whether it's 70 percent or 30 percent.

3 You have to look at the particular descriptions of
4 each structure and component, and I would submit that there
5 is a fairly well understood collection of knowledge and
6 criteria that would enable one to decide whether a
7 description one sees for a particular structure component is
8 preliminary or final.

9 And I can offer you some examples of what an
10 application looked like as it progresses from the
11 preliminary design stage to the final design stage.

12 People recognize how these things develop.

13 >> JUDGE WARDWELL: Just using your definition of
14 70 percent there could be some components, at 20 % and a
15 whole plethora of others that averages out to 70 percent
16 final design, does not mean every component has to be as
17 70 percent and the fact that you agree that there's no
18 words in here that say specifically final design must be
19 submitted in Part 63.

20 >> MR. MALSCH: I agree, it does not say final
21 design but the structure of the license process and history
22 suggest that what they had in mind was the final level of
23 design information.

24 But I do agree that whether or not a particular
25 level of information is final or preliminary, can't be

1 decided on some overall 70 percent 30 percent basis.

2 You have to look at each structure system
3 component and see whether it looks like what one signs in a
4 FSAR.

5 >> JUDGE WARDWELL: And aren't we doing that to
6 those we have submit-to us and on a factual basis.

7 >> MR. MALSCH: You could do that.

8 >> JUDGE WARDWELL: We admitted contentions what
9 you deem is appropriate for pursuing further on the basis.

10 >> MR. MALSCH: My only point would be that this
11 is a general contention. Those are specific contentions.
12 If one were to resolve this contention in our favor, we
13 would like at those other contentions already knowing that
14 the general contemplation of regulation was that a final
15 level of design information should be provided that would
16 very much help the litigation although it would not
17 eliminate them completely.

18 >> JUDGE MOORE: Thank you Mr. Malsch.

19 Would you like to address Issue 7.?

20 >> MR. MALSCH: Issue 7 addresses -- relates to
21 Nevada's Safety 149 which addresses the possibility that the
22 circumstances of the as-built repository waste might deviate
23 from what was authorized because of human error.

24 We argued in our opening brief that such errors
25 enough be screened in or screened out using the same

1 frequency and consequence screening criteria.

2 >> JUDGE WARDWELL: Sorry to interrupt you and I
3 don't want to look up my notes. I have a legal question in
4 my notes as being DOE rely on QA program procedures to
5 exclude consideration of the TSPA.

6 >> MR. MALSCH: Yes, that's what comes up. That
7 is what the legal question is.

8 We argue that they should be screened out applying
9 the same consequence or frequency criteria applied to other
10 FEPs. We believe that DOE has screened these FEPs out based
11 upon regulation or based upon the legal interpretation.

12 As things now stand, I don't believe either staff
13 or DOE take issue with Nevada's legal argument these things
14 can not be screened out purely on legal ground and we agree
15 with staff and DOE that a QA program may be a factor one may
16 take into account as long as one uses takes into account in
17 applying the usual screening criteria applied to other FEPs.

18 Now, DOE now says that oh no, we did screen these
19 FEPs out on the basis of regulation or legal grounds but
20 basis of low consequence.

21 DOE came to this conclusion and did you go out
22 their millions of LSN documents, a correction to the FEPs
23 screening criteria document that was referenced in the
24 licensing application.

25 This correction didn't change the analysis

1 underlining the FEP evaluation at all, simply changed the
2 ultimate conclusion from screened out on the basis of
3 regulation to screen out on the basis of consequence.

4 >> JUDGE RYERSON: The correction was made before
5 you filed your contention.

6 >> MR. MALSCH: Just before we filed our
7 contention, when DOE pointed that out to us in their Answer
8 to our petition, we said in our reply that we could not
9 forgive them for missing that because it was a very obscure
10 document but if what DOE intend to do is screen this out on
11 the basis of low consequence, applying the issue FEPs
12 criteria, then, we said and preserve the issue by saying
13 their evaluation is inadequate.

14 I would like to call your attention to exactly
15 what is their screening justification. It is actually in a
16 analysis at page 6-39 to 4-40 of LSN document, DEN 001,
17 584 824. But all that document says is basically what DOE
18 quoted in its brief. There is nothing more than document
19 than what DOE quoted in its brief. What the brief said we
20 screened it out because we have a compliant QA program and
21 program will lead to proposition that these areas are not
22 expected end of discussion.

23 There is no mention of the criteria in 102(j) or
24 342(a).

25 >> JUDGE RYERSON: This is a part of legal

1 question isn't it? This seems to me, we are bordering on
2 whether sufficiency of how they are screened or not.

3 MR. MALSCH: It could be but let me make the
4 point as they said, if it walks like a duck, quacks like a
5 duck, flies like a duck, it's a duck. Their particular
6 argument sounds like a legal argument and sounds or crashes
7 like a legal argument, really does look like a legal
8 argument. But at DOE's insistence that it was not authority
9 that we think that by claiming that is insufficient in our
10 reply to DOE's answer, we have preserved the issue.

11 >> JUDGE MOORE: In response to Judge Ryerson's
12 question, you said the correction appeared just before you
13 filed your contention. your contentions were filed in late
14 December.

15 I believe that document showed up in the LSN in
16 June.

17 Does that not draw in the question the factual
18 premise of the contention and whether or not it's properly
19 preserved?

20 >> MR. MALSCH: I don't think so. The difficulty
21 is this, that the application says that the document was
22 screened out on the basis of low consequence.

23 You could refer to the document to which the
24 application refers, it says screened out on the basis of
25 regulation which is a legal basis.

1 There are several discussions here sounded like
2 it's being screened out on a legal basis, don't believe the
3 application references the SEARA Report, among the million
4 of LSN documents, there is no reasonable grounds to believe
5 that we should have -- we should be assumed to have adequate
6 notice of that particular document since it was not
7 particularly referenced.

8 >> JUDGE RYERSON: If we were to find that the
9 issue before us today as a legal issue is moot, but that
10 there is a viable factual issue, the contention would be
11 interpreted as a factual one. Is that a problem from your
12 standpoint?

13 MR. MALSCH: That is really not a problem from our
14 standpoint.

15 >> JUDGE MOORE: Thank you Mr. Malsch.

16 DOE?

17 >> MR. SILVERMAN: Thank you, Your Honor. Don
18 Silverman for DOE. If I may take one moment to review the
19 citations earlier to give you a citation for earlier that
20 may or may not be helpful to you on the NEI contention. I
21 mentioned there was a SAR section that simply stated
22 additional reactivity controls.

23 >> JUDGE MOORE: This was issue one.

24 >> MR. SILVERMAN: Issue 1 and I want to cite you
25 to the SAR page 1.2-2, 1, 1.2.1-17, 1.5.1-4, and 2.2-42.

1 Those sections identify the need for additional
2 reactivity controls in general for a small percentage of the
3 few and an example that is used to achieve that objectivity
4 so you have those cites to look at your leisure.

5 With respect to this particular issue, the issue
6 is the legal issue is it may rely on the quality assurance
7 program as a basis for excluding from a detailed
8 consideration in the TSPA, potential deviations from the
9 design or errors and waste replacement.

10 Nevada's position is that such errors must be
11 screened out only on the basis of frequency or consequence
12 criteria that apply under FEPs.

13 We agree with that.

14 We -- Nevada however, characterizes our argument
15 as a argument based purely on regulation, that we simply
16 took the assumption that we have a QA program, therefore we
17 can rely on it and screen out the FEP. That is not what we
18 did.

19 We used the QA program along with design
20 considerations and other factors and analysis we performed
21 to -- in application determining probability of consequence
22 in this and others, and then, made the screening decision.

23 And Mr. Malsch points out that there is really no
24 discussion about how we apply those criteria, the QA
25 Program, that we just jump to a conclusion that we have one,

1 therefore, we are entitled to exclude these sorts of things.

2 And that it really is dangerous for sheep's clothing but in
3 fact, as you pointed out, that I did not have the exact
4 internal documentation so probably I did appear in the ISN
5 some time in near 09 -- but I point out that the NRC staff
6 in addition to the FEP addresses this issue, specifically
7 errors and waste replacement which was the one that was
8 corrected to say from regulation to consequences. In
9 addition to that, the NRC staff asked a specific RAI and
10 they were questioning our analysis here. And it is already
11 RAI number 117 and I can give you the LSN number, DEN, 001,
12 611, 309.

13 And the question that we are asked is, provide a
14 technical basis for exclusion of this particular FEP that's
15 consistent with the screening decision of low consequence.

16 This information is needed to verify compliance
17 with 63.114 (e) and (f) and they go on 1, 2, 3, 4, 5, 6
18 pages to discuss our rationale. If it was merely the fact
19 that we were saying we had a QA program, we can exclude. I
20 don't think we would have 6 pages. I'm not going to read
21 that to you, I think it is worth reading.

22 And I think we would suggest that you do that.

23 We apply the consequence criteria and we are
24 entitled to apply those criteria just like we are making
25 screening decisions, just like we are entitled to apply

1 other elements and design, quality assurance program. The
2 function of quality assurance programs is to have systematic
3 actions to provide adequate confidence that the repository
4 will perform as anticipated.

5 That's cited -- definition in 63.141 and the NRC
6 has historically relied on allowing their quality assurance
7 programs. We did not exclude this on fairly legal grounds.

8 >> JUDGE WARDWELL: I take it DOE considers the
9 issue framed to us to be moot, is that correct? You see the
10 legal issue as moot because it doesn't comport with the
11 facts as you understand them?

12 >> MR. SILVERMAN: Yes, Your Honor.

13 >> JUDGE WARDWELL: Now, what is DOE's position on
14 whether there is a remaining fact question arising from this
15 contention or some related contention? Is this a fact
16 question or do you feel -- or is it your position that since
17 the legal issue is moot, the matter is over?

18 >>MR. SILVERMAN: I would have to recheck the
19 contention and I apologize, I don't have it in this package
20 here but if you conclude that the Quality Assurance Program
21 is an appropriate element in the consideration of including
22 the FEPs and we would look -- you would need to look at the
23 contention to see if it alleges in any way that we would
24 improperly apply the Quality Assurance Program. If that is
25 such an element, that would be fact question remaining for

1 litigation.

2 >> JUDGE RYERSON: I think the contention is 149
3 if I recall it, because of the misunderstanding of --
4 perhaps the misunderstanding of the factual situation, it
5 may be a legal argument. It is not sufficient in itself
6 that you have a quality assurance program.

7 >> MR. SILVERMAN: That's correct, 149 is
8 designated by Nevada as a legal issue and in that regard, I
9 would have to read again the language is a legal issue and
10 it basically states the actual issue that we may not rely on
11 QA program, it would be moot, it would be no factual issue
12 remaining for litigation.

13 >> JUDGE MOORE: Is it not DOE's position that in
14 screening out a FEP, that DOE may rely exclusively on its QA
15 program?

16 >> MR. SILVERMAN: I would say that there is --
17 one could conceive of a situation where we perhaps could
18 rely exclusively on our QA program.

19 If in fact, -- if in fact one could explain the
20 controls that are provided by that program and those
21 controls such as procedures, configuration management,
22 inspections, and other verifications, procurement controls
23 and all those sorts of things that make up quality assurance
24 programs, if one were to do an analysis and conclude that
25 reduces the probability below the appropriate probability

1 performance criteria or reduces the consequence, then, that
2 would be appropriate.

3 In this case, I think we did more than that.

4 >> JUDGE WARDWELL: That sounds to me what you just
5 described as a factual evaluation of that. Seems like we
6 are talking the same thing.

7 >> MR. SILVERMAN: That would be a factual
8 evaluation but the legal issue is here, may we rely actually
9 on the QA program as an A basis, not B basis.

10 Mr. Malsch went on the to say that our evaluation
11 is manifesting inadequate. That goes the quality of the
12 analysis. And so, that's really all I have unless you have
13 questions.

14 >> JUDGE MOORE: Thank you.

15 NRC staff?

16 >> MR. GENDELMAN: Adam Gendelman for the NRC
17 staff. I don't think there is too much disagreement on this
18 issue. But, I think just to sort of clarify the direction I
19 think we're going, the Staff's position is that DOE may rely
20 upon its QA program procedures as a basis for its FEPs
21 screening decision because the Commission has not placed
22 restrictions on the kind of information that DOE play submit
23 in support of a FEP's screening position.

24 I think it is important to make a clear
25 distinction between what I will call the justification or

1 reason for FEP's screening which is very much prescribed by
2 Commission regulations.

3 In 63,114(a)5 and 63.322(a) concerning probability
4 of low consequence and excluded by regulation. And the one
5 is also helpful here at 2.2-9 acceptance criteria juxtaposed
6 with the technical basis providing in support of that
7 screening decision which is not so restricted.

8 And that is what -- it is the Staff's and DOE's I
9 think understanding of what the QA program is being relied
10 upon for as a technical basis under 114(a)5 in support of
11 its low consequence under 114(a)5, discussing the language
12 we discussed, changing the outcome of the assessment, hence,
13 justification with reason for which there is a technical
14 basis.

15 In its briefs though, I think this is clarifying
16 Nevada discusses the actual probability of errors and wafted
17 in placement goes to merits of whether DOE's analysis is
18 adequate which is not an issue in this contention. The
19 Staff is considering justification and technical basis
20 provided by Department and we will make a safety finding
21 based upon whether it finds that information adequate.

22 Thus, while the Staff has no position on the
23 adequacy of the technical basis that DOE provided in support
24 the FEPs Quality Assurance Program as a technical basis as
25 the program is the sort of thing on which the Department may

1 rely to possibly satisfy 114(a)5 requirement. And unless
2 Board has any questions, I have nothing further.

3 >> JUDGE MOORE: Thank you. Mr. Malsch, do you
4 have any brief rebuttal?

5 >> MR. MALSCH: Yes, thank you.

6 >> JUDGE MOORE: Thank you Judge Moore. Just a
7 brief comment and that is to refer to the language in our
8 reply to DOE's answer to our petition.

9 This is in our reply, page 654 where we
10 specifically challenge the adequacy of DOE's screening out
11 discussion assuming as DOE said, it was screened out on the
12 basis of consequence, not on the basis of regulation.

13 We said quote, "nothing in that" -- referring to
14 the underlying FEPs being done even as it was modified on
15 this errors reports -- "nothing in that qualitative
16 discussion about how great things can be implemented and
17 supports the proposition that errors and repository design
18 and errors in recent places will occur at a frequency of
19 less than one in 10,000 in 10,000 years."

20 And this is the screening criteria. So I think we
21 have clearly preserved this issue as a factual controversy
22 even though there is no longer any dispute regarding the
23 legal criteria.

24 >> JUDGE RYERSON: That applies to Safety 149?

25 >> MR. MALSCH: Correct.

1 >> JUDGE WARDWELL: Is there any other contention
2 you would suggest comes to mind?

3 >> MR. MALSCH: This is the only one that comes to
4 mind, yes.

5 >> JUDGE MOORE: Thank you Mr. Malsch. It's now
6 probably a good time to take a brief ten minute recess.

7 We will reconvene at 3:25.

8 (Whereupon, a short break was taken)

9 >> JUDGE MOORE: Please be seated.

10 Mr. Malsch, we will proceed with Issue Number 8.

11 >> MR. MALSCH: Thank you. Issue 8 requires that
12 we define the issue carefully. We believe this issue is all
13 about defense indepth.

14 There is no issue here about whether DOE will
15 renege on its promise to dip shields and no issue about
16 whether the absolutely sets of dip shields is the result of
17 a FEP.

18 Instead, the fundamental issues here are whether
19 there is any requirement in Part 63 that the design of
20 repository reflect the Tennessee in depth principle, what
21 fence indepth means and in looking beat at DOE's completed
22 design in its license application, how it should be
23 determined.

24 More specifically, with reference to the drip
25 shield, should DOE be required to postulate the absence of

1 failure of all dip shields and assess the results to
2 ascertain their contribution to overall performance and
3 there by, determine whether the exhibits, offense in depth,
4 we think such an evaluation is required and the staff argued
5 that no such evaluation is required.

6 Before though I get to Part 63, I should address
7 the arguments of Staff and DOE about the relevance of the DC
8 Circuit decision and in that case, the state of Nevada
9 argued that the multiple barrier requirement in the statute
10 required that Part 63 look like Part 660 in that it was
11 required under the statute for NRC to describe in Part 63,
12 in advance of their filing a license application, minimum
13 performance requirement for individual barriers. The Court
14 concluded that the NRC had discretion to interpret the
15 statute differently. We also argue that it was arbitrary
16 and capricious for the Petitioner to abandon in Part 60
17 when it promulgated Part 63 and the Court agreed with the
18 NRC that it's departure from Part 62 -- departure from Part
19 60 and promulgated Part 63 was neither arbitrary or
20 capricious.

21 But there was no issue in that case addressed as
22 to whether any particular DOE design and actual license
23 application complied with the multiple barrier requirement.

24 Or how defense indepth completed design concept
25 should be evaluated and those are the issues here. So we

1 don't see this case as relevant at all for this discussion.

2 Instead, we see this discussion is controlled by a
3 careful analysis in Part 63 and doing so, we take Part 63 as
4 the Commission promulgated it, not as the Commission would
5 have wished it to be when it argued the dba case.

6 We will take Part 63 as given and look at it based
7 upon its rule language and its regulatory history.

8 The most important discussion of multiple barriers
9 in 63.102(h). In fact the title of this particular
10 subsection is multiple barriers and that's what this
11 subsection is all about.

12 It's a rather long and wordy subsection but does
13 contain a number of important interpretative nuggets,
14 explain that is multiple barriers work in combination with
15 each other to enhance resilience of repository design. And
16 it also further explains why the resilience in the design is
17 important.

18 102(h) says it is to compensate for uncertainty in
19 inherit to the performance of natural and engineered
20 barriers, especially engineer barriers.

21 The Physicist Boris once said that predictions are
22 always difficult especially when they are about the future.
23 This is an about especially difficult one about the future
24 up to a million years and so many uncertainties are rampant.

25 So under 63.102(h), multiple barriers is

1 designed -- the local barrier concept is intended to
2 enhance resilience and the reason why it enhance s
3 resiliency, it is important is because it compensates for up
4 uncertainty. And you then know more about the multiple
5 barrier requirement from the regulatory history of Part 63
6 and here, the most important parts in 63 Federal Register,
7 55758 and 5759. In response to a specific question by a
8 commentator, how the Multiple Barrier Provision in Part 63
9 reflects the philosophy of defense indepth at the repository
10 system should reflect the philosophy of defense indepth.

11 That is not surprising and NRC practice, multiple
12 barriers and defense indepth are often used as
13 interchangeable terms. The Commission further said that
14 it's local barrier requirement could result in repository
15 that is quote, more talented or unanticipated failures. So
16 resilience, the term 102(h) in Part 63 and defense indepth,
17 the term discussed particularly in regulatory history must
18 be interchangeable terms.

19 They both reflect the NRC implementation of the
20 multiple barrier and information and the ability to
21 compensate for uncertainties not anticipated and therefore
22 not evaluated.

23 So the question then is what is defense in depth?
24 The Commission said its regulations included its philosophy
25 of defense in depth? What does it mean? We know it was

1 designed to make repositories more tolerant of unanticipated
2 failures.

3 But we also learned from the regulatory history
4 and this is at 66 Federal Register, 55758 that in accordance
5 with defense indepth, a design must not be wholly dependent
6 on a single barrier.

7 ACNW, the Commission's advisory committee working
8 on high level waste matters when Part 63 was in development
9 also understood from its reading of the regulations and its
10 discussion of NRC staff that the result of the regulation
11 and the application of the defense in concept. The defense
12 indepth concert would be that the posture of rock depends on
13 single barrier.

14 So from these we conclude one, multiple barriers
15 means resilience in design, resilience in design to
16 compensate for unanticipated failures and uncertainties.

17 Resilience is the same as defense indepth and
18 defense indepth means the repository was not beholden upon a
19 single barrier. So the key question then is, well, how is
20 defense indepth supposed to be evaluated.

21 We know from that same regulatory experience, this
22 is again, 66 Federal Register, 557589, that defense in
23 depth, that is to say, whether there is undue or whole
24 dependence on a single barrier. The thought on that was it
25 is to be demonstrated quantitatively. The Commission said

1 specifically that the rule requires DOE to quote, the
2 describe quantitatively. The ability to commute information
3 bill tee to contribute to waste isolation in a way that lack
4 of resilience under the unanticipated failures or external
5 challenges. So the demonstrate must before quantitatively.
6 In fact, it said it twice at the same point in the federal
7 register. The Commission explains that in additional
8 quantitative discussion and description of barriers,
9 capability is not required because quantitative evidence of
10 capability of individual barrier does contribute to waste
11 isolation is an integral part of performance assessment.

12 Therefore, I think there is no doubt that defense
13 indepth is a requirement under Part 62. Defense indepth
14 means there should not be whole or undue reliance upon
15 any single barrier, whether there is such undue reliance
16 on a single barrier and evaluates quantitatively, not
17 just qualitatively.

18 So the question is: Does that mean we should
19 postulate the total absence of dip shields.

20 Well, DOE certainly thought that was true when it
21 first determined its concept plan for finalizing this
22 application. DOE's staff at one point thought that this
23 was true. They were talking about something very close
24 to this, postulating the what if analysis.

25 So what happened to defense indepth? I would

1 submit,- that defense indepth is the preverbal elephant
2 in the room and Staff's and DOE's message is basically,
3 ignore that elephant.

4 But you can't ignore the elephant. It is in Part
5 63, reinforced by B. We also say that the analysis is
6 not required by the regulation but neither tell us how
7 they propose otherwise to evaluate the defense indepth
8 inherit in Part 63. So if a neutralization analysis is
9 not required, well, then, what, Staff and DOE are
10 completely silent on this subject.

11 So, we say that in sum, defense indepth is part of
12 part of 63 design must reflect the defense indepth
13 concept, the concept was designed to compensate for
14 uncertainties and defense indepth means there can not be
15 unduly lines in single barrier. And whether or not
16 there is undue reliance, should be demonstrated
17 quantitatively, as the total system assessment.

18 We have postulated here this should be done by
19 neutralization analysis. DOE once thought that was the
20 way to negotiation. Staff thought something similar
21 would be done before you today and they are silent.

22 So as I say, defense indepth is the elephant in the
23 room and the message for Staff and DOE is ignore that
24 elephant. But you can't.

25 >> JUDGE WARDWELL: When you say that DOE was

1 initially considered these neutralization analysis, was
2 that in reference to your statement that on Page 27
3 where you actually cite a document they submitted, that
4 does what? Does it allege that it has something that
5 was not included in the application? What is that?

6 >> MR. MALSCH: I think what that is is a planning
7 document to plan the contents of the license application
8 which DOE expert opined this is what Part 63 intended
9 and this is defense in depth should be evaluated.

10 I don't contend there is a legal requirement but I
11 do contend that it shows what we have in mind is
12 something that DOE also had in mind at least at one
13 time, something that should be done.

14 >> JUDGE WARDWELL: But you state on 27 DOE has
15 already performed one or more drip shield neutralization
16 analysis.

17 MR. MALSCH; Oh, I'm sorry, have performed one more
18 more analysis. That is true from documents that are on
19 the LSN. They just were not included in the license
20 application, DOE concede they do that but says they did
21 not find their way into a license application, and they
22 don't explain why.

23 >> JUDGE MOORE: What do those analysis show?

24 >> MR. MALSCH: We believe it shows without the
25 drip shield, NRC performance objectives.

26 Now, there could be some dispute over that and that
27 would be a factual matter.

28 >> JUDGE WARDWELL: And you don't know whether the

1 neutralization of other barriers will achieve the same
2 thing? This does not give you a relative feeling on
3 whether the system is dependent on drip shields or not?

4 >> MR. MALSCH: I don't know the answer to that
5 question.

6 >> JUDGE WARDWELL: What is the difference between
7 what you describe as neutralization analysis and those
8 failure analysis or FEPs screening analysis that DOE
9 claims as proof that they have actually done something
10 similar?

11 >> MR. MALSCH: That is a good question. The
12 purpose of defense indepth is to compensate for
13 unanticipated failures and challenges.

14 By definition, you could anticipate there is a
15 challenge. They should have been considered in FEPs
16 screening analysis and either screened out or screened
17 in depending on consequences and probabilities.

18 By definition, defense indepth is designed to
19 compensate for FEPs that you never imagined and
20 therefore, never evaluated.

21 >> JUDGE MOORE: So Nevada's position is that 10
22 CFR 342 -- 63.342 is not an answer to the multiple
23 barrier requirements that is specifically set forth in
24 the regulation?

25 >> MR. MALSCH: Absolutely not. It is a way to

1 evaluate failures and challenges even anticipated but
2 the very purpose of the multiple barrier requirement is
3 to address and compensate for failures and challenges
4 that you could not anticipate.

5 There is a good analogy here. The screening and
6 definition of FEPs, promulgation of FEPs in performance
7 assessment and the open growth calculations are somewhat
8 like the probabilistic risk assessment for a facility
9 like a reactor.

10 I believe there was a risk assessment done before
11 the Challenger accident. There was a risk assessment
12 done before the Apollo accident. I think there was also
13 a risk assessment done before the T0I 2 accident.

14 The problem was and it also came to us that what
15 happened was simply not anticipated and therefore, not
16 evaluated.

17 So the purpose of defense indepth is to handle
18 challenges and failures you could not anticipate and
19 therefore you could not even imagine including your FEPs
20 screening analysis.

21 >> JUDGE RYERSON: Mr. Malsch, assuming an analysis
22 showed that the requirements could not be satisfied
23 without drip shield, I mean, what would that show? The
24 drip shield is one of what, a handful of barriers?

25 How many barriers are on there?

1 >> MR. MALSCH: Depends on how you define. DOE
2 sees many barriers.

3 >> JUDGE RYERSON: How many do you see?

4 >> MR. MALSCH: There is the unsaturated zone above
5 the repository; the saturated zone below the repository;
6 the waste package and the drip shield. Those are the
7 basic areas.

8 >> JUDGE MOORE: When you speak of a barrier in the
9 context of drip shields, you're talking about the entire
10 one thousand --

11 >> MR. MALSCH: The entire system of drip shields.

12 >> JUDGE MOORE: Not the individual shield in an
13 individual cask?

14 >> MR. MALSCH: Correct.

15 And I think right, if you did -- to answer Judge
16 Ryerson's question -- you did an evaluation of any
17 barrier, whether it's natural or engineer, and the
18 result was non-compliance with performance objectives
19 without the barrier?

20 What that tells you is that you better be very,
21 very sure the barriers are going to perform as expected.
22 It is a little bit like my analogy would be a pressure
23 vessel and reactor. It's a barrier.

24 It so happens that for most accident analysis, if
25 the barriers fail catastrophically, there is no balance

1 system. So there is an example where the barrier does
2 not exist you flunk Part 50 of the safety regulation.

3 What does that tell you about the pressure vessel?
4 What that tells you, you ought to be really, really sure
5 the pressure vessel will work.

6 >> JUDGE WARDWELL: But in our case here where we
7 have so many -- you broke it into three categories, two
8 natural barriers and one engineered barrier if I might
9 just simply say it that way, and their components within
10 each of those. So it depends on how you count it. But,
11 isn't it just as important to know what the relative
12 contribution is of each barrier because you may be able
13 to take out any one of those barriers and not
14 necessarily meet compliance. But if each one is the
15 same, well, fine, they are still working in concert
16 together to create what you want to create. That is,
17 meeting the performance of a system.

18 And isn't it more important to see whether or not
19 one dominants? Isn't that what we are really trying to
20 do with this is to make sure that -- if you're not
21 relying on one for the entire protection of the standard
22 that we are trying to achieve?

23 >> MR. MALSCH: Well, I think that will be an
24 important part of the evaluation.

25 Each of the barriers as I define them in general

1 and I would say that if the result of that analysis is
2 that in a particular number of cases, the system does
3 not comply without the barrier, I think that tells you a
4 lot about that barrier.

5 It tells you that you better be really, really sure
6 that you're right about the assessment of that barrier
7 and in particular, you should look to see whether there
8 are redundancies in the system because we are talking
9 about unanticipated failures and challenges, not
10 failures and challenges that you can anticipate in
11 advance through the selection of FEPs.

12 >> JUDGE WARDWELL: And if that happened with every
13 barrier, then you just need to be, about the whole
14 system. That's all it is.

15 MR. MALSCH: I think that is a fair statement.

16 DOE and I think staff and may be misquoting does
17 bring up the statement that Commission has emphasized
18 that there is no need to have a performance -- design
19 specification for any one barrier because they are not
20 you don't want to focus on any one of them being removed
21 or anything like that, something to those effects.

22 Would you like to comment on what is the difference
23 between what you're suggesting in that particular
24 statement or those particular statements by the
25 Commission that says we are not going to provide design

1 specification characteristics of the individual barriers
2 because we are counting on them acting together?

3 >> MR. MALSCH: I think the history of that
4 particular provision is important.

5 Part 60 had in its's provisions, particular as I
6 recall it , what particular requirements on particular
7 individual barriers had to be met?

8 Regardless of how DOE otherwise decide to design
9 the repository --

10 >> JUDGE WARDWELL: That's what I call the design
11 spec approach as opposed to performance spec. That's a
12 little heavier.

13 MR. MALSCH: What I have here in the report
14 criticized that on the basis that could be a suboptimize
15 design. And the NRC in Part 63 also pointed out this
16 would inhibit DOE's design flexibility. But these are
17 not an issue here.

18 We now have a design DOE presumably has optimized
19 that design. And the question is whether given that
20 design that he has chosen and optimized publicly reflect
21 the defense indepth concept.

22 So the question -- defense indepth concept and
23 possible due to a less than optimal design, verses an
24 optimal design take advantage of design flexibility.

25 The question is, looking back, is there a defense
indepth and if it turns out there is not, the applicant
has the flexibility to go back and revise the design.

1 >> JUDGE WARDWELL: The mere fact that design
2 specification for each individual barrier does not
3 preempt the need to in your opinion, address what -- low
4 the system would behave if any one barrier didn't
5 function as anticipated?

6 >> MR. MALSCH: That's correct because the
7 Commission after abandoning the Part 60 approach still
8 said it would be part of the repository design. So it's
9 still there.

10 >> JUDGE MOORE: Mr. Malsch, you pointed to the
11 2001 rule statement of consideration.

12 You were focusing on Section 3.8 entitled multiple
13 barriers and defense in depth.

14 And as part of 3.8 before you get to 3.9, it poses
15 a second question.

16 All of the things you pointed out in the handful of
17 others where the use of quantitatively analysis.

18 Is quantitative or qualitative assessment and then,
19 they go on and point out the join -- point out that
20 there is no requirement for quantitative merely a
21 qualitative assessment will be sufficient.

22 How do you reconcile what appears to me to be quite
23 contradictory in the legislative history with regard to
24 multiple barriers defense indepth?

25 >> MR. MALSCH: Well, the Commission said here that

1 if you read it carefully, I would submit it said it
2 sought a need for additional quantitative evaluation. It
3 says a qualitative evaluation might do it and gave a
4 number of reasons and the evaluation had only been done
5 as a part of the total system control assessment.

6 So the apparent view of the Commission is that the
7 evaluation of the defense in depth was part of the total
8 system performance assessment and beside, it has to be
9 so this would be evaluated cooperatively. I don't see
10 how you could evaluate it quantitatively because you are
11 looking at overall system performance and the ultimate
12 result is a release of dose calculated.

13 Judge Moore I believe you just cleared up one thing
14 I may have missed which was the waste water packaging
15 waste piling package and separate are the drip shields.

16 >> MR. MALSCH: That's correct.

17 Waste package is one of the this hints, the drip
18 sealed are this elaborate accumulation of I think 11,000
19 of them placed over the waste package to protect the
20 waste packages from dripping and rock falling.

21 >> JUDGE WARDWELL: And as you say, there is more
22 no, that there is a foundation and several little
23 components of the engineering barriers.

24 MR. MALSCH: Correct, and you can get into
25 difficult questions about how finally you define

1 barriers for this purpose. But I would suggest we just
2 use a common sense approach here and see what comes out
3 of the evaluation.

4 I think what's missing here as I said is the
5 standpoint of DOE and Staff defense indepth is the
6 elephant in the room. They have not proposed to you how
7 they propose to actually deal with the subject and in
8 fact, DOE says there is no defense in depth requirement
9 and deny any obligation to do any kind of quantitative
10 evaluation on this issue whatsoever.

11 >> JUDGE MOORE: They say 342 is the only
12 requirement.

13 >> MR. MALSCH: That is clearly incorrect.

14 >> JUDGE RYERSON: Do you know of any way to show
15 whether or not that is taken playing beside something
16 like neutralization?

17 >> MR. MALSCH: I don't know and I would say
18 frankly if the Board decides that we are correct about
19 defense indepth, that it means it should not be undue
20 reliance in any single barrier and that the presence
21 over absence must be demonstrated quantitatively.

22 If in response to that, the DOE were to amend its
23 application and propose some other method beside
24 neutralization, we would leave a technical dispute but
25 they have not done that.

1 Their application is silent on that subject.

2 Thank you.

3 Ohio, I would like to reserve a few minute for
4 rebuts tall.

5 >> JUDGE MOORE: DOE?

6 >> MR. SILVERMAN: Don Silverman for -- Don
7 Silverman for the Department of Energy. The state of
8 Nevada's basic position is that the Department is
9 required to perform what they refer to as neutralization
10 analysis, essentially taking away all of the drip
11 shields.

12 >> JUDGE WARDWELL: Is it a failure or is it just
13 what you said initially, it is a taking away of those to
14 determine the relative impact?

15 >> MR. SILVERMAN: The legal issue evalauation is
16 to evaluate the drip shields first which I interpret it
17 to mean, we make the conscious decision not to put them
18 in or we cannot out them but Nevada has made clear that
19 they are not alleging that any further.

20 >> JUDGE WARDWELL: How would you demonstrate
21 compliance with 113(a) through (c) that the engineering
22 barrier be working in combination with natural barriers
23 if you don't do something like that?

24 How have done that in your license application?

25 >> MR. SILVERMAN: We have done that in our license

1 application through a discussion of all the barriers and
2 their capabilities and providng a description of their
3 capability and then, taking together all the barriers
4 together performing analysis to determine whether the
5 dose performance objectives there were met, et cetera,
6 never's position is a neutralization analysis, the only
7 basis for that would be they are looking to see if there
8 is basically, they are suggesting there must be
9 quantitative requirement for each individual barrier
10 with respect to the dose standard.

11 Take it away and see how that affects the ultimate
12 dose.

13 >> JUDGE WARDWELL: How would you require -- not
14 require but the basis for the regulation in the
15 statement consideration in the 2009 revision when the
16 Commission affirmed that the emphasis should not be
17 isolated performance of individual barriers but rather
18 ensuring that repository system is now wholly dependent
19 upon a single barrier.

20 How are you going to show any indication of whether
21 or not the barrier system is dependent upon one single
22 barrier without taking it away and seeing what the
23 reaction is? Not that that's going to occur but that's
24 how -- that's one way to assess the it.

25 Give me confidence that you have done a similar

1 thing in your answer.

2 >> MR. SILVERMAN: It may be one way to assess it
3 and I would want to talk to her and see about the
4 technical answer. But the legal answer is there is
5 nothing in these regulations or in the statements of
6 considerations that requires this type of a specific
7 analysis taking away a particular -- in this case, it is
8 a portion of a barrier.

9 We think upper natural barrier, the engineered
10 barrier system which include the drip shields, the waste
11 package and other elements and then a lower natural
12 barrier.

13 There is nothing in the regulations. And you will
14 find that in the generalization analysis and you will
15 find that in the general concepts of defense indepth
16 that requires that sort of thing.

17 If the Commission had wanted that kind of analysis
18 done, I think they would have specified it.

19 >> JUDGE WARDWELL: Why haven't they, in what they
20 require? Where have you demonstrated that you have a
21 defense indepth?

22 >> MR. SILVERMAN: We have demonstrated defense
23 indepth by describing the capability of the individual
24 barriers, and then, describing the barriers and their
25 function, describing their capability, describing how

1 they contribute to waste isolation.

2 Let me speak to that if I can. And then
3 ultimately, doing a dose analysis to see how far below
4 we are the performance objectives.

5 Nevada -- and I think Judge Moore have probably
6 pointed two pages of the Federal Register notice that I
7 admit are a little bit complex to read but important.
8 They are the ones you cited before, 66 Federal Register,
9 55758.

10 >> JUDGE WARDWELL: Could you bear with me while you
11 get there then? Is there a page number.

12 >> MR. SILVERMAN: Yes. 66 Fed Reg, 557 a 58,
13 55759. In Nevada's brief in continuing, they focus on
14 one sentence one phrase at the bottom of 5575 A.

15 If you look at the very bottom, right handle
16 corner, says the proposed rule would have required
17 describe a description quantitatively -- describe
18 quantitatively each barriers' ability to contribute to
19 waste isolation.

20 Let me explain what we think that means or and what
21 we have done. That does not mean that and it cannot not
22 mean if you read many, many quotes of these two pages as
23 I'm prepared to read to you if you want but you should
24 read them. That does not mean that you have to
25 quantitatively, determine whether for example, the

1 removal of the drip shields would produce a dose in
2 excess of the performance requirement. What it does
3 mean is you need a quantitative discussion of that
4 particular barrier or component of the barrier and to
5 give you an example, we do that throughout the
6 application.

7 I would like to use the upper natural barrier as an
8 example and what we do in the application,
9 quantitatively is provide the -- quantify the fraction
10 of water that enters the system, as precipitation and
11 eventually makes its way through the repository.

12 So we provide a fraction of the water that enters
13 into the system, a quantitative analysis of intermediate
14 measure if you will. We do that with other barriers as
15 well.

16 So we provide quantitatively analysis of barriers
17 of I think even components of barriers but what Nevada
18 is arguing for is not that.

19 What Nevada is arguing for is take these away and
20 see what the impact is on the ultimate dose.

21 And that is essentially imposing a quantitative
22 requirement on individual barriers to demonstrate their
23 contribution to the ultimate dose standard.

24 If you read these two pages.

25 >> JUDGE WARDWELL: Why would you not want that

1 that? That's what the Commission was asking for. We
2 want to make sure it is not dependent upon one barrier.

3 >> JUDGE WARDWELL: Let me finish my question.

4 Wouldn't you and DOE want to know whether or not
5 the drip shields are contributing 99 percent of the
6 protection of that and all the other is just
7 miscellaneous noise that yeah, we got an upper natural
8 barrier and yeah, they see the relative amount of water
9 that comes through but in fact if that barrier does not
10 work, it does not matter because we got the drip
11 shields. If the drip shields don't work and we lose 99
12 percent of the protection, isn't that what the
13 Commission wants the applicant to assess so that
14 consideration can be given for giving redundancies or
15 higher QA standards for getting that in place, all the
16 other actions that you want. That's common engineering
17 practice.

18 >> MR. SILVERMAN: My understanding is that is not
19 what the Commission want. And based upon --

20 >> JUDGE WARDWELL: Where the barrier is not wholly
21 dependent on a single barrier.

22 >> MR. SILVERMAN: For meeting the performance
23 objectives to the best of my knowledge and again, I will
24 find out make a correction if I'm wrong, we have not
25 done that but we have relied on the system of multiple

1 barriers to demonstrate compliance with the performance
2 objectives. And if you look at these two pages
3 carefully, we got that one sentence, in the context of
4 multiple places, where the Commission says, and they
5 are; should NRC set a quantitative limit that is a
6 subsystem requirement for specific barriers that make up
7 the repository system? And they go on to say the final
8 rule adopts a single quantitative performance goals for
9 individual protection and separate limits to groundwater
10 protection, final rule does not place quantitatively
11 limits on individual barriers.

12 They go on and on.

13 >> JUDGE WARDWELL: Isn't that merely a statement
14 that we got performance specs here and not design specs
15 with regard to barriers? It has nothing do with
16 neutralization.

17 >> MR. SILVERMAN: It is a statement for the
18 overall system, not for individual barriers but that is
19 a separate issue from whether or not you need to
20 evalaute what is the relative importance of each barrier
21 so we can adjust our whole design and construction
22 program to address any sensitivity associated with the
23 magnitude of the protection provided by any one barrier.

24 >> MR. SILVERMAN: Again, I strongly suspect that
25 there was sensitivity analysis done on the TSPA and on

1 the analysis to various parameters and assumptions to
2 test those sorts of things. I don't know the details of
3 that.

4 >> JUDGE MOORE: But isn't the sensitivity analysis
5 installation essentially a neutralization analysis if
6 you're applying it to the drip shields?

7 >> MR. SILVERMAN: No, does not apply that at all.
8 Destruction, voiding eliminating.

9 That is the drip shield and that is what they are
10 asking to take away.

11 >> JUDGE MOORE: Let's back up so I'm clear 63.113
12 requires multiple barriers.

13 >> MR. SILVERMAN: Yes.

14 >> JUDGE MOORE: And it's clear from the mystery of
15 this regulation as well as the philosophy of Commission
16 over time that defense in depth and multiple barriers
17 are hand mates.

18 That being the case, why is 63.342 the only test of
19 the multiple barrier system?

20 >> MR. SILVERMAN: Well, in the case of this legal
21 issue, the question was raised about whether we must
22 consider the failure of all the drip shields.

23 In my view --

24 >> JUDGE WARDWELL: The absence of all failures of
25 Well, because that implies and I believe that's the

1 word.

2 >> MR. SILVERMAN: No, it's both.

3 >> JUDGE WARDWELL: because one implies that things
4 are actually failing.

5 They are not postulating that all these drip
6 shields are failing, are they?

7 >> MR. SILVERMAN: Yes, I think they are.

8 >> JUDGE MOORE: Before we pass on to another
9 matter, you in your briefs note that DOE did do an
10 analysis under 342 with respect to a certain --

11 >> JUDGE RYERSON: There was a second one.

12 >> MR. SILVERMAN: Yes. It was I believe there
13 were actually three. We postulated the failure of all
14 of the drip shields in at least three situations certain
15 seismic --

16 >> JUDGE MOORE: And you used that word in your
17 brief but then when I tried to parce it, it appears to
18 me that not only 11,000 of the drip shields were removed
19 in any of those were calculated as failing in any one of
20 those analysis; is that not correct?

21 >> MR. SILVERMAN: My understanding was that there
22 were certain scenarios where we failed all of the drip
23 shields, certain seismic scenarios, certainly new and
24 proven scenarios.

25 >> JUDGE RYERSON: What did those analysis show?

>> MR. SILVERMAN: I would have to ask my technical

1 people that but that goes back to the 63.342 question
2 and that is that we did that because we applied the
3 probability consequence criteria of a seismic event or
4 igneous event with general corrosion and we concluded
5 that those scenarios met the criteria for -- it was
6 possible, probable, or the consequence limits and
7 therefore, included those as FEPs and analyzed those
8 situations. And our view is that's our obligation was
9 to do it as a FEP if consequence probability criteria
10 drive you there.

11 >> JUDGE MOORE: The igneous event, did that not
12 deal with a small percentage because of the footprint of
13 the repository and --

14 >> JUDGE WARDWELL: Did it not only evaluate that
15 zone and that drip area where you anticipate volcanism
activity?

16 >> MR. SILVERMAN: With a 30 second pause, I can
17 ask. I don't know the answer to the question.

18 >> JUDGE MOORE: I believe we will come back to it.
19 I think I interrupted you.

20 >> MR. SILVERMAN: I'm not sure that you did. I've
21 been given a signal like this, (indicating) it was all
22 and if that's wrong, I will correct that on the break.

23 >> JUDGE RYERSON: But I'm a little confused.
24 Would the total failure of the drip shields be different
25 from the absence of drip shields for the purposes of

1 analysis, or is it the same thing?

2 >> MR. SILVERMAN: I imagine it's the same thing.

3 >> JUDGE WARDWELL: Except in a philosophical
4 discussion of whether or not Nevada is hypothosizing
5 whether or not that all the drip shields will fail.

6 I think what they are trying do is say let's
7 evaluate the relative potential and influence of each
8 barrier. Is that a fair assessment, Mr. Silverman?

9 >> MR. SILVERMAN: On the ultimate dose, I think
10 that's what they are trying to say, yes.

11 >> JUDGE WARDWELL: Why does a FEP screening
12 analysis or how does a FEP screening analysis to choose
13 the evaluation of whether or not you are achieving
14 defense indepth. It seems to me that provides a pretty
15 good argument--

16 >> MR. SILVERMAN: They would include FEPs for the
17 seismec and general corrosion so therefore, an analysis
18 was done.

19 >> JUDGE WARDWELL: My question is why does that
20 analysis which is an anticipated failure based on a
21 specific type of activity have anything to do with
22 evaluating defense indepth which is according to Nevada,
23 in a protection mechanism against unanticipated failure?
24 It seems like they were pretty persuasive that there
25 were two separates analysis and that reactor where we

1 get back to Judge Ryerson's comment about the difference
2 between the absence --

3 >> MR. SILVERMAN: I guess we fully recognize the
4 importance of the concept, the centrality in many forms.
5 We have applied the defense indepth concepts. Nevada's
6 position nearly takes the general principle of defense
7 indepth and draws -- that is something that's a
8 requirement. We need to go into the design and extend
9 that without any reference to the regulatory language
10 and inconsistent with these two pages that are critical
11 of the statements of consideration to say that we have a
12 legal obligation to assume away those drip shields. And
13 I don't believe that will follow from the regulation.
14 They have not pointed to anything specific in the
15 regulation that supports that position and the
16 statements of consideration do not support that
17 consideration.

18 >> JUDGE RYERSON: Not to belabor my point, if you
19 will help me to understand Mr. Silverman. In some
20 scenarios as required by 342, you have postulated the
21 total failure of the drip shields. And I take it in
22 those scenarios, the dose limits are still achieved?

23 >> MR. SILVERMAN: Yes.

24 >> JUDGE RYERSON: Then I'm somewhat confused. If
25 you can postulate the total failure of all drip shields

1 under any scenario, then, and still achieve dose limits.

2 Then why -- I'm not sure what the difference is in
3 postulating the absence of drip shields under some --

4 MR. SILVERMAN: It may end up all being more of an
5 academic exercise but our position was that if the FEPs
6 screening criteria drove you to a conclusion that you
7 could have a failure of all the drip shields, we had a
8 legal obligation to analyze that and look at the
9 ultimate effect on dose. But in the absence of that,
10 there is no requirement based upon multiple barriers and
11 defense indepth to do any further analysis.

12 Gerald but if you've already done it three times, it
13 is an academic question.

14 >> MR. SILVERMAN: At least to that extent, yes,
15 sir.

16 >> JUDGE MOORE: To go to Judge Ryerson's question,
17 it's seismic, igneous, or corrosion, or that matter,
18 Tinker Bell.

19 >> MR. SILVERMAN: For that matter, your point is
20 well taken. If they are gone, they are gone.

21 >> JUDGE WARDWELL: Let me rain on some parades
22 here: if in fact one barrier accounted for 99 percent of
23 all the protection, would you as DOE not want to know
24 that?

25 >>MR. SILVERMAN: I imagine that we would.

1 >> JUDGE WARDWELL: How have you done that?

2 >> MR. SILVERMAN: Well, I have to talk to our
3 technical people about how we did the PSA.

4 >> JUDGE MOORE: And while you're shoring that, add
5 this to the list; you said there were three barriers,
6 two natural, and one engineered barrier system. And
7 barrier system, I then take it incorporates both the
8 waste package and accouments as well as the drip shield.
9 Those are not separate entities.

10 >> MR. SILVERMAN: They are separate but not.

11 >> JUDGE MOORE: Single system or multiple system.

12 >> MR. SILVERMAN: My understanding is and DOE's
13 interpretation is that we are -- they are in terminology
14 of rule, there are three barriers and multiple
15 components to them, the upper natural barrier,
16 engineered barrier system which has multiple components
17 and the lower natural barrier.

18 >> JUDGE MOORE: So one engineered and two natural
19 barriers?

20 >> JUDGE WARDWELL: Systems correct, there are
21 three systems.

22 >> MR. SILVERMAN: Yes.

23 >> JUDGE WARDWELL: To refine my question again,
24 would not DOE be interested if one other components of
25 one of those system provide the vast majority of the

1 protection would it be of engineering interest to you as
2 applicant?

3 >> MR. SILVERMAN: We will answer you question by
4 before -- I guess I would like to add one other thing
5 and that is that Mr. Malsch indicated if I could draw a
6 distinction with respect to the NEI case and we think
7 the NEI case is dispositive on this as well. We
8 disagree with this interpretation. The NEI case
9 involved a question about whether the NRC regulations as
10 written violated the Nuclear Waste Policy Act and the
11 particular question was whether there had to be specific
12 limits for specific barriers. And the Court ruled that
13 if the NRC regulations satisfied the statute. And now,
14 he is saying well, the regulations require something
15 different.

16 And they require a quantitative analysis. As
17 regulations is written, of the individual barriers or
18 some subcomponents against the dose standards, the crew
19 ruled against that and it is the same issue.

20 We don't see the distinction that it draws.

21 Whether or not performance specifications are
22 adequate as opposed to design specification though?

23 >> MR. SILVERMAN: There is a section of the case
24 that deals specifically with multiple barrier claims.

25 >> JUDGE WARDWELL: In regards to whether or not a

1 performance specification for them was sufficient or
2 whether or not there was a need for them to come up with
3 a specific design specification.

4 >>MR. SILVERMAN: Well, the argument is stated as
5 follows: This is the Court speaking. Nevada's next
6 argus that NRC violated the WPA requirement that a
7 repository incorporate multiple barriers. By failing to
8 include "any specific requirement for any barriers to
9 provide any degree of protection that substantially
10 independent of the others."

11 They were not providing safety redundancy, a term
12 Mr. Malsch used today by specifying minimum performance
13 standards for each of the multiple barriers Nevada
14 maintains, NRC declines the multiple barriers
15 requirement with any vitality. We disagree. And they
16 go on to explain the rationale.

17 >> JUDGE MOORE: Thank you, Mr. Silverman. NRC
18 staff.

19 >> MS. BUPP: Magaret Bupp from the NRC staff.

20 >> JUDGE MOORE: How many barriers are there Ms.
21 Mr. Bupp? How many combined license opponents?

22 >> MS. BUPP: As DOE screens in the application,
23 there are three barriers, upper, lower and the one
24 engineered barrier system, it actually consist of
25 several components, including the drips themselves and

1 as they are carved out of the rock, is my understanding
2 the drip shields which are at issue here, the waste
3 package, the waste and a couple of other components that
4 are not considered important to waste isolation. I
5 believe it is sort of the -- I'm not a technical expert
6 but they are the supports for the waste packages, and a
7 couple of the other components inside that are used to
8 hold in all the other components.

9 Any other questions?

10 >> JUDGE MOORE: You done good.

11 >> MS. BUPP: I think the issue here is whether --
12 it is not whether or not DOE would ever have to consider
13 the failure of all the drip shields. It's whether the
14 regulations require DOE to do so outside of the
15 performance assessment.

16 I think what we have to do first is to look at the
17 language of 10 CFR 64.115 which sets the requirement for
18 multiple barriers and specifically look at Part C of
19 that regulation which requires the technical basis for
20 the description of capability of the multiple barriers
21 to be consistent with performance assessment.

22 The question there is what is consistent
23 performance assessments mean. It means that DOE is
24 required to accurately reflect what could happen based
25 on reasonable probability. Clearly the reasonable

1 probability as set by regulation is a chance of 10 to
2 minus 8, 1 in 1 to 100 million changes.

3 So the question is not -- so DOE must consider all
4 challenges to the barrier system whether it's the
5 natural barrier system, engineered barrier system and
6 how they work together and even how it works together
7 that are within this probability.

8 Anything outside of that probability does not need
9 to be considered and nothing in the regulation that
10 requires things outside of this probability to be
11 considered.

12 >> JUDGE MOORE: It is your position that 63.342
13 constrains 63.113 local barrier requirement?

14 >> MS. BUPP: Yes, Your Honor.

15 >> JUDGE WARDWELL: Under 115(c) as you said, the
16 technical basis for each barrier capability shall be
17 based on and consistent with the technical basis for
18 performance assessment. You fail to mention that. It
19 goes on to say that used to demonstrate compliance with
20 113(b) and (c). And 113 (b) at least say that the
21 engineered barrier system must be designed so that
22 working in combination with a natural barrier's
23 radiological exposures to a reasonable remedy are within
24 the limits.

25 How does the applicant show that the engineered

1 barriers are working in combination with those without
2 seeing what the relative impact of those are? Would you
3 describe -- another way to ask the same question is, if
4 one of the barriers provided 99 percent of protection
5 and the other two only one percent, would you consider
6 that to be working in unison with them, or in fact,
7 dominating them, just the opposite. The others are not
8 needed.

9 >> MS. BUPP: I think what they have to show, they
10 have to show all of the reasonable stresses that the
11 barrier system could be subject to and how the barrier
12 system will respond to those stresses.

13 If there is a reasonable stress whereby one portion
14 of the barrier system would fail, and then, it would not
15 be able to provide a assurance for the rest of the
16 barrier system, then, yes, you're right. If one is
17 providing 99 percent of protection for one stress
18 situation, then, that is something you would want to
19 know but you still have to look at it in terms of what
20 are reasonable stresses that could face -- that the
21 repository could face.

22 And the failure of all the drip shields absent
23 something like the igneous event or seismic events, or
24 any other events which is within the 63.342 probability
25 is not something required by the regulation. And the

1 Commission specifically considered whether or not they
2 should require an individual barrier by barrier
3 assessment and they did not. They had two opportunities
4 to do so both 2001 and again --

5 >> JUDGE WARDWELL: Back in regards to evaluating
6 whether to require design specifications in the
7 regulations or whether to require performance
8 specifications? Wasn't that in the context that they
9 were doing that?

10 >> MS. BUPP: It was related to the decision as to
11 whether or not they should require more specific
12 prescriptive Part 60 on design specifications or whether
13 they would move to the more performance-based Part 63
14 requirement which is what they did.

15 But I think it is also important to look again in
16 the context of when they were making the move from Part
17 60 to Part 63, the consideration was that if you look in
18 64 Federal Register on page 8649 --

19 >> JUDGE MOORE: Bear with us while we get that.
20 That will give you some time too.

21 >> MS. BUPP: And I'm looking specifically at the
22 bottom of the middle column on 8649 of 64 Federal
23 Register.

24 >> JUDGE MOORE: Go on. I won't be able to get
25 that far.

1 >> MS. BUPP: I'm paraphrasing a little bit for
2 time but geologic disposal of high level waste was
3 predicated on the expertise that a portion of the
4 geologic setting applied to a barrier both to water
5 reaching the waste and to dissolve radionuclide
6 migrating away from the repository and thus, distribute
7 to waste isolation.

8 However, and so this sort of points to the
9 Commission considering that being made a barrier is the
10 geologic setting.

11 There is a reason why the waste is being buried
12 under a mountain. However, there are uncertainties with
13 regard to geologic record and performance of the
14 geologic record. Those concerns can be addressed by use
15 of a multiple barrier system which consist of both the
16 natural setting and an additional engineered barrier
17 system.

18 The Commission wanted to have redundancies to
19 protect against the uncertainties that are implicit in
20 using the geologic setting as the main barrier. And so
21 the engineering barrier system is there to work with the
22 geologic barriers to provide extra confidence and to
23 protect against some uncertainty.

24 It was never designed that -- never considered that
25 either geologic barrier or the engineering barrier

1 working on our own would provide 100 percent confidence.
2 The idea is that they work together and that if one
3 particular that challenges engineer barrier, you have
4 the geologic barrier system there to provide some extra
5 protection.

6 And if there is an event that challenges the
7 geologic barrier system more, then you would have
8 engineered barriers to provide a system of checks and
9 balances. One is designed to be two redundant systems.

10 >> JUDGE WARDWELL: Let me chunk this down a bit.
11 Maybe this will help. It seems to me your discussion of
12 342 went back to again a failure analysis in regard to
13 anticipated failures and FEPs that might be screened out
14 from that.

15 If in fact, one of the components of just the
16 engineered barrier system provided 99 percent of the
17 protection -- that the engineered barrier system
18 provided on its own, wouldn't you as a reviewer want to
19 know that so that you could then -- that would influence
20 your evaluation of a number of things including QA
21 programs, everything else associated with that design
22 just by the mere fact that one component of that
23 engineered barrier system provides the bulk of the
24 process? And in fact, that's what the Commission wanted
25 in their statement of considerations of 2009, to assure

1 it was not wholly dependent upon a single barrier.

2 >> MS. BUPP: While that information would not
3 necessarily be dispositive, I think you're right it
4 would be useful information for a technical reviewer --
5 statement.

6 >> JUDGE WARDWELL: And doesn't the statement of
7 consideration ask you to look at that by saying you want
8 to judge whether or not it's wholly dependent and that
9 reflectively I think in the wording of 113 A through C
10 by saying they have to assure that working in
11 combination with each other?

12 >> MS. BUPP: Yes, again, in combination.

13 >> JUDGE RYERSON: But don't you have sufficient
14 information from the scenarios that were undertaken on
15 the 342, igneous, total failure of the drip shields;
16 don't you know at least from that that the drip shields
17 are not 99 percent of the protection? If you can still
18 meet the dose standard with a total failure of the drip
19 shield, it seems to me that chronological, that it's not
20 the whole thing.

21 Obviously, it's not even apparently necessary
22 although that is not a requirement.

23 >> MS. BUPP: The staff has not completed its
24 technical review of what DOE has submitted and I'm not
25 the technical expert who will be completing the review.

1 But I think you're right from a logical standpoint, if
2 in fact DOE has provided sufficient information with
3 regard to scenario under 342 that has analyzed, that
4 does give the technical reviewer the information it
5 needs to know that there is not any one component of the
6 barrier system that is 99 percent or 98 percent.

7 >> JUDGE RYERSON: I take it if there were three
8 barriers, you would be very unhappy or concerned if the
9 top barrier, the geologic barrier existed. The middle
10 engineered barrier was made of cardboard and the bottom
11 barrier was geologic and somehow, the TSBA showed that
12 in combination, those barriers met the dose standard.
13 That still would not be I take it an acceptable
14 approach.

15 MS. BUPP: The idea of the multiple barrier system
16 is to have robust barriers but the idea is not that each
17 individual barrier should be sufficient robust barriers
18 but the idea is not that each individual barrier should
19 be sufficient to provide all of the protection.

20 >> JUDGE RYERSON: I guess my suggestion -- maybe
21 the question should go to Nevada more than you but my
22 suggestion is, don't you have enough information to show
23 that that engineered barrier is not anything like --

24 MS. BUPP: I think --

25 JUDGE RYERSON: Isn't that enough?

1 MS.BUPP: Honestly I can't say whether the staff
2 agrees with that statement or not but you can rooming
3 DOE to confirm this but from reading the Department of
4 Energy briefing and DOE at least from saying they have
5 provided enough information to show that.

6 >> JUDGE MOORE: Thank you Ms. Bupp.

7 Mr. Malsch, up wanted a brief rebuttal.

8 I would like to ask Mr. Silverman one question in
9 between if I may.

10 When I asked about the analysis that DOE had done,
11 one of which was the igneous event and it ended up in
12 the removal of all of the drip shields, I take it you
13 were peeking if I understood you correctly and remember
14 my question correctly, we were talking about a component
15 of the engineered barrier system not the entire
16 engineered barrier system failure.

17 Would your answer remain the same?

18 >> MR. SILVERMAN: Yes.

19 >> JUDGE MOORE: Mr. Malsch. I just want to
20 clarify one important point: As DOE informed you, in
21 various maybe 2, maybe one FEPs analysis, we don't end
22 up with all the drip shields failing .

23 They only illustrate something that DOE failed to
24 tell you and take this as an example, corrosion as a
25 process. In DOE's corrossions analysis FEPS analysis, it

1 turns out that in fact, drip shields fail from a
2 combination of corrosion and rock fall after many tens
3 of thousands of year, maybe 200,000.

4 So while it is true that they did FEPs evaluation
5 that resulted in the eventual absence of drip shields,
6 they did not evaluate the failure of behavior of
7 repository without the drip shields from the very
8 beginning. So to take my example, their corrosion FEP
9 analysis said nothing about the -- protecting the public
10 health and safety in the first hundred thousand years so
11 it is just not the case that DOE's FEPs evaluation is
12 the same thing as neutralization analysis which we are
13 asking to be done.

14 They are entirely different. And that is even
15 apart from the fact that by its very nature, the FEPs
16 evaluation evaluates events and processes that are
17 anticipated whereas the purposes of defense indepth --
18 the purpose of he defense-in-depth is to deal with
19 issues and processes and events that could not be
20 anticipated and therefore, were not included in the FEPs
21 evaluation.

22 >> JUDGE RYERSON: Do you agree with Ms. Bupp's
23 statement that it is not necessary that 2 out of the 3
24 barriers be sufficient to meet dose limits? Obviously,
25 they are all three in concert must meet dose limits.

1 Each of them must be to some degree robust and
2 significant but do you agree with Ms. Bupp that you
3 don't have to have for example, achieve ability with 2
4 of the 3 barriers?

5 >> MR. MALSCH: As I said, I don't want it is that
6 specific, if you do a document neutralization analysis,
7 the importance of the barrier so you can be really
8 really sure that they were functioning as proposed, and
9 they were not be vulnerable to unanticipated failures.

10 That does not mean any one or combination of
11 barriers must function or comply with the standard but I
12 do think that the defense-in-depth evaluation give you
13 insights that you really need to know before you license
14 the repository.

15 JUDGE MOORE: Thank you Mr. Malsch. Let's move on
16 to Issue 9.

17 >> MR. MALSCH: Issue 9 deals with plans for
18 retrieval of ultimate storage of radioactive waste.

19 The Commission's regulations in Part 63 at of 3.21
20 (c)7 requires that the application require a description
21 of many plans for retrieval and ultimate storage of
22 radioactive waste.

23 We are brief in our reply brief, this regulation
24 must be read to require the retrieval plans exist and
25 both DOE and staff disagree.

1 First of all, the most natural reading of the
2 regulation is that the plans must already exist because
3 we can't be describe plans that don't exist.

4 >> JUDGE MOORE: Mr. Malsch, you can't describe
5 something anticipated as to why you have to retrieve the
6 waste. Would not the plan depend on what the challenge
7 is?

8 >> MR. MALSCH: It could depend on the challenges
9 but going pretty far in advance of describing the plan
10 in terms of expected challenges and do the best you can.
11 But we have here an application not even remotely
12 resembling a plan.

13 >> JUDGE WARDWELL: And I guess I don't fully
14 understand why you feel there is a plan needed before
15 you describe it.

16 >> MR. MALSCH: One technique is to
17 develop a plan is first to scope out the types of
18 things that you're going to put into it and then get
19 into the details of writing it. That's one way to
20 do it, a storybook if you will and that's a
21 perfectly acceptable method of doing such a thing.
22 And one could argue that there is no need to spend
23 the time to get into the nitty-gritty detail, just
24 crossing Ts and dotting the I's. I think one could
25 make that argument but is not an argument that the

1 Commission promulgated in Part 63.

2 >> JUDGE WARDWELL: And will you tell us why.

3 MR. MALSCH: The Commission says in the rulemaking
4 in the notice of final rulemaking at page 55743, the
5 Commission says specifically that the retrieval
6 operation would be an unusual event and involved in
7 extensive operation and then as such, DOE can't expect
8 that the plans and procedures in this area will receive
9 extensive detail by the NRC staff as a part of the
10 construction authorization review.

11 So I think the Commission could not have been
12 clearer. The plans and procedures themselves are not
13 merely description of them reviewed at the construction
14 authorization stage.

15 Obviously, they must exist at least in some fairly
16 complete fashion for them to review in the first place
17 so I don't disagree, Dr. Wardwell that the regulation
18 could have been worded differently and for the
19 description at that stage so that is apparently not what
20 the Commission contemplated.

21 What is interesting here is that in 6321, there is
22 reference made to some 14 different kinds of plans and
23 programs.

24 In 7 of these, the regulation provides for the
25 application containing description, and another 7, the

1 regulations are clear that the pleadings and procedures
2 themselves are available.

3 I can't clearly detect any rhyme or reason behind
4 why in some cases, a description would be sufficient and
5 places a plan itself would be necessary.

6 A good example of the Commission's I would say
7 unfortunate use of the word description did not mean
8 that is continue quality assurance area.

9 The application says specifically that the
10 application shall include a description of the quality
11 assurance program.

12 But clearly, the Commission is going to be
13 reviewing the quality assurance program itself because
14 it's applying during construction so this is an example
15 where you have a plan that must be reviewed to issuance
16 of construction authorization if the application
17 requirements speak in terms of a description.

18 So I think it is difficult look at the language of
19 the regulation. You need to go regulatory history
20 indicates clearly the Commission anticipated staff
21 review plans for themselves not just descriptions of
22 plans.

23 >> JUDGE MOORE: Mr. Malsch, do you have procedures
24 before you have plans? Because the legislative
25 regulatory history that you just quoted say that is the

1 Commission DOE can exact expect that its plans and
2 procedure will be reviewed at the construction
3 authorization stage.

4 >> MR. MALSCH: I'm not sure the Commission
5 intended this to be any fancy distinction there between
6 plans and procedures and I would say the plans would be
7 clear procedures.

8 >> JUDGE WARDWELL: But with that statement then an
9 applicant could submit procedures for retrieval and --
10 retrieve value and meet what is intend on the state of
11 consideration could it not?

12 >> MR. MALSCH: It says plans and procedures it
13 need to say both to the extent there is any distinction
14 between the two.

15 I'm not sure there is but that particular excerpt
16 talks about the Commission plans and procedures.

17 >> JUDGE WARDWELL: But does it say for every item
18 the plan and the procedure needs to be submitted.

19 It means total that some may have plan and others
20 may just have procedures and that is another way of
21 interpreting that sentence?

22 >> MR. MALSCH: I'm not sure about that. I would
23 say that both must be evaluated before the construction
24 authorization was issued.

25 >> JUDGE WARDWELL: That sounds pretty redundant if

1 that applied to every submittal need -- that it uses but
2 that implies to me that some issues will have plans
3 submitted and other issues will have procedure only the
4 procedures of the plan submitted. And that yes, for the
5 total application, you must review all the plans that
6 are submitted for those that need it and all the
7 procedures for those that don't require the full that is
8 not consistent with what 21 seems to go back and for the
9 between description and plans.

10 >> MR. MALSCH: It does jump back and forth but I
11 would that plan and procedures must be evaluated in
12 tandem, in concert with each.

13 >> JUDGE WARDWELL: Just kind of a coloileal phrase.

14 >> JUDGE MOORE: Regardless Mr. Malsch of which
15 interpretation, one were to accept DOE's and the staff's
16 or your, there is no way to reconcile the regulatory
17 language of description of plans and the statement
18 considerations regulatory history that you cite.

19 They are that polar extreme.

20 Description is regulatory language, regulatory
21 history is essentially say as we do not have the plans
22 not description of plans.

23 You can't reconcile both under either
24 interpretation.

25 >> MR. MALSCH: I think you can reconcile them by

1 saying that the plans must exist but the application
2 need only construction activities than destruction of
3 the plan so as to avoid a need to amend the application
4 when there was a minor plan themselves.

5 >> JUDGE WARDWELL: Does that resolve the legal
6 question?

7 >> MR. MALSCH: We do not intend that application
8 must include or include by reference plans for retrieval
9 but what we do say is they must be available for review
10 as part of the review of the description.

11 >> JUDGE MOORE: Thank you, Mr. Malsch.

12 DOE?

13 >> MR. SILVERMAN: Thank you. Don Silverman for
14 DOE, Your Honor. Just a couple of points and any
15 question you have, one of the first things that
16 Mr. Malsch said was and I'm basically quoting him, "you
17 cannot describe the plans that don't exist as patently
18 incorrect" and excellent -- two excellent examples. And
19 the first one is decommissioning plans for reactors for
20 other facilities. What happens with almost every
21 application that I have seen, whether it's reactor or
22 fuel cycle facility is when they file the license
23 application, either for possession of use license, or
24 combined plans. If it's here in the Richmond facility,
25 there is a requirement to provide a general description

1 of the decommissioning plans and there is a general
2 description of the basic concepts of how they can
3 envision doing the decommissioning at the point in time
4 that in the years in future when it is required.

5 It is not and there is no requirement and it is
6 clear in the regulation and because it is explicit in
7 the regulation to submit or even have an actual
8 decommissioning plan until the time that you're getting
9 close to license termination, you know what your
10 contamination is, you know where it is, what it is, what
11 your facility configuration is and the rules are
12 explicit that when you develop your actual plan.

13 Seems to me that retrieval plan in this context is
14 very, very similar to that, you don't know what going to
15 happen or even if you are going need to retrieve that
16 waste until many, many years down the line. So the
17 notion that you can't describe the general concept of
18 the plans without the plans being in place themselves is
19 really long. In that context, another context is the
20 notion of procedures.

21 Most applications say we will have the following
22 kinds of procedures, type office procedures but until
23 the application is granted in the -- before the licensee
24 starts operating at least with respect to operating
25 procedures most of those procedures often are not even

1 written.

2 So I have disagree with that.

3 >> JUDGE WARDWELL: Doesn't receive and possession
4 license have to occur fairly shortly after construction
5 begins, if I remember correctly. But correct me if I'm
6 wrong, but isn't there a stage sequence of building
7 needs and then, starting to fill some of the tunnels
8 with the rest of it being constructed. So in fact,
9 shortly after -- by shortly, less than 100 years, say it
10 takes 100 years to build all those drips, well before
11 those 100 year, you would in tens of years if not less
12 than ten of years waste will be started to be placed in
13 there, correct?

14 >> MR. SILVERMAN: It will.

15 >> JUDGE WARDWELL: And at that point before that
16 happens, one will have to have a retrieval plan in place
17 to know how to pull it out or immediately after.

18 >> MR. SILVERMAN: Our position Your Honor is the
19 regulations State our obligation is to design the
20 repository and this is a quote, "preserve the option of
21 retrieval. It is not to have the plan specifically and
22 we have done that -- the plans specifically for exactly
23 how it will be done. And we have designed the facility
24 to preserve the option of retrieval, both.

25 >> JUDGE WARDWELL: When do you think the retrieval

1 plan needs to be in place?

2 >> MR. SILVERMAN: The retrieval plan needs to be
3 developed at the time that it is determined -- if it is
4 determined that retrieval is necessary, and that's not
5 necessarily the case that it will even be necessary and
6 then, a specific plan would be prepared on how that
7 would be done.

8 That doesn't mean once again we haven't designed
9 the facility to preserve that option. That's subject
10 to NRC staff review. And we have done. We have done
11 that.

12 >> JUDGE WARDWELL: So is it needed at the receive
13 and possession stage?

14 >> MR. SILVERMAN: No.

15 >> JUDGE WARDWELL: If it isn't in there, how does
16 one evaluate that you have preserved the ability to
17 retrieve without that plan, without the detailed plan?

18 >> MR. SILVERMAN: Through the review of the design
19 of the repository. For example, the repository has been
20 designed -- the transportation replacement vehicle, the
21 vehicle that brings the waste into drips to able to move
22 backwards along the rails. The rails have been designed
23 to allow movement both ways.

24 The drips walls themselves have metal lining that
25 runs I think somewhere 278-degrees from the top down the

1 side of the wall to protect the packages from rock fall
2 which could impede the ability to retrieve that waste.

3 There are probably many, many other design
4 features. Those are just a couple I know of.

5 So we have done that design. Staff is reviewing
6 that design and that is what the regulations require.

7 And also, I would like to point out that the
8 regulations typically specify the contents of the
9 license application. They typically do not specify what
10 needs to be behind that supporting that license
11 application.

12 Remember, the issue here that Nevada is now arguing
13 is that these plans should be available for review.

14 The NRC -- we were really wandering in a area,
15 that has some NRC staff discretion here, we need to
16 review the license application.

17 If there is additional information not in the
18 license application that they need to satisfy themselves
19 that preserve the option of retrieval, they can ask
20 request for information which they have done. They can
21 do site visits. They can have licensing meetings. And
22 this is really what I think the forum in which these
23 type of issues get resolved.

24 >> JUDGE WARDWELL: I got another quick question.

25 What is your interpretation of what this legal

1 question is that you're trying to address? What is the
2 problem we're trying to solve?

3 >> MR. SILVERMAN: What is the problem? Either way
4 Nevada says we have a legal obligation to have sitting
5 on the shelf at the Department of Energy offices, a
6 plan, a specific plan for the retrieval of the waste, as
7 opposed to designing to ensure to provide some minimal
8 expectation of assurance that we can retrieve.

9 We do not have the plan. We have a lot more than
10 design. We have a lot of background documents we would
11 not call those a plan themselves. So the legal issue is
12 whether we have to have that particular document, a
13 retrieval plan like an emergency plan or a
14 decommissioning commissioning plan on the shelf
15 available for staff review. And I can't think off the
16 top of my head of a regulation that specifies that sort
17 of thing.

18 Outside the scope of -- I could be wrong, I can't
19 think of any at the moment but outside the scope of what
20 needs to be in the L.A. Again, if it's not enough
21 information in the LA, staff will ask for it.

22 If there is not enough information in the LA, the
23 Intervenors can file a contention alleging that our
24 description is inadequate. But those are the forums at
25 which that gets addressed.

1 >> JUDGE WARDWELL: I could not pull out an Order or
2 what the parties submitted as their suggested legal
3 issue.

4 But I am reading one here that's highlighted and
5 it sounds similar. I just want to make sure that does
6 jog your memory to make sure I'm clear of what we are
7 addressing here and this says the legal issue whether
8 6321 (c) 7 and 6331 allow DOE to submit in the license
9 application, a description of its retrieval plans
10 without having a full retrieval plan available for
11 review.

12 Does that sound sufficient?

13 >> MR. SILVERMAN: That's exactly right.

14 >> JUDGE WARDWELL: So in fact it doesn't reference
15 all the regulations, it references just two.

16 >> MR. SILVERMAN: That's correct. And we agreed
17 with the State of the Nevada that while parties were
18 free to argue any regulation in which the argument
19 support of their position, the issue is those two
20 regulations right there.

21 >> JUDGE MOORE: Thank you. Staff?

22 >> MS. BUPP: Magaret Bupp for the NRC staff. It's
23 NRC's position that the legal issue is whether 10 CFR
24 and 31 allow to submit description of retrieval plan
25 without having a full plan available to review. The

1 staff position is that yes, DOE may submit a description
2 of plan in the license application. That is what is
3 required.

4 >> JUDGE MOORE: What does the Staff review plan
5 say with regard to the plan?

6 >> MS. BUPP: The Yucca Mountain replay advantages
7 first of whether the plans for retrieval packages are
8 based on -- they are to whether the plans for the
9 retrieval of is based on reasonable schedule provided in
10 and can be implemented if necessary whether the
11 proposed retrieval operations comply with requirement of
12 performance objectives, whether the proposed alternative
13 storage and retrieval of radioactive waste is reasonable
14 and whether a reasonable schedule for fuel block
15 arrangement is the big idea, the Yucca Mountain Review
16 Plan and staff's review is whether DOE's retrieval plan
17 ascribed is both feasible and reasonable.

18 >> JUDGE MOORE: How does the staff intend to
19 comply with the Commission's direction and statement
20 consideration that you will give extensive and detailed
21 review construction authorization stage DOE's plans and
22 procedures for recruitment?

23 >> MS. BUPP: I think first of all, we have to look
24 at some -- what trouble some language of the words plans
25 and procedures for retrieval without the qualifier

1 description of plans.

2 The Staff's view is that the actual language in the
3 regulation controls and therefore, DOE is required to
4 submit only a description of the plans. However, Staff
5 must provide a full and complete review of that
6 description, they must look at the description, and
7 determine whether or not the description shows that DOE
8 will be able to carry out these plans as they are
9 described and whether and -- and also, you have to look
10 at the staff is looking at in concert with the
11 requirement many 63111E where DOE is required to design
12 the GROA could we retrieve under reasonable schedule/so
13 we looked at the DOE's design elsewhere and in the
14 license application to make sure nothing than design
15 conflicts with the feasibility and the reasonableness
16 of DOE's description of the plans.

17 >> JUDGE MOORE: When does staff believe it will be
18 necessary for DOE to actually for DOE to create the
19 retrieval plan, at this point in time, staff not having
20 to finish its review of the description of plans. I
21 can't give a firm answer to that but it is possible that
22 DOE could delay developing full plans and until the time
23 that such retrieval becomes necessary, however, staff
24 does have the ability of both the construction
25 authorization stage and license receive and month site

1 specific ERMs stage to put conditions on both the
2 construction or license easy and possess that would
3 either require death to submit such plans and such at a
4 certain point in time or would block any certain
5 portions that must be included in the final to make sure
6 the final plans will meet some primary level ascribed in
7 the license application.

8 >> JUDGE WARDWELL: Could you describe your
9 philosophy in license conditions? Specifically, do you
10 believe license condition can be applied in make up for
11 any insufficient application requirement?

12 >> MS. BUPP: No, it cannot. However, I think it
13 can in a situation like we have at present, that may or
14 may not happen for long time in the future. That will
15 be the result of a very unusual condition. Repository
16 is designed to hold waste. That is its purpose,
17 retrieval of the waste would likely be due to some very
18 unusual event and so it is difficult to put the
19 retrieval plans firmly in place right now when retrieval
20 could take place a hundred years from now and counsel
21 for DOE's comparison for retrieval plans is an act of
22 comparrison. They are both actions that could take
23 place a long time from now and where there could be many
24 intervening effects that could affect what is required.

25 So I think in this case, it would not be acceptable

1 to review nothing with regard to retrieval plans and put
2 in the license condition that says please submit your
3 plan at a later date but where we have a description of
4 retrieval plan, where in concert with the description of
5 the design of the repository, gives us reasonable
6 assurance that such retrieval plan is reasonable and
7 could be carried out in the future. I think it would be
8 appropriate for staff to if necessary, put in some
9 license conditions or some construction authorization
10 condition that is would lock insert portion of the is
11 description for retree value plan.

12 >> JUDGE WARDWELL: I assume license condition
13 should be granted to meet any reasonable assurance
14 standard required for the project to proceed safely?

15 >> JUDGE WARDWELL: You could not put a license
16 condition -- cannot generate a license condition or an
17 order for the application and the applicant to meet the
18 reasonable assurance that public safety is being
19 protected?

20 >> MS. BUPP: I think what you're asking, if you
21 can put a license condition in place in lieu of the
22 applicant making a showing that there is reasonable --
23 no, that is not.

24 >> JUDGE WARDWELL: That's just what I said, what
25 you said but don't this fly a little bit in at least in

1 regard to notes I have and correct me if I'm wrong but I
2 got here somewhere I throughout the 2001 Commission
3 stages and promulgated rule stated that the retrieval
4 plans would receive since staff's review as part of any
5 construction authorization? Did I copy that wrong?

6 >> MS. BUPP: That is correct. And the staff is in
7 the midst of reviewing the retrieval plan. As counsel
8 for DOE noted, we have request for additional
9 information.

10 >> JUDGE WARDWELL: So you have a plan?

11 >> MS. BUPP: We are in the midst of reviewing
12 and where we felt there was more information that was
13 needed, we have asked for request of additional
14 information.

15 I would note, however, that the staff's review in
16 this area is intended to be included in Volume II of the
17 Safety Evaluation Report and so it is still -- we're
18 still in the early stages of our review with regard to
19 this issue.

20 >> JUDGE MOORE: Ms. Bupp, assume 55 years from
21 now, DOE creates a retrieval plan in response to a
22 challenge, Physical challenge. Would that plan require
23 some kind of a license amendment when they actually
24 produce it? And if not, how -- because it's going to be
25 dependent on the hearing rights of those challenging an

1 application dovetail or not dovetail with that problem?

2 >> MS. BUPP: I think whether or not we -- the plan
3 would require a license amendment sort of depends on
4 what the plan actually says. If anything, the plan
5 conflict with what's in the construction authorization
6 for the licensee to point section then they will
7 potentially come in for a planned amendment. However,
8 there is nothing in the regulations akin to requirement
9 they come in for plan amendment. For example, when
10 they close the repository.

11 >> JUDGE MOORE: A description of plan is often
12 required of a plan, to prepare a plan.

13 MS. BUPP: that is not entirely accurate here.

14 It is my understanding of what DOE has submitted,
15 that it does include certain characteristics that the
16 plan will have to meet.

17 It includes more of a parameter for the plan rather
18 than a plan to do a plan at a later date. It is enough
19 information that there are certain things that are
20 included in the Safety Analysis Report.

21 There is information in the Safety Analysis Report
22 that DOE has submitted as parts of its application so
23 that is the type of information that's in the SAR that
24 has the same status as it's not just a plan for a plan.

25 >> JUDGE MOORE: Thank you. Mr. Marlsch. Did you

1 want any rebuttal?

2 >> MR. MALSCH: Thank you. Just one point one
3 brief comment. I think the question arises that whether
4 if actual retrieval plans are not to be reviewed at the
5 construction authorization, then, when will it be
6 reviewed? And I would just submit to you that there is
7 three stages specified in Part 63 licensing
8 regulation, construction authorization stage, and
9 amendment to the license to effect the permanent closure
10 of the repository.

11 The line reference made anywhere to re-evaluate the
12 plan is in connection with the license application and
13 construction authorization stage. No mention whatsoever
14 in there about receipt or before the repository is
15 permanently closed.

16 So it is a very good yes. If not now, when? Will
17 there be plans to review the construction authorization
18 stage because there was no specific provision made for
19 reviewing them at any other stage.

20 >> JUDGE WARDWELL: Could one also interpret the
21 lack of any definitive time that it be reviewed meaning
22 that it would -- it could be reviewed at any time that
23 it became apparently retrieval was actually needed and
24 that the license would then have to be amended based on
25 the review of that plan at that time?

1 >> MR. MALSCH: I don't think so because the
2 Commission went to some effort to specify what
3 particular things would be reviewed at particular stages
4 and nowhere in Part 63 is there an indication that
5 retrieval plans would be revealed at the time it becomes
6 necessary.

7 >> JUDGE WARDWELL: But there should not be a place
8 to that because it would not necessarily be a
9 retrieval at the end construction authorization or at
10 the end of construction for that matter and certainly
11 not after closure.

12 >> MR. MALSCH: The real danger here is without
13 having actual retrieval plans, you will not ever know
14 for sure whether retrieval is actually feasible.

15 The best way to evaluate whether the option of
16 retrieval is preserved and feasible, is to have plans
17 and then compare the plans in the retrieval posture
18 design.

19 >> JUDGE WARDWELL: But there is nothing in the
20 regulation and those two specific areas, section quoted
21 in the legal issue that says the plan has to be
22 submitted, a description is sufficient at this stage.

23 Now, you can argue that the description is
24 insufficient and then, you can get into the effectual
25 component of this if you wish, but --

1 >> MR. MALSCH: I take the Commission at its word
2 that would review the plan in detail before issuing a
3 construction authorization. So we took that to mean
4 that while the application need only contain a
5 description, the plans themselves would believe need be
6 there for review.

7 >> MR. SILVERMAN: Would you mind if I add one
8 comment? I'd call your attention to 6345, amendment
9 of license, says application amendment of a license et
10 cetera and B, determines whether amendment will be
11 approved. The Commission will be guided by the
12 considerations that govern the issuance of initial
13 license to the extent practicable.

14 Amendment provide there and remember some of the
15 conditions that involved in the initial license of
16 whether restream ability option is preserved.

17 And if there is a need for amendment to this,
18 would have to consider that and furthermore, 6346, it
19 specifically says particular activities require the
20 license amendment unless specific authorized in the
21 license, the license amendment is required for the
22 following activities in any action that would make a
23 place high level waste or the substantial increase the
24 difficulty of retrieving waste, call those to your
25 attention and like to briefly say with respect to

1 hearing rights, go back to to decommissioning plan
2 analogy when a particular applicant files a license
3 application. They do not file a decommissioning plan,
4 as that time, there is no hearing right with respect to
5 decommissioning plan itself, at the point in time when
6 they are getting ready to terminate their license or
7 and prepea the plan, they may or may not need a license
8 amendment. Some licensees does and some don't.

9 If they do, there would be strict appropriate
10 hearing rights and if they don't, there would not be
11 those hearing rights.

12 JUDGE MOORE: Thank you Mr. Silverman. Instead of
13 pushing on, I think we will adjourn for the day.
14 Tomorrow morning, we will reconvene case management
15 conference at 9:00 a.m. Push forward and upon
16 completion of risk-informed assume the oral argument on
17 Issue 10 and Issue 11.

18 Do any of the parties have anything further today
19 for us before we adjourn? Then, we will adjourn and see
20 you all at 9 o'clock in the morning.

21 Thank you.

22 (Whereupon the proceedings were adjourned)

23

24

25

1

2

3 (JANUARY 27, 2010, ORAL ARGUMENTS

4 CONTINUE)

5

P R O C E E D I N G S

6

7 Please be seated. We will resume with the

8

Mr. Malsch.

9

>> MR. MALSCH: Thank you very much, Judge Moore. Marty Malsch for the State of Nevada. Before I begin on Issue 10, I wonder if I could beg the Board's indulgence to call their attention to a technical fact bearing on issue 8. That's the defense's FEPs issue, which was called to my attention after the argument yesterday, so if I could only take a few seconds.

17

>> JUDGE MOORE: Go ahead.

18

>> MR. MALSCH: There was a discussion with regard to issue 8 regarding the possible equivalency between a neutralization analysis and a FEPs analysis. The additional fact was called to my attention is this and that is that in a neutralization analysis, you were doing a basically a conditional analysis in which the drip shield effect of it is felt in an unmitigated fashion on the

25

1 ultimate dose calculation. In a FEPs calculation,
2 though, if you were examining a FEP, which leads to,
3 let's say, the total failure of all drip shields, the
4 effect of that failure, the ultimate calculation is
5 mitigated by the probable FEP in the first place.

6 So, for example, imagine an igneous
7 scenario which leads to the total failure of all
8 waste packages, that would be felt in the ultimate
9 calculation, but it would be discount by something
10 on the order of a tenth of a minus 8 because you
11 take into account the probability of the FEP in the
12 first place. That was called to my attention after
13 the argument, I thought it was important to tell the
14 Board about this.

15 >> JUDGE MOORE: Thank you. Proceed.

16 >> MR. MALSCH: Issue 10 deals with DOE's
17 drip shield installation schedule and what we believe
18 is a -- a very visual and unique issue which it
19 poses. DOE will not install its drip shields until
20 the end of the 100 year --

21 >> JUDGE WALDWELL: Can I interrupt you
22 right off the bat?

23 I remember when I was in graduate
24 school, . Campadre in my room had a sign above his
25 desk "this is a problem I'm solving, a simple

1 equasion." It always got him focused again. For
2 10, I am not sure of the problem we are trying to
3 solve. What is your opinion of what is the legal
4 question before us with this?

5 And can you enlighten me on how it became
6 designated as a legal question?

7 Because I'm confused on how it did also.

8 I don't see it in your previous
9 contentions, itself, when we're dealing with 162 nor
10 can I really ascertain where it came from.

11 I've read where it's alluded to the Board
12 that, omitted the contention, but I couldn't find
13 that either. And I just need to be steered if you
14 can help me with that before we get into any of your
15 other details, if we could.

16 >> MR. MALSCH: Sure, I'd be happy to do
17 that.

18 Our condition 10, if I recall, said
19 because of DOE's delay of installation of a drip
20 shield until the end of the 100-year period, post --
21 predisclosure period. After all, the 11,000 or so
22 waste packages containing the wastes that have been
23 in place, that that could not possibly be justified
24 as safe. I think that's the essence of our
25 contention.

1 The legal issue here today is -- is --
2 what I would call a subset of that, and that is that
3 it cannot be legally justified as safe because by
4 virtue of the schedule, a safety finding, which the
5 regulations require be made before a license is
6 issued to receive and in place wastes cannot
7 possibly be made. I think that dovetails in with
8 the -- with the contention as written.

9 >> JUDGE RYERSON: Was 161, Nevada Safety
10 162 admitted as a legal issue contention?

11 >> MR. MALSCH: No, it was not contention
12 admitted legally as --

13 >> JUDGE WALDWELL: Nor did you have
14 questions associated with it?

15 >> MR. MALSCH: That is true. That is
16 true.

17 >> JUDGE WARDWELL: And when did this come
18 up as a subset, this schedule? I see now what you
19 are driving at with regards to the scheduled portion
20 of it.

21 Can you enlighten us on when and who and
22 how this rose up to the level it has?

23 >> MR. MALSCH: I'm trying to remember when
24 we very first raised the issue. We certainly raised
25 it in connection with the negotiation and discussion

1 of the legal issues; but we had raised it earlier --
2 and I'm trying to recall and I don't know whether we
3 raised it in our reply or not. I'm sorry, I don't
4 recall.

5 >> JUDGE WARDWELL: And to the best of your
6 knowledge, the Board that admitted this -- the Board
7 that was dealing with this, there was nothing in our
8 Board Order that admitted it as a legal contention
9 when we admitted contentions?

10 >> MR. MALSCH: You didn't designate it as
11 a legal contention, really, one way or the other,
12 that is correct.

13 >> JUDGE WARDWELL: I'm encouraged, I'm not
14 completely --

15 >> MR. MALSCH: You are not.

16 >> JUDGE WARDWELL: I am partially eluded,
17 but not completely.

18 >> MR. MALSCH: In any event, the premise
19 for the legal question is precisely this, if DOE will
20 not install its drip shields until after all 11,000
21 waste packages containing 70,000 metric tons of waste
22 have been in place; and, thus, systems and structures
23 necessary for disposal safety of the drip shields
24 have been in place will not be installed until many
25 years after the radiological hazards with which they

1 were designed to address have already been
2 introduced.

3 As I said, this is a very unusual -- very
4 unusual proposal. Commission policy and practice
5 has always been that a safety finding must be made
6 before any actual radiological hazards are
7 introduced, not afterwards. That's why
8 case-specific licenses are required in the first
9 place. And that where complex facilities are
10 involved -- and certainly this is a complex
11 facility -- that safety finding required before the
12 hazards are introduced always includes a finding
13 that all of the systems and components necessary for
14 safety have been properly fabricated and installed.

15 For example, you see that for faux power
16 reactor licenses in 50, in 57 (a) (1) you see that
17 for low power instances under Part 50, that's in
18 50.57 (c) and for some materials licenses, for
19 example, plutonium processing facilities under 70.23
20 (a) (a).

21 So the issue here is whether Part 63
22 incorporates that same policy. If so, exactly how
23 does it incorporate that policy; and if it does, are
24 we required to do anything about it at all at this
25 particular stage in the licensing proceeding?

1 >> JUDGE WARDWELL: The policy you are
2 referring to in regards to the other licenses, is
3 that -- is that merely a policy or is it truly a
4 regulation that says, that thou shall not -- that
5 there shall be a safety finding prior to any
6 radiological impact means installed?

7 >> MR. MALSCH: Yes, in the three
8 regulations that I cited, no license can be issued
9 until that finding is made -- and that even applies
10 to a low power license, for example.

11 The regulations I cited, we believe that
12 Part 63 is consistent with this longstanding policy
13 and practice. 63.41 (a) (2) requires that before
14 wastes may be received or replaced in a repository,
15 the NRC must find, quote, "That the construction of
16 any underground storage place required for initial
17 operation is substantially complete in conformity
18 with the act and the application in the
19 regulations." The wording is a bit awkward, but it
20 must mean that satisfactory completion of any
21 underground storage space required for an initial
22 operation must mean satisfactory completion of
23 whatever safety features are necessary for adequate
24 isolation of the wastes that will be in placed as a
25 part of the initial operation. And in our case,

1 that finding cannot be made, because all of the
2 wastes will be in place before a single drip shield
3 is installed.

4 >> JUDGE WARDWELL: When will -- when will
5 the receive and possession license be needed in order
6 to start receiving the wastes?

7 >> MR. MALSCH: It would be needed before
8 any wastes could be received on the site.

9 >> JUDGE WARDWELL: What I mean is regards
10 to construction starts, constructional license
11 granted, construction starts -- it takes 100 years to
12 complete all the -- all the tunnel drifts, as I
13 understand it, or approximately; but at that same
14 time, wastes -- there is a plan to -- at the -- as a
15 companion activity start putting wastes in some of
16 those drips already completed; is that not correct?

17 >> MR. MALSCH: That -- that is correct.

18 >> JUDGE WARDWELL: And receive and
19 possession license would be needed for that activity;
20 would it not?

21 >> MR. MALSCH: That is correct.

22 >> JUDGE WARDWELL: And approximately about
23 how -- do you remember how much lag time there is?
24 How many drips have to be constructed before they're
25 going to start the companion, the dual duplicative --

1 not duplicative but the parallel -- duplicative or
2 parallel activities at the site?

3 >> MR. MALSCH: I don't know. I mean, I'm
4 not sure. it's a fairly long period. I don't know
5 exactly how long it is. All right. Now, DOE -- .

6 >> JUDGE MOORE: The waste will arrive on
7 the GROA years in advance to be in place underground.

8 >> MR. MALSCH: Well, some years in
9 advance. I presume they could commence construction
10 of the underground facility as soon as they receive
11 the construction authorization and, in theory, they
12 would be poised to begin in placing wastes very
13 shortly after the above-ground infrastructure was
14 available to allow that to be done. That would be in
15 the very beginning, but I don't know how long the
16 actual replacement operations would last.

17 Now, DOE's staff tell us that there's no
18 problem here, because, first of all, they say, all
19 that is required by way of a finding is a finding
20 that -- that the construction of underground storage
21 space has been completed. And I would submit,
22 that's -- that's a silly meaning of the regulations.
23 Obviously, what the Commission had in mind is not
24 only adequate completion of the space, but also
25 adequate completion of whatever facilities in the

1 space are necessary for safety.

2 For example, this would now include not
3 only disposal safety but in placement safety. For
4 example, this staff would be very interested, the
5 Commission would be very interested in the safety of
6 tunnel support or rails for in placing wastes or
7 waste monitoring equipment, that would all be a part
8 of this finding. So satisfactory completion of the
9 space must be also satisfactory completion of
10 necessary structured systems and components in this
11 space.

12 Well, then the next response is, well,
13 but, no, the only finding is that structured systems
14 components necessary for initial operation are
15 completed and we need not concern ourselves with the
16 drip shields because they will not be in stored as a
17 part of the initial operation. And that is true in
18 any temporal sense; but in a more meaningful sense,
19 I think the regulation has to be read to say that as
20 the -- as the wastes are in place in the tunnels,
21 one should be sure that there is completed
22 construction of whatever safety features are
23 necessary to assure that those wastes that are being
24 in placed, in the initial operations will be in
25 place with adequate disposal safety. And, in fact,

1 the regulatory history suggests of this initial
2 operations, suggests it was added not to avoid
3 having to address some safety question, but purely
4 to allow DOE to begin disposal operations without
5 excavating the entire repository drifts. So they
6 can begin with just one tunnel. They wouldn't have
7 to construct all the tunnels; but that doesn't
8 necessarily excuse them from having necessary
9 structure systems and components for disposal safety
10 in place.

11 >> JUDGE RYERSON: But if 162 was admitted
12 as a fact, as a factual contention and I guess I'm
13 not quite clear how the legal issue, particularly as
14 it's been framed here, how that necessarily advances
15 or doesn't advance the ball. I -- this is the issue
16 as it was agreed upon by the parties, I take it, and
17 if we had an opportunity in our Order to modify it
18 and we didn't avail ourselves of that opportunity;
19 but as I look at it, I find it a little confusing. I
20 think the issue we are arguing, and tell me if this
21 is correct, is basically whether as a matter of law
22 it's impossible for the Commission to make the
23 required findings to issue a construction
24 authorization in light of the drip shield
25 installation plan? I mean, is that essentially the

1 issue?

2 >> MR. MALSCH: That's a fair statement of
3 the issue.

4 >> JUDGE RYERSON: Why is that an issue of
5 law as opposed to an issue of fact to be adjudicated?

6 >> MR. MALSCH: Well, I think -- I think if
7 you read the regulations the way we read them.

8 The impossibility arises as a matter of
9 law not as a matter of fact, once you accept the
10 factual premise, that there will be no drip shields
11 in place until after all the wastes are in placed in
12 the tunnels. I think that's the factual premise. I
13 believe that's what the application provides. I
14 think once that's the premise, I think our argument
15 flows from that.

16 >> JUDGE RYERSON: But the substantial
17 completion section is not -- is only indirectly
18 relevant, I take it, at the constructional
19 authorization phase? I mean, we can't have
20 substantial completion before a construction
21 authorization?

22 So it's -- it's simply in anticipation of
23 whether that would be possible, which strikes me as
24 more of a fact question.

25 >> MR. MALSCH: Well, I don't think it's a

1 fact question, if what you are talking about is a
2 legal certainty that a safety finding cannot be made
3 at the operating license stage. I mean, I agree with
4 you, in ordinary circumstances, one would not be
5 concerned about that as the construction at the
6 construction authorization stage. There is no
7 construction to address; but if you know now at the
8 construction authorization stage, that because of the
9 schedule, a finding required for operation cannot
10 possibly be made, then we would say it would be
11 irrational not to take it into account now before DOE
12 gets its license. Because otherwise the results
13 would be DOE could commence construction of the
14 repository only to be told by the NRC five years
15 later, sorry, we can't give you a license and ha-ha,
16 we knew that all along. I mean, that's irrational.

17 If this is the problem we think it is, it
18 has to be addressed now and it can't be postponed
19 until later. But it did occur to me, there is a
20 factual issue that is associated with this issue and
21 that is NEI contends that the drip shields are not
22 necessary. So if NEI were to prevail on that
23 contention then, then we don't need the drip
24 shields. We wouldn't need to make any finding
25 amount about satisfaction of the completion of the

1 drip shields. And the issue I guess is effectively
2 removed. So that issue would remain, no matter what
3 one, what the Board did with this particular issue;
4 although, if the Board decided this issue in our
5 favor, then NEI's contention would be a very
6 important contention.

7 >> JUDGE RYERSON: Yeah. Well, I guess
8 that's my concern. You're asking us to decide, as a
9 matter of law, what might be the fact question five
10 years down the road. If NEI were to prevail, for
11 example, then, as a matter of law, the finding could
12 be made, could it not, of substantial completion if
13 the drip shields were turned out not to be necessary,
14 hypothetically?

15 >> MR. MALSCH: Well, I agree with that,
16 except we are dealing with the application as filed.
17 And we filed contentions, if the application is
18 filed. I think giums need to be made based upon the
19 application as filed; and the application as filed
20 has drip shields.

21 Now, if in response to some
22 reconsideration, the DOE may want to undertake
23 either after consideration of the NEI contention or
24 otherwise, they want to either amend the drip shield
25 installation schedule so drip shields are installed

1 as the wastes are in placed or they want to do away
2 with it altogether, well, then they'd have to file
3 an application, an amendment to the license
4 application and we would deal with it then; but for
5 now, we're -- we're dealing with the application as
6 it stands.

7 >> JUDGE MOORE: Mr. Malsch, if -- as DOE
8 states -- the drip shield is a component part of the
9 waste package engineered barrier, then it can't
10 possibly be installed until the other components of
11 the waste package engineer barrier are installed, but
12 if it is looked at, as DOE proposes, that it is one
13 engineered barrier, one system with subcomponents,
14 then that initial waste package has to be in place
15 before you could put the drip shields in. Aren't you
16 looking, especially with regard to your argument
17 about what the word "space" in 63 -- I believe
18 it's -- 41 means? It's a physical impossibility
19 under their definitions to put the drip shield in
20 before you put the waste in place?

21 >> MR. MALSCH: Well, I think the time
22 difference is in that respect almost trivial. I
23 mean, you -- you would be installing the waste
24 package and the drip shield almost simultaneously. I
25 don't see why things can't be engineered in that

1 manner. And if that's the way it's done, then the
2 finding would be made, there wouldn't be any problem.

3 >> JUDGE MOORE: Why isn't it being done
4 that way?

5 >> MR. MALSCH: Because DOE is proposing to
6 install all of the waste packages before installing
7 any single one of the drip shields.

8 >> JUDGE WARDWELL: And -- and the reason
9 for that, is it not, is to maintain ability for
10 retrieval, exactly, if I recall?

11 >> MR. MALSCH: I don't know what the
12 reason is.

13 >> JUDGE WARDWELL: Right now, the drip
14 shields will not be installed. They'll be installed
15 all at once after all the waste packages are
16 installed, even though waste packages will be
17 installed sequentially while other drifts are being
18 excavated.

19 >> MR. MALSCH: Right. Right.

20 >> JUDGE WARDWELL: Something you said may
21 have confused me a little. Is it your position now,
22 there are no factual issues left in 162?

23 >> MR. MALSCH: Not if the Commission
24 decides this issue in our favor. I think if they
25 decide this issue against us, I'm not sure if it

1 would remain a factual issue other than NEI
2 contention. But I think it would be an important
3 policy question for the Commission to address as to
4 whether they would want to NEI to contemplate this
5 highly unusual situation. I mean, for example, if
6 the Board should decide that, yes, we agree that it
7 would be an impossibility of making this operating
8 license finding but because of the two-stage
9 licensing process, it isn't necessary to look at that
10 now. I think the Commission might want to look at
11 that even as a policy matter and decide whether that
12 makes any sense. I mean, among other things we have
13 discussed in our Briefs, DOE's suggestion that this
14 matter could be handled by a license condition; that
15 is to say, you don't have a license to receive and
16 possess would be issued on condition that all of the
17 11,000 drip shields would be installed 100 years from
18 now. And we raised I think what is the very
19 important question of exactly what would be the
20 effect of such a license condition?

21 I mean, if the -- if the great, great,
22 great grandson of the current NRC inspector of Yucca
23 Mountain were to inspect the site prior to site
24 closure and happen to notice there were no drip
25 shields and ask the DOE official on site, you know,

1 "What's going on here?" And was told, "We're
2 really, really, really sorry, we had every intention
3 of installing them. It turned out we just
4 couldn't." What would the NRC be in a position to
5 do now with all the waste packages in place?

6 I mean, in theory, we -- obviously, a
7 civil penalty would do no good. It would simply
8 pass treasury monies from the treasury to DOE to NRC
9 back to the treasury. It wouldn't address a safety
10 problem. NRC's ability to enforce license
11 conditions is rooted upon its fundamental authority
12 to revoke licenses and to order divestiture of the
13 materials. In this case, that would mean orderly
14 retrieval. But as we pointed out in our Briefs,
15 that would be a very difficult order to issue
16 because it would entail a balancing of the risks to
17 workers and maybe others associated with the
18 retrieval operations associated with the risks to
19 the citizens of Nevada with a repository with no
20 drip shields and possibly in violation of the EPA
21 standards. I don't know what the outcome would be
22 of that; but it could be that Nevada is stuck with a
23 repository that's in violation of the EPA -- EPA
24 rules. So I don't think the license condition
25 which -- which DOE has proposed is by any means a

1 satisfactory answer to this problem. I think this
2 is a real serious problem with DOE's proposal. I
3 think it should be addressed now, because,
4 otherwise, what is the purpose of a construction
5 authorization proceeding if not to examine the
6 possibility of real serious problems with preventing
7 an operating license from being issued in the first
8 place. So it is no answer to say, oh, this is just
9 a two-stage licensing process.

10 >> JUDGE MOORE: What happens to NEI's
11 contention if your position were accepted?

12 >> MR. MALSCH: Well, if our position were
13 accepted, that would be the law of the case. Then we
14 could -- if NEI presumably wishes to go forward --
15 litigate that issue. In which case I suppose it
16 would be moot. If DOE then also filed an amendment
17 to its license application which, if given, no
18 indication it would do so. So I think we have to
19 deal with the application as it is currently filed
20 and that is with the drip shield installation
21 schedule as is currently filed. Even if DOE should
22 prevail in its -- in its contention, that doesn't
23 require the DOE to amend its license application. It
24 could still go forward on the drip shields. If it
25 amended the license application to eliminate the drip

1 shields or to install them as the wastes were in
2 place, then that would effectively moot this issue;
3 but it hasn't done so or given any indication that it
4 would.

5 >> JUDGE WARDWELL: It's my understanding
6 DOE doesn't exactly agree with your legal
7 interpret -- your definition of the legal issue in
8 this contention; is that correct?

9 >> MR. MALSCH: I think we have a
10 disagreement as to whether it's in the scope of the
11 contention.

12 >> JUDGE MOORE: Okay. Well, we'll ask
13 them as they come up for their opinions. Thank you,
14 Mr. Malsch.

15 >> MR. MALSCH: Thank you.

16 >> MR. SILVERMAN: It's still morning.
17 good morning, Your Honor.

18 Don Silverman with the Department of
19 Energy. Before we get into our Petition and my
20 responses to Mr. Malsch, I want to go to the
21 specific question that Judge Wardwell asked at the
22 beginning and I think Judge Ryerson followed up on
23 with, which is: What is the legal question?

24 What's the problem?

25 And where did this all come from?

1 And in particular, I think you were a
2 little befuddled -- correct me if I'm wrong -- with
3 respect to the fact that you didn't see a clear
4 relationship to the legal issue in the contention
5 and I would just like to make clear, we did not
6 agree to this language in this contention. We
7 worked very closely with Nevada and agreed on almost
8 every single contention; but in this particular one,
9 when we filed our joint stipulation with the Board,
10 we specifically said Nevada and DOE disagreed with
11 respect to the nature of this legal issue, raised in
12 this contention and we'll file separate views. We
13 filed separate views.

14 The essence of those separate views were,
15 Nevada is arguing that the pre-operational findings
16 that are required by 63.41 (a) need to be addressed
17 now. And our objection was that 63.41 (a) -- and
18 that requirement didn't appear in the contention at
19 all. And the Boards, for whatever reason, made the
20 judgment to admit this legal issue as a legal
21 issue -- admit might be -- to have us argue this
22 legal issue as it is written today, which was the
23 way it was proposed by the State of Nevada. So I
24 just want to clarify, we did not believe this was an
25 appropriate interpretation, that this did not flow

1 logically from the contention, and particularly
2 because this -- the very regulation that's at the
3 essence of their argument wasn't even mentioned in
4 the contention. I did want to point that out.

5 Our main response to Mr. Malsch is -- is
6 really three-phased. The first is, we have plain
7 language in these regulations -- our basic position
8 is, we are not required to make this pre-operational
9 finding that construction of the underground storage
10 space is -- that the 63.41 (a) finding, the
11 construction underground facility has substantially
12 been completed at this time. These regulations, the
13 structure and language is clear. There are -- there
14 is a regulation which specifies findings to be made
15 at the construction authorization stage. That is in
16 63.31 (a) (2). Those are the ones that we have to be
17 focusing on.

18 There is a separate regulation that
19 specifies findings to be made at the possession and
20 use stage. That is 63.41 (a), not mentioned in the
21 contention, but very clear in the regulations.
22 There are two different regulations, they're
23 established for two different stages of the license
24 proceeding; and if NRC had wanted us to import into
25 this current proceeding the criteria for issuance of

1 a license to possess and use, we believe they would
2 have done that. So as a matter of plain language of
3 the regulations and the structure of the
4 regulations, we don't think that's appropriate and
5 consistent with the regulations.

6 Furthermore, with respect -- secondly,
7 with respect to the language of the regulations, if
8 you do look at 63.41 (a), which is the
9 pre-operational findings, it defines what that
10 finding is. That the facility has been
11 substantially completed in accordance with the
12 application. And it does that -- defines, it says
13 absolutely modifies that, defines it, says the
14 construction is considered to be quote
15 "substantially complete if the underground storage
16 space required for an initial operation is
17 substantially complete."

18 Our position is the space, it is -- it
19 should be defined in an ordinary definition. The
20 Commission could have said, construction is
21 considered to be substantially complete if the
22 underground storage facility was substantially
23 completed, if the underground facility and equipment
24 was substantially completed, if the underground
25 facility and engineer barriers were substantially

1 completed. But they didn't do that; they said
2 "space". And, furthermore, they modified the phrase
3 further with the phrase required for initial
4 operation; and if you look at the regulations, the
5 conceptual regulation, 63.102 (c), it defines three
6 periods of operation and there is an initial period
7 of operation, which is the period of in placement.
8 That's one of the three defined phases. The drip
9 shields are not required for that phase, for that
10 phase of the process. The drip shields are a
11 protection measure. They are a part of the
12 post-closure safety case.

13 So, for that reason as well, we think the
14 plain language does not support Nevada's position.

15 Mr. Malsch suggests there is a safety
16 issue here. And he suggests -- doesn't suggest --
17 states that there is a definitive safety finding to
18 be made at this particular time, and I want to
19 respond to those points.

20 First of all, with respect to the --
21 whether there is is a safety issue, we don't believe
22 there is one for several reasons.

23 First of all, the application makes clear
24 that there will be some drip shields, a small
25 number, installed early in the "in placement"

1 process for purposes of the performance confirmation
2 program. So there will be analyses done and
3 scientific studies -- analyses done and scientific
4 studies done to see how well these drip shields
5 perform.

6 Secondly, the NRC still has to determine
7 based upon the license application that the drip
8 shields can be installed in accordance with our
9 commitments and can confirm adequate installation
10 before closure, before the time when these drip
11 shields are needed to perform their function, and
12 that would be as part of a closure amendment. There
13 is a specific proceeding for an amendment
14 application to close the facility. That's in
15 Section 63.51.

16 Third, we have the requirement to preserve
17 the ability to retrieve the wastes through the
18 repository design prior to permanent closure. If we
19 meet that obligation to the satisfaction of the
20 agency, in my view, that obviates the safety issue
21 and, in fact, Nevada essentially acknowledges that
22 last point on safety, on Page 862 of its actual
23 contention.

24 With respect to the notion and Mr. Malsch
25 did not address there today, a definitive disposal

1 finding to be made today or in connection with this
2 construction application, it's a misreading of the
3 regulations. There are multiple important safety
4 findings to be made; and they are made at different
5 stages of the process. There is the 63.21 finding
6 to be made with respect to the construction
7 authorization. There is the 63 -- I'm sorry, the
8 63.31, reasonable expectation finding. There is a
9 finding before possession and use. It's in section
10 63.41. And it requires the NRC to find that our
11 activities will be in conformance with the LA, the
12 Atomic Energy Act, the regulations; and there will
13 be -- there will not constitute an unreasonable risk
14 to public health and safety, more than broad enough
15 language to encompass the findings that need to be
16 made at that point.

17 More on point is the provisions governing
18 the permanent closure amendment, because that is
19 when the drip shields come into play. And the
20 regulations that govern the findings to be made
21 there at that point in time are in Section 63.45 and
22 Section 63.51; and the regulations say that the
23 Commission will make the same determinations that
24 quote "govern the issuance of the initial license
25 and any other information bearing on permanent

1 closure, i.e., such as, the adequacy of the drip
2 shields to perform their function that was not
3 available at the time the license was issued."

4 We need that fits perfectly, those are all
5 in the regulatory scheme. And as I said earlier, I
6 think the waste retrieval provisions and the
7 obligation to preserve the option of retrieval,
8 largely dispose of any significant safety issue.

9 Just bear with me a minute. Those are my
10 major comments, but I would like to look over the
11 points that Mr. Malsch made. He did say this was a
12 very unusual proposal, the notion of installing the
13 drip shields not until after all the waste is
14 installed and after the adequate safety finding, it
15 would be too late to make that finding.

16 As I pointed out, there is a permanent
17 closure amendment findings to be made and I think
18 that demonstrates that that's a faulty assumption.
19 And again, I want to remind the Board, it's not an
20 unusual proposal. Because the drip shields are
21 intended -- they're a part of the post-closure case.
22 They're a part of the post-closure safety and
23 amendment findings.

24 >> JUDGE WARDWELL: Can we address that for
25 a minute?

1 >> MR. SILVERMAN: Sure.

2 >> JUDGE WARDWELL: Mr. Malsch pointed out
3 that -- are you aware, let me strike that --

4 Let me ask this: Are you aware of any
5 other license that the NRC grants where it's
6 permissible to put in radioactive materials before
7 any of the containment or controls or needs to
8 protect and provide for the health and safety of the
9 public are installed?

10 >> MR. SILVERMAN: Let me -- I think the
11 premise of your question, with all due respect, is:
12 It was not correct, for any other facility.

13 >> JUDGE WARDWELL: It had no premise.

14 >> MR. SILVERMAN: Well, the premise is --
15 the premise is that that you are putting waste in
16 before you have certain controls or protections in
17 place to insure the safety of it.

18 >> JUDGE WARDWELL: To meet the safety of
19 the people. The drip shields are relied upon in
20 order to meet safety findings; is that correct?

21 >> MR. SILVERMAN: Yes.

22 >> JUDGE WARDWELL: Are there any other
23 licenses, that you are aware of, where a system
24 structure component that is relied upon for safety is
25 allowed to be installed after the radioactivity has

1 been entered into that?

2 >> MR. SILVERMAN: I'm not. But there
3 is -- this is my point. There is a fundamental
4 difference between this repository and any other
5 licensed facility.

6 >> JUDGE WARDWELL: But that's my second
7 question. Is there anything different that allows
8 you to?

9 THE WITNESS: Yeah, there sure is. This is
10 a permanent repository and the safety findings that
11 have to be made are that this waste can be disposed
12 of safely and held in the repository for a million
13 years. In -- and so the drip shields are a component
14 of the safety case to be made, to demonstrate that
15 this stuff can stay there forever.

16 All right. That is very, very different
17 from any other proceeding I can think of where there
18 is, I'm -- any other facility I'm aware of where at
19 least the initial intent is not to leave the waste
20 in place. It's to have the waste -- it's to have
21 the radioactive material come on the site, operate
22 with it, and then the envisioned -- envisioned
23 intent would be to remove it pursuant to a
24 decommissioning plan or possibly to leave it in
25 place pursuant to a decommissioning plan; but you

1 wouldn't know that until much later. It's very
2 different.

3 >> JUDGE WARDWELL: But the main purpose of
4 this is for permanent disposal? There is only an
5 option for retrieval that must be maintained?

6 >> MR. SILVERMAN: That's correct.

7 >> JUDGE WARDWELL: Is there an operational
8 license granted for this facility?

9 >> MR. SILVERMAN: Essentially, yes, sure.
10 It's the receive and possess license.

11 >> JUDGE WARDWELL: Why isn't it called an
12 operational license?

13 >> MR. SILVERMAN: It's not called an
14 operational -- operating license, because that term
15 is only used in Part 50 and perhaps Part 52 because
16 of -- under the Atomic Energy Act -- and it's I think
17 it's more form over substance really, but what you
18 have is the licensing of a facility for when you are
19 dealing with a reactor, and you're licensing of the
20 construction of the facility, then you get an
21 operating license to operate the facility. There is
22 not much difference really practically between that
23 and almost every other licensed facility where you
24 have -- rather than a license to operate -- a license
25 to receive and possess. It's effectively the same

1 thing.

2 >> JUDGE WARDWELL: Well, couldn't one not
3 argue that the post-closure period is really the
4 operational period of this facility, because this is
5 what the facility is designated for?

6 It's not a -- it's not a -- a -- a
7 decommission unit and reclamation process, but this
8 facility is designed for long-term storage of this?

9 That is the operations of it; could one
10 not argue that?

11 >> MR. SILVERMAN: No, I think one could
12 argue that's part of the operations.

13 >> JUDGE WARDWELL: Sure.

14 >> MR. SILVERMAN: And there are findings
15 to be made before the possession and receipt and
16 above-ground operations, "in placement" period, and
17 all that period up to permanent closure, there is a
18 regulation that governs that. That's a part of the
19 operations period. And then we have the other part
20 of the operations period which is post -- which is
21 closure and post-closure, and there are findings to
22 be made there.

23 >> JUDGE WARDWELL: So, if, in fact, it
24 could be a part of the operations, then the statement
25 at 41 (a) (2), that talks about initial operations,

1 one could have designated these drip shields as part
2 of the engineered barrier system that we're going to
3 put in place prior to putting in place any waste
4 material underground as a logical way to do it?

5 If there was not -- unless there is some
6 other reason not to -- why aren't the drip shields
7 placed right after the waste is put in place?

8 >> MR. SILVERMAN: My understanding -- and
9 there may be other reasons, and I'll get corrected if
10 I'm wrong -- but I think it was alluded to earlier,
11 is at least one reason is that it will aid in the
12 ability to retrieve the waste prior to permanent
13 closure by not having the drip shields installed, and
14 I need to find out if that's completely accurate.

15 >> JUDGE WARDWELL: It was a blank stare.
16 That's my impression also. But could not the drip
17 shields be redesigned so that you could still achieve
18 retrieval without that, i.e., the drips made bigger,
19 the drip shield's clearance is less?

20 >> MR. SILVERMAN: That depends. It's
21 possible.

22 >> JUDGE WARDWELL: Is there any reason to
23 believe you couldn't? Correct?

24 >> MR. SILVERMAN: There may be -- there
25 may be not. There may be significant impediments to

1 doing it, but the Department's obligation so, to
2 propose a design that meets the regulations -- and
3 there is a specific recognition by the Commission
4 that the NRC is not to evaluate alternative designs
5 other than those proffered by the Department. If it
6 fails the appropriate regulatory criteria, it fails
7 and the license is an issue or there is conditions or
8 whatever, but --there is one design to be evaluated.

9 >> JUDGE WARDWELL: Let me finish up with
10 one -- the key question that I've got here or the
11 scenario that I'm developing in my mind is that is --
12 it seems logical to me that you would want to have
13 all your systems in place prior to introducing
14 radioactivity. It just seems logical.

15 Would not -- even if this fails as a legal
16 issue, some of the things we've just talked about
17 are really factual types of discussions, not legal
18 discussions at all.

19 >> MR. SILVERMAN: Mm-hmm.

20 >> JUDGE WARDWELL: And there's valid
21 points that you've raised in regards to the questions
22 I have; but they're really to the merits issues, as I
23 see them. Do you see any reason why 162 doesn't
24 survive as a factual contention regardless of the
25 outcome of the legal aspects associated with this

1 contention?

2 >> MR. SILVERMAN: I think it does
3 potentially survive in a somewhat constrained way. I
4 think if you find in our favor that the
5 pre-operational findings are not required at this
6 stage and obviously that particular regulation --
7 which isn't mentioned in the contention at all --
8 can't be a basis for the factual arguments that are
9 made by the State of Nevada.

10 However, the contention, as written, did
11 identify a number of other regulations and argues
12 that our plan violates those regulations; and I
13 think that would be a potential factual issue that
14 would survive.

15 >> JUDGE WARDWELL: Thank you.

16 >> JUDGE MOORE: Thank you, Mr. Silverman.

17 >> MR. SILVERMAN: Thank you.

18 >> JUDGE MOORE: NRC staff.

19 >> MR. GENDELMAN: Good morning, Your
20 Honor, Adam Gendelman for the NRC staff. The Board
21 should not impute Section 63.41 --

22 >> JUDGE WARDWELL: May I interrupt? I
23 already have.

24 >> MR. GENDELMAN: You may.

25 >> JUDGE WARDWELL: So I want to get my

1 focus on here. Would you mind if I need your
2 interpretation of what the legal question we had
3 before us is?

4 >> MR. GENDELMAN: Yes, Your Honor. The
5 staff understanding is that because Nevada believes
6 that the license application as submitted cannot
7 satisfy Section 63.41, the license receive and
8 possess requirement, that it, therefore, would not be
9 logical to issue a construction authorization even if
10 an application was otherwise reg -- satisfactory sort
11 of by bringing 63.41 before the Board now through
12 Section 63.31 (a) (2), requiring a finding of
13 reasonable expectation that the wastes can be
14 disposed of without unreasonable risk to public
15 health and safety. And that the staff
16 understanding --

17 >> JUDGE WARDWELL: Isn't Nevada's position
18 stronger that, as a matter of law, that those
19 findings can't be made?

20 >> MR. GENDELMAN: Right. In publication
21 of the 2001 final rule, the competition described the
22 purpose of 63.31 quote "This section states the basis
23 on which the Commission may authorize construction of
24 a geologic repository operations area at the Yucca
25 Mountain site" at 66.CFR.6781.

1 The Commission described Section 23.41.
2 This section states the basis on which the
3 Commission may issue a license to receive and possess
4 special nuclear or byproduct material at a geologic
5 repository area at the Yucca Mountain site. There
6 is no discussion there or elsewhere about imputing
7 Section 63.41 into this construction authorization
8 proceeding.

9 The Commission recently held that quote,
10 "Courts construe regulations in the same manner they
11 do statutes, by ascertaining the regulation, a basic
12 tenet applicable to regulatory construction is that
13 a statute should be construed so that effect it is
14 given to all of its prediction, it's hydroresources
15 63.NRC.483, 491 in 2006. Nevada's reading does not
16 give effect to the plain meaning of 63.41 (a) (2);
17 and, further, it would render that section
18 meaningless with respect to license and receive and
19 possess proceeding as they would already be findings
20 as to that requirement.

21 The staff now is making safety findings
22 about -- in it's evaluation, it is evaluating the
23 drip shields for compliance with several safety
24 requirements, including 63.21, .31, 112, and 113.
25 That is, the staff is evaluating the Department's

1 drip shield and installation plan to determine
2 whether there is a reasonable expectation that the
3 wastes can be disposed of without unreasonable risk
4 to health and safety. These aren't being delayed.
5 These aren't delayed findings. But the imputation
6 of the Section 63.41 requirement is beyond the scope
7 of this proceeding and just to follow on what was
8 discussed before, the staff followed a comment on
9 the proposed language of this con -- this legal
10 issue -- and felt that it was beyond the scope of
11 the contention.

12 >> JUDGE RYERSON: Do you agree that, as
13 written, Nevada Safety 162 continues to pose a fact
14 question report?

15 >> MR. GENDELMAN: I think that's right.
16 The staff's comment was whether or not the claim that
17 63.41 requirements should be imputed was out of the
18 scope of the contention, but as to whether or not the
19 contention makes a factual claim, I -- I think
20 that's fairly clear from the language of the
21 contention.

22 Thus, the Commission makes findings
23 pursuant to 63.31 now concerning, among many other
24 things, the DOE's drip shield, fabrication and
25 installation plants.

1 To that end, in fact, the staff issued a
2 request for additional information about those
3 fabrication and installation plans -- and I can give
4 you a citation and, I believe, the ML number and the
5 LSN number in a moment. It's ML09-182-0629, Chapter
6 2.1.1.2 cet 1, where the staff in its review now
7 during the construction authorization proceeding
8 asked questions about the drip shield fabrication
9 and installation. So, in summary, the staff is
10 making safety findings as to the drip shields now,
11 but the imputation is inappropriate under our rules;
12 and unless the Board has anything further --

13 >> JUDGE MOORE: Thank you.

14 >> JUDGE WARDWELL: I have one question on
15 Page Page 46 of your Brief where you talk about --
16 the Brief for the legal issue, the top of the
17 paragraph, this is in your discussion of 63.41. You
18 mentioned something that you've alluded to in your
19 oral presentation here today that where a law
20 includes particular language in one section but omits
21 it in another, it is presumed the exclusion was
22 intentional and purposeful.

23 Doesn't that contradict with your position
24 in issue 2 that you -- when you said there was no
25 significant change intended by the removal of

1 language in that issue?

2 >> MR. GENDELMAN: Well, in this case, I
3 think that language is being used to note that this
4 fairly novel construction by Nevada reading one
5 requirement for a clearly segmented consideration
6 license to receive and possess requirements into the
7 construction authorization requirements, it is not
8 supported by a -- by a position like that.

9 I think with respect to that change, as I
10 believe was noted before, and I can get you a cite
11 for this again, if you like -- that the purpose with
12 that change was to comply with the EPA's stated
13 standard and that it was not an intentional
14 substantive change, but certainly I would speak with
15 my co-counsel and give you more on that, if you
16 like.

17 >> JUDGE MOORE: No need.

18 >> JUDGE MOORE: Thank you, counsel.

19 MR. GENDELMAN: Thank you.

20 >> JUDGE MOORE: We'll now address issue
21 11.

22 Mr. Malsch.

23 >> JUDGE WARDWELL: Do have you time for
24 rebuttal?

25 >> JUDGE MOORE: Oh, did you want any

1 rebuttal on that, on issue 10?

2 >> MR. MALSCH: If I may, for a few
3 minutes, then I will go into issue 11. I don't think
4 it's any secret to anybody that Nevada thinks that
5 DOE's plan to assure safety of the repository by
6 installing 11,000 drip shields 100 years from now is
7 unbelievable and fantastic that when Dr. Wardwell
8 asked DOE the question whether there was any
9 precedent when the NRC has ever allowed materials to
10 be possessed on site without a finding that necessary
11 safety equipment was in place, I think he really had
12 no answer. I mean, other than to say, oh, but this
13 is different; but why is this different?

14 I mean, obviously, the Commission would
15 not have allowed operation of a reactor without
16 necessary safety equipment in place and it would
17 have made no difference whether the reactor was
18 going to operate for a 40 years or a hundred years
19 or a million years. The principle is still there.
20 And the principle is still the problem there. The
21 fact is there would be wastes received on site and
22 in wastes in tunnel drifts, all 700 metric tons
23 without metric systems in place. I submit, that is
24 absolutely unprecedented in all the decades of NRC
25 regulation.

1 Secondly, I agree, you could read the
2 regulations to say that at the construction
3 authorization stage, one need not address this
4 issue; but I would submit that the finding required
5 at the construction authorization stage that there
6 was reasonable assurance of safety disposal would
7 embrace this finding if it made sense to do so. And
8 I think it clearly made sense to do so.

9 If we are right about this issue, it would
10 be utterly irrational for the NRC to authorize
11 construction of the repository, knowing that it can
12 possibly operate. That is contrary to the whole
13 idea of there being a construction authorization
14 stage in the first place.

15 Finally, as to the scope question with
16 which is raised. Whether this is in the scope of
17 our contention, I would just mention that, in fact,
18 we did raise this issue in our reply to DOE's Answer
19 to that contention. That's on Page 693 to 699.

20 We did not actually characterise it
21 precisely as a legal issue; but it is there. And
22 whether -- and whether that is within the scope of
23 the contention was addressed in the papers and
24 arguments we've submitted in connection with the
25 framing of this legal issue in the first place.

1 Thank you.

2 Let me address now issue 11. We've
3 agreed --

4 >> MR. GENDELMAN: I'm sorry, Your Honor, I
5 apologize, in speaking with co-counsel, I wanted to
6 slightly correct -- in response to your question
7 about issue 2, I just wanted to note that in issue 2,
8 the language change was from a proposed rule to the
9 final rule, where the statement I believe you cited
10 in our discussion concerned construing a regulation
11 as a whole and didn't discuss proposed language
12 versus final language.

13 >> JUDGE MOORE: Thank you.

14 Proceed, Mr. Malsch.

15 >> MR. MALSCH: Yes. This is issue 11
16 which deals with DOE's PMA or Performance Margins
17 Analysis, we have agreed to share time 50-50 with
18 staff on this issue and we have agreed that we would
19 go first, and I would like to reserve a few minutes
20 for rebuttal.

21 In its opening Brief, Nevada argued that
22 DOE's Performance Margins Analysis is of
23 indeterminate quality and cannot be used to validate
24 or provide confidence in the TSPA because it has not
25 complied fully with Quality Assurance requirements

1 in subpart (g) of Part 63. DOE appears to insist to
2 the contrary.

3 First of all, it's important to recognize
4 exactly what the Performance Margins Analysis PMA
5 actually is -- and that's explained quite carefully
6 in the Safety Analysis Report at Section 2.4 at Page
7 245 through 24 -- 246 analysis. It explains there,
8 that the PMA is a separate set of TSPA calculations
9 from which some conservatisms -- some supposed
10 conservatisms have been removed.

11 So, clearly, the PMA is is a kind of a
12 Performance Assessment much like the TSPA except
13 that certain conservatisms have been removed. It
14 clearly fits the definition of a Performance
15 Assessment in 63.2 and 102 (j).

16 Most importantly, though, DOE concedes in
17 its Brief here that the PMA uses unqualified
18 software and data. Now, QA requirements are found
19 in subpart 63 and the PMA is subject to these
20 requirements if three conditions are met -- and I
21 would submit that all three conditions are clearly
22 met.

23 The first condition is in 63.142 (a),
24 which sets forth the terms of the applicability of
25 subpart (g). The relevant provision here says that

1 QA requirements apply to analyses of samples of data
2 and scientific studies; and, clearly, the selection
3 of data to support the Performance Margins Analysis
4 in a conduct of the PMA, itself, including the
5 developing and selection of models for the PMA
6 constitute both an analysis of samples and data and
7 a collection of scientific studies. No language
8 suggests otherwise; and DOE points to none.

9 In fact, their Briefs completely ignore
10 this particular aspect of subpart (g). In fact, if
11 the PMA doesn't constitute a analysis of samples and
12 data or the collection of scientific studies, nor
13 does the total Performance Assessment or DOE, even
14 that is exempt from requirements in subpart (g). So
15 this particular condition is clearly met.

16 Second, under 63.142 (a), subpart (g)
17 applies to activities that are related to design of
18 barriers that are more than to the waste isolation.
19 Well, clearly, the PMA is so related. It applies to
20 the same repository system as a TSPA, and it
21 assesses the performance of the same natural
22 barriers used in a TSPA to establish a disposal
23 safety. So, clearly, the PMA is related to the
24 design of barriers that are important to waste
25 isolation. This condition is clearly met.

1 Third, there at 63.141, which defines the
2 scope of subpart (g) and provides, in effect, that
3 QA requirements in the subpart apply to all
4 activities quote, "Necessary to provide adequate
5 confidence that the repository would perform
6 satisfactorily," which we take to mean will perform
7 safely.

8 So from that, we see that the PMA is
9 subject to subpart (g) and is Quality Assurance
10 requirements if it is necessary to provide adequate
11 confidence in safe disposal. So, if DOE is offering
12 the PMA in evidence because it believes it is
13 necessary to establish the adequacy of the total
14 system performance assessment, it's subject to QA
15 but cannot be used for this purpose because it uses
16 unqualified data and software.

17 If DOE doesn't believe the PMA is
18 necessary to show adequacy of the Total System
19 Performance Assessment, then TSPA is able to stand
20 on its own without the Performance Margins Analysis
21 and should stand on its own.

22 We consider the effect, the muddying
23 effect there would be if the Board and Commission
24 were to access the accuracy of the TSPA based on a
25 combination of qualified and unqualified data and

1 models. If we're going to do this, why bother to
2 have Quality Assurance requirements in law?

3 >> JUDGE MOORE: Mr. Malsch, in your reply,
4 you state that the PMA must be struck from the
5 application. If it can't be relied upon, it can't be
6 relied upon. Why must it be struck?

7 >> MR. MALSCH: I think we should not take
8 that literally. I think I mean by that, it would not
9 be admissible in evidence to establish post-disposal
10 safety with the peak Performance Margins Analysis in
11 it.

12 Now, DOE says that in their Briefs and in
13 their Safety Analysis Report that the PMA was
14 intended as a validation tool providing confidence
15 and they also said importantly is offered to show no
16 risk of delusion, which I -- which means that it is
17 offered to show that factors or models in the TSPA
18 believe to be conservative are, in fact,
19 conservative in terms of the ultimate dose and
20 release calculation. These things sure sound to us
21 like things that are necessary to establish the
22 adequacy and safety of the Total System Performance
23 Assessment; and, therefore, that is what DOE is
24 offering them for.

25 I think it should be subject to QA and

1 they -- as DOE has admitted -- are not fully
2 compliant with QA requirements.

3 On the other hand, if DOE is only offering
4 the PMA as corroborative evidence to show extra
5 assurance, and it's not clear at all that's all that
6 they are offering it for -- because as I indicated,
7 the SCR talks about dissolution, adequate validation
8 and the like, but if that is what they are offering
9 it for, I suppose in theory it's not subject to QA
10 because it is not necessary to establish the
11 adequacy of the Total System Performance Assessment;
12 but I do think that would lead to a highly
13 prejudicial situation for the other parties who are
14 opposing the license application.

15 By analogy, would we admit the results of
16 a illegal search and seizure in a criminal case not
17 to provide evidence of proof beyond a reasonable
18 doubt, but evidence of proof way beyond a reasonable
19 doubt?

20 Once the evidence is received, it's
21 impossible to make distinctions of these sorts. So
22 if DOE is offering it as corroborative evidence,
23 that's all very interesting; but to admit it as such
24 would hopelessly muddle up the safety case and would
25 greatly prejudice the other parties.

1 So, in conclusion, either the term PMA is
2 necessary to show the adequacy of the TSPA; in which
3 case, it can't be allowed to do so, because it
4 relates DOE requirements or it's not necessary in
5 which case it's both irrelevant and its admission as
6 a part of DOE safety case would be highly
7 prejudicial.

8 >> JUDGE MOORE: Thank you, Mr. Malsch.
9 Staff.

10 >> MS. SILVIA: Andrea Silvia on behalf of
11 the NRC staff.

12 If the PMA is being relied upon to meet
13 the regulatory standard of adequate confidence, then
14 it must meet the Part 63, subpart (g) Quality
15 Assurance requirements. Section 63.142 (a) requires
16 a Quality Assurance Program to be applied to all
17 structured systems and components important to
18 safety to design and characterization of barriers
19 important to the lake isolation and to related
20 activities. The related activities includes
21 analyses of data and scientific studies. The PMA, a
22 set of calculations that analyzes post-closure
23 performance over a set of modeling cases falls into
24 the category of related activities under 63.142;
25 therefore, if the PMA is needed to provide adequate

1 confidence under 63.141, that the repository will
2 perform satisfactorily, it must be subject to a
3 Quality Assurance Program.

4 However, nothing prevents DOE from
5 providing additional information in its license
6 application to offer additional confidence in the
7 performance assessment. Information that is not
8 needed to demonstrate adequate confidence does not
9 need to be qualified under DOE's Quality Assurance
10 Program.

11 >> JUDGE MOORE: Counsel, I'm just curious,
12 how do you respond to Mr. Malsch's comment that it
13 can't be relied upon, but here it is and the -- here
14 it is, is only for the staff to rely upon.

15 >> MS. SILVIA: Not -- the staff does not
16 need to rely upon everything included in the license
17 application to make its safety findings. There is
18 nothing in the regulations that prevents DOE
19 from providing additional information.

20 >> JUDGE MOORE: You said that if it is
21 used to -- for add-in confidence, why would the staff
22 ever accept something as added confidence that was
23 not QA-qualified, almost definitionally is it
24 something that's not QA-qualified, something in which
25 one cannot establish a confidence level?

1 >> MS. SILVIA: Well, the staff will not
2 rely on anything for its safety findings that is not
3 credible, but as of now, the staff has not completed
4 its safety findings, so it's -- unclear how the staff
5 will or will not use the PMA; but if it is necessary
6 to the staff safety findings, the staff will insure
7 that it is subject to the subpart (g) Quality
8 Assurance Requirement.

9 >> JUDGE MOORE: Thank you, counsel.
10 DOE.

11 >> MR. SILVERMAN: Thank you, Your Honor.
12 Don Silverman for DOE.

13 I think there's two ways that the Board
14 can deal with this particular legal issue and there
15 is a very simple way. I'm going to address that
16 first; and if we want to get into the details of
17 perhaps the more complicated way of dealing with
18 them, we can do that.

19 A significant part of Mr. Malsch's
20 argument, was -- he's stated three reasons for why
21 the PMA is the kind of analysis that should be
22 governed and conducted pursuant to a -- the
23 department's Quality Assurance Program. We agree
24 with that.

25 And that takes me back to the actual

1 statement of a legal issue. And if we read that
2 statement as precisely as written, it says, "Whether
3 under certain regulations" -- which are basically
4 among others, the QA regulations -- "the PMA can be
5 used to validate or provide confidence in the TSPA,
6 if its data and models are not qualified under DOE's
7 Quality Issuance Program, the Department's position
8 is if those data and models are not qualified under
9 a QA program, then the answer is, no, we can't rely
10 on them. That would resolve the legal issue. We're
11 in agreement with the part with both the staff and
12 Nevada on that.

13 Where we depart -- and that could resolve
14 the matter as a legal matter. Where we depart is
15 whether, in fact, that PMA has been conducted in
16 accordance with DOE's Quality Assurance Program and
17 our position is that it has been. There was some
18 language in the SAR and in some of the supporting
19 documents that refer to the use of unqualified data.
20 And that's where I think we got a little confused
21 that perhaps DOE's language could have been written
22 a little more clearly. But the operative phrase
23 that I think the State of Nevada is relying on is a
24 statement in a document that supports DOE. It's the
25 TSPA model analysis report. And they're referring

1 to an Appendix to the TSPA model analysis report.
2 The basic TSPA model analysis report sets forth the
3 basic findings, how we went about the TSPA, and the
4 conclusions to the TSPA. This Appendix that we're
5 referring to deals with the PMA as a tool to test
6 the conservatisms in, as an ancillary analysis, if
7 you will, to test the TSPA. And in that section of
8 the Appendix, which deals with PMA, we say that PMA
9 contains both qualified and unqualified data.

10 What we meant by that was in context, when
11 we refer to unqualified data, was that the data was
12 not qualified for direct use in the TSPA. That is
13 not an after the fact rationalization, if you read
14 the sentences around that particular sentence, I
15 think it is reasonable to draw that conclusion --
16 and I have consulted with our people and they assure
17 me this is what they intended. They merely meant to
18 say that this data was not suitable for use --
19 direct use -- in the TSPA; but they did not mean to
20 imply it was conducted or evaluated in accordance
21 with a QA program or that it was unsuitable for use
22 in a cooperative analysis.

23 This particular section of this
24 attachment, Appendix to the TSPA model report
25 says -- and I'm just citing this operative

1 sentences. The PMA utilizes the TSPA-LA model with
2 changes to certain inputs in models. I'll give --
3 this is Page C-8 of the Appendix to the TSPA model
4 report.

5 This PMA utilizes the TSPA-LA model with
6 changes to certain inputs in models. This section
7 presents those inputs that have been changed from
8 those used in the TSPA-LA model and additional
9 inputs necessary to support the PMA. Table C-4-1
10 lists the input parameters to the TSPA-LA model that
11 have been changed or deleted for the PMA; and then
12 it says, the PMA contains both qualified and
13 unqualified data, what we really meant there, in
14 this context was -- we couldn't use some of this
15 data for the TSPA, but we did not suggest it wasn't
16 perfectly suitable for a corroborative analysis.

17 >> JUDGE WARDWELL: So, all of this
18 discussion is really -- as you, the latter discussion
19 is really a factual issue, not a legal issue, isn't
20 that correct, on whether or not your PMA actually
21 does meet the QA is a factual discussion?

22 >> MR. SILVERMAN: I agree with that, if
23 the Board simply agrees that we cannot use data in
24 the PMA that isn't appropriately qualified under our
25 Quality Assurance Program, assuming that Quality

1 Assurance Program complies with the regulations, then
2 there would be a factual issue as to whether it does
3 or not.

4 >> JUDGE WARDWELL: So the way the legal
5 issue was framed from the suggestions of the parties
6 was whether or not under a 10.CFR.63, 113, 114, Part
7 63, subpart (g), the PMA can be used to validate or
8 provide confidence in the TSPA if its datas and
9 models are not qualified under DOE's Quality
10 Assurance Program, you agree that on that legal issue
11 is correct?

12 >> MR. SILVERMAN: The answer is no -- and
13 our further position is, however, it was the -- data
14 was -- the data was qualified in accordance -- for
15 the purpose it was used.

16 >> JUDGE WARDWELL: Right, and that gets
17 back to Nevada Safety 171 where it basically -- it --
18 Nevada designated it as a legal issue. They've
19 provided in their first sentence, the first half of a
20 sentence pretty much the same thing as you agreed
21 upon wording here for the legal issue of 11, but then
22 it goes on to say, but it cannot lawfully be used for
23 these purposes because it relies on datas and models
24 that are not qualified pursuant to DOE's Quality
25 Assurance Program. That is a factual issue, is it

1 not, similar to what you just tried to provide
2 some defense why you felt it was qualified?

3 >> MR. SILVERMAN: I agree it is; and, in
4 fact, that statement of the legal issue and statement
5 contention is identical to the legal issue, yes, I
6 agree.

7 >> JUDGE WARDWELL: The first half is
8 identical, after the "but" isn't.

9 >> MR. SILVERMAN: You are right.

10 >> JUDGE WARDWELL: Because nothing in your
11 wording of 11 says whether or not your data and
12 models are or are not qualified. This is more
13 specific -- and it seems to me, part of 171 even
14 though it's designated as a legal issue might survive
15 as a factual issue. Would you have any objections to
16 that?

17 If we can recast 171, the residual last
18 half of it as a remaining factual issue to be --

19 >> MR. SILVERMAN: Right, as to whether the
20 data and models are qualified pursuant to the QA
21 program, I would have no objection to that
22 whatsoever; and I think unless you have further
23 questions, that was all we have for us.

24 >> JUDGE MOORE: Thank you, Mr. Silverman.

25 Mr. Malsch, do you wish brief rebuttal?

1 There seems to be complete agreement that
2 the answer to the legal question that as posed in
3 issue 11 is no; and do you agree that the remaining
4 part of your contention 171 is a factual matter?

5 >> MR. MALSCH: I think the remaining part
6 of the contention could be a factual matter, but I
7 still think the contention can be resolved as a pure
8 legal matter for the following reasons...what you
9 have here is a concession by DOE that its PMA used
10 models and software that were not qualified as direct
11 inputs to the TSPA and that was explained to me that
12 it could not be used to support the TSPA directly but
13 could only be used to provide corroborative evidence
14 of the adequacy to TSPA. And we've agreed here that
15 if that is the only purpose for which the TSPA is
16 being offered -- that is to say to provide
17 corroborative evidence -- then it need not be subject
18 to subpart (g), even though it may be subject to
19 other DOE Quality Assurance requirements.

20 The problem I have is -- is a problem that
21 I raise in connection with the illusion of a
22 criminal case. I think it would be highly
23 prejudicial and contrary to the overall intent to
24 subpart (g) to admit into evidence unqualified
25 information and models and data to provide added

1 confidence on top of adequate confidence. I think
2 that muddies the issue up completely and is highly
3 prejudicial.

4 >> JUDGE MOORE: But your premise is that
5 DOE's statement from Appendix C noted in footnote 12
6 of DOE's Brief and then again in their reply Brief
7 of -- I guess it's the TSPA, Appendix C, is black and
8 white to be read literally that they used unqualified
9 data to support the PMA.

10 I believe -- and I'm sure Mr. Silverman
11 will correct me if I am wrong -- that he just
12 explained to us that that, although poorly worded,
13 is not meant -- was not meant literally, and that
14 there were elements of the Sandia (phonetic) work
15 that were unqualified or would be unqualified under
16 DOE's QA program. I do not believe Mr. Silverman
17 said that that statement was to be read literally
18 and meant that they did, in fact, use that material
19 and that would still remain as a factual question.

20 >> MR. MALSCH: I -- I think the -- this is
21 the TSPA model report is actually quite clear about
22 this, and let me read exactly what DOE said in its
23 model report. It said, "Table C-4-2 lists input
24 parameters that have been added to the TSPA-LA model
25 for the PMA, Performance Margins Analysis. The PMA

1 contains both qualified and unqualified data."

2 Then it goes on to say, "The data
3 traceability described in Section C-4-1 and C-4-2
4 providing mapping from the PA-parameters to the data
5 source." So --

6 >> JUDGE WARDWELL: Well, regardless -- are
7 you still quoting, I'm sorry?

8 >> MR. MALSCH: Yes. This goes on in the
9 final section, Section C-5, I'll read that to you
10 also. "It is important to reiterate that while these
11 additional submodels and data" -- the ones we're
12 talking about here -- "were developed in accordance
13 with apple Quality Assurance Requirements. Now,
14 these must be other than DOE's Quality Assurance Plan
15 for direct inputs in the TSPA. In some cases, they
16 represent models with limited technical foundation,
17 verification and validation consistent with the
18 requirements of SY-PRO-066 (phonetic) models." This
19 is the program relied upon for developing the data.
20 "PA models, submodels may use software that is
21 controlled but not qualified."

22 So what the DOE is telling you is that
23 they, the PMA was not qualified as a direct input to
24 the TSPA and what they mean by that, clearly is, it
25 is only qualified and it was only intended to be

1 used for a corroborative evidence purposes.

2 >> JUDGE WARDWELL: Whether or not DOE's
3 data models are qualified under DOE's QA program is a
4 factual discussion, not a legal one; isn't it?

5 I mean, all you're saying is, yeah, you've
6 got a position and they've got a position and let's
7 sort it out whether or not their data or models do
8 match and are in compliance with their QA program?

9 >> MR. MALSCH: Well, but there is only one
10 Quality Assurance Program. That's the one that's
11 associated with the license application. I believe
12 the DOE is telling us that the PMA uses data and
13 models, it does not qualify in accordance with that
14 program. Perhaps --

15 >> JUDGE WARDWELL: That isn't what I just
16 heard him say; but, regardless, that debate is a
17 factual issue.

18 >> MR. MALSCH: If there is a debate about
19 that, I would agree, it's a factual issue, that is
20 correct.

21 >> JUDGE WARDWELL: Okay. Whether or not
22 the PMA can be used to validate or provide confidence
23 in the TSPA, if it's -- if it's data or models are
24 not qualified under DOE's Quality Assurance Program
25 is the legal question. And both parties agree that,

1 yes, it can't be, if it doesn't meet it.

2 >> MR. MALSCH: That is correct.

3 >> JUDGE WARDWELL: So it seems to me the
4 legal issue is resolved. What's remaining is the
5 last half of what you said under 171, your position
6 is it cannot lawfully be used for these purposes
7 because it relies on datas and models -- data and
8 models that are not qualified under the QA program.
9 That's a factual discussion.

10 >> MR. MALSCH: I think it is, but there is
11 another piece of the legal question that would need
12 to be addressed. And that is -- let's assume for
13 purposes of argument the resolution of the factual
14 question is that the PMA relies upon data and models
15 that are not, in fact, qualified under subpart (g).
16 The question then remains whether it may be offered
17 as corroborative evidence.

18 >> JUDGE WARDWELL: Where is that stated in
19 legal issue 11?

20 >> MR. MALSCH: The issue is in terms of
21 whether the team may be offered to provide -- to
22 validate or provide confidence, provide confidence
23 can mean both adequate confidence and extra
24 confidence. I think it's within the scope of the
25 legal question. And it's important to know that

1 because then we would know what uses could be made of
2 the PMA in the event it does turn out to be factually
3 correct. That it does use data and software that are
4 not qualified under subpart (g).

5 >> JUDGE MOORE: But if it can't be relied
6 upon for the TSPA, then we're all in agreement that
7 unqualified data cannot be. It's a factual matter
8 pure and simple, whether or not DOE crossed the line
9 or didn't cross the line and if in its review the
10 staff errs because the SCR will be out by the
11 time -- will be out by the time there is discovery
12 and go to hearing, that will all be known whether or
13 not the staff has complied with the regulations -- in
14 enforcing the regulations.

15 >> MR. MALSCH: Let me put it this way...if
16 the PMA, if it is agreed, that the PMA cannot be
17 offered to either provide adequate confidence or any
18 confidence at all in the TSPA, without it being fully
19 compliant and I agree, there is no other issue
20 remaining except a factual issue whether or not it is
21 fully compliant.

22 >> JUDGE MOORE: But I ask you what
23 initially that in the context of your supply Brief,
24 you said it should be struck from the application,
25 why it needed to be struck and I believe your answer

1 was that that was for perhaps an overstatement or
2 something in that regard, and you then explained that
3 it, in effect, that it did not have to be physically
4 removed. Doesn't that not contradict what are you
5 now telling me?

6 >> MR. MALSCH: No, I'm saying that in
7 terms of the ultimate DOE safety case, post-disposal
8 safety case, when it comes to establishing the
9 post-disposal safety case, if it is -- if it is
10 agreed that a PMA which uses unqualified software and
11 models, cannot be offered as any evidence of
12 confidence or any support at all for the TSPA, I
13 agree, the only issue is whether, in fact, the TSPA
14 is compliant or not compliant with subpart (g).

15 My only issue is, this whole question
16 about corroborative evidence. And I think it should
17 be made clear that we believe that the use of the
18 PMA to provide corroborative evidence, you know,
19 added confidence, extra confidence, would be highly
20 prejudicial and contrary to subpart (g).

21 >> JUDGE RYERSON: Okay. But one
22 interpretation of the question, the legal question
23 that imposed was would cover that, I mean, it says,
24 it can, you know, cannot be used to validate or
25 provide confidence in the TSPA. And your concern is

1 that providing confidence should be interpreted as
2 also extending to some other type of corroboration?

3 >> MR. MALSCH: Well, yeah, we were
4 construing confidence in a broad sense as support for
5 any support to the TSPA.

6 >> JUDGE RYERSON: That's a rational
7 reading of this -- of this issue, and there seems to
8 be no disagreement on the issue as a legal issue.

9 >> MR. MALSCH: Thank you.

10 >> JUDGE MOORE: Thank you.

11 >> MR. SILVERMAN: May I add a brief word,
12 Your Honor?

13 >> JUDGE MOORE: Whoa.

14 >> JUDGE MOORE: Perhaps not.

15 >> MR. SILVERMAN: I don't know my own
16 strength.

17 One very quick comment, Mr. Malsch is, has
18 repeatedly said it was entirely prejudicial to admit
19 its evidence into this case. Data or information
20 that's not qualified pursuant to a QA program. I
21 don't believe that's the evidentiary standard at
22 all. If it was the evidentiary standard, I don't
23 believe the state of Nevada could beat it, because I
24 don't believe -- I suspect much of the information
25 they will submit in this case is not prepared

1 pursuant to the a qualified -- pursuant to a QA
2 program, that meets the requirements, I think that's
3 completely wrong.

4 >> MR. MALSCH: Your Honor, in fact, we do
5 have a compliant program data gathering analysis
6 supplied with this.

7 >> JUDGE MOORE: I think we've heard all we
8 want to hear on issue 11. I would like to thank all
9 counsel, parties for your Briefing and presentations.

10 Mr. Silverman, do you wish to be
11 acknowledged?

12 >> MR. SILVERMAN: I do.

13 >> JUDGE MOORE: If it's for the last word,
14 the answer is no; if it's for another purpose --

15 >> MR. SILVERMAN: It's for another
16 purpose, it's to respond to something yesterday and
17 to come back to you and also to make one
18 clarification on something I made yesterday.

19 >> JUDGE MOORE: Go ahead.

20 >> MR. SILVERMAN: I would never seek to
21 try to get the last word in.

22 Two points I wanted to bring up, one was a
23 clarification and I -- frankly, I have not gone back
24 to look at the transcript to see exactly what I
25 said, but it's been called to my attention that in

1 connection with the Nevada 161, which is the absence
2 or failure of the drip shields, that the record
3 might not have been clear as it could have been on
4 one matter. And in the context of that discussion
5 yesterday, I wanted to point out that there was some
6 discussion of the igneous scenarios. And the
7 record might not have been clear with respect to
8 that discussion.

9 What I would like to make clear to DOE --
10 I'm sorry, what I'd like to make clear to the Board
11 is that in DOE's analysis of the igneous scenarios,
12 we not only -- what I'll say took out or pursued
13 away, assumed the failure of the drip shields, all
14 of the drip shields, in the event of an igneous
15 intrusion, but we also simultaneously assumed away
16 the waste packages. In other words, assumed failure
17 of all the waste packages. And the results of that
18 were included in our ultimate dose estimate and they
19 were documented in the TSPA analysis report. I have
20 to go back and find exactly the place in the
21 transcript where that subject came. I must admit to
22 you I don't remember exactly what I said.
23 Hopefully, that will clarify matter if and when you
24 go back and look at that part of the transcript.

25 >> JUDGE RYERSON: Mr. Silverman, just to

1 clarify, those phenomenon are discounted in the TSPA
2 by vvirtue of the probability that they will occur;
3 is that correct?

4 >> MR. SILVERMAN: That is
5 effectually -- discounted, I'm not sure I used that
6 word. I understand what you are saying. >> JUDGE
7 RYERSON in other words, the effect of the overall
8 calculation is diminished by the likelihood that it
9 will, in fact, occur?

10 >> MR. SILVERMAN: Absolutely. Because the
11 legal standard is a mean dose based upon many many
12 scenarios, weighted by the probability of occurrence
13 of those scenarios. And that's set forth in the
14 regulations, so you are correct.

15 >> JUDGE RYERSON: So it's very different
16 from simply saying there are no drip shields there,
17 there are no drip shields modified by the likelihood
18 there will be an effect?

19 >> MR. SILVERMAN: I believe that's
20 correct.

21 Then I would like to respond, do the best
22 I can to respond to Judge Wardwell's question, bear
23 in mind, you are talking to a political science
24 major here, so I can only go so far. But your
25 question to us on the same contention was: Why

1 would DOE not want to know if 99% of the protection
2 of the REMI (phonetic) is provided by one component
3 or one barrier. And I'd like to take a shot at that
4 and basically would like to point out to you that we
5 think we have quantitatively demonstrated the
6 relative importance of the individual barriers and
7 we did that in almost 200 pages of the SAR in
8 Section 2.1.

9 The function of a barrier is to isolate
10 waste. That is, to reduce or prevent the movement
11 of water into the repository, into the waste, or the
12 movement of radionuclides to the system. Those the
13 the processes, excuse me, those are the purposes of
14 the barrier.

15 >> JUDGE WARDWELL: What barrier ever
16 prevents the movement of water?

17 >> MR. SILVERMAN: Completely prevents the
18 movement of water?

19 I suspect the technical people would tell
20 me that no barrier completely prevents it.

21 >> JUDGE WARDWELL: So really, those two
22 words should be just reduced rather than reduce or
23 prevent? You were reading off a phrase that said, we
24 had multi-- we got barriers and they reduce or
25 prevent, but, in fact, none of them prevent; is that

1 correct?

2 >> MR. SILVERMAN: I suspect that's
3 correct, so I think it would be fair to say reduce.

4 >> JUDGE WARDWELL: Thank you.

5 >> MR. SILVERMAN: The movement again of
6 water or radionucleides. To remove the water and
7 radionucleides. So our barrier is confirmed -- it's
8 in those terms not in those of the contribution to
9 the actual ultimate dose. The analysis was to the
10 intended nor is it required to quantify the
11 performance of each of the individual barriers in
12 terms of the fraction of dose to the REMI (phonetic)
13 that that barrier contributes.

14 So we demonstrate the performance of each
15 individual barrier again in terms of its
16 contribution of the isolation of waste. Our view is
17 that's all that's required and that's sufficient to
18 provide a sound basis for assessing barrier
19 capability and the basis for that, the legal basis
20 for that is reflected in the regulations in Section
21 63.115 (c), which I will very briefly read from and,
22 again, those two pages of Federal Registry Notice
23 that I continue to refer back to that we spent so
24 much time on yesterday, but I'll refresh your memory
25 66 Federal Reg 55758 and 59. I'm not going to

1 re-read from that. But I will read to you in 63.115
2 (c), 63.115 is requirements for multiple barriers.

3 "Demonstration of compliance with 63.113
4 (a)," which is the multiple barrier requirement,
5 "must (c) provide, the technical basis for the
6 description of the capability of barriers identified
7 as important to waste isolation to isolate waste.
8 The technical basis" -- this is the key phrase.

9 "The technical basis for each barrier's
10 capability shall be based on and consistent with the
11 technical basis to the performance assessments used
12 to demonstrate compliance with 63.113 (b) and (c),"
13 which are the performance standards and the overall
14 barrier system.

15 In other words, what it's done to meet the
16 multiple barrier standard should be the same
17 performance assessment used to determine compliance
18 with the ultimate dose standards. I hope that that
19 is clear and helps.

20 >> JUDGE MOORE: Thank you.

21 >> MR. SILVERMAN: Thank you.

22 >> JUDGE MOORE: All right. Once again --
23 oh, staff.

24 >> MS. SILVIA: The staff has a brief
25 housekeeping question. With depositions starting in

1 a few weeks, we were just wanted to check and make
2 sure that the comments from the parties regarding
3 DOE's statements for its LSN collection, if you had
4 any idea of when those would be due from the other
5 parties?

6 >> JUDGE MOORE: At this point I can't give
7 you a date, but if the material that Mr. Shebelskie
8 is going to provide the Board next Thursday, I would
9 imagine and it will have to be determined and we will
10 issue an Order the 1st of next week, that it will
11 be a reasonably short time for comment on anything
12 that DOE tells us.

13 >> MS. SILVIA: Thank you, Your Honor.

14 >> JUDGE MOORE: Mr. Malsch.

15 >> MR. MALSCH: I would just like to
16 briefly observe what you just heard from
17 Mr. Silverman is a re-argument of issue No. 8,
18 dealing with defense in depth. I don't think I need
19 to respond in detail to what he said other than to
20 observe that we think the record is clear from the
21 argument yesterday.

22 >> JUDGE MOORE: I -- I believe it can be
23 characterized, as can all oral arguments, there are
24 three: The one you prepare to give, the one you
25 give, and the one you wish you gave; and I put this

1 into category 3.

2 >> MR. MALSCH: Thank you.

3 >> JUDGE MOORE: Again, I would like to
4 thank counsel and we will stand adjourned. The Board
5 will now wrestle with issues 1 through 11.

6

7

8

9

10

11

12 UNITED STATES OF AMERICA

13 NUCLEAR REGULATORY COMMISSION

14 ATOMIC SAFETY AND LICENSING BOARD HEARING

15

16 In the Matter of

17 U.S. Department of Energy

18 High-Level Waste Repository

19 Docket No. 63-001-HLW

20 ASLBP No. 09-892-HLW-CAB04

21 January 27, 2010

22 9:00 a.m. PST

23 TRANSCRIPT OF PROCEEDINGS

24 Pre-Hearing Conference

25 Before the Administrative Judges

INTERIM DRAFT COPY

1

2

CAB04

3

Judge Thomas Moore, Chairman

4

Judge Paul S. Ryerson

5

Judge Richard E. Wardwel

6

APPEARANCES

7

For the Nuclear Regulatory Commission

8

Staff:

9

Margaret Bupp, Esq.

10

Adam Gendelman, Esq.

Andrea Silvia, Esq.

11

For the Nuclear Energy Institute:

12

David Repka, Esq.

13

Rodney J. McCullum, Esq.

14

For the Department of Energy:

15

Michael Shebelskie, Esq.

16

For the State of Nevada:

17

Martin Malsch, Esq.

18

John W. Lawrence, Esq.

Charles Fitzpatrick, Esq.

19

For Nye County:

20

Jeffrey Van Niel

Robert Anderson

21

For Clark County:

22

Debra Roby

Bryce Loveland

23

For White Pine County:

24

Richard Sears

Mike Baughman

25

For Inyo County:

Greg James

1

2

For Four Nevada Counties:
Jennifer Gores

3

4

For Native Community Action Council
Rovianne Leigh

5

6

For California Energy Commission:
Kevin Bell

7

APPEARANCES (Continued)

8

For Joint Iimbisha Shoshone Tribal Group:
Douglas Poland
Shane Elk

9

10

For Nye County:
Mal Murphy

11

12

For Eureka County
Diane Curran

13

14

15

16

17

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 >> JUDGE MOORE: Good morning. I'm Judge
3 Thomas Moore. On my left is Judge Richard Wardwel.
4 On my right is Judge Paul Ryerson. Construction
5 Authorization 04 has convened the case management
6 conference to discuss with the parties the matters
7 raised by the licensing support network
8 administrator's memorandum to the Board dated
9 December 17th, 2009 and the Board's order of
10 December 22nd, 2009. The conference this morning
11 is being recorded on the DDMS. It is also being web
12 streamed for public viewing at the links published in
13 our January 11th order as well as being broadcast
14 on the agency's broadband network.

15 Because we have a number of counsel
16 participating by telephone this morning, we will
17 have to follow some special procedures. So that the
18 court reporter can create an accurate transcript and
19 the parties participating by telephone can follow
20 the proceeding, it is imperative that all counsel
21 identify themselves and the party they represent
22 whenever they speak. I would remind counsel sitting
23 in the well that when they speak, they need to push
24 the button on the base of the microphone so the
25 green light comes on and then when they are -- and

1 to speak directly into the microphone, and then when
2 they're finished speaking, you mute the mic by
3 pressing the button again. I would remind all
4 counsel that are participating by telephone
5 conference, that when you are not speaking, please
6 mute your mic so we have no interference here in the
7 hearing room.

8 We will begin this morning by having those
9 in the well identify themselves for the record and
10 then we will have those that are participating by
11 telephone do the same thing. Let's begin with those
12 on my left.

13 >> MR. SHEBELSKIE: Good morning, Your
14 Honors. My name is Michael Shebelskie from Hunter
15 Williams, representing the Department of Energy.
16 With me at counsel table is Daniel Martin of the firm
17 of CACI. He is a representative of the Department of
18 Energy's automated litigations support contractor
19 that assists us on TELESN issues.

20 >> MR. JAMES: Good morning, Your Honor.
21 Greg James for the County of Inyo.

22 >> MR. VAN NIEL: Good morning, Your Honor.
23 Jeff van Niel for NYE County.

24 >> MR. ANDERSEN: Good morning, Your Honor.
25 Robert Anderson for Makerman Centerfit on behalf of

1 Nye County.

2 >> MS. ROBY: Good morning. Debra Roby on
3 behalf of Clark County.

4 >> MS. SILVIA: Good morning. Andrea
5 Silvia on behalf of NRC staff.

6 >> MR. LOVELAND: Bryce Loveland on behalf
7 of Clark County.

8 >> MS. BUPP: Margaret Bupp on behalf of
9 the NRC staff.

10 >> MR. GENDELMAN: Adam Gendelman for the
11 NRC staff.

12 >> MR. REPKA: David Repka representing the
13 Nuclear Energy Institute, and with me is Mr. Rodney
14 McCullum of NEI.

15 >> MR. BAUGHMAN: Mike Baughman. I
16 represent Lincoln and White Pine Counties.

17 >> JUDGE MOORE: I'm sorry, you are Mr. --

18 >> MR. BAUGHMAN: Baughman.

19 >> JUDGE MOORE: Baughman, and it's Lincoln
20 and White Pine Counties?

21 >> MR. BAUGHMAN: That's correct, Your
22 Honor.

23 >> MR. SEARS: I'm Richard Sears. Mr.
24 Baughman is sitting with me on behalf of White Pine.
25 I'm counsel for White Pine.

1 >> JUDGE MOORE: Okay. Fine. My law clerk
2 informs me, Mr. Bauman -- am I pronouncing that
3 correctly?

4 >> MR. BAUGHMAN: It's Baughman, Your
5 Honor.

6 >> JUDGE MOORE: Baughman. Mr. Baughman,
7 that you wish to speak for Lincoln County?

8 >> MR. BAUGHMAN: Yes, Your Honor.

9 >> JUDGE MOORE: I'm sorry. You will not
10 be able to do that. They are represented by counsel
11 and counsel is not here, as I understand it, and you
12 have informed us they are not available. So Lincoln
13 County will not be represented this morning.

14 >> MS. LEIGH: Thank you, Your Honor. Good
15 morning. Rovianne Leigh on behalf of the Native
16 Community Action Council.

17 >> MS. GORES: Jennifer Gores on behalf of
18 the four Nevada counties of Churchill, Esmeralda,
19 Lander and Mineral.

20 >> MR. FITZPATRICK: Good morning, Your
21 Honor, Charles Fitzpatrick for the State of Nevada.
22 At the table with me are Marty Malsch and John
23 Lawrence, also for the State of Nevada.

24 >> JUDGE MOORE: I will now call upon those
25 parties participating by telephone. California

1 Energy Commission.

2 >> MR. BELL: Kevin Bell from the
3 California commission.

4 >> JUDGE MOORE: One moment, please, while
5 we get the sound quality cleared up.

6 >> THE CLERK: Have him try again.

7 >> JUDGE MOORE: The Joint Timbisha
8 Shoshone Tribal Group.

9 >> MR. POLAND: Good morning, Your Honor,
10 Doug Poland with JTS.

11 >> MR. ELK: Good morning, Your Honor.
12 Shane Elk also with JTS.

13 >> JUDGE MOORE: Nye County.

14 >> MR. MURPHY: Good morning. Mal Murphy
15 on behalf of Nye County.

16 >> JUDGE MOORE: And Eureka County.

17 >> MS. CURRAN: Good morning, [inaudible]

18 >> JUDGE MOORE: Miss Curran, could you
19 repeat that, please?

20 >> MS. CURRAN: Oh, sure. Hold on. Hello.
21 My receiver -- is that better?

22 >> JUDGE MOORE: Yes, thank you.

23 >> MS. CURRAN: I wanted to point out
24 something I wasn't aware of before I started this
25 today, and that is I was hoping I could follow some

1 visual queus from watching the web stream, and it's a
2 couple minutes ahead of, or behind, the telephone
3 conference. So I just wanted to point that out as a,
4 kind of, a glitch in this whole process, but we
5 certainly appreciate being able to participate
6 remotely and use the webcasting.

7 >> JUDGE MOORE: We will. Yes, Miss
8 Curran, the delay is built-in. We can't do anything
9 about it.

10 >> MS. CURRAN: Yes, okay. Thanks.

11 >> JUDGE MOORE: You should all be familiar
12 with the LSNA's December 15th, 2009 memorandum to
13 the Board pointing out the numerous problems with the
14 LSN, should there be any long-term suspension or
15 termination of this proceeding by actions of DOE such
16 as seeking to withdraw its license application. In
17 response to that memorandum, the Board, on
18 December 22nd, directed all parties not to take
19 any actions at this time that would prevent or hinder
20 their ability to archive LSN documentary material in
21 a readily accessible format such as PDF. The Board
22 would like to thank those parties that accepted our
23 invitation to comment in the writing on the LSNA's
24 memorandum. your comments were helpful and provide us
25 with a good starting point this morning. I think

1 it's appropriate to start by emphasizing that we are
2 discussing planning steps this morning to help
3 prepare for a hypothetical situation on how to
4 preserve each party's LSN document collection should
5 the need arise. The Board has not been advised by
6 counsel that DOE intends to withdraw it's application
7 or in anyway suspend its application. Prudence,
8 however, dictates that we heed the old adage
9 forewarned is forearmed, and prepare should such an
10 event become a reality.

11 I think I would like to start with the
12 staff this morning, because you gave us a great deal
13 of information in your written comments on the
14 LSNA's memorandum, and we have just a couple
15 questions that would be helpful to us. In the
16 second paragraph of your response, you state, and I
17 quote, "if necessary, the remaining TIFF OCR pairs
18 could be converted to PDF files at a future date."

19 >> MS. BUPP: Yes, Your Honor.

20 >> JUDGE MOORE: Will the staff commit to
21 doing that?

22 >> MS. BUPP: Yes, Your Honor, I think we
23 can commit to doing that. It depends as to when you
24 can wish for us to commit to doing it later or --

25 >> JUDGE MOORE: If you will commit to

1 doing it --

2 >> MS. BUPP: -- if necessary.

3 >> JUDGE MOORE: We, like others, aren't
4 going anywhere and we can insure that if we put that
5 in an order that it can -- it will be followed up on.

6 >> MS. BUPP: Okay.

7 >> JUDGE MOORE: May the Board take the
8 staff's other statements in its January 21st
9 comments as commitments as well?

10 >> MS. BUPP: Yes, Your Honor.

11 >> JUDGE MOORE: Can you confirm for me
12 whether all the documents in the staff's LSN
13 collection have been coded with the WM-11 docket code
14 in the Adams system, because that is the moniker for
15 the LSN documents in Adams?

16 >> MS. BUPP: I believe so, Your Honor, but
17 if you need a firm commitment on that, I'll have to
18 get it to you at a later date.

19 >> JUDGE MOORE: We would appreciate that,
20 and, secondly, can you tell me whether those that
21 carry the WM-11 docket designation have been
22 designated as permanent agency records?

23 >> MS. BUPP: I believe the response to
24 that is yes, but, again, I would have to get you a
25 firm confirmation.

1 >> JUDGE MOORE: We would appreciate it.
2 Finally, we recognize that this is not required by
3 the agency's record system, but can the staff commit
4 to putting the LSN accession number somewhere in the
5 Adams bibliographic header?

6 >> MS. BUPP: I believe we can. I would
7 have to confirm there is actually space in the header
8 for that, but I think we can. Your Honor, if that's
9 your last question?

10 >> JUDGE MOORE: Yes, it is.

11 >> MS. BUPP: Okay. I just wanted to
12 mention the staff has an update on its SCR schedule.
13 I just wanted you to be aware that we'd like to give
14 you that.

15 >> JUDGE MOORE: Let's do it at the end.

16 >> MS. BUPP: Okay.

17 >> JUDGE MOORE: Unless you are of the
18 opinion it's going to change anything we're doing
19 with regard to LSN document collection?

20 >> MS. BUPP: I don't think it should, no.

21 >> JUDGE MOORE: We will have to deal with
22 Lincoln County in writing. So let's -- Mr. Sears,
23 you're with White Pine County. Your LSN document
24 collection currently consists of 98 documents,
25 compiling 1,960 pages. In your January 21st

1 comments on the LSNA memorandum, you state, in
2 effect, that White Pine header materials could be
3 stored on CDs and archived with the White Pine
4 County recorder. Will White Pine County commit to
5 doing that?

6 >> MR. SEARS: Yes, Your Honor.

7 >> JUDGE MOORE: Will you also commit to
8 providing the LSNA a CD copy of your LSN collection?

9 >> MR. SEARS: Yes, Your Honor.

10 >> JUDGE MOORE: Now, in past orders, the
11 Board is without objection from any party, have
12 directed the parties to submit electronic files to
13 generate such things as privileged logs to the LSNA,
14 and the language we've used is in the data format and
15 via the transfer media as mutually agreed upon by the
16 party and the LSNA. Is -- do you have any objection
17 to an order that contains language like that with
18 regard to the commitments you have just made in
19 providing the LSNA a copy?

20 >> MR. SEARS: No, Your Honor.

21 >> JUDGE MOORE: Thank you. Inyo County.

22 >> MR. JAMES: Yes, Your Honor.

23 >> JUDGE MOORE: Your document collection
24 currently consists of 391 documents comprising 7,820
25 pages. In your January 22nd comments on the

1 LSNA's memorandum, you state that Inyo County's LSN
2 collection will be maintained and readily available
3 in searchable form for as long as California law
4 requires. Will Inyo County commit to storing its LSN
5 document collection text and related header materials
6 on CDs?

7 >> MR. JAMES: Yes, Your Honor.

8 >> JUDGE MOORE: Will Inyo County commit to
9 providing the LSNA a copy, a CD copy of its LSN
10 collection?

11 >> MR. JAMES: Yes.

12 >> JUDGE MOORE: And would Inyo County
13 object to language in an order directing it to
14 provide its LSN collection to the LSNA in the data
15 format as mutually agreed upon by the county and
16 LSNA?

17 >> MR. JAMES: No objection.

18 >> JUDGE MOORE: Let's turn to the four
19 counties, Churchill, Esmeralda, Lander and Mineral.

20 >> MS. GORES: Yes, Your Honor.

21 >> JUDGE MOORE: Your collection, as I
22 understand it, currently consists of 203 documents,
23 comprising 4,060 pages. In your January 21st
24 comments on the LSNA's memorandum, you state the four
25 counties do not have any provisions or plans in place

1 for storing its LSN collection, stress the financial
2 constraints upon the counties, and indicate more
3 guidance would be helpful. With what's gone before,
4 will the four counties commit to storing its LSN
5 collection text and related headed material on CDs
6 and let me give you a bit of background.

7 With the size of this collection, we're
8 talking about one CD, and the cost is somewhere in
9 the neighborhood probably not exceeding \$300.

10 >> MS. GORES: Yes, Your Honor. We can do
11 that.

12 >> JUDGE MOORE: Will the four counties
13 commit to providing the LSNA a CD copy of its LSN
14 collection?

15 >> MS. GORES: Yes, Your Honor.

16 >> JUDGE MOORE: Would the four counties
17 object to language in an order directing it to
18 provide its LSN collection to the LSNA in the data
19 format and by the transfer media as mutually agreed
20 upon by the counties in LSNA?

21 >> MS. GORES: No objection, Your Honor.

22 >> JUDGE MOORE: Let's turn to Eureka
23 County. Miss Curran. Miss Curran?

24 >> MS. CURRAN: I'm sorry. Yes.

25 >> JUDGE MOORE: Your LSN collection

1 currently consists of 58 documents comprising 1,160
2 pages. Will Eureka County commit to storing its LSN
3 collection text and related header material on CDs?

4 >> MS. CURRAN: Yes.

5 >> JUDGE MOORE: Will Eureka County commit
6 to providing the LSNA a copy of a CD -- a CD copy of
7 its LSN collection?

8 >> MS. CURRAN: Yes.

9 >> JUDGE MOORE: And would Eureka County
10 object to language in an order directing it to
11 provide its LSN collection to the LSNA in that data
12 format and via transfer media as mutually agreed upon
13 by the County and LSNA?

14 >> MS. CURRAN: Eureka County would have no
15 such objection to such an order.

16 >> JUDGE MOORE: Thank you, Miss Curran.
17 Let's turn to Nye County, Mr. Niel.

18 >> MR. VAN NIEL: Yes, Your Honor.

19 >> JUDGE MOORE: Your collection currently
20 consists of 2,267 documents comprising 45,340 pages.
21 Will Nye County commit to storing its LSN collection
22 text and related header material on CDs?

23 >> MR. VAN NIEL: Yes, Your Honor.

24 >> JUDGE MOORE: Will Nye County commit to
25 providing the LSNA a CD copy of the LSN collection?

1 >> MR. VAN NIEL: Yes, Your Honor.

2 >> JUDGE MOORE: And would Nye County
3 objecto to language in an order directing it to
4 provide its LSN collection to the LSNA in the data
5 format and via transfer media as mutually agreed upon
6 by the County and LSNA?

7 >> MR. VAN NIEL: We have no objection to
8 that language, Your Honor.

9 >> JUDGE MOORE: Clark County.

10 >> MS. ROBY: Yes, Your Honor.

11 >> JUDGE MOORE: Your LSN collection
12 consists of 86 documents comprising 127,000 pages.
13 Will Clark County commit to storing its LSN text and
14 related header material on CDs?

15 >> MS. ROBY: Yes, Your Honor.

16 >> JUDGE MOORE: And will Clark County
17 provide a CD copy of the LSN collection?

18 >> MS. ROBY: Yes, Your Honor.

19 >> JUDGE MOORE: And would Clark County
20 object to language in an order directing it to
21 rpvoding its LSN collection to the LSNA in the data
22 format and via transfer media as mutually agreed upon
23 for the County?

24 >> MS. ROBY: No objection, no objection,
25 Your Honor.

1 >> JUDGE MOORE: The joint Timbisha
2 Shoshone tribal group.

3 >> MR. HEINZEN: Yes, Your Honor. Steve
4 Heinzen on behalf of KTS.

5 >> JUDGE MOORE: And your LSN collections
6 together currently consist of approximately 88
7 documents comprising 1,760 pages. Will JTS commit to
8 storing its LSN collection text and related header
9 material on CDs?

10 >> MR. HEINZEN: Yes, it will.

11 >> JUDGE MOORE: Will JTS commit to
12 providing the LSNA a CD copy of its LSN collections?

13 >> MR. HEINZEN: Yes, it will.

14 >> JUDGE MOORE: And will JTS object to
15 language in an order directing it to provide the LSN
16 collection to the LSNA in the data format and via
17 transfer media as mutually agreed upon by JTS and the
18 LSNA?

19 >> MR. HEINZEN: No, it would not object.

20 >> JUDGE MOORE: Thank you, Counsel. The
21 Native Community Action Council, NCAC.

22 >> MS. LEIGH: Yes, Your Honor.

23 >> JUDGE MOORE: Will NCAC commit to
24 storing its LSN collection -- I should, in case you
25 are not aware, you have three documents comprising 60

1 pages. Will NCAC commit to storing its text and
2 related header material on CDs?

3 >> MS. LEIGH: Yes, Your Honor.

4 >> JUDGE MOORE: And will NCAC commit to
5 providing the the LSNA a CD copy of the LSN
6 collection?

7 >> MS. LEIGH: Yes.

8 >> JUDGE MOORE: And would NCAC object to
9 language in an order directing it to provide the LSN
10 collection to the LSNA in the data format and via
11 transferred as mutually agreed upon in the LSNA in
12 the LSN?

13 >> MS. LEIGH: No objection, Your Honor.

14 >> JUDGE MOORE: Mr. Repka of NEI. Your
15 collection currently consists of 795 documents,
16 comprising 15,900 pages. Will NEI commit to storing
17 its LSN collection, text and related header material
18 on CDs?

19 >> MR. REPKA: Yes, we will.

20 >> JUDGE MOORE: Will NEI commit to
21 providing the LSNA a CD copy of its LSN collection?

22 >> MR. REPKA: Yes, we will.

23 >> JUDGE MOORE: And will NEI object to
24 language in an order directing to provide to the LSNA
25 in the data format and via transfer media as mutually

1 agreed upon by the NEI and the LSNA?

2 >> MR. REPKA: No objection, Your Honor.

3 >> JUDGE MOORE: That leaves the second
4 largest collection, Nevada. Your collection
5 currently consists of 5,446 documents comprising
6 108,920 pages. Will Nevada commit to storing --
7 your comments indicate that you were prepared to do
8 it, but will Nevada commit to storing its LSN
9 collection, text and related header material on
10 CDs?

11 >> MR. FITZPATRICK: Your Honor, this is
12 Charles Fitzpatrick, State of Nevada, with the
13 preface that we have concerns about the premise for
14 this hearing and the premise for this order that you
15 are talking about issuing, with that said, we will
16 certainly comply with that request and that order.

17 >> JUDGE MOORE: I am sure that there are a
18 great numbers that share those same concerns. This
19 is housekeeping. If we can get this out of the way,
20 then we will address those concerns. Will Nevada
21 commit to providing the LSNA a CD copy of the LSN
22 collection?

23 >> MR. FITZPATRICK: Yes, Your Honor.

24 >> JUDGE MOORE: And, in your case, as well
25 as the case of the several larger collections, the

1 reason for the language in the order, you would
2 probably be using DVDs, not CDs, simply because
3 of the capacity matter, but I just wanted to clarify
4 that.

5 Would Nevada object to language in an
6 order directing it to provide its LSN collection to
7 the LSNA in the data format and via transfer media
8 as mutually agreed upon by Nevada and the LSNA?

9 >> MR. FITZPATRICK: We would have no
10 objection to that, Your Honor. One suggestion would
11 be that if that were to take place, some provision
12 ought to also be made in order for the updates that
13 are anticipated by the parties to their LSN
14 collections.

15 >> JUDGE MOORE: That is one of the matters
16 we need to discuss. According to the LSNA's
17 memorandum to the Board, that takes care of 1.1
18 percent of the LSN collection.

19 Now, Mr. Shebelskie, I guess it's your
20 turn for the rest of the day. In an attempt to keep
21 this as brief as possible, we'll give DOE an
22 opportunity to fully address the two questions
23 directed, essentially directed, to DOE in the LSNA's
24 memorandum of December 17th. But first, so
25 there is no misapprehension on the part of the Board

1 about the history structure and technology
2 undergirding the history of the DOE collection, is
3 the description of the DOE LSN collection contained
4 in the LSNA's memorandum to the Board accurate?

5 >> MR. SHEBELSKIE: Your Honor, Mike
6 Shebelskie on behalf of DOE, and the 98.9 documents
7 in the collection. Essentially, it is correct.
8 There is one point I would like to add, for the
9 record, in case the Board was confused about it. The
10 memo uses the expression, quote "on the fly" with
11 respect to assembling the documents in the LSN
12 collection. That relates to the infrastructure with
13 the way documents are stored and then re-assembled on
14 the LSN, if you have a multiple-page document; in
15 simple terms, each page is stored as a separate file
16 on the LSN and then we do a search and retrieve that
17 document.

18 The LSN infrastructure reassembles those
19 ten pages into a single package. The expression "on
20 the fly," I am told by our I. T. personnel, is a
21 term of art used in their field. It is not intended
22 to be a perjorative term. It's suggested as a Rube
23 Goldberg band-aid approach. It is a highly
24 standardized and controlled process, despite what
25 a -- the appearance might seem.

1 >> JUDGE MOORE: This will come as a great
2 shock to you. I knew that.

3 >> MR. SHEBELSKIE: Thank you, Your Honor.

4 >> JUDGE MOORE: In addressing the two
5 queestions in the LSNA's memorandum, the Board is
6 well aware of the administration's fiscal year 2011
7 budget, containing the specifics of DOE's fiscal year
8 2011 budget, is being printed by the PGO as we speak
9 and will not publicly be released until Monday.
10 Therefore, in addressing fiscal year 2011, we
11 understand that DOE is not free today to provide us
12 with any specific dollar amounts, but there does not
13 appear to be any sound reason why DOE cannot inform
14 us of its fiscal year 2011 planning assumptions.

15 So would you please address fully question
16 A on page 2 of the LSNA's December 17th, 2009
17 memorandum, and putting that caveat into it, the
18 exact DOE budget and the allocations for operation
19 of its LSN collection that can be expected for the
20 remainder of fiscal year 2010, and its planning
21 assumptions in that regard for fiscal year 2011?

22 >> MR. SHEBELSKIE: Yes, sir. With respect
23 to the current fiscal year, fiscal year 2010, the DOE
24 budget, as we reported back last September, has
25 adequate funds allocated to support the licensing

1 proceeding 42010 based on our expectations of what
2 will occur this year. That includes adequate funds
3 to continue to maintain our LSN collection and to
4 continue to comply with our LSN supplemental
5 obligation. In terms of dollar amounts in the
6 current fiscal budget for LSN activities, I think the
7 best number I can give you is the sum allocated to
8 our automated litigation support contractor and its
9 related activities, and that sum is between 8
10 and \$9 million for the fiscal year and, obviously,
11 some of it has been consumed so far, and the balance,
12 though, we believe is sufficient for us to comply
13 with our LSN obligations for this fiscal year. Your
14 Honor, with respect to the fiscal year 2011, it is
15 not able to comment on anything.

16 Our client has not been able to advise us
17 of the sums to be expected for the litigation
18 support activities for 2011. Obviously, if the
19 proceeding continues in 2011, that will determine
20 what the sums are.

21 >> MR. SHEBELSKIE: I'm just not in a
22 position to provide anything right now, Your Honor.

23 >> JUDGE MOORE: You have none of the
24 planning assumptions that went into the budget?

25 >> MR. SHEBELSKIE: I do not, Your Honor.

1 And I'm told that until the President releases his
2 budget next -- next month, next week, that we
3 wouldn't be in a position to know really what number
4 to use.

5 >> JUDGE MOORE: The Board will expect,
6 very quickly after that budget is made public, that
7 you provide us with DOE's take on that. If the
8 budget is released Monday, Thursday of next week,
9 since -- it's already known, it's just not public.
10 So there is no reason why gashing of teeth has to
11 occur because it's being printed.

12 >> MR. SHEBELSKIE: I think your suggestion
13 is fair and reasonable, and we will provide a written
14 submittal next Thursday on the President's
15 announcement.

16 >> JUDGE MOORE: I have a number of
17 questions about 2010 that I'd like to quickly run
18 through to give the backgrounds that will be helpful
19 then in knowing where we're going in 2011. Where are
20 the document computer servers housed in DOE, the LSN
21 collection located?

22 >> MR. SHEBELSKIE: The servers are located
23 at DOE servers here in Las Vegas.

24 >> JUDGE MOORE: Is the computer center
25 operated by DOE employees, by contractors, or by

1 both?

2 >> MR. SHEBELSKIE: The servers can
3 support -- and support for the servers are provided
4 by our automated litigation support contractor, CACI.
5 They obviously work under contract and supervision
6 with the Federal government through a contract with
7 the Department of Justice and so their
8 responsibility, County responsibilities with the
9 Department of Justice, and then, obviously, a work
10 and -- they work in oversights with the Department of
11 Energy lawyers and outside counsel.

12 >> JUDGE MOORE: Who is the current
13 official responsible for managing DOE's LSN computer
14 operations?

15 >> MR. SHEBELSKIE: The LSN responsible
16 official at DOE is currently Steve Gomberg, but he is
17 being detailed to a different division at DOE. We're
18 in transition now. And the new official will
19 be -- is Jeff Williams. I believe that will be
20 effected in February.

21 >> JUDGE MOORE: What organizational -- DOE
22 organizational unit does this individual report to?

23 >> MR. SHEBELSKIE: The Office of Civilian
24 Radioactive Waste Management, OCRWM.

25 >> JUDGE MOORE: Is it fully funded for

1 2010?

2 >> MR. SHEBELSKIE: Yes, all the activities
3 are as I stated.

4 >> JUDGE MOORE: Is the office?

5 >> MR. SHEBELSKIE: Oh, I believe so.
6 Consistent with what we said back in that term.

7 >> JUDGE MOORE: And you probably can't
8 answer in light of your previous, but it's one to put
9 on your list, does DOE have any plans to altar this
10 organizational structure for fiscal year 2011?

11 >> MR. SHEBELSKIE: I'm not currently aware
12 of it in terms of organizational restructuring, but I
13 will inquire and include that in the middle of next
14 week.

15 >> JUDGE MOORE: Who is the current DOE
16 official responsible for providing electronic files
17 of documenting material as required by 10 CFR Section
18 2.1009?

19 >> MR. SHEBELSKIE: The same individuals,
20 currently Mr. Gomberg and Jeff Williams.

21 >> JUDGE MOORE: And so, he's in the same
22 organizational unit with the same reporting
23 structure?

24 >> MR. SHEBELSKIE: Yes, sir.

25 >> JUDGE MOORE: Is some subset of the DOE

1 LSN document collection already in DOE's official
2 agency record system in portable document format,
3 that is PDF, in complete document structure form?

4 >> MR. SHEBELSKIE: Our collect -- yes, for
5 first part, I know.

6 >> JUDGE MOORE: That's the subpart?

7 >> MR. SHEBELSKIE: Yes.

8 >> JUDGE MOORE: Then you have to tell me
9 the percentage.

10 >> MR. SHEBELSKIE: Ah, percentage. Our
11 collection consists of four major components. The
12 largest group is the documents from our record
13 processing center or RPC. That is, in essence, our
14 official record-keeping database for the Office of
15 Civilian Radioactive Waste Management.

16 >> JUDGE MOORE: All right. Are their
17 documents in PDF?

18 >> MR. SHEBELSKIE: That's what I need to
19 inquire. Some of them are, some of them are not.

20 >> JUDGE MOORE: Do you have a number or a
21 percentage?

22 >> MR. SHEBELSKIE: I don't, but I can
23 inquire into that. But that is a separate database
24 that is subject to separate federal recordkeeping
25 compliance, so they are in requirement with federal

1 law, whatever they require.

2 >> JUDGE MOORE: But they are a part of
3 your LSN collection?

4 >> MR. SHEBELSKIE: We populate our LSN
5 collection to put the documents on our LSN servers.
6 We review the documents that go to the record
7 processing center, is if -- what goes to the record
8 processing center is documenting processing material,
9 we create an electronic copy file of that document,
10 or, excuse me, and then put it into our LSN server.

11 >> JUDGE MOORE: What format?

12 >> MR. SHEBELSKIE: Most of the documents
13 in our LSN collection, in the subset and across the
14 other subsets, are in TIF format.

15 >> JUDGE MOORE: Small substance? That's
16 the conversion on the fly to PDF when they're
17 delivered to the requester to the LSN?

18 >> MR. SHEBELSKIE: Yes, although, that was
19 the way the LSN was set up many years ago, to handle
20 that.

21 >> JUDGE MOORE: And you're gonna, on that
22 subset, you're gonna check the percentage?

23 >> MR. SHEBELSKIE: Yes, sir, we will.

24 >> JUDGE MOORE: Is there any reason why
25 DOE cannot archive that subset in PDF format?

1 >> MR. SHEBELSKIE: Technologically, I
2 suppose it can be done. The reason we can't commit
3 to that, Your Honor, is the vast number of documents
4 involved. The extent is very large. We precisely
5 haven't scoped out the cost of that because there are
6 so many variables in play here. But it's fair to say
7 it would be in a seven-figure number, for sure. And
8 without an allocation in the budget to undertake that
9 conversion, I don't think we can commit to that, Your
10 Honor.

11 >> JUDGE MOORE: Before going to the other
12 three parts, the percentage that are in this sub, the
13 first subset in PDF format, in the official records
14 system, are they in anyway linked to the LSN
15 succession numbers?

16 >> MR. SHEBELSKIE: I do not believe in our
17 record processing center we necessarily do, but we
18 did make an effort, at one point a couple years ago,
19 to go back and try to link them up, so I can't tell
20 you with 100 percent certainty, but in large measure,
21 yes.

22 >> JUDGE MOORE: Let's, then, address, as
23 you just have with one-quarter, the other
24 three-quarters.

25 >> MR. SHEBELSKIE: The next largest

1 collection or subcomponent of our collection is what
2 we call an e-mail collection. This would be e-mails
3 and attachments to e-mails in our collection. Those
4 documents are not stored necessarily by any means in
5 the official record processing center. Rather, they
6 are back -- we have a backup system that we created
7 several years ago to preserve the backup tapes and
8 the new e-mails going forward in our collection. So
9 we have, in, sort of, layman's terms, a warehouse of
10 the e-mail traffic from the e-mail servers. That is
11 currently maintained in an archived system, and
12 certainly this fiscal year, it is being maintained.

13 >> JUDGE MOORE: And what format are those
14 documents stored?

15 >> MR. SHEBELSKIE: I'm told they are in
16 typical e-mail format, not PDF then, but the initial
17 TST, I understand about.

18 >> JUDGE MOORE: Let's move onto your third
19 category.

20 >> MR. SHEBELSKIE: I'll lump the third and
21 fourth tone, because they present the same issues.

22 >> JUDGE MOORE: And they're all stored
23 similarly?

24 >> MR. SHEBELSKIE: Yes, in our system. We
25 have a group, of smaller percentage, of documents

1 that were paper copies that we found not in the
2 record processing center, in people's offices, that
3 sort of thing. Then, of course, electronic files,
4 again, not from the record processing center but on
5 people's laptops and things like that.

6 We collected those documents. We have
7 them stored in their original paper and electronic
8 copies filed with our automated litigation support
9 contractor. They took the process of taking the
10 paper files, converting them into the electronic
11 images we needed to populate the LSN with them.
12 Like electronic files, they have copies, they do
13 whatever conversion was necessary to populate them
14 in the LSN time. So, certainly we have them with
15 CACI, stored in the TIF files that we needed for the
16 LSN. We have both the text with them, of course,
17 but we do not have PDFs for them, because there
18 was no need for us to handle PDFs with them.

19 >> JUDGE MOORE: And the last three
20 categories where you might want to bring the three
21 in, three and four together, what percentage of your
22 collection was that?

23 >> MR. SHEBELSKIE: Bear with me just a
24 moment, Your Honor. We'll get back to you with the
25 specs on Thursday, but rough order of magnitude, the

1 paper documents and the electronic documents, I would
2 suspect, collectively, are probably not single digit
3 percentages.

4 >> JUDGE MOORE: Now, let's go to the
5 second category, what percentage?

6 >> MR. SHEBELSKIE: E-mails. E-mails are
7 probably a good 25 to 40 percent of our collection,
8 e-mails with their attachments.

9 >> JUDGE MOORE: And, excuse me, is that in
10 regards to -- there a difference as to whether or not
11 it's the number of items or the size of the files?

12 >> MR. SHEBELSKIE: The percentage that I
13 was given, Your Honor, was just based on the
14 percentage of documents, not a page count or megabyte
15 comparison.

16 >> JUDGE MOORE: For those documents
17 in -- that are a part of the agency's official
18 records system, what's the record retention schedule
19 for those?

20 >> MR. SHEBELSKIE: Simply put, a very long
21 time, Your Honor, because they are governed by the
22 federal record retention requirements which are
23 measured. There are various categories, some of
24 which go out, I believe, to 20 or 30 or more years
25 for certain documents, but it's, it's an extended

1 period of time. Again, I will double check, but the
2 answer varies based on the category of document. But
3 I think the record -- we're not talking a short-term
4 retention obligation here. It's the full year.

5 >> JUDGE MOORE: And from your description
6 of the collection, I'm assuming that your first
7 category has the longest retention schedule?

8 >> MR. SHEBELSKIE: Yes, sir. Absolutely.

9 >> JUDGE MOORE: And is it life of the
10 Republic?

11 >> MR. SHEBELSKIE: I would like to think
12 the life of the Republic is much longer than that,
13 but, yes, I think it's long --

14 >> JUDGE MOORE: I thought it worked the
15 other way, Mr. Shebelski, but --

16 >> MR. SHEBELSKIE: I think for any
17 relevant time frame we have in mind, we already
18 covered that.

19 >> JUDGE MOORE: Is TIF an acceptable
20 format for submission of agency records to NARA?

21 >> MR. SHEBELSKIE: I believe so, Your
22 Honor. I am told that there are archived documents
23 in compliance with those national archive
24 requirements that had been maintained for the past
25 20-plus years. They are in table robust form in

1 which to preserve the archive such documents and that
2 it would be appropriate to both technologically and
3 legally to maintain an archived collection in TIF
4 format.

5 >> JUDGE MOORE: Does DOE currently have
6 any plans to archive its LSN document collection?

7 >> MR. SHEBELSKIE: We have -- separate
8 from our official record system, but the LSN
9 collection of servers, that we discussed.

10 >> JUDGE MOORE: Under the structure,
11 history and technology that is set forth in the
12 LSNA's memorandum to the Board, that that
13 functionality captures your document collection so
14 when I request a document, I get it, and I get it in
15 PDF format. Because of the complexity and the
16 numerous steps that are involved in this technology
17 that admittedly pushing better than 20 years, if DOE,
18 hypothetically speaking, were to shut the system
19 down, because you have the platform on which it's
20 built, the hardware on which it's currently
21 operating, and all of the various storage media, and
22 a custom code lengthy computer program that grabs
23 individual pages because they're not in a -- they're
24 not in a document structured format, if anywhere
25 along the line, we remove a piece of the puzzle,

1 three years hence, when you go to turn it back on,
2 for example, and one of those circuit boards in one
3 of those servers is gone, they don't even make those
4 anymore, the system doesn't work and those documents
5 can't be retrieved, I believe, if I'm reading the
6 LSNA'S memorandum correctly. Therefore, archiving
7 that strikes me as being roughly akin to tossing it
8 into the waste basket because of the almost
9 intolerable number of things that can go wrong when
10 you put it back together. The age of the system and
11 the people that wrote that computer program, I would
12 be shocked and amazed to find if any of them are
13 still employees, but ought to be well retired by now.

14 >> MR. SHEBELSKIE: Your Honor, I think I
15 will answer your question this way. Today, we have
16 not developed any contingency plans to archive the
17 system because up to and through today, we are
18 continuing to support our LSN obligation in the
19 ongoing proceeding and, obviously, we will fully
20 comply, continue to comply with maintaining our
21 collection for the life of the proceeding and
22 whatever the regulations require us to do to support
23 that effort. Your Honor, your question poses, I
24 think, a hypothetical that if there were a
25 circumstance where proceeding with -- they are

1 terminated, you needed the ability in the future to
2 preserve the ability to re-access the LS -- the
3 existing LSN collection from a technological
4 perspective, Your Honor is correct, it would, at
5 least at present, be more feasible or better to
6 maintain, not to go in a lights-out mode with the
7 server, but to keep it up and running, if the
8 objective were to preserve the ability to re-access
9 those documents at some point in the future.

10 >> JUDGE MOORE: But -- archiving without
11 access, unless I'm wildly mistaken, is essentially
12 like lighting a match to it. If it can't be
13 retrieved, what good does it do to archive it?

14 >> MR. SHEBELSKIE: Well, the other
15 alternative, what you're suggesting is there was no
16 anticipated need, reasonably, for licensing purposes,
17 to preserve the ability to reconnect this collection
18 in the hypothetical, then a decision would have to be
19 made by DOE what to do with its LSN collection.
20 There would be lots of hypotheticals, variables that
21 come into play in it, depending on why you are
22 archiving it. What duration are you talking about,
23 what funds allocates to do that. That's why we
24 really aren't in a position to commit one way or the
25 other what would happen in that hypothetical in the

1 future.

2 >> JUDGE MOORE: Mr. Shebelskie,
3 unfortunately, we're only human and we read the trade
4 process as well. Has DOE, has DOE made any request,
5 or does DOE have any plans currently under way, to
6 request from OMB, the reprogramming of fiscal year
7 2010 funds away from any activity needed to support
8 licensing?

9 >> MR. SHEBELSKIE: I am not aware of any,
10 Your Honor. I have not been advised of any by my
11 client. If the President makes any change in that
12 next week, we will include that in what we report on
13 Thursday.

14 >> JUDGE MOORE: Have you made inquiry?

15 >> MR. SHEBELSKIE: Yes, Sir.

16 >> JUDGE MOORE: And so that we're clear,
17 currently, in fiscal year 2010 funds and program
18 plans, there is no, nothing specifically identified
19 for archiving LSN documents and related material
20 other than any archiving that takes place as part of
21 routine system backup and recovery tape generation?

22 >> MR. SHEBELSKIE: Our LSN bucket for
23 fiscal year 2010 was -- has been modeled along. What
24 we're doing now is to continue to maintain and
25 continue to populate our collection to support the

1 licensing proceeding.

2 >> JUDGE MOORE: You've already taken
3 question B off the table -- B off the table by saying
4 you are not in a position to be able to answer it.
5 But because you are going to be responding to us, we
6 would be interested in knowing whether DOE is
7 preparing an archiving plan for its LSN collection in
8 a format that is readily retrieveable, what the
9 principle components or features of that archiving
10 plan would be, what the format of the, the archiving,
11 the documents would be, for its LSN collection that
12 is not currently in PDF format, and whether DOE
13 has -- would have any plans about sharing its
14 archiving plans with the LSNA or the licensing
15 support network advisory review committee, and all of
16 the where, hows and whys and the dollars and that
17 would come with all of that, and how long it would
18 take to complete.

19 And the reason the Board makes inquiry is
20 because 2.1007, if I am remembering correctly,
21 provides, in effect, that conditions may be attached
22 once a notice of hearing is issued to any withdrawal
23 of an application. And as set forth in our
24 December 22nd order, it would seem only prudent
25 that these collections be archived in a readily

1 accessible format, so because none of us do know the
2 future and for that very reason contingency plans
3 for that need to take place. And -- and I believe,
4 as expressed in that order calling that provision to
5 all the parties' attention, that is something that
6 we would obviously want to hear all the parties on
7 and entertain seriously. I think we need to move on
8 quickly to the question that was raised by
9 Mr. Fitzpatrick. There will be continuing monthly
10 supplementation as long as licensing continues and
11 at this point we were only dealing with a
12 hypothetical prior to this, we are in reality here
13 in spite of what some of you may think. And that
14 will obviously change minutely the numbers of
15 documents in everyone's collection. It will -- it
16 cannot possibly, over the short haul, have any real
17 dollar impacts on any party other than DOE and not
18 likely that because your monthly average of
19 documents has been trailing as often is quite small.
20 So the status today is not going to be dramatically
21 different from a future status, at least for the
22 immediate future. In the eventuality that the
23 information you -- eventuality that the information
24 you provide us next week, after the President's
25 budget is released and the situation dramatically

INTERIM DRAFT COPY

1 changes, we will then not be confronting the
2 hypothetical, we will then have to deal directly
3 with it, and I would like now to entertain all of
4 the parties' views on what the best way to do that
5 is. Respond to Board questions or comment on DOE's
6 comments, have a case management conference where we
7 hash it out. I would be interested in hearing all
8 the parties on what your view is. Should the
9 hypothetical not be a hypothetical, how best to
10 proceed. Let's start with you, Mr. Shebelskie,
11 since you had the floor.

12 >> MR. SHEBELSKIE: Well, Your Honor, next
13 Thursday, we will report to the Board on any changes
14 that might be appropriate to comment on and what may
15 or may not be in the budget. In connection with that
16 submittal, and it may, we can give any preliminary ^
17 report based on any elements next week, given the
18 technical issues that we've discussed with archiving
19 collections that were what needs to be discussed at
20 that time, the details of the nuts and bolts of the
21 archiving and calls were something we could do a
22 preliminary scope on, I think it would probably need
23 to be some more discussion, detailed discussions
24 among informed I.T. people and our fundamental
25 support staff along with the LSN administrator staff.

1 They could have some discussion and we could report
2 back further with a more detailed plan in that
3 circumstance. With that proposal, because obviously
4 what we can do in those circumstance would depend
5 upon what our budget cases are. So -- submittal to
6 the Board with specifics, that people can then
7 comment on, I guess.

8 >> JUDGE MOORE: Let's just go right down
9 the list. Nye County, do you have a view on how we
10 should proceed?

11 >> MR. VAN NIEL: Jeff Van Niel for Nye
12 County, Your Honor. At this point, obviously we'd
13 like to see what is presented. I'm not sure we feel
14 case management or presentation is required. I think
15 we could resolve most, if not all, of these issues on
16 written submissions and questions from the Board.

17 >> JUDGE MOORE: Fine. Clark County.

18 >> MS. ROBY: Thank you, Your Honor.
19 Again, Clark County would first like to see the
20 written submission. It may be useful to have a case
21 management conference, but not knowing what is going
22 to be in that submission, it's difficult to tell, but
23 providing written responses would be useful. But I
24 think this kind of form is, kind of, useful.

25 >> JUDGE MOORE: NRC staff.

1 >> >> MS. BUPP: Margaret Bupp for the
2 staff.

3 >> JUDGE MOORE: You are in the envious
4 position of having covered all of your bases already,
5 so --

6 >> >> MS. BUPP: Yes. I think for this
7 particular conference, it was very useful to allow
8 the parties to submit written submissions in advance.
9 I think if we were confined to a conference, if
10 necessary, allowing written submissions would be
11 helpful, and, at that time, the staff could provide
12 written confirmation to the three questions that the
13 Board had about our collection, that we can't give
14 100% confirmation on today.

15 >> JUDGE MOORE: NEI.

16 >> MR. REPKA: David Repka for the Nuclear
17 Energy Institute. I think we're very content to
18 proceed in the first instance with written comments.

19 >> JUDGE MOORE: White Pine Ccounty.

20 >> MR. SEARS: We agree with NEI.

21 >> JUDGE MOORE: NCAC.

22 >> MS. LEIGH: Thank you, Your Honor.
23 Rovicianne Leigh for NCAC. We have an interest,
24 certainly. We would welcome the opportunity to
25 submit written comments and participate in a

1 conference if the Board so desires.

2 >> JUDGE MOORE: Inyo County.

3 >> MR. JAMES: Yes, Inyo County, Greg
4 James. We concur with all the other previous
5 suggestions.

6 >> JUDGE MOORE: Mr. Fitzpatrick.

7 >> MR. FITZPATRICK: Charles Fitzpatrick,
8 State of Nevada. This is not being impudent, but you
9 questioned this, if the hypothetical becomes a
10 reality. What is the hypothetical? Is it a zero
11 budget, is it a withdrawal of the application? What
12 is the hypothetical that we are addressing?

13 >> JUDGE MOORE: It's essentially all of
14 the above.

15 >> MR. FITZPATRICK: Well, because the
16 answer to that --

17 >> JUDGE MOORE: Because I have no idea of
18 what DOE's fiscal '11 budget is. Mr. Shebelskie does
19 not either.

20 >> MR. FITZPATRICK: I, I --

21 >> JUDGE MOORE: If Congress does not
22 appropriate, well, that's wrong. That is just a
23 budget request. Congress will have to appropriate a
24 timely determine, whether or not Congress goes along
25 with DOE's budget requests.

1 >> MR. FITZPATRICK: That was reason for
2 the question, Your Honor, because I suggest that this
3 is -- this hearing and placing undue weight on a
4 response by Mr. Shebelskie, which, however, he should
5 be made to respond, but would be inappropriate
6 because what's coming out is only a Presidential
7 recommendation to Congress, and as we know from
8 previous years, there may not be known what the
9 Congressional budget is until perhaps after the
10 elections, because it's, kind of, axiomatic that some
11 Congressmen -- I think it happened last year, but in
12 an election year, some Congressmen are reluctant to
13 add to spending money until after the election is
14 over. But in any event, what comes out next Monday
15 and what comes out from DOE next Thursday may bear
16 little relation to ultimately what occurs. So, with
17 that in mind, I certainly think that at this stage,
18 it would be sufficient to see what DOE says and to
19 ask for written input from the other parties. But I
20 made a comment earlier about being skeptical about
21 the premise for this whole hearing and your order,
22 and frankly, again, not to be impudent, but we're
23 responding and you're responding to rumors and media
24 accounts. And I submit that if White Pine County or,
25 you know, NCAC was rumored by the media to be pulling

1 out of this proceeding, we wouldn't be here today.
2 We wouldn't be, you know, jumping over ourselves to
3 try to decide what to do to protect the party who is
4 withdrawing and the other parties from that
5 eventuality. And I suggest that if DOE, as I believe
6 I heard, has no plans at present to change anything
7 to protect its LSN, I don't believe it's appropriate
8 for the cab to jump in and require DOE to protect
9 itself and the other parties to protect themselves;
10 likewise, in the eventuality that DOE may pull out,
11 because if DOE were to pull out, DOE's position if
12 Nevada pulled out, would be that's fine, Nevada's
13 intentions are struck, bye-bye. And of course, if
14 any party, I mean, they attempted to raise the LSN
15 compliance issue to bar seven parties, JTS and NCAC
16 were precluded from becoming party, even though they
17 had admissible contentions, because their LSN
18 compliance was not complete. And so, as DOE's
19 pointed out many times, DOE -- LSN compliance is
20 equally required of all parties, and so, a failure by
21 any party then, big or small, to comply with those
22 obligations should result in its exclusion from the
23 proceeding and --

24 >> JUDGE MOORE: We understand your
25 position in that regard, but Mr. Fitzpatrick, perhaps

1 we have been around too long, but this is because of
2 the enormous investment in time and resources both by
3 the AS LVP and the LSN, which is under our
4 supervision, if you will, and the resources that the
5 parties have had to expend in complying with those
6 LSN requirements, and the requirements that the Board
7 has imposed on them. I believe that recognizing that
8 the hypothetical could become a reality, whether it
9 does, I am in no position, or is anyone else in a
10 position, to so state, but, we will have taken the
11 first steps to protecting, to the best we can, that
12 LSN asset at this point in time. And that's the sole
13 purpose we're here. We recognize, as I started this,
14 that this is hypothetical, but being forewarned is
15 being forearmed. And events often can overtake
16 one -- events can overtake one without time to deal
17 with things properly and with proper reflection, and
18 we want to avoid that problem. So, if we see -- I
19 see, and I can't speak for my colleagues -- any
20 problem with seeing what Mr. Shebelskie says and
21 because that is -- reflects DOE's plans, whether or
22 not it reflects the Congress' plans is entirely
23 another matter, but that, in the real world, is an
24 important piece of information to have.

25 >> MS. GORES: We agree with the last thing

1 you said, Your Honor, we look forward to the
2 submission and having time to munch on it and having
3 time to respond?

4 >> JUDGE MOORE: Four counties.

5 >> MS. GORES: Yes, Your Honor, we would
6 support the opportunity to make written comments and
7 then have a case management comments and details that
8 need to be resolved.

9 >> JUDGE MOORE: California Energy
10 Commission.

11 >> MR. BELL: California agrees. We
12 welcome opportunities to participate in hearings as
13 ordered by the Board.

14 >> JUDGE MOORE: The joint Timbisha
15 Shoshone tribal group.

16 >> MR. POLAND: Your Honor, Doug Poland for
17 JTS. We agree with the comments made by California.

18 >> JUDGE MOORE: And eureka County, Miss
19 Curran.

20 >> MS. CURRAN: Thank you, Judge Moore. I
21 had a question or a concern about something that I
22 think may have come up in your discussion with
23 Mr. Shebelskie. I had been assuming that you were,
24 you were thinking of this collection as something
25 that was essentially frozen in time at whatever point

1 the case might end or the money might go away. And
2 Eureka County would have a concern about needing to
3 update its collection to basically be prepared to
4 jump back into a case later on. I think that would
5 be -- we would want a chance to respond to that in
6 particular. I'm not sure whether you were actually
7 assuming that or not, but that would be a concern.
8 And I agree that it would -- we would like a chance
9 to respond to the DOE's submission in writing and
10 possibly in a case management conference.

11 >> JUDGE MOORE: And I take it, Miss
12 Curran, that you have no reluctance to so state in
13 your comments?

14 >> MS. CURRAN: I'm sorry. I didn't
15 understand your comment, your question.

16 >> JUDGE MOORE: I take it you would have
17 no reluctance to share that view in your written
18 comments as well?

19 >> MS. CURRAN: Oh, right, that's correct.

20 >> JUDGE MOORE: Thank you. Do any of the
21 parties have any other matters relating to the LSN
22 that they wish to put before us?

23 >> MR. BELL: Your Honor, Kevin Bell,
24 California Energy Commission, State of California.
25 We weren't queried as to your earlier request of the

1 parties to comment on the Board's orders and
2 California would have no objection.

3 >> JUDGE MOORE: I apologize. And thank
4 you, Mr. Bell. What we would like to do is to take a
5 brief 15-minute recess and -- one moment,
6 Mr. Fitzpatrick -- come back into session as the case
7 management conference, so that the Board has a moment
8 to converse, and we will entertain the staff's update
9 on its SCR schedule at that point as well as if
10 during that time any of the parties, singularly or
11 collectively, have any matters, we will then take
12 them up. Mr. Fitzpatrick, you wish to be recognized?

13 >> MR. FITZPATRICK: Your Honor, Charles
14 Fitzpatrick, State of Nevada. One clarification that
15 I'd request with respect to the assignment given
16 Mr. Shebelskie, I'm not certain -- I'm certain of the
17 first part that the request applies to the efforts
18 planned, contingency plans of DOE to preserve its LSN
19 collection, again, in accessible form. What I'm not
20 certain of is if it is also a requirement, which
21 could be a separate requirement, that independent of
22 the LSN, that DOE be required to preserve the
23 scientific engineering data that's contained on the
24 LSN, whether in an accessible format or not. And let
25 me explain the reason. We have been told by the

1 media that Secretary Chu has asked for at least some
2 money in 2011 to preserve, to wrap up things and to
3 preserve the critical knowledge and data, and
4 Mr. Grazer referred in his memo to you to the
5 valuable scientific and engineering data, and I think
6 we've all heard or read media accounts in the past of
7 the reason to continue the proceeding in the face of
8 the not-an-option phraseology is because of learning
9 about the science of underground geologic disposal
10 for possible future use. With all that in mind, I
11 think it's just as important that DOE preserve the
12 information and the data gleaned by this 20 years of
13 studying this site and spending \$10 billion, whether
14 or not it proceeds in this licensing, and whether or
15 not it captures it on an LSN archives and LSN
16 retrievable as such. In other words, the data must
17 not be lost, period, whether it's preserved in LSN or
18 otherwise.

19 >> JUDGE MOORE: Isn't it a difference
20 without a distinction, though?

21 >> MR. FITZPATRICK: I don't know that it's
22 a difference without a distinction, because, I think
23 one, one question that's clearly before, clearly
24 raised in this question is, how would DOE plan to be
25 able to have information LSN accessible under certain

1 conditions of reduced participation?

2 >> JUDGE MOORE: If the LSN collection is
3 preserved in a retrievable -- readily retrievable
4 format, does that not accomplish the very thing
5 you've asked?

6 >> MR. FITZPATRICK: It accomplishes it for
7 the time being, but if you were to order
8 subsequently, you know, for instance, the denial of a
9 license application with prejudice, the preservation
10 of some documents in an LSN form -- LSN format might
11 turn out to have been temporary, but the preservation
12 of that data and information forever would be of
13 importance for the future scientific world. I think
14 both things should be addressed.

15 >> JUDGE MOORE: I am sure that you will be
16 able to express those comments in writing in response
17 to the information that Mr. Shebelskie will be
18 providing us as well as if the future need arises,
19 that we need to solicit additional information. That
20 would appear to be a legitimate topic for us to
21 address.

22 >> MR. FITZPATRICK: Thank you.

23 >> JUDGE MOORE: We will take a recess and
24 re-convene at 10:30 and briefly, and then we will
25 then recess again and then resume oral arguments.

1 Thank you.

2 (Recess)

3 >> JUDGE MOORE: Please be seated. Miss
4 Bupp, I believe you have an update on the staff's SCR
5 schedule for us?

6 >> MS. BUPP: Yes, Your Honor, I have an
7 update on the schedule of completion for volumes 1
8 and 3. At this time, it appears volume 1 will be
9 complete in August and volume 3 will be complete in
10 November, both 2010.

11 >> JUDGE MOORE: If memory serves, the
12 deposition schedule and our order were established on
13 a different set of dates around the SCRs. Does this
14 impact how all that discovery needs to be done?

15 >> MS. BUPP: I believe, Your Honor, and,
16 of course, the other parties are free to weigh in,
17 but from the staff's perspective, it would delay the
18 start of discovery against the staff and it would
19 delay the close of discovery because, obviously,
20 discovery against the staff on SCR volume 3, which is
21 where the bulk of the contentions are, in phase 1,
22 couldn't begin until two months after the date we had
23 originally assumed discovery would begin. And so
24 that would obviously extend the time period for
25 discovery.

1 >> JUDGE MOORE: Okay. Before we go down
2 that path, we have a couple of LSN matters.

3 >> JUDGE WARDWELL: Mr. Shebelskie, I was
4 hoping you might be able to shed some light on this,
5 and if you can't, just include it on your list of
6 bullet items for Thursday's dissertation. And that
7 deals with the fact that you mentioned four different
8 components of your record system -- of your records
9 that are on the LSN. And the records system itself
10 is one, and I think I recognize that is a permanent
11 type of collection. I was interested if you could
12 shed some light on what the retention schedule is for
13 those other three and, likewise, whether or not those
14 are in a format that are considered to be of
15 permanent record material.

16 >> MR. SHEBELSKIE: Your Honor, Mike
17 Shebelskie, DOE. I will have to add that to the
18 list. The e-mail will be provided on Thursday. The
19 e-mail collection is preserved in a separate
20 repository that we maintain, and that will be subject
21 to a different retention requirement than documents
22 and the record processing center collection. The
23 documents that are the smallest component of the
24 paper, electronic files, we'd have to consider that
25 as well, because I suspect they may or may not be

1 considered federal records by being put into CACI's
2 possession for this proceeding. It would vary, so I
3 really don't know that, we will conclude that on
4 Thursday.

5 >> JUDGE WALDWELL: You mentioned the other
6 two that I thought of. I couldn't remember the forth
7 one, it was the middle one between your e-mails and
8 your current record, I believe.

9 >> MR. SHEBELSKIE: The paper files and the
10 electronic files.

11 >> JUDGE WALDWELL: Oh, those are the two.
12 And in regards to what I call the sweep ones of the
13 hard copies and electronic copies, I assume those are
14 potentially from other agencies that do work for
15 other contractors that do work for DOE, the federal
16 agencies, other organization, is that correct, or is
17 only DOE participants, do you know?

18 >> MR. SHEBELSKIE: It's across the board,
19 really, DOE contractors and some other agency
20 records. And there can be duplicates in these
21 collections.

22 >> JUDGE WALDWELL: Thank you.

23 >> JUDGE RYERSON: I suppose the change in
24 the time, of the SCR will necessitate some change in
25 the case management order, the outstanding case

1 management order. Miss Bupp, was the original date
2 for SCR 3, the third volume, which I think is the
3 principal SCR in this phase, was that September?

4 >> MS. BUPP: Yes, Your Honor, it was
5 September.

6 >> JUDGE MOORE: Okay. So we're talking
7 about a two month delay. Based on September, the
8 case management order, I think this was proposed by
9 the parties has a discovery cutoff of November 30, so
10 if we were to extend that simply two months, that
11 would be January 31st, 2011. December may not be
12 the best time for taking depositions, but just to
13 throw out, is there a -- is there a sense in the room
14 whether we should just extend that two months?

15 I think that would be the only change in
16 the case management order. Let's start -- Nevada, I
17 suspect, you will be taking many depositions, what's
18 your view?

19 >> MR. FITZPATRICK: Charles Fitzpatrick,
20 State of Nevada. We had discussed that as soon as
21 Miss Bupp spoke and we think that's probably a
22 logical consequence, a two-month extension.

23 >> JUDGE RYERSON: I could go all the way
24 around the room, but if anyone thinks extending that
25 simply a portion of two months doesn't make sense,

1 speak now or forever hold your peace. We will just
2 issue an order extending the case management order.
3 I haven't checked it thoroughly, but I believe that's
4 the only change that would be required. We'll have
5 the cut charge-off then on January 31, 2011, the
6 discovery cut off with the phase 1 contention.
7 Hearing no objection, we'll do an order to that
8 effect.

9 >> JUDGE MOORE: Are there any other
10 matters in light of the staff's new SCR schedule, as
11 well as anything ongoing that you wish to bring
12 before us before we adjourn the case management
13 conference and resume the last two issues for oral
14 argument?

15 Yes, Mr. Fitzpatrick.

16 >> MR. FITZPATRICK: Charles Fitzpatrick,
17 State of Nevada. I don't know if this fits in here.
18 I think it does, but would you address whether in
19 view of the written filings and all, we can stop
20 reserving the 23 and the 24, February dates?

21 >> JUDGE MOORE: Yes, just one moment. I
22 think it's prudent to go ahead and hold those dates.
23 We will be seeing something from Mr. Shebelskie on
24 Thursday. We will be issuing an order for responsive
25 times, and the timing would, I believe, work out, if

1 we did need another case management conference, that
2 might be since everyone has already preserved those
3 dates, that might be a logical time to do it. If
4 after we see all the material -- we will release them
5 upon seeing the material, if it's not necessary.

6 >> MR. FITZPATRICK: Your Honor, with all
7 due respect, I mean that's fine, and everyone will
8 have to reserve, it's just that I reiterate my prior
9 suggestion that no matter what happens on February 4
10 or February 1, it's very hypothetical, and --

11 >> JUDGE MOORE: We understand that. We
12 understand that and, indeed, we can certainly release
13 one of those days since we don't have oral arguments
14 attached to it, at least none that we know at this
15 point. We'll -- let's go ahead and release
16 Wednesday, February 24.

17 >> MR. FITZPATRICK: Yes, sir.

18 >> JUDGE MOORE: And as soon as we see the
19 materials, the Board will be in a position to know
20 whether the case management conference and receive
21 the parties' comments and their suggestions, we'll be
22 in a position and we will do that immediately upon
23 receiving all that material, and we will get an order
24 out to you early next week, setting a schedule for
25 responding.

1 >> MR. FITZPATRICK: Thank you, Your Honor.

2 >> JUDGE MOORE: I thank you all for your
3 participation. Again, the current situation is
4 hypothetical, but we do think it demands some
5 contingency planning and that was the purpose and
6 function of this. So we will now adjourn the case
7 management conference and in -- at - in ten minutes,
8 so that the staff can rearrange the room, we will
9 resume with -- take up issue 10 and oral argument.
10 Thank you very much. We greatly appreciate your
11 participation and your comments, and we now stand
12 adjourned. Thank you.

13 (Adjourned: 10:40 a.m)

14

15

16

17

18

19

20

21

22

23

24

25