

UNITED STATES ATOMIC ENERGY COMMISSION

IN THE MATTER OF:

SCIENTIFIC RESEARCH CORPORATION OF NEW YORK, INC.

(Production of Documents, Case No. 2)

Docket No. 35-207

RETURN TO REGULATORY CENTRAL FILES  
ROOM 018

Place - Springfield, Mass., production of documents, U.S.A.

Date - July 20, 1971.

Pages 1675 - 1668

DUPLICATION OR COPYING OF THIS TRANSCRIPT  
BY PHOTOGRAPHIC, ELECTROSTATIC OR OTHER  
FACSIMILE MEANS IS PROHIBITED BY THE ORDER  
FORM AGREEMENT

Telephone:  
(Code 202) 547-6222


ACE - FEDERAL REPORTERS, INC.

Official Reporters

415 Second Street, N.E.  
Washington, D. C. 20002

NATION-WIDE COVERAGE

3253



8110160164 710716  
PDR ADOCK 05000247  
PDR

In 1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
ATOMIC ENERGY COMMISSION

-----

In the Matter of:	:
CONSOLIDATED EDISON COMPANY OF	:
NEW YORK, INC.	:
(Indian Point Station, Unit No. 2.)	:
	:
	:

-----

Docket No. 50-247

Springvale Inn  
Croton-on-Hudson, New York

Friday, July 16, 1971

The above-entitled matter came on for hearing,  
pursuant to notice, at 9:30 a.m.

BEFORE:

SAMUEL W. JENSCH, Esq., Chairman,  
Atomic Safety and Licensing Board.

DR. JOHN C. GEYER, Member.

MR. R. B. BRIGGS, Member.

APPEARANCES:

(As heretofore noted.)

ln

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C O N T E N T S

WITNESSES:

DIRECT      CROSS      REDIRECT      RECROSS

Gordon Burley		1477		
Karl Kniel		1511		
William Cahill		1664		

#1  
ln1

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CHAIRMAN JENSCH: Please come to order.

Are we ready to proceed with the program as outlined last evening with the interrogation of the Staff witnesses on containment spray?

MR. ROISMAN: Intervenors are ready, Mr. Chairman.

CHAIRMAN JENSCH: Would you indicate the witnesses you desire to interrogate.

MR. ROISMAN: Mr. Karman has advised me he will provide people capable of talking about the entire problem of the spray systems.

MR. KARMAN: Mr. Chairman, we will start with Dr. Burley on the stand. If he needs help, he can call for it.

CHAIRMAN JENSCH: Very well.

Dr. Burley, will you resume the stand.

Having been previously sworn, you need not be sworn again.

Whereupon,

GORDON BURLEY

resumed the stand as a witness and, having been previously duly sworn, was examined and testified as follows:

CROSS-EXAMINATION

BY MR. ROISMAN:

Q Dr. Burley, could you please state what your connection with this plant, Indian Point No. 2 plant, is with

In2 1 respect to the containment spray system?

2 A I formulated a Staff model for the evaluation of the  
3 effectiveness of containment sprays for iodine removal and I  
4 applied this model to the Indian Point 2 case.

5 Q Can you tell me, is the effectiveness of the contain-  
6 ment spray system in a sense a mechanical function? That is,  
7 the spray only removes iodine to the extent that the spray  
8 drops come in contact with iodine?

9 A Yes.

10 Q Now, I understand that there have been some analyses  
11 done to determine whether or not the drop size is as was origin-  
12 ally assumed at an earlier time in the model you developed for  
13 the purposes of evaluating this particular plant; can you tell  
14 me what data went into determining what would be the drop  
15 size?

16 A The data is based on a statistical analysis furnished  
17 by the supplier of the nozzles, corroborated by independent  
18 analyses by Oak Ridge National Laboratory and added to by the  
19 Westinghouse Corporation, Westinghouse people with respect  
20 to an evaluation of the additional increments in size by drop  
21 accretion due to steam condensation and also due to drop  
22 coalescence.

23 Q Can you tell me, in the types of tests that were  
24 run, what were the conditions that existed during the tests  
25 that were run?

ln3 1           For instance, -- let me give you some of the things  
2 I am concerned with. The pressure, the content of the spray,  
3 the type of nozzles that were used, the atmosphere into which  
4 this spray goes, the height the nozzles were from the bottom,  
5 and the technique that was used for determining what size the  
6 drops were?

7           A       I am not intimately familiar with all of the experi-  
8 mental details. I can tell you that in general the nozzles  
9 were tested under ambient atmospheric conditions and with a  
10 water spray and the size determination was made at approximately  
11 eight or ten feet below the point of exit.

12          Q       Now, those are the tests that were run, I believe,  
13 when we talked yesterday with Mr. McAdoo, those were the tests  
14 run by Spraygo, the people who supply the nozzles.

15          A       That is correct.

16          Q       Those were run on the same nozzles that are on the  
17 plant, that is a random sampling of the nozzles?

18          A       That is correct.

19          Q       In your opinion, how does the fact that those tests  
20 were run, using plain water and not using the atmospheric  
21 condition or the pressure that would exist in a loss of coolant  
22 accident, affect the conclusions with regard to drop size?

23          A       very little, if at all.

24          Q       Is that because the drop size that was being measured  
25 was the drop size as the drop came out of the nozzle?

ln4

1 A Both that and also because the addition of boric  
2 acid and sodium hydroxide to the spray changes the viscosity  
3 and density of the liquid, essentially negligibly. It is still  
4 practically pure water.

5 Q In terms of the effect of turbulence inside the  
6 reactor vessel in the case of a loss of coolant accident, as  
7 a result of, let's say, either in the first few minutes or  
8 for a subsequent period of time, how would that affect the  
9 drop size in the eight to ten feet from the nozzle?

10 A It may to some extent increase the number of drops  
11 which collide.

12 Q Does that mean that it would increase the size of the  
13 drops?

14 A It would tend to eliminate some of the smaller  
15 drops primarily.

16 Q So we would have more drops -- we would have fewer  
17 drops and they would be larger? That would be the tendency  
18 I mean?

19 A That is the tendency.

20 Q What about the fact that the tests were run, again  
21 as I understood from Mr. McAdoo's testimony yesterday, with  
22 the pressure, instead of having pressure imposed on the bottom  
23 of the nozzle and the nozzle operating at its maximum pressure  
24 in order to get the pressure at the loss of coolant accident  
25 time, a difference was determined, and the nozzle pressure was

ln5

1 assumed to be that? Would there be any effect on the drop  
2 size by having, physically having a counterpressure against the  
3 nozzle? Would that tend to affect the drops?

4 A It should not.

5 Q It should not affect the drops?

6 A That is right.

7 Q Have tests been run, do you know of any tests that  
8 have been run where the results can be compared to show that  
9 drop size under those conditions would not be affected?

10 A No. However, the design of these nozzles is such  
11 that the exit velocity essentially determines the drop size  
12 spectrum, and that is the only parameter which is of interest.

13 Q In other words, the fact that the exit, that the  
14 velocity coming through the nozzle, as would be the case in a  
15 loss of coolant accident, -- we will just pick some figures  
16 here -- let's say that velocity is at 100 pounds per square  
17 inch. It comes in contact with something that is 47 pounds  
18 per square inch, and pushing. That is, it is not a static  
19 velocity of pressure that is building in the reactor, but it  
20 can be expanded, maybe moving up from 40 to 47 and down to 43.

21 That in your opinion does not affect, or should not  
22 affect --

23 A Its differential pressure is what is of importance.

24 Q Now, in terms of the drop size, what effect does  
25 drop size have on the effectiveness of the spray?



ln6 1 A It enters into the theoretical equation to the first  
2 power.

3 Q Can you explain that in terms I understand?

4 A It is directly proportional to the drop size.

5 Q So that it becomes more effective --

6 A I am sorry, may I explain that?

7 Q Yes.

8 A There are two ways of analyzing drop effectiveness.  
9 One is to look at the drop size spectrum in detail and calculate  
10 efficiencies for various groupings of drop sizes. The other  
11 one is to take what is a mean drop size derived from the drop  
12 size distribution spectrum, and use only a single analysis.

13 This is the analysis that the Staff has used.

14 Q The first --

15 A Using the mean drop size spectrum.

16 Q Let me go back to the earlier question. As the drop  
17 gets larger, its ability to remove iodine increases. Is that  
18 what you said?

19 A No, the per drop, the ability to remove iodine is  
20 proportional to the surface area. And for a specific volume  
21 of liquid, the smaller the drops, the greater the surface  
22 area, and the greater the ability to remove iodine.

23 Q So that in terms of the effectiveness of this spray  
24 system, if the drops could be kept to the small end of the  
25 spectrum, that would be preferable for its effectiveness?

ln7 1 A That is correct.

2 Q To the extent that they are larger, that is bad,  
3 when we are talking about a given amount of spray available  
4 to be turned into drops?

5 A That is right.

6 Q Is there a limit in terms of the effectiveness of  
7 the drops as they get larger beyond which, even though they  
8 still have some chemical in them which would normally be avail-  
9 able for chemical reaction, but the drop is sort of saturated,  
10 it can't absorb any more iodine, even though it has the sodium  
11 hydroxide in there?

12 A It is not a question of saturation for the larger  
13 drops, it is a question of limitation on the surface area  
14 compared to the iodine in the surround atmosphere.

15 Q No, that is right, I understood that. But I was  
16 talking about as an additional aspect.

17 A For the drops of interest here, there is no practical  
18 limitation.

19 Q Do you mean to suggest that if the drops were falling  
20 further, or were to be exposed to iodine for longer periods of  
21 time, you might reach this -- I am sure it is not an appropriate  
22 term -- saturation point?

23 A Actually the problem would be at the lower size  
24 limit, that one would reach an ultimate saturation limit for  
25 the smaller drops, not for the larger drops.

ln8

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q I see. Is that occurring with regard to the very small drops that come out?

A For the absolutely smallest drops, it is conceivable, yes.

Q Now, how does that affect the determination of the effectiveness of the spray? As I understand it in the grossest terms, one way of looking at the effectiveness of the spray, you have to find out how much iodine you have, and how much sodium hydroxide you have, in order to see if you are going to have enough sodium hydroxide there to react with the iodine.

Now, if I understand what you just said, in the case of some drops it is possible that although they still have some sodium hydroxide in there which might be available for reaction with iodine, it may be that it won't happen, because they are saturated?

A A small number of drops may reach the saturation limit. However, this is taken into consideration in calculating the overall effectiveness of the spray for iodine removal.

end 1

1 Q In what manner? In other words, have some tests  
2 been run to determine how many of the small drops should  
3 be considered to have a limited ability?

4 A Well, the easiest way of approaching the calcula-  
5 tion --

6 CHAIRMAN JENSCH: Excuse me, I know you don't  
7 intend to, but I wonder if you would help us by answering  
8 the question -- if you want to by an explanation -- but  
9 answer it directly, yes or no. I think the question was have  
10 any tests been made on this?

11 THE WITNESS: None that I am directly familiar  
12 with.

13 BY MR. ROISMAN:

14 Q Then go ahead, I would like to hear the explanation.

15 A The easiest way of compensating for such a phenomenon  
16 is just to increase the assumed mean drop diameter in the  
17 calculation.

18 Q In other words, in effect wipe out of your calcula-  
19 tions these small drops for which this event might occur?

20 A That is correct.

21 Q What tests have been run to determine at what point  
22 you need not worry about that problem any more in terms of  
23 drop size?

24 A No good experimental data is available on that point  
25 It is a calculational procedure.

1 Q Can you tell me, in terms of microns, at what  
2 drop size you just start disregarding all of the smaller drops,  
3 using the calculation?

4 A The smaller drop size limit is effectively in the  
5 50 micron region or thereabouts.

6 Q I am a little bothered by that. I think eventually  
7 when we get to talking about the effectiveness of the spray,  
8 when all of the elements are added in, we are going to be  
9 talking about, in a sense, how many drops of what size were  
10 available at a given time to absorb iodine.

11 A Now I would assume to do that you would have to have  
12 a specific cut-off figure. Is your moving around on the 50  
13 micron size merely that you don't happen to have the figure  
14 at your fingertips, or there isn't such a figure?

15 A The figure is a calculational figure. And the  
16 number of drops below 50 microns is quite small in the case  
17 of these nozzles used in the Indian Point #2 containment.

18 Q How was the calculation made that the 50 micron  
19 size was the appropriate cut-off size for these small drops?

20 A One knows from experimental data the capacity of the  
21 sodium hydroxide spray liquid for iodine per unit volume. One  
22 can also calculate the volume of the individual drops by  
23 standard geometrical techniques and then one can compare  
24 these two.

25 Q Now in that sense, as I understood it earlier, the

1 explanation of this saturation point, it is to some extent  
2 effected by time, that is the amount of time the drop has to  
3 be exposed to iodine?

4 A That is correct.

5 Q In the calculation in what manner is the time, the  
6 drop time, the time the drop is available to be in contact  
7 with iodine taken into effect?

8 A The only point where saturation limit is of interest  
9 is to calculate the infinite time saturation. Anything before  
10 that would obviously saturate the drop.

11 Q I understand that.

12 A So one calculates saturation for the 100 or so  
13 drop height in the containment.

14 Q How fast do you assume the drops fall?

15 Let me put it a different way: What factors do you  
16 take into account in determining how long the drops will take  
17 to fall 100 feet or whatever?

18 A I am using curves which were derived by Mr. Parsley  
19 of the Oak Ridge National Laboratory, which correlate drop  
20 size and fall times.

21 Q Is that based upon tests that were run, or is it  
22 a calculational model?

23 A This is a calculational model, but a calculational  
24 model which incorporates the atmosphere which one would find  
25 in the containment.

1 Q You mean its pressure and content?

2 A Pressure, temperature and steam.

3 Q What about its turbulence, updrafts, downdrafts,  
4 crossdrafts?

5 A None of that, of course. In general, updrafts,  
6 downdrafts, would be compensating. Updrafts would tend to  
7 keep, especially the smaller drops, in suspension for a longer  
8 time.

9 Q Do you know -- you say they would be compensating.  
10 They would compensate if there were an equal number of updrafts  
11 and downdrafts. Do you know if that is true?

12 A On physical principles, it has to be.

13 Q Well, where are the fans located physically in the  
14 containment?

15 A I would have to refer you to another member of the  
16 staff. I believe they are very close to the perimeter of the  
17 structure.

18 Q Near the top of near the --

19 A Near the top.

20 Q Do those fans draw? That is, they are sucking air  
21 towards them rather than pushing air in?

22 A That is right.

23 Q So would that tend to make the movement of the air  
24 go from the bottom of the containment to the top of the contain-  
25 ment rather than the reverse?

1 A That is right.

2 Q Was that factor considered in the drop time equation  
3 by this gentleman?

4 A It was not.

5 Q Continuing on with regard to the whole question  
6 of how the drops get down, how is it determined what route  
7 the drops will take? That is, where they will go after they  
8 leave the spray nozzle?

9 A Again this is a calculational procedure where after  
10 the spray pattern has been established, a situation which  
11 occurs within about the first 10 or 15 feet after exit from  
12 the nozzle, that beyond that point the drops are assumed to  
13 fall straight down.

14 Q Do I understand that is effected by pressure, that  
15 is to the extent there is pressure in the containment vessel,  
16 that will effect how far out the drop can go from the line  
17 directly down the nozzle?

18 A That is correct.

19 Q In terms of evaluating the effectiveness of this  
20 spray system, what kind of assumptions did you make with  
21 regard to the drop trajectory? Did you try to trace it  
22 throughout the period of time you were gauging or measuring  
23 the change in drop trajectory as pressure in the vessel  
24 changed; or did you make a conservative assumption --

25 A We have not gone into a detailed analysis of drop



1 trajectories. This is incorporated in the overall factor of  
2 conservatism which the staff has applied.

3 Q Can you tell me, then, in terms of the overall  
4 conservatism, what did you assume about drop trajectory?

5 A The drop trajectory was not injected in the analysis.  
6 It was incorporated in the composite of drop diameter and  
7 fall time.

8 Q In other words, to the extent the drop trajectory  
9 would affect spray effectiveness, you simply took account of  
10 the worst possible effect and disregarded the trajectory? Is  
11 that an accurate statement?

12 A I am not sure what one can consider a worst trajec-  
13 tory. All of these trajectories --

14 Q That is what I was going to ask you next?

15 A -- keeps drops inside the spray volume of the  
16 containment and effectively, whether a drop is displaced by  
17 an inch or two to the left or right is immaterial.

18 Q What about in terms of the question of drop  
19 coalescence through collision? Is that effected by trajectory?

20 A It is effected by the trajectory of drops of differ-  
21 ing diameter. This is determined by the exit velocity from  
22 the nozzle.

23 Q Could you explain that to me a little bit, please?

24 A In that by experimental procedures one can determine  
25 what the distribution of different drops is in terms of the

1 spray cone and larger drops are on the outside of the cone and  
2 smaller drops on the inside; and there is a certain amount of  
3 interaction.

4 Now one can talk about interaction of drops issuing  
5 from the same cone and also interaction of drops from an  
6 adjacent cone. And it really makes very little difference  
7 whether a spray pattern is much larger or much smaller in that  
8 the total interaction comes out to make very little difference

9 Q Do I understand from what you said a few moments  
10 ago that your coalescence of drops through collision occur  
11 with drops that have different sizes? In other words, two  
12 drops of the same size, if they strike, what happens there?  
13 What would be expected to happen?

14 A The probability of coalescence is greatest with  
15 drops of differing size.

16 Q Now, if the large drops in spray #1 have only  
17 the small drops in spray nozzle #1 to come into contact with,  
18 is the probability of collision and the probability of  
19 coalescence less than if the large drops in spray nozzle #1  
20 have both their small drops to come in contact with and the  
21 small drops of adjacent sprays to come in contact with?

22 A Yes.

23 Q Can you explain to me, then, why you say that it isn't  
24 really relevant to be concerned with the trajectory of the  
25 drops, since if the sprays operate in such a way that no

1 sprays overlap each other, that you have a lower, or would  
2 appear to have a lower probability of drop coalescence  
3 than you would if sprays do overlap and extend the overlap,  
4 as I understand what you just said, would increase the  
5 probability of drop coalescence?

6 A The staff has done a few rough calculations in this  
7 respect and we do incorporate drop coalescence from adjacent  
8 cones in our evaluation.

9 Q But how do you decide -- that is what I am trying  
10 to find out -- how do you decide whether you put enough drop  
11 coalescence into your model? What bounds you in terms of  
12 making your assumptions?

13 A What we have done was essentially mix drops at  
14 random from several adjacent cones, which is an almost impos-  
15 sible -- well, I shouldn't have used that term -- situation,  
16 let's say, improbable.

17 Q Maybe you could help me with it if we did it somewhat  
18 more mechanically. How far apart are the nozzles in the spray  
19 system?

20 A I don't have the detailed numbers.

21 CHAIRMAN JENSCH: This came up yesterday. I wonder  
22 if it would be helpful to take a look at the FSAR diagram  
23 that shows the specifics and while we have interrupted, do you  
24 have any of these calculational models or rough calculations that  
25 you referred to several times in the testimony, available for

1 review? Not now, but sometime could they be brought into the  
2 hearing room?

3 THE WITNESS: We can make them available.

4 CHAIRMAN JENSCH: You do have them available, do  
5 you?

6 THE WITNESS: Yes.

7 CHAIRMAN JENSCH: Very well. Thank you.

8 In fact, if I counted correctly, I think you had  
9 six calculational models so far. And when you review the  
10 transcript, if you find any more, if you would include them.  
11 And if you have any experimental data, if you could give us  
12 references -- perhaps you could give us references?

13 THE WITNESS: We will endeavor to accommodate you,  
14 sir.

15 CHAIRMAN JENSCH: Thank you, sir.

16 MR. ROISMAN: Just for the record, can I share,  
17 as a recipient of that data, when it is submitted, please?

18 CHAIRMAN JENSCH: If it is available, perhaps you  
19 can review it before we resume whatever next session we have  
20 and then you can bring them to the hearing room.

21 MR. ROISMAN: If that is possible.  
22  
23  
24  
25

1 MR. TROSTEN: We should have this information  
2 shortly, sir.

3 CHAIRMAN JENSCH: Well, we seem to be taking a little  
4 more time than I thought we would in this regard. I notice  
5 Mr. McAdoo and Mr. Grob perusing the books, but they can  
6 continue and perhaps we can go ahead.

7 MR. ROISMAN: All right, Mr. Chairman.

8 BY MR. ROISMAN:

9 Q Dr. Burley, the point I am trying to discover is  
10 with regard to your conclusions on the effectiveness of the  
11 spray. If I understand you correctly, you say that you take  
12 account of the drop coalescence that might occur, assuming  
13 that the trajectories of the sprays overlap; in other words,  
14 under the worst possible condition for coalescence, vis-a-vis  
15 spray overlap. Is that correct?

16 A That is all lumped into our factor of conservatism,  
17 yes. May I sort of indicate what our factor of conservatism  
18 is? It might help you.

19 Q All right.

20 A The mean drop diameter as issued from the nozzles  
21 under the worst conditions is of the order of about 950 microns,  
22 not including drop coalescence and steam condensation. The  
23 drop diameter which the staff has used in the evaluation of  
24 the Indian Point #2 spray effectiveness is 2,000 microns.

25 Q Now, when you picked 2,000 microns, what did you  
use as a basis for deciding that that was as conservative as

1 you needed to be to take care of these areas that we have been  
2 talking about?

3 A We looked at the general effect of drop coalescence,  
4 drop condensation, uncertainties in the determination of the  
5 drop size spectrum in the first instance, and decided that  
6 there was a bit of uncertainty in all of these numbers.  
7 And we then decided that we wanted some more time to perhaps  
8 make a decision in the future that it was easier to grant a  
9 larger iodine removal effectiveness at some later date than  
10 it was before you have all of the facts.

11 And we decided that a sizeable factor of conserva-  
12 tism was warranted at the time the spray model was developed.

13 Q How come the figure wasn't 2,100 microns?

14 Let me put it a different way? If you were searching  
15 around, now, for the first time, trying to figure out what  
16 conservatism should be built in, and one of the people said  
17 2,100, and somebody said 2,000; somebody else said 1,900 --  
18 how would you decide? Or did everybody unanimously agree that  
19 the figure should be 2,000?

20 A I think I was the only one who held out for as  
21 large a figure.

22 Q Good. Then you are the man I want to talk to.

23 Why didn't you hold out for 2,100 or 2,500?

24 A It is a matter of judgment.

25 One look at the available data, and one decides

1 just how much variation one would expect on an outside  
2 chance, and at that point one chooses a number. The number we  
3 chose was 2,000.

4 Q In terms of that, in terms of looking at the  
5 available data, what, precisely, was the available data that  
6 you had with regard to drop coalescence as a result of over-  
7 lapping of the trajectories of spray nozzles at the time you  
8 made the judgment that 2,000 was correct?

9 And perhaps you could tell me at what time that  
10 occurred? That is, not the exact day, but month or year,  
11 if possible?

12 A The model was developed approximately two and a half  
13 years ago. At that point we lacked most of the data which we  
14 have now, other than the statistical determinations of the  
15 drop spectrum in the nozzle. And I had to perform some of  
16 these calculations myself. Most of the results which have  
17 come in since then have tended to show that the calculations  
18 I made earlier were quite conservative.

19 Q Have any shown that they weren't?

20 A No.

21 Q What did you choose to determine the amount, the  
22 maximum amount of drop coalescence that could occur as a  
23 result of the overlap of the trajectory of sprays? From the  
24 spray nozzles?

25 A The same answer that I gave you a few minutes ago,

1 the mixing of the drops from several adjacent nozzles.

2 Q How did you know that there couldn't be mixing of  
3 the drops from more than a number of nozzles?

4 A Well, obviously there is going to be an infinite  
5 mixing of some droplets if one takes a propagation from one  
6 nozzle to the next. One has to decide what is a cut-off  
7 limit which gives you a reasonable number and also what are  
8 the physical principles which govern the falling of the larger  
9 droplets which are primarily instrumental in scavenging the  
10 small drops.

11 The small drops, themselves, do not deviate,  
12 ordinarily, too much from a vertical trajectory.

13 Q In that context, did you, in trying to figure out  
14 what would be the outer limit of the trajectory, in other  
15 words, the limits as far as you could see them, did you assume  
16 the worst possible loss of coolant accident conditions; that  
17 is, those pressures and atmospheres and heat and so forth?

18 A For calculating the fall times, yes.

19 Q How about for purposes of calculating the trajec-  
20 tories? Or for making what you just explained a moment ago,  
21 your attempts to figure out how much mixing would occur between  
22 the spray nozzles?

23 A Yes.

24 Q Did you testify a few moments ago that pressure  
25 tends to make the drops stay closer to the nozzle rather than



1 spread out. That is, the higher the pressure, the more likely  
2 the drops are to stay near the center of the nozzle from  
3 which they come?

4 A I am not sure I said that. I would have to check  
5 which way it goes.

6 Q Could you do that, please?

7 CHAIRMAN JENSCH: While Dr. Burley is looking for  
8 those data, I wonder if Mr. McAdoo or Mr. Grob has found the  
9 distance between the nozzles in the spray system? I gather  
10 not yet.

11 MR. TROSTEN: No, sir.

12 CHAIRMAN JENSCH: Very well.

13 Will you continue, Dr. Burley, when you have your  
14 data.

15 BY MR. ROISMAN:

16 Q Dr. Burley, if it would be of any assistance, I  
17 think the document WCAP 7499L has some charts in it that  
18 suggest drop trajectory in the case of pressure.

19 A Yes. The drop cone spectrum is tighter at higher  
20 pressures.

21 Q Then in terms of evaluating the maximum possibility  
22 of coalition of large drops in one cone with drops in an  
23 adjacent cone, is that with the most conservative assumption  
24 with respect to pressure -- would it be the lowest pressure  
25 rather than the highest pressure?

1           A     That is correct.

2           Q     Can you tell me in terms of the trajectory of the  
3 drops to what extent does the mixing between the cones effect  
4 the coverage, that is the physical coverage, getting the spray  
5 to cover every little nook and cranny in the containment?

6           A     Well, first of all, obviously, we are not covering  
7 every nook and cranny in the containment, and depending to  
8 some extent on mixing and convection to bring unsprayed or  
9 iodine from unsprayed regions into the spray pattern. The  
10 more overlap there is between adjacent cone patterns, the smaller  
11 the unsprayed area or volume would be in the region which  
12 is actually accessible to the sprays.

13          Q     Can you tell me, then, in the context of the  
14 Indian Point #2 plant, is there a difference in coverage of  
15 these sprays, a practical difference, between the time when  
16 the pressure is at its highest point and the cone is tighter,  
17 as I think you described it, and the time when the pressure  
18 is lower and the cones are broader?

19          A     I would say effectively, no.

20          Q     Is that because the trajectory of the cones, even  
21 in their tightest state, overlap one another? This may depend  
22 on this figure we are looking for.

23          A     I would expect some overlap, yes, but also in the  
24 beginning when your pressure is highest and the cones are smal-  
25 lest, tightest, the turbulence in the containment would be

1 highest, your mass transport of iodine into the spray pattern  
2 would be greatest

3 Q And therefore you wouldn't have to worry that --  
4 you cover, in effect -- I will ask you in a second whether  
5 this actually occurs. But in effect, you could have spaces  
6 between the trajectories of the outer edge of the cones from  
7 the nozzles and still figure that with all of the air moving  
8 around, the iodine would be moving from those empty spaces  
9 into spaces where spray was actually falling. Is that it?

10 A Yes.

11 Q Can you tell me, is there or has there been any  
12 analysis done regarding the effect of turbulence in the  
13 reactor vessel -- excuse me -- in the containment following  
14 the loss of coolant accident?

15 A In terms of mass transport?

16 Q Well, let's start in terms of anything and then we  
17 will narrow it down to some particulars.

18 A I am not directly familiar with that. I would have  
19 to confer with other staff members, I am afraid.

20 Q Just so I will be able to frame my questions  
21 properly for the period that you are on the witness stand, are  
22 you not familiar with the analysis done by the staff with  
23 respect to the whole question of physical distribution of drops  
24 within the containment vessel, and the effect of mixing of,  
25 this diffusion of the gas into where the iodine, into where the

1 spray and vice versa? Is that a subject on which I should be  
2 asking a different person?

3 A The staff has not done a detailed analysis of all  
4 those factors. We have relied to some extent on the experi-  
5 mental data of several facilities to aid us in an understanding  
6 of the actual iodine removal capability of spray systems under  
7 post-accident conditions.

8 Q Do those experiments include conditions where the  
9 post-accident turbulence was simulated?

10 A They included the steam atmosphere and the quenching  
11 of the steam atmosphere by sprays, so turbulence essentially  
12 did exist in those experiments, yes.

13 Q What about the turbulence caused by a loss of  
14 coolant accident producing the steam in the first instance?

15 A There was some steam addition in a number of these  
16 experiments, yes.

17 Q My question was, was that steam addition, was there  
18 an attempt to simulate the conditions or the force of the  
19 conditions under which steam would be produced in the loss of  
20 coolant accident situation?

21 A Not precisely, no.

22 Q What about in terms of the turbulence or air  
23 currents created by the existence of the fan filter system?

24 A No.

25 Q What about the turbulence that would be created by

1 the movement of the liquid on the containment floor to specific  
2 places where it has accumulated and taken through the sumps  
3 and so forth?

4 A Yes, I would say so.

5 Q You mean because these experiments were run with  
6 floors that had comparably distributed collection points  
7 for liquid that was falling to the floors?

8 A The Containment Systems Experiment Facility has a  
9 collection facility and a recirculation capability, yes.

10 Q Is the speed with which the collection occurs and  
11 the location in the experimental containment building com-  
12 parable or identical to that which exists in Indian Point #2?

13 A Obviously not identical. I am not sure I can even  
14 say comparable.

15 Q Would the presence of the various structures that  
16 exist near the bottom of the containment in the Indian Point  
17 containment and the crane and the other structures that rise  
18 up, would their existence and the effect of their existence  
19 have been included in the experiments at the Containment  
20 Systems Experiment Facility?

21 A The containment systems experiment is a compartmented  
22 facility, so some of the volume of that installation is  
23 not directly accessible to the spray, yes.

24 Q But I was also talking just in terms of this mixing  
25 and interaction question, the force that exists following the

1 loss of coolant accident. I assume that again we are talking  
2 about a relatively mechanical function, that is spray drops  
3 and iodine coming into contact with each other.

4 I was wondering whether the precise, if you will,  
5 baffles, because of the loss of coolant accident -- that is,  
6 in effect, as I understand it what all of these structures  
7 on the bottom of the containment vessel will be -- the specific  
8 location of the baffles with reference to the fans, with  
9 reference to where the other sources of turbulence are  
10 occurring, would effect this question of mixing.

11 First, is that correct? And secondly, if it is,  
12 has that been simulated in the containment spray experiments?

13 A Obviously structures in the containment do effect  
14 mixing behavior. The exact mixing behavior which would exist  
15 in the Indian Point #2 containment has not been simulated.

16 Q With reference to the route that the drops take  
17 following their exit from the nozzle, would you say the  
18 possibility of coalescence of the drops would increase if you  
19 had a line of small drops that was crossed perpendicularly  
20 at one point and not again by a line of larger drops, or  
21 assuming the same line and large drops and small drops, if  
22 they fell relatively parallel to each other and tended to sort  
23 of knock back and forth between each other, due to turbulence  
24 and so forth -- under which condition would you expect greater  
25 coalescence of the drops to occur?

1           A     Well, it depends on two factors. One is the  
2 proximity of the drops and the other one is the time for inter-  
3 action. One would have to have a more detailed question which  
4 would detail the crossing of the two streams, what are the  
5 velocity of these two streams, and so forth.

6           Q     Assuming the velocity of the sprays at the point  
7 10 feet from the nozzle, under the design basis loss of  
8 coolant accident situation, and assuming that the time that  
9 the drops would be in contact with each other in somewhat  
10 parallel fall to be the time the drops are in free fall in the  
11 containment, from the time they leave the nozzle, assume that  
12 the 10 foot point, they come together and begin to fall in a  
13 somewhat parallel fashion in one case, and in the other case  
14 at the 10 foot point they cross perpendicularly and don't see  
15 each other again.

16          A     If you use that hypothetical case you just mentioned,  
17 where the two streams come together and fall together, the  
18 probability should be greater.

19                I would like to point out also that the larger drops  
20 do fall at a much greater velocity than the small drops.

21          Q     But they are --

22          A     So two drop sizes which are together at one point  
23 don't stay together all of the way down to the bottom of the  
24 containment.

25          Q     I understand that.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Can you tell me what effect that has on the question?  
Would that mean there would be a greater chance of collision,  
because the large drops have more small drops that they pass  
by that they might collide with, rather than finding a friendly  
small drop and staying a precise distance away from it during  
the whole fall?

A A larger number of large drops would tend to be  
in the proximity of the smaller drops.

#3



#4  
ln1

1 Q And that would increase the chance --

2 A Would increase the probability of coalescence.

3 Q To the extent that the trajectories of the sprays  
4 are different, depending on the pressure in the reactor vessel,  
5 when the pressure is high, I think you said the trajectory  
6 tends to be straight down.

7 Would that be then, vis-a-vis the large drops and  
8 small drops within that cone and with respect to the large  
9 drops in adjacent cones, would that tend to be a situation that  
10 more closely proximates what I discussed with you about the  
11 parallel falling of drops and during the time when the pressure  
12 in the vessel is relatively low, would there be a greater  
13 tendency for the contact between the drops to come somewhat  
14 more perpendicularly?

15 A There is a greater probability for coalescence of  
16 drops within an individual cone when the pressure is higher;  
17 there is a slightly higher probability of interaction between  
18 adjacent cones when the pressure decreases.

19 Q Now, in setting this 2,000 micron limit, did you run  
20 calculations or experiments to take account of those factors,  
21 those impacts upon coalescence in figuring out that the 2,000  
22 micron drop was a maximum boundary, a very conservative figure?

23 A We did not run a complete drop size distribution  
24 analysis and coalescence analysis, no. We looked at the  
25 probabilities for coalescence, and decided that this would

ln2 1 provide a very adequate margin for any existence of coalescence  
2 which we might not have included, such as nozzles with mis-  
3 directed streams, this sort of thing.

4 Q But specifically in doing that, did you think it  
5 ought, did you consider, did you take any account of this  
6 factor we have been discussing about the drop trajectory  
7 having a greater chance for coalescence with small drops  
8 when the large and small drops tend to fall parallel to each  
9 other than when they tend to be perpendicular and have only  
10 one point at which they can coalesce, and the effect of pressure  
11 on increasing or decreasing those probabilities?

12 A We looked at what I would consider a realistic  
13 physical situation.

14 CHAIRMAN JENSCH: Could you give an answer yes or  
15 no. Did you consider what he asked you about?

16 THE WITNESS: I would like the question repeated.

17 (The Reporter read the question.)

18 THE WITNESS: I think my previous answer stands,  
19 the realistic physical situation is where drops fall parallel  
20 to each other and don't cross once and never see each other  
21 again. We looked at the interaction of drops within cones and  
22 adjacent cones.

23 BY MR. ROISMAN:

24 Q I thought I knew where I was going, now I am not  
25 sure.

ln3

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Would the drops from nozzle No. 1 that come in contact with drops from any adjacent nozzles, the trajectory of the drops from nozzle No. 1, have to get to the points where the trajectory of the drops from nozzle No. 2 occur?

Is that correct?

A That is correct.

Q Now, in figuring out what the chance of coalescence is, I gather that to some extent you took account of the total number of drops that were available and something about their size distribution, because size is important in determining the possibility of coalescence.

Did you in that assumption assume that drops from nozzle No. 1 had crossed into the inner part of the cone from nozzle No. 2? Or did you assume that -- I mean if everything ran parallel -- I assume the AEC is still using geometry, if they all ran parallel, they wouldn't tend to cross each other, at least not within the 100 feet from the top to the bottom of the containment.

How did you compute the number of drops that had any possibility of coming into contact with each other, if you assumed, as I thought you just said, that they were always parallel?

A I think I have to go back to an answer which I gave previously, which I thought had clarified that point, I probably didn't get the idea across.

ln4

1

The probability of collision is proportional to the number of drops within a given unit volume. And if one mixes the drops from several different nozzles, this gives you the highest possible number of drops within the unit volume.

5

And this is the physical situation which we looked at.

6

7

So we essentially used a simplified conservative model for modeling our drop coalescence.

8

9

Q You assumed that all the drops from several adjacent cones were available for collision, but you assume that they were available for collision in the manner in which they would be falling, parallel to each other, where the maximum possibility of collision could occur.

10

11

12

13

14

Is that what you are telling me?

15

A Parallel, after approximately 10 or 15 feet from the nozzle, yes.

16

17

Q Now, in terms of figuring this, did you assume that the drops that were available for collision included only -- let's refer to the middle nozzle as nozzle No. 1 -- and all the nozzles, one nozzle removed from it, but none of the nozzles two nozzles removed from it?

18

19

20

21

22

A That is correct.

23

And calculate the effect on the first nozzle.

24

Q Yes, right.

25

CHAIRMAN JENSCH: I notice Mr. Grob just returned

ln5

1 to the room. Does he have the data on how far the nozzles are  
2 apart?

3 MR. GROB: Mr. McAdoo is working on it right now.

4 CHAIRMAN JENSCH: All right, just keep on with  
5 you calculation. I see you have a pad and paper back there.

6 Will you proceed.

7 MR. ROISMAN: Yes, Mr. Chairman.

8 BY MR. ROISMAN:

9 Q What effect does the turbulence inside the reactor,  
10 or inside the containment have on the question of drop  
11 coalescence? Does it tend to increase or decrease the  
12 possibility of coalescence of drops?

13 A My first impulse is to say increase.

14 Q What sources of turbulence exist inside the contain-  
15 ment vessel? In other words, from what places would you normally  
16 expect in the loss of coolant accident to have turbulence  
17 occur?

18 A The turbulence, of course, is purely thermal and  
19 there is the heat source in the core region and also there is  
20 the convection of steam going to the colder surfaces.

21 Q What about the fans and their operation? Perhaps  
22 I am using the word turbulence not scientifically accurate.  
23 Air movement in selected directions, I guess.

24 A I am not the world's expert on the addition of these  
25 convection curves. I would say the effect of the fan coolers

ln6 1 would be very, very small.

2 Q Who is the Staff expert on that?

3 A I am not sure I want to give you a name. Maybe the  
4 man who knows best could identify himself.

5 CHAIRMAN JENSCH: Who will take that responsibility?

6 MR. KNIEL: Would you repeat the question?

7 You are interested in what the extent of turbulence  
8 is due to the fan coolers?

9 MR. ROISMAN: Yes. That is correct.

10 Whereupon,

11 KARL KNIEL

12 resumed the stand as a witness and, having been previously  
13 duly sworn, was examined and testified as follows:

14 FURTHER CROSS-EXAMINATION

15 THE WITNESS: Well, the fan coolers mostly at any  
16 rate, they are located around the peripheral of the containment,  
17 I don't remember the elevation, about one-third of the way  
18 from the bottom, something like that, and their function really  
19 is to provide, to distribute air to the various parts of the  
20 containment, and a lot of air goes to the parts of the con-  
21 tainment that are under the deck.

22 In fact, I think the majority of the air goes to  
23 the containment under the deck. So that the air from the fan  
24 coolers, the majority of the air from the fan coolers does not  
25 affect the turbulence in the area above the deck, where all of

XXXXX

ln7 1 the spray drops are falling.

2 Now, there are two ducts that go up the side of the  
3 containment, one on one side, one on the other side, which do  
4 carry air from the fan coolers, that leads to the top of the  
5 containment. I think the flow from those is 10,000 cubic  
6 feet per minute each.

7 As I recall, that is a small fraction of the total  
8 flow from all of the fan coolers.

9 BY MR. ROISMAN:

10 Q Can you give me some comparison in terms of the  
11 flow at 10,000 cubic feet per minute, how does that compare  
12 to the household fan? If you stood in front of it, would you  
13 feel a breeze on your face?

14 A (Mr. Kniel.) Yes, you would.

15 Q High fan or low fan? You have a little room air  
16 conditioner in your room, I assume, like I do. If you had it  
17 on fan, how would it compare to high or low fan?

18 A I don't know what the size of the duct is, so I  
19 don't know what the velocity is from the duct exit at the top  
20 of the containment.

21 Q Between the two of you, can I assume from that answer  
22 that the effect of the velocity of the air from those ducts  
23 has not been taken into account in terms of the turbulence  
24 in the containment atmosphere?

25 A As far as I know it has not. What I am saying is

ln8

1 qualitatively that is a small effect on what turbulence there  
2 is in the containment atmosphere. I might point out one  
3 additional thing and that is there had been some discussion  
4 about what turbulence originates from the loss of coolant  
5 accident.

6 The turbulence from the loss of coolant accident  
7 results from wherever the break is in the coolant pipe. Most  
8 of the coolant pipes are under the deck also and the time for  
9 the blowdown is a relatively short time in terms of the time  
10 of the operation of the sprays.

11 In other words, the double-ended break blowdown is  
12 ten seconds. And the blowdown from other breaks is of the  
13 order of minutes. So that once the blowdown has occurred and  
14 the steam has escaped into the containment, there isn't any  
15 turbulent effect originating from the break. I would say most  
16 of the spray performance is during the time that there is no  
17 turbulence from that effect.

18 The turbulence, as Dr. Burley pointed out, was  
19 principally due to thermal convection in the containment.

20 Q What about turbulence from the reflooding stage?  
21 When steam is produced by having the fuel rods come in contact  
22 with the cooler emergency core cooling water?

23 A Again the steam is released under the deck and it  
24 gradually escapes into the containment space above the deck  
25 and the steam flow there is relatively smaller than it is



ln9 1 during the loss of coolant accident.

2 During the loss of coolant accident, you have a  
3 blowdown of the whole primary system which is a high steam  
4 flow. Subsequent to that, during the recovery phase, the  
5 steam flow is quite modest.

6 Q Are you the person I should be talking to, if I  
7 am interested in further questions on the convection turbulence  
8 caused by the location of specifically warmer spots in the  
9 containment than others, or Dr. Burley? Are you the one?

10 A I can only talk in a qualitative way about what  
11 kinds of convection we have in the containment. I haven't  
12 looked at what the effect on the sprays are, but I would be  
13 glad to contribute anything I can.

14 Q What I am interested in, and perhaps I will go ahead  
15 with Dr. Burley and you can be thinking about this and let  
16 me know when you are prepared to answer. I am interested  
17 in finding out exactly what kind of convection currents are  
18 created at the point directly above the reactor, as a result  
19 of the fact that the reactor, I assume, is the hottest single  
20 space inside the containment, at least for awhile, or at least  
21 the place where more heat is being generated than at any other  
22 spot.

23 I would be interested to know the extent to which  
24 the Staff has taken account of that specific convection current  
25 in determining the effectiveness of the spray.

ln10

1 Dr. Burley, to get back to my discussion with you,  
2 you indicated that there were several places in which turbulence  
3 does occur in the loss of coolant accident situation. What  
4 about the turbulence caused by the contact between the  
5 cooler drops and the warmer steam?

6 Is there turbulence when that occurs also?

7 A (Dr. Burley.) That is a condensation phenomenon  
8 which I would not say would lead to any great degree of  
9 turbulence, no.

10 Q If steam and the drops don't physically contact,  
11 but come near each other, is there any turbulence caused --  
12 I am not familiar with what happens when a warm body and a  
13 cold body come near each other. I take it the steam will tend  
14 to go up and the drop will tend to go down.

15 Would this tend to divert them from each other or  
16 would they be attracted to each other, or what?

17 A You are getting outside of my area of specialization.  
18 I am not sure I can give you an answer which has any great  
19 validity.

20 Q Then I don't want you to have to guess about it.

21 Can you explain to me, then, whether that factor,  
22 whatever the factor is, whether it was taken into account when  
23 you did your calculational model for the effectiveness of  
24 the spray?

25 A We did not analyze each degree of turbulence which

In11

1 might possible be introduced into the pathway or the spray  
2 droplets individually, no.

3 Q Is that both for purposes of making your determination  
4 as to how much coalescence might occur and also in terms of  
5 making your calculations as to the extent of contact between  
6 the spray on the one hand and the iodine on the other?

7 A I think you have crossed the line. The answer to  
8 that is no. The calculational model which we used distributed  
9 large and small droplets over the whole spray volume and this  
10 is effectively the end result of gross turbulence and gross  
11 mixing.

12 Q In other words, you assume uniform mixing?

13 A Close to it.

14 Q Is it your testimony that the effect of turbulence  
15 is leading always to the creation of fairly uniform mixing?

16 A Not necessarily.

17 Q How do you know that the turbulence in this  
18 containment will have the effect of making the mixing greater?  
19 Is it possible or are there ways in which turbulence could  
20 tend to even isolate the sprays on the one hand and the iodine  
21 on the other, one from the other?

22 A I don't see that situation as conceivable.

23 Q Is that another word for credible?

24 A Incredible, sir.

25 CHAIRMAN JENSCH: I think this is about time for a

ln12 1 recess.

2 If it is convenient to interrupt your examination  
3 here.

4 MR. ROISMAN: That will be fine, Mr. Chairman.

5 CHAIRMAN JENSCH: At this time let us recess to  
6 reconvene in this room at eleven o'clock.

7 (Recess.)

end 4 8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CHAIRMAN JENSCH: Please come to order.

Are you ready to proceed, Mr. Roisman?

MR. ROISMAN: Yes, M.r Chairman.

CHAIRMAN JENSCH: Proceed, please.

BY MR. ROISMAN:

Q Dr. Burley, I would like to concentrate now, if I can, on the individual drop, the mechanism by which it absorbs or has a reaction with the iodine in the containment. Can you describe to me the chemical situation -- I don't mean the precise details -- but just what happens when a drop from the spray nozzle comes in contact with iodine in the reactor containment atmosphere?

A As I said yesterday, the purpose of the sodium hydroxide additive is to convert elemental iodine into a more soluble form. The sodium hydroxide leads to a hydrolysis reaction, which includes an autooxydization of iodine, oxidation and reduction both of the iodine, forming iodine ions and iodate ions, both of which are very soluble in the solution.

The overall process of removing iodine involves transport of the gaseous iodine to the drop surface, a transfer across the surface barrier of the drop, and absorption into the liquid.

Q Does something come out from the drop or does something go into the drop?

1 A The iodine goes into the drop; nothing comes out.

2 Q The spot where the iodine comes in contact with  
3 the surface of the drop after the chemical reaction is completed,  
4 what remains on the surface at that point? Is it a new  
5 substance, not sodium hydroxide, not iodine, but something  
6 else?

7 A If you had no internal circulation with the drop  
8 itself, you would have a local depletion of sodium hydroxide  
9 molecules at that particular spot, yes.

10 Q Would you have some new element that was replacing  
11 it at that point? It is not a void, right?

12 A The hydrolysis products are the iodine, iodate atoms  
13 and water.

14 Q So, in other words, there is no more sodium  
15 hydroxide left at that point. And if again there were no new  
16 sodium hydroxide coming up to the surface, a new iodine atom  
17 that came in contact with that spot, nothing would happen?

18 A At exactly that spot, you are right.

19 Q Now, I assume both from reading and from your  
20 being anxious to qualify it, that sodium hydroxide does come  
21 up from the inside of the drop; is that correct?

22 A Well, the general laws of nature say that the  
23 movement of material is towards the point of lowest concen-  
24 tration. Therefore, if one has a local depletion of sodium  
25 hydroxide, the movement of material is towards that particular

1 Spot. Also one has general mixing and circulation within the  
2 drop which tends to make the sodium hydroxide concentration both  
3 within the volume and at the surface quite uniform.

4 Q You mean, in other words, that the drop has a  
5 uniform distribution of sodium hydroxide when it starts out  
6 from the nozzle? Not that as it is falling, assuming it is  
7 not coming in contact with any iodine, that the inside of the  
8 drop is constantly mixing itself up and the mixture is taking  
9 place after it leaves?

10 A One has constant circulation. If one looks at a  
11 particular molecule in the drop, it does not say in the same  
12 place, it may appear some place differently a fraction of a  
13 second later.

14 Q Okay.

15 Now, with respect to this mixing that occurs as a  
16 result of trying to keep the concentration at any given point  
17 in equilibrium, what rate does that mixing occur at compared  
18 to the rate at which the reaction between iodine and sodium  
19 hydroxide occurs? In short, is the little blank spot we talked  
20 about before instaneously replaced with more sodium hydroxide,  
21 or is there a time lag, and might this item of iodine  
22 following immediately on the tail of the one that had the  
23 reaction, discover when it gets to the identical spot, there  
24 is no sodium hydroxide there for it to react with?

25 A It is conceivable there would be a short time period,

1 in a few instances, where no sodium hydroxide is at a spot  
2 where, let's say -- let's say the sodium hydroxide concentra-  
3 tion is depleted at the point of impact with iodine.

4 Q This diffusion rate, the rate at which the sodium  
5 hydroxide comes to the surface of the drop to replace the  
6 now fully reacted sodium hydroxide, is that rate the same  
7 regardless of the size of the drop, and regardless of the  
8 history of the drop as it falls to the containment?

9 A If it were diffusion, it would be primarily temperature  
10 dependent, since it is also a mixing and circulation phenomenon  
11 this is dependent on external parameters.

12 Q For instance, as more and more reactions take place,  
13 so that more and more of the drop consists of these  
14 iodide and iodate ions, will the sodium hydroxide that is  
15 coming to the surface to replace used up sodium hydroxide move  
16 to the surface more slowly than it would have moved at the  
17 very beginning when the drop first left the nozzle?

18 A No, the mobility of particular molecules should  
19 stay constant.

20 CHAIRMAN JENSCH: Excuse me.

21 I appreciate your answer. I am sorry to interrupt,  
22 but I wonder if precisely the answer -- it would help me if  
23 you could deal with this question: I think he asked you, would  
24 the sodium hydroxide move more slowly. You said it should do  
25 something. Do you have any data for your conclusion? If the



1 data say one thing and your conclusion is the other, that might  
2 be a consideration we would like to have.

3 THE WITNESS: if one is talking about molecular  
4 atomic phenomena, one is getting into a statistical process  
5 and one cannot make an unambiguous statement. Physicists  
6 know that there are such things as quantum jump, which are  
7 statistical phenomena, and on a statistical basis one would  
8 say that the probability is great but there is also the proba-  
9 bility that something will happen to the contrary.

10 CHAIRMAN JENSCH: Thank you. I appreciate that  
11 philosophy.

12 I think the question is, will the sodium hydroxide  
13 move more slowly in the droplet as the reactions continue?

14 THE WITNESS: No, but again with that qualification.

15 CHAIRMAN JENSCH: Very well. Thank you.

16 Will you proceed?

17 MR. ROISMAN: Yes.

18 BY MR. ROISMAN:

19 Q In other words -- this is something I wasn't clear  
20 about in the elaboration you gave of the answer: Is that  
21 because the presence of iodide and iodate ions is not the  
22 type of substance which would slow down the movement of sodium  
23 hydroxide? I mean, if the reaction that were taking place were  
24 producing another kind of chemical, or another type of molecule,  
25 would there be a possibility of effecting the rate at which

1 the sodium hydroxide mixes?

2 In other words, is the content of the drop relevant?

3 A As long as the sodium hydroxide stays as a chemical  
4 entity, no. The rate of movement would stay constant.

5 Q Now, does the size of the drop increase as the  
6 iodine is absorbed into the drop?

7 A Are we talking on a quantum basis again or on a  
8 relative basis? On a relative basis, no, effectively, no.

9 Q What I am talking about is that earlier we talked  
10 for a long time about drop size being important.

11 A It is not of that magnitude, no, sir, the size of  
12 at atom is the order of a thousandth, or so, of a micron; and  
13 we are dealing with things of the order of a thousand microns,  
14 so we are talking about chemical entities of the order of  
15 a millionth, the size of the drop diameter.

16 Q I understand that. But I take it that during the  
17 course of the drop's fall, more than one atom of iodine reacts  
18 with a drop?

19 A Right. And you can add an awful lot of atoms before  
20 you would increase the diameter by one micron.

21 Q I understand that.

22 I think yesterday in response to a question by Dr.  
23 Geyer, you indicated the number of grams -- I think 14,000 grams  
24 of iodine would be present in the reactor containment following  
25 the assumed situation after the loss of coolant accident.

1 How much of that 14,000 grams does one full spray cycle elimi-  
2 nate in terms of weight from the reactor containment?

3 A This, of course, is a changing phenomenon. If you  
4 want to refer to the first spray cycle, which is probable the  
5 one which removes the greatest portion of the iodine, the  
6 total addition of all the water from the refueling tanks,  
7 which is of the order of 350,000 gallons, would probably remove  
8 of the order of close to 95 percent or so of all the iodine  
9 airborne in the containment -- the number is probable higher.

10 Q The amount you mean that is removed?

11 A Yes.

12 Q But despite that high percentage, it is not going  
13 to show up in terms of an individual drop being any bigger  
14 as a result of having --

15 A It is not going to show up in terms of an individual  
16 drop size change. Remember, we are also dealing here with  
17 a huge quantity of water in which the sodium hydroxide and  
18 the iodine are dissolved. We are talking about 350,000  
19 gallons -- or more than a million liters.

20 Q I was more comfortable with gallons.

21 Is the size of the drop effected by condensation on  
22 the surface of the drop when it comes in contact with the  
23 steam that is in the containment atmosphere?

24 A To a small extent, yes.

25 Q Is there a limit on how much condensation a specific

1 drop might have during its path through the reactor  
2 containment?

3 A Yes.

4 Q What is the limit?

5 A The limit is the point at which the drop reaches  
6 the temperature of the steam.

7 Q Has a computaiton been made or a test beer run to  
8 find out how that limit, based on the chemical reaction that  
9 will occur, how that limit works out in terms of actual drop  
10 size increase? In other words, how much bigger does the drop  
11 have to get in terms of condensation before its temperature  
12 and the temperature of the surrounding system are in equilib-  
13 rium and no additional condensation will occur?

14 A The computations have been done; they have been  
15 performed by Westinghouse, and have been reported to the  
16 staff.

17 Q And you have put those computations into your spray  
18 effectiveness model for this reactor?

19 A That has been included in the spray effectiveness  
20 calculations, yes.

21 Q Earlier you indicated that the model was prepared  
22 two or three years ago. The report I think which you have in  
23 your hand, WCAP7499L, is dated April 1970. Has the staff  
24 model been updated?

25 A We requested assistance from the staff of the Oak

1 Ridge National Laboratory at the time the spray model was de-  
2 veloped on this particular point.

3 Q Then --

4 A It is outside my specific area of competence.

5 Q But I am trying to find out, you were the formulator  
6 of the model. Did the test data and the calculations that  
7 entered into the portion of the model that includes compensa-  
8 tion for condensation on the drop, did it come from Oak Ridge  
9 tests rather than from those Westinghouse tests you referred  
10 to?

11 A It is based on calculations.

12 Q From?

13 A Presently calculations by Oak Ridge at the time the  
14 model was developed, and verified and added to by the  
15 information which we received from Westinghouse.

16 Q Now, let me --

17 A The two are comparable.

18 Q Identical?

19 A I don't recall the exact numerical values we got from  
20 Oak Ridge. They are nearly identical, as I recall.

21 Q Was there something wrong with the Oak Ridge  
22 tests or some weakness or gap in the calculations conducted  
23 by Oak Ridge that warranted having new tests run, or new  
24 calculations?

25 A There have been no tests run. These are calculations.

1           Q     I am sorry -- what was not in the original calcula-  
2           tions that had to be, that required that additional tests be  
3           run or was Westinghouse just skeptical of the results from  
4           Oak Ridge?

5           A     I can't speak for Westinghouse. I presume they  
6           wanted to verify numbers which were given to them by another  
7           organization. After all, Westinghouse is also concerned with  
8           the safety aspects of the spray systems and also is interested  
9           in having a conservative numerical value for the drop diameters.

10           We take information from wherever we can get it,  
11           and in this case two calculations are better than one.

12           Q     In short, they weren't the same; I mean, the same  
13           formulas for the calculations weren't used, then? It wasn't  
14           just two people taking out the slide rules and starting with  
15           the same formula?

16           A     I can't exactly speak for what calculational tech-  
17           niques were used. Obviously one can calculate the amount of  
18           steam which would have to be condensed on the surface of a drop  
19           in order to raise it to the temperature of the steam starting  
20           with an initial temperature which is known.

21           Q     From your knowledge of the calculations, do they  
22           take account of these factors: One, that the starting tempera-  
23           ture of the spray varies as the sprays continue, since you are  
24           recirculating the spray water, and all of the various sources  
25           which may effect the starting temperature of the spray; Two,

1 the temperature of the steam is effected also during the course  
2 of the accident due to the fact that its generation is coming  
3 from different places at different times; and three, the  
4 distribution of the drops in terms of their size to the same  
5 extent that drop distribution is taken into account in the  
6 general analysis of the effectiveness of the spray?

7 A I know the Chairman wants me to answer yes or no.  
8 The worst case is the initial case, where the incoming spray  
9 water is cold and the reactor atmosphere is at its peak. This  
10 is the situation for which the calculations have been arrived.  
11 The later situation, where the spray water has already  
12 heated up, and the temperature within the containment has  
13 been lowered would result in less steam condensation on each  
14 drop. Therefore, the most conservative case, and the case  
15 for which the steam accretion on drops has been calculated  
16 is for the initial case.

17 Q And that is then assumed throughout the time the  
18 spray operates?

19 A Yes, sir.

20 Q Is the steam temperature, is that assumed to be  
21 the temperature of the -- of what I guess is in effect the  
22 average temperature of the entire containment following the  
23 loss of coolant accident, which I think has been testified  
24 to yesterday as something in the neighborhood of 270 degrees  
25 Fahrenheit, or is it the temperature of the steam measured

1 as it comes out of the pipe at the point of the double ended  
2 pipe break?

3 A Subject to correction, the number is 270 degrees.

4 Q Yes. So that is not as conservative as it would  
5 have been taking the temperature of the steam as it comes  
6 out of the pipe at the point of the double ended pipe break?

7 A That is the temperature essentially as it issues  
8 into the containment atmosphere.

9 Q So that it is more conservative than if you took a  
10 thermometer and stuck it in the middle of the containment  
11 to see what it was after the steam mixed with the air inside  
12 the containment?

13 A I am not sure I understood the question?

14 Q Well, there are a variety of ways of figuring out  
15 what the post-losst of coolant accident temperature is.  
16 One way is to put a thermometer at some appropriate spot  
17 inside the containment area and look at it after the  
18 accident to find out at various times what the temperature  
19 is. Another way would be just to take the temperature of the  
20 steam which is the heat source or at least one of the heat  
21 sources, in places which the temperature inside the reactor  
22 is being effected, and measure the temperature of the steam  
23 as it comes out of the break. Another way would be to take  
24 the thermometer and put it on the reactor vessel itself and  
25 measure the temperature of the reactor vessel.



1                   Now what I am asking is just to make sure, is it  
2 your understanding that the temperature was taken at the point  
3 where the steam comes from the break?

4           A       No, the temperature is the average air temperature  
5 in the containment and obviously this is the type of atmos-  
6 phere that the spray drops throughout the entire fall.

7           Q       But that average temperature is based upon -- it  
8 comes about at what point following the loss of coolant  
9 accident? Does it allow for the steam to mix with the  
10 cooler air in the containment? In other words, how is it  
11 computed?

12          A       That I can't answer. I am afraid you would have to  
13 ask some one else.

14          Q       You don't know who?

15          A       I don't know who might want to answer that.

16          A       (Mr. Kniel) The 270 degree Fahrenheit temperature  
17 is the temperature after the steam has mixed with the contain-  
18 ment atmosphere.

19          Q       At what time following the loss of coolant accident  
20 would the temperature be 270 degrees? In other words, how long  
21 are you assuming the mixing is going to take?

22          A       The mixing takes place very rapidly, in a matter of  
23 seconds or minutes at the most.

24          Q       Thank you.

25                   Dr. Burley, to go back to my earlier question, at

1 least for some period time it is possible that some drops  
2 would be subjected or come in contact with air, which is  
3 hotter than the 270 degree temperature that is assumed as the  
4 starting point for the temperature unless the sprays don't  
5 begin until after the temperature mixing has occurred.

6 Is that correct?

7 A (Dr. Burley) With your last proviso, yes. I am not  
8 sure what the spray delay is. Of course, the containment  
9 pressure has to reach a pre-set limit before actuation of  
10 the spray system. And this may be after 10 or 15 or 20  
11 seconds of mixing required to essentially attain the peak  
12 containment temperature.

13 Q Well, Mr. Kniel, is there a specific figure  
14 available to know when this mixing would have occurred? I mean,  
15 has a figure been determined or have analyses been made or  
16 tests run?

17 A (Mr. Kniel) We haven't made an analysis of when  
18 the 270 degree temperature would be reached, no.

19 Q Would it be just in general terms, before, after  
20 or at the same time that the pressure within the containment  
21 would trigger the operation of the spray?

22 A I think the spray has more than one sensing -- it  
23 is initiated by more than one measurement. I think it is  
24 initiated by the SIS system, which is low pressure, low level  
25 in the pressurizer, and there is an additional redundant

1 initiating, which I think is set at 5 psi, 3 psi, something  
2 like that.

3 Q As you understand it, if the primary system for  
4 actuating the spray operates as it is designed, would it cause  
5 the sprays to go into operation before the temperature in the  
6 containment had reached the 270 degree figure that is used as  
7 the basis for concluding that that is what the loss of  
8 coolant accident maximum temperature is in the containment?

9 A I couldn't testify as to exactly what the sequence  
10 there is. The sequence is a little bit different for a loss of  
11 offsite power, where the sprays would come on 10 or 15 seconds  
12 after, if you had on site power, it would come on more rapidly.  
13 So I couldn't testify exactly as to what the temperature  
14 sequence in the containment is.

15 Q Do you know, has the staff considered, has someone  
16 on the staff taken account of the effectiveness of the  
17 containment spray system determined at what point the  
18 sprays will come on and related that to the precise temperature  
19 in the containment or various part of it at that point?

20 A We have considered it to the effect that we don't  
21 consider that there is any particularly quantitative effect that  
22 would result from the containment temperature variation that  
23 you are speculating about during the loss of coolant accident,  
24 during the very initial phase of the loss of coolant accident.

25 Q In other words, you consider it by disregarding it?

1 A Well, in our judgment it is not a significant  
2 factor.

3 Q Do you disregard it?

4 MR. KARMAN: I believe Mr. Kniel has answered that  
5 question, Mr. Chairman.

6 CHAIRMAN JENSCH: Objection overruled. Proceed.

7 WITNESS KNIEL: Well, I don't know what you mean by  
8 "disregard."

9 BY MR. ROISMAN:

10 Q Are there any figures in determining the spray effec-  
11 tiveness which take account of the fact that for a period of  
12 time at the beginning, immediately after the loss of coolant  
13 accident, the temperature inside the containment is not an  
14 evenly mixed 270 degrees, but the sprays may already be on?

15 A (Mr. Kniel) We don't make any calculations to that  
16 effect. I might add that you haven't specified what that  
17 temperature is, the temperature could be higher or lower than  
18 270 degrees.

19 Q Yes. I know I haven't.

20 CHAIRMAN JENSCH: Since you raised that, I wonder  
21 what are the highs and lows on that when you fix your average?

22 WITNESS KNIEL: We don't calculate a transient tempera-  
23 ture for the containment during a blowdown.

24 CHAIRMAN JENSCH: But my question is, how did you  
25 arrive at the average? What is the high and low?

1 WITNESS KNIEL: There is no high and low. We  
2 assume there is a blowdown in which there are very effective  
3 convectational forces, in which the steam escaping mixes into  
4 the containment atmosphere and we all assume there is an  
5 equilibrium there, which there is, and when that equilibrium  
6 is achieved, the temperature becomes 270 degrees Fahrenheit.

7 CHAIRMAN JENSCH: I understand that. In other  
8 words, you disregard the high and the low and wait for the  
9 equilibrium to be established; is that correct?

10 WITNESS KNIEL: There is no high and low. There is  
11 a transient condition. The steam as it comes out of the  
12 break is somewhat hotter than the eventual equilibrium tempera-  
13 ture in the containment atmosphere.

14 CHAIRMAN JENSCH: What is that temperature in  
15 numbers when it is somewhat hotter that you referred to?

16 WITNESS KNIEL: I don't know exactly what that is.  
17 It depends on the kinds of break, what the flow from the break  
18 is, that kind of thing.

19 CHAIRMAN JENSCH: Thank you.

20 Will you proceed with cross-examination.

21 MR. ROISMAN: Yes, Mr. Chairman.

22 BY MR. ROISMAN:

23 Q Dr. Burley, in making an assumption about the  
24 amount of condensation on the drops, are all drops assumed  
25 to have the same amount of condensation based upon this

1 model we talked about before?

2 A (Dr. Burley) No. The amount of condensation is  
3 of course proportional to the contact area and it affects  
4 the smaller drops to a greater extent than the large drops.

5 Q In other words, there is more moisture condensed  
6 on smaller drops than there is on larger drops?

7 A Proportional to their initial volume, yes.

8 Q All right.

9 A In other words, the percentage increase of a small  
10 drop by steam condensation is greater than the percentage increase  
11 for a larger drop.

12 Q Are all drops assumed to have -- are all drops  
13 of the same size in the spray assumed to have condensation to  
14 the same quantity on them in making your calculations as to  
15 the effectiveness of the model?

16 A Yes.

17 Q Now, can you tell me what effect does condensation  
18 have on the ability of the drop to absorb iodine? Does  
19 it increase it or decrease it?

20 Let's start simply with that and then go on.

21 A No effect.

22 Q It has no effect whatsoever.

23 Does it in any way effect the ability of the sodium  
24 hydroxide to move to the surface where reaction can occur?

25 A The phenomena occur -- the answer is no. The

1 phenomena occur simultaneously, mixing within the drop and  
2 slow condensation on the drop surface. You don't condense  
3 all of the steam which is going to condense on the drop in  
4 a fraction of a second. It occurs over the total available  
5 time until the thermal equilibrium is reached, at the same  
6 time the sodium hydroxide has a chance to mix with the  
7 condensed molecules of water, steam.

8 Q But as the condensation is occurring, at the point  
9 at which the water has come to the surface of the drop,  
10 iodine, which is attempting to come to the same point, if you  
11 will, directly behind the water, is there sodium hydroxide  
12 immediately there available for it, and if not, does it take  
13 a longer time for the sodium hydroxide to get up through  
14 that atom of condensed water than it would for it to get up  
15 to the surface of a drop that has merely had a reaction with  
16 iodine occur on the surfact at a point?

17 A It is conceivable of course that one has the  
18 juxtaposition of a molecule of sodium hydroxide hidden behind  
19 a molecule of water separating it from the elemental iodine  
20 on the surface.

21 Q Does your model assume that never happens?

22 A We do not specifically put that in our model. We  
23 have an overall factor of conservatism which considers that  
24 point.

25 Q How much credit do you give for that point in your

1 conservative model? How many drops out of the total number  
2 of reactions that are going to occur in the reactor containment,  
3 times in which iodine will come in contact with the drop and  
4 be available to have a reaction, what percentage of those are  
5 assumed to not occur because of the presence of a molecule of  
6 water from condensation blocking the occurrence of the  
7 reaction?

8 A I have not assigned a numerical value to that.

9 Q I am going to ask you for a great deal of help  
10 on something. I have read the term "liquid film resistance."  
11 Can you tell me what it means in the context of the  
12 effectiveness of the spray?

13 I am not even sure I read it correctly.

14 A Right.

15 This is a hypothetical term which refers to  
16 a barrier preventing the even transport of the iodine into the  
17 main body of the drop and also refers to the finite time limit  
18 to transport the iodine from the surface into the interior  
19 of the drop.

20 Q Is that a factor which needs to be taken into account  
21 in evaluating the effectiveness of the drop's ability to  
22 absorb iodine?

23 A Very definitely, yes.

24 Q In what manner is it taken into account in the  
25 staff's evaluation of the effectiveness of this spray system?



1           A     In the evaluation of the partition coefficient  
2 between air and the sodium hydroxide solution, which is in  
3 effect in the main volume of the drop.

4           Q     Has it been done by tests or is this a calculational

5           A     Both.

6           Q     Can you describe for me what sort of tests were  
7 run?

8           A     The tests consist of either inducing iodine into  
9 the gas volume or into the liquid volume and measuring the  
10 distribution of iodine between the gas phase and the liquid  
11 phase at various time intervals. And the instantaneous parti-  
12 tion factor which pertains to the instantaneous uptake of iodine  
13 into the drops then is the extrapolation of these data points  
14 to time zero.

15          Q     Time zero, did you say?

16          A     Time zero, zero time, instantaneous.

17          Q     I wish I understood that, Dr. Burley. That sounds  
18 very interesting.

19                 Did the data, the tests, were those conducted, all  
20 of the tests which the staff is familiar with, conducted at  
21 the time when this model was originally formulated, two or  
22 three years ago?

23          A     There have been additional tests since that time.

24          Q     Have those tests confirmed by being identical to  
25 the earlier tests, or did they vary from it, and if so, in

1 what manner and how did the variance get taken into account?

2 A There is an easy consistency between all of the  
3 tests.

4 Q By whom have these tests been conducted?

5 A The recent tests have been conducted by the Battelle  
6 Northwest Laboratory staff.

7 Q And the earlier ones?

8 A They are scattered all over the literature. There  
9 are several hundred references.

10 Q We have been talking about the drops and its  
11 physical characteristics. Let me direct your attention for a  
12 second to the other half of the chemical reaction, the iodine  
13 itself.

14 What forms is that iodine in? In other words, is  
15 it a gas, it is also a liquid drop; is it free floating or  
16 attached to something else?

17 A The initial form of the iodine is the gas phase.  
18 It can take the form of several different chemical species  
19 in that gas phase.

20 Q I understand. But it is a gas essentially?

21 A It is a gas. And the least soluble form of iodine is  
22 the elemental form of iodine. Therefore this is what is  
23 used for all of the calculations. If one assumed that one had  
24 iodine for instance, in the form of hydrogen iodide, this  
25 has a much greater solubility in water and one wouldn't even

1 need the sodium hydroxide to have a comparable uptake velocity.

2 Q Now the nature of the reaction that occurs between  
3 the iodine and the drop, is that a molecule of iodine that  
4 comes in contact with the drop, or an atom of iodine? What  
5 do you call the piece of the iodine that comes in contact with  
6 the drop?

7 A This is conceivably either, but one assumes a  
8 molecular reaction.

9 Q Okay.

10 How are these molecules, in what form are they  
11 in the gas? Are they tied together in bunches of molecules,  
12 or are they individual molecules floating around?

13 A At the concentration we have, individual molecules.

14 Q When the gas molecules escape from the reactor  
15 vessel, and enter the containment, are there any possibilities  
16 that the molecules may, isolated or not isolated, in any  
17 instance, be in the form of gas bubbles, where several molecules  
18 will be together, some on the inside and some on the outside  
19 of a larger one?

20 A Yes, you can also have groups of molecules  
21 aggregating together.

22 Q If, just assuming for a moment, that one of these  
23 larger aggregates of molecules came in contact with a drop  
24 of this sodium hydroxide mixture, would all of the molecules  
25 react with the drop, or would there be sort of a contact

1 between the drop and this aggregate of molecules in which  
2 one molecule from the aggregate would react with the  
3 sodium hydroxide.

4 A I would expect all of the iodine molecules to  
5 react with the sodium hydroxide, simply because a group of  
6 molecules occupies a larger volume and has access to a  
7 greater number of sodium hydroxide molecules.

8 Q In terms of the contact, are the molecules, when  
9 there is a group of molecules, do they form -- it is like  
10 a ball, or is it like a flat, like a piece of paper, two-  
11 dimensional?

12 A It depends on the mode of formation. The rapid forma-  
13 tion gives you a non-crystalline type aggregate. If you have  
14 a longer time period for molecules to get together, they  
15 would come together in a more geometrical arrangement.

16 Q Which kind would we have in the reactor?

17 A It is hard to tell.

18 Q You are not sure?

19 A There is no certainty as to what happens in the  
20 formation of larger aggregates, no.

21 Q Would the crystalline type, if it came in contact  
22 with the -- I assume by "crystalline" you mean what I non-  
23 scientifically call rounder?

24 A No. Crystalline means a regular array of atoms in  
25 three dimensions.

1 Q Well, in terms of coming in contact with the drop,  
2 if this is the molecule over here, and this is the drop over  
3 here, are there some parts of that molecule crystal which  
4 aren't in contact with the drop -- or should I say, could  
5 there be?

6 A Let's get back to the scale of things. Clusters  
7 of molecules are still of the same order of size as individual  
8 molecules, and one molecule in contact with the surface,  
9 essentially assures that all the molecules of a small cluster  
10 are in contact with the surface.

11 Q There is no such thing as having one molecule  
12 behind the other molecule?

13 A Yes, and in turn it would be absorbed into the  
14 liquid.

15 Q But --

16 A But the whole aggregate would be in contact with  
17 the surface for all practical purposes, and probably be  
18 enveloped by the surface.

19 Q Is there a size of gas bubble, to go back to the  
20 layman's term here, is there a size of gas bubble -- for a  
21 moment let's not assume it is in the containment, but could there  
22 be a size of gas bubble, iodine gas bubble, where there  
23 would be an inner part of the bubble, much like there is an  
24 inner part of the drop, which would have to diffuse out to  
25 the surface before it could have a chemical reaction with

1 something that the bubble was coming in contact with?

2 A If you had aggregates of molecules which approached  
3 the size of the droplets of the spray, yes. This would not  
4 occur under the circumstances of this type of situation.

5 Q Is that because of the way in which the iodine is  
6 released from the reactor vessel?

7 A It is primarily a function of the concentration  
8 of the iodine in the atmosphere of the containment.

9 Q You mean --

10 A We are talking about very, very minute concentrations.

11 Q In other words, if the concentration were much higher,  
12 this type of bubble might or would be more likely to be  
13 formed.

14 A Yes, if one had a million or so times higher  
15 concentrations, one could expect higher or larger aggregates  
16 of iodine. They would not in any case approach the condensation  
17 limit which we envisage in that question.

18 Q What about the space inside the reactor vessel that the  
19 spray would have greater difficulty reaching under some of  
20 these cranes? Are there possibilities for greater concen-  
21 trations of a magnitude up to the point where we can start  
22 talking about bubbles of iodine gas, for those to form?

23 A No.

24 Q Is that something that has been tested by releasing  
25 iodine gas into a comparable structure and seeing whether in

1 fact it got trapped under cranes and similar things? Or  
2 is that based upon a calculation or what?

3 A Knowing the concentration of the iodine released into  
4 the containment, and knowing the general behavior of iodine,  
5 that is essentially a conclusion which any experimentalist  
6 would reach.

7 Q It is your judgment, in other words?

8 A It is a judgment, yes.

9 Q At the time of the Indian Point #3 construction  
10 permit hearing, some doubt was expressed by the Board,  
11 members of the Board, regarding the reliability of the contain-  
12 ment spray, and particularly concerned with tests that had  
13 been run or had not been run with regard to certain items.

14 Were you involved in the evaluation of the Indian  
15 Point #3 containment spray system?

16 A The evaluation of the effectiveness of the Indian  
17 Point #3 system, not the development of criteria for the  
18 testing of the spray system.

19 Q Yes. Are you saying you were?

20 A I was not involved in the criteria for testing  
21 of the containment spray system, no.

22 Q But you were in the evaluation of the effectiveness,  
23 right?

24 A That is right.

25 Q In your opinion has the staff, does the staff now

1 have available to it, has this data been applied to this  
2 particular case, data sufficient to answer the concerns of  
3 doubts that existed in the minds of the Board as you under-  
4 stood them in the Indian Point #3 construction permit?

5 A I never understood any specific doubts in the minds  
6 of the Board at the Indian Point #3 hearing other than a  
7 reservation as to whether the plate out mechanism would  
8 operate in conjunction with a containment spray system.

9 Q In Exhibit T of Intervenor's Exhibits on page 16 --  
10 Exhibit T is the opinion of the Board in the Indian Point  
11 #3 case -- page 61 is a portion of the separate opinion  
12 of Board member Pigford. Footnote 11 indicates -- first  
13 let me read you the sentence to which the footnote appears.

14 CHAIRMAN JENSCH: Excuse me a moment. Do you have  
15 a copy or does counsel have a copy so the witness may review  
16 it as this is being read?

17 MR. TROSTEN: Yes.

18 (Handing document to witness.)  
19  
20  
21  
22  
23  
24  
25



#6  
ln1

1 CHAIRMAN JENSCH: Will you proceed, please?

2 BY MR. ROISMAN:

3 Q Dr. Burley, directing your attention to the second  
4 sentence on page 61, "The Staff has identified certain technical  
5 uncertainties in the Applicant's simplified design model,"  
6 and the footnote indicatory is there, "and has made its own  
7 evaluation of the iodine removal rate for the spray system  
8 on the basis of its conservative assumptions regarding  
9 liquid film mass transfer resistance and drop size distribution  
10 and coalescence."

11 Have the uncertainties that the Staff identified  
12 at that time, are those uncertainties resolved or are some of  
13 them resolved, all of them resolved, in your opinion by the  
14 Staff at this point?

15 I think the uncertainties are spelled out in that  
16 Footnote 11.

17 A I think the fairest way of putting that is the  
18 uncertainties have been greatly reduced.

19 Q Has it changed the Staff's credit for the spray  
20 effectiveness for this plant, for Indian Point No. 2 --

21 A It has not changed the evaluation of the spray  
22 effectiveness for this plant over that of Indian Point 3  
23 at the construction permit stage.

24 Q That is the Staff's --

25 A The Staff's analysis, yes, sir.

ln2

1 Q So at this point, as far as the Staff position is  
2 concerned, the doubts that existed at the time of the Indian  
3 Point No. 3 construction permit that warranted the Staff in  
4 making, I think, conservative assumptions regarding liquid  
5 film mass transfer and drop size distributions and coalescence,  
6 while those doubts have been alleviated to some extent, the Staff  
7 is not prepared to depart from its same credit to be given on  
8 the amount of effectiveness of the spray system that existed  
9 in the construction permit stage?

10 A I would answer that differently than the yes or no  
11 context. The question is primarily that of Staff time. We  
12 have, I think, greater certainty on the improved operation of  
13 the spray system now than we did two years ago.

14 The complete development of a Staff model necessarily  
15 involves both time on the developmental stage as well as many,  
16 many review procedures.

17 These have not been accomplished at this point and  
18 in view of the lack of Staff time for the complete evaluation,  
19 we are still using the same model we used at the Indian Point  
20 3 stage. This does not necessarily mean that we do not have  
21 a greater confidence in spray removal rates at this point.

22 We do.

23 We think most of the uncertainties which plagued  
24 us two and three years ago have been alleviated or removed.  
25 We understand much more about the effectiveness of spray

ln3 1 removal. We have much more experimental data available than  
2 we did two or three years ago. And the development of a  
3 different model, one which incorporates those changes in our  
4 thinking is only a matter of time away.

5 It was not ready at the time of the evaluation of  
6 the iodine spray removal system for this plant.

7 Q On that same page, Dr. Burley, at the end of  
8 Footnote 11, Dr. Pigford, after listing the uncertainties  
9 which the Staff had taken into account, then makes the  
10 following statement, "Other uncertainties characteristic of  
11 spray absorption systems are the extent of missing of the  
12 unabsorbed gas within the containment space and the possi-  
13 bility of nongaseous forms of the absorbing component,  
14 (iodine).

15 "These are not taken into account in the analyses  
16 by either the Applicant or by the Regulatory Staff."

17 Have any changes been made in terms of evaluating  
18 the effectiveness of the spray to take account of those  
19 uncertainties between the situation at the time of the Indian  
20 Point 3 construction permit hearings and now?

21 A I personally find the possibility of nongaseous  
22 forms of iodine impossible. So I have not further developed  
23 that point.

24 Q What about the mixing of the unabsorbed gas?

25 A That is inherent in the model which has been used

ln4 1 in terms of transport into the spray pattern and removal from  
2 the spray volume essentially uniformly.

3 So we have not further developed that point either  
4 in the context of spray effectiveness.

5 Q In other words, the model upon which the effective-  
6 ness of the spray for this plant has been evaluated assumes  
7 relatively uniform mixing of the gas within the containment  
8 atmosphere?

9 A That is correct. And that is the experimental  
10 experience.

11 Q Can you describe for me the experiments that have  
12 been run to verify that condition?

13 A There have been approximately 40-some odd experiments  
14 in the small scale facility, the nuclear safety power plant  
15 facility at Oak Ridge National Laboratory, most of which used  
16 a single nozzle of the type which is going to be used in this  
17 containment, the spray solution which is going to be used in  
18 this containment, the atmospheric conditions which one would  
19 expect at the peak post-accident period, and iodine concentra-  
20 tions comparable to those one would expect.

21 These are almost uniformly indicated much more  
22 rapid iodine removal than one would even calculate with  
23 theoretical model. Then there is a second series of experiments  
24 at the containment systems experiment facility at Battelle  
25 Northwest Laboratory which has a total volume of about 30,000

ln5

1 cubic feet or about one hundredth or less that of the total  
2 Indian Point containment. These have included a number of  
3 nozzles, steam injection during the removal process, and  
4 sampling at a number of different locations within the con-  
5 tainment, so that the effect of mixing within the containment  
6 could be ascertained.

7 And the Staff of the Battelle Northwest Laboratory  
8 has made detailed analyses of the iodine concentrations  
9 which appear both in the sprayed and in the unsprayed por-  
10 tions of that facility.

11 And the maximum difference at any one time observed  
12 is of the order of about 20 percent difference in iodine  
13 concentration. And this is a very small factor.

14 Q Those tests, are these the ones we discussed  
15 earlier -- I won't go through them again with you -- but  
16 earlier we talked about whether or not turbulence factors and  
17 the presence of fans and the flow of liquid through the bottom  
18 of the containment and the presence of the same baffles and  
19 so forth existed.

20 Are these the same tests we were talking about  
21 earlier when we discussed that and I asked you questions about  
22 those various items?

23 A I am afraid I lost the train of that question.

24 Q Earlier this morning I was questioning you regarding  
25 some experiments that had been run. As I remember it, you

ln6

1 described them as one would be at the NSPP facility and the  
2 other at the CSE facility. And I was asking you about turbulence  
3 and the extent to which turbulence inside of the reactor  
4 containment following its loss of coolant accident was taken  
5 into account in the experiments which attempted to simulate  
6 the conditions of a loss of coolant accident.

7 And we talked about the effect of the fans and the  
8 flow they had, both intake and outflow, and the presence of  
9 various structures at the bottom of the containment which  
10 would affect the movement of the air around, and the drains in  
11 the floor which were at certain points and the water was  
12 moving that way and we talked a bit about heat convection  
13 and so forth.

14 Rather than go through all of those questions again,  
15 I am trying to find out, were those the same tests you are  
16 talking about now?

17 A At that point we were talking about the effect on  
18 drop coalescence. As I recall, we did not specifically go  
19 into details on measurements of drop coalescence in the CSE  
20 tests. The other reference to the CSE facility holds, yes.

21 CHAIRMAN JENSCH: Excuse me, may I interrupt?

22 I was going to inquire if this would be possible --  
23 I know it will interrupt your being able to apply yourself  
24 for some time to the work of your regular assignment, but I  
25 wondered if that interruption is likely to be of such duration

ln7

1 that after which you might have an opportunity to review your  
2 testimony as reflected in the transcript and to the extent  
3 that you can, in a sense, annotate your testimony. Now, I  
4 have a note here that in many places you have said you had  
5 calculations for many phases of this containment spray considera-  
6 tion.

7 Then I think you used a phrase something like this,  
8 As these data came in, they tended to confirm our calculations.

9 I wonder wherever you find a sentence like that,  
10 if you could give us a reference to what those data are, so we  
11 would have an opportunity to have the benefit of the reports,  
12 which I assume they are, reflecting these data.

13 Could that be done with convenience when you are done  
14 with this interruption you are contemplating?

15 THE WITNESS: We will endeavor to do so.

16 MR. KARMAN: Mr. Chairman, we will do that.

17 CHAIRMAN JENSCH: I think this is the kind of thing  
18 that I think Intervenors' counsel is having trouble trying to  
19 recall to the witness when he said what. I think more precisely  
20 if he had an opportunity to review the testimony --

21 MR. KARMAN: We will go over the transcript and  
22 wherever Dr. Burley has indicated there was a reference to  
23 some report or evaluation, if it is available, we will certainly  
24 furnish it to the Board.

25 CHAIRMAN JENSCH: This would be very helpful.

ln8

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Thank you.

Will you proceed?

BY MR. ROISMAN:

Q Dr. Burley, in terms of uncertainties associated with the effectiveness of the spray system, to what extent in your opinion does the fact that tests have been run on, experiments, actual experiments, have been run using reactor containments or simulated reactor containments that are not as high as the one that is used for Indian Point No. 2?

To what extent would that create an uncertainty in terms of the data produced by those tests?

A None in terms of height. I might as well explain it at this point rather than develop it through a series of questions.

Q All right.

A As I stated previously, the effectiveness of the spray system is derived from theoretical calculations. The preciseness and the accuracy and the applicability of these theoretical calculations is determined by comparison with a number of experiments.

And once one has established a correlation of experimental parameters in this equation with the observed removal effectiveness, then that parameter is essentially considered as proven and subject to no uncertainty.

Q To what extent does the history, that is the events



In9

1 which occur in the life of the drop as it comes from the top  
2 of the containment to the bottom affect the ability of the  
3 drop to absorb iodine, either the rate or the quantity or  
4 both?

5 Are there events which occur as it comes down  
6 through the containment, which will have an impact on that?

7 A The only one that I can think of would be drop  
8 saturation, which we discussed earlier.

9 Q What about not condensation? That is, you don't  
10 believe that that will affect, will have an impact on the  
11 effectiveness of the drop in absorbing iodine?

12 A No.

13 Q How about if the drop is pushed through turbulence  
14 or something else, away from where the iodine is? For instance,  
15 if it is up against the wall of the containment?

16 A It is an improbable question, with an improbable  
17 answer. If one had a situation like that where one physically  
18 separated drops from the iodine, you don't absorb iodine.

19 Q Right. But what I am asking is, I didn't mean it  
20 merely to be that -- I think we already discussed that question  
21 some time ago. We talked about uniform mixing and you indicated  
22 tests showed there was something on the order of, perhaps, a  
23 20 percent difference if the worst situation in a test between  
24 the concentration of iodine --

25 A The concentration of iodine in various parts of the

ln101 containment, sprayed and unsprayed, yes.

2 Q What I am asking is if most of the drops were where  
3 the lowest concentration of iodine was, would that have an  
4 impact on the effectiveness of, or your evaluation of the  
5 effectiveness of the spray?

6 A Yes, in the absence of mixing, definitely. One has  
7 to also have movement of the iodine towards the point of lowest  
8 iodine concentration.

9 Q Reference has been made in some of the written  
10 documents that have been supplied by, I believe, the Applicant  
11 here to two different spray nozzles which I believe are  
12 identified as Spraygo 1713, and Spraygo 1713-A is the nozzle  
13 that is installed or will be installed on this plant.

14 But a number of tests that have been run using the  
15 nozzles which I think have been described as the same as the  
16 ones on this plant have been run with nozzles where the  
17 designation "A" was not included.

18 Do you know what difference that designation makes  
19 in terms of what the nozzle is like?

20 A Only by means of conversation with Spraygo representa-  
21 tives. As I understand it, the subscript "A" refers to a  
22 more precise manufacturing technique and keeping the tolerances  
23 down to lower limits. It is the same nozzle otherwise.

24 Q In other words, it is not a design change or a  
25 change in materials or specifications or anything like that,

ln11 1 it is just a better way of manufacturing the same nozzle.

2 A That is my understanding.

3 Q Dr. Burley, you spoke yesterday in response to some  
4 questions from the Board with regard to the question of plate  
5 out.

6 Can you tell me if you used the calculational model  
7 that you have indicated has been used by the Staff in analyzing  
8 the effectiveness of this spray system and all other aspects  
9 of it remain constant, except that no credit was taken for  
10 plate out, would you then come up with analyses which would  
11 demonstrate that the plant under certain loss of coolant  
12 accident conditions would have doses in excess of 10 CFR Part  
13 100 standards?

14 A The Staff has used the calculational techniques of  
15 TID-14844. If you go into a hypothetical situation where one  
16 would assume absolutely no plate out, and if at the same time  
17 one used the conservative model for iodine removal which the  
18 Staff has used for this particular reactor, then one would  
19 calculate thyroid doses in excess of those specified in the  
20 10 CFR Part 100, yes.

21 Q Now, is there an interaction -- let's start with  
22 TID-14844.

23 Is there an interaction in TID-14844 between the  
24 effectiveness of sprays and the existence of plate out?  
25 In other words, if you assume plate out, then you should assume

ln12 1 a lower effectiveness of sprays, if you don't assume plate  
2 out, then you should assume a higher effectiveness of sprays?

3 A If one goes to a realistic model, the answer is yes,  
4 the two are interdependent. The assumptions in TID-14844 are  
5 based on a nonmechanistic analysis, just assuming that simply  
6 because iodine is such a very highly reactive substance,  
7 that very rapid plate out on all the many internal surfaces  
8 of the reactor would occur very quickly.

9 We have attempted to analyze the situation on a  
10 more realistic basis and made some very, very conservative  
11 assumptions, namely, that we have neglected the transport of  
12 iodine to all the internal surfaces by the transport of steam  
13 to those surfaces, and only assumed an internal convection  
14 model, and at the same time used the Staff model for the  
15 depletion of iodine in the containment atmosphere by the  
16 chemical additive spray systems.

17 The two processes would realistically be expected  
18 to go on simultaneously and compete with each other for the  
19 removal of iodine.

20 Q You mean, in other words, the plate out on the one  
21 hand and --

22 A The plate out would compete with spray removal, and  
23 both would tend to remove some of the iodine over the entire  
24 period when iodine is available for removal. If one uses this  
25 type of approach, and if one also assumes that the only surfaces

ln13 1 in the reactor on which plate out could occur are the stainless  
2 steel surfaces which really have the lowest affinity for  
3 iodine, then one comes up to the conclusion that the present  
4 model which the Staff has used based on TID-14844, which  
5 specifies 50 percent plate out of iodine, gives a slightly  
6 less conservative result than the more realistic model would  
7 be expected to show you that the iodine removal is actually  
8 better than that calculated by the Staff.

9 Q In this context, can you tell me what is the --  
10 is plate out just another name for a chemical reaction between  
11 iodine and some other substance?

12 A Plate out is a complex phenomenon and it is not  
13 really well defined. It is the removal of a substance on a  
14 surface and as Chairman Jensch and I discussed yesterday, one  
15 can also apply it to the removal across a film of liquid on a  
16 surface. It does not necessarily have to be just the sticking  
17 of the iodine on a dry surface.

18 Q In other words, this is iodine that remains iodine,  
19 it is just that it does not float around any more. Is that  
20 correct?

21 A It remains iodine unless it comes in contact with  
22 the sodium hydroxide spray solution, in which case it is  
23 converted to the iodide form, taken out of commission, so to  
24 speak, and washed into the sump.

25 Q I understand. In other words, this is not a chemical

ln14

1 change in iodine merely because of the sticking to the  
2 surfaces, it would have to be something else that would be  
3 doing it?

4 A It could conceivably in certain cases lead to a  
5 chemical reaction if the particular surface under consideration  
6 is chemically reactive with iodine.

7 This would be a consecutive process again.  
8 Elemental iodine would stick and then the chemical reaction  
9 would occur at its own rate.

10 Q In the Staff plate out assumptions, the assumption  
11 is it is not the reaction assumption, it is the sticking  
12 assumption.

13 A It is not specified.

14 Q If the surfaces to which the plate out would  
15 normally occur have a film of water on them and the water  
16 contains sodium hydroxide when the iodine comes in contact --  
17 first of all, will it come in contact with the surface or will  
18 it come in contact with the film of water?

19 A If the surface has a film of water on it, it would  
20 come in contact with the film of water.

21 Q And what would happen is that there would be an  
22 absorption, just as though the film of water were like a drop.  
23 Is that right?

24 A Yes. The reaction of iodine with the sodium  
25 hydroxide solution occurs regardless of the physical shape of

ln15 1 the water medium.

2 Q In other words, whether it is flat or round or  
3 what-have-you?

4 A Right.

5 Q When you do the analyses that have been done on the  
6 effectiveness of the spray systems for the removal of iodine,  
7 does the quantity of spray that is available for contact with  
8 the iodine take account of that portion of the spray which  
9 is forming a film on the surfaces inside the containment?

10 A Yes. This is a relatively small fraction of the  
11 total volume which is sprayed into the containment at any one  
12 time. A few percent.

13 Q In other words, a couple of percent of the spray  
14 itself is film that is on the walls and the various baffles  
15 and things we talked about before?

16 A That is right.

17 Q In the course of the loss of coolant accident, once  
18 the sprays have begun working, would you say that all of the  
19 surfaces have a film like that or all of the -- the top side  
20 surfaces, not so much bottom surfaces now?

21 A I think it is highly probable that in the water  
22 reactor accident that all or most of the surfaces inside of  
23 the reactor containment would be coated with a liquid, yes.

24 Q Then am I correct in assuming that in the situation  
25 that will occur in a loss of coolant accident, in point of fact

1  
ln6

1 there won't be any of this so-called plate out, what will  
2 really happen is that iodine that comes in contact with the wall  
3 surface or the baffles and so forth will have a reaction with  
4 the film that is on those walls that has sodium hydroxide in  
5 it?

6 A Presumably the majority would, yes.

7 Q Now, you told me a moment ago that in figuring the  
8 effectiveness of the spray for the containment, you assumed  
9 the availability in effect of all of the spray including this  
10 very small percentage which has already adhered to the walls,  
11 that comes the wall film? Am I correct in restating that?

12 A Yes.

13 Q Why is that not double counting of the effectiveness  
14 of the spray then in terms of its ability to absorb iodine  
15 being taken into account on the assumption that it is a drop  
16 floating through the containment, and at the same time its  
17 ability to absorb iodine being taken into account to the  
18 extent that it forms a film on the walls of the containment?

19 A It is not a double counting, because the two  
20 phenomena are distinct. One is a driving of the iodine toward  
21 the surfaces and if you want to make it stick there, that is  
22 one thing, if the water film is there it is put in solution.

23 But essentially the iodine is scavenged at the  
24 surface. The effectiveness of the spray in the free  
25 volume is dependent only on the action of the spray droplets.



ln17

1 So the two are distinct.

2 The fact that sodium hydroxide is in two places at  
3 the same time is essentially immaterial.

4 Q No, I am afraid I am not following you. The iodine  
5 removal will occur by coming in contact with sodium hydroxide.  
6 You have just testified that as a practical matter the only  
7 way that iodine is going to be, or the only way the Staff  
8 evaluation considers iodine removal inside the reactor has  
9 got to be by reaction with sodium hydroxide, because all of  
10 the surfaces formerly available for plate out are filmed over  
11 with sodium hydroxide mixture and all of the air is filled  
12 with sodium hydroxide falling down.

13 Now, to have this sodium hydroxide and the iodine  
14 combine, they have to come in contact. In one case the con-  
15 tact -- I won't try to use qualitative words on this -- in  
16 one case it occurs because a moving drop comes in contact  
17 with moving iodine, in another case it happens because moving  
18 iodine comes into contact with moving liquid film to the extent  
19 that it is continuing, there is a continuous amounts of film  
20 being added to the wall.

21 Now, the drop is not moving around freely in the  
22 air and the drop is not really a drop now, but is joined with  
23 some brother and sister drops and formed a film. I don't  
24 accept the practical difference between those except that  
25 a drop smashed against the wall has half as much surface

1nl8 1 area available to have contact, because half of its surface  
2 is next to the wall and there is no iodine there, it only has  
3 its outer surface available, if we think of it as somewhat  
4 two dimensional.

5 I don't understand that.

6 Q Let me try to explain it then. As I said, only a  
7 very small fraction of the total volume of the liquid is in  
8 the form of a wall film and covering the internal surfaces of  
9 the containment. Actually the situation is even worse than  
10 you say, it is not just half of the surface of the drop, when  
11 many drops come together the surface of all these drops is  
12 considerably smaller than the surface of the individual drops.  
13 That is immaterial.

14 The fact is that the surface is covered, that iodine  
15 deposition and removal occurs at the wall through the wall  
16 film and the iodine is removed at one place. In the other  
17 case we have iodine removal taking place simultaneously in  
18 the gas volume of the containment where the spray is operating  
19 and the two processes are quite distinct. Have I made the  
20 point? I am afraid I may not.

21 Q Well, you didn't make my point, I don't know whether  
22 you made the point or not. If I understand correctly, the  
23 effectiveness of the sodium hydroxide mixture to absorb iodine  
24 is computed using the calculational model we talked about  
25 before, it includes all of the sodium hydroxide mixture and

ln19 1 takes account of things like film resistance, size of drops,  
2 which relates to surface, condensation and these other kinds  
3 of things, to whatever extent those have been taken account of.

4 Now, some of those drops that are included in the  
5 total effectiveness of the spray actually aren't out there  
6 moving around inside the spray, they are up against the wall.

7 You said it is a small fraction, a couple of  
8 percent. What I don't understand is how is it that the  
9 effectiveness of those drops, when they are stuck up against  
10 the wall, goes up to, 50 percent of all of the iodine is assumed  
11 to be removed instantaneously by coming in contact with 2  
12 percent of the spray stuck to the walls, and yet nothing like  
13 that in terms of the effectiveness of the spray is assumed  
14 for those drops that are continuously falling through the air,  
15 going back through the sprays and being sprayed out again.

16 That is what I don't understand?

17 A I am afraid you are confusing two models, sir. One  
18 is the present TID-14844 assumption of 50 percent instantaneous  
19 plate out. This I said is a nonmechanism assumption. One  
20 can also look at the situation in terms of a realistic model,  
21 which has a finite plate out half-life for iodine at surfaces.

22 And this is the comparison I was trying to draw,  
23 not that there is instantaneous removal of 50 percent of  
24 the iodine at surfaces, but that if one had no sprays  
25 available, that a finite plate out or removal of iodine at the

ln20 1 surfaces would occur with a specific half-life, namely, some-  
2 thing of the order of 10 or 15 minutes, to remove half the  
3 iodine in the containment.

4 But since this would continue over more than just  
5 the 15 minutes, during the first 15 minutes you remove one-  
6 half, during the next 15 minutes you remove half of what is  
7 remaining, or you reduce the initial concentration down to  
8 one-fourth, during the next 15 minutes you would again reduce  
9 what is remaining by another half, or a factor of eight, and  
10 so forth.

11 And this is a slower process than the spray removal  
12 by the much larger surface area which is available to iodine  
13 molecules in the form of these smaller spray drops than the  
14 area which is available on the walls of the containment.

15 Q You say that it is slower than what is actually  
16 calculated? In other words, if I understand correctly, you  
17 tell me that it is appropriate to assume that 50 percent of  
18 the iodine is removed instantly, by plate out, because, in  
19 fact, averaging it, you will find that it is an average of  
20 50 percent.

21 A Not precisely. May I make the previous statement  
22 a little bit more clear perhaps?

23 Q All right.

24 A What one has done and what the Staff has done is  
25 to compare the averaged iodine concentration available for

in21

1 leakage, using two different calculational models, one assumes  
2 the traditional TID approach of 50 percent instantaneous plate  
3 out, and then removal of the rest of the iodine by the sprays  
4 alone, with no additional plate out during the entire period.

5 The other one is what I would call a realistic  
6 model, that plate out does occur with a finite time and this  
7 is the model which we have compared then, using both the  
8 simultaneous plate out and spray removal, comparing this to  
9 the initial model, and concluding that the iodine which  
10 would be available for leakage with the TID plate out assumption  
11 would actually be higher than that which would be derived from  
12 the more realistic model.

13 Q Let me see if I can express the problem I am  
14 having in a somewhat different way.

15 You told me now that TID-14844 compared to the  
16 realistic model is more conservative. So --

17 A For this particular plant.

18 Q Yes, I understand. The more conservative model  
19 would assume 50 percent plate out instantaneously, that is  
20 what TID-14844 does.

21 You tell me that that rate, the rate of removal  
22 that occurs as a result of plate out is actually slower by  
23 some margin than the rate of removal of iodine by the use of  
24 sprays.

25 Is that correct?

In22

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A That is a realistic approximation of the situation, yes.

Q Now, if there is 50 percent of the iodine removed instantaneously by the plate out, the slower process, would it be conservative to assume that 50 percent of the iodine is removed instantly by the faster spray process?

A If you want to use a nonmechanistic assumption, why not?

Q Now, if those two 50 percent removals occur instantly, why does the Staff come up with an assumption there is any iodine after the first incident, since we just removed both halves of the iodine, half of it by the spray, half by the plate out.

A If you want to use that assumption, I am perfectly willing, no iodine were available from time zero.

Q But my problem is the Staff's computation of the effectiveness of the spray shows that iodine is available for leakage and we even have statistics that show the thyroid dose at the site boundary at the end of 720 hours and it is not de minimus, I mean it depends I guess on the definition of the term, it does not exceed Part 100 standards, but it is in the order of several rems or a couple of hundred rems in a couple of cases.

That is the problem that I am having. I have just made some assumptions that seem to suggest that what you have

ln23 1 said is that there wouldn't be any iodine available at time  
2 zero and you have told me that plate out moves more slowly  
3 than sprays, but your model on sprays still allows for the  
4 leakage of a fair amount of iodine.

5 I am trying to find out why doesn't the slower plate  
6 out process allow for its 50 percent to be leaked out for  
7 awhile before it has been completely removed.

8 A I am afraid there are so many misconceptions at  
9 this point I don't know where to start.

10 Q Start at the beginning, please.

11 A The TID assumption of plate out does specify 50  
12 percent iodine removal instantaneously. This is an assumption  
13 which has been used traditionally, and certainly was applicable  
14 of reactors using no spray system. We have attempted to  
15 see if this is a realistic and conservative model in the  
16 presence of sprays, and, therefore, we have looked at both  
17 the spray and the plate out mechanisms operating simultaneously  
18 on the iodine in the containment.

19 And one can derive numerical values for the iodine  
20 removal by both processes operating simultaneously. The  
21 depletion of iodine in the containment atmosphere then is an  
22 exponential which includes the removal constants for  
23 both processes as an additive function.

24 And one cannot say that either process is not operative  
25 and the other one then takes all of the iodine out of the

In24 1 containment. So what we are trying to say is that we have  
2 a realistic evaluation of iodine removal and one can't say  
3 that plate out itself is the predominant mechanism, one can't  
4 really say that sprays are the predominant mechanism, without  
5 going through some comparative calculations.

6 The reason why the 50 percent plate out assumption  
7 has been used is because this is part of the tradition of the  
8 Regulatory process, it is written in TID-14844. There was no  
9 similar precedents for giving so-called instantaneous credit  
10 for iodine removal by sprays.

11 Therefore, we went through a calculational process  
12 for that. And had to then reconcile it with the calculational  
13 process for plate out. This we have done and I have tried to  
14 give you the results of such a model.

15 CHAIRMAN JENSCH: Would this be a convenient time to  
16 interrupt your examination?

17 MR. ROISMAN: I don't know, Mr. Chairman.

18 CHAIRMAN JENSCH: Let's try it.

19 The Reporter has been at it an hour and a half.

20 Mr. Briggs has a question or two before we recess  
21 for probably 15 minutes.

22 MR. BRIGGS: I think it might be worth interrupting  
23 to ask a question or two because I share Mr. Roisman's  
24 problem here and maybe if we think about it during the recess  
25 we can straighten it out.



ln25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I would like to ask two or three questions.

Dr. Burley, can you tell me the half-life that you used for transfer from the bulk of the containment to the walls? A characteristic number for that? I mean if it is not necessarily available --

THE WITNESS: The number which we have used in the analysis is a plate out half-life, which includes the transfer to the surfaces of ten minutes.

MR. BRIGGS: The plate out half-life is ten minutes?

THE WITNESS: Yes, sir.

MR. BRIGGS: What is the half-life for transfer to the drops?

THE WITNESS: The removal half-life again is of the order of about five to six minutes, using the Staff model, it is of the order of one minute or thereabouts using the model proposed by the Applicant.

MR. BRIGGS: So one says that -- no, I won't make any comment here, I will think about it for awhile.

Does methyliodide enter into this at all, or is this entire calculation based on the iodine only?

THE WITNESS: This is only based on the iodine, elemental iodine fraction.

MR. BRIGGS: It seems that a part of the problem is this, that as I understand it you say that if the droplets area as droplets more effective than they are if they are on

In26 1 the wall?

2 THE WITNESS: That is correct, there is a larger  
3 surface area available.

4 MR. BRIGGS: Yes, they have more surface. Yet it  
5 appears from the remarks that you have been making that when  
6 you put the droplets on the wall they take out more than this  
7 50 percent and I think that is some of the problem one might  
8 think about during the recess.

9 THE WITNESS: Cumulatively, sir.

10 MR. BRIGGS: Yes, I understand that.

11 CHAIRMAN JENSCH: All right.

12 Did you have something further?

13 MR. TROSTEN: Mr. Chairman, I asked Mr. McAdoo to  
14 stand by this morning in case the questioning of Dr. Burley  
15 resulted in an inquiry the Board might want to direct to  
16 him. I understand he does have an urgent matter to attend  
17 to back in his office.

18 I wonder if it would be acceptable if Mr. McAdoo  
19 were excused for today?

20 CHAIRMAN JENSCH: Yes. Another item in that  
21 regard, because I don't know how much more Mr. Roisman has,  
22 but when we conclude with his examination of the Staff witnesses,  
23 I understand the public hearing aspects will be ready for  
24 recess.

25 So we are making plans in that regard and contemplating

ln27 1 the public hearing for next week.

2 The Board will indicate that it is not likely that  
3 the Board will have a necessity for interrogation next week  
4 of Witness Grill, so he may proceed to his assignment for  
5 next week.

6 MR. KARMAN: Thank you, Mr. Chairman.

7 CHAIRMAN JENSCH: We will consider other matters  
8 for next week's session later on, and Mr. McAdoo may be  
9 excused for this afternoon.

10 (Witness McAdoo excused.)

11 MR. TROSTEN: The Board did ask one question about  
12 spray nozzles earlier this morning. We do have something --

13 CHAIRMAN JENSCH: We will take it from Mr. Grob or  
14 Mr. Wieseemann, either one.

15 At this time we will recess to reconvene in this  
16 room at one o'clock.

17 (Fifteen-minute recess.)

18 CHAIRMAN JENSCH: Please come to order.

end 6 19 Dr. Burley has resumed the stand. Mr. Briggs has  
#7 20 a further discussion with Dr. Burley.

21 MR. BRIGGS: Dr. Burley, during the recess have you  
22 thought any more about the statements you made? Are there  
23 any changes you wanted to make or any amplification of them?

24 THE WITNESS: In answer to your questions.

25 MR. BRIGGS: Yes.

ln28 1

THE WITNESS: I would like to answer or maybe clarify the last question you brought up on whether, with a ten-minute half-life for the plate out, one does not remove more than 50 percent by that process.

And I think the way I would like to approach it is that the iodine removal is a competitive process, and the faster process is always going to remove the greater quantity of iodine.

So in the operation of plate out and spray simultaneously, if the spray has a shorter half-life for iodine removal, it would tend to remove the greater fraction of the iodine. In the absence of the spray, one would come up with the plate out eventually removing all the iodine in the containment.

MR. BRIGGS: Yes, I understand that. I think some of my confusion and maybe some of the other confusion is related to the following. With just the sprays operating, and with nothing on the wall, you assume that, or you calculate that you have a removal half-life, if you wish, of, say, five minutes, and then as I understood your testimony, you indicate that now if you take 2 percent of this spray, or some small amount of the spray, and you put it on the wall, you haven't changed that removal half-life by very much, I mean the removal half-life for the sprays, because you only took 2 percent.

ln29 1

2 But now the material as it is on the wall gives you  
3 a removal half-life at the wall of ten minutes which certainly  
4 implies that you have a much greater surface on the wall than  
5 the 2 percent of surface that you removed from the droplets.  
6 That seems to imply that you have, let's say, half as much  
7 surface on the wall as you have in droplets?

8 THE WITNESS: We have not in our calculations used  
9 any of the containment surface as being coated with a liquid.  
10 The ten-minute half-life calculation assumed a steam-wetted  
11 surface and not a solution-wetted surface.

12 It is not necessarily true that the total surface  
13 area of the containment, in other words, is wetted by the  
14 spray solution. And in addition to that, the spray film may  
15 be as thin as a monomolecular layer.

16 MR. BRIGGS: I don't think we should go into quite  
17 that amount of detail. I think I understand what you are  
18 doing and I think my problem is solved, I am not sure about  
19 Mr. Roisman's.

20 MR. ROISMAN: No, it is not, Dr. Briggs.

21 BY MR. ROISMAN:

22 Q Dr. Burley, let me see if I can approach it from  
23 a different light. You have indicated the Staff assumed  
24 relative uniform mixing of the iodine within the containment  
25 atmosphere.

Is that correct?

ln30 1 A That is correct.

2 Q That the surface area of the drops available for  
3 contact with the iodine gets an equal chance, all surfaces have  
4 an equal crack, if you will, at the iodine. Is that the  
5 practical effect of uniform mixing?

6 A That is correct.

7 Q Two percent of those surfaces -- I think I am  
8 taking not as conservative as one might -- but, let's say,  
9 2 percent of those surfaces, those drop surfaces, are over on  
10 the walls, 98 percent of the drop surfaces are floating  
11 through the air. Is that correct?

12 A That is correct.

13 Q Roughly correct?

14 A Yes.

15 Q Does more than 2 percent of the iodine in the  
16 reactor containment have a chance to come in contact with the  
17 2 percent of the spray that is stuck to the walls?

18 A Yes. Also remember the wall film is not necessarily  
19 a stagnant film, it is being replenished.

20 Q Much the same as the spray drops themselves are  
21 being --

22 A Correct.

23 Q You tell me that the spray, that when you took  
24 account of the effectiveness of the spray, you assumed that  
25 100 percent, you thought this little 2 percent figure was not

1n31 worth being concerned with, and so your evaluation of the  
2 effectiveness of the spray assumed 100 percent of the spray  
3 in the containment atmosphere?

4 A It is included in our overall factor of conservatism.

5 Q Okay. Now --

6 A May I give you an idea of the numerical magnitudes  
7 and the differences?

8 Q You mean between what is on all --

9 A No, the difference between the calculated spray  
10 effectiveness one would calculate on the basis of the theoretical  
11 model and that of the Staff model assumes a factor of  
12 conservatism of about 380 percent. Two percent is a very  
13 small fraction.

14 Q I understand. Okay. Now, if there were no plate  
15 out at all, the situation that we would have is that the  
16 only thing that would be available for removing the iodine  
17 that we are talking about would be the surface area of the  
18 drops of the spray to remove the spray. That is correct?

19 A If there were not plate out, yes.

20 Q All of the surfaces of the reactor vessel, you  
21 testified earlier, are probably going to be covered with this  
22 film, that is made up of sodium hydroxide?

23 A I would think so.

24 Q And actually you tell me there will be probably a  
25 little bit less sodium hydroxide surface available than if

ln32

1 those drops stayed away from the walls, because when they are  
2 at the walls, the film thickness may be thicker than the  
3 drops would have been, the backside of the drop is not  
4 available.

5 A Equivalent surface areas of the drops is decreased,  
6 or is expected to be decreased by impinging on the walls,  
7 yes.

8 Q My problem is I don't understand why, if the sodium  
9 hydroxide drops are on the wall instead of floating in the  
10 containment, why it is that we don't come up with the same  
11 iodine removal factor, assuming uniform mixing?

12 Irrespective of the existence of the sodium hydroxide  
13 on the wall or sodium hydroxide someplace else, we don't have  
14 any plate out as such, we don't have dry surfaces, what we  
15 have is sodium hydroxide on the walls, sodium hydroxide  
16 floating through the air.

17 It is all sodium hydroxide reaction removing the  
18 iodine. Why is the amount of iodine removed any higher than  
19 whatever the effective rate is for the spray itself?

20 A The actual amount of iodine expected to be removed  
21 by the plate out surfaces, per unit time, is less for the  
22 plate out process than by the sprays.

23 Q I am talking now about total iodine removed from  
24 the containment. If 100 percent of the spray is drifting  
25 through the air, it is going to remove iodine -- I think the



1n33 1 figure you use is a removal rate constant of 4.9 per hour, that  
2 is what was used at least in Indian Point 3.

3 A That is correct.

4 Q You testified earlier if a removal rate constant of  
5 4.9 per hour were applied to this plant and no credit were  
6 given for plate out, then the plant's performance in the loss  
7 of coolant accident in some instances would result in doses  
8 in excess of 10 CFR Part 100 limits.

9 Is that correct?

10 A For the hypothetical case where no plateout is  
11 assumed and the Staff's very conservative model for iodine  
12 removal by sprays is applied. That would be the case.

13 Q What I don't understand is how do you get anywhere  
14 above the 4.9 per hour spray removal rate constant merely  
15 because some of the spray which removes iodine is on the walls  
16 rather than floating through the containment?

17 A As I said, the plateout mechanism on surfaces is an  
18 impingement process. The iodine may not be immediately  
19 removed from the place of impingement and this may then be  
20 washed away subsequently or immediately by the spray solution.  
21 Or by the spray solution washing down the walls.

22 The net effect -- any iodine which impinges on the  
23 wall is effectively removed from the quantity of iodine which  
24 would be available for leakage from the containment building  
25 and this is the quantity that is of interest.

ln34 1 Q But that is the same -- that is no different than  
2 iodine that gets absorbed by a drop floating through the air  
3 in terms of its availability for leakage.

4 Is that right?

5 A That is correct.

6 Q Does more iodine go over the walls than floats  
7 through the air?

8 A If one uses a conservative plateout model such as  
9 I have described, the amount of iodine which would be removed  
10 by the spray with the Staff assumption would be greater than  
11 that removed by the impingement upon walls and internal surfaces.

12 Q Then why isn't the total effectiveness of the  
13 removal of iodine from the reactor containment simply the  
14 spray removal rate constant of 4.9 per hour, or a lower figure?

15 A Because plateout is operative simultaneously with  
16 the spray and in addition to that in this containment filters  
17 are operating on the iodine concentration. I think we should  
18 keep all removal processes in mind.

19 Q But my problem is that plateout as described in  
20 TID-14844 was the process of iodine coming in contact with  
21 dry surfaces. We now know from your testimony here that  
22 there aren't any dry surfaces, there are liquid surfaces.

23 Those liquid surfaces are covered with a sodium  
24 hydroxide liquid. Its ability to absorb iodine and the rate  
25 of that absorption is taken into account in determining the

ln35 1 spray removal rate constant of 4.9 per hour, which you tell  
2 me is actually higher than the removal rate that would be  
3 applicable to the removal by the same drops when they are  
4 hanging on the wall.

5 But it is the same spray, it is 2 percent of that  
6 spray, some figure close to that. Now, it is on the wall, now  
7 it removes it at a slower rate, and yet you tell me the  
8 total effectiveness, the total amount of iodine removed is  
9 increased by taking a portion of the spray, putting it on the  
10 walls and making it less effective. I am having difficulty  
11 understanding how that happens.

12 A I think I am beginning to see your source of  
13 confusion. The removal mechanism for iodine is a surface  
14 phenomena. And the removal is proportional to the amount  
15 which actually impinges on surfaces. The area which the spray  
16 exposes to the iodine is greater than the area of the walls  
17 and the internal surfaces.

18 Therefore, the sprays having the larger surface area  
19 remove the greater proportion of the iodine. Does that  
20 clarify it?

21 Q No, that confuses it.

22 MR. BRIGGS: May I try to help?

23 MR. ROISMAN: Please, Doctor.

24 MR. BRIGGS: Mr. Burley, don't you mean -- I will  
25 try, I don't know whether I will be successful -- this, that

ln36 1 if you didn't have the containment surface there, just had the  
2 spray and it occupied a certain volume, the spray droplets  
3 have a certain area and they take up iodine at a certain rate.

4 Now, when you consider plateout, in liquid, you put  
5 the containment in place, and you add that surface area to  
6 your calculation. Is that right?

7 Just let me say one thing more, I am sorry. This 2  
8 percent of the drops have hit on the surface, you don't know  
9 whether it is 2 percent of the drops of 5 percent, but when  
10 the drops are falling through the containment, they fall like  
11 this (indicating). When they get on the surface, they go down  
12 like this (indicating). So they wet the surface, but their  
13 effective area now, the time of contact or the effective  
14 area is much greater.

15 THE WITNESS: Thank you, sir. I fundamentally was  
16 trying to get that idea across, with the addition that instead  
17 of using the more reactive surfaces which would obtain if all  
18 of the surfaces in the containment were wetted by sodium  
19 hydroxide, if only wetted, steam-wetted stainless steel sur-  
20 faces were in the containment, this gives you a slower  
21 removal.

22 MR. BRIGGS: But the effect is, when you put the  
23 plateout surface into your calculation, you have greatly  
24 increased the amount of surface that you have for absorbing  
25 the iodine.

ln37

1 THE WITNESS: Correct, sir.

2 MR. BRIGGS: How you tie it into the 2 percent of  
3 droplets is the problem.

4 MR. ROISMAN: Thank you, Mr. Briggs.

5 I think I understand at least now better where I  
6 want to go in terms of this question.

7 BY MR. ROISMAN:

8 Q Dr. Burley, let me see if I can state it and see if  
9 I understand what I am saying. Plateout adds to the total  
10 amount of iodine that is removed because in addition to all  
11 of the surface areas that are added to the inside of the  
12 containment by the presence of drops, there are a whole number  
13 of surface areas that are already there?

14 A Correct.

15 Q Now, those surfaces areas, if we didn't have any  
16 spray at all, they would according to these assumptions from  
17 TID-14844, they would take out 50 percent of the iodine, or  
18 we could assume that 50 percent of it was absorbed instantly  
19 or stuck to it, whatever it is.

20 A That is a nonmechanistic assumption, but that is the  
21 one made in TID-14844.

22 Q Now, I think the place that I am having the difficulty  
23 is when the drops that have surface area, that are falling  
24 through the air, when those drops leave the air and go over  
25 to the wall, 2 percent of them or so, if the situation was

ln38 1 static, that is if the drops weren't moving, would there be  
2 now the same amount of surface or a little less available for  
3 iodine to be absorbed on?

4 A May I perhaps clarify that? Ignore the 2 percent  
5 hitting the walls, just assume that 2 percent less spray  
6 gets into the containment.

7 Q All right.

8 A And that is the situation I was trying to explain.  
9 Iodine has two sinks. It can go either to surfaces or it can  
10 go to the surfaces of drops. And both of these depletion  
11 mechanisms are operating simultaneously.

12 Q The total surface area of the drops, is it sub-  
13 stantially greater than the total surface area of the other  
14 surfaces in the containment?

15 A It is greater -- I am not quite ready to give you  
16 numbers. This is, of course, dependent on the drop size  
17 spectrum assumed.

18 Q I understand that.

19 A The two numbers are somewhat comparable. The  
20 surface area of the drops are somewhat larger.

21 Q Doctor, in figuring out the realistic plateout now,  
22 how did you compute the amount of iodine that would be  
23 removed through iodine coming in contact with the surfaces  
24 in the containment?

25 A The fraction of iodine which is removed by the

ln39 1 plateout is calculated by letting both mechanisms operate  
2 simultaneously.

3 Q Both of which?

4 A Both the spray removal and the plateout. And then  
5 one can determine which removes what fraction of the iodine  
6 over a particular time period. One can calculate, in other  
7 words, the removal which would obtain if one let the sprays  
8 operate alone. And one can calculate the removal which would  
9 obtain if one let plateout and spray both remove iodine simul-  
10 taneously.

11 And the difference then is the effective plateout.

12 Q My difficulty stems from this factor -- maybe if I  
13 explain the difficulty you may be able to give me some explana-  
14 tion that will clarify it. The spray has a certain amount of  
15 surface area which in a sense is constantly changing because  
16 new drops are constantly coming into the --

17 A May I stop you there?

18 Q Yes. I don't mean it is increasing.

19 A No, the spray area at any one time in the containment  
20 is relatively constant.

21 Q Right. But the presence of new drops coming in --

22 A You have the same number being deposited at the  
23 bottom.

24 Q All I meant was the new drops coming in, as they  
25 first come out of the nozzle, they are a little better able to

ln40

1 do their job of absorbing iodine, they don't have the condensa-  
2 tion problem, they don't have the problem of diffusion or the  
3 other things we talked about.

4 A Well, I thought I had already said that those add  
5 very small increments to the inability of the drops to --

6 Q I didn't want to get into the record a statement  
7 that indicated there weren't any changes.

8 A Your initial assumption was on areas and I wanted to  
9 keep the areas constant.

10 Q Now, the amount of wall space is also constant,  
11 I assume?

12 A Right.

13 Q Now, just roughly, do you know what is the relative  
14 amount of wall space to the total amount of space on the  
15 drops? Is it half, a quarter, a tenth, something like that?

16 A I can't give you an exact number, no. I would  
17 offhand say that the area on the spray drops is roughly two  
18 to three times higher than the available area on surfaces.  
19 That order of magnitude.

20 Q Assuming that the rate of removal of iodine from  
21 contact with the surfaces, the containment surfaces, is the  
22 same as the rate of removal of iodine from contact with the  
23 droplet surfaces -- and I understand you made assumptions that  
24 would be more conservative than that, but assuming they are  
25 the same -- if the difference in area of the drops, the



ln411 constant, and the difference in area of the containment  
2 surfaces is in the magnitude of two or three that you suggested,  
3 drops having two to three times more surface than the contain-  
4 ment, then would the effectiveness of actual iodine removal --  
5 I don't mean anything other than the total amount of iodine  
6 removed by the surfaces -- would be one-half to one-third of  
7 the total amount of iodine removed by the sprays?

8 A Making that assumption, not necessarily a valid  
9 assumption, but an assumption.

10 Q Which assumption, you mean the two to three?

11 A The removal after all surfaces at the same rate as  
12 drop surfaces.

13 Q Okay. Actually the assumption should be the  
14 removal of wall surfaces is slower.

15 Is that correct?

16 A Somewhat slower.

17 Q Okay, I understand that. Would that be another  
18 way of coming up with a figure for the effectiveness of the  
19 iodine removal systems for the reactor containment than the  
20 one which you have indicated to me and which I confess I  
21 don't fully understand has been done?

22 In other words, could you take this 4.9 figure spray  
23 removal constant of 4.9 per hour, for the sprays, and divide  
24 it by the surface area difference with regard to the walls  
25 and come up with -- let's just assume the figure is a half,

ln42 1 okay. And take and add the 4.9 figure, 2.45, and give them  
2 the total spray removal constant for the surfaces and the spray  
3 droplets?

4 A Effectively, yes.

5 Q How difficult would it be for the Staff to provide  
6 that figure, or looked at a different way -- well, strike  
7 that, how difficult would it be.

8 What is the total spray removal constant rate for  
9 the realistic model in which you take account of for the  
10 TID-14844 plateout, but the plateout that you have done  
11 calculations on that we have been discussing, and included  
12 in the total, of course, the spray removal constant of 4.9  
13 per hour.

14 A I have not calculated that, no.

15 Q Can you give me an idea?

16 A I was only interested in the overall removal, and  
17 not fractional parts.

18 Q What was the overall removal rate?

19 A The rate constant in the exponential expression is  
20 the sum of the rate constants for the individual processes.

21 Q The figure?

22 A The Lambda for the removal by drops is given as  
23 4.9.

24 Q I am looking at the construction permit for Indian  
25 Point 3 and it was 4.9 there.

ln43 1           A       Right. And the Lambda for spray removal, or removal  
2 constant for plateout is proportional to the deposition velocity  
3 on those surfaces. And this is available from the literature.  
4 I don't have those numbers here.

5       Q       Is it less than 4.9 or greater than 4.9?

6       A       It is less than 4.9, using the most conservative  
7 assumptions.

8       Q       So that the total spray removal constant for the --  
9 I am sorry. The total iodine removal rate, the Lambda figure,  
10 in computing under TID-14844 formula, but replacing the 50  
11 percent plateout assumption with this new thing, would be a  
12 figure where the Lambda would be under 10?

13       A       Yes.

14       Q       Have you run those figures through and can you  
15 indicate to me what the 10 CFR Part 100 limits would be -- I  
16 am sorry -- what the dosage rates would be in terms of the  
17 kinds of figures that 10 CFR Part 100 looks for and what  
18 assumptions have you made with regard to effectiveness of  
19 filters in making those assumptions.

20               I am sorry, making those calculations?

21       A       Right. I will need a few moments to get my notes  
22 together on that.

23       Q       Okay.

24       A       Okay.

25       Q       Is that the FSAR you have?

ln44

A No, I am speaking from some calculations I had made independent of the FSAR. Using the Staff figures now, using the spray removal constant of 4.9 and the TID assumption, one obtains a two-hour iodine reduction factor of 5.2.

This is the averaged value for the iodine in the containment over that which would obtain if no iodine reduction occurred.

For what one might call the realistic model, I would prefer to call it finite plateout model, I have used an iodine half-life of 10 minutes, and it appears that the surface areas in the containment and the surface area on the drops are of comparable magnitude rather than two or three times higher.

The removal constant is 4.3 hours, and I only allowed this to operate for 30 minutes, because one assumes that eventually one is going to saturate surfaces with an iodine film unless there is a continuing supply of sodium hydroxide spray impinging on the walls and carrying this away.

The overall two-hour iodine reduction factor obtained from this model is 5.5.

Therefore, the difference is about 5 percent or 6 percent lower than what the Staff has given in the Safety Evaluation.

end 7

23

24

25

1 Q In terms of the doses that would actually be  
2 obtained at the site boundary as a result of the use of the  
3 more realistic model, do I assume correctly that in this more  
4 realistic model you assumed that there is 100 percent of the  
5 noble gases, 50 percent of the halogens, and one percent of  
6 the particulate, and that the spray reduction of 4.9 plus  
7 4.3, or 9.2 operates on that?

8 A Operates only on the iodine fraction, sir.

9 Q All right.

10 And that iodine fraction is 50 percent of the  
11 reservoir?

12 A That is correct.

13 Q In other words, the reduction of the further 25  
14 percent is taken care of in a different way by including in  
15 this 4.3 figure?

16 A That is correct.

17 Q Have you done the dose calculations for what would  
18 occur under those circumstances?

19 A Well, one would just have to compare the reduction  
20 factors of 5.2 and 5.5 with the thyroid doses given in the  
21 Staff Safety Evaluation. Other members of the staff have done  
22 that calculation; I am sure they can give you the comparison  
23 right now.

24 Q Well, what I was going to ask is, if they are here,  
25 I would appreciate it if they let me know what effectiveness they

1 assumed for the filters in making the calculation of doses under  
2 those assumptions?

3 A These assumptions were done for the Indian Point #3  
4 containment and did not involve the filter effectiveness.

5 Q No filter effectiveness?

6 A The filter effectiveness would further tend to  
7 increase the iodine removal capability of the overall contain-  
8 ment .

9 Q Doctor, can you tell me -- Mr. Kruger is helping  
10 me, since I don't know the difference between gamma and beta,  
11 he does the calculations. He is telling me what figures we  
12 need to know to do the rest of them. Can you tell me what  
13 percentage of the iodine is assumed to be organic in these?

14 A The Staff Safety Evaluation has assumed that 10  
15 percent of the iodine available for leakage, which is the  
16 25 percent fraction, is in the form of organic iodine, and  
17 other difficult to remove species.

18 Q Doctor, I want to direct your attention to one of  
19 the answers that was given by the Applicant to questions asked  
20 by the Board and see if we can take this and analyze that  
21 we have just been discussing, and apply it to that answer.

22 If Mr. Karman would give you a copy of the document  
23 dated July 6, 1971, by Applicant, entitled "Answers of  
24 Applicant to Questions Raised by Atomic Safety and Licensing  
25 Board on May 13, 1971," and may I direct your attention to

## 1 Question 6

2 A I have the document in front of me.

3 Q Let me direct your attention to the page of  
4 this question or the answer to this question, page number  
5 two, the bottom of the page. Would you -- you needn't  
6 read it out loud, but just read the paragraph at the bottom  
7 of the page that begins "As noted further..." -- and read  
8 over to the bottom of page 3, where they begin to do the  
9 computations of what the amount of doses would be.

10 A "As noted further, the Indian Point #3 Board  
11 findings (page 70, et seq), the Staff model did not account  
12 for the possibility that the dominance of the containment spray  
13 as a heat absorbing medium would prevent condensation on  
14 surfaces from acting as a plateout sink of the required effec-  
15 tiveness. This reasoning does not consider the fact that  
16 the containment fan coolers act to condense steam concurrently  
17 with the sprays, and their iodine removal effect (analogous to  
18 that of the heat absorbing surfaces) is considerable.

19 "The Safety Analysis (FSAR, Section 14.3.4),  
20 shows that the condensation occurs via the fan coolers and the  
21 heat absorbing surfaces at an average rate of about 0.072 pounds  
22 per hour per cubic foot of containment volume over the first  
23 two hours. By comparison, removal of elemental iodine was  
24 demonstrated to occur in the CSE Test A-11 (without spray) at  
25 a rate corresponding to a half-life of 16 minutes when the

1 surface condensation rate was .014 pounds per hour per cubic  
2 foot (BNWL-1457, page 5.22, 5.34). Applying the CSE observed  
3 plateout rate to the Indian Point Containment volume and cor-  
4 recting for condensation rate, one would calculate a plateout  
5 removal coefficient of 13 reciprocal hours. This rate applies  
6 to a process independent of spray absorption and spray  
7 condensation. Thus, a combined removal coefficient, using  
8 the Staff's Indian Point Unit #3 spray removal coefficient  
9 of 13 plus 4.5 or 17.5 reciprocal hours, could be justified.  
10 This dose reduction factor integrated over two hours would  
11 be 35 for inorganic iodine."

12 Shall I stop there?

13 Q That is fine.

14 Can you tell me, except for the fact that the figure  
15 they use for the effectiveness of the plateout removal is  
16 13 instead of 2.3, are the other assumptions that they use in  
17 computing the two hour dose consistent with the assumptions  
18 that you have indicated the staff has used in making its  
19 computation of the two-hour doses taking "realistic account"  
20 of the plateout?

21 A Similar, not identical.

22 I think the staff assumptions may have been somewhat  
23 more conservative.

24 Q You mean in terms of --

25 A Transport to the surface.



jrb5

1 Q Those rate figures that are there?

2 A Yes.

3 Q In other words, there isn't any difference here  
4 insofar as you know in terms of the assumptions about how  
5 much radioactivity is available to be released, or anything  
6 of that nature?

7 A correct.

8 Q Looking, if you would, but not reading it, if you  
9 would just look at the figures at the bottom of page 3 and the  
10 top of page 4 of that answer, you will notice that the organic  
11 iodine does with filter -- there is a figure that is put in  
12 there -- are you able to tell from this whether or not  
13 the filter effectiveness that is used is the same as the  
14 staff uses?

15 A I am not sure I understand the calculations as  
16 they stand here. I would like to confer with members of the  
17 staff who have done dose calculations.

18 Q Okay. I consider the question relatively straight-  
19 forward and I would be satisfied if the Board would be  
20 satisfied with a written answer, if your chance for consulta-  
21 tion doesn't come before the end of the day today. I wouldn't  
22 mind if you would just give me a written answer to the  
23 question.

24 A Fine.

25 Q If it is the same, then the answer is yes; if it

1 isn't, perhaps you could tell me if it is possible to tell  
2 from this what the difference is.

3 A I believe, as I read it, that the effectiveness for  
4 filters in this calculation is based on somewhere around 70  
5 percent effectiveness per pass or pass, ours, as we said  
6 yesterday is based on 10 percent. I don't have the exact  
7 numbers.

8 Q All right, Doctor. Turning a moment at least, away  
9 from this, and perhaps Mr. Kniel will have to assist on this  
10 question; we talked earlier about the assumptions which the  
11 staff uses in making its evaluation of the effectiveness of  
12 the sprays and one of them was the concept of uniform formation  
13 of the iodine released. I had asked about the effect or the  
14 extent to which effect is taken of convection from the source  
15 of heat in the reactor vessel.

16 I think Mr. Kniel was going to check on that, and  
17 I wonder if he can tell me now to what extent that source  
18 of convection is specifically taken into account.

19 A (Mr. Kniel) Well, there is no particular -- the  
20 reactor vessel itself is not a particularly important source  
21 of heat or driving mechanism as far as the containment is  
22 concerned. You had a question regarding whether there was a  
23 hot spot on top of the vessel, something like that.

24 Q Yes. I understand, or at least I think I understand  
25 that the major source of heat following the double ended pipe

1 break is the fuel rods that are in the reactor vessel. That  
2 is it is their residual heat that has yet to be cooled that is  
3 causing a lot of the heat that is inside the containment.  
4 Maybe I am mistaken on that. Maybe the bulk of the heat is  
5 coming from the heat that was already there from the heated  
6 system and so forth -- the heated water that becomes steam  
7 when the pressure is released.

8 In either case, perhaps you can tell me what portion  
9 of the heat that would cause convection is centered at  
10 the reactor vessel itself?

11 A Well, I think you are correct when you say that the  
12 additional heat that is being added to the containment vessel  
13 originates essentially in the fuel, and the pressure vessel.  
14 The mechanism for transport of this heat into the containment  
15 atmosphere is essentially --- well, during the transient  
16 recovery from the loss of coolant accident, there is some  
17 additional steam being formed. Subsequent to the cooling of  
18 the rods, the cooling to the point where it is not forming  
19 steam any more, after you have recovered water over the core,  
20 you remove the heat.

21 Now just through heating up of the water, you are  
22 not forming any more steam. And the water spills out the  
23 break and runs into the sump and gets pumped through the  
24 heat exchangers, and gets pumped back in again. So that there  
25 is no additional steam being added to the containment vessel.

1                   Now, that is the principal mechanism for transport  
2 of the heat from the fuel rods.

3           Q     In other words, the top of the reactor vessel itself  
4 is not hot to the touch as a result of the internal heating?  
5 I don't mean hot to the touch -- if some hot water spilled  
6 on it from outside?

7           A     The inside of the reactor vessel is still hot, as  
8 you put it.     It reflects the temperature of the water  
9 inside the vessel. But the vessel itself is covered with  
10 insulation, so that there is no direct access to the vessel.

11           Of course, on top of the vessel, you have the control rod  
12 drives and on top of that you have the control rod drive  
13 shield, and at that point you have reached the deck, where  
14 the drops fall.

15           Q     What I am interested in finding out is if this  
16 place where the vessel sits, creates sort of a hot air shaft  
17 that runs up through the middle of the containment, a portion  
18 where there would be a tendency that drops wouldn't be as  
19 likely to fall into that area?

20           A     The area around the vessel is cooled during operation  
21 and subsequent to the accident by the air directed there  
22 from the containment fan cooling system. That area is  
23 always cooled during operation by air that is pushed into there  
24 by the containment fan coolers, and that continues to operate  
25 subsequent to any accident.

1           So that air is all convected and mixed below the  
2 deck before it arises above the deck.

3           Q     Do I understand then that your testimony is  
4 that it is not any warmer than the air into which it is going  
5 above the deck, once it wends its way out?

6           A     I think the air that escapes from below the deck  
7 into the area above the deck is somewhat warmer than the  
8 area above the deck. But it leaks out in all sorts of places.  
9 And it is not localized.

10          Q     I think, to go back to the original question, where  
11 this arose, and I don't know whether it will be you or  
12 Dr. Burley that would answer:

13                   The effect of that convection on the distribution of  
14 iodine throughout the containment and the distribution of  
15 the space, is it taken into account or not?

16          A     (Dr. Burley) We are assuming mixing in the contain-  
17 ment. Whether it is due to heat convection or to the turbulence  
18 introduced by the spray itself is quite immaterial.

19                   But the interior of the containment is not stagnant,  
20 not a stagnant atmosphere.

21          Q     You are assuming it is uniform from the very  
22 beginning, is that correct? From the beginning of the time  
23 the sprays begin to operate?

24          A     Essentially, yes.

25          Q     In terms of the mixing of iodine and the effectiveness

1 of the spray, what does the staff do about that portion of  
2 the containment atmosphere which is down among, between and  
3 under the various structures that are inside the containment?  
4 Beneath the floor, under overhanging walls, under the crane,  
5 and so forth?

6 A The portion below the deck is assumed to mix into  
7 the volume, main volume of the containment. The advantage of  
8 having the spray run down the side walls and collect in the  
9 sumps is essentially to prevent any portion of the iodine from  
10 escaping the containment in that area. The volume above  
11 the crane is mixed into the main volume both by the action of  
12 the sprays and also by the action of the filters.

13 Q What account is taken of the fact that the spray  
14 doesn't fall on all of the areas? Once we get down to where  
15 structures exists, that there are areas that the structures  
16 prevent the spray from falling into, and the spray comes  
17 almost exclusively from above in the sense it doesn't mix up  
18 and down and all around; or at least in earlier assumptions  
19 you said indicated they don't. What account do you take of  
20 the fact that there are some spaces that the spray doesn't get  
21 to?

22 Is that taken into account specifically in the  
23 evaluation of the effectiveness?

24 A That is not taken into account specifically.

25 Remember that without any exception that I can  
think of, these are interior spaces, not close to the wall,

jrbll

1 and not near any leakage path.

2 Q In other words, the fact that the iodine is there  
3 is not of any concern, because -- or your assumption is  
4 it is not of concern because it doesn't get over to the wall  
5 where it would have to be leaked out?

6 A Correct. So if there is a temporary, very small  
7 buildup in one of these non-sprayed areas, it is of no concern.

8 Q But in terms of figuring out how much iodine has  
9 been removed at the end of a specific period of time from  
10 the containment atmosphere, you have to take into account the  
11 fact that some iodine didn't have a chance, didn't have, if  
12 you will, a random chance or fair chance to get in contact  
13 with the spray?

14 A Yes, you do, because the removal rate is proportional  
15 to the residual airborne iodine convections.

16 So, if the residual iodine concentration is higher  
17 locally, the removal rate is also higher at that point.

18 Q Let me see if I can give an example, and see what  
19 the difference would be.

20 If, instead of having all 50 percent of the  
21 iodine released from the containment, from the reactor,  
22 instantly, as I gather it is assume to do under TID 14884,  
23 and under staff analysis, 45 percent of it came out instantly,  
24 and then five minutes later, after the sprays and everything  
25 had been working, the other five percent came out. Would

1 the calculation of doses for the two hour and for the 720  
2 hour be different; would you come up with different figures?

3 A Yes, you would. The most conservative assumption is  
4 an instantaneous release assumption.

5 Q But that is also instantaneous availability for  
6 contact with the spray, too, isn't it?

7 A That is correct.

8 Q But some of this is not --

9 A The only thing I can do is repeat my answer and  
10 I can show mathematically, that any conceivable case -- other  
11 than the instantaneous release model, will give you a more  
12 conservative result.

13 Q In terms of doses?

14 A In terms of iodine available for leakage.

15 MR. ROISMAN: I think that about covers the spray  
16 questions, questions of spray by itself.

17 We are now at the point where the applicant wants  
18 to make an objection. I am going to ask you to talk to me  
19 about the comparative effectiveness of sodium thiosulfate  
20 and sodium hydroxide spray, and to give the applicants a  
21 question to tussle with.

22 As I understand in the original Preliminary Safety  
23 Analysis Report for this plant, it was designed to use a spray  
24 that had sodium thiosulfate in it, and that a change was  
25 subsequently made to have a spray with only sodium hydroxide.



1 I would like to know what factors went into the staff evalua-  
2 tion of approving that change.

3 MR. TROSTEN: Mr. Chairman, I think it would be  
4 appropriate at this time for me to make the objection, rather  
5 than waiting for the next question. I assume from Mr. Roisman's  
6 remarks and our discussions at previous sessions that the pur-  
7 pose for Mr. Roisman asking this question is the purpose  
8 indicated in his supplemental statement of proposed factual  
9 findings, proposed finding number ten, and also the  
10 purpose indicated in the previous session of the hearing on  
11 page 934. That purpose being in order to demonstrate that  
12 the sodium thiosulfate is a better system for controlling the  
13 release fo radioactivity in the event of a major loss of  
14 coolant accident inside the containment.

15 This is essentially the same purpose indicated in the  
16 proposed finding of fact. As I indicated at the previous  
17 session, Mr. Chairman, the applicant objects to this question.

18 I also indicated, incidentally, Mr. Chairman,  
19 that I intended to submit a memorandum to the Board on this  
20 point at this current session of the hearing. But it  
21 appeared to me after analysis of the transcript and the  
22 colloquy between myself and the Chairman that perhaps it  
23 was premature at this time to submit such a memorandum, and I  
24 am asking to address this orally at the present time.

25 The Applicant objects to the introduction into

1 evidence of the answer because of the expressed purpose of the  
2 offer. The Applicant's position is that the regulatory frame-  
3 work which has been established for licensing nuclear power  
4 reactors and the notice of hearing in this proceeding are such  
5 that it is not the function of this Board to determine whether  
6 the applicant has provided a better system in this plant,  
7 namely, sodium hydroxide, than a possible alternative, namely,  
8 sodium thiosulfate, or in the alternative, that the  
9 applicant has provided the best spray additive system that could  
10 be provided under the circumstances.

11 It is the applicant's position that under the  
12 Atomic Energy Act and the Commission's regulations, the  
13 question before the Board is whether the sodium hydroxide  
14 spray additive, using this particular example, is adequate  
15 and meets the standards and requirements established by  
16 the Atomic Energy Commission. Now, I might add for the infor-  
17 mation of the Board, as Mr. Roisman mentioned the other day,  
18 this is a matter which has been raised in another proceeding,  
19 actually in two other proceedings, the Midlands and Points  
20 Beach proceeding, and it is a matter which I am advised is  
21 going to be certified in a form similar to the question I  
22 have just posed, to the Atomic Safety and Licensing Appeal  
23 Board.

24 I am also advised by, again for the information of  
25 the Board and the parties, I am advised by counsel for

1 Westinghouse Electric Corporation that this matter is considered  
2 to be of sufficient seriousness to that company that  
3 Westinghouse intends to petition to be heard with respect to  
4 this matter by the Atomic Safety and Licensing Appeal Board  
5 and to participate in some fashion in proceedings before that  
6 body.

7           Returning to the substance of the question, Mr.  
8 Chairman, it would appear that the Citizens' Committee is  
9 arguing that somehow there is something inconsistent in  
10 the regulatory staff's approval of the sodium hydroxide system  
11 for this plant, and the sodium thiosulfate system for another  
12 plant. And of course, there is nothing unusual or peculiar  
13 about the fact that different vendors will properly propose  
14 different designs for different plants. This is an entirely  
15 accepted and understandable and perhaps the only possible  
16 engineering approach since there are many ways of achieving  
17 design objectives which appear suitable to different firms,  
18 to different engineers.

19           As a result of that fact, there may be different  
20 types of components and systems which are proposed for the  
21 AEC in different types of facilities. And the concept that  
22 the Atomic Energy Commission reviews and approves differing  
23 types of systems is in no way inconsistent with the concept  
24 that the Commission is in different cases acting in a manner  
25 which is entirely consistent with the public health and

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

safety.

A further point of considerable importance here is that to follow the approach suggested by the Citizens' Committee would be to impose a tremendous burden upon the Atomic Energy Commission, whereby the Commission would be required somehow to determine not simply whether a system is adequate, which in itself is a very complex question, but whether two different -- but of which two different systems or which of a multitude of systems is the best. And all of this incidentally without any significant bearing -- applicant would submit -- on the public health and safety.

In any event, it is the Commission's duty to determine whether the system proposed is adequate. The Citizens' Committee, counsel for the Citizens' Committee referred in the previous session to the fact that the staff makes comparisons. And this is entirely true. The staff does and the applicant does make comparisons between the system proposed in this facility and the systems proposed in other facilities. But these are similar systems, and the purpose of this is to show the normal evolution of design, and to show that there is experience with a particular system upon which the applicant rests in part for his safety analysis.

Now, I think at this point, Mr. Chairman, I have stated the principal elements of the applicant's objection to the receipt -- to this question, and to the receipt in

1 evidence of the answer. I suppose I should wait for further  
2 comments from the Board and Mr. Roisman.

3 CHAIRMAN JENSCH: I might just say that as long as  
4 we are comparing cases, this subject has come up in many  
5 cases prior to this one. I don't quite understand the sudden  
6 alarm about this. I know in two Florida cases we got into  
7 consideration of sodium hydroxide and sodium thiosulfate, and  
8 so we have two cases going with this, and I think we have  
9 to figure out what we are going to do here. Are we going to  
10 stand up and be counted?

11 I think we have to figure out, are we trying to  
12 see whether we use the gimlet eye on this precise little item,  
13 or whether we are trying to achieve comparative considerations  
14 that might be important in the whole thing. We have run through  
15 a lot of calculations here this morning on what different  
16 approaches might be for calculations about dose releases and  
17 that sort of thing.

18 I think necessarily when we recognize that the  
19 Staff Safety Evaluation, the FSAR, have considered a lot of  
20 components, and said don't you worry about this, because this  
21 was handled in some other PWR case, that suddenly when we  
22 come to the solution inside of the pipes, we just talk about  
23 one. I don't quite understand that.

24 MR. TROSTEN: The Chairman goes to the heart of  
25 this problem. Applicant does not object to the receipt of

1 of evidence pertaining to the sodium thiosulfate system  
2 per se. In response to questions from the Board, one of the  
3 applicant's witnesses testified with respect to the reasons  
4 that led Westinghouse to determine that sodium hydroxide system  
5 should be used in this plant -- and there was no objection  
6 in principle, I would say, to the receipt into evidence of  
7 matters pertaining to the sodium thiosulfate system, or to  
8 the comparison of a system with another system. It is the  
9 expressed purpose of the offer into evidence of this that is  
10 extremely troublesome to the applicant.

11 CHAIRMAN JENSCH: Aren't you having trouble with  
12 the purpose of the offer rather than what interpretations  
13 can be placed upon the evidence. He may contend one thing,  
14 you may contend another. The important thing is what  
15 does the evidence reflect or the correct inference therefrom.

16 Now, in this case, if I understand it, the  
17 construction permit talks about sodium thiosulfate.

18 MR. TROSTEN: That is correct.

19 CHAIRMAN JENSCH: So we have a question here of  
20 whether the plant has been constructed for the kind of  
21 facility and operation that was contemplated in the  
22 construction permit stage. I understand the answer, insofar  
23 as this particular aspect is concerned is no. So therefore  
24 I assume the burden of proof is on the applicant to show  
25 us why we are going to something different. And therefore, it

1 seems to me the applicant must come forward with some evidence  
2 as to where they are making a change in what the construction  
3 permit authorized them to do.

4 MR. TROSTEN: Yes, Mr. Chairman. This was a design  
5 change which was made and it is up to the applicant to show that  
6 the sodium hydroxide system, which is currently proposed, is  
7 a fully adequate system.

8 The problem that we have with this, Mr. Chairman, is  
9 as follows:

10 Mr. Roisman has submitted a proposed finding.  
11 He has raised an extremely significant, I believe, legal  
12 issue, in his proposed finding. If Mr. Roisman has advised  
13 the applicant and indicated in his proposed finding that he  
14 was seeking to introduce evidence with respect to the sodium  
15 thiosulphate spray system for the purpose of attacking the  
16 validity of Mr. Fletcher's testimony or other evidence that  
17 applicant introduced concerning the adequacy of our system,  
18 I feel quite confident there would really not be a problem  
19 here.

20 The problem is -- as I made clear at the last  
21 session of the hearing, we have no objection to Mr. Roisman  
22 cross-examining Mr. Fletcher or other witnesses of the  
23 applicant concerning what Mr. Fletcher said at the recent  
24 session of the hearing, or why it was that the applicant now  
25 feels confident that the sodium hydroxide system is adequate

1 and what were the factors that led into that determination.

2 CHAIRMAN JENSCH: But you don't want him to argue on  
3 the basis of the facts that may be developed. Is that your  
4 position?

5 MR. TROSTEN: No. He may certainly argue, Mr.  
6 Chairman, after he has completed his cross-examination, that  
7 the sodium hydroxide system is inadequate -- if that is what  
8 Mr. Roisman intends to do he is at liberty to do it.

9 CHAIRMAN JENSCH: What does the applicant  
10 have to do? The applicant has made a design change here  
11 and I think the applicant has to start out to show just why  
12 hydroxide is better than thiosulphate. He heard an echo  
13 from the other side. I don't know if that assists you or not.

14 MR. TROSTEN: I think, Mr. Chairman, that it is  
15 up to the applicant to demonstrate to this Board that sodium  
16 hydroxide system, the system that applicant now proposes, is  
17 adequate.

18 If the board has a question about whether the  
19 applicant has made a correct choice in the sense that the  
20 board is concerned that sodium hydroxide may not do the job,  
21 Mr. Chairman, and that it may not perform as applicant says  
22 it will, and as the Commission's Regulations require it to  
23 perform, then applicant is prepared to bring forth the evidence  
24 necessary to convince the Board of this matter.



§9 1  
DB-1

CHAIRMAN JENSCH: Mr. Briggs has a question.

2 MR. BRIGGS: Mr. Trosten, the point you make is  
3 that as long as the additive meets the requirements of the  
4 regulations, then it is sufficient? Is that the idea?

5 MR. TROSTEN: It is a little different than that,  
6 Mr. Briggs. The point I am making is as long as the applicant  
7 can show that the sodium hydroxide additive, when considered  
8 in conjunction with the entire iodine spray removal system,  
9 meets the requirements of the AEC as expressed in 10 CFR Part  
10 100, the TID14844, and such matters as the reactor safety  
11 guide sets forth, in other words, in toto meets the regulations  
12 and requirements of the AEC, then we have done what we are  
13 supposed to do.

14 MR. BRIGGS: If you got a construction permit and  
15 what was described therein was a system and if that system  
16 were demonstrably better than the system using sodium  
17 hydroxide, you wouldn't feel obligated to keep the system that  
18 was proposed in the construction permit stage? You would  
19 feel it would be all right to install an inferior system?

20 MR. TROSTEN: Mr. Chairman, let me say this: If  
21 the applicant had determined -- I will answer you as a lawyer  
22 if I may, Mr. Birggs.

23 MR. BRIGGS: That is all right.

24 MR. TROSTEN: If the applicant, for reasons satis-  
25 factory to it, decides that it wanted to install a system

DB-2

1 which one could argue was inferior and nevertheless the  
2 system installed did meet the standards and requirements of  
3 the AEC, did have the necessary margins, did satisfy, as I  
4 say, the standards and requirements of the AEC, the fact that  
5 there might be or arguably was a system that was better, would  
6 not mean that the applicant could not stay with the system  
7 that it had ultimately proposed, in my opinion.

8 MR. BRIGGS: If you went to an automobile dealer  
9 and you said you needed a car to drive to work, and he  
10 showed you a Cadillac and you said that is fine, and you were  
11 going to get that Cadillac and presumably pay for it, and  
12 then he delivered the car and it was a Datsun, and he said  
13 "This meets the specifications, it is transportation to  
14 work," then that is acceptable?

15 MR. TROSTEN: That is not quite the same thing, Mr.  
16 Briggs, I don't think.

17 MR. BRIGGS: I agree with you, but as far as the  
18 people here are concerned, and as far as the Board is  
19 concerned, what they saw originally was a solidum thiosulphate  
20 system. At the construction permit stage that is what was  
21 to be installed. Then the plant was built, and it had a sodium  
22 hydroxide system in it.

23 Then I guess the argument becomes one have you decreased  
24 the safety of the plant by making this change, even though the  
25 change may be within the requirements.

DB-3

1 MR. TROSTEN: That is an entirely legitimate question  
2 and it should be addressed, Mr. Briggs.

3 First of all, let me say that the applicant is  
4 convinced, the applicant and its contractor are convinced, and  
5 we have adduced testimony to the effect that we believe that  
6 we have installed the better system in this plant. It is  
7 our opinion that we have done so.

8 MR. BRIGGS: I think that is probably the point  
9 to be argued.

10 MR. TROSTEN: Yes, and we have attempted to do that.  
11 But that doesn't really change the legal question though,  
12 Mr. Briggs.

13 CHAIRMAN JENSCH: I think what you are bothered by,  
14 as I understand your position, you are worried that somebody  
15 is going to make an argument you are not going to like.

16 I think the important thing is to get the facts  
17 on the record, and then we will see what the arguments are.  
18 Then if it looks like he shouldn't make that argument, you  
19 can argue the other way.

20 But it seems to me the factual situation here  
21 obligates the applicant to do more than object to a comparison.  
22 I infer from the discussion that the applicant has not  
23 received any order of the Commission authorizing a change  
24 from sodium thiosulphate. Is that correct?

25 MR. TROSTEN: Mr. Chairman, no. We have described

DB-4

1 in a supplement to our Safety Analysis Report, an amendment to  
2 our application, the sodium hydroxide system, and this of  
3 course is consistent with the provisions in the Act and the  
4 regulations which allow for taking into account changes in  
5 technology and the two-step licensing procedure.

6 CHAIRMAN JENSCH: I understand you filed the papers.  
7 But there wasn't a hearing or anything authorizing the change.

8 MR. TROSTEN: No, sir. This is the hearing at  
9 which the adequacy of the sodium hydroxide system is to be  
10 tested.

11 CHAIRMAN JENSCH: Yes, and perhaps this is the  
12 time to test the sodium thiosulphate one, because that is  
13 what was authorized.

14 MR. TROSTEN: The problem we have with what Mr.  
15 roisman is proposing to do is this: In an administrative  
16 hearing there is great latitude, as the Chairman well knows,  
17 for receipt of evidence. And the applicant is certainly not  
18 attempting here to take a legalistic position with regard  
19 to receipt of evidence. Far from it. We believe that great  
20 latitude should be afforded in what should come in. And we  
21 have followed that principle I think quite scrupulously in  
22 our discussions with Mr. Roisman and we have refrained from  
23 making legalistic objections to offers into evidence.

24 But the fact is that he has proposed very carefully  
25 a finding of fact which poses a very significant legal question.

DB-5

1  
2 And if this legal question is allowed to drag on in this  
3 proceeding, Mr. Chairman, toward the end of it I don't think  
4 that that would be a very satisfactory state of affairs.

5 CHAIRMAN JENSCH: Maybe this would be a good time  
6 to take a recess and maybe the Board can come back and keep  
7 this legal issue from dragging, try to resolve it and go  
8 ahead.

9 At this time let us recess and reconvene in this room  
10 at 2:35.

11 (Thereupon, a short recess was taken.)

12 CHAIRMAN JENSCH: Please come to order.

13 MR. KARMAN: Mr. Chairman, I just wanted to reiterate  
14 at this time the position I took several days ago at the  
15 hearing wherein the staff, consistent with the position it  
16 has taken in other licensing hearings, does not believe that  
17 a comparison of the spray systems is essential for a Board's  
18 determination during the hearing of an application for an  
19 operating license.

20 The staff has evaluated the applicant's system, has  
21 found it adequate, and within the confines of the regulations,  
22 rules and regulations of the Commission and we feel that it  
23 serves no useful purpose to have a comparison of the various  
24 sprays because sodium thiosulphate is not at issue in this  
25 hearing at this time.

CHAIRMAN JENSCH: The objection is overruled. The

DB-6

1 witness may answer.

2 MR. TROSTEN: Mr. Chairman, may I just make an  
3 observation? We will want to look at the transcript of the  
4 hearing to make a determination whether we should request a  
5 certification in this proceeding.

6 CHAIRMAN JENSCH: All right. This may be an  
7 occasion then to pause a bit to permit you to do that and  
8 maybe we can proceed to other matters of contemplating the  
9 session next week and you will have a chance to review the  
10 matter over the weekend. Would that be satisfactory? Except  
11 of course Dr. Burley won't be here then.

12 MR. TROSTEN: The applicant does not object, Mr.  
13 Chairman, to the cross-examination -- I am sorry.

14 The applicant does not take the position that  
15 the cross-examination of Dr. BURLEY should be deferred.

16 CHAIRMAN JENSCH: Let's proceed then. Does the  
17 witness have the question before him, or can you re-state the  
18 question, please?

19 BY MR. ROISMAN:

20 Q Doctor Burley, I had asked you to indicate to me  
21 what analysis the staff undertook in concluding that the  
22 replacement of sodium thiosuophate by sodium hydroxide in the  
23 spray system would continue to provide adequate protection and  
24 make the spray sufficiently effective?

25 In fact, and correct me if I am wrong on this, there has

DB7

1 been no change made in the staff's spray effectiveness  
2 analysis since the change in the spray additive. Is that  
3 correct?

4 A (Dr. Burley) We have never evaluated, or at least  
5 I have never evaluated thiosulphate as an additive for the  
6 Indian Point 2 reactor. This preceded my time at the Commission.  
7 I have only evaluated the effectiveness of the sodium hydroxide  
8 spray for iodine removal in the Indian Point 2 containment.

9 Q Have you ever evaluated the effectiveness of sodium  
10 thiosulphate as a spray in any other reactor review?

11 A On an individual case by case basis, yes, for  
12 those applications where the applicant has proposed sodium thio-  
13 sulphate.

14 Q Right. I understand. Can you tell me just in  
15 general terms, in terms of the effectiveness of the spray  
16 for the removal of iodine from the reactor containment, which  
17 of those two sprays, sodium thiosulphate or sodium hydroxide,  
18 is more effective in your opinion?

19 A For the removal of elemental iodine, I can see  
20 very little difference between the two spray solutions.

21 For the case of the organic iodide, sodium thiosulphate  
22 does afford a very limited, very slow removal of that particular  
23 compound.

24 Q Which is methyl iodine?

25 A That is a member of the organic iodides.

DB-8

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q What about hypoiodous acid?

A That is an inorganic form of iodine.

Q Does sodium thiosulphate, is it more effective in the removal of that than is sodium hydroxide?

A There is no data that I am aware of that point in that direction.

MR. TROSTEN: Mr. Roisman, excuse me, may I interrupt for a moment?

MR. ROISMAN: Yes.

MR TROSTEN: Mr. CHairman, before the cross-examination proceeds further, I wanted to make certain that I made the point that by allowing the cross-examination to proceed, applicant does not waive the right to proceed with certification of this matter.

CHAIRMAN JENSCH: Well, if the applicant is not allowing the cross-examination, the Board is. You may reserve all of the rights you desire.

MR. TROSTEN: Excuse me, Mr. Chairman, I used the wrong word.

CHAIRMAN JENSCH: Your rights are reserved in every respect.

Proceed.

BY MR. ROISMAN:

Q Do you have BAW 11024 with you?

A I do.



DB-9

1 Q Are you familiar with this report, topical report  
2 dated 18 January 1971, "Effectiveness of Sodium Thiosulphate  
3 Sprays for Iodine Removal," nonproprietary report BAW 10024,  
4 prepared by Babcock and Wilcox?

5 A Yes, I have it.

6 Q Have you in the course of your review of the  
7 effectiveness of sodium thiosulphate for any other reactor  
8 had occasion to reivew this particular report?

9 A Indirectly, yes, but only insofar as this report  
10 pulls together a lot of information which is scattered in the  
11 literature.

12 There is no original work except in the appendices of  
13 the report.

14 Q But you have looked at it, is that your statement?

15 A We have looked at it, yes.

16 Q And it has been a part of the analysis that you  
17 have done of the effectiveness of sodium thiosulphate as a  
18 spary addative?

19 A It was not specifically the basis of the analysis.

20 Q Was it a part of the analysis?

21 A Well, it depends if you -- my previous information  
22 on the effectiveness of thiosulphate came from the reports  
23 and from conversations with the individuals involved at the  
24 Oak Ridge National Laborator and Batelle Northwest. So this  
25 really did not do anything other than just make the information

DB-10

1 available more conveniently. As such the report was really  
2 ot the basis of an evaluation, it did not really inform me  
3 of any additional information available. It is a compilation  
4 of already available literature data.

5 Q Are you saying that the compilation that is in here  
6 is an accurate compilation of that data?

7 A Insofar as I can ascertain, yes.

8 Q In other words, when you were interested in knowing  
9 about that data, this was sort of like a reference book rather  
10 tan an original source material?

11 A Actually I have never used it in that context.  
12 Most of the information of course is part of my general back-  
13 ground knowledge on this point and one doesn't really have  
14 to go to reports. When there is a question, I go back to  
15 the original report, rather than to the BAW compilation.

16 Q Give me an example of a time when you did look at  
17 it?

18 A When it was submitted, I read it carefully  
19 and attempted to evaluate whether there was new and signifi-  
20 cantly different information in this report.

21 I concluded that there was not. Other than that, in the  
22 appendices.

23 Q Roughly when was it submitted? That is, when did  
24 you first have access to it?

25 A The submittal letter is dated January 15, 1971. I

DB-11

1 think I had access to it shortly thereafter.

2 Q And this document was submitted to you by Babcock  
3 and Wilcox?

4 A It was submitted to the Division of Reactor  
5 Licensing and distributed to certain personnel within the  
6 Division.

7 MR. ROISMAN: Mr. Chairman, I would like to renew  
8 my request that the document originally marked Exhibit AA by  
9 the Intervenors be accepted into evidence as being a document  
10 which has been the subject of review by the staff in the  
11 context of its review of sodium thiosulphate spray, and that  
12 it be permitted to be included as one of the documents upon  
13 which we will rely in demonstrating what the factors are  
14 that are involved in considering the effectiveness of  
15 sodium thiosulphate spary.

16 CHAIRMAN JENSCH: Any objection?

17 MR. KARMAN: Objection, Mr. Chairman.

18 MR. TROSTEN: Mr. Chairman, objection. The reasons  
19 for our objection are essentially the same, the same in  
20 principle as the objections I already stated to Mr. Roisman's  
21 questions.

22 CHAIRMAN JENSCH: And the same for you?

23 MR. KARMAN: Yes.

24 CHAIRMAN JENSCH: The problem I have with this  
25 report as foundation evidence, I do realize that in many cases

DB-12

1 of this kind investigatory reports are received almost without  
2 objection. I think we get in the habit of accepting investi-  
3 gative report as if they were acceptable at all time. I  
4 think there may be some problem arising because of that. I have  
5 not seen this report, but my impression would be that this  
6 document reflects certain experimental work, I presume under-  
7 taken by the company designated, and the person who either  
8 undertook the experiments or reported them or summarized them  
9 should be present to give us some background, it seems to me,  
10 on how the tests were conducted and the accuracy of the  
11 report and that sort of thing.

12 Sometimes a document can be admitted through a witness  
13 who can vouch for its accuracy or indicate his reliance  
14 thereon in the preparation of his opinion. But I don't think  
15 this witness has gone that far. He has seen it. As I  
16 understand it, he goes back to the original reports for his  
17 data, and what those original reports are, I don't know. But  
18 from that statement I have the impression that this is a  
19 summary of some other reports which raises some additional  
20 problems.

21 But as to this document itself, I have great concern as  
22 to foundation. If you can speak to that, please.

23 MR. ROISMAN: Mr. Chairman, first of all perhaps  
24 I can somewhat simplify the situation here. The witness  
25 testified that with the exception of Appendix A, the document

DB-13

1 was in his opinion a compilation of already existing know-  
2 ledge. And this document has at the end of it three appendices  
3 and just before the appendices begin it has a list of  
4 references numbered 1 through 94, and if I understood the  
5 witness' testimony, he said that he read the document in  
6 detail, and that as far as he was concerned, this was an  
7 accurate compilation of the data which is included.

8 As to Appendix A, B, and C, we will remove our request  
9 that they be included, since they seem to fall within the  
10 ambit of the Chairman's concern with foundation, namely, that  
11 the person who actually prepared the independent studies that  
12 are contained in Appendices A, B and C is not here and  
13 apparently the witness is not prepared to testify with regard  
14 to the accuracy of those analyses.

15 As to the general question of the introduction of the  
16 document into evidence, what a document like this represents  
17 at least to the intervening parties is an opportunity to  
18 get before the Board a variety of sources of information  
19 without subjecting the intervenors to the substantial cost  
20 that would be involved in producing the 94 underlying docu-  
21 ments and the people who prepared each one of those.

22 We would note, at least as I understand it, that none  
23 of the parties here are objecting to the foundation question  
24 per se. They are objecting to the relevance of this document  
25 and this whole line of questioning. But they are not bothered

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

by the fact that they don't have available the original author  
of the report for purposes of cross-examination.

end #10

#11  
ln1

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CHAIRMAN JENSCH: May I interrupt?

MR. ROISMAN: Yes.

CHAIRMAN JENSCH: Is that statement correct, you don't object to lack of foundation.

MR. TROSTEN: That is not quite correct, Mr. Chairman.

Let me say this, we feel that the fact that the original author of the report is not here, we are not objecting because the original author of the report is not here. We do feel that there is a lack of foundation for this document.

We feel that what the witness has testified to does not make the document sufficiently reliable and relevant in order to provide an accurate foundation.

So in the Chairman's terms, we do say there is a lack of foundation for introduction into evidence of this document.

MR. KARMAN: Mr. Chairman, I don't know why the counsel for the Intervenor assumed that either the Applicant's counsel or myself had waived any objection to foundation evidence.

The Chairman raised this issue the other day. I certainly didn't feel I had to add at that time any question. But especially today Mr. Burley has indicated in my opinion very little reliance on this report.

CHAIRMAN JENSCH: I think we are back then to the problem of foundation for the evidence. I don't know what

ln2

1 the appendices reflect, I don't know what Intervenors are  
2 able to assemble in this regard. I think the most the Inter-  
3 venors could expect would be the witness would somehow vouch  
4 for it to the extent that it would make it valid in reference  
5 to his testimony.

6 And I am having difficulty as to whether the witness  
7 has gone that far. He did say that he felt it was accurate  
8 insofar as he could ascertain. That isn't quite enough,  
9 because I think he has got to say it is accurate, if it is  
10 accurate.

11 Then he said he had never used it, he had always  
12 gone back to the original report. So I feel there is a serious  
13 deficiency in foundation. Whether the subject matter is  
14 solely contained in that document or not, I don't know.

15 Would you care to speak further to the matter?

16 MR. ROISMAN: Not at this time, Mr. Chairman.

17 I will go ahead and question the witness on the  
18 assumption the document is not in evidence and if I feel that  
19 at a subsequent time there is a basis to answer the Chairman's  
20 concern, I will request again that the document be included.

21 CHAIRMAN JENSCH: In the meantime the objection is  
22 sustained.

23 BY MR. ROISMAN:

24 Q Dr. Burley, getting back to this acid, would you  
25 pronounce it?

A Hypiodous.



ln3

1 Q When sodium thiosulphate is used as the spray for  
2 a containment, is there any amount of hypiodous acid that is  
3 produced?

4 A There is very little information on the existence of  
5 hypiodous acid in the containment atmosphere. The compound  
6 itself is very unstable and has a very transitory existence.  
7 Therefore, the temporary existence of hypiodous acid is a  
8 very difficult problem to prove. The only information and the  
9 most complete investigation on this subject has been performed  
10 by the Staff of the Idaho Nuclear Corporation and the results  
11 have not been completely accepted by the pertinent experts  
12 in the field.

13 Even their results show that the existence of  
14 hypiodous acid in large quantities is questionable.

15 Q What is your judgment as to that subject? Would you  
16 say that there is any hypiodous acid present in the contain-  
17 ment following the loss of coolant accident, assuming no  
18 sprays are being used for the moment?

19 A The Staff has perhaps skirted that question and made  
20 the assumption of 10 percent nonremovable or difficult to  
21 remove components and that number would include any fraction  
22 of hypiodous acid which might be present.

23 Q If the spray used were sodium thiosulphate, would  
24 there be a basis for reducing that 10 percent figure as a  
25 result of the ability of sodium thiosulphate to remove whatever  
hypiodous acid might be present in the containment?

ln4

1 A I don't think there is any evidence which has been  
2 produced to date which points in that direction.

3 Q Are you indicating that there is no evidence upon  
4 which you rely, there are no calculations that have been done,  
5 or that there are no hard tests that take into account all of  
6 the variables?

7 A Well, the calculations would indicate that regard-  
8 less of whether one has sodium thiosulphate, that one would  
9 have minutely small quantities of hypiodous acid in the  
10 containment atmosphere.

11 There just isn't any experimental data on which one  
12 can rely which points to any different conclusion.

13 Q What I am trying to understand is when you say  
14 there is not any information, is it that there are statistics  
15 around which you don't consider reliable, or no one has ever  
16 said that hypiodous acid is removable by sodium thiosulphate?

17 A Nobody has ever said that, except as a matter of  
18 opinion rather than fact as it is stated that sodium thio-  
19 sulphate would remove hypiodous acid.

20 Q You mean a matter of judgment?

21 A It is a matter of conjecture, I would say, it is not  
22 even a matter of judgment. A matter of judgment requires  
23 available experimental evidence. This has not been adduced  
24 at this time.

25 Q In other words, without experimental evidence, you

ln5 1 could not have what you would consider a reliable judgment  
2 as to a subject relating to reactor safety.

3 A If one were to assume the presence of considerable  
4 quantities of hypoiodous acid, I would say one would need  
5 experimental evidence to show that fact.

6 Q I am puzzled now on the term "considerable."

7 A Of the order of even a fraction of a percent.

8 Q Is that a standard that you generally apply to  
9 determining whether or not someone's judgment is reliable, or  
10 are you only applying it to the question of hypoiodous acid?

11 A A lot of decisions in this field obviously are  
12 made on the basis of theory supported by experimental data.  
13 The production of hypoiodous acid is well understood, and  
14 all of the chemical equilibrium numbers have been published.

15 Therefore, one can calculate what concentration of  
16 hypoiodous acid one would expect in the containment atmosphere  
17 based on data which has been adduced previously and is  
18 available actually in elementary textbooks in chemistry.

19 So it is not an unknown compound, it is not a new  
20 compound. And the existence and equilibrium situation is, I  
21 think, reasonably well understood. Anyone who makes  
22 judgments on the basis of a little experimental information  
23 which are contrary to the conclusions of many experts I think  
24 has to produce a little bit more evidence before the Staff  
25 will just jump into an unknown situation.

ln6 1 Q Can you tell me, are you familiar with the process  
2 by which hypiodous acid is produced?

3 A In the case of the presence of hydroxyl ion, the  
4 process is a hydrolysis reaction.

5 Q This ion you just referred to, is that present in  
6 the containment building after a loss of coolant accident?

7 A The hydroxyl ion is the OH part of sodium hydroxide.  
8 It is also part of the OH part of water. So in the presence  
9 of water, one also has formation of minute quantity of hypiodous  
10 acid.

11 Q From what other element is the hypiodous acid --

12 A Iodine has to be present obviously.

13 Q This is elemental iodine?

14 A Elemental iodine and a hydroxyl fragment.

15 Q If I understood your testimony correctly, you said  
16 that both of these are present in the reactor containment  
17 following a loss of coolant accident.

18 Is that correct? Both of the --

19 A If you have an iodine release following a loss of  
20 coolant accident, this is the premise which has not been  
21 established, but let's make that assumption, one has the iodine,  
22 one has water, and that is all one needs to form some quantity  
23 of hypiodous acid, the fraction would be very small.

24 Q You said the presence, the assumption that there is  
25 iodine in the reactor following the loss of coolant accident

ln7

1 has not been established. You mean there is no basis for  
2 assuming that elemental iodine is there?

3 A It is conceivable, of course, that one has all  
4 hydrogen iodide. It is also conceivable even following the  
5 loss of coolant accident, if all of the engineered safety  
6 features work, that there is no release of iodine from the  
7 internal parts of the reactor.

8 Q Perhaps it would be simpler if we answered the  
9 question with regard to the assumptions made by the Staff in  
10 evaluating the effectiveness of the spray system. In that  
11 case --

12 A In that case, using the TID-14844 assumptions, one  
13 has iodine and one has hydroxyl ions.

14 Q If sodium thiosulphate were also present, would  
15 that affect the creation of hypoiodous acid?

16 A I don't think significantly. The sodium thiosul-  
17 phate, of course, also removes iodine and the iodine is  
18 depleted either by the reaction with the thiosulphate or with  
19 the hydroxyl and in either case as soon as the elemental  
20 iodine is reduced to negligible quantities, the existence of  
21 hypoiodous acid is also eliminated.

22 Q It is your testimony that there is no possibility  
23 when the sodium hydroxide comes in contact with the elemental  
24 iodine, of there being the least hypoiodous acid as a result  
25 of that reaction.

ln8

1 A That was not my conclusion. My conclusion was  
2 the quantity would be small.

3 Q And I was asking you, I understand that it is your  
4 judgment that the quantity would be small, but it will occur.  
5 Will the same thing occur if the elemental iodine comes in  
6 contact with the sodium thiosulphate?

7 A Remember the sodium thiosulphate solution also is  
8 made basic by addition of sodium hydroxide, the same situation  
9 would obtain.

10 Q In other words, there would be no differences in  
11 the amount of hypiodous acid that would be produced from the  
12 reaction of the sodium thiosulphate spray additive, with the  
13 sodium hydroxide in it, or the spray additive with only  
14 sodium hydroxide?

15 A Speaking from my experience as a chemist, I would  
16 say the difference would be very small if at all.

17 Q Small in favor of what?

18 A If one had to pick favorites, maybe one would pick  
19 sodium thiosulphate. But we are talking about negligibly  
20 small quantities to start with.

end 11 21

22

23

24

25

#12  
DB-1

1 Q I understand. Is the reaction between sodium  
2 hydroxide and iodine a reversible reaction; are there  
3 conditions in the containment following a loss of coolant  
4 accident in which that reaction might be reversible?

5 A The reaction of iodine with sodium hydroxide is  
6 reversible. Under the conditions in the containment where  
7 your ph is quite high, the equilibrium is very far towards  
8 the production of the important soluble forms and one would  
9 have to considerably reduce the ph or the alkalinity of the  
10 solution before one would expect not to essentially clean up,  
11 all of the iodine in the containment.

12 Q In your analysis of the loss of coolant accident  
13 situation, when the spray additive is sodium hydroxide, is it  
14 a fair assumption to say that there will be some reversal  
15 of the reaction between the sodium hydroxide and the iodine?

16 A Some yes. It depends on where you put your equi-  
17 librium and the equilibrium would maybe keep one elemental  
18 iodine atom or molecule in that form compared to let's say  
19 10,000 atoms in the soluble form.

20 Q Now I am talking about, when I mentioned sodium  
21 hydroxide additive, I mean in the mixtures proposed for this  
22 plant?

23 A The net effect is essentially that both solutions  
24 remove elemental iodine from the containment atmosphere at  
25 approximately the same rate, and approximately as effectively.

DB-2

1 The only difference is that the residual iodine concentration  
2 at time infinity could be a slight bit higher for the sodium  
3 hydroxide than for the sodium thiosulphate. But we are  
4 talking about hundredths of a percent. We are not talking about  
5 large quantities of elemental iodine remaining air born.

6 Q Just tomake sure I have it absolutely clear,  
7 in other..words, this reversible reacdtion doesn't occur  
8 when the spray is the one percent weight sodium thiosulphate  
9 addative, but it does occur with the sodium hydroxide, but  
10 in an amount that you consider to be negligible?

11 A It does occur all of the time. The effect at the  
12 beginning when the concentrations are high is trivial. The  
13 only place where it shows up is for very very long time  
14 periods, where one would expect to have a really very  
15 minute quantity of elemental iodine above the sodium hydroxide  
16 solution.

17 But of course at that point the iodine has also decayed  
18 and one doesn't have the same radiological hazards.

19 Q I understand. But that is a phenomena which  
20 doesn't occur if the spray is sodium thiosulphate, is that  
21 correct?

22 A The observed residual iodine concentration above  
23 the sodium thiosulphate solution is smaller, but again it  
24 is not zero.

25 Q I understand, Dr. Burley. I wonder if you would  
look at this document, BAW 10024, which you have there, and



DB3

1 if you would, direct your attention to page 4-31.

2 A 31?

3 Q Yes. Do you have it?

4 A I have it.

5 Q That particular chart purports to show a comparison  
6 between the effectiveness of the removal of gas, gaseous iodine  
7 in a loss of coolant accident as a result of tests run at CSE  
8 -- that is at Battelle, I think you said?

9 A That is correct

10 Q And the comparison is between runs A-10 and A-12.  
11 First of all, are you familiar with the runs that are  
12 purported to be shown on this chart?

13 A Yes.

14 Q To the best of your knowledge, this thing under-  
15 eath the run A-10 and run A-12, the various components that  
16 were used, is that an accurate statement of the parameters of  
17 those two experiments?

18 A I think so.

19 Q To the best of your knowledge, is the chart that  
20 is shown here an accurate description of the results of those  
21 runs?

22 A Yes, it is.

23 Q COuld you state in your own words what this  
24 comparison indicates regarding the effectiveness of sodium  
25 thiosulphate and sodium hydroxide in terms of removing  
gaseous iodine in the reactor building following a loss of

DB-4

1 coolant accident?

2 A This is a composite of the removal of both  
3 inorganic and organic iodides by both of these solutions.  
4 Therefore, a long-term difference exists between these two  
5 in terms of the thiosulphate having a higher overall iodine  
6 removal capability than the sodium hydroxide solution by itself.  
7 This reflects almost entirely the difference between the  
8 methyl iodine removal capability of that one solution,

9 to some extent the difference in equilibrium above the  
10 solutions, which as has been indicated is quite small.

11 Q This is the reversible reaction?

12 A That is correct. There has been a fair bit  
13 of controversy about the immediate effects of these two  
14 sprays during the early period which does appear to indicate  
15 that sodium thiosulphate is slightly more effective in  
16 reducing the elemental iodine concentration.

17 The staff of Battelle Northwest Laboratory thinks  
18 that some of this may be due to mixing considerations, entrance  
19 of the iodine into the containment vessels. In other words,  
20 the two experiments were similar, but in a large facility  
21 like this, it is almost impossible to run two identical  
22 experiments. And they considered that within the range  
23 of reproducibility of their results, that there is really  
24 no difference during the early period for elemental iodine  
25 removal by either sodium thiosulphate or sodium hydroxide.

DB-5

1 Q Do I understand that you say that even with the  
2 very same facility, in an attempt to run two identical tests,  
3 it is virtually impossible to do so, and when you get the results,  
4 in this case the spray additive was changed and an attempt  
5 was made to keep everything else virtually identical, that  
6 you can't always rely upon the difference shown as being an  
7 accurate difference because of inherent difficulties?

8 A That is correct. The apparent difference between  
9 these two would really amount to less than a five percent  
10 difference in effectiveness of the two solutions, if one  
11 took these as they are reproduced here.

12 Q To just deviate for a second, as I understand it  
13 from your testimony earlier, results of studies that have  
14 been run at Battelle Northwest facility, which is substantially  
15 in size, shape, different from the Indian Point 2 facility,  
16 do form the basis for the staff analysis that certain  
17 theoretical data is justified by experiments that have been  
18 run. Is that correct?

19 A It forms the first basis, yes, on which we  
20 superimpose factors of conservatism.

21 Q To make up for, among other things, this kind of--

22 A Exactly, yes.

23 Q Do you know, when you do that, how much the error  
24 might be?

25 A If you have a sufficiently large number of runs, you  
can get a better estimate of errors. For one or two runs,

DB-6

1 it is very difficult. And one has to ascribe a larger  
2 error limit. The number of runs in the CSE experimental  
3 facility in the aggregate is now greater than 10. And the  
4 statistics are fairly good.

5 Q Are the results that are shown on this chart of the  
6 differences in effectiveness between sodium thiosulphate and  
7 sodium hydroxide, have they, as far as you know, been duplicated  
8 in general -- I understand not specifically -- in other  
9 tests run either by Battelle Northwest or Oak Ridge or some-  
10 where else, to your knowledge?

11 A The general results have been duplicated in a  
12 number of different cases, both as to residual iodine concen-  
13 tration and also as to methyl iodine removal rate.

14 Q Can you summarize for me -- we are so far on the  
15 positive side of this equation. But can you summarize for me  
16 the merits of sodium thiosulphate versus sodium hydroxide  
17 in terms of their reliability and their effectiveness in the  
18 removal of iodine in the post-loss of coolant accident  
19 containment environment?

20 A Well, you put your finger on the problem. There  
21 are two sides to this coin. On the question of over-all  
22 iodine removal effectiveness, and certainly on the side of  
23 methyl iodine removal effectiveness, there is an advantage  
24 on the side of the alkaline sodium thiosulphate solution.

25 On the other side of the coin is the fact that the

DB-7

1 sodium thiosulphate system requires addition of two solutions,  
2 so one gets into the question of reliability, and also the  
3 fact that sodium thiosulphate itself is an unstable compound.

4 Q You neatly led into that for me. I was going  
5 to ask you about what is evil about sodium thiosulphate.  
6 Can you take the two features you just spoke about and expand  
7 on them a little bit for me?

8 A Shall I start on stability?

9 Q Why don't we start with the problem of having two  
10 solutions?

11 A I would rather have the other people from the staff  
12 talk about that, because I am not an engineer.

13 Q All right, go then to the stability if you wish.

14 A Thank you.

15 Q And if you don't mind, correct me if I am wrong,  
16 but I understand that sodium thiosulphate has two types  
17 that can be used, that is, that the mixture that you get --  
18 I am sorry, when I read it I had a difficult time compre-  
19 he-ding it, but it is like a plus or minus solution.

20 A I will preface my remarks by explaining your  
21 difficulty.

22 If one takes the boric acid which is injected for re-  
23 activity control, and adds only the sodium thiosulphate, one  
24 gets a solution which is acetic. And if one then either heats  
25 that solution to the temperature which one would expect in the

DB-8

1 post-accident environment, the solution very rapidly decomposes  
2 and in the process deposits substantial quantities of free  
3 sulphur and the free sulphur of course would be in solution.

4 If one, however, adds to the solution of the boric  
5 acid and sodium thiosulphate an amount of sodium hydroxide  
6 which is essentially the same as the amount of sodium hydroxide  
7 which is added to the Indian Point 2 system, then one also  
8 gets up to the same alkaline solution in the range of pH 9.5.

9 The stability of sodium thiosulphate is somewhat enhanced  
10 by this addition of sodium hydroxide, but one still gets a  
11 decomposition both by thermal and by radiation energy. The  
12 only and a major and fundamental difference is that from an  
13 alkaline solution one gets either no or negligible precipi-  
14 tation of sulphur or of sulphides, which could play havoc  
15 with the heat exchange characteristics in the core and other  
16 places in the containment.

17 So as it goes, by adding the sodium hydroxide to the  
18 sodium thiosulphate solution, you haven't really changed the  
19 stability aspects of the sodium thiosulphate, you have just  
20 changed the nature of the products which you obtain from that  
21 decomposition.

22 On the other hand, sodium hydroxide is a stable  
23 compound, it is not affected to any extent by either the  
24 temperatures or the radiation conditions which would obtain  
25 in this reactor under the post accident conditions.

DB-9

1           So this is the con of the sotry. We may  
2 have a slight advantage in terms of iodine removal effectiveness  
3 with the sodium thiosulphate, and against that we balance the  
4 problem of less stability and competent people in a number  
5 of organizations have argued the point, there is no consensus  
6 as to which is preferable. Obviously two different vendors  
7 have chosen to go the two different routes.

8           Q     As I understand it, this particular vendor has  
9 also gone both routes, one for the construction permit, one  
10 for the operating license.

11          A     I think I should maybe put that in perspective  
12 if I may.

13           I don't recall the date of the construction permit  
14 application for this particular plant, but that was in the  
15 very early stages when even the use of chemical addatives  
16 to containment spray solutions was still under discussion.  
17 There was little, if any, experimental data to indicate  
18 either the effectiveness or the stability of these solutions.  
19 And as any chemist knows, if you go into a laboratory and  
20 so mebody tells you to determine iodine, you titrate the  
21 sodium thiosulphate. This is the reagent of choice. And I  
22 think this is undoubtedly the reason why Westinghouse proposed  
23 sodium thiosulphate. It is a natural reagent that ones  
24 looks at.

25           Some of these other problems appeared later as

DB-10

1 experimental evidence accumulated and at that point the  
2 Westinghouse organization had to make a choice, do they  
3 want to go with a less stable additive or do they want to  
4 take the penalty of a slightly smaller iodine removal effect-  
5 iveness and obviously they made the choice, they have amended  
6 their application and decided that this was the preferable way  
7 to go.

8 Q Doctor, let's go back to the question of the  
9 production of solids.

10 Do I understand your testimony to be that in the  
11 conditions which exist in the loss of coolant accident, the  
12 mixture of sodium hydroxide and borated water and sodium  
13 thiosulphate will produce solids that can cause difficulty  
14 for other purposes of the reactor?

15 A The alkaline solution of sodium thiosulphate will  
16 produce no or negligible quantities of solids. The acetic  
17 solution without the sodium hydroxide added will produce  
18 sulphur and sulphides.

19 Q What are the risks then in the context of the  
20 alkaline solution ?

21 A One has to keep the pH up to a region where this  
22 will not occur.

23 Q Is the sodium hydroxide spray that is designed  
24 for this plant, it has a designed pH of 9.5, is that correct?

25 A That is correct.



DB-11

1 Q Why is it that there is a pH of 9.5?

2 A The removal effectiveness of the sodium hydroxide  
3 solution increases as the number of hydroxyl ions increase.  
4 Therefore the higher the pH of the solution, the more effective  
5 it is in removing iodine.

6 However, one has to again, in sodium hydroxide's case,  
7 balance this against the cons. If you get your solution too  
8 alkaline, you start having possible problems with alkaline  
9 corrosion materials. And 9.5 just happens to be an optimum  
10 value, where you don't have any problems in that direction  
11 and still have adequate removal of iodine.

12 Q What techniques exist to hold that 9.5 pH level  
13 in the sodium hydroxide borated water solution?

14 A Up or down?

15 Q To hold it from going down.

16 A Well, if all the sodium hydroxide is added to the  
17 solution, this is the design level, and there is no way  
18 that I can conceive which would appreciably reduce that  
19 hydroxide concentration over the operating lifetime of that  
20 system.

21 Q Then explain to me why, if sodium thiosulphate is  
22 part of the spray, there is really any problem with the  
23 possibility of the pH going below 9.5? I don't mean problem,  
24 if it does, but why you feel there is some concern that it  
25 might?

DB-12

1           A     Because the reaction which describes the decom-  
2 position of the sodium thiosulphate also uses up sodium hydrox-  
3 ide in the same process. So as you decompose the sodium  
4 thiosulphate, which we said occurs, you also use sodium  
5 hydroxide, and as you use up sodium hydroxide, the pH of the  
6 solution decreases.

7           Q     Have any statistics been prepared to indicate what  
8 the period of time is over which that would occur?

9           A     It depends on the temperature and the radiation  
10 exposure of the solution.

11          Q     Well, we are concerned here about temperature and  
12 radiation exposure in a loss of coolant accident situation.  
13 So to the extent those same parameters have been used to  
14 study sprays generally, have they ever been done to figure out

15          A     The staff calculates that one may reduce the pH  
16 of the sodium thiosulphate solution in a reactor using the  
17 alkaline thiosulphate solution in probably less than 10  
18 days under the worst possible conditions.

19                Therefore we also intend to require all the plants  
20 which use sodium thiosulphate to both be able to measure the  
21 pH of the solution and to have the ability to replenish the  
22 pH.

23          Q     Is it your feeling, when you say it reduces it,  
24 did you mean reduce it to zero, or reduce it to the point  
25 where the formation of solids starts to become a problem?

DB-13

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A We consider a pH of the order of about 7.5 which is comparable to a pH of 7 which is neutral, so it is just a little more alkaline than neutral, to be essentially the cross-over point where you have to be careful. We intend to require all of the plants which use sodium thiosulphate to keep the pH considerably above that point.

1 Q Do you foresee any difficulty involved in having  
2 that requirement, that is the addition of sodium hydroxide  
3 on a regular basis, in order to keep ph up? For instance,  
4 are there means readily available to measure the ph of the  
5 spray solution during the time that it is being used following  
6 the loss of coolant accident, and means readily available --

7 A It can be done, and of course it is not an emergency  
8 situation. One has a number of days to do this sort of thing.

9 CHAIRMAN JENSCH: While there is a pause, I  
10 wonder if intervenor's counsel can indicate how much more  
11 examination he has of this witness?

12 MR. ROISMAN: Just a few more minutes, Mr.  
13 Chairman. I received a document from the staff and I don't  
14 think that -- it didn't have a cover page on it, and it relates  
15 to this question, but I don't know what it is and I can't  
16 ask the witness about it, because I can't tell him what I am  
17 talking about.

18 CHAIRMAN JENSCH: Maybe he will recognize it.

19 BY MR. ROISMAN:

20 Q Dr. Burley, can I direct your attention to page  
21 21 of ORNL-TM-2412-1?

22 A I have it.

23 Q In the middle of the page, subsection (g), it says,  
24 "Radiolytic solids generation." It is discussing this  
25 problem that we just discussed a moment ago about the forma-  
tion of these radiolytic solids through the use of sodium

1 thiosulfate spray additive. At the bottom of the page there  
2 is a statement, "However, it should be pointed out that it is  
3 stated that thiosulfate can readily be obtained by boiling  
4 sulfur with solutions of sulfate, so under the conditions of the  
5 postulated accident, the reaction to decomposed  $S_2O_3^{2-}$  is  
6  $S_2O_3^{2-}$  should be minimal."

7 Can you tell me what that means in the context  
8 of our discussion about the formation of solids? And let me  
9 state that to my very untrained mind, I thought it meant  
10 that the conditions that exist in a postulated loss of coolant  
11 accident are such that the formation of solids is not a  
12 problem with sodium thiosulfate.

13 A This in effect says that if one has a boiling  
14 solution and if one has a sulfur, and if one has a sulfate  
15 atoms all together, then there is a chemical reaction which  
16 reduces the sulfur which may already have been formed.

17 I don't think this really changes our conclusions.  
18 We had previously said that in the case of an alkalyne  
19 sodium thiosulfate solution, that the production of free  
20 sulfur is negligible. So to go back around the circle and  
21 say the sulfur which might be formed in small quantities can  
22 again be regenerated and form a more soluble form. only  
23 essentially reinforces the idea that sulfur productions  
24 for an alkalyne solution is a negligible problem.

25 Q Would you agree with me -- would you direct your

1 attention to page 25 of that document, I guess subsection  
2 (i). Would you read it.

3 A Radiolytic ph change.

4 Q Yes.

5 Without reading it into the record, but just read  
6 through the paragraph and then read the last sentence under  
7 that subsection (i).

8 A The last sentence in that paragraph reads as  
9 follows: "The data previously reported, reference 26, have  
10 indicated some small lowering of the ph upon radiolysis.  
11 There is of course always the possibility in the real case  
12 of some reaction between metal ions present and OH to form  
13 insoluble hydroxide. If this does occur, obviously the  
14 solution will become more acetic. In any case, it should  
15 be stated that the ph of the spray solution must be monitored  
16 during the accident. If loss of basicity does occur, addi-  
17 tion of more sodium hydroxide should present no major  
18 problem."

19 Q Are you basically in agreement with that  
20 conclusion?

21 A I am not in agreement with the last statement, be-  
22 cause I think it is a hypothetical situation which has been  
23 analyzed by the staff and felt to be impossible in the  
24 Indian Point #2 case.

25 In other words, what we are talking about here, just

1 to put things in perspective, is if one has, let's say,  
2 aluminum, metal, in the reactor, and also sodium hydroxide,  
3 that it is possible and probable both, that one would form  
4 aluminum hydroxide at a finite rate and therefore use up some  
5 of the sodium hydroxide by this process, rather than having  
6 it available for iodine removal.

7 The quantity of such materials in the Indian Point  
8 #2 reactor has been analyzed by the staff and we have concluded  
9 that even if all the aluminum in the reactor reacted with  
10 the sodium hydroxide, that the ph would not be decreased  
11 below 9.1 or .2.

12 Q So there is no provision for the addition of addi-  
13 tional sodium hydroxide after a loss of coolant accident  
14 occurs?

15 A I don't think so. I would like to refer that  
16 to Mr. Kniel.

17 A (Mr. Kniel) The question was is there any provision  
18 for the addition of sodium hydroxide?

19 Q Yes.

20 A After the loss of coolant accident?

21 Q Right.

22 A The sodium hydroxide is contained in a separate tank  
23 which is added to the spray solution as it is injected. When  
24 that tank is empty, there is no present provision for adding  
25 further sodium hydroxide to that tank. However, that tank

1 is accessible, and further hydroxide could be added to it.

2 Q You mean it is on the outside of the containment  
3 building?

4 A That is correct, it is in the primary auxiliary  
5 building.

6 Q Thank you.

7 Dr. Burley, the other half of the problem that you  
8 mentioned with sodium thiosulfate, you said was somewhat  
9 outside of your area. Would you just describe it to me  
10 again?

11 What was the other problem, other than the formation  
12 of solids? I think you said it was the mixing of two --

13 A (Dr. Burley) It is the reliability of injecting  
14 two solutions versus the reliability of injecting one  
15 solution.

16 Q Can you just explain to me what you mean by that?  
17 Tell me when it gets beyond your expertise. But you mean  
18 two solutions being one that has got only sodium thiosulfate  
19 in it and one --

20 A I am referring essentially to your roll of the dice  
21 the other day, that as one wants more events to happen  
22 simultaneously, the probability, even though it may still be  
23 tremendously high, is reduced for both events occurring  
24 simultaneously.

25 Q I wasn't talking about your analysis of the



1 probabilities of there being difficulties, but I didn't  
2 understand what you meant by the use of two sprays. I  
3 thought --

4 A Two solutions. Sodium hydroxide and sodium  
5 thiosulfate are stored separately. They are not stored --

6 Q Not premixed in other words.

7 A They are not premixed. They have to be mixed  
8 during injection phase.

9 Q What you are saying is trying to make sure the  
10 mixed quantity that comes out the nozzle is exactly right is  
11 increased to some extent by having to mix three things,  
12 borated water, sodium thiosulfate and sodium hydroxide, over  
13 what it would be if you just mixed borated water and sodium  
14 hydroxide?

15 A Did you say increased or decreased? It should have  
16 been decreased.

17 Q Okay. That is correct.

18 A That is correct.

19 MR. ROISMAN: I have no further questions of  
20 Dr. Burley.

21 CHAIRMAN JENSCH: Very well.

22 We have had a long day today without having lunch  
23 because we hoped to try to permit full cross-examination  
24 of Dr. Burley, who will not be able to be with us next week.  
25 We therefore feel we cannot go forward with the further

1 procedure considerations that we had in mind.

2 The Board does desire to express some matters for  
3 the concern of the parties and it is our present contempla-  
4 tion to recess after the statement of the Board's expressions  
5 until Wednesday, in view of the fact that we are getting  
6 such a late departure out of here today that we want to  
7 give time for consideration to the motion that has been made  
8 for low power and subcritical testing.

9 And I should announce on the record a conference  
10 as to a procedural matter with a member of the New York  
11 State delegation -- ordinarily I do not like to have any  
12 conversations with any party or representative except on the  
13 record, unless I make disclosure of it.

14 I fortunately caught the gentleman who is Director  
15 of the Technological Branch I guess for the Department of  
16 Commerce for the State of New York, and he said Mr. Davies  
17 could be here on Wednesday.

18 Mr. Briggs has some expressions to present at  
19 this time.

20 MR. BRIGGS: The applicant asked whether we had  
21 any questions that his staff and others might work on while  
22 we were in recess, and so the Board did indicate here some  
23 possibility of questions. I would like to ask Mr. Roisman  
24 a question first.

25 Mr. Roisman, the intervenors have asked a number

1 of questions related to the strength of the reactor vessel  
2 and rupture of the reactor vessel. Could you briefly  
3 summarize the position of the intervenor on this subject at  
4 the present time.

5 MR. ROISMAN: I will try as best I can.

6 Basically the position is this: We believe that  
7 from what we can tell from the data that we have obtained,  
8 the applicant has not established its burden, that the method  
9 of construction that was used for this reactor vessel, testing,  
10 inspections that were carried out, were adequate to reach  
11 the assurances that there are no flaws or other -- as you may  
12 remember, we got into some argument about what the words  
13 meant -- but imperfections of some kind or other, without  
14 indicating a qualitative judgment, in the materials out of  
15 which the reactor was constructed.

16 Because we don't know, we are not sure how many  
17 there are, what size they are, there are problems, we believe,  
18 with the long term, particularly long term operation of the  
19 vessel during which time we think that those flaws or  
20 imperfections could expand become weak spots in the reactor  
21 vessel, particularly, say, in the worst possible condition  
22 of design basis loss of coolant accident occurring many  
23 years in the future, 25 to 30, or even occurring in the next  
24 four or five years, where the projected strength of the  
25 materials and the transients that would take place inside

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

of the reactor vessel might not prove out and that there might be a rupture of the reactor vessel as a result of that.

Part and parcel of that is our concern with the methods planned for inspection of the reactor vessel, to wit: The hoped for but not guaranteed 10-year inspection of the internal portion of the reactor vessel by some remote method. And our concern that they are not an absolute requirement of the technical specifications. That is not to say that our ultimate position would be that those inspections alone would remove our concern, but they certainly would help us in terms of placing reliance on the strength of the reactor vessel.

#13

ln1  
#14

1 MR. BRIGGS: Thank you, Mr. Roisman.

2 A question for the Staff: Is there a regulation  
3 that says what the design basis accident must be?

4 MR. KNIEL: Well, the general design criteria  
5 address themselves to what criteria certain systems have to  
6 meet, and they do, I believe, discuss that the primarily  
7 system, the reactor has to be capable of enduring a double-  
8 ended break in the primary system.

9 MR. BRIGGS: You say that there is a regulation  
10 that says that it must be capable of doing this. Does it  
11 say that this is the largest design basis accident that one  
12 can have?

13 MR. KNIEL: Well the only reference I was making  
14 was to the general design criteria, Appendix A of Part 50 of  
15 the Commission's regulations. I would have to look up the  
16 exact wording.

17 MR. BRIGGS: In the absence of a regulation that  
18 says what the design basis accident is, it seems that we are  
19 confronted here with a situation where the Intervenors  
20 consider the rupture of the reactor vessel to be credible,  
21 and the Applicant considering that the rupture of the reactor  
22 vessel is incredible.

23 MR. KNIEL: Under the new Appendix A, general  
24 design criteria, Appendix A of Part 50, under definitions  
25 and explanations, it says, "Loss of coolant accidents. Loss

ln2

1 of coolant accidents mean those postulated accidents that  
2 result from the loss of reactor coolant at a rate in excess  
3 of the capability of the reactor coolant makeup system from  
4 breaks in the reactor coolant pressure boundary up to and  
5 including a break equivalent in size to the double-ended  
6 rupture of the largest pipe of the reactor coolant system."

7 MR. BRIGGS: So it does not say where rupture has  
8 to occur, it just says it must be equivalent to that.

9 MR. KNIEL: That is correct.

10 MR. BRIGGS: Thank you.

11 As I indicated, the Intervenors have suggested that  
12 a rupture of the reactor vessel, a break in the reactor vessel  
13 is credible, and the Applicant's witness, I believe, the  
14 other day suggested that in his opinion this was incredible.

15 So we are sort of confronted with a situation where  
16 one says maybe it is, and the other says no, we think it is  
17 not. But I think there is considerable lack of evidence to  
18 support either position at the present time. So the Board  
19 feels that it should have more information on this subject  
20 in support of the Applicant's position and we would hope to  
21 have evidence introduced by the Intervenor in support of its  
22 position.

23 I am sure whether this information can be provided  
24 when we meet next week, but if not next week, some time in  
25 the future.

ln3

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I must say that this concern is not only the concern of Intervenors, at least it has not always been, because the ACRS published a letter, sent a letter to Chairman Seaborg in November of 1965 in which they talked about reactor pressure vessels and although they indicated their belief that the possibility of a failure, the probability of a failure of the reactor vessel was low, they also indicated that, and I quote, "Nevertheless, it seems desirable and possible to make some provisions in future designs against this very unlikely accident."

They indicated further, number one, "to reduce further the already small probability of pressure vessel failure, the Committee suggests that industry and the AEC give still further attention to methods of details of stress analysis, development and implementation of improved methods of inspection" and so forth.

And this is pretty much reflected in the research and development programs that the AEC has sponsored. As Point 2, they say, "The ACRS also recommends that means be developed to ameliorate the consequences of a major pressure vessel rupture, some possible approaches include, A, design to cope with the pressure buildup in the containment and to assure that no internal generated missile can breach the containment."

As I read the FSAR, provisions have been made in this plant to prevent missiles generated by rupture of the

ln4

1 pressure vessel from breaching the containment.

2 "B, provide adequate core cooling or flooding which  
3 will function reliably in spite of vessel movement and  
4 rupture."

5 I believe in response to a question some months ago  
6 it was indicated that the core cooling system that is provided  
7 here will not necessarily function reliably in spite of vessel  
8 movement and rupture.

9 I should not say it won't function, but it may not  
10 accomplish its purposes of flooding and cooling the core.  
11 There is a third point here which says, "If breaching the  
12 containment cannot be precluded, provide other means for  
13 preventing uncontrolled release of large quantities of radio-  
14 activity to the atmosphere."

15 Apparently, the Applicant has taken on the job of  
16 preventing the containment from being breached. The ACRS  
17 further goes on to confirm its belief that no undue hazard  
18 to the health and safety of the public exists, but suggests  
19 that "the orderly growth of the industry with concomitant  
20 increase in number, size, power level and proximity of nuclear  
21 power reactors to large population centers will in the future  
22 make it desirable, even prudent to incorporate in many  
23 reactors the design approaches whose development is recommended  
24 above."

25 In this plant the position then in the design has  
been taken that the rupture of the reactor vessel is not



ln5

1 credible and that these things need not be done. And we would  
2 like to have information supporting this position.

3 I think under the circumstances, the Board needs  
4 to know in considerable detail why the design basis accident  
5 proceeded from rupture of pipes attached to the primary system  
6 to rupture of the largest pipe in the primary system, but  
7 stopped short of rupture of the reactor vessel.

8 The information required is principally in justifica-  
9 tion that failure of the vessel is incredible. But what  
10 studies did the Staff make to justify this in their own minds?  
11 Are these studies described in reports and are these reports  
12 available? If not, would the Applicant and the Staff please  
13 provide such a justification in considerable detail.

14 What are the features of the ASME Code and the  
15 design basis that provide the necessary high degree of  
16 assurance. What are the features of the fabrication processes  
17 that continue this assurance? What are the features of  
18 operation maintenance and so forth that maintain the assurance?

19 Are there data for high pressure vessels and  
20 piping systems that have been manufactured and installed  
21 according to codes that provide the confidence in the conclusion  
22 that failure of the vessel is incredible?

23 For instance, I don't know of failures of large  
24 pressure vessels in the past year or two, but I understand  
25 that there have been at least two failures of high pressure

ln6

1 piping in large fossil fuel plants in this time and one piping  
2 failure during the testing of the H. B. Robinson II plant.

3 Presumably, this piping was installed according  
4 to particular codes. If the Applicant and Staff are familiar  
5 with such failures in the systems and their design and installa-  
6 tion were governed by codes, how should these failures be  
7 viewed in the context of deciding whether failure of the  
8 reactor vessel, for instance, is or is not credible?

9 In providing the above information, we encourage  
10 the Applicant and the Staff to be certain that it is prepared  
11 by persons who are very highly qualified in the fields  
12 involved.

13 It may be that the people who are presently  
14 Staff witnesses and Applicant's witnesses have those qualifica-  
15 tions or they may not have the qualifications.

16 I believe in Mr. Wiesemann's cross-examination he  
17 suggested that the Indian Point 2 vessel would rupture at a  
18 pressure of about 8,000 psi. I think it would be worthwhile  
19 to include information in the evaluation mentioned above to  
20 indicate the basis for such calculations and the basis for  
21 suggesting that the pressure could be this high.

22 Are there any questions concerning this information?

23 MR. TROSTEN: I have no questions at this time,  
24 Mr. Briggs. I would like to make this observation, that the  
25 Applicant has provided Mr. Briggs considerable information in

ln7

1 the Final Safety Analysis Report and also in response to  
2 informal questions which were raised by the Citizens Committee  
3 for the Protection of the Environment concerning the possi-  
4 bility or likelihood or whatever word you wish to use of a  
5 pressure vessel rupture.

6 Copies of these answers to informal questions have  
7 been furnished to the Board. Of course, the Applicant will  
8 be prepared fully to respond to you concern, Mr. Briggs,  
9 with the necessary witnesses who have the necessary qualifica-  
10 tions.

11 In the event that we have any questions, any  
12 questions occur to us after a review of the transcript, we  
13 may possibly be in communication by telegram with the Board,  
14 should this prove necessary. I am not aware of any questions  
15 that we have at this point.

16 MR. BRIGGS: Let me say I have look at, I believe  
17 the answer to most of those questions; I may have not seen  
18 them all, and in general I get the following information I  
19 believe: That the vessel was constructed according to  
20 Section 8 at the time I suppose of the ASME Code; it meets  
21 the requirements of Section 3 of the ASME Code, and it was  
22 inspected and there were good quality assurance practices  
23 used.

24 But what is it about Section 3 of the ASME Code  
25 that provides such confidence that the vessel cannot fracture?

In8

1           And then how much margin, if you wish, is there in  
2 the design of the vessel, if it is fabricated according to  
3 this?

4           I realize this involves going into considerable  
5 detail and technical matters, but I think if reports have been  
6 written that have gone into this detail, those reports could  
7 just be presented to the Board.

8           MR. KARMAN: Mr. Briggs, you mentioned some pipe  
9 failure in fossil fuel plants. Is there any particular  
10 reference you have in mind?

11          MR. BRIGGS: I am sorry, I don't have them with  
12 me. But I believe the Westinghouse people know of a rupture  
13 in the crossover piping on a turbine up in the Northeast.  
14 This is my understanding of where it occurred.

15          I believe there has also been a failure in high  
16 pressure piping in a steam plant in the Midwest.

17          Now, there may be many other failures that you  
18 people have knowledge of. I wouldn't restrict it to this.  
19 And I think you are acquainted with the failure in the  
20 H. B. Robinson II plant.

21          I just offer these as examples, that here are pieces  
22 of pipe that presumably were installed according to Codes and  
23 they did fail rapidly, maybe brittly, I am not sure. One  
24 asks now why is that Code so deficient that it permits such  
25 failures, whereas Section 3 of the ASME pressure vessel code  
is not deficient and it precludes such failures.

1 MR. TROSTEN: Mr. Briggs, just one reservation --

2 MR. KNIEL: Could I make one addition to your  
3 comments, in that the Robinson failure was during a pre-  
4 operational test.

5 MR. BRIGGS: Yes, I think the plant operator was  
6 lucky.

7 MR. KNIEL: I mean part of the program we have in  
8 assuring quality is pre-operational testing. I just wanted  
9 to state that that failure was during the pre-operational  
10 test.

11 MR. BRIGGS: Yes.

12 CHAIRMAN JENSCH: That gives you some assurance,  
13 does it? I would think you would be more concerned than  
14 ever.

15 MR. BRIGGS: No, I think that is reasonable. It  
16 shows in certain cases at least the testing procedures we  
17 had found some of these failures. One sort of asks, though,  
18 suppose there had been just a little more margin in the  
19 design -- presumably it was designed according to a code --  
20 that would make such a failure not impossible, but not  
21 very probable either.

22 MR. KARMAN: We certainly will endeavor to supply  
23 the Board and the parties with the information requested.

24 CHAIRMAN JENSCH: Mr. Briggs has some further  
25 statements.

1 MR. BRIGGS: On the inspection business, the  
2 applicant has replied to several questions that I have had  
3 on that. The last answer provided considerable information  
4 about research and development programs. I had hoped that  
5 after reviewing the information the applicant would be so  
6 confident of the status of inspection that he wouldn't like  
7 to retain the reservation in the technical specifications but  
8 apparently he is not so convinced, so it is a little difficult  
9 for me to be convinced.

10 Certainly the question concerning the cladding  
11 on the inside of the vessel that had been prepared for  
12 inspection and had been inspected after the pressure test  
13 I believe from the inside to give baseline data fulfilled the  
14 requirements of one of my questions. Apparently as I under-  
15 stand it the problem now is that of providing equipment that  
16 will make it possible to do the same measurements when the vessel  
17 is filled with water and the persons making the measurements  
18 are working from a platform above the vessel, if devices  
19 are then required for making similar measurements in piping  
20 or through holes in the shielding.

21 Could an applicant witness tell me whether that is  
22 the status of the inspection.  
23  
24  
25

1 Whereupon,

2 WILLIAM CAHILL

3 resumed the stand and, having been previously duly sworn,  
4 was examined and testified as follows:

5 WITNESS CAHILL: Dr. Briggs, the reservation  
6 we have is not that such equipment is not now available; such  
7 inspections have been made, but our interest is in the develop-  
8 ment of efficient equipment for the remote inspection, so that  
9 the outage associated with this inspection is not of excessive  
10 duration and our simple hesitancy to volunteer to give up that  
11 flexibility that the tech spec offers, which in my mind just  
12 covers a hypothetical situation where equipment is on the  
13 verge of development, maybe even in manufacture, and there  
14 is some period of time wherein some leeway might be allowed.

15 I am personally confident from having followed  
16 parts of this program that we will within the 10 years of  
17 the -- that practical equipment will be available. But it  
18 is against our principles to offer something that is not  
19 already in our pocket.

20 MR. BRIGGS: Yes. I understand.

21 I wonder if the applicant could provide some of the  
22 following information for us, -- or the staff. I did read  
23 the answers to the questions and I looked up the references  
24 that were provided in the answers to the questions, and I  
25 found things in there that were very interesting and that

1 would improve the efficiency with which one could make  
2 the inspections, but I didn't find anything in there that  
3 indicated what work was being done to develop the actual  
4 device that would be required for going down and making the  
5 measurements.

6           So could the applicant or the staff please provide  
7 the Board with references, if they exist, and if the inspec-  
8 tions have been done, to reports that describe the in-service  
9 inspections and the results that have been obtained from the  
10 reactor vessels for the Shippingport Reactor, Dresden #1,  
11 Yankee-Rowe, San Onofre, Connecticut Yankee -- if any  
12 inspections have been made there, and any other plants.  
13 In other words, references to reports that describe the  
14 inspections, the equipment that has been used, and the results  
15 of the inspections.

16           I have two other questions here. One that may  
17 draw some objection. I am not sure. It has to do with  
18 the removal of the crucible and I suspect it is in the same  
19 category as the sodium thiosulfate spray. But could informa-  
20 tion be provided on the amendment and date of the amendment  
21 that requested or proposed the indicated removal or indicated  
22 the removal of the crucible, the date that any letters were  
23 returned to the applicant from the AEC indicating approval for  
24 such removal, and then any reports of documents that were  
25 prepared other than those that indicated considerations that



1  
2 were involved in deciding to remove the crucible and in  
3 accepting the removal.

4 MR. TROSTEN: Mr. Briggs, at least some of that  
5 information, perhaps not all of it, was provided in the  
6 response to the questions raised by the Board on March 24.

7 MR. BRIGGS: Yes. If there is any additional  
8 information, I would like to have that.

9 MR. TROSTEN: All right. Any additional information  
10 that you just identified, not already furnished.

11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
end jrb

DB-1

1 Mr. BRIGGS: That is right. There was one other  
2 short one and that is the following. There was some talk  
3 about single failure criteria or design according to single  
4 failure criteria.

5 Could the Applicants provide for us a reference in the  
6 FSAR, if it is there, to the back-up that is provided or the  
7 effect of failure of a single component such as the refueling  
8 water storage tank, and whether that is considered to be  
9 a component in this sense?

10 MR. TROSTEN: Yes, Mr. Briggs.

11 CHAIRMAN JENSCH: Very well, if there is nothing  
12 further, at this time we will recess to reconvene in this  
13 room on Wednesday, July -- did you have something further?

14 MR. TROSTEN: I was waiting until you were  
15 finished.

16 CHAIRMAN JENSCH: I am about to adjourn, so if  
17 you have something, proceed.

18 MR. TROSTEN: I simply wanted to inquire of Mr.  
19 Roisman, I guess, whether he intends to start of f the next  
20 session of the hearing with cross-examination of Mr. Davies  
21 and whether he has any other intention with respect to the next  
22 session?

23 MR. ROISMAN: Mr. Chairman, we still have the  
24 parallel session, which I assume will be held on that  
25 Wednesday, and I am amenable to any arrangement the Board

DE-2

1 wants to make as to when to hold that. If we can start  
2 with that, I think I have maybe an hour and a half.

3 CHAIRMAN JENSCH: Very well. We might consider  
4 the parallel procedure first thing in the morning and  
5 consider that the public hearing would reconvene at 11 o'clock.

6 Would that be agreeable to the parties?

7 MR. TORSTEN: Yes.

8 MR. ROISMAN: That is fine.

9 MR. KARMAN: Yes.

10 CHAIRMAN JENSCH: Does that conclude your statement?

11 MR. ROISMAN: The only other thing, to answer Mr.  
12 Trosten's question, would be the questioning of Mr. Davies  
13 and ultimately questioning on the emergency core cooling  
14 system.

15 CHAIRMAN JENSCH: Very well. We will have some  
16 recess I take it before the latter item is reached.

17 MR. ROISMAN: That is my understanding.

18 CHAIRMAN JENSCH: Very well. At this time this  
19 public hearing will recess to reconvene in this room at  
20 11 o'clock on July 21, 1971, for further consideration of  
21 the matters related to the application of Consolidated Edison  
22 Company.

23 (Thereupon, at 4:15 p.m. the hearing was  
24 recessed, to reconvene at 11:00 a.m., Wednesday,  
25 July 21, 1971. )

REGULATORY DOCKET FILE COPY

RETURN TO REGULATORY CENTRAL FILES  
ROOM 016

5703 06 10 0

6

REGULATORY DOCKET FILE COPY