

Acc

REGULATORY DOCKET FILE COPY

UNITED STATES ATOMIC ENERGY COMMISSION



IN THE MATTER OF:

CONSOLIDATED EDISON COMPANY OF
NEW YORK, INC.

(Indian Point Station, Unit
No. 2)

Docket No. 50-247


ORAL ARGUMENT

**RETURN TO REGULATORY CENTRAL FILES
ROOM 016**

Place - Bethesda, Maryland

Date - Wednesday, 9 January 1974

Pages 1 - 176



FEDERAL REPORTERS, INC.

Official Reporters
415 Second Street, N.E.
Washington, D. C. 20002

NATIONWIDE COVERAGE

Telephone:
(Code 202) 547-6222

340

REGULATORY DOCKET FILE COPY

8110150017 740109
PDR ADOCK 05000247
PDR

CR3820
Al:ro

UNITED STATES OF AMERICA
ATOMIC ENERGY COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

----- X
 :
 In the matter of: :
 :
 CONSOLIDATED EDISON COMPANY OF : Docket No. 50-247
 NEW YORK, INC. :
 : ORAL ARGUMENT
 (Indian Point Station, Unit :
 No. 2) :
 :
 ----- X

Fifth Floor
East-West Towers,
4350 East-West Highway
Bethesda, Maryland

Wednesday, 9 January 1974

Oral Argument in the above-entitled matter was
convened, pursuant to notice, at 9:15 a.m.

BEFORE:

- WILLIAM C. PARLER, Presiding Chairman
- DR. JOHN H. BUCK, Member
- DR. LAWRENCE R. QUARLES, Member

APPEARANCES:

- LEONARD M. TROSTEN, Esq., 1821 Jefferson Place, N. W.,
Washington, D. C. 20036; on behalf of the Applicant.
- MYRON KARMAN, Esq., Office of General Counsel,
United States Atomic Energy Commission, Bethesda,
Maryland; on behalf of the AEC Regulatory Staff.

ro

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

JAMES P. CORCORAN, Office of Attorney General, Two
World Trade Center, New York, New York 10047; on
behalf of the State of New York.

ANGUS MACBETH, 15 West 44th Street, New York, New
York 10036; on behalf of Intervenor, Hudson River
Fishermen's Association.

C O N T E N T S

	<u>PAGE</u>
1	
2	
3	
4	
5	
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

ORAL ARGUMENT OF:

LEONARD M. TROSTEN

On behalf of the Applicant

6

ANGUS MACBETH

On behalf of the Hudson
River Fishermen's Association

48

JAMES P. CORCORAN

On behalf of the Attorney
General, State of New York

74

ANGUS MACBETH

On behalf of the Hudson
River Fishermen's Association

110

JAMES P. CORCORAN

On behalf of the Attorney
General, State of New York

134

MYRON KARMAN

On behalf of the Office of
General Counsel, AEC

138

REBUTTAL ARGUMENT OF:

LEONARD M. TROSTEN

On behalf of the Applicant

159

ANGUS MACBETH

On behalf of the Hudson
River Fishermen's Association

173

P R O C E E D I N G S

#1
arl

1
2 CHAIRMAN PARLER: The oral argument session will
3 now commence.

4 The purpose of this session is to hear oral
5 argument on various issues which concern the impact of
6 operation of Indian Point Unit No. 2 on the environment.
7 These issues have been raised by certain of the exceptions
8 which have been filed to the September 25, 1973 initial
9 decision of the Licensing Board.

10 That initial decision authorized issuance of a
11 full-term, full power license for Indian Point Unit 2 subject
12 to certain conditions.

13 One of those conditions is that operation of
14 Unit No. 2 after May 1, 1978 be permitted only after a
15 closed cycle cooling system has been installed and placed
16 in operation.

17 For the benefit of the record, I will now ask
18 counsel who will present argument this morning to give us
19 their names.

20 MR. TROSTEN: Mr. Chairman, my name is Leonard
21 M. Trosten. I will present argument on behalf of the
22 Applicant.

23 CHAIRMAN PARLER: Thank you.

24 MR. MACBETH: Mr. Chairman, my name is Angus
25 Macbeth. I will present argument on behalf of the Hudson

1 River Fishermen's Association.

2 MR. KARMAN: My name is Myron Karman. I will be
3 representing the Regulatory Staff.

4 CHAIRMAN PARLER: Thank you, Mr. Karman.

5 Is counsel for the Attorney General of the
6 State of New York here?

7 I note that the weather conditions outside are
8 not good. We have experienced this morning snow, sleet,
9 and freezing rain, and in view of that, in view of those
10 conditions, we will recess for an appropriate period of time
11 to await the arrival of Mr. Corcoran or inquire as to
12 his whereabouts.

13 We will recess at this time.

14 (Recess.)

15 CHAIRMAN PARLER: The oral argument session is
16 reconvened.

17 About a minute or so ago we recessed to await
18 the arrival of counsel for the Attorney General's Office of
19 the State of New York. Up to that point, prior to the recess,
20 I stated the purpose of this session and also received
21 the names of counsel for the Applicant, the Hudson River
22 Fishermen's Association, and the Regulatory Staff, who
23 would present argument this morning.

24 Is Mr. Corcoran here?

25 MR. CORCORAN: Yes, sir.

1 CHAIRMAN PARLER: You will present argument for the
2 Attorney General's Office of the State of New York?

3 MR. CORCORAN: Yes.

4 CHAIRMAN PARLER: The time allotted for the
5 respective parties is set forth in our December 21, 1973
6 order. That order also identified the areas of inquiry
7 and their related portions of the evidentiary record which
8 we want the oral argument to focus on.

9 In presenting their argument, counsel can proceed
10 on the assumption that we are familiar with the assertions
11 made by the respective parties in their briefs that have
12 been filed with us. We plan to take a luncheon recess
13 around 12:30 and reconvene at 2:00 p.m. this afternoon to
14 complete the argument.

15 We will hear first from the Applicant.

16 Would you please proceed, Mr. Trosten?

17 ORAL ARGUMENT OF LEONARD M. TROSTEN, ON
18 BEHALF OF THE APPLICANT.

19 MR. TROSTEN: Mr. Chairman, Dr. Buck, Dr. Quarles,
20 the issues facing you today are critically important for a
21 number of reasons.

22 It has been concluded by the Licensing Board that
23 an irreversible commitment to a closed cycle cooling system
24 must be made, and this decision is going to cost the
25 people in Con Edison's service area about \$20 million a year.

1 for almost the next 30 years, and it is going to result in
2 a significant derating of the Indian Point 2 facility,
3 thereby increasing the demand for oil and other scarce
4 energy resources.

5 Furthermore, it is going to pose an unquestionably
6 major esthetic burden on people who live in and enjoy the
7 Hudson River Valley around the area. It may subject these
8 people to an environmental burden of an as yet undetermined
9 magnitude.

10 There have been thousands of pages of testimony
11 and exhibits that have been produced in this hearing, and yet
12 in the last analysis the issues that you have to decide are
13 relatively straightforward.

14 As a matter of logic, you should not adopt the
15 Licensing Board's decision unless you are convinced that
16 it is likely that there will be an irreversible impact
17 on the Midatlantic striped bass fishery during the period
18 from May 1, 1978 to September 1, 1981 as a result of the
19 operation of a once-through cooling system at Indian Point,
20 and that a research program to evaluate the actual, as
21 opposed to the speculative, environmental significance of
22 operating the once-through cooling system can produce the
23 necessary information quickly enough to avert such possible
24 damage.

25 If, as we argue, the evidence does not support

1 both of these conclusions, then it follows that you should
2 modify the Licensing Board's initial decision to allow time
3 for completion and evaluation of Con Edison's research study
4 on the impacts of both once-through and closed cycle cooling,
5 and the best means of mitigating that impact.

6 DR. QUARLES: Mr. Trosten, you mentioned 1981,
7 and are you committing the Applicant to that date under any
8 circumstances?

9 MR. TROSTEN: We have suggested that a condition
10 be put in that once-through cooling cannot continue beyond
11 September 1, 1981, unless the results of our research
12 program demonstrate and Con Edison is able to demonstrate
13 that there is a better means than closed cycle cooling
14 to have in operation by September 1, 1981.

15 DR. QUARLES: That last is what I was getting at.
16 Thank you.

17 MR. TROSTEN: Yes, sir.

18 Now, Con Edison, with the advice of its
19 expert consultants, has analyzed the probable impact of
20 the Indian Point operation on the river over the next decade
21 and has concluded that it will neither be irreversibly or
22 substantially adverse.

23 In addition to the opinion of the experts, there
24 has been introduced in evidence in this hearing a computer
25 simulation model which is designed to predict the impact

1 on the striped bass population of once-through cooling.
2 This model that has been introduced on behalf of the Applicant
3 conservatively predicts a 2 to 4 percent reduction in the
4 annual recruitment of the striped bass and a result of the
5 Indian Point Plants, 1 and 2, in contrast to the 30 to 50
6 percent reduction that has been predicted by the Staff.

7 This prediction assumes some degree of compensation
8 which is a biological phenomenon shown by the expert testimony
9 to be present in all animal populations.

10 It also makes more realistic predictions
11 concerning the actual behavior of larvae in the river and
12 the extent of mortality of the entrained organisms than
13 set forth in the testimony of the Staff and the Intervenors.

14 Where did the Licensing Board commit its
15 fundamental error, as we assert? That is what we are seeking
16 to explore today.

17 On the first of the two basic issues I mentioned,
18 the Licensing Board found the postulated damage would not be
19 irreversible during the period prior to September 1, 1981,
20 and we contend that this flaws the Board's entire ruling.

21 Stated very simply, we contend that the Board
22 did not carry out an adequate balancing of cost and benefits
23 as required by NEPA, and it is up to the Appeal Board to do
24 this job correctly.

25 The Licensing Board's errors resulted in part

1 from a misinterpretation of the law which led it to believe
2 that protection of a fishery from possibly substantial damage
3 was the Commission's primary responsibility under NEPA,
4 and that the burden rested upon the Applicant to prove
5 conclusively that such possible substantial damage could not
6 occur.

7 As a result, the Board failed to give adequate
8 weight to the evidence presented to it concerning the
9 anticipated environmental impact of once-through cooling,
10 as well as the possible effects of closed cycle cooling,
11 and the best means of proceeding with the operation of the
12 plant in the light of the admittedly existing uncertainties.

13 The Licensing Board performed a cost-benefit
14 balance, all right, but what they did was to place their
15 thumb on the scale, and it is up to the Appeal Board to
16 rectify this error.

17 In your order of December 21, you carefully
18 identified the crucial point which should be identified,
19 and I will go into these in order.

20 The first and more important issue concerns the
21 nature and extent of the impact upon the mid-Atlantic
22 fisheries, particularly the imposition of a proposed closed
23 cycle cooling system.

24 In responding to the question, one must remember
25 that the impact of the plant operation on the Hudson River

1 itself is acknowledged to be insignificant. It is the impact
2 on the mid-Atlantic fishery that is crucial here.

3 The possible adverse impact upon the mid-Atlantic
4 fishery of once-through cooling operations for the period
5 through September 1, 1981 alone could not possibly justify
6 on the basis of a cost-benefit analysis and the record of
7 this hearing the imposition of closed cycle cooling prior
8 to that date, unless it were also concluded that the
9 fishery would probably be irreversibly harmed by once-
10 through operation during that period of time.

11 Surely this statement has to be correct when
12 the balance is drawn on a monetary basis as the Board
13 correctly recognized on page 106 of its decision.

14 The importance of this conclusion is underscored
15 by the Board's recognition that the actual impact on the
16 striped bass fishery may be much less than the \$3 million
17 to \$6 million that the Board postulated, and in light of
18 Applicant's testimony that indeed it very probably is much
19 less.

20 It is also true that by no stretch of the
21 imagination can the postulated impact of this plant on any
22 unquantified esthetic and spiritual values, in quotes, which
23 may be assigned to the fishery over the next five to eight
24 years offset the other disparity in these monetary values.

25 In this respect, both the Intervenors and the

1 Applicant set up a straw man and then proceeded to
2 knock it down. Their arguments that the Applicant wants
3 this Board to ignore unquantified values are specious. We
4 want the Appeal Board to give such values their appropriate
5 weight.

6 So it is the essence of the position of both
7 the Applicant and the Regulatory Staff that it is the likeli-
8 hood of the irreversible damages that have to be averted
9 here. NEPA requires a rational attempt be made where
10 possible to ascertain and weigh the costs and benefits of
11 proposed actions, and unless it is likely that irreversible
12 damage will occur to the mid-Atlantic striped bass fishery
13 during operation of Indian Point 2 prior to September 1,
14 1981, an adequate opportunity should be afforded to evaluate
15 the benefits and costs of proposed alternative measures
16 for reducing the observed environmental effects of operation.

17 This is precisely the course of action that we
18 have recommended.

19 In sum, we say it would be utterly inconsistent
20 with NEPA and the Calvert Cliffs decision to require an
21 irreversible and irretrievable commitment of resources in
22 the absence of a demonstrated need to avoid an irreversible
23 impact on the mid-Atlantic striped bass population, and
24 indeed such a result would constitute just such an arbitrary
25 and capricious act as the courts have refused to uphold.

1 Even if the Board's inflated estimates, we submit,
2 of reductions in the mid-Atlantic striped bass population
3 were correct, and we assert they are not correct, the actions
4 of the Board could not be justified on a reasonable cost-
5 benefit basis, unless it were also probable that the results
6 of these percentage reductions would be an irreversible
7 adverse impact on the mid-Atlantic population.

8 You have asked for clarification of the term
9 "irreversible." We believe that the definition given by
10 the Staff in the Final Environmental Statement is the correct
11 one, and I quote from the Final Environmental Statement,
12 page 9-1.

13 "Irreversible commitments generally concern
14 changes in environmental resources that could not be
15 restored at some later time."

16 This definition expands somewhat on the dictionary
17 definition of "irreversible."

18 "That which is incapable of being changed or
19 reversed," And both the Staff's definition and the dictionary
20 definition convey the notion that irreversible damage is
21 permanent and that if it were possible to restore a situation
22 at a later time, an act could not be considered irreversible.

23 There should not be disagreement on the basis
24 of the record in this proceeding that the operation of
25 Indian Point 1 and 2 Plants through September 1, 1981 will

1 not create irreversible effects.

2 Con Edison's witnesses express their opinion
3 based upon their years of professional experience, and first-
4 hand familiarity with Indian Point Plants, and the Hudson River,
5 that operation through this period will not create
6 irreversible effects.

7 The record contains ample evidence which supports
8 the opinion of the Applicant's experts.

9 For instance, there are numerous instances in which
10 fish populations sustain annual removals of 25 to 30 percent
11 and in some cases rising as high as 75 percent of many
12 years without harm to the population.

13 DR. QUARLES: Could you give us a reference to
14 some of that?

15 MR. TROSTEN: Yes, sir. That particular reference
16 appears in the testimony of Dr. McFadden of October 30, on
17 page 14, and in other portions of the testimony.

18 I can give you the specific references to the series
19 of these, or I can supply these for the record, if you would
20 prefer, Mr. Chairman, whichever you would rather have me do.
21 As I go along, or after the argument, whichever you would
22 prefer.

23 CHAIRMAN PARLER: If you supply them for the record,
24 which you may do so promptly, within five days, and send a
25 copy of whatever you supply to the other parties, and the

1 other parties should be given and will be given time to
2 comment on those references, an additional five days after
3 they receive your citation.

4 MR. TROSTEN: This would be acceptable to me,
5 Mr. Chairman. I was thinking merely in terms of time. I
6 would be delighted to do it either way that the Board would
7 prefer.

8 CHAIRMAN PARLER: I think it will be fine for the
9 record under the guidelines I have just stated.

10 MR. TROSTEN: Thank you.

11 Striped bass populations fluctuate in abundance
12 because of natural causes in a six-fold range, and there
13 are larger variations in year class strength. This indicates
14 that there is a substantial capability of a population to
15 absorb changes which exceed even the exaggerated predictions
16 of the Staff and the Intervenors.

17
18
19
20
21
22
23
24
25
el

CR 3820

A 2

Reba 1

1 CHAIRMAN PARLER: I would like to ask you a question,
2 Mr. Trosten. These natural fluctuations, do they apply to
3 the age group zero striped bass, or subsequent to age group?

4 MR. TROSTEN: Mr. Chairman, the particular changes
5 that I was referring to apply to total population fluctuations.
6 There are -- I would have to go back to check the record to
7 see the particular extent of the fluctuations of the less than
8 1 year old striped bass.

9 It is certainly known, as I tried to indicate a moment
10 ago, that the variations in year class strength are much larger
11 than a six-fold variation. That part is known. It is generally
12 considered that the striped bass is -- that the size of the striped
13 bass year class is set, I would say, approximately at the end
14 of the first year.

15 I think that is a correct statement. I will make
16 that subject to checking. So I would say that in general the
17 answer to your question is that there are very large fluctuations
18 in year class size and that this would imply, this would infer,
19 that there are very large fluctuations in the size of the less
20 than one year old, the zero-plus year class.

21 CHAIRMAN PARLER: I asked the question, and I had
22 in mind page 4-24 of the environmental technical specifications
23 requirements which are a part of this license, and there is
24 a statement there that, "the calculations of the fractional
25 year class affected by entrainment are not sensitive to yearly

A12

1 fluctuations in year strength,"and so forth.

2 Why don't you proceed?

3 MR. TROSTEN: Yes. Let me perhaps in the break,
4 Mr. Chairman, examine that particular quotation that you read.
5 The striped bass in New York waters have persisted or even
6 increased in numbers during periods of increasing exploitation
7 by man, and recent catches have been 9 times greater than those
8 in the early 1930's.

9 Furthermore, it is common for natural survival of
10 striped bass to be reduced over a number of successive years
11 without damaging the fish stock. A single year class may dominate
12 the population for several years. The fact that striped bass
13 spawn over a period of up to ten years also provides a buffer
14 against the impact on the total population of even a succession
15 of weak year classes.

16 In addition to these facts that have been introduced
17 into evidence and are part of the record here, there are the
18 results of the applicant's model studies which have also been
19 introduced in evidence, which show relative modest reductions
20 in striped bass populations.

21 I want to emphasize at this point that the applicant's
22 position that the impact of the plant is not going to have an
23 irreversible effect is not dependent upon the results of the
24 applicant's model studies. The applicant model studies support
25 and confirm the opinions that have been expressed, but they are

Al 2

ba 3

1 not the sole basis by any means. They are a supporting basis
2 for the opinions that have been expressed.

3 The staff agreed with the applicant that operation
4 of the plant through May 1, 1978, will not create irreversible
5 effects. More importantly, the board itself found that operation
6 through September 1st, 1981, would not create such effects,
7 and thus, and I can trace this for you in the following manner.
8 In referring to the period prior to May 1, 1978, the Board said
9 "It is the further opinion of the Board that the increment of
10 damage to the fishery that would be avoided by restricting
11 operations during the winter and early summer over this period
12 is reversible, and that the fishery will rapidly recover from
13 such increment of damage if appropriate measures are then taken."

14 Then in discussing the Applicant's request for
15 additional time to complete its research program, that is,
16 to delay the start of construction of closed cycle cooling,
17 the Board concluded on page 100, "the Board agrees with the
18 Applicant that there is unlikely to be a serious permanent
19 effect on the fishery by delay of a year or two in starting
20 construction of a closed cycle cooling system."

21 I also refer the Appeal Board specifically to the
22 licensing board response to the Applicant's finding, D-35,
23 H-10, and O-28 and 29. Thus the Applicant and the Board agree
24 that no irreversible effects will occur prior to September 1,
25 1981.

Al 2

pa 4

1 CHAIRMAN PARLER: Excuse me. What was the reference
2 that you gave to the initial decision to reinforce your statement
3 that the Board found there would be no irreversible effect upon
4 the fisheries by -- if open cycle cooling were allowed to con-
5 tinue until September 1, 1978?

6 MR. TROSTEN: I gave a series of four or five referen-
7 ces. The quotation from page 92 that I read, the quotation
8 from page 100 that I read, and also the licensing board's response
9 to our finding D-35, H-10 and O-28 and 29. The reason why those
10 particular responses were cited, Mr. Chairman, when you take
11 the initial decision and look at it, you will see that it is
12 clear that where the Applicant suggested that the impact would
13 neither be substantial nor irreversible, the Board proceeded
14 to reject our finding in part and to conclude that it would be
15 substantial, never rejecting the part of our finding, and indeed
16 I argue impliedly accepting the finding that it would not be
17 irreversible.

18 In other words, they have taken the position that
19 it would not be irreversible, but it would be substantial, and
20 this is the basis for their decision.

21 CHAIRMAN PARLER: Your position is that if it would
22 not be irreversible, but would be substantial, substantial to
23 the point that there would be an obvious impact on the Hudson
24 River Fisheries under the National Environmental Policy Act,
25 that that is all right?

A1 2

Reba 5

1 MR. TROSTEN: Under the conditions of this case,
2 Mr. Chairman, I would say, as the Appeals Board pointed out,
3 in the Maine Yankee case, it is not necessary that a minimal
4 environmental standard be met by the licensing or the operation
5 of a reactor. You can license a reactor even if there is some
6 damage to the environment. I am saying that under the con-
7 ditions of this case, given the evidence that has been intro-
8 duced, given what we have termed an irreversible and irretrievable
9 commitment of resources to cooling towers, it would be appro-
10 priate even if there were some damage, even if there were
11 damage on the order postulated by the Board, which we say is
12 not a correct estimate, it would still be proper to give more
13 time to allow an estimate to be made as to whether this was
14 a real amount of damage.

15 CHAIRMAN PARLER: What is the Applicant's position
16 as to the real amount of damage that would require mitigating,
17 action?

18 MR. TROSTEN: Well, Mr. Chairman, we have taken a
19 position on that, and in response to the licensing board
20 request we have taken the position that if we see a 40 percent
21 impact on the less than 1 year old striped bass in the Hudson
22 River or a 32 percent impact on the mid-Atlantic region at the
23 conclusion of our research program that we would propose a
24 mitigating measure which would be closed cycle cooling towers
25 unless the results of our research program and our study of

Al 2 1 alternate mitigating measures indicated there were another better
ba 6 2 means of it mitigating such damage.

3 Now we have not taken this -- that position, Mr.
4 Chairman. I would like to emphasize, on the basis that we feel
5 that such impact would be irreversible. We have taken that
6 position on the basis that this was the order of magnitude of
7 harm that was postulated by the staff and all the evidence we
8 have seen thus far indicates that we are not going to see this
9 order of magnitude.

10 Furthermore, it is clear to us that we are able to
11 measure impacts of that magnitude readily, and so we have taken
12 the position that if we see impacts of that sort, we will take
13 the mitigating measures that I have indicated. Am I being
14 responsive?

15 CHAIRMAN PARLER: Well, yes. What do these percent-
16 tages actually mean? What does the 40 percent mean? Forty
17 percent of a year class, or 40 percent of the entire population
18 of the fish in the Hudson River, or what?

19 MR. TROSTEN: The percentages that we are referring
20 to are percentages of a year class. That is the percentage
21 that we are looking to, that our program is designed to protect.
22 Our program is designed to detect a percentage impact on a
23 particular year class. It is then possible by the use of one
24 of the mathematical models, of the Applicant's mathematical
25 models, and only the Applicant's, to translate such an impact

A12
a 7
1 conservatively into the total population, into the long-term
2 impacts on the population, because the Applicant has developed
3 a 13-year life cycle model of the striped bass. It is not
4 actually possible to do this with the other models, because
5 they only deal with the annual recruitment on the striped bass
6 but that is the answer to your question.

7 CHAIRMAN PARLER: Won't you continue?

8 DR. QUARLES: May I ask a further question on that?
9 Will your research program distinguish between the 40 percent
10 effect due to the plant and the 40 percent natural fluctuation
11 that you just mentioned as being possible?

12 MR. TROSTEN: Yes, it will be, and this is the
13 essential part of our position. We have taken the position
14 in the face of the criticisms of the program that have been
15 voiced that our program is capable of distinguishing a 25
16 percent impact of the plant on the less than 1 year old striped
17 bass in a particular year at the 95 percent confidence level,
18 and that we can distinguish these through mechanisms that are
19 used, that are commonly used, for example, in distinguishing
20 the effect of the percentage mortality due to automobile
21 accidents and on a known human population relative to the
22 percentage of mortality on that population due to heart disease,
23 cancer, tuberculosis, and so forth, but we can use those tech-
24 niques and the careful measurement of the biological and physical
25 parameters present in the Hudson River to distinguish the

Acc-Federal Reporters, Inc.

A1 2

1 plant impact from the natural variations.

ba 8

2 DR. QUARLES: Thank you.

3 MR. TROSTEN: We turn to what the position has been
4 of the other parties on the question of whether an additional
5 3 and 1/3 years of operation from May 1, 1978 until September
6 1, 1981 would probably have an irreversible effect. We note that
7 the Regulatory Staff's position was quite tentative. They
8 theorize that the effect of once through cooling for the
9 additional 3 and 1/3 years might possibly cause irreversible
10 effects, and I refer you to transcript page 9408.

11 However, they cited no cogent reason for their choice
12 of one date over another. Moreover, the record contains ample
13 evidence which demonstrates that the Staff's hypothesis is un-
14 founded, including the testimony of the Staff's principal
15 witness, Dr. Goodyear, that the Hudson River fishery improved
16 markedly in a few years after the size limit was increased in
17 1938 which allowed more and younger fish to spawn, and I refer
18 you to transcript page 6677.

19 There is also similar evidence of marked increases
20 after changes in fishing regulations in the Chesapeake Bay,
21 and I refer you to Dr. Lawler's testimony of February 5, 1973 on
22 the contribution of the Hudson River to the Mid-Atlantic at page
23 9. Now the Hudson River Fishermen's Association has tried
24 a different tack. First they advance what I submit to you is
25 an absurd definition of irreversibility, namely that an effect

Al 2

ba 9

1 which occurs during a particular period is "irreversible and
2 permanent during that period."

3 I refer you to the Hudson River Fishermen's Asso-
4 ciation brief, page 32. In addition to disregarding the English
5 language, that concept utterly distorts the underlying NEPA,
6 Section 102(2)C(5). Obviously what Congress had in mind when
7 requiring federal agencies to describe and consider any ir-
8 reversible commitment of resources should it be imposed in the
9 action if implemented, refers to the harm which if once taken
10 cannot be repaired.

11 The AEC is directed by the statute to consider the
12 consequences of steps out a ten-story window before stepping
13 out of the window.

14 The Hudson River Fishermen's Association argument
15 that agencies must consider other than irreversible effects
16 is beside the point, because nobody quarrels with that. It is
17 the weight to be given the cost-benefit analysis in this case
18 that is at issue here. FRHA also considers the time necessary
19 to reverse the effect, and I don't argue with that, but their
20 suggestion that we have not considered the time frame in which
21 substantial damage to the fishery would be repaired is contrary
22 to the record, and I refer the Appeals Board to pages 36 and
23 38 of the July transcript.

24 Instead the evidentiary record demonstrates that if
25 such a severe adverse impact should occur, it would be reversible

Al 2
ba 10

1 by natural means within a period of a few years. This is because
2 of the reasons I cited a few moments ago which show the natural
3 resilience of the striped bass stock in the face of population
4 fluctuations, and this would be the case even without considering
5 the effects of such measures as have been proposed in this case
6 as stocking or changing the fishing regulations which could be
7 used to supplement natural reproduction and which the evidence
8 shows has had a marked and very rapid effect on changing the
9 natural reproduction.

10 In summary then the Appeals Board should rule that
11 to justify the imposition of an irreversible commitment to a
12 closed cycle cooling system prior to September 1, 1971, it is
13 necessary to find that your reversible damage would be done
14 prior to that date, and the evidence does not support such
15 a conclusion.

16 I would like to address briefly a point I believe
17 the Board had in mind in formulating its point of inquiry and
18 which the Chairman raised a moment ago, namely the various
19 mitigating methods alternative to once through cooling and the
20 adverse effects which might be of such significance that
21 these mitigating measures should be employed.

22 I want to lay at rest a point which runs through
23 the brief of the intervenors, namely that Con Edison opposes
24 cooling towers and is offering the research program as an
25 alternative. This is not the case. It has been the company's

A1 2

eba 11

1 position that the present information is not adequate to describe
2 whether closed cycle cooling is necessary, but if the information
3 developed during the Hudson River research study shows that
4 modification of the once-through system were necessary, Con
5 Edison itself would propose it.

6 It is extremely significant that there are a number
7 of mitigating measures under study which could be used to reduce
8 the environmental impact of once-through cooling, and these
9 are, for example, reduced flow during periods of entrainment
10 and impingement. The use of air curtains and various alterations
11 of the operation of the once-through cooling system, mitigating
12 measures which apply to both entrainment and impingement losses
13 could be implemented if substantial adverse effects were ob-
14 served anytime before September 1, 1981.

15 So there is no need to wait until the end of this
16 period to decide whether these measures are needed or to use
17 them.

18 CHAIRMAN PARLER: What would be the criteria for
19 these substantial adverse effects? The environmental technical
20 specifications have some details in them, as I understand them.
21 What has to be done in the case of impingement losses, that is,
22 but what are the criteria for mitigating actions in the event
23 of entrainment losses?

24 MR. TROSTEN: I would submit that there are several
25 criteria that we have put forward, and these are contained in

A1 2

1 the testimony of Dr. McFadden and Mr. Woodbury on the research
2 program. We have suggested that we could employ mitigating
3 measures if we were to see a large decrease in the -- in a
4 particular year stage of fish which we could not account for by
5 natural means, or if we were to see, for example, a change in
6 the growth rate in the fish, or an apparent change in the sex
7 ratio of the fish which would indicate to us that there was
8 possibly a significant impact occurring on the fish population.

9 Are the types of criteria that we would use to deter-
10 mine whether we should implement one of these mitigating measures
11 -- now, of course, and this, I think, is a terribly important
12 thing to bear in mind, the judgment that Con Edison would apply
13 as to what the cost-benefit balance was in a particular case,
14 whether we should reduce flow, whether we should use less pumps,
15 whether we should use any of the mitigating measures available
16 is not a judgment that it would exercise in a vacuum by any
17 means.

18 All of the data would be available to the Atomic
19 Energy Commission Regulatory Staff, to the intervenors, to the
20 State of New York. They have the authority to require us to
21 take action, and they have required us to take specific action
22 that they developed in the case of impingement losses. If one
23 of these agencies felt that there was some action that was so
24 significant in their judgment, whether Con Edison agreed with
25 that judgment or not, that it was necessary to take a mitigating

A1 2

1 measure, they could order us to take a mitigating measure.

eba 13

2 CHAIRMAN PARLER: What agencies other than the AEC
3 specifically conduct surveillance over your research?

4 MR. TROSTEN: The Department of Environmental Research
5 of the State of New York. The extent to which the EPA or other
6 New York State Agencies monitor this I can't say at the moment,
7 sir. I know the Department of Environmental Conservation
8 definitely does this, so there are those two.

9 CHAIRMAN PARLER: Are these research data provided
10 informally or otherwise as a matter of course?

11 MR. TROSTEN: Yes, sir, both formally and informally
12 as a matter of course to the other agencies.

13 CHAIRMAN PARLER: What arrangements do you have,
14 if any, for providing this information to the Hudson River
15 Fishermen's Association?

16 MR. TROSTEN: We have made a commitment to the Hud-
17 son River Fishermen's Association that all research reports
18 when they are completed will be submitted to the Hudson River
19 Fishermen's Association. This was an understanding we reached
20 with them at the time the technical specifications were being
21 developed.

nd 2

CR

Aca-Federal Reporters, Inc.

25

cr3820
#3 dhl

1 DR. BUCK: Mr. Trosten, has the Staff or the Hudson
2 River Fishermen's Association, or both, had any input into the
3 formulation of the research or the monitoring program?

4 MR. TROSTEN: Yes, sir, they very definitely have.
5 We propose to the Staff a research program which is essentially
6 the research program that was set forth in the testimony in
7 this hearing. The Staff examined that research program, the
8 Oak Ridge National Laboratory examined it in conjunction with
9 the Staff and the Staff made a number of modifications in the
10 research program.

11 In some respects, they modified it to be more exten-
12 sive than the research program that we can actually propose, and
13 we accepted those modifications. The Staff in some cases
14 actually imposed criteria. The particular criteria on
15 impingement losses was required by the Staff.

16 We never had proposed that specific requirement, but
17 they imposed it, and they required that it be included in the
18 technical specifications. They could have required a
19 similar technical specification concerning other aspects of
20 mitigating measures and harm, had they chosen to do so.

21 DR. BUCK: They have been brought up to date on the
22 program as it developed, is that right?

23 MR. TROSTEN: Yes, sir, and they will be kept up to
24 date on the program as it develops.

25 DR. BUCK: The reason I ask that question, Mr. Trosten,

dh2

1 is that in the last days record, I believe it was, of the regular
2 hearing, if I can find this, following transcript page 11220,
3 there are some papers by, first of all, Mr. Lawler, and then
4 there are two papers by Dr. Goodyear.

5 The second paper, dated April 24, 1973, is entitled
6 "Staff Comments on Applicant's Research Program," and on the
7 next page following the title page, it is entitled "Research
8 Program."

9 Dr. Goodyear states, and this is the second sentence
10 I believe, "it is the Staff's belief that the research program
11 underway will be quite capable of producing beautifully quantita-
12 tive information related to the description of the changes which
13 may or may not be occurring in the population of fishes in
14 the river."

15 Do you know on what basis he makes the criticism that
16 your research program may or may not be measuring the population
17 changes?

18 MR. TROSTEN: Dr. Buck, I cannot say that I understand
19 the reasons why Dr. Goodyear has expressed this opinion. On
20 several occasions during the course of the hearing, Dr. McFadden
21 introduced testimony in response, and I will supply for the
22 record the particular response to that assertion that was made,
23 I believe on April 24, by Dr. Goodyear, and this matter is also
24 dealt with in our findings and conclusions. We are aware that
25 Dr. Goodyear is of the opinion that we cannot -- that our research

dh3

1 program will not be able to distinguish between plant-induced
2 effects and those effects which result from natural year to year
3 fluctuations in the populations.

4 We have never been able to learn to my satisfaction
5 the reasons why he feels that we cannot do this, although we
6 know that he definitely feels we cannot do this.

7 It is particularly confusing to us as to why he
8 feels we cannot do this when the Staff has specifically agreed
9 that we will be able to detect a 25 percent change in the less
10 than one year old striped bass at the 95 percent confidence
11 level.

12 They have accepted that particular finding. Why
13 Dr. Goodyear or the Staff feels that somehow we are not going
14 to be able to distinguish this, I am frankly not able to say,
15 but I know that he has maintained that opinion, he has expressed
16 it and the Staff has expressed it in their findings.

17 DR. BUCK: You know of no evidence on record, then,
18 that would back up that statement?

19 MR. TROSTEN: I know of no evidence other than the
20 opinion of Dr. Goodyear.

21 DR. BUCK: I know the opinion is there. I found that,
22 but what I am interested in is whether you know of any evidence.

23 MR. TROSTEN: Dr. Buck, I cannot point you to any
24 evidence that would support the opinion of Dr. Goodyear other
25 than the fact that that is his opinion.

dh4

1 DR. BUCK: All right. Thank you.

2 CHAIRMAN PARLER: In addition to the Staff accepting
3 your finding, it is my understanding that the licensing board
4 in its initial decision at Page 109 also found that should
5 adverse environmental effects be observed during the period of
6 time, up until May 1, 1978, appropriate steps could and would
7 be taken to limit such effects.

8 MR. TROSTEN: That is exactly the case, Mr. Chairman.
9 The licensing board specifically agreed with us, and the
10 Staff specifically agreed with us that if adverse effects were
11 seen before May 1, 1978, that steps could and would be taken,
12 and that licensing board mention, or stated as I mentioned earlier,
13 that if adverse effects occurred, they would be reversible.

14 So these are two very, very important facts about the
15 licensing board's opinion.

16 Now, just to conclude on this point, I would like
17 to reiterate that there is certainly no need to wait until the
18 end of this period to apply measures. Everyone agrees that at
19 least one of the methods that has been discussed, reduced flow,
20 would be effective, particularly if one makes the same assumptions
21 of 100 percent mortality of entrained organisms that are used
22 by the Staff and the Board in its initial decision.

23 In other words, if they are all going to be killed,
24 when you run them through -- it doesn't make any difference if
25 you decrease flow, which increases time and temperature and the

dh5 1 delta T across the condensors.

2 We don't find ourselves in a situation where, if
3 the dire predictions of the Staff and the intervenors actually
4 turn out to be correct, if we really are talking about a situation
5 of 30 to 50 percent, which we say is not the case, that we would
6 find ourselves in an out of control situation with nothing to
7 do until the cooling towers are built.

8 This is not so. We have a range of mitigating measures
9 that could be employed during this period of time.

10 Now, you have asked for argument on the adequacy
11 of the applicant research program to detect biologically important
12 changes in sufficient time to protect, or to permit corrective
13 ~~action to be taken. We have covered this to some extent already.~~

14 On this critical question, the Staff and the Intervenor
15 suddenly reversed their field. They have been predicting severe
16 consequences to the fishery, and they insist that these data and
17 the modeling techniques that have been developed in this hearing
18 are adequate to justify these dire predictions.

19 Yet somehow, when they are confronted with the
20 unquestionably better organized, better financed, more closely
21 supervised research program that is undertaken by Con Edison now,
22 now they decide that this program is inadequate to detect whether
23 these serious consequences are even being borne out. I submit
24 this is a non sequitur.

dh6

1 on schedule, or has there been some slippage? What is the
2 situation?

3 MR. TROSTEN: The recent program is proceeding on
4 schedule, Mr. Chairman, and I might add that during 1973, I think
5 it is fair to say that more information has been collected about
6 the range and occurrence of life stages in the river than has
7 been collected in all the previous years.

8 DR. BUCK: The plant has been shut down for some
9 period of time?

10 MR. TROSTEN: Yes.

11 DR. BUCK: How are you carrying out the research as
12 far as entrainment?

13 MR. TROSTEN: During 1973, the pumps were run, but
14 because the plants were not at power, we did not have the
15 delta T.

16 DR. BUCK: You were able to get entrainment information?

17 MR. TROSTEN: That's correct, we were able to get
18 entrainment information.

19 DR. BUCK: Thank you.

20 MR. TROSTEN: The Applicant's program is generally
21 described in the environmental technical specifications. As
22 I say, the specifications were reviewed, revised, and approved
23 by the regulatory staff, and the program is monitored also by
24 the federal and state agencies, Hudson River Policy Committee and
25 by the Fish Advisory Board.

dh7

1 We have repeatedly stated the willingness to modify
2 the program so that we are confident that new perspectives that
3 arise can be factored into the program. The basic purpose of
4 the program which began four years prior to the startup of
5 Indian Point 2 is to observe changes in key biological and
6 physical parameters and project the short and long-term effects
7 of any changes.

8 The study is intended to be completed in 1976, thereby
9 allowing the effects of partial plant operation in 1973 and full
10 operation in 1974 and 1975 to be taken into account. The
11 key part of the study which goes to the heart of the controversy
12 is the population study of bass and white perch.

13 What our plan involves is to estimate the abundance
14 of striped bass in the estuary prior to entrainment and then
15 estimate by actual counting at the plant the number
16 that are entrained and impinged at the plant and then to estimate
17 the number surviving at the estuary at the end of the year.

18 Then as I mentioned before, we are then able to
19 separate out by using standard computational devices, the
20 percentage mortality caused by the plant and the percentage
21 mortality due to other causes in the estuary.

22 If we have the three basic pieces of information, what
23 we start with, what went on at the plant and what we end up with,
24 we can then figure out what was the result of other causes in
25 the estuary other than caused by the plant.

dh8

1 Now, an integral part of this study is the monitoring
2 of certain key fish population parameters to determine the
3 significance of the impact on striped bass and white perch.
4 What I talked about determining a percentage impact, that does
5 not tell you what does this mean in terms of the population. What
6 we will do to determine that in addition to having the basic
7 information about how many of the less than one year old fish
8 are being killed, is an estimate of the age composition of the
9 population, the growth rate, the population density of various
10 age groups, and if we should see some unusual change in these
11 various 6 or 7 parameters that we are looking at, we will then
12 be able to form an informed judgment as to whether or not the
13 impact that we are actually seeing at the plant is significant
14 from a population standpoint.

15 Now, these changes will be monitored to determine
16 whether there are serious exploitations of the population
17 occurring, and as I mentioned, we have established 7 or 8
18 criteria to determine whether such exploitation is occurring,
19 and I refer the Board specifically to the testimony of Dr.
20 McFadden and Mr. Woodbury of February 5, 1973.

21 Such methods of monitoring impact on other populations
22 have been demonstrated with other species.

23 Now, a critical aspect of our program which will
24 separate out the year to year, the known year to year variability
25 in the striped bass population is that we will be estimating the

dh9

1 striped bass egg production as a point of departure in each
2 particular study year. This feature helps remove the year-to-year
3 variability of egg production from the analysis and it gives us
4 a firm beginning point.

5 This feature together with a measurement of a large
6 number of physical and biological parameters and our ability
7 to correlate these parameters with observed effects will enable
8 us to distinguish plant impacts from normal year to year variations
9 and other man-induced changes, such as the operation of other
10 power plants.

11 An additional reason for confidence in our approach
12 is that the major area of impact of the plant is expected to be
13 on the less than one year old class of striped bass. Therefore,
14 if we confine our assessment to that less than one year old
15 year class, and we show that we have a relatively minor impact,
16 then it is clear that there can be more of an impact passed on
17 into later years.

18 On the other hand, if a substantial impact were
19 actually detected in those earlier years, it would be relatively
20 conservative to estimate that the thing passes on unmitigated
21 onto the older stages of the population even though it is possible
22 It might very well be that such an impact would be partially
23 offset by a compensatory response in the older age group.

24 We would do this through the 13-year life cycle model.

25 Therefore, it is not necessary for us to have a

dh10

1 research program which would actually physically monitor the
2 complete life cycle of the striped bass empirically, because
3 of the method that I have just explained.

4 As part of our research program, we are going to be
5 carrying out an electrophoretic study. This is a means for
6 determining by different protein levels in the various fish
7 where they come from. There will be a tagging program conducted
8 by the federal and state governments which was undertaken in 1972,
9 by the way, in August of 1972, and is scheduled to be completed
10 just over a year from now.

11 We submit that this federal-state tagging study will
12 reasonably be expected to provide in concert with our work by
13 1977, the information needed to confirm the significance of
14 the Hudson River's contribution to the fishery.

15 The argument made by HRFA that a 5-year program can't
16 do this, because you have to follow the whole life cycle are,
17 I would submit, completely off-base, because the way to find
18 out what the Hudson River raise of striped bass is contributing
19 to the fishery is not to trace a live group for 7 or 8 years,
20 but to taking the fish and see if they go out in the Mid Atlantic,
21 and vice versa. That is what this program is about.

22 You can do that now. You don't have to wait for 5
23 years.

24 The licensing board has expressed concern that the
25 Applicant's research program would be unlikely to resolve what

dh11

1 the Board considers to be the questions. We submit they have
2 approached this from the wrong viewpoint. The key thing here
3 is not whether the research program can detect small, subtle
4 effects. The key question here is whether the program could
5 probably detect by January, 1977, the plant impact which was
6 potentially so serious that it might produce irreversible
7 damage before September, 1981, unless mitigating measures were
8 taken.

9 If the program is capable of doing that, then a
10 proper evaluation of cost and benefits indicated the program
11 should be allowed to become completed, because as the Board
12 recognized on Page 100, there is unlikely to be a serious
13 permanent effect upon the fishery in a delay of a year or two
14 in starting the construction of a closed cycle cooling system.

15 CHAIRMAN PARLER: You have about 10 minutes of your
16 allotted time left, and the Board would certainly like to hear
17 from you during the time that you have left on Item 5, which
18 concerns the environmental impact, the closed cycle cooling
19 system.

20 MR. TROSTEN: Yes.

21 Mr. Chairman, let me address that question first,
22 and then I would like to cover it, and cover two other points.

23 The licensing board, we submit, as far as the
24 environmental impact of the closed cycle cooling system has
25 certainly failed to look at this from the proper viewpoint.

dh12

1 Whereas before their entire approach was characterized as one
2 of complete conservatism, there certainly is no such evidence
3 of conservatism in the case of reviewing the possible effects
4 of the closed cycle cooling system.

5 Where does the Board, for example, where does it
6 conclusively demonstrate that the salt drift from a tower will
7 not harm the vegetation. Where does the Board get the assumption
8 that the vegetation will not be harmed by the salt drift.

9 No one could dispute that such damage might occur in
10 the same sense that all factors might be equal to one and there
11 might be no compensation operative in the river, but where is
12 the evidence that shows this is the case?

13 The fact that this might be the case, evidenced by
14 the recent comments by the New York State Department of
15 Environmental Conservation on Indian Point 3 draft environmental
16 statement, which is not in the record in this proceeding, but
17 it indicates as follows:

18 An additional negative condition is the possible
19 defoliation of Bear Mountain and Hudson Highland State Park
20 by the saline spray from wet cooling towers. The report of the
21 Directorate of Licensing of the AEC fails to account for the
22 prevailing southerly winds. The Hudson Valley is unique in
23 that for --

24 CHAIRMAN PARLER: I assumed you would contain yourself
25 to matters in the record, unless there is something you want us

dhl3

1 to take official notice of.

2 MR. TROSTEN: Yes, Mr. Chairman. No, we are not asking
3 official notice be taken of this. We are suggesting this is
4 illustrative of a point we are saying.

5 Now, take the matter of severe fogging and icing of
6 roads and airports and other facilities that might be in the
7 environment of Indian Point. We do not have high level
8 meteorological information applicable to the emission that is
9 going to be coming out of this very tall 400 to 500 feet tall
10 cooling tower.

11 We have meteorological information which has been
12 collected with regard to the Indian Point 1 and 2 plants
13 covering ground level releases and aspects of meteorology, but
14 we have not collected information on the building of cooling
15 towers, because we had not planned to build cooling towers at
16 Indian Point.

17 The same could be said with regard to the acoustic
18 emissions on nearby residences and chemical blowdown from the
19 cooling tower. We are not suggesting that the environmental
20 impact from these things are so serious that they actually are
21 going to be severely adverse.

22 We are suggesting that we do not have the information
23 at the present time, and we submit that a review of the record
24 in this proceeding, particularly transcript pages 6965 to 6983
25 indicate that the Board has given a perfunctory consideration

dh14

1 based on a feeling it has that everything is going to turn out
2 all right.

3 We submit that kind of feeling is not a substitute for
4 the analysis NEPA calls for here, and enough time should be allowed
5 to enable us to complete the analysis of closed cycle cooling so
6 a correct judgment could be made in this situation.

7 DR. BUCK: I believe you have such a research program
8 underway.

9 MR. TROSTEN: Yes.

10 DR. BUCK: What is the status of that program, and
11 what are you doing to obtain meteorological data at the
12 500 foot level, for example?

13 MR. TROSTEN: There is a program underway that
14 commenced in September, 1973, which involves the tower and the
15 floating of balloons, and which involves an estimate through the
16 use of the tower and the balloons --

17 DR. BUCK: What height tower is it?

18 MR. TROSTEN: 400 feet on a 100 foot elevation.
19 500 feet in all.

20 DR. BUCK: Excuse me. I interrupted you.

21 MR. TROSTEN: Essentially, the answer to your question
22 is that the program is underway, it is a year's program, we do
23 not have the information available and will not have all the
24 information available for all of the four seasons by March 1,
25 1974. The program will be concluded for the four seasons in

dh15

1 September, 1974.

2 DR. BUCK: I believe the AEC has a research program
3 going on on salt drift. Is that still going?

4 MR. TROSTEN: Yes, research program is going. We
5 are going to have the benefit of that particular program. The
6 thing we are particularly concerned about, and the reason why
7 we have requested the Boyce Thompson Institute to study this is
8 that we are concerned with the saline drift on the vegetation
9 in the Hudson Valley.

10 We are concerned that saline drift does not have an
11 adverse effect upon vegetation which does not accommodate to saline
12 drift which would be the case on a site located near the ocean.

13 DR. BUCK: Do you have any idea what the status of
14 that program is?

15 MR. TROSTEN: I can't give you an answer.

16 DR. BUCK: You don't know whether that will be
17 available by September, also, then?

18 MR. TROSTEN: I am sorry, sir, I would have to supply
19 that answer.

20 DR. BUCK: Thank you.

21 DR. QUARLES: I have a question regarding the initial
22 decision. You are due to submit an environmental report by March
23 1, 1974. What is the status of that. Your research program is
24 not going to be complete, from what you said.

25 MR. TROSTEN: We have been directed to submit an

dh16

1 environmental report by March 1, 1974. It is going to be inade-
2 quate, because we don't have the information we feel necessary
3 in terms of what AEC will want of us, and probably in terms of what
4 other agencies will want of us.

5 We have said that over and over again. We will have
6 it by March 1, 1974.

7 CHAIRMAN PARLER: You have an exception to that, I
8 believe.

9 Assuming this Board does not grant your requests
10 for leave in that regard, to extend the date to December 1, 1974,
11 you will comply with the March 1, 1974 date, and submit an
12 incomplete report?

13 MR. TROSTEN: Yes, sir, we must submit the report as
14 it is a condition of our license.

15 Mr. Chairman, I gather that my time has expired.

16 CHAIRMAN PARLER: You have a couple of minutes left.

17 MR. TROSTEN: All right.

18 I would just like to address myself to two points,
19 Mr. Chairman, and one concerns the basic standard of proof that
20 has been propounded to us here.

21 What the Board in effect has done here is to say
22 that the standard of proof that must be used is invariably
23 adverse to the Applicant. Time after time, and in all the
24 really critical issues in this case, F factors, compensation, the
25 ability of a research program to detect serious harm, the

ch17

1 feasibility/ of a stocking program, and in fact, all the major
2 parts of the case except the closed cycle cooling system, the
3 Board demands that the Applicant "conclusively prove" its case.

4 What the Board has done is to accept implicitly the
5 notion advanced by the Intervenors that the Applicant has the
6 burden of proof, and until the Applicant proves its case, the
7 Board must accept the contention of the other parties even
8 though they have not proved this case.

9 This is sheer nonsense and has lead the licensing
10 board into reversible error.

11 The portion of the record cited "HRHA" means that
12 the prponent of an order in this proceeding, that is, the Regu-
13 latory Staff and the Intervenors proposing an order be issued
14 conditioning our licenses on closed cycle cooling, have as much
15 of a burden of proof as the Applicant does.

16 Furthermore, it is clear from an analysis of this
17 provision and the regulations and the section of the APA from
18 which it was adopted, Section 556(d). That that provision is
19 irrelevant by the conditions conducted by the AEC.

20 Section 2.732 was included in the Commission's
21 regulations to implement the Commission's licensing responsi-
22 bility under the Act. The entire statutory scheme of NEPA is
23 different from the statutes from the concept of the burden of
24 proof --

dh18

1 that with regard to NEPA issues that the Applicant doesn't have
2 any burden?

3 MR. TROSTEN: I would say with regard to NEPA issues,
4 every party has an equivalent burden of proof. With regard to
5 NEPA issues, the burden essentially, Mr. Chairman, is placed
6 upon the Agency in a sense to justify that the action has been
7 procedurally and substantially in accordance with NEPA. The
8 Applicant does not bear a unique burden of proof under NEPA.

9 What should be done is to take the evidence and weigh
10 it impartially and not place any artificial burden on any party
11 to the proceeding. That is the basic point I am making.
12 Fundamentally, what the Intervenors are saying here, and this
13 is a terribly important point, because in view of the extremely
14 uncertain area of ecological matters, if you were to adopt the
15 reasoning of the Intervenors, and it were up to the Applicant
16 to prove that something is going to happen, but it were not
17 up to them to make equivalent proof that something is going to
18 happen, you would tilt the balance in favor of those who are
19 postulating a severe adverse effect, and we submit that that is
20 not at all what NEPA says.

21 Furthermore, to do that would utterly subvert the
22 underlying purpose of NEPA. What the Board is supposed to do
23 is weigh the evidence on the basis of what the evidence is,
24 not on the basis of who offers the evidence. It is supposed
25 to perform an independent balancing, and not decide, when in

dh19

1 doubt, decide in favor of the Intervenors and the Staff, or when
2 in doubt protect the environment.

3 That is not what NEPA is about. It is supposed to per-
4 form an independent balancing, and not impart some artificial
5 burden to any one party.

6 CHAIRMAN PARLER: Suppose the preponderance of the
7 evidence one way or the other isn't conclusive, you have maybe
8 a standoff. What is an agency supposed to do?

9 MR. TROSTEN: If you ever got to that case, Mr.
10 Chairman, of a complete standoff, I would suggest that the
11 thing to do would be to look at the consequences of the
12 action that is being proposed in this case, which is to spend
13 \$20 million a year for the next 30 years and then I would say,
14 "Let's give ourselves an extra three and a third years to
15 decide whether we really have to do this." It if ever got to
16 that case, I think that is what you would have to do.

e3

17 Thank you, Mr. Chairman.
18
19
20
21
22
23
24

#4

AS/fml
CR3820

1 CHAIRMAN PARLER: Thank you, Mr. Trosten.

2 Mr. MacBeth, would you proceed, please, in support
3 of the Hudson River Fishermen's Association, etc.?

4 ORAL ARGUMENT ON BEHALF OF
5 HUDSON RIVER FISHERMEN'S ASSOCIATION

6 By
7 ANGUS MACBETH

8 MR. MACBETH: Mr. Chairman, Dr. Buck, Mr. Quarles:
9 I will in the course of discussing the basis for the exceptions
10 taken by the Hudson River Fishermen's Association to some
11 extent go over the ground that Mr. Trosten has covered in his
12 opening statement, but, of course, I have a period of response,
13 and I do not want lack of covering all of the range of issues
14 that the Applicant touched on to indicate that I do not have
15 a response later in the argument to those points.

16 CHAIRMAN PARLER: That is quite all right, Mr.
17 Macbeth. Proceed along those lines.

18 MACBETH: The case before the Board today is ex-
19 tremely important for the Hudson River. The Hudson is a
20 great estuary, one of the major estuaries of the East Coast,
21 rich in spawning grounds and habitat of anadromous and resi-
22 dent fish. Contrary to the popular belief that large parts
23 of the Hudson River are little more than an open sewer, the
24 reach of the River from the north to Haverstraw Bay in the
25 south are becoming more clean, with the investment that the
State of New York is making in pollution control and they are

fm2

1 indeed, an extremely rich area for aquatic biota.

2 This particular proceeding, this proceeding is
3 concentrated on the striped bass population of the Hudson
4 River for the very obvious reason that it is one of the
5 most important game and commercial fish in the River, and
6 it is also the fish about which we know most. Most research
7 over the years has been done on the life cycle and habitat of
8 the striped bass. But the Board should not forget that many
9 other fish are also resident in the River, and the striped
10 bass can be assumed to be the same for the fish with similar
11 spawning habits and life cycles. Alewives, American shad,
12 and one can go down a long list of fish that are in the Hudson
13 River affected by this decision. We concentrated on the
14 striped bass, but that should in no way indicate the other
15 fish are not of concern, in his environment on the banks
16 of the Hudson, which has been changing very rapidly over the
17 past 10 years.

18 Ten years ago, there were two power plants with
19 once-through cooling on the River, the Lovett plant
20 and the Danskammera plant. We have added Indian Point 1, and,
21 of course, today we are addressing Indian Point 2 at 865
22 megawatts, and five miles downstream last year and this year,
23 the 1200 megawatt plant at Bowline, 2600 megawatt units, and
24 22 miles north of Indian Point, Roseton plant, again with 1200
25 megawatts and once-through cooling.

fm3

1 So there is an enormous impact from once-through
2 plants on the River, and the Indian Point 2 plant must be
3 seen in the context of that overall assault on the River's
4 aquatic biota by the once-through cooling systems.

5 The case is also very important in terms of NEPA,
6 and in terms of the research that has been done on the River.
7 I think it is fair to say that the National Environmental
8 Policy Act had as its major precursor the First Scenic Hudson
9 Case, which, in 1965, the Second Circuit Court of Appeals
10 said to get a license for the Storm King plant. An entire
11 study of the fisheries of the Hudson River would have to be
12 undertaken. So nine years ago the Applicant in this proceed-
13 ing, which is also the Applicant in the Storm King license
14 undertook to finance that kind of research and exploration
15 of the River. That produced the Hudson River Fisheries
16 Report of 1965 and 1968, a fundamental body of factual
17 material which in connection with a number of other studies
18 that have been made, has been the large factual basis on
19 which this enormous hearing record has been based.

20 We also see in terms of NEPA in this case that the
21 so-called action force and requirements of the impact state-
22 ment have in fact here truly forced action. I think there is
23 probably no other case where an alteration in a existing
24 project or scheme of this magnitude has been undertaken as a
25 result of NEPA, and I think to a large extent that is true

fm4

1 because we have had the long years of research and work on the
2 River that came out of the First Scenic Hudson Case. Con
3 Edison's research has borne fruit. The problem for Con Edison
4 is to research the results of the research and see when the
5 bad news comes in, the answer is not put off to another day,
6 but when nine years of research have been done, and they
7 indicated the kinds of effects and the great magnitude
8 set out both by the licensing board and the staff of the
9 AEC and the Fishermen.

10 DR. BUCK: Is there reference to the tremendous
11 damages that will be caused by Storm King you are referencing
12 now? You are saying that there have been results, and
13 the results show very serious damage.

14 MR. MACBETH: I meant to say, and I am afraid I
15 phrased that badly, in a great deal of research that has been
16 done in connection with the Storm King application, that the
17 Hudson River Fisheries Investigation was a document prepared
18 for that case. Both the staff of the Atomic Energy Commission
19 and the Fishermen have presented evidence to the AEC that
20 there will be great impact from the Storm King Case.

21 DR. BUCK: That is what I am trying to get at. You
22 are saying evidence is in this case that there will be a
23 major impact?

24 MR. MACBETH: No, I did not say that, and I did not

fm5

1 want to introduce it. What I wanted to say was that we have had
2 a course of nine years of research, and the document prepared
3 for the Storm King Case was the basic document on which the
4 evidence in this case was founded and from which all the
5 experts work. Out of that, the indication of major impact
6 at Indian Point has come. It is on the basis of that data.

7 DR. BUCK; That is what I am trying to find out,
8 what basis, what data is it in this report that indicates
9 the major damage, and what report is it you are talking about.
10 Are you talking about the Carlson-McCann report?

11 MR. MACBETH: Yes.

12 DR. BUCK: At what point do they indicate major
13 damage?

14 MR. MACBETH: They do not.

15 DR. BUCK: I would like to know what evidence there
16 is there.

17 MR. MACBETH: The Carlson-McCann report does not
18 show major damage; both the AEC and the Hudson River Fisher-
19 men's Association indicated in this record, but more fully
20 before the FPC that the calculations at the end of the Carl-
21 son-McCann report which calculated the amount of withdrawal
22 of eggs and larvae from the River are fundamentally flawed
23 and , in fact, something like ten times the damage that
24 Carlson and McCann themselves indicated would, in fact, take
25 place.

fm6

1 DR. BUCK: So you are saying that the Carlson-
2 McCann report does not indicate a damage, but now you are saying
3 that those data are at fault?

4 MR. MACBETH: No. I am making a distinction between
5 the factual data on which everyone has relied in this proceed-
6 ing and the conclusions and calculations that Carlson and McCann
7 made from those data. I think there has been no dispute in
8 this proceeding that the Carlson-McCann data are very good
9 data, but there has been great dispute as to the calculations
10 Carlson-McCann made on the basis of the data. Principally,
11 they treated the withdrawal of water by the Storm King
12 plant as coming from what is planned at 100,000 cubic feet
13 per second, which is the average tidal flow, rather than cal-
14 culating the downstream flow, which is considerably less,
15 and thus the withdrawal by the plant is considerably more.

16 DR. BUCK: You are saying there is a belt effect
17 here that is being calculated on Indian Point that should
18 have been calculated at Storm King?

19 MR. MACBETH: Yes. I think the models built --

20 DR. BUCK: Is that introduced in this hearing?

21 MR. MACBETH: Yes, there is evidence in the pro-
22 ceeding that there are flaws in the Storm King calculations,
23 and in the Carlson-McCann conclusions.

24 DR. BUCK: But not with the data itself?

25 MR. MACBETH: No, not with the data itself.

Ruff 1

DR. BUCK: Thank you.

ke 5

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NR, MACBETH: On the basis of the data from

the Carlson-McCann report and other studies undertaken on the river, and of course knowledge of the life cycles of striped bass both in other parts of the country and particularly in the Middle Atlantic region, the parts of each buildup have a complex model that follow the striped bass when they come back from the sea and drop their eggs in the fresh water area and these eggs are carried in the salt wedge area and they are circulated for a certain period of six, eight to ten weeks after hatching, and are bouyant in the water.

Then they are withdrawn from the river and passed through the pumps of the plant into the water box, they are given a heat shock of approximately 15 degrees, and then passed back into the discharge canal and down the channel, and on the analysis of the period when Indian Point 1 was operating, the Delta T, the present Indian Point 2, something like 7.5 percent of the organisms that were there were found dead at the end of the discharge canal.

No studies were done on the effect of the living organisms.

DR. BUCK: What organisms are swept back and forth for a period of 3 to 10 weeks?

R2

1 MR. MACBETH: The striped bass as eggs, young
2 larvae and young juveniles. They gain more mobility,
3 but in the first eight weeks, they are not truly free
4 swimming.

5 DR. BUCK: Are you saying that all the eggs and
6 all the larvae hatched, are hatched in the Indian Point
7 area?

8 MR. MACBETH: No, they are largely hatched up-
9 stream, and the eggs float only for a couple of days
10 before hatching.

11 DR. BUCK: How can they all be down in the
12 Indian Point area for ten weeks?

13 MR. MACBETH: They are not all there.

14 DR. BUCK: But you say all are swept back and
15 forth for a period of eight to ten weeks.

16 MR. MACBETH: The organisms move down-
17 stream--

18 DR. BUCK: How long does it take them to get
19 down there?

20 MR. MACBETH: You cannot put a precise period
21 on it.

22 DR. BUCK: How long does it take the ones further
23 up to get there and what size are they when they get
24 there?

25 MR. MACBETH: I would like to be able to check

R3 1 the transcript, but my memory of the situation is that the
2 bulk of the organisms reach the salt treated region a few
3 days after hatching.

4 DR. BUCK: Is it not true that a great many
5 fingerlings of the striped bass are found above
6 Indian Point 2?

7 MR. MACBETH: There are fingerlings found on the
8 shoals in Newberg Bay but the vast majority of them
9 are further downstream than that. I am not contending
10 all are there.

11 DR. BUCK: What is the evidence of that?

12 MR. MACBETH: The evidence is in the final
13 environmental statement itself where the AEC staff says
14 that 70 percent of the striped bass in the river passed the
15 Indian Point plant before becoming juveniles.

16 DR. BUCK: Do you know on what basis they
17 state that?

18 MR. MACBETH: The Carlson-McCann basis.

19 DR. BUCK: Thank you.

20 MR. MACBETH: In the salt-intruded reach, the
21 organisms are circulated by the fact there are upstream
22 currents on the bottom of the river and downstream flow on
23 the top of the water column.

24 On the basis, then, of a hydraulic element
25 which models the hydraulic forces which power the

R4

1 organisms downstream, an analysis of the so-called
2 F factors which look at the distribution of the organisms
3 across the river in front of Indian Point and their
4 mortality through the condenser tubes and the analysis of
5 the likelihood or unlikelihood of compensation of the
6 system, both the Hudson River Fishermen's Association
7 and the Staff of the AEC came to the conclusion that
8 something in the region of thirty to fifty percent of
9 the annual production of striped bass in the Hudson would
10 be killed by passage through the Indian Point 2
11 Plant.

12 The Applicant, of course, came to quite smaller
13 numbers but when the biological assumptions of Staff
14 and HRFA are employed with the hydraulic assumptions of
15 the applicant, then the annual reduction of the Applicant's
16 model becomes fifteen percent and of course that is for the
17 first year.

18 DR. QUARLES: Thirty and fifty percent are
19 killed by passage through Indian Point 2. Is the
20 same percentage applicable to the other plants in the
21 vicinity?

22 MR. MACBETH: They vary, and obviously the
23 plant further upstream has more impact on the eggs.

24 DR. QUARLES: There are three very close.

25 MR. MACGETH: The Lovett Plant is almost

R5

1 directly opposite. It is smaller and is only five hundred
2 megawatts and is fossil fueled.

3 DR. QUARLES: What about Bowline?

4 MR. MACBETH: I would like to check the
5 figures on it, but it adds a substantial percentage to the
6 effects of Indian Point.

7 DR. QUARLES: Does Indian Point have a significant-
8 ly greater effect than one of the other plants?

9 MR. MACBETH: Yes.

10 The fact that it is a nuclear plant means
11 it is discharging almost all of its heat in the water,
12 no significant part up the stack.

13 DR. QUARLES: Isn't the kill, though, primarily
14 as evidenced by the runs made in 1973 when the plant
15 was not running and the pumps were, a very large portion
16 killed are due to mechanical reasons?

17 MR. MACBETH: We believe that is true, but
18 in 1972 there were studies made when Indian Point 1 was
19 running and for a period Indian Point 1 was brought up
20 to the Delta T that would be present when Indian Point 2
21 was operating at full power, and it was on the basis of
22 that study with a Delta T that the 97.5 percent figure
23 was produced.

24 So that there certainly is a mechanical component
25 to the damage. I do not want to underestimate that at all,

1 but I think there is a heat component as well.

2 I think the temperature would show that
3 but my point really about the heat discharge was that that
4 means that the nuclear plants, Indian Point 1 and 2
5 have to withdraw more water from the Hudson per megawatt
6 of electricity generated than do the fossil fuel plants.
7 They are also slightly less efficient than the fossil
8 fuel plants, and they take more water from the river.

9 DR. BUCK: Is there evidence of the rate of
10 flow through Bowline and the temperature
11 increase and if you can, have you made any estimates of
12 that with regard to Indian Point?

13 MR. MACBETH: The estimates show it is less than
14 Indian Point. If I can supply the exact numbers from
15 the transcript, I would be happy about it.

16 DR. BUCK: This is fifty percent less or
17 ten percent less, or what?

18 MR. MACBETH: My memory is that on the model
19 that shows Indian Point having an effect of about forty
20 percent, Bowline is about 20 or 25 percent. I really
21 would like to check that.

22 DR. BUCK: Then the adding of your figures
23 would be sixty percent?

24 MR. MACBETH: You cannot simply add them.

25 DR. BUCK: It is the same river and the same

R7

1 water flowing back and forth.

2 MR. MACBETH: But if you kill them at Indian
3 Point, you cannot kill them later at Bowline?

4 DR. BUCK: What should we be doing here--the
5 water, you say, flows back and forth, and it flows back
6 and forth across the whole river.

7 Now, if the kill is of 50 percent in Indian
8 Point 2 and 20 percent in Bowline, why isn't the total
9 50 percent?

10 MR. MACBETH: If you have done a model that has
11 both plants on the river when you run the model, that
12 would be the right answer, if you run a model of the river
13 with only Indian Point on it and another model with
14 only Bowline on it, you cannot add them together.

15 DR. BUCK: You have an F. factor coming in here.

16 MR. MACBETH: Well, could you call it an F factor?

17 DR. BUCK: Isn't that what it is? Isn't it
18 a fact factor, because the concentrations
19 would change?

20 MR. MACBETH: Yes, if you design F factor
21 as changing concentrations.

22 DR. BUCK: So they would not necessarily be
23 one, then.

24 MR. MACGETH: In this proceeding, no one can
25 define--

CHAIRMAN PARLER: Speak one at a time, please.

RS 1
2 DR. BUCK: The Board has taken the attitude
3 that F factors must be one. Now, I am trying to find
4 out on the basis of your statements on the combined effect of
5 the plants if the F factor is always one, then you have to
6 have an additive effect here. If it isn't, then the
7 F factor has to be taken with something less than one.

8 MR. MACBETH: I agree with that if you look at the
9 F factor in the larger terms.

10 In the course of the proceeding, the F
11 factor has been looked at in the cross section in front of
12 Indian Point. Assuming 100 percent of the organisms are
13 in the cross section, what is their distribution relative to
14 the plant? Is the plant situated so that it will draw more
15 of the organisms or less than the organisms than the
16 cross sectional average? That is really, then, I think, the
17 emphasis of the first two F factors.

18 DR. BUCK: One further questions. On the
19 so-called "belt" effect of the water flowing back
20 and forth past Indian Point, you say they stay there
21 for six to ten weeks. What flow are you using? What
22 fresh water flow are you using?

23 MR. MACBETH: The Oak Ridge Staff used a
24 variety of fresh water flows. The Fishermen's Association
25 did not have resources to do a complete hydraulic model, so

R10

1 ours is modeled on the results of the 1966 and 1967
2 data from Carlson-McCann, but it uses the fresh water flow
3 for those years. It does not have an independent hydraulic
4 mechanism that can be altered for various fresh water flows.
5 The Staff's model did have one.

6 DR. BUCK: You are basically relying on the Staff
7 model?

8 MR. MACBETH: For the hydraulic element.

9 DR. BUCK: Thank you.

10 MR. MACBETH: The models also dealt with the
11 question of compensation and the sensitivity analysis done
12 by the model showed this was by far the most important
13 element altering the result of the model. There the
14 Applicant relied on general biology indicating that in
15 many animal populations there are compensatory effects
16 but could produce no evidence on the striped bass in the
17 Hudson River indicating compensatory effects.

18 Both the Oak Ridge Staff and the Fishermen's
19 Association looked at items like the growth rate and
20 the lack of crowding and the general growth of
21 the striped bass population since the sixteen-inch
22 size limit was imposed and concluded on the basis of that that
23 there was no compensatory mechanism operating in the striped
24 bass population of the Hudson and, again, in
25 relation to other fish populations, particularly popular

R11

1 sports fisheries, like the Pacific Sardine and Menhaden
2 in New York, shows there is no mechanism present, and therefore
3 there is nothing in violation of the general laws of biology
4 indicating there is no compensatory mechanism operating in
5 the life cycle of the Hudson River striped bass.

6 DR. BUCK: This bothers me. What do you mean
7 by "compensation" in the first year?

8 I do not understand this, how you have a
9 compensatory effect.

10 MR. MACBETH: As I understand compensation, if
11 there is a compensatory mechanism operating and more
12 than the natural number of young fish were killed in the
13 early part of the fish year of life, you would have a
14 result by the end of the year at some later stage where either
15 the mortality rate would decline there if you come out
16 with the number of fish or close to the number of fish
17 depending on how effective the compensatory mechanism was than
18 you would have from the interference of the natural mortality
19 rate or perhaps a greater growth rate among the fish.

20 DR. BUCK: I don't see the differences here,
21 Mr. Macbeth.

22 If you have compensation, supposing you
23 double the amount of food that is available to
24 these fish that are left, the fingerlings that are left, and
25 they grow larger and more of them manage to survive

R12 and so forth.

2 You do not increase the number of fingerlings in
3 that year. Your compensation shows up in the years following
4 and in the laying of more eggs so I donot see what you
5 mean by saying there is no compensation in the first year,
6 I do not see the point of that.

7 MR. MACBETH: The point as I understand it is
8 that the present population models, at those points, that
9 the Hudson River is not super-saturated with striped bass
10 eggs at spawning time, and there is presently plenty of
11 food and there is no crowding or competition for food. When
12 one reduces below the natural mortality rate the number of
13 eggs or larvae in the population, they continue to grow at
14 the rate they would have grown otherwise, and don ot get
15 either a greater number of fingerlings or the declines
16 in the mortality rate at later stages of the year that one
17 could have.

18 It is the opinion of both the Staff and the
19 Fishermen on the basis of the evidence in the record that
20 such compensatory mechanism would not be found.

21 DR. BUCK: Are you saying this would be found,
22 or would be true of any fish species?

23 MR. MACBETH: No.

24 DR. BUCK: Not necessarily bass?

25 MR. MACBETH: I am saying under present conditions

R13

1 it is true of the striped bass in the Hudson River. There might
2 well be a situation where the river would be super-saturated with
3 eggs and the population would increase enormously and then
4 perhaps the compensatory mechanism would be present again
5 but the present population models show there is no indication--
6 there is positive evidence to the contrary which shows
7 there is no compensatory mechanism operating with the striped
8 bass in the Hudson.

9 DR. BUCK: Couldn't that be considered this way,
10 the greater the crowding, the greater the effect and the
11 less the crowding, the less the effect? Isn't there
12 always some compensation in a biological area?
13 It may be that it will get smaller, I will grant your
14 argument in that respect. All I am asking, is
15 there any evidence that there is a cutoff level?

16 MR. MACBETH: In which at this precise point there
17 would be no compensation? It would certainly be the
18 position of the experts, and obviously I am not among
19 the experts on compensation but both the Oak Ridge scientists
20 and our own scientists, that present levels of population of the
21 Hudson River striped bass, there is no visible compensation.
22 Certainly, if you go on changing the level of population,
23 you may well eventually get a compensatory effect, but
24 it does not always work.

25 With reference to the other particular fisheries,
the Pacific Sardine and so forth, they indicate that there

R14

1 is not compensatory mechanism working in these populations.

2 DR. QUARLES: Could you submit later a transcript
3 reference to the positive evidence?

4 MR. MACBETH: Yes.

5 DR. QUARLES: Thank you.

6 MR. MACBETH: My time is running out on
7 the first round, but I would like to say that, just to
8 put our own exceptions into context that it is the position
9 of the Fishermen's Association that the Licensing Board
10 is right in saying that the closed cycle cooling system
11 should be installed on an expeditious basis, that it is our
12 firm opinion on the basis of the evidence in the record
13 that that can be done by December 1, 1977, with cessation of
14 once-through cooling on May 1, 1977, and that if any
15 other alternative were to be taken, particularly the one
16 proposed by the Applicant, that a research program be
17 undertaken of a further evaluation in two years, that
18 one of two things would certainly have to be true, that
19 there was first--both things have to be true--that the
20 present record before the Licensing Board and the Appeals
21 Board was not a complete record on which a reasoned decision
22 could be made, and that the research program could, in
23 fact, give the answers within another year or two
24 which would produce a reasoned decision.

25 It is the position of the Fisherman's

1 Association, and I will return to this in the second half
2 hour that I have, that, in fact, there is a full record
3 before the Board, nine years of research have gone on,
4 very complicated models have been developed which are
5 extremely competent pieces of work, and on top of that,
6 the research program proposed by the Applicant in the time
7 allotted would not be able to answer the questions, any
8 remaining questions, with any more thorough or complete
9 answer, if, in fact, there are any major questions left
10 that need answering.

11 We are in a situation where we have almost a
12 dedication of data and analysis, and the time has come when
13 action must be taken.

14 We can not put over from year to year endlessly
15 the decision that action has to be taken to protect this
16 enormous fishery that Hudson supported and the Coastal
17 Fishery which, in turn is supported by the Hudson stock.

18 CHAIRMAN PARLER: Mr. Macbeth, you do not
19 mean to leave the impression, do you, that this research
20 program has been under way in the Indian Point sector
21 of the Hudson River for a decade?

22 MR. MACBETH: A large part of it has. The
23 Carson-McCann study from 1965 to 1968 sampled the
24 distribution of white bass up and down the river, south
25 south of Indian Point and all the way up to Coxsachie, almost

R16

80 miles north of the plant.

1
2 The Second Circuit ordered that the whole
3 fisheries question be taken into consideration and it was,
4 a thorough study over three years was done. The company
5 then went forward with more detailed studies in the
6 immediate area of Indian Point.

7 In fact, Carson-McCann actually went to the
8 Indian Point site and studied impingement at Indian Point,
9 and in the years after the end of that study, Raytheon and
10 Texas Instruments and a number of other companies, as
11 well as NYU and others have continued investigation right
12 there in the vicinity of Indian Point.

13 CHAIRMAN PARLER: I gather, then, that the
14 Hudson River Fishermen's Association position is that
15 these environmental technical specification requirements
16 are not adequate to give sufficient notice so that action
17 can be taken.

18 Is that correct?

19 MR. MACBETH: Our position on the technical
20 specifications is first that, if cooling towers are ordered
21 on a closed cycle cooling on a most expeditious basis,
22 we do not think a monitoring program of this sort
23 is necessary at all, and we excuse the Applicant from
24 that. We arrived at this before the Licensing Board
25 reached the decision.

R17 1

2 We do not think research is necessary and if the
3 Board upholds the position taken by the Fishermen's
4 Association in this proceeding, we don't see the need for
5 the continuous and fine-grade research program that the
6 Applicant has proposed.

7 DR. BUCK: In your response, later, Mr. Macbeth,
8 will you get into the problem of the Towers and the
9 dollars, and also the source of the Mid-atlantic Fisheries?

10 MR. MACBETH: Yes.

11 CHAIRMAN PARLER: Are there any other points you
12 would like to cover at this time? You can have a few
13 more minutes if you like.

14 MR. MACBETH: Perhaps I could give just a brief
15 indication on the issue of the irreversible impact, which
16 Mr. Trosten has made so much of in his opening statement.

17 The position of the Fishermen's Association is that
18 if you reduce a year class of Hudson spawned striped bass by
19 15 per cent or 40 percent, that that is an irreversible impact,
20 and if you look at it from the larger view of the fishery,
21 you can say it is not irreversible in those terms but you can
22 apply that to cooling towers.

23 You can build towers and take them down. You
24 provide the electricity from the plant, but if you
25 did not, the effects will not be irreversible. You could
supply this later.

R17

R18
2 is that we must look at any and all impacts. They come in
3 different levels of substantiality, and last for different
4 periods of time.

5 But there is not any way of carving out some
6 as being irreversible and others as not being
7 so and you can simply shift the framework of that argument
8 and that discussion so that you come up with the impacts
9 that you are opposed to being irreversible and those
10 that you are willing to accept being not, being
11 reversible.

12 It seems to me clear that if, as the Applicant
13 proposes, the plant is run for twice as long as the period
14 that the Hearing Board was going to accept for once-
15 through cooling for 8 spawning seasons rather than for four,
16 that we are going to have an irreversible impact on the
17 striped bass fishery.

18 Eight years of classes will be reduced. That
19 will be on through the population for a very long time,
20 and those fish are gone, and it simply becomes a quibble to
21 then say, "Well, we are not wiping out the entire species
22 of striped bass on the Hudson River, and decimating everything
23 and there is going to be nothing left and you can never
24 bring it back.

25 If that were the case, we might try the case under

R19

1 the "Endangered Species Act."

2 DR. QUARLES: You are assuming that the monitor-
3 ing program is not adequate to protect the species and
4 that the decimation would continue for eight years?

5 MR. MACBETH: I think there are two problems
6 with the monitoring program. One, to start with, they
7 cannot, by their own admission, differentiate changes
8 in abundance of less than 25 percent of the population.

9 Therefore, the position taken by the Hearing
10 Board that a fifteen percent reduction is impermissible
11 is correct on the facts and the law, they will not even
12 be able to identify the kind of impact that the Licensing
13 Board found impermissible.

14 There are further a series of problems with
15 research programs, and I think particularly in Dr. Goodyear's
16 testimony of April 10, following transcript page 10826,
17 there is a problem of natural fluctuations differentiating
18 the effect of this plant from that of other plants and
19 natural changes.

20 There are problems with sampling errors, and
21 problems with alternative treatment, any control treatment
22 so, if there is a change in birth rate or sexual maturity,
23 there is something to measure that change, some way of
24 telling whether that is in fact natural or not.

25 There is no particular compensatory mechanism.

1 identified that the company is going to try to test for,
2 they are simply going to look at the effects generally and
3 hope from that that something will arise, rather than
4 having some mechanism they are focusing on. There is
5 nothing in the research program on hydraulics, so the whole
6 hydraulic aspect of both the Staff model and the Applicant's
7 model will not be further illuminated by the research program.

8 As far as their differences between the results
9 reached by the Applicant's model with the biological
10 assumptions of the Staff, the so-called most conservative
11 estimates and the Staff's own analysis, the differences
12 in the hydraulics and there is no research on the hydraulic
13 at all.

14 Perhaps the final point, since I have mentioned
15 this most conservative estimate, I ought to point out that
16 the Board by no means has taken the most conservative
17 estimates. Just to look at the chart on page 42, I think
18 or page 43 of the initial decision, that shows that both
19 the staff and the HRFA had more conservative estimates on
20 the F factors and obviously, F-1 and F-2 could be greater if
21 fish were concentrated close to the plant rather than
22 on the opposite side of the river or some other path or
23 part of the water. I think the Board has taken a reasonable
24 and prudent analysis of the testimony and evidence that it
25 had before them.

1 It has in no way taken the most conservative,
2 much less speculative position on the basis of the evidence.

3 CHAIRMAN PARLER: Thank you, Mr. Macbeth.

4 These citations that you said you would
5 supply in response to the questions by the Board, will you
6 do so, please, within five days and under the same guidelines
7 that I told Mr. Trosten, that is, send copies of the citations
8 to the parties and the parties will have an opportunity to
9 comment on those citations if they wish.

10 One thing I want to emphasize, the evidential
11 record in this proceeding has been closed for some time and
12 it is still closed. All that we want is citations
13 and nothing more.

14 MR. MACBETH: Yes.

15 CHAIRMAN PARLER: And the same opportunity will
16 be afforded to Mr. Corcoran and Mr. Karman if they
17 wish to supply us citations to questions which they may
18 be asked later on.

19 We will now take a ten-minute recess.

20 (Recess)

end 5

21

22

23

24

25

Ruff
Take 3A

1 CHAIRMAN PARLER: The oral argument session is
2 now resumed.

3
4 Mr. Corcoran, will you please proceed with your
5 argument? I would like to note that two prior arguments ran
6 a few minutes over and, if you need a few minutes additional
7 time, you may take it.

8 ORAL ARGUMENT OF JAMES P. CORCORAN,
9 OFFICE OF ATTORNEY GENERAL, STATE OF NEW YORK.

10 MR. CORCORAN: Thank you.

11 I would like to discuss the State of New York
12 exception to the initial decision. I will take exception
13 two first, if I may.

14 The State of New York believes that the cost-
15 benefit analysis adopted by the Licensing Board under-
16 estimated the cost of the closed cycle cooling system, and
17 one main reason for this is that the Board did not take
18 into account the section of the New York State Environmental
19 Conservation Law, Section 11-1321, which prohibits the
20 taking of fish from the river by drawing off water.

21 This statute was enacted many years ago. It
22 has lain dormant for many years, much like the
23 revenues Act did, but in light of the Applicant's division
24 of Fishery Resources of the Hudson River, the statute has
25 been used against Applicant and suit was brought in May of

R2

1 1972 to collect a penalty under the Environmental
2 Conservation law of \$10 for every fish so taken from the
3 river.

4 The incident involved the same power plant which
5 we are considering today, Indian Point 2. In February of 1972
6 during one four-day period, the Applicant impinges 130,000
7 fish, mostly white perch on its intake screens. At the time
8 it was testing its pumps at fifty percent of capacity.

9 On February 29, Commissioner Diamond, the
10 Environmental Commissioner, ordered the Indian Point plant
11 closed down under his summary abatement powers under the
12 Environmental Protection Law, Section 710301.

13 After a hearing was held, the Commissioner recom-
14 mended that suit be brought against Con-Edison and
15 it was.

16 In the lower court, the summary judgment was
17 granted against Con-Edison and a hearing to assess the
18 penalty was set down.

19 On appeal, the Appellate Division, the State's
20 second highest court, reversed the motion for summary
21 judgment, saying that the Applicant or the Defendant as it
22 were, was entitled to a trial on the issues as to whether
23 it intended to take the fish and on the question of whether
24 it was employing the best available technology. That decision
25 has been appealed by the State of New York to the Court of

R3

1 Appeals, the State's highest Court and that case
2 should be heard sometime next month.

3 I think the important point, though, to be made
4 about the case is that all six judges who have considered
5 the case, the one judge in the State Supreme Court and the
6 five judges in the Appellate Division all in effect held
7 that this statute applies to Con-Edison's activities at
8 Indian Point.

9 Now, if that is the case, the penalties for imping-
10 ing those fish are going to be tremendous. The record
11 indicates that Con-Edison estimates that one and a quarter
12 million fish are likely to be impinged every year at Indian
13 Point.

14 Under the statute, this would impose a penalty of
15 12.3 million dollars on the company every year. The estimate
16 of the Staff is that impingement will kill between two and
17 five million fish.

18 This might bring the amount of the penalty to
19 twenty to fifty million dollars a year. H.R.F.A. 6.5
20 million, that would bring the penalty to \$65 million a year.

21 I might note that the penalty under the
22 statute is not a discretionary matter. If the statute is
23 held applicable to their activities, the penalty is mandatory
24 and, it is \$10 for every fish that is so taken.

25 Another point that I would like to make along the

R4 1 same lines is that regardless of the statute, the Commissioner
2 of Environmental Conservation does have the power under
3 state law to close the plant down if, in his determination,
4 the plant is causing irreparable or irreversible harm to
5 natural resources of the state.

6 A precedent for this has already been established,
7 as I noted, on February 29, 1972.

8 Therefore, the company might not only have to
9 pay substantial penalties but the plant might have to be
10 closed down several months during high impingement and
11 high entrainment seasons.

12 So, to sum up on that point, Mr. Chairman, it
13 was the State's feeling that this should have been
14 considered by the Licensing Board in its cost-benefit analy-
15 sis.

16 CHAIRMAN PARLER: Mr. Corcoran, as I understand
17 the record, there is some evidence in there which suggests that
18 even with a closed cycle cooling system, there will be
19 a considerable number of fish impinged, approximately 600,000
20 as I recall.

21 You would make the same point in connection
22 with the closed cycle cooling system that the prospects of
23 the state penalties that might be imposed should be taken
24 into consideration in the cost-benefit analysis for the
25 closed cycle cooling system?

1 185 MR. CORCORAN: Mr. Chairman, I was not aware
2 that the record indicated that such a large number of fish
3 would be impinged with the use of closed cycle cooling.

4 It was the state's understanding that the
5 closed cycle cooling system would require only five percent,
6 approximately, of the water which is presently being
7 taken in by the once-through cooling system, and
8 therefore, that a much, much smaller number of fish would be
9 impinged upon the screens.

10 I think the entrainment issue was of more concern
11 to the state and in that regard the Commissioner does have
12 power to take action to close the plant down if entrain-
13 ment reaches severe proportions.

14 It is also the State's position that--let me
15 lay a foundation for that.

16 In Con-Edison's brief, they stated if it were shown
17 that only ten percent of the annual reproduction of
18 striped bass were being entrained at Indian Point, then the
19 licensing Board decision would not be justified. We
20 disagree very strongly with that.

21 Indian Point 2 is not operating in a vacuum.
22 Soon there will be three power plants at the same location,
23 two at Bowline, two at Roseton, one at Lovett
24 and one at Danskammera, and one perhaps eventually at
25 Storm King.

R6

1 To permit just one power plant to destroy ten
2 percent of the annual reproduction of a most valuable spe-
3 cies of fish necessary to the well-being of the people of
4 the State is totally unacceptable..

5 DR. BUCK: Are you proposing, then, Mr. Corcoran,
6 to apply these proposed penalties of Indian Point 2
7 to the other plants as well?

8 MR. CORCORAN: Yes, sir, we are.

9 DR. BUCK: In proportion, how about the ones
10 that have been operating for some time?

11 MR. CORCORAN: Mr. Buck, we have no evidence at
12 the present time that damage of the magnitude that has
13 occurred at Indian Point 2 on the occasion mentioned has
14 occurred at other power plants.

15 DR. BUCK: The point I am getting at is this:
16 Are you basing this on a magnitude situation, or are you
17 basing it strictly on the statute, which says "any fish"?

18 MR. CORCORAN: We are basing it on the statute.
19 The magnitude matters in terms of the penalty.

20 DR. BUCK: But your decision as to whether
21 or not you apply the penalty, is it based upon magnitude?

22 MR. CORCORAN: It is to a certain extent,
23 yes, sir. If a power plant is impinging a very small,
24 insignificant number of fish, then it is obviously not
25 having an adverse effect on the ECO-system.

R7

1 Then certainly that might influence our decision.

2 DR. BUCK: Small and insignificant with respect
3 to what, Mr. Corcoran?

4 MR. CORCORAN: I am sorry. I do not understand
5 the question.

6 DR. BUCK: You say, if it has a small or insig-
7 nificant effect. I'm asking you what you mean by "small
8 and insignificant," and with respect to what?

9 MR. CORCORAN: If the plant were impinging a very
10 small number of fish, say a few hundred fish a year or
11 something of that order, then it would appear that this is
12 not having a severe adverse impact on the ecosystem.

13 That is simply what I am saying.

14 CHAIRMAN PARLER: Does the State of New York
15 have any standards now in the area that you are discussing
16 as to how significant an impact would have to be before
17 action should be taken?

18 MR. CORCORAN: No, sir, I know of no precise
19 standards that exist.

20 DR. BUCK: You are relating the significance of
21 the destruction of fish at Indian Point 2 to wash the Staff's
22 estimate of the number of fish in the river, or do you have
23 estimates of your own that give the population of the fish
24 in the river?

25 MR. CORCORAN: The state has no estimates of

1 its own as far as I know.

R3
2 DR. BUCK: You are basically relying on the
3 AEC Staff or the Carlson-McCann report and information
4 like that?

5 MR. CORCORAN: Yes. Shall I proceed to Point
6 2 now?

7 CHAIRMAN PARLER: Proceed.

8 MR. CORCORAN: In light of the dire projections
9 made by the Staff's estimates in the Indian Point 2 proceeding
10 for the ASOB, it is the opinion of the State of New York
11 that the closed cycle cooling system should be installed at
12 Indian Point 2 as soon as possible. We believe that
13 the record supports our contention that a closed cycle cooling
14 system can be completely installed at the Indian Point 2
15 by December 1, 1977, one year earlier than the time period
16 allowed by the Licensing Board.

17 DR. BUCK: Have you considered the environ-
18 mental effect of the tower?

19 MR. CORCORAN: Yes, sir, we have considered it.

20 DR. BUCK: New York has looked into it as to
21 what the effect would be? Can you tell us what you
22 have done in that respect?

23 MR. CORCORAN: Mr. Chairman, the State
24 Department of Environmental Conservation has looked at the
25 question of cooling towers. It has not produced any

R9

1 particular work product in this respect. It has examined the
2 Burns and Row report. It has examined the evidence that has
3 been presented in the Indian Point 2 hearing. It is aware,
4 also, that there are cooling towers in other parts of the
5 country which have been constructed and which are in oper-
6 ation.

7 DR. BUCK: Salt water?

8 MR.. CORCORAN: But I do not know whether it is
9 necessary to use salt water at Indian Point.

10 DR. BUCK: I am asking you if you have looked
11 into the effect of the salt water spray.

12 MR. CORCORAN: They are looking into it.
13 I do not think they have reached any firm conclusions about it
14 and I would like to make note at this point of a statement made
15 by Mr. Trosten earlier which was very misleading in which he
16 stated that the State Department of Environmental
17 Conservation in its comments on the Indian Point 3 draft
18 statement referred to the possibility of salt drift, or
19 salt deposition from cooling towers, but the important
20 thing to be noted in the DEC's comments was that they
21 approved, they supported the decision in the draft statement
22 to install the closed cycle cooling system at Indian Point 3.

23 DR. BUCK: Do you consider the environmental effect
24 on the towers should be as thoroughly treated as the environ-
25 mental effect on the river?

R10

1 MR. CORCORAN: Yes, sir, I think it should be.

2 DR. BUCK: Do you think it has been?

3 MR. CORCORAN: To the best of my knowledge, I
4 think it has.

5 DR. BUCK: Could you justify that on the
6 basis of meteorological data and so on?

7 MR. CORCORAN: I believe the Burns and Row report
8 also went into the effects of environmental
9 cooling towers.

10 I am not sure those are the most critical studies
11 to be made here.

12 DR. BUCK: What are the most critical?

13 MR. CORCORAN: It seems to me the questions of
14 fogging and icing is something that has to be considered
15 but that does not really relate to the meteorological
16 studies, as I understand it. I am not an expert on this.

17 DR. BUCK: When the plume comes down to the
18 ground depends on meteorological conditions.

19 MR. CORCORAN: It is my opinion that the
20 studies have shown no adverse impacts on the environment
21 other than the question of esthetic intrusion which is a
22 highly subjective question to begin with. The Applicant
23 is not alleging that there are any real adverse environmental
24 effects from cooling towers. I know of no cooling towers in
25 this country which have had severe adverse environmental

R11

1 effects.

2 It seems to me that it is kind of a straw man,
3 that studies have been conducted and that no evidence has
4 been forthcoming that there are such adverse effects.

5 DR. BUCK: The point I am making, Mr. Corcoran,
6 you say this thing should be thoroughly studied, and I
7 think it is a fact that some data--there are data that have not
8 been obtained, apparently.

9 You say you know of no effect of environmental
10 towers. Do you know of any irreversible effect on
11 rivers in the country due to power plants?

12 MR. CORCORAN: Do you mean in terms of impingement
13 or entrainment?

14 CHAIRMAN PARLER: The answer to these questions,
15 of course, will be in terms of your knowledge of what is in this
16 evidentiary record.

17 MR. CORCORAN: Yes.

18 Well, I don't know if the evidentiary record
19 contains any references to other power plants.

20 DR. BUCK: Thank you.

21 MR. CORCORAN: With regard to the time period
22 for the installation of a cooling tower, it is the State's
23 judgment that six months is more than sufficient time for
24 governmental reviews of the project.

25 DR. QUARLES: Could you justify that? These are

R12

1 agencies which the State and the Applicants and the Board
2 have no jurisdiction over. Could you cite justification for
3 something like that?

4 MR. CORCORAN: At the present time, Dr. Quarles,
5 the State Department of Environmental Conservation would
6 not require a permit for the construction of a cooling
7 tower. It would not be a source of pollution emission
8 so it would not have to be certified under the Air Pollu-
9 tion Code or anything of that sort.

10 At the present time, there appear to be no laws
11 or no regulations which would require a permit from the State
12 to construct such a tower.

13 DR. QUARLES: How about the environmental state-
14 ment?

15 MR. CORCORAN: Excuse me.

16 DR. QUARLES: It would take an environmental
17 statement and this must go to a number of federal agencies,
18 as well as state agencies.

19 So the question is really how fast these federal
20 agencies, some of which may be slow, will act and the
21 tower cannot be built until this is done.

22 I am wondering if this is a number which has
23 been brought out of someone's hat, or if there is some justi-
24 fication which shows these agencies will act as promptly as
25 six months.

R13¹

MR. CORCORAN: Yes.

2

Well, the AEC Staff has estimated that

3

AEC review would take between three and six months.

4

Certainly that would be the most complete review. I cannot

5

imagine any other agency taking much more than that and

6

I do not see why it would take any other agency more than

7

the same period to review the question of cooling towers

8

and the environmental impact.

9

So, we believe six months would be a reasonable

10

period for government review in this respect.

11

In terms of the construction, itself, the Staff

12

has estimated that 39 months would be a reasonable time

13

after government review for construction of cooling

14

towers. This is contained at page 6939 of the

15

Indian Point 2 transcript. This is exactly the period of

16

time which we are proposing should be required for the

17

installation of the cooling tower, six months for review and

18

39 months--excuse me--for installation of the cooling

19

towers.

20

I think the important thing, because it would

21

save a year's time and it would protect the striped bass

22

young of the year of 1977 from the effects of entrainment and

23

thermal pollution at Indian Point 2, and if the

24

power plant has been in operation for three years at that

25

time along with all the other power plants on the Hudson

R14

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

River with their once-through cooling systems, we believe the impact at that time on the striped bass species and perhaps on other species would perhaps be very severe and that a year's time may be a very critical time, and if we can save that extra year, we should.

DR.BUCK: You are relying in that belief on the Staff's data.

MR. CORCORAN: Yes, Dr.Buck.

The Staff considered construction of other power plants and I believe the time for construction ranged from three years to three years and eight months, which certainly is in line with the proposal that the State of New York and the Hudson River Fishermen's Association has made.

end 3A
end ruff

CR 3820

1 It is also our belief that under the Federal Water
2 Pollution Control Act Amendments of 1972, that a closed cycle
3 cooling system at Indian Point 2 will be deemed to be the best
4 practical control technology for that facility, and that the
5 Board should if at all possible, require the completion of this
6 facility or at least the termination of the once-through cooling
7 system by July 1, 1977, the date set forth in the Federal Water
8 Pollution Control Act Amendments of 1972.

9 CHAIRMAN PARLER: What is your basis for that belief?

10 MR. CORCORAN: That is the best technical control
11 technology.

12 CHAIRMAN PARLER: Yes. I asked the question because
13 as I understand the amendments of 1972 have to be promulgated
14 by the EPA under various sections of the amendments of 1972
15 that deal with effluent limitations, and also there is another
16 section, 316, that deals with water intake structures. For the
17 most part those standards are yet to be promulgated.

18 MR. CORCORAN: It is our opinion that the guidelines
19 will require the installation of such a system. I realize
20 there is probably nothing in the record which indicates what
21 the EPA intends to do in this matter, but it is our considered
22 view that they will require the installation of such a system.

23 That is all I have on that point, Mr. Chairman. Do
24 you have any questions?

25 CHAIRMAN PARLER: One other question I have with

Al 3-8
a 2
1 regard to the timing for the review of the environmental report
2 on the closed cycle cooling system.

3 The question is this: Does the Attorney General
4 of the State of New York or any other agency in that state have
5 the authority to direct a state agency to complete an environ-
6 mental review within a specified period of time?

7 MR. CORCORAN: No, Mr. Chairman. I am not aware
8 of such a requirement.

9 CHAIRMAN PARLER: That is all that I have.

10 MR. CORCORAN: If I might add one point, Mr. Chairman,
11 if it turns out that the Applicant through no fault of its own
12 cannot complete construction by December 1, 1977, then certainly
13 the Board would consider granting them an extension, but we
14 feel that it would not be proper to give them such an extension
15 if it is at all possible for them to complete the facility.

16 Thank you very much.

17 CHAIRMAN PARLER: Thank you, sir.

18 Mr. Trosten, will you now proceed with your response
19 to Hudson River Fishermen's Association and the Attorney General
20 of the State of New York?

21 MR. TROSTEN: Mr. Chairman, may I ask you a pre-
22 liminary question, and that is, I would request respectfully
23 that I be given an opportunity to divide my time, the 45 minutes,
24 so that I can take a portion of it at the present time and com-
25 plete the remainder of my argument at the conclusion of the

Al 3-B
a 3
1 argument of the other parties. Would that be acceptable to
2 the Board?

3 CHAIRMAN PARLER: Well, the December 21st order
4 does provide if any party desires that they may reserve some
5 of their allotted time for rebuttal. Is that what you are
6 talking about?

7 MR. TROSTEN: Exactly.

8 CHAIRMAN PARLER: Very well.

9 MR. TROSTEN: Thank you very much.

10 Mr. Chairman, I would like to address several
11 of the points that have been raised by the parties in the
12 context of a question that was raised by the Board concerning
13 the entrainment models.

14 Now I want to make it completely clear that the
15 Applicant is not resting its case on a model analysis. I tried
16 to make that point before, and I want to explain now why we
17 feel that this is the case.

18 There is just an absolutely fundamental difference
19 between the parties on this question of the use of the model
20 analysis. We believe that the most appropriate method of
21 determining the impact of a power plant is by direct measurement
22 of the conditions in the river prior to the operation of the
23 plant, careful measurement of the effects during plant operations,
24 and then a projection of the impact by direct observation.

25 This is an empirical method which is different in

Al 3-B

ba4

1 a very fundamental way from the use of the existing experimental,
2 mathematical, biological models in order to model the impact
3 of plant operations on a biological system.

4 We submit, sir, that these models, although these
5 recently developed biological models, although they may be,
6 and probably are useful to highlight the elements of population
7 dynamics, are unverified, untested, that they rest upon an
8 extremely limited data base, and they rest on a lack of under-
9 standing of the biological realities so that good confidence
10 can be placed in the realities of these model projections, and
11 we are not conducting a research program in order to find out
12 whether the AEC staff model or Con Edison's model is the best
13 model.

14 That is not what we are trying to do. We are
15 trying to find out what the impact of the plant is on the
16 river, which is the basic reason why the HRFA argument that we
17 are not looking at hydraulics is beside the point. We don't
18 need to look at hydraulics to test the plant's impact on the
19 river.

20 What we need to do is measure the impact by the way
21 I described earlier, the population at the beginning, the plant
22 impact and the population at the end. Certainly, gentlemen,
23 these models have never been used before as a basis for a
24 decision of the magnitude involved here, and it will take at
25 least several years of model development and data collection

Al 3-B
ba5
1 before sufficient confidence can be placed in them so that a
2 decision of this magnitude can be made on the basis of them.

3 It is our position that the existing data do not
4 sufficiently describe the range of occurrence and the behavior
5 of the various life stages in Hudson River to allow for an
6 accurate evaluation of entrainment and impingement effects
7 whether by modeling methods or any other methods.

8 In this connection, I would like to take extreme
9 objection to disagreement with the assessment of the adequacy
10 of the Carlson-McCann studies. They were adequate for deter-
11 mining the impact of the Cornwall pump storage plant on the
12 river, but not the Indian Point plant. The studies, although
13 they had a range which did encompass the scope of the river
14 near Indian Point, were concentrated in the area around Cornwall,
15 and the really good data, as an examination of the Carlson
16 and McCann studies will clearly demonstrate, were collected
17 around the Cornwall project, not in the vicinity of Indian
18 Point.

19 For this reason, we have urged that the results
20 of the Hudson River Research Study that we have suggested are
21 necessary and that these will give valid results and will better
22 reflect the impact of plant operations than the results of
23 today's experimental models based on the limited studies relative
24 to the Indian Point plant that were conducted by Carlson and
25 McCann.

Al 3-B
Page 6

1 Our first exception to the Licensing Board's decision
2 relates to this very fundamental point. By implication, the
3 Board has decided now that it is prepared to make a decision
4 on the basis of mathematical model projections and the present
5 data base. We say the record does not support this, and the
6 Board itself has recognized the limitations of the model when
7 it mailed the statement that was quoted in our brief, when
8 they described the limitations of models of estuarian behavior.
9 The Board specifically recognized the generic limitations of
10 these models.

11 They did the same thing on pages 49 and 50 of the
12 initial decision when they compared the projections between
13 the two models, the Applicant's models and the Staff's models,
14 and they said these calculations are interesting, but the
15 models assume average conditions and assume smooth increases
16 and decreases in population.

17 The data show 4 to 6 increases in catch. The data
18 don't match the present models, because the models are primitive,
19 and they are only as good as our understanding of the biological
20 system, which is inadequate at this time.

21 CHAIRMAN PARLER: In that regard, Mr. Parler, what
22 is your response to the point that Mr. Macbeth made that since
23 the Carlson-McCann report was published, it has been about 9
24 years in which additional research has been engaged in by the
25 Applicant.

Al 3-B

a 7

1 Why hasn't that effort produced more, and in view
 2 of the success of that effort, why is there reason to be optimis-
 3 tic about the success of the current efforts?

4 MR. TROSTEN: I would say two things about that.
 5 First of all, the Carlson-McCann report covered the years 1965
 6 to 1968. We have started a program in 1969, essentially four
 7 years ago, so we are talking about -- we are not talking about
 8 9 years. We are talking about a period since 1969, to the end
 9 of 1973, which was a four-year period in which we have been
 10 studying this.

11 This information was collected in order to obtain
 12 base line data with which to compare the preoperational conditions
 13 before startup of Indian Point 2 with the postoperational
 14 conditions and that is what we have been doing. To say that
 15 this data has been collected, and if we don't have the answer
 16 now, how will we get the answer, is to completely overlook the
 17 fact that what we need to do is test the situation in the river,
 18 measure the situation in the river, before plants startup, and
 19 measure it after the plants startup. There is a research program
 20 and a data collection effort that is specifically designed
 21 to measure empirically what has happened in the river, what
 22 has happened -- what the conditions are before the plant starts
 23 up, measure them while the plant operates, and measure the
 24 effect of the plant's operation on the system.

25 The idea here is to pulse the system and see whether

Al 3-B
a 8
1 there is an impact that we can discern by the measuring tech-
2 niques that have been specifically devised for this purpose.
3 That is the answer to Mr. Macbeth's assertion.

4 Unfortunately, the Board's skepticism, understand-
5 able and justifiable skepticism, about the use of these biolo-
6 gical models wasn't carried over when it made its ultimate
7 decision. In order to appreciate the significance of this
8 objection, I want to examine with you several basic points that
9 have to be measured at the present time in order to determine
10 whether any -- whether the plant is having a serious impact.

11 Now the basic parameters that have to be measured
12 are the ones that I indicated to you before in describing the
13 basic scope of the Applicant's research program, but there are
14 certain other areas that I want to call your attention to
15 specifically that represent uncertainties, and these are the
16 sorts of uncertainties that are reflected in our so-called
17 F factors and in our use of the term "compensation" in our
18 model.

19 It is known that spawning areas of the striped
20 bass vary from year-to-year as a result of changes in river
21 flow and that such changes will affect the number of eggs,
22 larvae and juveniles available for entrainment. The data
23 currently available on spawning location and the consequent
24 distribution of young striped bass are of a very limited nature
25 and they may not reflect either the average or the range or the

Al 3-B

ba 9

1 actual conditions that exist in nature. Here again, the Carlson-
2 McCann studies were designed to study a very specific matter,
3 that is the impact of the Cornwall plant.

4 These data are not an adequate basis for the staff
5 to conclude that the 70 to 90 percent of the young striped bass
6 pass Indian Point in an entrainable period. The record reflects
7 the notion that these data are not adequate to support such
8 a function.

9 All the studies performed to date have expressed
10 their concerns in terms of relative conservations of life forms
11 in the river, and difficulties with efficiencies in the past
12 have made it difficult for the authors to express these abun-
13 dancies in absolute concentrations and it is fundamentally
14 important and necessary to be able to reflect these concen-
15 trations in absolute numbers in order to compare these numbers
16 with the intake numbers which are absolute numbers, and with the
17 impingement numbers, which are absolute numbers.

18 If you have these relative concentrations, you are
19 comparing apples and oranges, and it doesn't work. Third,
20 it is known that the larval striped bass undertake vertical
21 diurnal migrations. During the day, they tend to be concentrated
22 near the bottom and during the night they rise to the surface.
23 A further investigation of this phenomenon is necessary to
24 determine whether at Indian Point where the plant is drawing
25 the water this phenomenon will have a significant impact on the

1 availability of the larvae to the intakes. This is the whole
2 point of the so-called F-1 factor, to determine whether they
3 are there, because of this phototaxic characteristic of theirs.

4 The juvenile striped bass have an active tendency
5 to go to the shoals as they go and avoid capture in nets and
6 to escape predation. If this is the case, it will further con-
7 trol the number of juvenile bass that are available to the
8 intakes, because they will go to the shoals, and they will avoid
9 the intakes, and therefore will not be there to be entrained.

10 Further, the study is necessary to determine the
11 areas of conservation of these young fish before the effect
12 of the plant on this life stage can be determined. Here again
13 in 1973, a great deal of data was obtained which has not been
14 reduced, which we believe will be strongly indicative of whether
15 the phenomenon of the F factor, F-1 and F-2, really exists,
16 and to what degree less than unity these factors should be
17 assigned.

18 Next the preliminary result of studies being carried
19 out by New York University have indicated the possibility
20 that the concentrations of larvae at the intakes are substantially
21 lower than concentrations in the river.

22 end 3-B

23 CR 3820

24 fls
Ace-Federal Reporters, Inc.

25

Ruff
3C

1 There is testimony in the record that indicates
2 that the NYU researchers have never seen larvae above
3 three quarters of an inch in length in the intakes, and
4 if that is so, this has a fundamental impact on the
5 length of time that these organisms are available to be
6 entrained.

7 CHAIRMAN PARLER: Are you talking about
8 striped bass larvae?

9 MR. TROSTEN: Striped bass larvae, that
10 is correct.

11 Now, both these facts, if they are true, that is,
12 that the larvae do indeed remain in the lower portion
13 of the water column and that they do not actually appear
14 in the intakes, this will have a very substantial
15 effect upon the impact of the plant.

16 Apart from the philosophical and legal question
17 of the extent to which one should place one's reliance on
18 these models, predictions in reaching a conclusion of the
19 significance of this one, where the stakes are as great as
20 they are here, there is a question whether the present
21 inadequate data which we say are inadequate, reasonably
22 justify drawing certain tentative conclusions.

23 We have addressed this in our explanation of the
24 use of the F factors and compensation. We have never
25 contended that the existing data were sufficient to

1 resolve the questions now of the values to be assigned
2 to the F factors and the precise values to be assigned to
3 compensation.

4 It is because of the needs to get more information
5 on that that we have to have a research program.

6 You have asked for clarification of the evidenti-
7 ary support for F-1 and F-2.

8 With respect to F-1, we used available
9 measurements from three field observations. These measure-
10 ments showed that if one compared the mean conservation
11 values for the upper East River quadrant where we consider
12 the plant draws the most river water from, with the average
13 ~~conservation for the cross section, the ratio is significantly~~
14 lower than unity.

15 We used the NYU data which are the most complete
16 and we assigned the best estimate value of about .4 for
17 the various life stages of striped bass. With regard to the
18 F-2 factor which is the relationships of the concentration
19 of the organism actually seen in the intake, measured in
20 the intake, relative to the upper east quadrant, it is
21 correct that prior to 1973 there was a relatively small
22 amount of plant sampling data available upon which to
23 draw a conclusion.

24 Nevertheless, since it is known that the
25 older larvae tend to seek the shallow area as seen by

1 the Staff's final environmental statement and the Carlson-
2 McCann studies and the fact that the studies reported in
3 the record have never shown larvae above three quarters of
4 an inch in the intakes, it is reasonable to assume that the
5 intake concentration is not equal to unity, as the portion
6 conservatively assumed.

7 The factors for assignment of a value less
8 than unity are found in the transcript and in the testimony
9 of Dr. Lawler, which I will supply for the record in
10 accordance with the Board direction.

11 With respect to the Staff's and Intervenor's
12 suggestion that there is no significant difference in
13 larvae concentrations as one moves laterally across the
14 river, Dr. Lawler indicates that although there is difference
15 in the data used, the difference between the surveys and
16 the bottom data is the controlling data.

17 If it is calculated using just the upper
18 east quadrant or the entire upper quadrant has little
19 effect upon the numerical value of F-1, because in each
20 case they are substantially less than unity.

21 The Staff and the Intervenor's have indicated
22 that, since Indian Point 2 intakes extend near the shoreline
23 that the full water column is subject to withdrawal.
24 That would negate the effect of the F-1 factor. For this
25 reason the Staff and the Intervenor's claim F-1 should be set

1 at unity. Now, the Staff and the Intervenors have mis-
2 construed the Applicant's testimony in this regard. When
3 Dr. Lawler discussed the concept of F-1, he shows that
4 far more than merely the local area around the plant was
5 involved in the withdrawal of the water. That is rather than
6 being limited to the source of water some 150 feet in front
7 of the plant, as has been implied by Dr. Goodyear, water
8 is withdrawn, and therefore, organisms are entrained
9 from a more intensive area from an upper layer of the river,
10 and we believe the evidence fully justifies this.

11 DR. QUARLES: Will your research program get
12 this much of the hydraulics? You indicated that
13 you were not particularly concerned with hydraulics but
14 it seems to me this might have a bearing on the validity
15 of your remarks.

16 MR. TROSTEN: We believe this research program will
17 enable us to resolve the problem of what is the product of
18 F-1 and F-2, because we will be measuring the concentrations
19 of larvae near Indian Point and up and down the river.

20 DR. QUARLES: I had something more direct in
21 mind. Will you get flow patterns in the adjacent cross
22 section?

23 MR. TROSTEN: I would have to check the story
24 on that. I know we have information on model studies
25 on that, but if I may, I would like to be able to

1 specifically respond to that question. I think the
2 answer is yes.

3 Now, I just want to respond at this time to a
4 point that Mr. Macbeth made, and that is while the Board
5 did not take a conservative value, they said F factors are
6 not equal to unity, and they took a medium position. That
7 is not a correct argument at all.

8 No one even suggested that the values in this
9 case were more than unity. No one produced any
10 evidence that they were more than unity. That is the sheerest
11 of speculation.

12 So, I do not regard that as being significant in the
13 slightest way. The Board specifically agreed that there was
14 some justification for the Applicant's combined best
15 estimate of F factors and found that the combined F factor
16 is not equal to one.

17 We submit that the Appeal Board needs to focus on
18 two issues. First, is there a reasonable basis, giving the
19 admitted lack of data, to assume that the F factors are
20 equal to one, when the limited evidence in the record
21 suggests that the assumption is incorrect and data
22 collection effort is under way now and which will resolve
23 the questions and could demonstrate that this critical
24 assumption is false, and I think it is quite clear that the
25 assumption, when the F factors, the F factors are equal to

1 one, it can clearly be demonstrated within the period of
2 this research program. I think the record is clear
3 that we can do that part of it. The question of compensation
4 presents a complex issue, but on the F factors, I think the
5 record is clear we can do this by January 1, 1977 as we say
6 we can.

7 Now, I would like to turn to the other point
8 that the Board wanted to have argument on which is the
9 evidentiary support for the effect of compensation.

10 And, now what we face here basically is a
11 conflict of opinion. Data have not been collected which
12 demonstrate that there is or is not a compensatory mechanism
13 operating in the striped bass population of the Hudson
14 River, data that is, and by the same token, I do not think
15 data have been collected which demonstrate that the forces of
16 gravity are in operation in the population.

17 Dr. McFadden has testified there would be a
18 compensatory response that would mitigate the impact on the
19 striped bass population.

20 Since September, 1971, he has been closely
21 associated with field research on Hudson River fish populations
22 and hence he has had an opportunity to test the general
23 conclusions with respect to whatever information is available
24 about the Hudson River striped bass.

25 Dr. Rainey is perhaps the leading expert in this

1 country on the history of the striped bass.

2 Relying on the opinions of these experts
3 together with an extensive literature survey which
4 indicated there would be a compensatory response in the
5 striped bass population which would mitigate the effect of a
6 power plant operating at Indian Point, this was equated into
7 the model.

8 The mathematical expression is based upon the
9 collective judgment of the Applicant's expert witnesses which
10 in turn rests on general principles of biology and such
11 data as are available concerning the Hudson River striped
12 bass.

13 Dr. McFadden testified and he relied in the
14 testimony on the comprehensive review of the ecological
15 literature and pertinent data cited in his testimony.

16 The commendation occurs in animal populations
17 studies. Compensatory processes have been shown to
18 operate in estuary and seas populations, including striped
19 bass.

20 This, in the opinion of Dr. McFadden, indicates that
21 these populations versus a potential for growth
22 would constitute a substantial compensatory research.

23 The removal of some of the stock would encourage
24 the compensatory increase now in the survival of the remainder
25 in a fraction characteristic of all animal population

1 studies.

2 Dr. McFadden testified in his October 30 written
3 testimony that, "Relevant data from other striped bass popula-
4 tions and general principles of fish population dynamics
5 can be applied directly to the Hudson River situation."

6 Now, it is not necessary, and I would like to
7 counter two particular points that Mr. Macbeth has made
8 to show that compensation occurs just in that year class, that
9 there is a point that has run through the brief and I submit
10 it is based on a complete misconception.

11 Although Dr. McFadden has testified that compensation
12 is likely to be most effective in early stages of fish life
13 rather than later stages, he also testified that it could
14 occur at any time and it is not necessary for the Applicant
15 to demonstrate that compensation occurs at a particular
16 time.

17 Secondly, the statement that we haven't proposed
18 a specific test for the compensatory mechanism I submit is
19 beside the point, because we have suggested a variety
20 of things such as increased growth, increased spawning,
21 a change in the sex ratio and these are described in our
22 testimony, of the mechanism, and hence it is not necessary to
23 go through the exercise of describing the mechanism when that
24 might not be the one that was operative.

25 The thing to look for is whether it is working,

1 not which one of the mechanisms is working.

2 Here again, the Applicant's basic objection
3 to the approach adopted by the Licensing Board relates to the
4 standard whereby it judges the evidence. The Applicant's
5 witnesses presented their conclusions which are based upon
6 years of experience, the general principles relating to popu-
7 lation dynamics and some Hudson River data to
8 support these general principles.

9 In response to this testimony, the Staff and
10 the HRFA stated their own conclusions which we submit
11 were not as convincing as those of the Applicant.

12 When it weighed the mass of testimony in the
13 balance, the Licensing Board required the Applicant to prove
14 its case. It placed the burden of proof on the Applicant,
15 which is what the Intervenors told them they should do,
16 and thus the Board stated it is desirable to take compensation
17 into account, but it does not find convincing evidence that
18 the effects of present levels of population are not likely
19 to reduce the plant's impact as much as Applicant's
20 figures indicate.

21 Where is the convincing evidence that compensation
22 will have no effect?

23 At this point in the decision and elsewhere in
24 the decision which we point out in Exceptions 5 and 6,
25 the Board does not place the parties on an equal footing.

1 There are admittedly great uncertainties about the
2 basic questions submitted in the hearing. Our basic position
3 is this, as best we can determine on the basis of existing
4 data, the plants will not have an irreversible or substantial
5 impact during these three years.

6 Let us operate with the plant and test these
7 assumptions with actual operating data.

8 Mr. Chairman, I would like to reserve the rest
9 of my time.

10 DR. QUARLES: I would like to take a minute
11 of time, if I may. I am going to ask him to comment
12 on a remark of yours, Mr. Macbeth, and if I misstate it,
13 please correct me before he replies.

14 As I understood Mr. Macbeth, he said something
15 to this effect, that the monitoring program can not
16 detect the 15 percent decrease and this could then
17 continue at 15 percent for 8 years or thereabouts and that
18 the Licensing Board set the decrease would not be acceptable.

19 MR. MACBETH: I would make one slight change.
20 The monitoring program, of course, it is tied to the
21 research. The 15 percent number after five years would
22 probably rise when the fish came back to spawn. But, during
23 during the first five years of operation, the number would
24 be fifteen percent and the Applicants testified that they
25 did not detect anything smaller than 25 percent.

1 DR. QUARLES: Will you comment either now, or when
2 you come back?

3 MR. TROSTEN: Let me comment now. I was going to
4 reserve that until later.

5 DR. QUARLES: It is all right if you do.

6 MR. TROSTEN: No, I will comment on it now.

7 That does not imply that you cannot detect a lower
8 impact. It does mean, however, that if you are going to
9 detect a lower impact, the confidence levels are going
10 to be greater. You would have to have a greater uncertainty
11 than the 95 percent competence level. We picked the 25
12 percent number not because that was an absolute firm number,
13 ~~but because we felt it was so far below what the intervenors~~
14 had said, because it was so much within the levels of
15 reduction which our experts told us were easily sustainable by
16 fish populations over many years and because of the nature
17 of the sampling program that we were getting into in
18 the river and the sort of confidence we wanted to have, the
19 25 percent number appeared to be a reasonable number. Had
20 the Board insisted to use that level rather than 15 percent,
21 the program could have been restructured and perhaps can
22 be restructured.

23 What it depends on is the level of certainty
24 that you want to have, and what you are interested in
25 preventing. There is nothing in this record to suggest, and

1 we have never said that we cannot detect something less than
2 25 percent. It is a matter of how much certainty you
3 want to have that the number you are seeing is actually
4 the real number.

5 Thank you.

6 CHAIRMAN PARLER: We will recess now, to resume
7 at 1:40.

8 (Whereupon, at 12:10 p.m., a recess was
9 taken until 1:40 p.m. of the same day.)

10 -----
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSIONcr3820
#9 dhl

(1:40 p.m.)

1
2
3 CHAIRMAN PARLER: The oral argument session is resumed.
4 Mr. Macbeth, would you please proceed with your
5 response?

XXXXXXXXXX

6 ORAL ARGUMENT OF ANGUS MACBETH ON BEHALF OF
7 HUDSON RIVER FISHERMEN'S ASSOCIATION.

8 MR. MACBETH: I would like to start by turning to the
9 question of the impact on the closed cycle cooling system,
10 particularly the natural draft closed cycle cooling towers that
11 have been the mode of closed cycle cooling that all parties have
12 agreed would be most preferable at the site.

13 I think that understandably, in terms of the way the
14 initial decision was written, an impression was left that there
15 was little evidence in the record as to what the effect of
16 the closed cycle system would be, particularly natural draft
17 towers, and that there might well have to be a considerable amount
18 of research into that issue.

19 I think that that really is a misapprehension from the
20 reading of the initial decision, and I think that the short
21 space that was devoted by the licensing board to the impact of
22 closed cycle cooling is really the result of the fact that there
23 is no contest on the point between any of the parties to the
24 hearing. All three parties put in evidence as to the effect
25 of closed cycle cooling.

dh2

1 The Applicant had evidence included in its Supplement
2 3 to its environmental report which I believe is Exhibit 3-C
3 in the hearing. The foundation document for that was a report
4 from Burns and Rowe which the company received in June of 1972,
5 and that is in the proceeding as Hudson River Fishermen's Exhibit
6 V, and there is evidence, further evidence from the Applicant in
7 testimony at the transcript 7562 in which one of the company's
8 experts says that as of last December, the company knew of
9 nothing to indicate any new impacts other than those already
10 set forward in the supplement.

11 Chapter 11 of the final environmental statement contains
12 the staff analysis, the major problems, and testimony on behalf
13 of the Fishermen's Association by Dr. Ainsley, which was dated
14 October 30, 1972 and follows Transcript 6276. It has further
15 analysis on behalf of fishermen.

16 Uniformly, the analysis there indicated that there
17 would be no significant effect at all from either saline drift,
18 salt deposits, or fogging and icing which have typically been
19 the things that have most disturbed the Board.

20 I would like to read briefly from page VII-6 of the
21 Burns and Rowe report, Exhibit 5, which deals with the salt
22 deposition problem, in which they determined that the worst
23 area for salt deposition would have a rate of 7.9 pounds per
24 acre per year, and this is clearly a conservative number.

25 They state that the drift recommendation is based on

dh3

1 Homer City measurements which indicate 0.0025 percent with a
2 50 percent increase to allow for uncertainties. Other drift
3 rates and/or concentration factors would result from salt
4 deposition. It should also be recognized that the above is
5 based upon the worst consecutive month's drought in approximately
6 50 years of records.

7 Those figures are compared to other figures on salt
8 drift to provide a basis for comparison, salt fall out in coastal
9 areas will normally reach values of 25 to 300 pounds per acre per
10 year, highway salting indicates 1,000 pounds of salt per acre
11 per year would cause damage.

12 So we face the situation where the conservative
13 calculations indicate only about 8 pounds in the worst sector
14 from the salt deposition, and the level at which damage has been
15 recognized is at 500 to 1,000 pounds. I think that really is
16 the reason that not very much emphasis was put in salt deposi-
17 tion. One witness considered the Applicant's report to be
18 realistic.

19 The Applicant indicated there was no indication of
20 anything worse as of last test. The Staff also reviewed the
21 figures and did independent calculations and came to the same
22 result, that there simply would be no damage from salt deposition.

23 On the question of fogging and icing, the plume is
24 a thousand feet above ground level. This is a high natural
25 tower, as has been pointed out time and time again, and there

dh4

1 simply would not be fog or icing directly from the tower at
2 ground level. That is reported again in this whole series of
3 documents that I have just cited to the Board.

4 There would be a moderate effect from noise, but
5 the information on that is certainly available. There would be
6 an aesthetic intrusion. We know as much about that now as we
7 will ever know. I suppose the way to find out about it is to
8 build the tower.

9 So I think the heart of the question on the closed
10 cycle cooling system is the fact that there simply wasn't a
11 great deal, or hardly any controversy as to the environmental
12 effects of the tower between the parties, unless it wasn't
13 addressed by the Board as a truly serious issue demanding a
14 great deal of discussion in the initial decision.

15 The Staff also made clear that when they said they
16 wanted a report from the Applicant, what they wanted was a
17 report from data presently available. That is discussed at
18 Transcript Page 6960. They, of course, wanted that as of July 1,
19 last year. Their business was that they were not in the business
20 of designing closed cycle cooling systems for the Applicant.

21 Was the Applicant's job to come in with a design for
22 a closed cycle system, whatever the Applicant thought was best,
23 and the Staff would then review it and give its approval, and
24 there might be minor changes here and there. They were not
25 expecting a program of a year of meteorological studies and wind

dh5

1 direction studies. What they wanted was a report based on
2 presently available material.

3 So I think the whole question of extended meteorological
4 studies, at least as far as what the Staff of the AEC wanted,
5 and I think that is what the licensing board was addressing
6 itself to in the initial decision, is frankly a straw man.

7 The staff has made it clear that the information they
8 want is present now, and the studies and analysis that has
9 already been done indicates a level of damage or possible
10 damage so far below what could be considered serious that there
11 really isn't an issue except about fine details as to what should
12 happen with the closed cycle cooling system. A long period of
13 study isn't necessary.

14 CHAIRMAN PARLER: Mr. Macbeth, that is fine what the
15 Staff said they wanted. What does NEPA require? Doesn't NEPA
16 require thorough environmental analysis?

17 MR. MACBETH: I think a thorough environmental study
18 has been done on the facts of the study. This is a report --

19 CHAIRMAN PARLER: That is a thorough analysis?

20 MR. MACBETH: I think it is. There may be fine
21 details of design that are needed, but we have a balance where
22 we see enormous effects on the fish and really miniscule
23 effects from stall or fogging.

24 DR. BUCK: Have you done just as much research on
25 the river as was done on this? How would you know whether there

dh6

1 was an enormous effect on the fish or not, if that tower research
2 had been done for the river?

3 MR. MACBETH: They are marginal as a cooling tower --

4 DR. BUCK: Why is it that the AEC has extensive
5 programs on the effect of salt now underway?

6 MR. MACBETH: That I don't know.

7 DR. BUCK: Do you know if the drift arrestors are
8 adequate or not? Do you know whether the calculations on drift
9 arrestors are adequate?

10 MR. MACBETH: They have been studied by the company,
11 by our consultant --

12 DR. BUCK: Isn't it true that the AEC is now
13 requesting experimental work on drift analysis to prove out those
14 calculations?

15 MR. MACBETH: At this site? No.

16 DR. BUCK: At any site. This site is an important
17 one, by the way. It is different from other sites.

18 MR. MACBETH: I won't dispute that.

19 DR. BUCK: It is different here from most other
20 sites.

21 MR. MACBETH: There is evidence in the record that
22 it is quite comprable to that in the Appalachian region?

23 DR. BUCK: Can you quote the evidence. There is a
24 state. Here that work has been done on towers in the Appalachians.
25 but I know --

dh7

1 MR. MACBETH: It is Dr. Ainley's cross-examination of
2 January. I will get you the page number.

3 DR. BUCK: I would like to see that.

4 MR. MACBETH: I cannot address myself to what AEC's
5 concern is in the general study. I wasn't familiar with it.
6 But the Staff certainly didn't feel it was necessary here, and
7 again it has been reviewed by experts on the Staff, an expert
8 for the fishermen, and consultants --

9 DR. BUCK: Who is your expert?

10 MR. MACBETH: Eric Ainsley. It has been reviewed
11 by the company and its consultants, and no one has ever stepped
12 forward and said, you know, that they have any evidence or
13 any indication that a serious adverse effect will take place.
14 They say there is a possibility and you have to nail down every
15 last little detail.

16 DR. BUCK: Is that what you are saying as far as the
17 river is concerned?

18 MR. MACBETH: No, I am saying we have enough knowledge
19 of the river, so that we can take action. I am opposing the
20 Applicant's notion that again with the river, we must go on and
21 on and on when we can see the magnitude of the impact to, you
22 know, nail down what I think are points which are not necessary.

23 There is a vast body of data here. It has been gone
24 over very carefully by a large number of experts.

25 DR. BUCK: The point I am getting at here is that I

dh8

1 know of no data which under the inversion conditions and so on
2 that may exist around Indian Point 2 that the plume will not
3 come down to the ground. Do you know of any data which shows
4 that the plume will not come down to the ground?

5 MR. MACBETH: I do not know the study.

6 DR. BUCK: Just answer the question. Do you know of
7 any data on the record that says and shows that this plume will
8 not come down to the ground?

9 MR. MACBETH: There is data in the record that say
10 that the Appalachian Region is comparable to that of Indian
11 Point, and that that has not happened in the Appalachian region.

12 DR. BUCK: I am asking you if you know from the
13 meteorology of Indian Point 2, is that there is data that shows
14 that the plume will not come down to the ground?

15 MR. MACBETH: I do not know of a study that precisely
16 says that. There are studies from the Applicant's consultant
17 and from other places across the country that indicate that
18 that will not happen. They have not been done by having a
19 balloon or tower 400 feet up at Indian Point. I agree that has
20 not happened, but there have been thorough studies at other
21 sites like Keystone site.

22 There is knowledge as to what the meteorology is
23 at Indian Point, and from that, experts for all the parties
24 have come forward with this conclusion. There simply isn't an
25 allegation from any of the parties that there will be fogging

ch9

1 and so forth. The Applicant couldn't contend it, the Intervenor
2 doesn't contend it, the Staff doesn't contend it.

3 DR. BUCK: The licensing board implies, at least,
4 that the only effect of the tower is the noise.

5 MR. MACBETH: There will be some noise effect.

6 DR. BUCK: They don't say that. They say it would be
7 aesthetic. Have the people of Buchanan, for example, had a
8 chance to present their views on the aesthetics of the tower?

9 MR. MACBETH: The Mayor of Buchanan was served with
10 all the papers in this proceeding. There have been many public
11 hearings near the site. The fact that the AEC was proposing
12 this has been publicly known through the newspapers and elsewhere.
13 ~~No one has stepped forward, no one has opposed the construction~~
14 of the cooling tower anywhere in this proceeding.

15 Even the Scenic Hudson Preservation Conference, which
16 has certainly been a group that has defended the aesthetic area
17 of the valley, said they did not oppose the construction of the
18 cooling tower. That is in the second volume of the second
19 environmental statement.

20 I wanted to turn from the cooling tower problem to
21 the research question, and just to provide the Board with refer-
22 ences to indications of the amount of research that has been
23 undertaken at the site, the Applicant's Exhibit 3-C, Appendices
24 S and T, reflect the course of research, as do a series of
25 letters between Mr. Hall and Mr. Woodbury, following the

dh10

1 Transcript at 9386.

2 I think in light of the emphasis that has been put
3 on possible mitigating measures that could be taken, the state-
4 ment of the licensing board at Page 85 of the initial decision
5 should be remembered. They say that these mitigating measures,
6 and they are listed out, the proposals that have come forward,
7 are in various stages of research and engineering and little
8 can be concluded regarding their cost or effectiveness.

9 There is also again testimony in the record that
10 at the present time, the Applicant cannot produce any estimates
11 of what the effectiveness of the various measures would be.
12 Again, I will provide the actual transcript reference for that.
13 I didn't have it prepared with the argument.

14 So that, again, it seems to me that the mitigating
15 measures, the kind of proposal, they are the kind of proposal
16 that is virtually impossible to contest. There may or may not
17 be mitigating measures. That, again, it seems to me, is a
18 strong reason for imposing the requirement that a closed
19 cycle cooling system be installed, because that is a mitigating
20 measure that we all know will have the effect of preserving the
21 fishery in the river and will not have, beyond the aesthetic
22 impact, a minor effect on the rest of the environment in the
23 Indian Point area.

24 Another point that Mr. Trosten made at some length
25 was that the program that the Applicant is proposing is

dhll

1 essentially one that is aimed at seeing how the plant works and
2 then from true empirical data, discovering what the effects of
3 the plant are. There are a number of points I think which can
4 be made about that.

5 The first, of course, is that that is not what the
6 National Environmental Policy Act is designed to achieve. I
7 think the decision of the D.C. Circuit Court in Scientists
8 Institute for Public Information vs. the AEC makes that clear.
9 The point of the Act is to make an estimate of what the effect
10 will be before you go ahead with the program.

11 The point is to analyze the project in advance, not
12 to go forward with the project and then when you have it built,
13 well, see what you can do to mitigate the environmental effects
14 if environmental effects occur.

15 So that while Mr. Trosten may be proposing a program
16 that under some other circumstances would make sense, it
17 certainly doesn't under the Act here and it doesn't under the
18 actual facts of what is going on on the river.

19 Not only, of course, are there vast bodies of data
20 which in our firm opinion present a full record for the Board
21 to make a decision on, but also the policy of the company has
22 not been to build one plant and then see what the results are.
23 The policy of the company has been to build plants all up and
24 down the river, so that we are not in a place where there is any
25 kind of careful testing as part of the company's policy.

dhl2

1 The policy is to put once-through cooling all up
2 and down the central reach of the Hudson River.

3 There is another further problem. At one point in
4 the hearing, and Dr. Lawler, one of the witnesses for the
5 Applicant, proposed looking at the history of the growth of the
6 population of the striped bass in order to see whether the
7 model proposed by the Applicant or the model proposed by the
8 Staff was the better model to describe the past history, and
9 had set out in his testimony on sensitivity of the model
10 following transcript page 9405 -- it is page 11 of the balance
11 of the prepared testimony.

12 I reached the conclusion from that that in fact, the
13 Applicant's model was better than that of the Staff. The Staff
14 responded in testimony on the striped bass population which
15 follows transcript 10826 and in testimony at transcript 9916
16 to 21, indicating that Dr. Lawler failed to take into account
17 the fact that the striped bass population seemed to have been
18 climbing over the last five or ten years, the period when the
19 first plants were being felt, or their impact was being felt,
20 and if you took that into account, then in fact, the model
21 proposed by the Staff was much better than that of the Applicant,
22 and in fact, the history of the operation of the plants on the
23 river indicated clearly that in fact exactly the kind of results
24 that the Staff predicted were taking place.

25 DR. BUCK: Is this declining in the river?

dhl3

1 MR. MACBETH: Declining in the river. It is measured
2 through the landings in the river.

3 DR. BUCK: The river, or in the Mid Atlantic?

4 MR. MACBETH: In the river, and checked against the
5 Mid Atlantic as well.

6 DR. BUCK: Where were the landings taken?

7 MR. MACBETH: That I cannot answer.

8 Dr. Lawler replied to that on April 20 in testimony
9 following transcript 11044, contending that the real problem
10 here was natural fluctuations, and I think that this is an
11 indication of exactly what we are going to run into if we delay
12 a decision in favor of more research.

13 If new evidence comes in indicating that Staff's model
14 was correct, then the problem of natural fluctuations have been
15 raised again. Since those do take place, it will be a situation
16 where it will be impossible to pin down and demonstrate to the
17 Applicant's situation that the plant is having a serious
18 impact on the river.

19 I think that that passage of testimony, those three
20 pieces of prepared testimony, demonstrate very graphically the
21 problem that will arise if a decision on the research is put off
22 Moreover, they go a long way to rebut Mr. Trosten's basic point
23 that we ought to do this and take a look at what the effect of
24 the plant is.

25 Here is a situation where an attempt is made to look

dh14

1 at what the effect of the plant is, and the indications are that
2 either that plant, the plants that are presently operating are
3 having a very serious effect already, or there are immense
4 natural fluctuations which means any research we do gets lost,
5 the results get lost in the background noise.

6 That ties, too, to a final statement made by the
7 Applicant's chief witness on research, Dr. McFadden, who quite
8 bluntly said at transcript 11368 that the standard situation of
9 management is management in the face of real uncertainty.

10 I am not quoting it exactly, but that is the gist
11 of it. That again indicates that even from the Applicant's
12 own position, they admit that the standard management practice
13 is that there will be uncertainty in the fisheries. I think
14 that indicates again from the Applicant's own testimony
15 that on the kind of full record that is before the Board here,
16 the decision should be made to move forward with the conditions
17 for the imposition of a closed cycle cooling tower and not to
18 allow further research to go forward.

19 As I believe I indicated this morning, a number of
20 points, there are flaws and errors in the research program,
21 and again Dr. Goodyear's research from April 10, following
22 transcript 10826 probably sets that out as fully and more
23 directly from an expert on it than I could do.

24 Once more, the example of the Sacramento-San Joaquin,
25 where after 15 years of research, there is still debate among

ch15

1 the people as to what the research means. That is relevant here.
2 It is unlikely the voice of controversy will be stilled by 10
3 more years of research, and it is likely we will be faced with
4 the same kind of problem we are faced with here.

5 There are other things we could find out, and my
6 position is, and that of the Staff as well, that enough is known
7 now and the magnitude of the problems is so clear that action
8 should be taken.

9 I should like to turn finally to the question of the
10 middle Atlantic fisheries.

11 DR. BUCK: Can I ask a question on the R and D that
12 bothers me? You say if you go on with the research program that
13 we may be faced several years from now with uncertainties as to
14 what the effect is, and therefore, we have to continue the
15 research program. If this uncertainty exists, does this not
16 mean that the effects on the fishes in the Hudson River has been
17 relatively minor?

18 MR. MACBETH: I think that I really didn't put that
19 as fully as I should this. I think that what we will be faced
20 with, the Applicant is raising the same kind of questions that
21 it is raising now, the fishery declines, the Applicant says it
22 is natural flucturations. Then we have to do another long round
23 of research to discover what the natural fluctuation is.

24 DR. BUCK: But if there are more than natural fluctua-
25 tions, and it will continue to go down. Before it goes to zero,

dh16

1 that is, and before it becomes irreversible. You keep stressing
2 the fact that you may be faced with a long series of research.
3 The only time I can see that you will be faced with research is
4 if there is no proof that the damage to the fish is becoming
5 irreversible.

6 MR. MACBETH: To start with, I think that that evidence
7 is here now, both in the history of the fishery over the last
8 ten years and in the record of this proceeding.

9 DR. BUCK: What in the evidence right now shows that
10 the damage so far occurring in the Hudson River is irreversible?

11 MR. MACBETH: That depends what you mean by irreversible

12 DR. BUCK: I mean unrecoverable. Not the dead fish.
13 I am not talking if you damage a car and it is total that that
14 is irreversible. I am saying you can buy a new car and everything
15 is fine. I am saying here there is a fish kill, and that
16 reduces the population for that particular period of time, but
17 when I say irreversible, it is a continuing decline so that
18 eventually your fish disappear.

19 MR. MACBETH: And that you would never be able to
20 bring them back?

21 DR. BUCK: Precisely.

22 MR. MACBETH: You could probably eventually over
23 the long run bring the fish back. I don't think that is what
24 irreversible means in terms of the National Environmental
25 Policy Act, or the standard by which the Act should be measured.

dh17

1 The impacts are to be considered, but they are just
2 partof the impacts to be considered under the Calvert Cliffs
3 decision, and the impacts which are irreversible to that year
4 class are impacts which have to be taken into account.

5 You probably could take out virtually every striped
6 bass in the river and over 100 years bring them back. I don't
7 think that is what the Act means. The Act was aimed at
8 finding, as the Calvert Cliffs decision says, the optimal
9 beneficial action. That, in this case, is to prevent the kind
10 of substantial, permanent, irreversible impact that the
11 plants would have.

12 DR. BUCK: Go ahead.

13 MR. MACBETH: I would like to turn at the end to the
14 question of the Middle Atlantic fishery and the relation of the
15 Hudson to the Middle Atlantic fishery, and there are a number of
16 different methods of analysis that the Oak Ridge staff and the
17 Fishermen's Association undertook to demonstrate that the Hudson
18 supports approximately 80 percent of the striped bass population
19 in the waters of Delaware, New Jersey, and New York.

20 There was an analysis of tag returns from the
21 Chesapeake and the Hudson. Very few two year old fish leave the
22 Chesapeake, and there is the evidence that, some of the geographic
23 evidence, that the fish in the Chesapeake move in the semi-
24 sheltered areas of the Bay itself, while in the Hudson, those
25 semisheltered areas tend to be Long Island Sound and the south

dh18

1 shore of Long Island.

2 There is a mapping of the Hudson landings against
3 the Middle Atlantic landings, and I think that is 79 percent
4 of the Mid Atlantic stock which can be accounted for by the
5 Hudson, while the correlation between the Chesapeake stock and
6 the Middle Atlantic produces a spurious correlation.

7 Again, this is set out in the Fishermen's proposed
8 findings of fact starting at Section 3.43, again with a
9 great number of references to the record so that that would
10 save me going over them one by one.

11 DR. QUARLES: In connection with that, Mr. Macbeth,
12 at least one of the witnesses, and more, I think, maintained
13 that projection analysis was not legitimate in this case, that
14 the data are not independent?

15 Is there countervailing testimony somewhere?

16 MR. MACBETH: I believe there is.

17 DR. QUARLES: Would you get us that?

18 MR. MACBETH: Yes.

19 DR. BUCK: Are you go-ng on to something else now?

20 MR. MACBETH: Yes.

21 DR. BUCK: Let me ask a question first.

22 As I understand it, your conclusions on this are
23 primarily based on Dr. Goodyear's analysis of testimony, am
24 I correct?

25 MR. MACBETH: Dr. Goodyear's analysis is also an

dh19

1 independent analysis by Mr. Clokey, which included an analysis
2 of fish that get in the Hudson River, and that is in the trans-
3 cript at, I believe it is transcript 8560 and following.

4 Again, I would like to be able to check that.

5 DR. BUCK: Does he in that unequivocally support
6 Dr. Goodyear's estimate of 80 percent?

7 MR. MACBETH: I think any scientist always says
8 things with a certain amount of caution. It seemed to him that
9 was the best number.

10 DR. BUCK: Can you give me a number of a page in there
11 where he says that 80 percent is the best number? Would you
12 send that in to me, please?

13 MR. MACBETH: Yes.

14 DR. BUCK: All right. Now, another thing. On, I
15 think it is transcript 8129, yes, here it is -- Mr. Clark was
16 your major witness, as I recall. There were some questions,
17 and he was under cross-examination at the time, and I think it
18 was Mr. Trosten who asked, "Would you say an intelligently
19 conceived research and tagging program could contribute sig-
20 nificantly to the knowledge that the contribution of the Hudson
21 River makes to the coastal fishery?"

22 Mr. Clark's answer was, "It could conceivably do so.
23 The tagging studies to date, including mine, are nothing but
24 hodge podge, a patchwork of miscellaneous attempts that are
25 uncoordinated."

dh20

1 He was asked a question about Chairman Jensch, and
2 he said, "I was on a striped bass research committee for a
3 number of years during the Sixties, and we always got together
4 and talked about doing that, but nobody every did it. They
5 just couldn't get themselves together enough to carry out any
6 cooperative program that had any meaning."

7 Now, what Mr. Clark was talking about here was tagging
8 studies that primarily were relied upon by Dr. Goodyear. Now,
9 if these are classified as an uncoordinated hodge podge of tagging,
10 which Dr. Clark says the program had no meaning, how can you
11 rely on the tagging programs to prove that the Hudson River
12 source amounted to 90 percent of the Mid Atlantic fisheries
13 when every previous expert on this situation had a different view?

14 MR. MACBETH: I think that there are two answers to
15 that. First of all, I think what Mr. Clark is addressing
16 himself to there is a coordinated program up and down the
17 entire Mid Atlantic area, and what we have are a number of
18 individual studies of different places which then have to be
19 put together.

20 They are a hodge podge in the sense they aren't one
21 vast coordinated study. But I think the record will also show
22 that when Mr. Clark sat down and went over the tagging studies,
23 they were such that he came to the conclusion that you could
24 make estimates from them.

25 The other point, of course, is that those are the

dh21

1 same tagging studies that the Applicants and everybody else
2 relies on. If one takes the position and decides on the basis
3 of the record, nothing can be made of the tagging studies at all,
4 and I don't think that was the considered opinion of any of the
5 experts who testified, that if one did reach that conclusion
6 that it would stand for all sides, and the Applicant would know
7 no more about the Mid Atlantic than anyone else knows in the
8 situation.

9 DR. BUCK: My point is that the people who did the
10 tagging studies, particularly those in the Chesapeake, and
11 those were concerned with what happened to the Chesapeake fish
12 and so on and where they went up and down the Atlantic coast,
13 and there were many of them that were involved in this, and
14 they all came to the same conclusion that the Chesapeake as a
15 major source of the Mid Atlantic fisheries.

16 Now, we have Dr. Goodyear coming along with no
17 experience in this thing as far as I can find, and this is
18 a paper review of the situation. He came to a different conclu-
19 sion from the people who had done the studies, and we have Dr.
20 Clark in a sense, making him up to some extent, but at the
21 same time admitting that the total coast-wise tagging program
22 was a hodge podge.

23 I am confused as to how one can jump to a conclusion
24 in this respect over the studies and determinations of the people
25 who have done the tagging.

dh22

1 MR. MACBETH: It certainly has been common belief
2 that the Chesapeake was the main contributor. I think the answer
3 to that is that Goodyear went back to the actual data that
4 underlay the papers that the investigators on both the Hudson
5 and Chesapeake had done and his analysis was built up from the
6 data.

7 So he wasn't simply relying upon the opinions of the
8 investigators, but analyzing their facts. I think that is how he
9 was able from their data to reach conclusions that they had
10 reached.

11 Clark himself has done a great deal of tagging work.
12 Clark, too, went back, admittedly after the Staff had put forward
13 this notion and reanalyzed the material and came in with the
14 same result that Goodyear had reached, from a slightly different
15 method, using some different studies, and putting different
16 weights on some of them.

17 But he was a man with a great deal of practical
18 experience in the field, and he reached the same result.

19 The Applicant, on the other hand, too, I think, if
20 you really read the evidence on which the Applicant relies,
21 you will find there really is nothing in the way of, you know,
22 a persuasive, coherent statement from anyone --

23 DR. BUCK: I have some problems about the regression
24 analysis, but I will wait until Mr. Karman gets on the stand on
25 regression analysis, because you brought one fact into the

dh23

1 hearing, if I recall it, in introducing something that has been
2 done for the Staff by the Staff which they did not introduce,
3 and that was the correlation between the Chesapeake catches
4 and the Mid Atlantic catch, and I have some questions which I
5 will ask Mr. Karman, because it was his witness who brought
6 this up.

7 MR. MACBETH: In passing on that, I take it it was
8 Dr. Goodyear's position --

9 DR. BUCK: There was more than that involved.

10 MR. MACBETH: My time has run out, but in response
11 to the emphasis Mr. Trosten put on the F-1 and F-2 factors, I
12 would ask the Board to read carefully the Fishermen's response
13 to the Applicant's exceptions 5 and 6, which begin at page 36
14 of our brief. They are all the references and the basic analyses
15 are laid out in some detail.

16 In closing, I would simply like to return to this,
17 and emphasize again the importance of this case for the Hudson
18 River, for the ends of the National Environmental Policy Act
19 as passed through, for the long line of analysis and work that
20 has been done in the Scenic Hudson case, and fundamentally that
21 view on the emphasis of unquantifiable values that are clearly
22 inherent here, that I think Justice Holmes summed up so well
23 when he said that we, not the river, is a treasure.

24 I think there is a full record here. Research will
25 produce nothing more to change our conclusions than the licensing

dh24

1 board properly reached here. It is clear the environmental
 2 effects of closed cycle cooling towers are clearly less detri-
 3 mental than the effects on the fish and really the time has
 4 come to take action to preserve the Hudson River, the estuary
 5 and the vast aquatic biota that it encompasses.

6 CHAIRMAN PARLER: Did you have time to cover all the
 7 important points?

8 MR. MACBETH: I believe I have. I believe I covered
 9 the points that the Board set out in its order, at least in
 10 brief form. Perhaps if anything different comes up from the
 11 other speakers later, I can research just a few minutes to
 12 respond to them, since we haven't heard from the Staff at all?

13 CHAIRMAN PARLER: All right.

e9

14 MR. MACBETH: Thank you.

15

16

17

18

19

20

21

22

23

24

25

1 CHAIRMAN PARLER: Mr. Corcoran, please.

2 ORAL ARGUMENT OF MR. JAMES P. CORCORAN ON BEHALF OF
3 THE ATTORNEY GENERAL OF THE STATE OF NEW YORK

4 MR. CORCORAN: One matter which is of great concern
5 to the State of New York which really hasn't been discussed
6 yet is the possible effects from thermal pollution which will
7 result from the once through cooling system at Indian Point 2.
8 I realize that the Licensing Board did not find definitely that
9 there would be violation of state thermal criteria through
10 the use of the once through cooling system, but there is sub-
11 stantial evidence in the Final Environmental Statement and in
12 portions of the record, evidence from the AEC Staff, that state
13 thermal criteria are likely to be violated, at least during
14 certain months of the season, if a once through cooling system
15 is permitted to be employed at Indian Point 2.

16 Now Con Edison rather than dealing with this very
17 serious problem seems to be content to give assurances that the
18 state thermal criteria will be met, but has not produced sub-
19 stantial evidence to indicate this.

20 I would like also to comment on the research program.
21 Indian Point 1 was put on the line, I believe, in 1961 or
22 1962, 12 years ago. During that entire period of time and before
23 that time, this applicant has had the opportunity to conduct
24 research to determine what would be the possible effects of impinge-
25 ment, entrainment, and thermal pollution on the biota of the

CR 3820

Al 10

R a 1

index

Al 10 1 Hudson River. It further admits in oral argument today that
Reba 2 2 the present research program which it is using as an excuse to
3 stave off the installation of cooling towers, perhaps forever,
4 may not measure an impact of less than 25 percent.

5 This would mean, therefore, that the striped bass
6 species could be impacted by as much as 24 percent each year
7 and Applicant's research program would not detect this. This,
8 I submit, is hardly an adequate research program.

9 Applicant has further given no assurance that it can
10 construct a cooling tower by September, 1981. One can anticipate
11 that after completion of the research program, which may very
12 well be inconclusive on all the major points, Applicant will
13 make the same arguments that it is making here today, that
14 there is no proof that irreversible damage will be done, and
15 therefore they should be allowed to continue with their once
16 through cooling system. It seems to me if Applicant is going
17 to construct power plants on the Hudson River at Indian Point
18 and elsewhere, and is going to be withdrawing water at Indian
19 Point 2 in the amount of 840,000 gallons per minute, it seems
20 to me it is incumbent upon the Applicant to demonstrate to
21 this Commission that no serious adverse impact will be done
22 to resources of the people.

23 I think Mr. Macbeth has adequately discussed the
24 questions of modeling, F factors, compensation. As we read the
25 record, we believe that the preponderance of evidence is on

Al 10
Reba 3

1 the side of the staff in its presentation. We believe that
2 Con Edison's assertion that there will be mitigating factors
3 has not been demonstrated by them.

4 It is their assertion, it is something for them to
5 prove. In fact, with regard to the F factors, it appears from
6 the record that the Applicants assumed the water was being
7 withdrawn from the wrong quadrant, from the upper east quadrant
8 when in fact most of the water will probably be withdrawn from
9 the lower east quadrant.

10 With regard to compensation, I would mention that
11 there has been research done on the question of compensation
12 as it relates to striped bass. That was done in the San Joaquin
13 River in California. The evidence seems to indicate that there is
14 no effective compensatory mechanism at work there.

15 Finally, I would like to say that I don't read the
16 decision of the licensing board as being all in favor of the
17 environmentalist by any means. It licensed the power plant
18 and will permit the power plant to operate until May 1, 1978,
19 with a once through cooling system.

20 That is four spawning seasons. It rejected HRFA's
21 request that the plant be closed down during spawning season.
22 I have nothing further.

23 DR. QUARLES: Mr. Corcoran, going back to your
24 discussion a moment ago on the adequacy of the research program,
25 you made one statement which I believe is contrary to facts,

Al 10

Reba 4

1 and it was presented just before the luncheon break. I would
2 like to back up on that and ask if your statement holds in
3 light of what I understood.

4 You indicated that Applicant's research program
5 could not detect less of the 25 percent change. Just before
6 lunch, I asked Mr. Trosten to comment on a statement of Mr. Mac-
7 beth's in which a figure of 15 percent had been used, and he
8 pointed out if I understood them correctly that they could
9 detect the 15 percent change, but the confidence level would be
10 less.

11 Would you still hold to that statement if it can
12 detect the 15 percent?

13 MR. CORCORAN: First of all, Dr. Quarles, it seems
14 to me what he was saying in effect was that he could give us
15 no assurance that it would detect the 15 percent. When he said
16 the confidence level is less, that means the chances are less
17 they will be able to detect it.

18 DR. QUARLES: My question was, if they can detect
19 15 percent, would you still maintain that it is not an adequate
20 program?

21 MR. CORCORAN: Yes, I would maintain it is not an
22 adequate program, because there seem to be so many other
23 questions about this research program that will not be resolved.
24 There is the question raised by Mr. Goodyear in his testimony
25 that the program may not be able to measure the differences

1 between natural fluctuations and losses caused by the plant.

2 There is also testimony that hydraulic factors
3 are not being taken into account sufficiently in the research
4 program. Dr. McFadden in his testimony said there is uncertainty
5 about this research program. I think there are so many questions
6 that it really cannot be used as a basis to permit the Applicant
7 to continue to play games, in effect, with the biota of the Hudson
8 River.

9 I think further, and most importantly, this record
10 provides sufficient evidence to demonstrate that there will be
11 a serious adverse impact on the biota of the Hudson River to
12 justify the installation of the cooling tower at that site.

13 DR. QUARLES: Thank you.

14 CHAIRMAN PARLER: Any questions?

15 DR. BUCK: No questions.

16 CHAIRMAN PARLER: Thank you very much, Mr. Corcoran.
17 Mr. Karman, would you proceed, please?

18 ORAL ARGUMENT OF MR. MYRON KARMAN ON BEHALF OF THE
19 OFFICE OF GENERAL COUNSEL, ATOMIC ENERGY COMMISSION

20 MR. KARMAN: Mr. Chairman, Dr. Buck, Dr. Quarles:

21 We have had a long and arduous hearing before us which is now
22 before this Appeals Board. Many, many thousands of pages of
23 transcript indicating testimony; many, many thousands of pages
24 of exhibits and attachments to exhibits, all submitted by
25 qualified, experienced members of the technical fraternity dealing

Al 10

Reba 5

xxx Index

Al 10
Reba 6

1 in the matter which is the subject of this hearing. The Hudson
2 River, the concomitant effect on mid-Atlantic fishery, and
3 the adverse or possible adverse impact on that fishery.

4 The hearing Board had before it, and of necessity
5 under the National Environmental Policy Act had to come to
6 some determination as to whether or not the continuation of
7 a once through cooling system with a plant that was about to
8 be licensed -- when I say continuation, this plant had not been
9 operating.

10 This was an application for an operating license.
11 The hearing Board had to determine whether or not that operation
12 continuing with once through cooling for any appreciable or
13 long-time range would have -- what impact would it have on
14 this fishery.

15 Then we come to the question of what type of impact.
16 The Regulatory Staff fulfilling its mandate under the National
17 Environmental Policy Act and issuing its Final Environmental
18 Statement in September of 1972, after a rather involved and
19 lengthy evaluation of the possible impact of operation of
20 Indian Point 2, came to the conclusion that operation of this
21 plant for a period in excess of 5 years subsequent to the licensing
22 of the plant would have a serious adverse impact on the biota
23 of the Hudson River and concomitantly the mid-Atlantic fishery
24 and could be irreversible in its effect.

25 The Regulatory Staff recommended to the Licensing

Al 10 1 Board that operation with once through cooling not be allowed
Reba 7 2 past January 1, 1978, which was approximately the five-year
3 period contemplated at that time from the period when it was
4 anticipated that a license would or could be issued.

5 CHAIRMAN PARLER: What date does the five-year
6 period run from now, Mr. Karman?

7 MR. KARMAN: From commencement of the operation of
8 the plant at the end of 1973 -- the license was issued
9 September 25th, and we would assume this is in the last quarter
10 of 1973. The Licensing Board in its initial decision indicated
11 that there was to be no operation of the plant with once through
12 cooling past May 1, 1978, and that closed cycle cooling system
13 would be installed by December 1st of that year, so we are
14 in the five-year period.

15 CHAIRMAN PARLER: Is the five-year period contem-
16 plated by the Environmental Statement; does it contemplate
17 full power operation of this plant during five spawning seasons
18 as acceptable?

19 MR. KARMAN: Yes, Mr. Chairman. There was nothing
20 in the Final Environmental Statement which required or recommen-
21 ded that there be a reduction of power during that five-year
22 period. The Board heard all the evidence. It was highly
23 technical evidence, and I must admit to this learned Appeals
24 Board with two highly technical members of the Board in addition
25 to the Chairman, who is a legal member of the Board, much of

Al 10 1 this was difficult for the attorney, this attorney anyway, to
pa 8 2 fully comprehend, and I must admit that I relied quite heavily
3 on my witnesses who were able to convince me, without fully
4 understanding in its depth the very many mathematical formulae,
5 modeling, entrainment, models, regression analyses, and so
6 forth.

7 Some of these matters were admittedly over my head.
8 My function at the hearing and the paperwork following the
9 hearing and today is to respond as best I can to some of the
10 comments which were made this morning in certain of the questions
11 that may come to the Appeals Board with respect to the record
12 itself.

13 The record is complete. We have, as I said, many
14 thousands of pages of transcript. We have briefs right from
15 the start. We have findings of fact; we have the initial
16 decision itself. We have response briefs, where the parties
17 have laid out the case before this Appeals Board.

18 The oral argument, as I contemplated, is for the
19 Appeals Board in its own mind to clarify certain of the open
20 items or questions which it has as the Appeals Board indicated
21 in its order. None of the parties requested oral argument.
22 Possibly they were as timorous as I was in getting into some
23 of the highly technical matters relating to the anadromous
24 species in the Hudson River, et cetera.

25 CHAIRMAN PARLER: Let me give you a question that

Al 10 1 perhaps doesn't involve delving into technical matters too much.
P. 9 2 The draft Environmental Statement that the AEC proposed does
3 not recommend a closed cycle cooling system, does it?

4 MR. KARMAN: That is correct, sir.

5 CHAIRMAN PARLER: Could you tell me the basis in
6 the record that caused the Staff to change its mind in the
7 Final Environmental Statement?

8 MR. KARMAN: In response to the draft Environmental
9 Statement, pursuant to the regulations of the Commission in
10 implementation of NEPA comments were received, and the Regulatory
ok 11 Staff through its consultant, the Oak Ridge National Laboratory,
12 working with the laboratory, looked at those comments, made a
13 further study, brought up to date the various studies and analyses
14 which had been made, completed certain models which may have
15 been in being at that time, and when September of 1972 came
16 around, the Regulatory Staff, based on the work done by Staff
17 and its consultant came to the conclusion that there would be
18 this serious impact and possibly irreversible damage at the
19 end of the five-year period, and so recommended in its Final
20 Environmental Statement that no operating license be issued
21 which would allow full power operation beyond that period.

22 CHAIRMAN PARLER: It was not the comments themselves
23 that were received that caused the Staff to change its mind,
24 but further work that the Staff did as a result of those
25 comments?

Al 10

Reba 10

1 MR. KARMAN: I think it is a combination, but
2 essentially the work that the Staff was doing.

3 CHAIRMAN PARLER: These comments recommending closed
4 cycle cooling towers were received from whom, the Environmental
5 Protection Agency and the Department of Interior?

6 MR. KARMAN: I believe they were, and the Interior
7 or in this case, the Hudson River Fishermen's Association,
8 also called for a closed cycle cooling system.

9 CHAIRMAN PARLER: Was any effort made to have the
10 EPA participate in this hearing?

11 MR. KARMAN: If I recall, Mr. Chairman, and I am not
12 sure I can document this, the Environmental Protection Agency
13 in my discussion with them, and this, of course, was informal,
14 indicated that they were not prepared to come into this case
15 as an intervenor or even as a participant in any form at that
16 stage. This was in September, 1972, and the Environmental Pro-
17 tection Agency was in the early stages of its development.

18 CHAIRMAN PARLER: Why don't you continue?

19 MR. KARMAN: Yes. One thing Mr. Trosten said this
20 morning I hope did not lead the Board to an erroneous conclusion,
21 and possibly I did not hear him correctly, but he did indicate
22 that the Licensing Board in its initial decision on page 100,
23 and going through page 101, it states that the Board agrees with
24 the Applicant that there is unlikely to be a serious permanent
25 effect on the fishery by delay of a year or two in starting

AI 10 1 construction of a closed cycle cooling tower system. However,
Reba 11 2 the Board also agrees with the Staff, HRFAA and the State of
3 New York that operation of unit 2, where the once through cooling
4 system can have a seriously adverse effect on the fishery,
5 and that Applicant's research program is unlikely to resolve
6 the questions in that extra year or two, and I just want to make
7 this clear that I am positive that the Licensing Board and this
8 Appeals Board and all the parties realize and recognize that
9 that year that the Licensing Board is talking about is not any year
10 thrown at the end of this five-year period to allow an addi-
11 tional year to have these closed cycle systems installed. That
12 year is from the year 1974 to 1975, which will still enable
13 in the opinion of the Licensing Board, sufficient time for the
14 Applicant to prepare its studies, get its estimates, and its
15 approvals, and have the closed cycle cooling system installed
16 by December 1, 1978.

17 CHAIRMAN PARLER: So you agree with the Licensing
18 Board that there is sufficient time for the Applicant to conduct
19 all of its research programs and get the results of all of
20 them except three, as I recall, and then if the results of that
21 research are favorable to submit an appropriate application or
22 amendment to the operating licenses, so that the May 1, 1978
23 date could be amended?

24 MR. KARMAN: I hope I didn't say that, because
25 I certainly did not intend to say that. What I am saying is

AI 10

1 that the Licensing Board did not give the Applicant an option
2 to come in and say that the time has now come as a result of
3 our research program to allow an amendment to preclude the
4 closed cycle cooling system because it is not necessary.

Reba 12

5 The Licensing Board did not say that. The Licensing
6 Board said that rather than have this environmental study which
7 the Regulatory Staff had asked for March 1, 1973, they said the
8 Applicant can still come in with this environmental study. This
9 is not the research program we are talking about, Mr. Chairman.
10 That research program I will get into in a little while. This
11 is the environmental study dealing with the closed cycle cooling
12 system.

13 It said you can come in with that by March 1, 1974,
14 and still have sufficient time, but that closed cycle system
15 will have to be installed. I don't think the Licensing Board
16 gave the Applicant an option. This is what the Applicant is
17 appealing. The Applicant says it wants the Board, the Appeals
18 Board, to reverse the Licensing Board and say, "let's have
19 it by 1981 rather than 1978," because we will be able to show
20 you as a result of this research program, that by 1977 or 1978,
21 we can show you we don't need it.

22 The Licensing Board did not say that.

23 CHAIRMAN PARLER: Maybe there is slight confusion
24 that can be straightened out later. I was looking to the page
25 in the initial decision that you referred us to, and I appreciate

A1 10

1 the differences between the timing for the environmental report
2 on the closed cycle cooling system and the Applicant's research
3 program, but with regard to the Applicant's research program,
4 the Licensing Board on page 101 said, "If the results from the
5 completed reports are as favorable as the Applicant expects,
6 it should have sufficient evidence before excavation starts
7 to apply for permission to delay the construction until the pro-
8 gram has been completed."

9 MR. KARMAN: That is certainly ---

10 CHAIRMAN PARLER: What I was asking you is whether
11 you agreed with the Board's statement that under the circum-
12 stances, that is, the May 1, 1978 date, and the time that is
13 required to complete all of the Applicant's research programs,
14 except for three items, that the Applicant would still have
15 time if it believed the data that it obtained would support a
16 request to file an amendment to its license which would change
17 the May 1, 1978 data.

18 MR. KARMAN: My understanding, Mr. Chairman, is that
19 the Applicant in its most hopeful and optimistic light could
20 not expect to have data sufficient in 1975 to warrant this type
21 of relief, because it is our position and the position of my
22 colleague, the Intervenor for the Hudson River Fishermen's
23 Association, that they will not have this by 1977.

24 I want to point out that I keep talking about a five-
25 year research program by the Applicant, and now we are talking

A1 10

1 about 1974 now. The plant has commenced operation in the third
2 quarter of 1973, and at the moment is not operating.

3 By the end of 1976, the Applicant will have had two
4 years of study on the effects of the operation of Indian Point
5 2 on the biota of the Hudson River. It is not a five-year
6 study. It may be a five-year study based on what is going now,
7 but only two years based on the actual operation of that plant.

8 DR. QUARLES: Mr. Karman, I am having a little
9 trouble understanding your interpretation of this one and two
10 years extra time. Going back to this same reference page,
11 page 100 and page 101, you say your interpretation is, if I
12 understood you, that this is not an extra year or two tacked
13 onto the end between the period between now and 1978.

14 MR. KARMAN: That is correct, sir.

15 DR. QUARLES: It is the year we are in.

16 MR. KARMAN: It is a year longer than the Staff
17 recommended. That is what it is, beforehand.

18 DR. QUARLES: The Board has said that they agree
19 that one or two years will not make a serious difference, but
20 they then impose what is a rather rigid schedule for coming
21 forward with the closed cycle system. I am not arguing whether
22 the schedule is too tight enough.

23 I do think it is a rather close schedule for completing the
24 cooling towers. I can't see your statement that a year or two
25 will not make any difference, and then impose a schedule so

ok

Al 10

1 tight that you can't put the year in.

Reba 15

2 MR. KARMAN: I can only assume what the Board had
3 in mind, but the Regulatory Staff had indicated that based
4 on the commencement of operation of this plant earlier in 1973,
5 that the once through cooling should be terminated by January 1,
6 1978. The Board did not go along with that. The Board felt
7 the additional time, and possibly it felt we were too rigid
8 in our schedule, although I thought that the Regulatory Staff
9 was a lot more lenient than the State of New York, and the Hudson
10 River Fishermen's Association in allowing the Applicant sufficient
11 time to get the closed cycle system installed, but when the
12 Board, rather than go from January 1, 1978, said they must be
13 installed by December 1, 1978, the Board could very well have
14 had in mind that this plant was not going to start until Sep-
15 tember, 1973 at the earliest.

16 So what it does is set it ahead a year, but only
17 on the basis that the plant was not operating at the time the
18 Regulatory Staff thought it would operate, in January. We were
19 going to go from January 1, 1973, to January 1, 1978, which is
20 five years.

21 The Licensing Board said "We will go from September,
22 1973 to December, but said we must stop by the way and have
23 the towers installed. So we are in the 4-to-5 year range,
24 no matter how we look at it.

Associated Federal Reporters, Inc.

25 DR. QUARLES: Yes, but I don't see what the meaning

Al 10 1 of the year or two delay is if it isn't tacked onto it.

Rosa 16 2 MR. KARMAN: That is only my interpretation of it.
3 I cannot divine any further meaning to the Board on that. There
4 was some discussion this morning about the biological monitoring
5 program. The Regulatory Staff position is that the objective
6 of the biological monitoring program is to evaluate the effects
7 of operation of once through cooling on the Hudson River eco-
8 system, to determine the effects of the biota, and to devise
9 means and methods of minimizing such adverse effects. This is
10 indicated in Section 4.9 of the Environmental Tech Specs.

11 It is in reality an interim measure to minimize
12 effects. The Regulatory Staff does not say that this environmen-
13 tal monitoring program will be able to obviate the necessity
14 of installing closed cycle cooling systems. What it can do is
15 possibly minimize the effects as they seem to be occurring in
16 the river.

17 CHAIRMAN PARLER: Excuse me, Mr. Karman. Let's
18 take a brief recess here.

19 (Recess)

end 10 20

CR3820 21

22

23

24

25

Ruff

Take 11

2

CHAIRMAN PARLER: The oral argument session is resumed.

3

4

Mr. Karman is excused because of circumstances beyond his control. The Board does have a number of questions to ask the Staff.

5

6

7

These questions will be asked in writing and will be sent to Mr. Karman and copy provided the other parties. Mr. Karman will be requested to have the Staff reply to these questions within five days after the questions are received, and of course his reply should be sent to all of the parties.

10

11

12

13

14

MR. KARMAN: Mr. Chairman, possibly for the record it might look strange just to have me excused in the middle of an argument.

15

16

17

CHAIRMAN PARLER: I have already made an adequate statement, I think, because of circumstances beyond your control, and that is entirely adequate, I believe.

18

19

20

21

22

MR. KARMAN: All right.

CHAIRMAN PARLER: Now, Mr. Macbeth, in view of the number of questions that were asked you which interrupted your presentation, we agreed to give you some extra time after the Staff concluded its response.

23

24

25

Do you want to proceed now?

MR. MACBETH: Yes.

MR. TROSTEN: Mr. Chairman, before Mr. Macbeth

R2

1 completes his presentation, may I inquire whether the Board
2 intends that after the Staff's answers are provided, the other
3 parties would have an opportunity to comment?

4 This would be satisfactory, and it would be in
5 lieu of taking time for rebuttal at the end of this period.

6 CHAIRMAN PARLER: The kind of comments that
7 would be appropriate for your rebuttal, if you had the
8 opportunity to make that rebuttal today.

9 MR. TROSTEN: That is what I mean, sir.

10 CHAIRMAN PARLER: Yes, that will be all right.

11 MR. TROSTEN: Fine.

12 CHAIRMAN PARLER: Mr. Trosten, any other
13 rebuttal you might have for Mr. Macbeth or Mr. Corcoran,
14 I hope you would do it this afternoon.

15 MR. TROSTEN: I am going to take the remaining
16 twenty-odd minutes of my time to comment on those matters
17 that Mr. Karman has already addressed himself to.

18 CHAIRMAN PARLER: Fine.

19 Would you proceed, Mr. Macbeth?

20 MR. MACBETH: Yes, I believe I have covered in
21 my previous remark the points the Board included in the
22 order, and I simply wanted to refer to the passage on
23 pages 100 and 101 that has been discussed.

24 The Licensing Board corrected an errata, so
25 that the top line should read "Operation of Unit 2

R3

1 without a closed cycle cooling system," rather than
2 "with one," which I think makes considerably more sense to
3 the entire passage.

4 Also, I think the point is that the Licensing
5 Board is saying two things, that a delay of a year or two in
6 the construction of the closed cycle cooling system will
7 not have a serious permanent effect, but it goes on imme-
8 diately to say in the following sentence with two points,
9 one that there would be a serious adverse effect.

10 In other words, then, it comes back to the question
11 of what we mean by permanent or irreversible, and not
12 that there would not be another serious effect.

13 Of course, in addition, the research program in
14 that period would not answer, would not provide sufficient
15 reason to delay construction, in other words, answer any
16 questions that the Hearing Board felt had to be answered.

17 I think the Hearing Board made it clear they
18 think there is a sufficient record before the Board for
19 a reasonable decision and on that basis there is
20 no need to wait, and on top of that there will be a seriously
21 adverse effect from another year or two of once-through
22 operation.

23 Therefore, closed cycle cooling should be ordered
24 on an expeditious basis. I think the timing that the
25 Board has provided is more than adequate.

R4

1 The Fishermen's Association has put in a brief
2 showing even by the evidence of the case that it could be
3 done in a year less, and I think the total period of time
4 provided in the initial decision is truly more than
5 adequate to the needs.

6 Thank you, Mr. Chairman.

7 DR. BUCK: May I ask a couple of questions
8 here that I am a little concerned about?

9 This is on an entirely different subject that
10 we have not touched today that partially touches on
11 the situation.

12 The thing that I am concerned with here
13 is something that concerns Dr. Hart's testimony and his answer
14 to Mr. Briggs. It starts on page 11,094 of the transcript,
15 and Mr. Briggs went through in the first part of that
16 page a rundown of what had appeared in the testimony concerning
17 the number of viable fertilized eggs in the Hudson River
18 and so on, and he runs down the fact that I believe this
19 is directly from the Carson-McCann report, 1.3 billion viable
20 fertilized eggs and that turns out to be 2.4 million of the
21 juveniles after sixteen weeks, and finally down to
22 1.8 million juveniles at the end of the 34th week.

23 Now, Dr. Clark in backing up Mr. Goodyear's
24 estimate of the number of fish that one would have to supply
25 for the hatchery, has stated in the previous pages here

R 5

1 that, in order to replace the fish in the Hudson, one
2 would have to add 10 million or more fish to compensate
3 for the losses and Dr. Briggs goes on to ask how it is
4 that you have to have ten million fish in the hatcheries
5 to replace 1.8 million, assuming they were put out
6 around the 30th week or some such thing as that.

7 He goes on to point out that the reason he
8 is asking the question, and the reason I am asking it at
9 the moment is that it goes back to the question of
10 impingement on the screens, and Mr. Briggs makes a remark, "This
11 would make the impingement action on the screens much less than
12 you had indicated in your previous testimony, is that right?"

13 And the witness said, "Yes, exactly. We
14 are on the horns of a dilemma there."

15 My question to you there is, which part
16 of Dr. Clark's testimony are we to believe, the amount of
17 fish that he claims have to be put in from the hatchery, or the
18 percentage of the fish that he claims are going to be
19 damaged by the plant?

20 They obviously are on opposite ends of the pole,
21 now.

22 MR. MACBETH: Yes, that is quite accurate. You
23 have the problem with analysis as Clark presented it on his
24 initial testimony of the entire effect of the plant, that
25 the entrainment figures deduced from the Carl-McCann

R6

1 data are percentage figures of the total number of fish in
2 the river.

3 It is done in percentage terms. The impingement
4 figures are absolute figures from the plant, and they also,
5 Carlson-McCann have numbers but they are relative numbers,
6 so they are truly percentage numbers.

7 It is true, unless Carson-McCann are getting any
8 fish, you can not take the absolute figures with the entrain-
9 ment figures and that is an error in the testimony, and we
10 took account of that in the final conclusions of law by
11 saying the impingement numbers should be reduced.

12 The percentage numbers are correct and the larger
13 number of fish needed for the river is correct, but you cannot
14 treat the impingement numbers at the screens as--you cannot
15 transmit them into the Carlson-McCann data without taking account
16 of the fact that Carlson-McCann had--

17 DR. BUCK: My point is, then, that you
18 must drastically reduce the number of fish that must
19 be supplied by the hatchery.

20 MR. MACBETH: No, what must be reduced is the
21 total impact of the plant which we did, and that is 27 percent.

22 DR. BUCK: From what?

23 MR. MACBETH: From 39.

24 DR. BUCK: This is a factor of many times more
25 than ten here between the 20 million and the amount you

R7 1 actually have to supply in the hatchery, and just reducing
2 this thing by a factor of a few percent does not explain
3 this tremendous number of fish that you claim have to be
4 supplied from a hatchery.

5 MR. MACBETH: I think what is involved is that,
6 if you treat the Carlson-McCann numbers as having an effi-
7 ciency, getting about 10 percent of the fish in the
8 river and you apply that factor to reducing the impingement,
9 that is how you arrive at the 27 percent. If you then
10 go back to the hatchery problem, I believe that by
11 then raising the hatchery numbers an order of magnitude from
12 the absolute figures, you will come out in the right
13 area.

14 DR. BUCK: I am sorry. They are just not that
15 close together. I think Dr. Quarles is correct that these
16 are very, very wide apart, as far as the comparison is
17 concerned here.

18 DR. QUARLES: I think it should be understood
19 on the record that we are agreed on this question.

20 DR. BUCK: The problem to us is then it
21 seems as though Dr. Clark is trying to have his cake and
22 eat it, too. He used a percentage on the Carlson-McMann
23 to show the percentage of damage on the fish and then
24 when he comes down to showing how many fish are going to
25 be required to replace those, he goes to absolute numbers and

R8

1 gets an entirely different result.

2 This is enlarging both ends of the scale, now.

3 MR. MACBETH: Obviously one should not do that.

4 Would it be all right if I make a further response?

5 DR. BUCK: Certainly, you have five days. We
6 may have missed something in the evidence. I want to
7 find out if we have but on the bald statement that we have
8 here, that Dr. Clark says, "Well, we are on the horns of
9 a dilemma," that, to me means we do not know whether to
10 go with the answer we gave here or the other answer we
11 gave.

12 MR. MACBETH: Yes, I certainly will respond to
13 that.

14 Are there further questions from the Board I
15 can respond to?

16 DR. BUCK: Would you hold while I look at my notes?

17 DR. QUARLES: I will ask you another one in the mean-
18 time.

19 In the last day or two, I have forgotten just where
20 and I do not have my particular note on this, there was a
21 discussion of how much brood stock would be necessary to
22 supply the fish we are now talking about, and it develops
23 in the testimony that the numbers of the females that would
24 be required is based on the production of femals in the
25 natural circumstances, that is, in the Hudson.

R9 1 Yet Dr.Stevens in his testimony, and it seemed
2 to survive cross-examination, also indicated that his
3 experience in the hatchery was that they could get about
4 20 percent of ghe eggs yielded, I think, which is quite
5 different than the natural case.

6 So, if you could give us any additional
7 information on what the number of adult females would be
8 necessary to supply this whatever number you come up
9 with on this other factor, Dr.Buck's question.

10 MR. MACBETH: Yes.

11 DR. QUARLES: What I want to know is how many
12 five to fifteen-year old females it would be necessary to
13 have to supply this production.

14 MR. MACBETH: I will try to answer that, if
15 I can.

16 DR. BUCK: That is all I have.

17 CHAIRMAN PARLER: Thank you.

18 MR. TROSTEN: Mr. Chairman, could we have a
19 five-to-ten minute recess?

20 CHAIRMAN PARLER: All right.

21 We will recess for five minutes.

22 (Recess)

23 CHAIRMAN PARLER: We will resume the oral
24 argument session.

25 Mr.Trosten, proceed with your rebuttal.

RIO

1 REBUTTAL ARGUMENT OF LEONARD A TROSTEN
2 ON BEHALF OF THE APPLICANT.

3 MR. TROSTEN: First of all, I want to lay to rest
4 a point which seems to have crept into the argument here.
5 It has been stated that, as a result of this research, that
6 Con-Edison is going to argue that there is no problem
7 and ask for more time or what-have-you.

8 This is absolutely contrary to the position
9 the Company has taken. The Company has suggested to the
10 Board that the operation of the facility will be promptly
11 defined--once-through cooling system shall
12 be permitted until September 1, 1981, unless otherwise
13 authorized by an amendment to our license, operation shall
14 be permitted after September 1, 1981 on, if a closed cycle
15 cooling system has been installed as of that date.

16 We have assumed the burden of showing the Staff
17 that operation behind then should be permitted. We have
18 assumed this burden. So the argument that we are going to
19 ask for a delay is completely off base.

20 Another point has been made here that Con-Edison
21 is not going to accept the results of the research program.
22 I submit to the members of the Board that this is absolutely
23 nonsense. It is not Con-Edison that is not accepting the
24 research.

25 It was on the basis of research that Con-Edison

R11

1 proceeded. It is the Intervenor's who are not accepting
2 the results of this research, not Con-Edison. It is the
3 Intervenor's who are not accepting the results of tagging studies
4 that have been done in the Midatlantic. They are the
5 ones claiming through some new analysis that the
6 researchers who did the tagging studies are wrong. They
7 are the ones who are saying that the research done in the
8 past should not be accepted.

9 I might add in connection with the tagging studies
10 themselves that Con-Edison introduced those tagging
11 studies simply to show that they tended to confirm the opinion
12 of the experts, that they did not refute the opinions of the
13 experts as Dr. Goodyear said they did.

14 That was the use made by Con-Edison of the tagging
15 studies.

16 Now, I would like to turn to a matter that
17 Dr. Quarles raised with me, and it concerns the extent of
18 the damage which is acceptable and for how long a period of time
19 it is acceptable.

20 First of all, let us talk about this fifteen
21 percent number and let us be absolutely clear that
22 we are talking about the same thing. Fifteen percent means
23 15 percent of each year class during a period of a few years.
24 We are not talking about fifteen percent of a total popula-
25 tion. The striped bass lives for 13 years. It spawns for

R12

1 perhaps ten of those thirteen years, in any event from 8 to 10
2 of those 13 years it spawns.

3 We are not talking about a 15 percent reduction
4 of a total population. We are talking about a 15 percent
5 reduction of several year classes during a period ending at the
6 very end of September 1, 1981.

7 Now, it is our position that there is not going
8 to be as best we can determine, a fifteen year reduction
9 of each year class for those years starting in 1973 and
10 ending at the latest in 1981.

11 But our position is that even if there were
12 such a reduction, fifteen percent in each of those year
13 classes, that such a temporary reduction in the year
14 class strength of a few of these year classes would be
15 acceptable because it is temporary and because the damage to
16 those year classes could be reversed, not only to those
17 year classes to the population, but to the population as a whole.

18 Let me make this point a little clearer if I may.
19 First of all, the statement that was made by Mr. Macbeth that
20 you could not reverse the damage to that year class
21 is not so. You could reverse the damage to that year class
22 in two ways.

23 No. 1 would be by stocking.

24 No. 2 would be by changing the fishing regulations
25 to allow that year class as it entered the fishery to be

R13 1

2 exempt from fishing pressure for an extra year or two, and
3 if Dr. Goodyear is correct that it is really the fishing
4 pressure on the striped bass fishery that is controlling the
5 fishery, then exempting that year class from fishing
6 pressure would mitigate and tend to reduce the impact, if
7 any, that had been caused by the power plant.

8

9 DR. QUARLES: If you are going to move on, let
10 us be sure I understand your fifteen percent this time.
11 You are saying that the first year fifteen percent
12 of zero year class will be removed.

13

14 MR. TROSTEN: That is what the Board said, yes,
15 sir.

16

17 DR. QUARLES: O.K. Then the next year 15 percent
18 of that zero year class.

19

20 MR. TROSTEN: Yes, sir.

21

22 DR. QUARLES: But the upper ones will not be
23 affected, at least to this extent.

24

25 MR. TROSTEN: Yes, precisely, sir.

26

27 The effect on the plant is of the less than
28 one-year old fish. When the plant starts up, it is not
29 having an impact on all the older fish in the population.

30

31 DR. QUARLES: Then, if I had no impact on the
32 older fish, you would have a population decrease of 15
33 percent.

34

35 MR. TROSTEN: If you assumed, Dr. Quarles, that

36

R14

1 there is no compensatory mechanism.

2 DR. QUARLES: I am assuming all these simplifying
3 things. I am trying to get the 15 percent we are talking
4 about here, clear.

5 MR. TROSTEN: If I assume no changes in all the
6 adult year classes, the fifteen percent over a period of
7 thirteen years, if my arithmetic is correct, and I will
8 check it if it is wrong, over a period of thirteen years
9 you would eventually reduce the whole population by fifteen
10 percent but that is such a grossly over-simplified thing--

11 DR. QUARLES: I realize that. I wanted to
12 understand the fifteen percent. I have it now.

13 MR. TROSTEN: I believe that is correct.

14 DR. QUARLES: Thank you.

15
16
17
18
19
20
21
22
23
24
25
end 11
end ruff

cr3820
#12dhl

1 MR. TROSTEN: Now, I would like to say something else
2 about what is acceptable loss. Various people express various
3 ideas about what is acceptable, and it poses a philosophical
4 question and a cost-benefit question. I would like to say that
5 Con Edison's judgment about what is acceptable is not the only
6 thing that will be brought into play here. All the data from
7 the program are going to be made available to every federal
8 and state agency that has an interest in this.

9 If there is any federal or state agency that concludes
10 that a certain percentage is not acceptable on a cost-benefit
11 balance or some other balance, there are means where the position
12 of that agency can be brought to bear, so this is not a decision
13 that is being made in the abstract by Con Edison.

14 The data being gathered in the program, the implication
15 has been made by several remarks here that so long as somebody
16 is on the river in a boat conducting a study that that is research
17 that that should be accomplishing what we want. That obviously
18 is not the case.

19 You design a research program to accomplish a specific
20 result, and unless you know what you are trying to accomplish,
21 you are not collecting the data for that purpose. We have a
22 research program starting in 1969 that for the first time was
23 designed to determine the impact of steam power plants, particu-
24 larly the Indian Point plants, specifically on the striped bass
25 population.

dh2

1 This is the sort of research that gets the results
2 that are worthwhile in terms of the particular problem at hand.
3 That is not general research that is directed at some other
4 problem, and I think this is an extremely important point to
5 bear in mind. As far as the various agencies that are examining
6 this matter, in the Department of Environmental Conservation
7 and the AEC, I would like to make it clear that the Hudson
8 River Policy Committee is composed of representatives of the
9 Department of Interior, and state department of New York,
10 Connecticut and New Jersey.

11 The Department of Interior has a resident represen-
12 tative who is a staff member of the Hudson River Policy Committee
13 at Indian Point. Further, I would like to say that the Hudson
14 River Policy Committee reviews the applicants' research program.
15 They have a definite input into applicant's research program and
16 the applicant has never suggested a suggestion for a change in
17 the program which has been propounded by the Hudson River Policy
18 Committee.

19 DR. BUCK: How often does this Committee meet or
20 does it hold its meetings, shall we say, and who chairs it, and
21 calls the meetings, and so on and so forth?

22 MR. TROSTEN: It meets a few times a year, I would
23 say, the policy committee. The technical committee meets more
24 often. There is a technical committee, a working technical
25 committee that operates under the surveillance of the policy

dh3

1 committee. This is a staff-type committee.

2 The Chairman of the Hudson River Policy Committee
3 traditionally has been a senior staff member of the Department
4 of Environmental Conservation of the state of New York, and I
5 believe that is the case today.

6 DR. BUCK: Thank you.

7 CHAIRMAN PARLER: Is there any representation on
8 that Committee of organizations such as the Hudson River Fishermen's
9 Association?

10 MR. TROSTEN: There is no representative on that
11 Committee of HRFA, but they are welcome to attend meetings of the
12 Committee. We have -- I think the record will demonstrate --
13 extended invitations to the HRFA to participate fully in the
14 deliberations of all the applicant's advisory groups. The HRFA
15 has asked for and has received information from the Hudson
16 River Policy Committee.

17 I hope that answers your question.

18 CHAIRMAN PARLER: Yes.

19 MR. TROSTEN: With regard to the research program
20 again, and Dr. Goodyear's opinions on it, I assume, Dr. Buck,
21 that you recognize that the remarks I was making this morning
22 about the research program were directed to that aspect of the
23 quotation you were reading to me which dealt with why he felt
24 the program might not produce the results.

25 The quotation also said it may produce the results.

dh4

1 DR. BUCK: Yes, I understand. Part of the quotation,
2 I think, was dealing with results which were essentially
3 meaningless, or some such thing as this. I assumed you were
4 talking about why they wouldn't.

5 MR. TROSTEN: Thank you, sir.

6 Now, I would like to turn for a moment to the compen-
7 sation question again. Again, there has been a tendency in
8 the remarks made today to indicate that first of all, we have
9 to identify a specific compensatory mechanism and also that it is
10 vitally important that compensation occur during that particular
11 year.

12 The record shows that compensation could occur in
13 some other elements of the striped bass population. The total
14 population that I was describing to Dr. Quarles, that is, it
15 need not specifically occur in that year, although it is most
16 likely to occur in that year.

17 Furthermore, it is not necessary to identify a
18 specific mechanism to test provided you see the results of
19 compensatory mechanisms. That is the key thing. We are not
20 here to test whether or not a particular theory is applicable.
21 What we are here to do is, what we are trying to do, is test
22 the actual results.

23 I would like to turn for a moment to several of the
24 remarks of Mr. Corcoran.

25 Our response to the New York state brief, I think, is

dh5

1 dispositive of the question of the need to consider the
2 potential findings. The matter is in litigation in the courts
3 of the state of New York. The second highest court in New
4 York state has determined that the lower court was wrong in
5 granting summary judgment, that Con Edison is entitled to a
6 trial on the fundamental issues in this matter.

7 It is obviously a matter that can go on in litigation
8 for some time and it would be completely incorrect to take
9 into account in this proceeding the results of this potential
10 litigation in the state. I would further like to say if one
11 were to adopt the theory of the Board as to what is a
12 transfer within the economy that if a fine actually were paid,
13 it would constitute as much a benefit as it would a cost, and
14 hence this is a completely irrelevant argument.

15 Mr. Corcoran has implied or said that permits are
16 not needed. I would like to frankly have a citation from Mr.
17 Corcoran, or perhaps a legal opinion from the attorney general's
18 office that we do not indeed need a permit from the Department
19 of Environmental Conservation.

20 Our opinion is that we do need such a permit. Mr.
21 Corcoran, I believe, is not speaking for the Department of
22 Environmental Conservation in this respect. If he is, I would
23 like to be advised of this. We will certainly do the best we
24 can do to supply the best environmental report we can to the
25 Department of Environmental Conservation, which will review it

dh6

1 and has to review it. We will do this whether the data are
2 there or not, and will do the very best that we can do.

3 The Department of Environmental Conservation has not
4 reviewed any environmental report on closed cycle cooling at
5 Indian Point 2, and until they do, they will not give us their
6 approval.

7 There has been an indication given that we could
8 bring in fresh water from above Chelsea to supply makeup for
9 the cooling water, or towers. The evidence of record here that
10 indicates that the cost would be horrendous to do this, and
11 that there are severe problems associated with doing it, apart
12 from the cost, problems of reliability.

13 I would like to point out that there is no cooling
14 tower in operation or under construction today that uses
15 saline water in an area that has vegetation of the type that
16 grows at Indian Point. We are dealing with a valley which has
17 special meteorological conditions.

18 The record shows that the Appalachian conditions are
19 not the same as the conditions at Indian Point, and we will
20 supply a transcript reference for the Board.

21 Turning to the Mid Atlantic fishery, Mr. Corcoran
22 misstated our position when he said that we were saying that a
23 10 percent kill would be acceptable. The 10 percent number that
24 we used related to our estimate of the contribution of the Hudson
25 to the Mid Atlantic, and we were simply stating in our brief

dh7

1 that if the Board had found that the Hudson River only contri-
2 buted 10 percent to the Mid Atlantic, which was one of our
3 contingents, then the cost-benefit analysis would have been
4 flawed, because they were thinking in terms of 20 to 80
5 percent contribution, and it was in that context we used the
6 10 percent number.

7 Concerning the Burns and Rowe report, I would like
8 to make it clear that the Burns and Rowe study was a several
9 month study that was done without collection of one single piece
10 of data. It was an examination of what was there and the
11 preparation of a preliminary scoping study for our use in pre-
12 paring the cost-benefit analysis newly required at that time by
13 the AEC's regulations.

14 There was no evidence that Burns and Rowe ever
15 looked at conditions in the Indian Point area, and in fact, they
16 did not. I would further like to keep the Board straight on
17 one point. So-called Exhibit 3-C, which was the Applicant's
18 cost-benefit analysis submitted to the AEC in response to this
19 requirement is not in evidence in this proceeding.

20 We never submitted it in evidence, and it is not in
21 evidence. We never offered it in support of any contention that
22 it showed there was an adequate basis for choosing a closed
23 cycle cooling. We simply submitted it to the Atomic Energy
24 Commission because the AEC's regulations require us to do that.
25 We never asserted that this supported an environmental analysis

dh8

1 of closed cycle cooling, and it is not in evidence in this
2 proceeding.

3 The Staff has not done environmental studies. It is
4 quite clear from the record that the Staff has not examined the
5 environmental area around Indian Point. They required us to
6 perform an environmental study, so there is no environmental
7 analysis in this case with regard to cooling towers at Indian
8 Point.

9 Mr. Macbeth mentioned that the Scenic Hudson
10 Preservation Conference had written a letter to the AEC which
11 appears in Volume 2 of the Final Environmental Statement, saying
12 they did not oppose cooling towers.

13 The letter is not in evidence. The Scenic Hudson
14 Preservation Conference is not an organization that has concerned
15 itself with the aesthetic appearance of the area around Indian
16 Point. They have concerned themselves with an area around the
17 Cornwall site, far up the River.

18 If one wants to look at non-record evidence, one
19 could look at the letter written by the mayor of Buchanan --
20 non-evidentiary material, rather -- with respect to the problem
21 of getting a zoning variance for the cooling tower.

22 Now, turning back for just a moment to the matter
23 of compensation, there have been several statements made that
24 the record shows that there is no compensation in the West
25 Coast striped bass population. This is not the case, and we

dh9

1 will supply transcript references.

2 I have just one final remark to make with regard to
3 what Mr. Karman has said. It is quite clear that this Board has
4 not found that there would be an irreversible impact during the
5 extra year or so that we would have to complete the research
6 program.

7 I submit that if the Board will look back at the record
8 that you can see that the period that they were talking about
9 there was the extra period for the research program, not the
10 period for considering studies on closed cycle cooling.

11 I think Mr. Karman has mistaken what the situation
12 is in the Board's opinion. The Board has found specifically
13 that there will be actions that can be taken to mitigate the
14 effects of once-through cooling during the period prior to
15 1978, and I specifically call the Board's attention to that.

16 Thank you, Mr. Chairman. I have concluded.

17 CHAIRMAN PARLER: Thank you.

18 Do you have any questions?

19 DR. BUCK: No, I don't.

20 CHAIRMAN PARLER: Do you have any questions?

21 DR. QUARLES: No.

22 MR. MACBETH: Could I reply to two or three factual
23 points that Mr. Trosten just raised?

24 CHAIRMAN PARLER: Go ahead.

25
Federal Reporters, Inc.

XXXXXXXXX 1
dh10

REBUTTAL ARGUMENT OF ANGUS MACBETH, ON BEHALF OF
HUDSON RIVER FISHERMEN'S ASSOCIATION.

2
3 MR. MACBETH: The first is Dr. Quarles' question
4 about the 15 percent, and the chart on Page 44 of the initial
5 decision shows the effects, and after five years, the percentage
6 goes up, because then the fish that were reduced by 15 percent
7 are coming back to spawn.

8 So at the end of 10 years, you would have an effect
9 of reduction of 35 percent. That is both of the first year class
10 and of the total adult population. So over time, the number
11 goes up from 15 as the year class that was reduced comes back
12 to spawn. That was one point I wanted to make.

13 The second was the Hudson River Policy Committee.
14 The Hudson River Fishermen's Association asked to have an environ-
15 mental representative on the Policy Committee some years ago,
16 and the Policy Committee refused to do that, and I can provide
17 the minutes of the Policy Committee if that would be useful.

18 Further, I wrote the Policy Committee on behalf of the
19 Fisherman's Association in the middle of last year, asking to be
20 invited and informed of future meetings of the Policy Committee
21 and received no response from them.

22 So while Con Edison has frequently, now, tried, I
23 think quite honestly, to have the fishermen appraised of what
24 they are doing, that hasn't been true with every other group,
25 and the Policy Committee in particular.

dh11

1 The third question is whether Volume 2 of the
2 Final Environmental Statement is in evidence, and it was admitted
3 in evidence at page 6271 --

4 CHAIRMAN PARLER: That wasn't the point, not Volume
5 2 of the Final Environmental Statement. I thought it was the
6 Applicant's Exhibit 3-C.

7 MR. MACBETH: He made two points. One was
8 Exhibit 3-C and the other was the Scenic Hudson letter.

9 CHAIRMAN PARLER: Do you have other points?

10 MR. MACBETH: That is it.

11 MR. TROSTEN: It is a matter of clarifying the record
12 here, Mr. Chairman. Supplement 2 of the Final Environmental
13 Statement, or Volume 2, is not in evidence. This can be
14 established very clearly.

15 The Supplement 3 to the Final, or the environmental
16 report of the Applicant also is not in evidence. There is an
17 Exhibit 3-C which is in evidence, but supplement 3 of the
18 Applicant's environmental report is not in evidence in this
19 proceeding.

20 MR. MACBETH: I thought it was. If it isn't, I
21 don't find immediate reference to it, and I won't dispute that
22 now. But I thought the whole environmental report was in
23 evidence, not just the first two supplements.

24 But certainly the basic burden of the report is in
25 evidence. That is Exhibit V.

dh12

1 CHAIRMAN PARLER: The record should clarify the
2 situation as to what is in evidence and what isn't, hopefully.

3 On behalf of the Board, I would like to thank
4 counsel for participating in this argument and attempting to
5 assure ourselves that we don't overlook any material part of
6 the evidence that is relevant to the positions that the
7 respective parties are urging us to take in our decision.

8 That is the purpose of the oral argument, the
9 purpose of our questioning, also, and also the purpose of our
10 asking you to provide us, if you will, with the citations that
11 are relevant to the questions, some of the questions that were
12 asked.

13 Earlier in this argument, in connection with the
14 supplying of the citations, I stated that the time should be
15 five days from today. Since that time, it has become apparent
16 that the Board has to prepare questions and send them to the
17 Regulatory Staff for response, so the time for the parties to
18 supply their citations will be the same as the time that we
19 give the Regulatory Staff to supply the answers to the question,
20 and we will ask the regulatory staff.

21 Of course, you will not know exactly what that time
22 is until you receive the questions. Whatever the time will be,
23 it will be at least five days after you actually receive the
24 document.

Federal Reporters, Inc.

25

Do you have anything else?

dh13

1

Also, on behalf of the Board, I would like to

2

thank Mr. Corcoran and Mr. Macbeth for travelling down here from

3

New York to participate in the argument.

4

This session is concluded.

12

5

(Whereupon, at 3:50 p.m., the session was concluded.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

REGULATORY DOCKET FILE COPY

RETURN TO REGULATORY CENTRAL FILES
ROOM 616

REGULATORY DOCKET FILE COPY

NOV 11 100

4