

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Subcommittee on AP1000 - Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, February 2, 2010

Work Order No.: NRC-044

Pages 1-197

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARD

(ACRS)

+ + + + +

SUBCOMMITTEE ON AP1000

+ + + + +

OPEN SESSION

+ + + + +

TUESDAY

FEBRUARY 2, 2010

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B1, 11545 Rockville Pike, at 8:30 a.m., Harold Ray,
Chairman, presiding.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

SUBCOMMITTEE MEMBERS:

HAROLD B. RAY, Chair

SAID ABDEL-KHALIK

J. SAM ARMIJO

SANJOY BANERJEE

DENNIS C. BLEY

MARIO V. BONACA

CHARLES H. BROWN, JR.

MICHAEL T. RYAN

SUBCOMMITTEE MEMBERS (Cont'd):

WILLIAM J. SHACK

JOHN W. STETKAR

CONSULTANTS TO THE SUBCOMMITTEE:

THOMAS S. KRESS

GRAHAM B. WALLIS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

NRC STAFF:

PETER WEN, Designated Federal Official

WEIDONG WANG

STEPHANIE COFFIN

TERRI SPICHER

JERRY CHUANG

JOHN HONCHARIK

RENEE LI

EILEEN McKENNA

TOM SCARBROUGH

TANYA SIMM

JEFF POEHLER

GORDON CURRAN

THINH DINH

GREGORY MAKAR

PATRICK DONNELLY

PHYLLIS CLARK

GENE HSII

JOE DONOGHUE

TANYA FORD

MICHELLE HART

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ALSO PRESENT:

AMY AUGHTMAN
ED CUMMINS
EDDIE GRANT
BRET COLLIER
BOB HIRMANPOUR
GARY CANTNER
ROB SISK
GREGORY MEYER
ALLEN McDONALD
CESARE FREPOLI
ED THROM

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

C-O-N-T-E-N-T-S

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening Remarks and Objectives	4
Introductions and Opening Comments	11
COL Chapter 3 - Applicant	12
COL Chapter 3 - Staff	42
COL Chapter 9 - Applicant	105
COL Chapter 9 - Staff	120
DCD Chapter 15 - Staff	133
Adjourn	

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIR RAY: The meeting will now come to order.

This is the first day of a two-day meeting of the AP1000 Reactor Subcommittee, a standing subcommittee of the Advisory Committee on Reactor Safeguards.

I'm Harold Ray, chairman of the subcommittee, ACRS members in attendance are Michael Ryan, Charles Brown, Dennis Bley. Not yet Dr. Shack. Mario Bonaca, Sam Armijo, John Stetkar, Said Abdel-Khalik, Sanjoy Banerjee.

Did I miss any member?

Our ACRS consultants are Tom Kress and Graham Wallis, and they are also present. Peter Wen is the designated federal official for this meeting, and he is joined by ACRS staff member Weidong Wang.

The purpose of this subcommittee meeting over the next two days will be to continue our reviews and discussions concerning the Design Control Document Revision 17 of the AP1000 Pressurized Water Reactor, and standard contents of the Referenced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Combined Operating License Application.

2 Let me pause in my prepared remarks here
3 to say this now restores the combined license review
4 to our agenda. We had one meeting, one two-day
5 meeting in July in which we were reviewing 10 chapters
6 of both the DCD and the combined license application.

7 We then devoted the next two-day meeting
8 to the DCD Amendment itself, alone. We will now,
9 because we have the opportunity to do so, begin to
10 pick up just the standard content portion of the
11 combined license application, and the presentations
12 on our agenda who the applicant in that instance as
13 NuStart. In fact it will be as the handout show
14 Southern Company representing NuStart in those
15 presentations.

16 So we're giving the first priority in our
17 efforts to the DCD Amendment, but as time has now
18 permitted us to do, resuming review of the Combined
19 Operating License.

20 Okay, returning then to my prepared
21 remarks, we had three two-day AP1000 meetings in July,
22 October and November last year, as I said. And in
23 that July meeting we, as I also said, reviewed both
24 the applications, except for DCD Section 2.7, 3.8 and
25 Chapter 6, this February meeting will complete the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 initial reviews of the SER with Open Items for both
2 the DCD and the Combined License reviews.

3 Having said that it's more important than
4 perhaps it would have been previously that as part of
5 this two-day meeting we also scrub our action item
6 list, because that will drive the agenda for our
7 subsequent meetings in order to make sure that we
8 address all of the members' concerns, and request for
9 additional discussion in this first go-round with open
10 items.

11 So we've put time on the agenda for that,
12 at the end of the second day. Sanjoy, because you
13 won't be here the second day I'd like to make sure we
14 have your action items done, reviewed, today as part
15 of the ending discussion we'll be having today,
16 because it's important that we have clarity around
17 what issues we need further discussion on in this
18 phase of the work.

19 We will hear presentations from NRC staff,
20 Westinghouse, Southern Nuclear Operating Company, and
21 NuStart, my remarks say. I take it that Southern
22 Company and NuStart are going to be one and the same
23 in this case but we'll see.

24 We've received no written comments or
25 requests for time to make oral statements from members

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of the public regarding today's meeting. As shown in
2 the agenda, this meeting will review AP1000 DCD
3 Chapter 15 and Combined License for Chapters 3, 9,3
4 13, 15 and the open issues that were identified in
5 prior meetings which are on the agenda for discussion
6 today.

7 We will follow the standard briefing
8 template that we have in the past consisting of two
9 elements: a discussion of the DCD or combined license
10 by representatives of applicants; and a discussion of
11 the draft safety evaluation report with open items
12 prepared by the NRC staff and made available to the
13 members.

14 The agenda also indicates that portions of
15 the meeting may include design information that is
16 considered to be proprietary or security-related. And
17 these portions when they occur will be closed to the
18 public; attendance in those portions of the meetings
19 dealing with such information will be limited to the
20 NRC staff and its consultants, Westinghouse
21 representatives, Southern Nuclear Operating Company,
22 NuStart, and those individuals and organizations who
23 have entered into appropriate confidentiality
24 agreements with them.

25 Consequently we'll need to confirm at that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 time that we have only eligible observers and
2 participants in the room for the closed portion.

3 We have, I understand, several people on
4 the phone, bridge lines, listening to the discussions.

5 To preclude interruption of the meeting, the phone
6 line is placed in a listen-in mode.

7 The Subcommittee will gather information,
8 analyze relevant information and facts, and formulate
9 proposed positions and actions as appropriate for
10 deliberation by the full committee.

11 Proposed participation in today's meeting
12 has been announced as part of the notice of the
13 meeting which has been published in the Federal
14 Register. A transcript is being kept, and will be
15 made available as stated in the notice.

16 Therefore we request participants in this
17 meeting to use microphones located throughout the
18 meeting room in addressing the subcommittee.
19 Participants should first identify themselves and
20 speak with sufficient clarity and volume so that they
21 may be readily heard.

22 At this time I'd turn to Said for comments
23 concerning information that was in the conflict of
24 interest notice.

25 MEMBER ABDEL-KHALIK: Thank you, Mr.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Chairman.

2 I have an organizational conflict with the
3 applicant, Vogtle R-COLA. Therefore, I will not
4 participate in discussions related to the R-COLA, and
5 will limit my participation to discussions related to
6 the DCD.

7 CHAIR RAY: Okay, thank you, sir.

8 With that we will now proceed, and the
9 second item on our agenda is introductions and opening
10 comments by Stephanie Coffin.

11 MS. COFFIN: Stephanie Coffin, AP1000
12 Project Branch Chief.

13 I just want to kind of preview the agenda.

14 Mr. Ray did a good job of that. It's going to cover
15 a lot of material, and a wide variety of material on
16 the COL side of the house. You are going to hear
17 about AP1000 standard content in the area of systems,
18 structures and components, bound to plant, training
19 and accident analyses. The Safety Evaluations for
20 these topics were issued last year.

21 On the DCD side of the house you are going
22 to hear about Chapter 15 review topics, including the
23 flow skirt and STRUM. Also gas intrusion in the
24 reactor coolant pumps.

25 Tomorrow you are going to hear about how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this design center addressed regulations related to
2 strategies for addressing loss of large areas of the
3 plant due to explosions or fires, a beyond design
4 basis event.

5 We also have a presentation on RTNSS, the
6 Regulatory Treatment of Non-Safety Systems.

7 And lastly, although we can move this
8 around if it suits the members, a discussion of action
9 items from previous ACRS interactions, as well as a
10 preview of coming attractions.

11 And unless there are any questions on
12 that, I'd like to turn it over to Eddie Grant and Amy
13 Aughtman at the front of the room.

14 MS. AUGHTMAN: Thank you, Stephanie.

15 Good morning, my name is Amy Aughtman, and
16 I'm the AP1000 lead licensing engineer for Southern
17 Nuclear.

18 Wes Sparkman is also here with me from
19 Southern, and he is the COL project engineer.

20 Just to clarify and confirm what Mr. Ray
21 was saying, Southern Nuclear is the applicant for the
22 AP1000 RCOLA, and NuStart is here to support us,
23 primarily those being Eddie Grant, Neil Haggerty, Bob
24 Hirmanpour, and Richard Grumbir.

25 CHAIR RAY: Thank you. I was confused

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 before and uncertain when it said, applicant, and then
2 listed just NuStart, but you have clarified that.
3 Thank you.

4 Dr. Shack -- welcome Bill.

5 MS. AUGHTMAN: And bear with us a minute
6 as we get the presentation pulled up.

7 CHAIR RAY: Certainly.

8 MS. AUGHTMAN: And I also wanted to note
9 that we are joined today in the audience by some of
10 our other fellow AP1000 applicants.

11 The benefit of working together as a DCWGN
12 with NuStart is that we get the benefit of each
13 other's expertise and experience. And we work
14 together as a team.

15 CHAIR RAY: Well, as long as we are still
16 -- well, it looks like we are there. But could you
17 comment, Amy, on the process in which we are, at this
18 time, as I understand it, addressing only standard
19 content. Is that correct?

20 MS. AUGHTMAN: That is correct. The COLA
21 chapter is being presented today and tomorrow. We
22 will only be covering standard content. Based on
23 where we are in the transition process for the R-COLA,
24 there are no SERs yet on the Vogtle application.
25 Those are still in process and they are developing an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 SER with confirmatory items. So what we are working
2 with are the open items that were standard, that were
3 created for the Bellefonte SER.

4 CHAIR RAY: I'm sure you understand how
5 difficult it is sometimes for us to get our mind
6 around this process. Stephanie, would you have any
7 comment you'd like to make about the fact that we are
8 doing standard content now, and presumably we will do
9 site-specific later when the SER is available?

10 MS. COFFIN: Sure. Let me first start
11 off with the Final Safety Analysis Report that all of
12 the applicants gave to us had something called left
13 margin annotations where they clearly mark in their
14 SAR what material is standard content. And likewise
15 in our safety evaluation reports that document our
16 review of that material, we very clearly delineate our
17 findings on the standard content, and our findings on
18 the plant-specific content.

19 So the conclusions that we have drawn,
20 although they are issued against the Bellefonte
21 docket, the conclusions we have drawn on standard
22 content apply equally to every AP1000 COL applicant
23 unless they draw it to our attention, and I can't
24 think of any specific examples at this point in time,
25 but where they are going to deviate from standard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 content to make that clear and express that, and we
2 will review that separately.

3 So the process of this transition is,
4 we've issued the SER with open items on standard
5 content, and Vogtle picking up the reins of being the
6 reference COL for this application is going to respond
7 to those open items for standard content, and the
8 final resolution will be presented in the safety
9 evaluation reports on Vogtle.

10 CHAIR RAY: Well, we are the -- I think
11 Weidong called us the pioneers in this process in
12 trying to figure out how to think about it, because
13 naturally we are talking about standard content, but
14 our minds will go into areas that is site-specific and
15 no, you'll have to wait on that. That is what is
16 difficult for us to think about sometimes.

17 Anyway, are you ready?

18 MS. AUGHTMAN: We're ready.

19 CHAIR RAY: Proceed.

20 MS. AUGHTMAN: Okay, so the first chapter
21 we are going to start off with today is Chapter 3, and
22 supporting this chapter again will be myself and Eddie
23 Grant, and we do have Bret Collier from Enercon at the
24 side table. And our Westinghouse support team is Ed
25 Cummins and Rob Sisk.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Okay, this is the general contents of our
2 Chapter 3. You may note some of the distinguishment
3 in color on the slide there, at least on the screen.
4 The first four sections are in black, and those
5 contain primarily site-specific information or are
6 primarily an IBR of the DCD. And the blue topics are
7 the ones we wanted to focus on today that have the
8 major standard content.

9 And the ones that are kind of grayed out,
10 3.7 and 3.8, those SERs have not been developed yet
11 for those sections, pending resolution of open items
12 on the DCD.

13 So again the DCD is incorporated by
14 reference. There are no standard departures taken in
15 this chapter. And I guess before I go through the
16 rest of the slides, just to give you a little bit of
17 an idea of how we organized the presentations, this is
18 the format we're going to use for all of the COLA
19 discussions. We let you know whether we have had any
20 major departures from the DCD, how that is
21 incorporated by reference into our chapter, and then
22 talk through some of the major supplemental pieces of
23 information.

24 And then the following slides will cover
25 COL information items that were created from the DCD.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 To distinguish between a COL item and what we're
2 designating here as supplemental information,
3 supplemental just means that wasn't a piece of
4 information that was requested by the DCD item, but
5 rather it was to cover a reg guide or an SRP
6 requirement and/or addressing staff's request for
7 additional information.

8 So again a large part of Chapter 3 is just
9 incorporation by reference of the DCD. And some of
10 the more major standard supplemental information
11 includes the dual unit turbine missile consideration.

12 And we actually gave this some pretty good air time I
13 believe last October, in the Westinghouse Chapter 3
14 presentation. So you should be familiar with that.

15 Just in summary again, we found a
16 probability of one times ten to the minus fifth for a
17 turbine missile generation, which leads to one times
18 ten to the minus seventh for probability of
19 unacceptable damage, which does meet the SRP and reg
20 guides for this area.

21 We also covered the snubber testing
22 program, and the IST program for valves is really
23 covered more in the COL item. But back on the snubber
24 testing, what we covered here in the supplemental
25 piece of information is the design and other testing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and installation requirements, while the COL item
2 addressed separate, the IST and the pre-service
3 requirements.

4 Moving on to the COL items --

5 CHAIR RAY: Excuse me, Amy, I was having
6 the same thought as John was having as he talked with
7 me. We did talk about turbine missiles as you said
8 last October in the context of the DCD. This now is a
9 four-unit site in essence, right?

10 MS. AUGHTMAN: Yes.

11 CHAIR RAY: And I think we need to
12 explore this further here. Is this the time to do it
13 or later?

14 MS. AUGHTMAN: Actually later.

15 CHAIR RAY: Okay.

16 MS. AUGHTMAN: There is a brief
17 discussion of that, of the Units 1 and 2 impacts on 3
18 and 4 in the FSAR, but we consider that site-specific,
19 and weren't planning to address that today.

20 CHAIR RAY: Okay, then we can discuss the
21 dual unit aspects now?

22 MS. AUGHTMAN: Correct.

23 CHAIR RAY: Okay, John, did you want to -

24 -

25 MEMBER STETKAR: Yes, and unfortunately I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was not at the October meeting, so I'm not fully
2 familiar with what was discussed at that time. I
3 reviewed the WCAP on the turbine missile frequency
4 analysis, and I had several questions both about the
5 models that were used and the source of the data. And
6 I think it's relatively important because you are
7 justifying the ten to the minus five turbine missile
8 ejection frequency as the basis for no concern
9 regarding the unit-specific configuration at Vogtle.

10 But I don't know in the context of this
11 meeting where to bring up the discussion about that
12 turbine missile frequency analysis, because it's
13 really part of a DCD analysis you are adopting by
14 reference. I would like to have an opportunity to
15 discuss it at some time, but I don't know what the
16 appropriate venue or the time for that is, and I don't
17 particularly want to interrupt or annoy you as a COL
18 applicant with this discussion. But I wanted to kind
19 of get it into the record.

20 CHAIR RAY: We do have an action item
21 list. It is lengthy, and perhaps growing.

22 Ed, do you want to comment on that?

23 MR. CUMMINS: Yes, please, Ed Cummins,
24 Westinghouse. I think we take it as an action item.
25 We need the right people which we won't have, to bring

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the right people to future meetings and answer your
2 question.

3 CHAIR RAY: Okay. Thank you, Ed.

4 MS. AUGHTMAN: So we'll save your
5 specific questions?

6 CHAIR RAY: Yes, it sounds like John's
7 questions fit into the domain of the DCD. Mine have
8 more to deal with the site itself, and so both of
9 those I guess will wait until later -- different
10 later.

11 MS. AUGHTMAN: So are we good to move on?

12 CHAIR RAY: I believe so.

13 MS. AUGHTMAN: The first major standard
14 COL item that we are covering today is on 3.6-1, which
15 is the pipe break hazards analysis. This item has two
16 aspects to it. There is the as designed portion and
17 the as-built phase.

18 Westinghouse is still actually having
19 discussions with the staff on how to craft this
20 information item, and we are working very closely with
21 them and the staff to determine how best to address
22 this item, and we are working those as open items on
23 both the COL and DCD SERs. It will likely result in a
24 standard post-license requirement for the design
25 reports and the as-built.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The next item is the primary system
2 inspection program for leak-before-break piping.
3 Basically we just had a small section indicating we
4 are confirming that the materials and programs that
5 were discussed in the DCD are the ones we are planning
6 to use. We will not be using any Alloy 690.

7 And then we are skipping ahead to 3.11 so
8 that we can group all the 3.9s together on the next
9 slide. So that is one reason for the holdup there.
10 But in Section 3.11, that is environmental
11 qualifications, and that's where we describe our file
12 and the maintenance program for that. So we have a
13 program description there for how we'll have
14 procedures in place to administer that program.

15 MEMBER SHACK: Just coming back to the
16 leak-before-break, and again, looking at the Bellefont
17 application, there is a response that there is no
18 Alloy 690 in the leak-before-break systems, and then
19 it says there is some use of these materials in safe
20 ends. Now is that a plant-specific issue that is
21 different for Bellefonte than Vogtle, or is that a
22 design issue?

23 MR. GRANT: Eddie Grant with NuStart.
24 I'll have to take a quick look at the Bellefonte. I
25 did not have that in front of me here. Do you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that in front of you?

2 MEMBER SHACK: Yes.

3 MR. GRANT: Does it have a left margin
4 annotation by any chance?

5 MEMBER SHACK: No, I'm looking at the
6 SER.

7 MR. GRANT: Let me check on that and get
8 back to you.

9 MEMBER SHACK: Is there a sort of design
10 position that there is no nickel alloys in the primary
11 system, there's no weld buttering, no safe ends from
12 high nickel alloys?

13 MR. GRANT: There will be none that will
14 be added by the applicants. The formal question on
15 that, I guess, I would have to refer back to the DCD
16 and ask them about the particulars.

17 CHAIR RAY: Bill, if you are looking at
18 the SER aren't you by definition looking at then
19 something that is only talking about standard content?

20 MEMBER SHACK: Well, it's a response to
21 an RAI. They said there was none, and then there was
22 an RAI, did you really mean none? And the answer
23 seemed to be, no, we didn't really mean none; there's
24 some.

25 MEMBER BROWN: The safe ends in the welds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 were Alloy 690?

2 CHAIR RAY: Okay, well, it seems to me
3 like if there is an SER on it it must be standard
4 content. But Stephanie, do you want to --

5 MS. COFFIN: I have the Chapter 3 SER
6 here, and the discussion that Dr. Shack is referring
7 to is related to a standard COL item. And so my
8 assumption is that that RAI response is not just for
9 Bellefonte, but for this whole design center.

10 CHAIR RAY: Do you want to pursue it
11 further?

12 MEMBER SHACK: No.

13 CHAIR RAY: Okay.

14 MEMBER ARMIJO: I just want to make sure
15 that all of the piping other than safe ends, this
16 issue that Bill brought up, is the 3.16 LN, is that
17 correct?

18 MR. GRANT: Again, we would refer that
19 back to the DCD. They are providing all that piping,
20 and will address that in the DCD. I don't remember
21 the particulars.

22 MEMBER ARMIJO: That's what it said in
23 the SER, but I just wanted to make sure that was
24 correct.

25 MR. GRANT: I would assume that to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 true.

2 MR. CUMMINS: This is Ed Cummins. I
3 don't believe that's even true. We have main steam
4 piping at LBB. It's not even stainless steel. So I
5 think it is annotated in the section on the LBB, and
6 curves are provided for each of the materials that are
7 used, and in that section I believe you can find the
8 materials for each one.

9 CHAIR RAY: Okay, Amy.

10 MS. AUGHTMAN: Any other questions on
11 this slide?

12 MEMBER BROWN: Yes, I had one question on
13 the equipment qualification slide. When I went
14 through the SER and looked, there was an SER that
15 asked for -- an RAI that asked for more information on
16 mechanical systems, some additional information. And
17 so that slide -- I just thought I'd go off and look
18 for electrical stuff, since it didn't address that,
19 and your COL says it's all incorporated by reference,
20 went out and looked at the DCD. So this is more --
21 I'm not sure if this is a technical question or an
22 informational or whether it's something else.

23 You identified zones, there is a table in
24 the DCD that identifies the zone in which the
25 equipment is installed, and identifies the normal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operating environment for it. And so I just picked
2 the one where the I&C is, because that's what I'm
3 interested in, and it says the normal environment for
4 that is like 67 to 73 degrees F and that just raised
5 the question with me which is, when you go qualify
6 this equipment, which has not been qualified -- I know
7 it's been qualified; I don't know what the status of
8 it is, I presume that hasn't gone through that yet,
9 when you finally design the hardware, what defines --
10 I wasn't able to find this fast enough -- what defined
11 the broader range, or would you qualify this in case
12 there is a casualty that takes you outside these
13 normal operating environments? Is that covered
14 somewhere?

15 MS. AUGHTMAN: I believe that would be a
16 DCD.

17 MEMBER BROWN: I don't think -- have we
18 done the DCD chapter on three yet?

19 MS. AUGHTMAN: For 3.11, yes.

20 MEMBER BROWN: Okay, well my question,
21 I've still got a question. If I'm going backwards,
22 I'm going backwards, but at some point I'd just like
23 to have some idea -- or if there is standard by which
24 this stuff gets qualified and where it defines that,
25 that's fine. I just couldn't find it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. GRANT: This is Eddie Grant with
2 NuStart. There certainly is a standard for
3 environmental qualification on IEEE 323s generally
4 identifies what you are looking for there. They will
5 take all the standard or normal environments; they
6 will also consider post-accident environments and IEEE
7 323 explains how to apply those for the qualification
8 practices. And then there is some margin attached to
9 that as well.

10 MEMBER BROWN: Okay, I don't have any
11 experience with commercial plants; mine has all been
12 naval nuclear stuff. So the normal operating
13 environment that we run is about 50 or 60 degrees F
14 wide, and so is it reasonable to assume, I will ask
15 some of the folks here.

16 MR. CUMMINS: So this is Ed Cummins, I
17 think I can help you some. The AP1000 is designed to
18 have no AC power for 72 hours. So the cooling for the
19 main control room and the safety-related I&C cabinets
20 there is in the ambient, the heat sink of concrete
21 walls, and we try to put plates on them to trim for
22 the heat better. In that time period the temperature,
23 I don't remember the temperature, but I think it would
24 be something like 90 degrees F that the temperature
25 gets to, and we must therefore, whatever that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 temperature is, qualify the instruments, or the I&C
2 equipment for operation at that most upset
3 temperatures when there is no cooling. So that is
4 written I believe somewhere in 3.11 I believe.

5 MEMBER BROWN: In 3.11 in the DCD?

6 MR. CUMMINS: Right.

7 CHAIR RAY: Okay, so it's a function of
8 analysis for the explicit control room in the plant
9 based on the 72 hours and stuff of that nature, not
10 necessarily a fixed temperature range that everything
11 gets done to based on some standard.

12 MR. CUMMINS: If we didn't experience
13 this 90 degrees we would be able to qualify it for a
14 lower temperature.

15 CHAIR RAY: All right, thank you.

16 MS. AUGHTMAN: Ready for the next one?

17 CHAIR RAY: Yes.

18 MS. AUGHTMAN: Again, we're going back
19 now to the COL information items that were addressed
20 in Section 3.9. 3.9-2 is the non-specification and
21 reports, and that is a post-license commitment for
22 performing a reconciliation of the as-built piping
23 after construction of the piping system and prior to
24 fuel load.

25 So then the next item is snubber

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operability testing. We are provided a standard list
2 of the snubbers and testing criteria for the pre-
3 service and in-service testing.

4 And then 3.9-4 we provided the standard
5 program description for the valve in-service testing,
6 and we do have some open items on that that Eddie
7 Grant will address further in a minute.

8 And then 3.9-5 is the pressurizer surge
9 line thermal monitoring standard program description
10 that discusses the monitoring method, locations and
11 data evaluation.

12 And if there are no questions on that
13 slide --

14 CHAIR RAY: Well, he's going to talk
15 about the --

16 MS. AUGHTMAN: Right, I'll turn it over
17 to Eddie to cover the open items.

18 MR. GRANT: Yes, sir, thank you. Eddie
19 Grant with NuStart.

20 We have similarly broken up the open items
21 here in these two slides, the items other than 3.9 are
22 on this slide, and then 3.9 is grouped together on the
23 next slide.

24 The first open item is 3.6-1. It has to
25 do with pipe rupture analysis. And this is related

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 back as we indicated to one of the COL items, so
2 standard COL 3.6-1.

3 There has been a lot of discussion on this
4 particular item both in the DCD and in the COL
5 discussions, and there has been some modifications as
6 well of the COL item or some are in the works. The
7 COL item, if you go back and look at the DCD,
8 describes an as-built reconciliation, and there has
9 been some modification and discussion along the lines
10 of including some additional design reports as part of
11 an as-designed review or providing those reports at
12 some time in the future, again, post-COL issuance.
13 Both of these will be.

14 And so we are moving towards a revision to
15 the COL item in the DCD that indicates that there will
16 be both these as-designed reports and the as-built
17 reconciliation. We have not finalized the wording in
18 the COL in response to that revision because we need
19 to see the exact words that are going to come out in
20 the COL item. But once that comes out and is provided
21 to the NRC and then we will revise our application on
22 this particular open item to indicate again that we
23 will provide a post-COL resolution of those as-built
24 reports and of the as-built reconciliation on the
25 piping.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIR RAY: So this is a case where there
2 is something that Westinghouse is going to do, and
3 once they have done that then the COL applicants,
4 NuStart, can do what they are going to do?

5 MR. GRANT: We can provide the
6 information. In fact, Westinghouse is going to do
7 all this work. They are going to do the --

8 CHAIR RAY: That is beside the point.

9 MR. GRANT: That is beside the point; you
10 are exactly right.

11 As far as the licensing basis goes, and
12 the reason that this was taken, is delayed in being
13 resolved is, Westinghouse was attempting to achieve
14 resolution on some of these reports and provide these
15 reports now. They didn't quite get the number of
16 reports done up front that the staff wanted to see in
17 order to resolve the item.

18 So we are moving back to the COL applicant
19 will provide those reports again at some future date.

20 But yes. We will provide the information at some
21 later date.

22 MEMBER ARMIJO: The issue is really just
23 a timing issue.

24 MR. GRANT: It is.

25 MEMBER ARMIJO: Not a dispute over

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whether these reports are needed or not needed?

2 MR. GRANT: Oh, absolutely not.

3 MEMBER ARMIJO: Okay.

4 MR. GRANT: We will provide the reports,
5 the as-built reconciliations are absolutely required.

6 It's just the timing on the as-designed reports and
7 getting those available. We didn't quite make -- or
8 Westinghouse didn't quite make that, so we're
9 providing them under the COL application at some later
10 date.

11 3.10, seismic qualification method and
12 schedule, the open item here was the staff was
13 interested in which method would be used. The DCD
14 describes both testing and analysis as methods
15 available to do seismic qualification. We will use
16 both of those methods. The particular open item here
17 was to be able to provide the specific method for
18 which each type test will be done, and then also to
19 provide a schedule for when that information will be
20 available so that the staff could come and do an audit
21 of the actual test package, the final qualification
22 package.

23 We are far enough along that we can
24 provide and are working on putting together -- we
25 haven't quite gotten it in yet, but it should go in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 any day -- to provide them with the method that will
2 be used. Is it going to be a test qualification? Is
3 it going to be an analysis qualification? Or some
4 combination of the two? And we are putting that
5 information together. We will be providing that to
6 the staff, in the very near future, hopefully this
7 week if there is anybody left back to assign it.

8 The other piece of that is the schedule.
9 We are not quite far enough long in order to be able
10 to tell them with any confidence when those packages
11 will be ready to go. But similar to an ITAAC, which
12 the regulation says must be -- we must provide a
13 schedule for closure of ITAAC beginning a year after
14 the COL is issued. So what we are proposing is to
15 provide them a similar schedule beginning a year after
16 the COL is issued of when those seismic qualification
17 packages will be available, so that they can come and
18 do their audits in a timely manner, well before fuel
19 load.

20 The discussions with the staff seem to
21 indicate that that will be appropriate and acceptable.

22 3.11, environmental qualification: this is
23 really a placeholder for a DCD open item closure. The
24 COL item as Amy described it was simply to describe
25 what are we going to do with the packages and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 information that Westinghouse provides to us once they
2 have completed the environmental qualification, and
3 how are we going to maintain those packages.

4 This particular open item indicates that
5 there is a DCD open item with regard to an audit that
6 was done by the staff of the Westinghouse
7 qualification procedures and practices. And they are
8 working to close those particular audit items, and
9 once those are closed, that open item will close, and
10 that will then result in closure of the COL open item,
11 again, a placeholder for the DCD.

12 With that I move to the 3.9, and of these
13 there are six items under Chapter section 3.9 that are
14 open items. All six of these are related to in-
15 service testing, and the bottom is IST. The top one
16 again is a DCD placeholder. There are several open
17 items under the DCD for in-service testing. I think
18 the staff is going to talk more about those in their
19 slides. And this again is a placeholder to make sure
20 that the DCD open items get closed, and that those
21 don't impact the COL information and presuming that
22 those are satisfactorily closed and don't require
23 additional information under the COL then this item is
24 closed. If it does require additional information
25 then we will provide what is necessary in order to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 close this particular item.

2 I'm going to skip down to items four and
3 five, we have provided responses on those two
4 particular open items on the potential periodic
5 dynamic testing of power-operated valves, and on flow-
6 inducted vibration concerns. Those responses have
7 been reviewed by the staff. We've gotten verbal
8 indications from them that the response is acceptable,
9 so we believe the work is done on those two items.

10 The tech spec references there are some
11 left over references from the old AP600 and the
12 original application of the AP1000 that referred to
13 ASME code rather than OM-1 -- not OM-1, but the OM
14 code. So we are cleaning those up -- actually the DCD
15 is cleaning those up, and we will adopt those
16 directly. The staff has recently received from
17 Westinghouse those changes to the tech specs that will
18 clear those up, and we have indicated in our response
19 that will adopt those same changes of course, and put
20 those into our tech specs. So again we believe that
21 we have an acceptable resolution on those.

22 3.92 3.93, I'll move back to those, there
23 were some questions from the staff with regard to
24 clarifications on MOV discussions and how those might
25 apply to the rest of the power-operated valves, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 also on MOV testing during operation. There are
2 similar questions for the DCD, and open items related
3 to the DCD information, and so those two items we are
4 still working on the responses because we needed to
5 see how the open items would be responded to under the
6 DCD open items again, and they would impact
7 potentially the information that we would provide.
8 Westinghouse has provided those responses just last
9 week, and we are working towards our revisions and our
10 responses to those two open items. So this week and
11 over the next couple of weeks, in order to be able to
12 provide those. We have had discussions with the staff
13 on those; we believe we understand what they're
14 looking for, and we'll be able to provide the
15 information.

16 Questions, yes, sir?

17 MEMBER STETKAR: Eddie, I think this is a
18 CLA item if my notes are correct here.

19 There are several references in the COLA
20 FSAR under both the motor-operated valve and other
21 power operated valve testing programs. They include
22 statements like valves are categorized according to
23 their safety significance and risk ranking, periodic
24 static testing is performed at a minimum on high risk
25 valves, things like that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 How are the risk importance and risk
2 ranking of these valves determined? And is the
3 proposed in-service testing program a risk-informed
4 testing program?

5 MR. GRANT: Certainly to the extent that
6 it is identified there it is risk informed. But I'm
7 going to ask Bret Collier with Intercon to help me out
8 with how that list ranking is performed. I think I
9 know the answer, but he will know it better.

10 MR. COLLIER: I'm Bret Collier, Intercon,
11 supporting NuStart. The risk ranking -- well, I guess
12 first, IST is not going to be the risk informed
13 category. It's going to follow the ASME code. The
14 risk portion of it is what's primarily covered under
15 the MOE program, through JOG, 9605, and the MPR-2524a
16 program.

17 The rest of the specifics on that is some
18 of what we are still working through as Eddie Grant
19 has said with the responses that Westinghouse has
20 provided last week.

21 MR. GRANT: But the basic --

22 MEMBER STETKAR: I guess I didn't hear
23 the answer to my question, and that was, how is the
24 risk ranking actually determined? What tool is used
25 to determine the relative risk ranking of a particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 valve?

2 MR. COLLIER: The site PRA program, and
3 that defines the risk, that defines the risk of a
4 valve.

5 MEMBER STETKAR: Okay, so the PRA then, I
6 don't think we've seen the PRA for a section of the
7 COLA yet. So I don't know whether you are just
8 adopting the Chapter 19. I assume we will.

9 MR. GRANT: We will.

10 MEMBER STETKAR: That's an assumption.

11 MR. GRANT: It's a good one.

12 MEMBER STETKAR: So that means that the
13 PRA that is documented in Chapter 19 of the DCD will
14 form the basis for that risk ranking of valves; is
15 that correct?

16 MR. GRANT: Well, it's certainly an input
17 to it. As Bret indicated, and it's the primary input
18 with regard to safety for a particular valve, and the
19 risk associated with failure of a particular valve.
20 Some of the other inputs, though, come from the joint
21 owners group program that he talked about on failure
22 mechanisms and failure rates and those types of things
23 that we were provided through those industry programs,
24 industry-developed programs that he referred to.

25 MEMBER STETKAR: Okay, I'm not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 particularly familiar with those industry programs,
2 but I was curious in terms of the design specific risk
3 ranking of a particular valve, how that is actually
4 determined. Given a particular valve inside the
5 plant, how do I understand where that particular valve
6 relates to another valve in terms of its risk ranking?

7 MR. GRANT: That would definitely be out
8 of the Chapter 19 related PRA.

9 MEMBER BONACA: The PRA by itself is not
10 sufficient to provide the ranking. You've got to have
11 some criteria that you have to establish on redundant
12 systems that you have to use, so the PRA itself is not
13 sufficient.

14 MR. GRANT: Ed, can you help us out?

15 MR. CUMMINS: Maybe. The only way we
16 have classified equipment relative to its importance
17 to the PRA is using the DRAP, the Design Reliability
18 Availability Program. And there are criteria related
19 to how much benefit or how much harm a -- any piece of
20 equipment has if you take it out or if you fail it,
21 and then you screen them for some screens that screen
22 in a list of things that put things into the DRAP
23 program. And valves are in that, though I didn't
24 recognize that that was going to be or course be used
25 for this valve priority program; I'm not sure that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it's the same thing. The concept could be used to
2 measure the impact of a component by failing it, and
3 seeing what effect that had on the PRA, and putting it
4 back in and seeing what benefit it has for the PRA
5 which is how DRAP is done.

6 MR. GRANT: Right, we agree, PRA would
7 not be sufficient in and of itself. But there would
8 be an input -- and again, we would look at some of the
9 other things, failure rates for that particular type
10 of valve, failure mechanisms, those types of things,
11 in order to do the risk ranking.

12 MEMBER BONACA: Yes, I think it would be
13 important at some point that we review that.

14 MR. GRANT: The in-service test program
15 itself will not be developed until sometime well after
16 COL is issued. It will be one of those things,
17 program development that is provided and available for
18 NRC audit and review prior to fueling, but it's
19 several years out, the details of how that's going to
20 work.

21 MEMBER STETKAR: This may be a question
22 for the staff. I'm assuming the program will have a
23 list, include a list of valves that are subject to
24 various I don't know whether it'd be testing
25 frequencies or programs or something like that. Is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that list developed coincidentally with the program
2 itself? Or is that list produced prior to the
3 program? You're saying the program won't be available
4 until later.

5 MR. GRANT: Right. The list of valves in
6 the DCD that are in the AP1000 designs, actually in
7 the DCD as Table 3.9-16. There's quite a list and it
8 has a number of columns to indicate many things
9 including testing.

10 MR. CUMMINS: This is Ed Cummins. That
11 list has no input from the PRA. That has an input
12 from the rules, the ASME rules. And we decide whether
13 it's active to shut or active to open. And as you go
14 through what you use the valve for, you follow the
15 rules.

16 MR. GRANT: Right, and the risk ranking
17 again comes later with the program development. But
18 the list of valves that will be in the program is
19 already in there.

20 MEMBER STETKAR: Yes, certainly if a
21 valve is not in that table it will not be in the
22 program.

23 MR. GRANT: Well, I wouldn't say that
24 either. I mean there is a possibility we might look
25 at some other things and add things to it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: But I mean the table in
2 the DCD is designed to be a master list?

3 MR. GRANT: Absolutely.

4 MEMBER STETKAR: Thank you.

5 MR. GRANT: Other questions?

6 CHAIR RAY: I think that wraps us up for
7 Chapter 3 from the applicant.

8 Tom you and Graham of course speak up if
9 you have anything.

10 We'll turn it over to Seth then for their
11 portion.

12 MR. GRANT: Good.

13 (Comments off the record)

14 CHAIR RAY: Stephanie.

15 MS. COFFIN: Terri Spicher is the project
16 manager for Chapter 3, and she is going to introduce
17 the chapter, and then we have a number of technical
18 reviewers on her right that she will introduce for the
19 technical discussion.

20 I did want to make just sort of one
21 comment. Eddie Grant talked about how the programs
22 don't get developed until some time after they receive
23 a license should we make that decision to issue one.
24 But they are obligated to describe the program for us
25 to make our licensing decision. So we know what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 elements of those programs are going to consist of,
2 and then the applicants are obligated to develop those
3 programs consistently, how they describe then in their
4 SAR.

5 MEMBER STETKAR: The elements of the
6 program, though, don't necessarily go to the detail
7 though of a list of specific valves and the criteria
8 for those valves?

9 MS. COFFIN: No.

10 MEMBER STETKAR: Okay.

11 MS. SPICHER: Good morning, my name is
12 Terri Spicher, and I'm the PM for Chapter 3.

13 This morning you are going to be briefed
14 on the open items that were discussed in the safety
15 evaluation report you received last year, the standard
16 content open items.

17 Then since you received I think the
18 evaluation report, some of the items have been closed;
19 some are DCD open items. The staff will update you on
20 where that stands, so you will hear a mixture of both
21 from our staff today.

22 You will hear presentations from four
23 staff members. The four staff members have the open
24 items as you read in your safety evaluation reports.
25 Just to give you a brief review.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The first open items are in Section 3.3 in
2 the wind and tornado loadings. Jerry is going to give
3 you an update on those open items.

4 The second area of concern, or open items,
5 I should say, was in 3.5, missile protection. John is
6 going to give you an update on those open items.

7 The third area is 3.6, with piping and the
8 postulated rupture of piping, and they will give you
9 an update on that.

10 And the last area will be by Tom
11 Scarbrough. He will join us, and he will go over 3.9
12 open items.

13 Tom will also go over the 3.11 open items.

14 This slide just goes through the exact
15 verbiage that was in the safety evaluation report.
16 These were the standard supplemental items that were
17 standard content which are just worded exactly like
18 was in the safety evaluation report. They are a
19 repeat of what I just said. There's one for 3.3,
20 there is one for 3.5, there is one for 3.6, 3.9 has
21 one IST program, STD COL item, but it has multiple
22 areas that we will discuss today; and 3.11 we will
23 discuss that open item.

24 The format of our presentation will be,
25 we'll start off with the blue standard COL items.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We'll go through them, and again, you will either hear
2 it's still open, it could be closed, it could be part
3 of the DCD open item, but we will go through and
4 explain it to you.

5 Jerry is our first presenter.

6 MR. CHUANG: Good morning, my name is
7 Jerry Chuang from STD 1, and I'm going to address the
8 open items on SRP Section 3.3-2. This open item is
9 related to the effects of the tornado-initiated
10 barrier of non-safety-related buildings on 11 seismic
11 category one structures. Now there are two open items
12 identified from this event. Number one is the seismic
13 missiles, generally from the collapse of the non-
14 safety-related buildings. And the second open item is
15 related to the water tanks that is in the radwaste
16 buildings. This is also collapse of non-safety-
17 related buildings.

18 This is related to open item number one,
19 the seismic missiles. Now remember, there are two
20 classifications of missiles. One is external, another
21 is internal. For external missiles it's very difficult
22 to erect the barrier to protect the SSC important to
23 safety from missile attack as expressed by SRP 3.5.3,
24 barrier design. This means that once this missile
25 ignition is primary there is no barrier to protect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So it's likely this missile would likely impact on the
2 Category 1 structures.

3 The damage is likely to be local, and the
4 potential is that it is going to be in the form of
5 cracks, and as we know the presence of a crack is very
6 worrisome. It is made rather unstable under stress,
7 depending on the crack size and the stress field. So
8 I think we need to make sure that the presence of
9 these cracks will not compromise the structural
10 integrity of the nuclear island regions.

11 Open item number two addresses another
12 missile type. This is water tank similar to the
13 automobiles -- missiles from the parking lot. Here is
14 a sketch of the radwaste building. On the left side
15 is an engineer's drawing or a plan and on the right
16 hand side is the conception of the front view. As you
17 can see there are three additional water tanks each
18 with 105,000 pounds of water in there. So once the
19 building collapsed due to the impact, and those tanks
20 were set free and move just like an automobile.
21 Remember the mass of this water tank is ten times
22 heavier than a typical 3,000 pound automobile. So it
23 considers the global impact on the Category 1
24 building, and we need to make sure that this impact
25 will not compromise the buildings.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CONSULTANT WALLIS: Could you clarify,
2 the whole -- the entire water tank becomes airborne?

3 MR. CHUANG: Just like an automobile in
4 the parking lot.

5 CONSULTANT WALLIS: And they are attached
6 to each other, are they, or something?

7 MR. CHUANG: We assume, when the building
8 collapses, the components, either internal or external
9 components, of this building, including the content
10 were set free. So they are free to move, unless there
11 is a strong angle down.

12 CONSULTANT WALLIS: They are held down,
13 aren't they?

14 MR. CHUANG: Yes, but there is no
15 requirement. If they can provide the analysis to show
16 the angle of support underneath can strongly support
17 it from moving out, then it's okay.

18 MEMBER BROWN: Don't they have any
19 seismic requirements?

20 MR. CHUANG: No seismic.

21 MEMBER BROWN: There's nothing to hold
22 them in place under some type of an earthquake. There
23 is no large structural foundation?

24 MR. CHUANG: Non-seismic category. There
25 is category one, and category two is non-seismic. This

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is the non-seismic category.

2 MEMBER BROWN: For the whole water tank?

3 MR. CHUANG: Only in the worst-case
4 scenario.

5 MEMBER ARMIJO: Is there any example of
6 things of that mass and that geometry being flung
7 around in a real tornado?

8 MR. CHUANG: As I said, a good analogue
9 is an automobile in a parking lot.

10 MEMBER ARMIJO: This is a 100,000 pound
11 tank, right?

12 MEMBER BROWN: Just a minute, I think he
13 said 30 -- total was 100. I thought it was 30,000
14 pounds per --

15 MR. CHUANG: One tank is 100,000.

16 MEMBER BROWN: Oh, one tank? Oh, okay,
17 10 times -- you used the number 10 times, so that's
18 really 30 times.

19 MR. CHUANG: Yes, that's about right.

20 MEMBER ARMIJO: So there are no examples
21 for things of that size and that massive being flung
22 around by a tornado? So to make your connection with
23 reality here?

24 MR. CHUANG: This is the first time I've
25 seen this kind of design. But in the real case, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mean, this one, from the parking, the automobile is
2 really flying.

3 MEMBER ARMIJO: I believe that. I'm just
4 wondering about this particular --

5 MR. CHUANG: I believe it was verified.

6 CONSULTANT WALLIS: Do you make any rough
7 calculations of the --

8 MR. CHUANG: I think Westinghouse did
9 some rough calculation and kinetic energies.

10 CONSULTANT WALLIS: I think the force on
11 it from the wind versus its weight, you should be able
12 to calculate something about will it fly or not.

13 MR. CHUANG: We did. We did. And the
14 preliminary result is 100 tons too high. I think we
15 are still doing similar calculations only automobile,
16 because it is raised parking lot.

17 CONSULTANT WALLIS: So it should be
18 possible to resolve by a simple calculation?

19 MR. CHUANG: Yes. If it's too high, then
20 another solution is to design a strong support to
21 prevent it from moving.

22 MEMBER ARMIJO: That seems incredible.

23 MEMBER ARMIJO: Thank you, Jerry.

24 We will now move to Section 3.5.

25 MR. HONCHARIK: Hi, my name is John

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Honcharik, and I work in the division of engineering,
2 component integrity branch.

3 I'm going to talk today about the standard
4 supplement, 3.5-1, which is the turbine missiles. I
5 know you discussed this a little bit earlier. I'm
6 going to talk more about just the orientation of the
7 co-located plants here.

8 MEMBER STETKAR: John, I'm going to
9 interrupt you before you get to the site-specific
10 information. Reading the turbine missile analysis,
11 their analysis if I recall it correctly came out with
12 a frequency that was slightly higher than ten to the
13 minus five, but if you made assumptions about
14 operations of the equipment after the database period
15 that they used, they could somehow justify that it
16 would be slightly less than ten to the minus five. Is
17 that correct? Do you remember enough about it, or are
18 we treading on thin ice here?

19 MR. HONCHARIK: Well, I wasn't the
20 primary reviewer for that.

21 MEMBER STETKAR: I'll save that.

22 MR. HONCHARIK: That's in Chapter 10.
23 But I believe that it was less than 10 to the minus
24 five even before that. I think they just added a lot
25 more conservative -- because actually I think, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 use that analysis to determine their inspection
2 frequency. And I think even before that it was less
3 than what they're claiming now for 10 years, and I
4 think just adding that fact they're extending it out
5 even more, further, like 24 years. So they are even
6 being more conservative. So I can't really -- I'm not
7 sure about that.

8 MEMBER STETKAR: That's fine. We'll get
9 into that detail whenever the topic comes up on the
10 analysis. Thanks, I was just trying to prod my
11 memory.

12 MR. HONCHARIK: I knew there was an open
13 item with that, because I think it did mention about
14 the -- how they correlated some of that data, and I
15 think there were some typos here and there, so I think
16 that might have been the issue there. I don't know if
17 that had an effect.

18 CONSULTANT WALLIS: I have a technical
19 question about this unfavorably oriented qualification
20 here. You are right about things like low pressure
21 blades coming off, big long blades. They are shaped
22 like an air foil. They are very curved. Now I'm not
23 convinced that they go in a straight line when they
24 come off. They fly through the air, and there's all
25 kinds of forces on these things because of their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 shape. And I'm not convinced that they wouldn't go in
2 some sort of an arc. So I'm not sure how you figure
3 out what's favorably and unfavorably oriented.

4 MR. HONCHARIK: I guess per the reg
5 guides that we have, Reg Guide 1.15, and it basically
6 gives a description of what's favorable, because what
7 we're concerned about is the turbine motor because of
8 its mass.

9 CONSULTANT WALLIS: The whole rotor isn't
10 going to fly through the air, is it?

11 CHAIR RAY: No, it's not the blades
12 either. It's the disk. The disk is a big chunk of
13 metal, believe me.

14 MR. HONCHARIK: The blades can fly out,
15 but they are not that heavy compared to the rotor.

16 CONSULTANT WALLIS: But the blades have a
17 lot more velocity than the rotor does.

18 MR. HONCHARIK: Correct, but the rotor
19 which is just massive --

20 CHAIR RAY: There's pieces of the rotor
21 coming off.

22 MR. HONCHARIK: Right, it's something
23 cracking.

24 CONSULTANT WALLIS: Do they go in
25 straight lines, or where do they go when they fly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through the air?

2 MR. HONCHARIK: Well, based on the Reg
3 Guide, and experience, they usually come out
4 perpendicular with an arc of plus or minus 25 degrees.

5 So basically if your safety related components are
6 not within that area, then they consider that to be --

7 CONSULTANT WALLIS: So there is some
8 experimental evidence about how much they come out
9 away, straight out, 25 degrees?

10 MR. HONCHARIK: Plus or minus 25 degrees.

11 So basically if you keep your safety
12 equipment outside of that they call it the missile
13 strike zone --

14 CONSULTANT WALLIS: There are no other
15 blades? I'm surprised there's no other blades.

16 MEMBER BLEY: From the calculations, and
17 it's been a long time since I've seen them, if the
18 blades, they can't get outside of the housing.

19 CONSULTANT WALLIS: They're caught by the
20 housing? Okay, thank you.

21 MEMBER BLEY: It's when the rotor comes
22 apart that they can break the housing.

23 CHAIR RAY: The rotor disc is what I call
24 them. Anyway they're shrunk on the shaft and they can
25 crack and come apart.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CONSULTANT WALLIS: Okay, thank you.

2 MR. HONCHARIK: I was going to discuss
3 the standard supplement, it's 3.5-1. This standard
4 supplement basically states that two AP1000 units
5 collocated side by side have turbine generators with
6 unfavorable orientation with respect to safety related
7 equipment, it's in that low trajectory missile strike
8 zone which we just discussed.

9 The bounding turbine missile probability
10 analysis in Section 10.2-8 of the AP1000 DCD meets the
11 Reg Guide criteria that the probability of a turbine
12 missile is less than one times ten to the minus five,
13 for unfavorably oriented turbine. So that basically
14 is what the supplement states.

15 In looking at the AP1000 DCD, Section
16 3.5.1.3, kind of implies that the low trajectory
17 missiles cannot strike safety related equipment, and
18 therefore the turbine generator is favorably oriented,
19 and that high trajectory missiles were evaluated to be
20 less than ten to the minus five. So therefore we have
21 an open item that existed for the AP1000 DCD, which is
22 open item 10.2.3, that's CIB 1-01, and the bounding
23 turbine missile probability analysis is only
24 applicable to the high trajectory missiles.

25 So therefore analysis for the low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 trajectory missiles is required for this unfavorably
2 oriented turbine generators.

3 Four, that the DCD should have a COL
4 action item to provide this analysis.

5 But through some RAIs, staff finds that
6 this stands up an open item to be resolved, since
7 Westinghouse clarified that although the DCD is a
8 single unit which is favorably oriented with respect
9 to the turbine generator and safety related equipment,
10 the turbine missile probability analysis applicable to
11 both the high and low trajectory missiles. The
12 analysis determines the probability of generating this
13 missile, due to a turbine rotor burst, regardless of
14 the angle of trajectory. So they just basically did
15 not account for the angles. They just said it's going
16 to burst, and what is the probability of that.

17 Therefore the staff finds this open item
18 resolved.

19 CHAIR RAY: Yes, that was a really long,
20 wordy thing that was maybe a little hard to follow.
21 The point I guess is that the resolution was a
22 conservative assumption that didn't take credit for
23 the angle -- because of the desire to include co-
24 located units didn't take credit for the low
25 probability angle outside the 25 degree wedge that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are talking about.

2 MR. HONCHARIK: Right.

3 CHAIR RAY: And therefore it has to meet
4 the criteria that would apply within that zone. I
5 keep getting them confused between low angle and high
6 angle, but at any rate it's a conservative resolution
7 --

8 MR. HONCHARIK: Yes.

9 CHAIR RAY: -- is what you're describing.
10 Okay.

11 MS. SPICHER: Thank you.

12 Our next COL item we'd like to discuss
13 with you is 3.6, the pipe rupture hazard analysis.
14 And Renee will give that presentation.

15 MS. LI: I'm Renee Li from the division
16 of engineering. Originally my presentation today is
17 pertaining to the COL items 3.6-1, which is related to
18 pipe break hazard analysis.

19 However in a meeting with staff last week
20 Westinghouse informed staff that they are going to
21 change their approach related to both piping back and
22 pipe break hazard analysis.

23 Therefore I am going to address both
24 piping back and pipe break analysis in today's
25 presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 As some background information, in late
2 2006, Westinghouse set removal of the piping break and
3 closure of COL item involving audit of the pipe break
4 hazard analysis as two of the changes to be made in
5 their DCD amendment. As I mentioned last week on
6 January 27, 2010, Westinghouse informed NRC that they
7 will not be completing either the piping design or the
8 pipe break hazard analysis.

9 Westinghouse proposed to include COL items
10 for audit of the piping design and pipe break hazard
11 analysis. In addition a roadmap will be provided in
12 DCD to guide closure in the future.

13 The staff after the meeting we determined
14 that Westinghouse proposal is acceptable, because it
15 will provide the staff with an opportunity to audit
16 the piping design and the COL applicants with guidance
17 to better define how to address closure in the future
18 for those piping designs and pipe break hazard
19 analysis.

20 The staff will work with Westinghouse on
21 appropriate ways to close existing opens, and we will
22 also work with COL applicant to address the COL items.

23 Therefore in summary those piping break
24 and pipe break hazard analysis remain as open items to
25 be addressed by COL applicants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: This will be during
2 construction? When does this happen? It's after the
3 license is granted?

4 MS. LI: Right, those are the details we
5 need to work out with both Westinghouse and COL
6 applicant, because naturally we prefer that the design
7 to be completed prior to construction and
8 installation. However, based on our experience of
9 doing other design and discussion with the COL
10 applicant, some did propose that they were provide a
11 closer schedule to allow the staff to audit their
12 design, but no complete timeframe wording that, yes,
13 it will be prior to construction and installation, I
14 think Part 52 did alert, that would be the risk they
15 are taking, because once the construction starts --

16 CHAIR RAY: Wait, wait, excuse me, we are
17 wandering off the track here a little bit. We're not
18 going to issue the license with an open item, right?
19 It's going to have some ITAC or something.

20 MEMBER BROWN: That was my next question.

21 CHAIR RAY: Yes, I could see that coming.
22 Not to worry.

23 MS. COFFIN: We can fill you in on the
24 process. If you recall Rev. 15 of the DCD was
25 approved with something called a piping DAC design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 acceptance criteria, and for a number of reasons the
2 original goal was to resolve this DAC as part of this
3 amendment. It looks like that is not going to happen.

4 So essentially in essence the piping DAC which
5 describes the process, the methodology, the acceptance
6 criteria for doing the design, will remain in the DCD
7 and that's incorporated by reference for the
8 applicant.

9 So we issue the license based on the
10 piping DAC, and the DAC is resolved similar to an
11 ITAAC, and then staff will go and inspect that they
12 did their piping designs in accordance with the
13 methodologies in these criteria that we've reviewed
14 and approved as part of the DCD.

15 MEMBER SHACK: That was my question. The
16 DAC are going back to the Rev. 15 DAC for the piping.

17 MS. COFFIN: They might be modified
18 somewhat?

19 MS. McKENNA: This is Eileen McKenna,
20 AP1000 DC side. There will be something in the DCD.
21 It may not be exactly the same DAC we had before, but
22 there will be something there, that gets incorporated
23 into the COL and would be resolved somewhere down the
24 road, either -- for going on the COL, it could be
25 before the COL is issued, a plant that is further down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the pipeline. Or it could be done after the COL
2 sometime before construction obviously begins. You
3 can't build it until you've designed it. And then it
4 would be handled as an ITAAC.

5 CHAIR RAY: The short answer is yes. It
6 won't be exactly the same, but it'll be functionally
7 the same.

8 MEMBER BROWN: You used two different
9 words, DAC and ITAAC.

10 CHAIR RAY: Well, DAC are part of ITAAC.

11 MEMBER BROWN: I understand that. I'm
12 old, but I haven't lost --

13 CHAIR RAY: All right, I'm just trying to
14 speed things along here, Charley.

15 MEMBER BROWN: My interest here is that
16 there is -- an ITAAC I view as more guys down on the
17 ground inspecting to see that somebody put in a pipe
18 and did the welding and all that stuff. The DAC is
19 the design side, and the staff gets the opportunity to
20 see the design part of this, or does this just all
21 disappear from NRC's viewpoint once the DAC in this
22 case is in the COL, or wherever, the DCD?

23 CHAIR RAY: I think that is a generic
24 question you're posing here now.

25 MEMBER BROWN: We haven't had that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 answered yet.

2 CHAIR RAY: That's true, but this
3 probably isn't the best place to try and answer it.

4 MEMBER BROWN: All right, I'll quit.

5 CONSULTANT WALLIS: Can I ask a question?

6 CHAIR RAY: Yes.

7 CONSULTANT WALLIS: Maybe I'm just even
8 after 10 years with this committee I'm still naïve
9 about things, but I thought pipe rupture hazard
10 analysis was important, and I would think it would be
11 part of certification of the design. I don't
12 understand a situation where Westinghouse is going to
13 provide advice on how to get to closure, and
14 everything is left to some sort of a DAC. When things
15 may have been built. Surely you want to be sure this
16 is a good design, and the pipe rupture hazard has been
17 taken care of. I don't understand what's going on.

18 CHAIR RAY: Okay, I think you are asking
19 a question about whether it's appropriate for pipe
20 rupture hazard analysis to be covered by DAC.

21 CONSULTANT WALLIS: It seems rather
22 strange.

23 CHAIR RAY: I know this is a generic
24 discussion we keep having. And I'm not wanting to
25 suggest that it's been resolved in any way. But it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not unique to this topic here.

2 Now Eileen, go ahead.

3 MS. McKENNA: I just want to clarify, and
4 Renee can certainly help me. It's not that the staff
5 has no knowledge of what the pipe rupture analysis
6 looks like. It's the matter of the completion of for
7 example the piping analysis to determine whether there
8 are any intermediate locations that need to be
9 evaluated to see whether you need a whip restraint or
10 something like that, and the specific details of the
11 design of some of those whip restraints or jet
12 impingement shields are not done. But it's not that
13 the pipe break hazard analysis is a homework problem
14 to be done in the future. I just wanted to disabuse
15 you of that impression that may have been left, that
16 we have no --

17 CHAIR RAY: Well, Eileen, we may still
18 have that impression.

19 (Laughter)

20 I think this is a generic issue. It
21 deserves our considered attention, and the point that
22 Graham is making is valid. But your point about this
23 isn't left as a homework assignment just sort of
24 illustrates what's of concern to many of us. And I
25 guess at this point in time I still think we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 looking at an example of the generic issue that we've
2 recognized and I'm not sure we want to try and resolve
3 it here, and now. This -- the certification was
4 issued with this covered as DAC. We are amending the
5 certification. It was hoped that this would be
6 resolved. I'm sure Westinghouse hoped that it would
7 be resolved. Surely the COL applicants would like to
8 see it resolved. It isn't resolved. So it's still
9 DAC just like in the existing certification. And like
10 I say I'm not meaning to terminate forever an
11 important issue, but I do think we ought to move on,
12 because all that is being said here is, it's going to
13 remain DAC just like it is now. And I just don't want
14 to get into a prolonged debate over whether or not the
15 agency was correct in certifying something with DAC on
16 pipe rupture in the first place. That's the way it
17 is; it's not being changed; and I think we ought to
18 take it up as a generic issue later.

19 MS. LI: Yes, that's right, and let me
20 supplement. For the back approach, when we certified
21 the design in Amendment 15, the staff has reviewed the
22 methodology and criteria for both piping design and
23 the pipe rupture hazard analysis. One thing you have
24 left open is how Westinghouse will implement those
25 criteria.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIR RAY: Understand.

2 MS. LI: Whether they implement
3 correctly, that is what the staff needs to verify.

4 CHAIR RAY: But understand our concern
5 is, did we go far enough in doing what you said has
6 already been done, and again, that's a lengthy
7 discussion that I don't think we can try and resolve
8 here.

9 MS. LI: Just one bit of information is,
10 unfortunately the completion of pipe rupture hazard
11 analysis depends on the completion of piping design.

12 CHAIR RAY: I know. You have to invest a
13 lot of money to resolve this basically, and that's not
14 happened yet, although it's happening I'm sure, and it
15 will be done at some point in time. But on the
16 schedule we are on, the DAC in this case isn't being
17 removed; it's going to be left in place in some form.
18 And that I think is the simplest way to think about
19 it. Okay.

20 MEMBER ARMIJO: It's justified by
21 precedent.

22 CHAIR RAY: I don't often buy that, Sam.
23 In any event, I don't want to go back and question
24 what was done in the certification here this morning.

25 MEMBER SHACK: But to go a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 further, it seems that it will still be back in the
2 standard content. So it's pushed off one more step in
3 the resolution.

4 CHAIR RAY: In the standard content. But
5 I guess I'm not surprised by that. Given the first
6 step, that step seems like a natural obvious one to
7 me. It's the site specific way that you can say, wait
8 a minute, that's a bridge too far.

9 (Comments off the record)

10 CHAIR RAY: What I'm saying is, in the
11 site specific you might say, well, that's going
12 further than we should. We should resolve this before
13 issuing the COL, the combined licensing. But anyway,
14 we've had an interesting discussion that reminds us
15 all of where we stand, but let's proceed.

16 MS. SPICHER: Thank you, Renee.

17 Our last area of 3.9 will be related to
18 IST program as well as 3.11, and Tom will address
19 that.

20 MR. SCARBROUGH: Good morning. I'm Tom
21 Scarbrough with the component integrity branch.

22 Just a little background for in-service
23 testing, as you know it's an operational program. And
24 operational programs are dealt differently than the
25 sort of design oriented aspects. In the design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 certification and the design control document we look
2 at the design aspects as it relates to in-service
3 testing; accessibility, how are you able to do those
4 tests; and that sort of thing. And look at the
5 general description of the program. But we don't make
6 a final conclusion regarding the operational program
7 such as IST.

8 Then when we get to the COL application,
9 per the commission papers SECY-05-0197, we look at how
10 the COL applicant has fully described the program.
11 And they don't have the program itself, but they have
12 to fully describe it, and there is criteria in that
13 SECY paper that indicates that it has to be
14 sufficiently detailed that we can reach a finding to
15 grant an operating license for this plant.

16 So that is where we go in with these two
17 different types of review that we do for design
18 certification and for COL application. Now for this
19 particular case, for AP1000, we have a public meeting
20 with Westinghouse and the R-COLAs in the spring of
21 '08, and we went over the issues that we needed to
22 deal with. Reg Guide 1.206 provides guidance on the
23 information that we need to make a finding on the IST
24 program. And Westinghouse and the R-COLA decided
25 which group would deal with which issue. In some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 cases Westinghouse decided to modify the DCD, to put
2 in additional information there. Other places they
3 relied on the R-COLA. The R-COLA decided they would
4 put additional information in the FSAR to cover that
5 area.

6 So combined the net result is intended to
7 be a fully described IST program. We followed up with
8 an audit in the fall of '08, at Westinghouse, where we
9 looked at the implementation, we looked at the design
10 and procurement specs for components, because one of
11 the aspects we found from our lessons learned from IST
12 over the years is that if you don't have an adequate
13 functional design qualification program your IST is
14 not going to work, and so we found that out with
15 motor-operated valves.

16 So we want to look and see what their
17 basis is for the initial design qualification. So we
18 did some of that at the audit, and that's what we'll
19 talk about.

20 So we ended up with some open items for
21 both the DCP, AP1000, and for the R-COLA, and of
22 course that has been transferred, and transferred over
23 to Southern Nuclear.

24 So that's a little background. As we go
25 through it we have several AP1000 open items, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 several R-COLA open items, but all of them are on a
2 success path, and I'll walk through them right now for
3 you.

4 So starting with the AP1000 SER Section
5 3.9.6, our open item #1 was the followup items from
6 the October 2008 audit that we did at Westinghouse.
7 And there were four basic areas that we had. One was
8 the reference to ASME standard QME-1-2007, which is
9 the new updated standard by ASME which we accepted in
10 Reg Guide 1.100 pretty cleanly for functional design
11 qualification. And that is the reference in the
12 design and procurement specs at Westinghouse for their
13 components.

14 One place we thought it would be important
15 would be to reference that directly in the design
16 control documents. We did receive a letter from
17 Westinghouse -- yes, sir.

18 MEMBER SHACK: Tom, we had some
19 discussion before about whether this -- you know, they
20 were picking high risk components, but apparently they
21 weren't following Reg Guide 1.175. They don't have a
22 risk-informed in-service testing program. Does QME-1-
23 2007 give you some guidance outside of 1.165 for how
24 to pick high risk components?

25 MR. SCARBROUGH: No, QME-1-2007 is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pure design oriented standard qualification for the
2 component. There is no ranking for risk in QME-1.

3 MEMBER SHACK: If you are not following
4 1.175, is there some other guidance for selecting high
5 risk components?

6 MR. SCARBROUGH: Right, the risk aspect
7 falls into the in-service testing phase. The initial
8 design qualifications is going to be just pure design
9 qualifications, standard Appendix A Part 50. There is
10 no risk ranking for design.

11 MEMBER STETKAR: That applies only for
12 safety related?

13 MR. SCARBROUGH: Yes, for safety related.
14 This is the safety related program, right.

15 So QME-1 they are going to reference --
16 they are going to use that document, and I'll jump
17 ahead a little bit because I know the question came up
18 on the risk ranking for the JOG program. The Joint
19 Owners Group program provides a graduated surveillance
20 interval for motor-operated valves, based on their
21 amount or margin and their risk significance.

22 When we reviewed the job program, we did
23 indicate that the applicant or licensees will need to
24 use an accepted approach for risk ranking. There is
25 ASME code case OMN-3, which we accept in Reg Guide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 1.192, which is a PRA risk ranking type of a process,
2 and that would be an acceptable approach. A lot of
3 plants now have risk ranking processes that go through
4 the review process.

5 When we get to that phase, once they
6 actually start developing and implementing the
7 program, and we'll be doing operational program
8 inspections, we will be looking at their ranking of
9 their valves, and where they stand, and if we have
10 questions about either their approach or risk ranking
11 or any particular valve we will ask questions about
12 that and find out what the basis for that was.

13 MEMBER STETKAR: Part of my concern, and
14 this gets back to the whole issue of RNSS, is that all
15 of the standards requirements pertain to safety
16 related equipment. There may be relatively risk
17 significant valves that are not safety related but
18 indeed should be subject to rather detailed testing
19 let's say. And I'm curious how the process makes sure
20 that those valves are identified and included in the
21 program. Because if you establish list of safety
22 related valves based on design criteria and then look
23 at that list in terms of the relative risk ranking of
24 components within that list, you've not expanded your
25 horizon out to all of those other valves. And that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the question of how does that process come back and
2 ensure that indeed the entire population of valves has
3 been examined.

4 MR. SCARBROUGH: Now, this program
5 itself, the IST program, focused on the ASME code,
6 scope valves. They're basically safety related, and
7 then within that you rank them on how frequently you
8 need to do a full diagnostic test on them. They still
9 have an at least every fueling outage be stroked, to
10 be able to make sure they are operating within that
11 boundary, and then you can lengthen the time period
12 over which you do perform detailed diagnostics from
13 every one outage for high risk low margin valves, to
14 every 10 years for this diagnostic to the high margin
15 and low risk valves.

16 So that is within the scope of this
17 program. It's not the classic risk-informed program
18 where you take the entire scope of all the valves in
19 the entire plant and start ranking them to see which
20 ones you want to pull up into an additional program.

21 I would expect that to be done through the PRA, the
22 regulatory treatment of non-safety systems process,
23 where they have RTNSS, or R-T-N-S-S programs, that
24 sort of thing, to look at what might be high ranked
25 risk valves and decide they want to do additional work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on those.

2 MEMBER STETKAR: Let me make sure that
3 I'm hearing or understanding you correctly. From what
4 I just heard it sounds like the IST program that will
5 be developed and reviewed by the staff prior to fuel
6 load I guess or whenever that is, from what I heard
7 you saying, it sounds like it will only include
8 safety-related valves. Is that correct?

9 MR. SCARBROUGH: The inspection program
10 for the operational program, the scope is limited to
11 the ASME code scope. That is the inspection program.

12 Now there is the program itself, and you will find
13 this in the list of valves that are in the components
14 list, many times a licensee will include particular
15 components like puncture valves that they consider to
16 be important from an operational point of view for the
17 plant, to move them up into the IST program and call
18 them augmented, or augmented IST. So they sort of are
19 pulled into that, so we get a chance to take a look at
20 those as well.

21 Now when we -- when the PRA, the whole PRA
22 group is a different group in terms of doing the
23 reviews. And I would imagine that that would be
24 something that they look at in terms of risk ranking,
25 are they properly risk ranking their components. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from just the group that I work in, we focus on the
2 ASME code stuff.

3 MEMBER BONACA: I think -- is this
4 program going to be the same for all the applicants
5 that come under a certified design?

6 MR. SCARBROUGH: Yes, what is going to
7 happen is, the DCD includes the generic aspects of the
8 program, the R-COLA incorporates by reference those
9 generic aspects into its FSAR, then it supplements
10 that information, with those provisions, with
11 information that is considered the standard content of
12 such as the description in there of snubber IST and
13 also the power operated valves, other than motor-
14 operated valves that is spelled out in the R-COLA
15 FSAR, and that is our standard contact. So that
16 combined will be followed for every supplement, every
17 S-COLA that comes down the pike.

18 MEMBER BONACA: So you are going to have
19 a classification process that translates the PRA into
20 certain commitments to the components?

21 MR. SCARBROUGH: Right. Each plant will
22 use their own PRA to develop their risk ranking. Now
23 -- because each plant -- that would be each plant's
24 responsibility. So from the risk-ranking perspective,
25 that would be for each plant. But the program itself

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in terms of following the Joint Owners Group program,
2 in terms of risk ranking and setting up a schedule,
3 once they are in a rank, either high or low or medium,
4 and they have a margin assigned to them, they would
5 follow the approach of the Joint Owners Group program.

6 But each PRA for each plant would be different. I
7 imagine it's pretty similar for all the plants that
8 are AP1000s but each plant would have to show what its
9 own risk ranking was for the component.

10 All right, so I'll jump back to, this is
11 the audit findings here. But there were a couple of
12 other audit findings. One was in terms of gate and
13 globe valve seat friction coefficients. As you know
14 those numbers were just assumed in the past, in some
15 cases without a lot of basis. And so we are -- the
16 January 26th letter from Westinghouse indicates they
17 are going to clarify that in their procurement specs,
18 that those seat friction coefficients are just a
19 starting point, and they have to follow the QME-1
20 standard to develop the qualification.

21 CONSULTANT WALLIS: Do those get
22 inspected? Are the measurements of friction
23 coefficient through the life of the valve, or is it
24 just an initial condition?

25 MR. SCARBROUGH: Well, that was part of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what the Joint Owners Group program did. The Joint
2 Owners Group program tested over five years I don't
3 know 100 valves. There were a couple of valves per
4 plant that they tested over a series of three tests
5 over a five-year period to look to find out which
6 valves might increase in the friction coefficient over
7 time. And what they found is, if you are able to
8 generate a friction coefficient on the stellite that
9 reaches a plateau over time for the most part -- and
10 there were a couple of exceptions there -- but for the
11 most part if you can determine what that plateau
12 friction coefficient is, it stays there; it doesn't go
13 up after that.

14 And so what they will have to do in the
15 Joint Owners Group program is they have to when they
16 follow it, they have to set up these valves at the
17 plateau value. They can't go -- like for example if
18 you opened the valve up and then right after that you
19 ran a test, the air on the stellite would cause the
20 friction coefficient to go down dramatically. So you
21 can't use that friction coefficient; it's not
22 reliable. So they have to go back and use the
23 friction coefficients that the Joint Owners Group has
24 shown that if you reach a plateau you are able to use
25 that. And then after that, as long as you don't open

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the valve up, once you open the valve up you have to
2 make sure you are set at the adequate friction
3 coefficient. But then you focus on alpha capability,
4 because alpha capability can decrease over time
5 through stem lubricant, changes in how your torsion
6 features work and things of that nature. You need to
7 monitor how your output capability of your in-load
8 operator valve might change over the life. And that
9 is part of what we test periodically to make sure that
10 you can maintain that plateau friction coefficient for
11 that particular stellite, that particular temperature,
12 that particular application. So that is what they do
13 over time.

14 CONSULTANT WALLIS: So it is tested over
15 time?

16 MR. SCARBROUGH: Yes.

17 So and then the vendors, there was
18 guidance in the procurement specs for the vendors, and
19 we wanted to make sure it was clarified that they had
20 to follow QME-1, and that is going to be clarified per
21 the Westinghouse guidance.

22 There was some discussion in there about
23 check valves. There was a series of check valves that
24 didn't appear to be able to be tested with flow, and
25 Westinghouse indicates they are going to revise the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 design of this piping to be able to put in test
2 connections so they can test those check valves with
3 flow. So that was the result of that. That was an
4 open, so we are on the success path for that.

5 For the second open item it had to do with
6 --

7 CONSULTANT WALLIS: How do you test the
8 check valve?

9 MR. SCARBROUGH: Put the flow through it
10 and force it to move up.

11 CONSULTANT WALLIS: You actually do that?

12 MR. SCARBROUGH: Yes, and then they'll
13 show the other way, making sure it goes back down.

14 So for the second open item, the motor-
15 operated valves, there was discussion in the DCD
16 regarding the testing that was done in terms of how it
17 related to the JOG program. And there was a reference
18 to the static testing, and the JOG program included
19 static, but also potentially dynamic testing. If you
20 are not able to maintain this plateau value for
21 valves, there is a requirement in the JOG program for
22 people who commit to it that there is a potential for
23 performing dynamic testing over time. So that was
24 something that they are going to clarify in the DCD.

25 MEMBER BLEY: Tom, can I ask you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something about the DCD? I know I asked about this
2 the last time you were here, but I'm still a little
3 bit confused. In Chapter 3 it talks about it gets to
4 this point for POVs, but it says, see the next section
5 for a discussion for developing the in-service test
6 program. And you go to that section all it says is,
7 see the previous section for the criteria that you
8 need.

9 MR. SCARBROUGH: There was some confusion
10 regarding the moving of some information back into
11 another section.

12 MEMBER BLEY: This was in a changed part
13 of it.

14 MR. SCARBROUGH: If there is something in
15 particular that looks confusing, we'll be happy to try
16 to clear that up.

17 MEMBER BLEY: I'll be glad to show you
18 that.

19 MR. SCARBROUGH: Because there was more
20 of that at one time. There was a whole reference back
21 to something, and then what was missing was the fact
22 that the 50.55(a) requirements include a direct
23 verification program for motor-operated valves in
24 addition to the stroke-time testing. So they had
25 moved that to another section, and then it was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 little confusing to move.

2 MEMBER BLEY: Okay, so maybe they just
3 lost the cross reference.

4 MR. SCARBROUGH: Yes, there is some of
5 that. But I'll be happy, if there is something in
6 particular, we'll be happy to get that fixed.

7 The third open item had to do with a
8 reference, once again, it was a reference to QME-1,
9 and they are going to include that in Section 3.9.3,
10 which is the operability section, or the functional
11 design qualifications.

12 Open item four had to do with the use of
13 ASME code case OMN-1. That code case replaces the
14 stroke-time testing of the OM code with diagnostic
15 testing, exercising every outage and then diagnostic
16 testing on a periodic basis. What that code case can
17 do is, it can satisfy both the stroke-time testing and
18 the periodic-verification requirements of 50.55(a).
19 Currently the Revision 0 of the code case is accepted
20 in Reg Guide 1.192. In Rev 1, which is actually an
21 improvement, hasn't been through the process yet to be
22 accepted in the reg guide, and so there was a
23 discussion as to which version of the code case they
24 are going to apply. Because if you are going to use
25 the one that has not been accepted in the reg guide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yet, you need to justify an alternative to the code.

2 And based on the latest discussions with
3 Westinghouse, they are going to pull back and make
4 sure they use the code case that is in Reg Guide
5 1.192, reference that. That way they don't need to
6 include an alternative for that.

7 Now the R-COLA might decide to do
8 something different, but that is what Westinghouse has
9 indicated they can do.

10 The tech specs, the 05 open item was just
11 that there was a couple of places where the references
12 to the OM code was misrepresented in the tech specs,
13 and that's going to be fixed. It was just a place
14 where it fell back to the old boiler and pressure
15 vessel code, to section 11, and that is out of date of
16 the OM.

17 06 was -- in the RAI response regarding
18 check valve acceptance criteria, we agreed with the
19 acceptance criteria in terms of basing it on the full
20 open, with the disk lifting fully, and design flow
21 wherein valve closure with DP or stopping the back
22 flow. But that wasn't in the FSAR. We can only base
23 our decision on the FSAR, not an RAI response. As
24 indicated that needs to be spelled out in the FSAR,
25 and Westinghouse agreed to that and they are going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 put that in the FSAR.

2 For 07 it had to do with a note in Table
3 3.9-16, which is the IST table, which was, it was a
4 little out of date. It sort of referred back to the
5 old concept of MOV testing before the Joint Owners
6 Group program came along. And it didn't mention the
7 Regulatory Issue Summary of 2003, which is the power-
8 operated valve guidance document. And so Westinghouse
9 is going to update that note to reference the job
10 program and the risk, so that's on track.

11 08, there was a table, the IST table had
12 some a little bit of confusing, at least to me,
13 regarding the reference the reference to fail safe
14 testing and periodic verification. This is in
15 verification testing. And Westinghouse agreed to
16 clarify that, the IST tables are going to be revised
17 to specify the fail safe testing along with the other
18 IST testing. So that is on track.

19 09 had to do with the IST table itself.
20 Once again there were several points in there that we
21 were confused about. There was a reference to
22 Appendix J testing for containment isolation valves,
23 and it seemed to be a little out of place for an IST
24 document, because that is a whole different set of
25 testing provisions. And Westinghouse is going to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 back and edit that and be clear on that, so that is on
2 track to be done as well.

3 Okay, so those are the AP1000 open items.

4 And they are all on track to be resolved through the
5 latest letter we received from Westinghouse on January
6 26th.

7 For the COL items we have letters from
8 Southern Nuclear dated September 14th, 2009, and
9 January 12, 2010, and they provide their plan response
10 to these overnight. And we are apparently reviewing
11 them, but it looks like we are on track.

12 First is the 01, the audit open items, and
13 the R-COLA is going to look at the responses, how
14 those resolved through the AP1000 open item, and then
15 decide if they need to supplement that information
16 with additional information. So they are waiting on
17 that to get that resolved.

18 With respect to the second open item, that
19 had to do with some provision to the FSAR. There was
20 a reference once again to the ONM-1 code case, which
21 revision was going to be used. And also there was a
22 language where because the DCD and the FSAR merged
23 together and there has been several revisions to both
24 documents, there was a place where they didn't seem to
25 mesh. And so we asked them to look at that, and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 are going to fix that and make sure that they mesh,
2 the language meshes together.

3 03, and this is probably where there is
4 the most work that needs to be done by the R-COLA.
5 This completing the full description of the MOV
6 testing program. And as you can see there are some
7 areas that need to be addressed, and one is the ONM-1
8 code case which revision they are going to use. Make
9 sure that the operating requirements and the output
10 capability are adequately evaluated, and that can be
11 done through the description of the job program
12 implementation. The demonstration of design basis
13 capability, how that is going to be accomplished.
14 Justification for any extended intervals, and a
15 successful completion of MOV acceptance criteria.

16 A lot of that is in the ONM-1 code case
17 and in the JOG program, so by using that information
18 they should be able to resolve this. But their plan
19 is, their R-COLA indicated they are going to wait
20 until Westinghouse resolves their open item on the MOV
21 testing program and then supplement what they need for
22 that.

23 Now the 04 item is on the POV testing
24 program which are all the other power-operated valves
25 other than MOVs, and actually there's a couple of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 loose ends there. And you mentioned one of them in
2 the earlier discussion. The high risk limitation that
3 was mentioned there, they are going to remove that
4 high risk limitation. That was not -- you have to do
5 post-maintenance testing evaluation whether it's high
6 risk or low risk, because they are all safety related
7 in this program, so they have to do that. So they are
8 going to take out that limitation that was there that
9 sort of limited it just to high risk.

10 Also they need to indicate that their
11 periodic dynamic testing might be required based on
12 the valve qualification process, what you find in your
13 qualification, and from operating experience. Both of
14 those may dictate periodic dynamic testing as part of
15 your POV, and they are going to clarify that as well.
16 So that is going to be part of it.

17 05 had to do with flow-induced vibration
18 monitoring. And this is an area that -- there are
19 guidance provisions in the DCD in Chapter 14 in terms
20 of the startup testing program for flow-induced
21 vibration monitoring. Because of our operating
22 history with flow induced vibration monitoring, even
23 though it's focused mostly in Boiling Water Reactors
24 and steam dryers, we want to make sure that this issue
25 does not fall through the cracks somewhere. So we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 want to ensure that flow-induced vibration monitoring
2 is part of the startup testing program and they are
3 aware of it. They provided their clarification in
4 their response that we just received from the R-COLA,
5 which indicates how they are going to implement those
6 DCD provisions, so it looks like they understand what
7 they need to do for that, so that's on track.

8 Open item 6 is once again the tech specs.

9 So the tech specs just have to be cleaned up and make
10 sure they reference the OM code properly.

11 So that is it for both 3.9.6, for the
12 AP1000, and the R-COLA, so they are both on track to
13 be resolved in the near future. 3.11, as it was
14 talked about, 3.11 is the environmental qualification,
15 and when we performed the AP1000 audit we also looked
16 at some of the EQ aspects in terms of how for
17 mechanical equipment for example QME-1 includes
18 provision for, as a non-mandatory appendix for
19 qualification of non-metallics. And that's partly
20 going to be pulled into the procurement specifications
21 for the Westinghouse components. So we looked at
22 that. Rather than closing out 3.11 prior to 3.9.6, we
23 decided to link them together. But both of them
24 should be resolved together, same time.

25 For the R-COLA 3.11 open item, once again

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 as Eddie mentioned that's a placeholder. But one
2 thing we are going to be doing is making sure that
3 there is a transition from the initial EQ to the
4 operational EQ, because most of the initial EQ is done
5 right up front, it's spelled out in quite a bit of
6 detail in the DCD. And then that transitions over to
7 the operational side, which includes surveillance and
8 replacement intervals and things of that nature.

9 So what we'd be doing is just making sure
10 that transition is clear from the initial EQ to the
11 operational EQ, and then we'll be able to close that
12 one out too. So that just takes a little more word.
13 But other than that, that is on track as well.

14 So with that, that's my presentation.

15 CHAIR RAY: Okay, any questions for Tom?
16 Any more questions for Tom?

17 My job, I've got to try and keep the
18 trains running on time here. So I'm going to do
19 that. But we are absolutely going to do Chapter 15.

20 MS. McKENNA: Yes.

21 CHAIR RAY: On time. I take it that the
22 COL portions of Chapter 15 which are scheduled for
23 tomorrow just couldn't be done today?

24 MS. McKENNA: That's correct. We'd be
25 here until 6:00 o'clock and we thought that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 perhaps a bit late. Also I think you'll find that the
2 COL portion that is almost -- it's very highly
3 incorporated by reference, and there's not a large
4 volume of new information on the COL side. So we felt
5 that Member Banerjee would not be too disadvantaged if
6 he didn't hear the COL part of Chapter 15, since I
7 know he can't be here tomorrow. But we wanted to make
8 sure that the gas accumulation was covered today,
9 because I think that is of more substance, and we
10 benefit from the discussion.

11 MEMBER BANERJEE: And I noticed you also
12 put GSI-191 there.

13 MS. McKENNA: I'm sorry?

14 MEMBER BANERJEE: Is it correct that you
15 are also going to include a status of GSI?

16 MS. McKENNA: Yes, we will give a status
17 at the very beginning of our Chapter 15 discussion we
18 will give you a status of where we are with the 191
19 issue.

20 CHAIR RAY: So before we take our break,
21 there are two things I want to say. One was that,
22 that no matter what we are not going to compress the
23 Chapter 15 discussion in the schedule here. It will
24 start not only after lunch, but it will start at
25 12:45. So that may mean that staff discussion of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Chapter 9 gets compressed; I'm not sure. We may defer
2 part of it; I don't know.

3 The second thing is, on the subject that
4 we did take a little time on and then I cut it off, I
5 want to make sure it's understood that I didn't mean
6 by doing that that it's not needing some resolution.
7 I'm sure you noted, I'm talking about open item 3.6-1,
8 and the issue here at hand that I want to close up
9 this with before we take a break around 10:30 for 15
10 minutes is the following, and Terry, let me address
11 this to you.

12 In the SER -- I'm really playing off
13 something that Bill said -- it says in RAI 3.6.2-1 the
14 staff requested the applicant provide a description,
15 write a description, pertaining to the closure
16 milestone of the as-designed pipe rupture hazard
17 analysis activities. Okay. I've read that sentence
18 to myself a bunch of times, and I'm not sure what
19 we're asking for -- I'm going to ask you to address
20 that, but I will in a moment. It goes on to say how
21 the staff -- how the applicant responded, the
22 applicant here being Southern Nuclear as part of
23 NuStart. And then it says, however the applicant's
24 RAI response addressed the as-put rather than the as-
25 designed aspect. Therefore, RAI 3.6.2-1 remains

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 unresolved, and will be tracked as open item 3.6-1.

2 Okay, now the slide here doesn't convey
3 that, whatever that means I didn't get it off the
4 slide here very well. So I guess my question to then
5 is, is there some requirement that this pipe rupture
6 hazard analysis be done now as part of the -- I don't
7 know whether I'm talking about standard contact or
8 site-specific, to be very honest with you -- but when
9 has it got to be done? Or when did you think it ought
10 to be done, put it that way.

11 MS. SPICHER: The table we talked about
12 previously is we had certified Rev 15, and in Rev 15
13 there is DAC.

14 CHAIR RAY: But as Bill said, we are
15 talking about the COL now.

16 MS. SPICHER: Right. Well, in the DAC it
17 is pushed off as a COL. So if we go back to that
18 version we're okay.

19 CHAIR RAY: That doesn't help me very
20 well when I read what's in the SER here now, which
21 was, you asked them to provide a description
22 pertaining to the closure milestone of the as-designed
23 pipe rupture hazard design activity. So all you're
24 asking for is a description of the milestone,
25 description pertaining to the closure milestone.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Maybe this has to do with what Eileen said.

2 MS. COFFIN: This is, I think Renee, she
3 talked to this open item.

4 CHAIR RAY: She did, and I'm asking you
5 guys now.

6 MS. COFFIN: So from our perspective, as
7 long as the staff understands the methodology, the
8 acceptance criteria, exactly how they are going to go
9 about designing their piping and doing the hazards
10 analysis, we are satisfied that it be -- the
11 inspection of the implementation of those aspects can
12 be done after license issuance.

13 MEMBER SHACK: Let me say something,
14 Harold. I think when that was written it was
15 understood that this was going to be resolved as a
16 design basis, so all the COL applicant would have to
17 do is the as-built. Now since we are going all the
18 way back, somewhere along the way, somebody is going
19 to have to do the as-designed and the as-built. All
20 those sentences are now inoperative because we are
21 going to a step back from where we thought we were
22 when we looked at that Bellefonte COL.

23 CHAIR RAY: Perhaps that's the
24 explanation. I'm not sure.

25 MS. COFFIN: And I think one thing that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the staff is working with this design center was, in
2 the coping DAC that was approved as part of Rev 15 we
3 -- the separation between as-designed and as-built was
4 not as clear as maybe we would have liked. The staff
5 would like an opportunity to inspect as-designed, and
6 then you have more standard inspections of looking at
7 the piping runs and seeing that they are looking like
8 the as-designed, or if there is a discrepancy then we
9 can follow up as to the rationale for that
10 discrepancy.

11 So that is another thing that Renee and
12 her team are trying to work with the design center to
13 make that distinction.

14 CHAIR RAY: Well, recognizing what Bill
15 said, and I have to process that a little bit, but
16 still seemed like all you were asking for was a
17 description of the closure milestone for the as-
18 designed piping, and what you got according to this
19 was something about the as-built, so it wasn't
20 resolved and it became an open item. Well, what the
21 heck happened to that problem?

22 MS. LI: Well, let me address that even
23 though you ask the project. When we first back in
24 late 2006 working with Westinghouse all the time the
25 approach is try to complete once piping design and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pipe break hazard analysis for this amendment
2 certification.

3 CHAIR RAY: This is about the COL.

4 MS. LI: But --

5 CHAIR RAY: Just a minute, Ed.

6 MS. LI: So we thought that this would be
7 resolved within the time frame of amendment review.
8 However, on book, if you look at Amendment 15 there is
9 a COL item about completing our piping design and also
10 the pipe break hazard analysis. So when we review the
11 benefits at that time, we have to -- it's identified
12 in the FSAR as stand-up COL item. However, as time
13 proceed there is no clear or firm commitment that when
14 this analysis would be complete for post-piping and
15 pipe break hazard analysis.

16 CHAIR RAY: I understand that perfectly.

17 I'm trying to understand what you wrote her.

18 MS. LI: Right, because Reg Guide 1.206
19 Section 33.43 says if a COL applicant cannot complete
20 the COL information prior to issuance of the license,
21 COL license, then they have I believe it's four
22 provisions -- four options that either they can
23 resolve the issue through ITAAC or through -

24 CHAIR RAY: I'm sorry, we're out of time,
25 we have to stop. I don't understand --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CUMMINS: Can I make one comment?

2 CHAIR RAY: Yes, let me let Ed speak
3 first, because he had his hand up.

4 MR. CUMMINS: So I think that if we had
5 been successful and finished the piping analysis and
6 the pipe hazards analysis, either it has been resolved
7 in the design circuit. So if I was a COL applicant
8 and you asked me how was the pipe hazard analysis
9 design going, I would say talk to Westinghouse,
10 because if they are going to close it, it's in the
11 realm of design circuit. If they are not going to
12 close it, then it is in the realm of COL because it's
13 left over. And we intended at the time to close it,
14 so --

15 CHAIR RAY: I guess I'm asking a too
16 narrow question, Ed, and again, I'm out of time, I've
17 got to move on. But this only asks for a description
18 of the closure milestone; that's all it asks for. And
19 I'm just trying to find out why when you didn't get it
20 that was okay, and I heard Renee's explanation. I
21 can't say I understand it. I'm going to quit now
22 because I just don't have time to pursue it.

23 Yes, sir.

24 CONSULTANT WALLIS: I think the question
25 for the ACRS is does the ACRS have any role in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 resolving this pipe rupture question, or is it just
2 going to be something that the staff is going to work
3 out somehow or other. And we don't have any role.

4 CHAIR RAY: Well that I think goes more
5 to the question of DAC, which the ACRS role in the
6 resolution of DAC is an open item, and that is where I
7 stopped Charley to begin with. We are not going to
8 try to resolve that here now.

9 MS. LI: Yes, but the SER when it says,
10 approach a milestone, I think it should say to allow
11 coordination of NRC staff's inspection and
12 construction activity. So we are asking that when you
13 think you provide us so that we can come to audit.

14 CHAIR RAY: Okay, like I said you can
15 read the SER itself. I don't think what is written in
16 the SER is explained by any of the discussion we just
17 had.

18 With that we are going to adjourn. We are
19 not going to adjourn, we are going to take a break.
20 And because I am very concerned that we are now half
21 an hour late and I am wanting to get our agenda done
22 today, I'm going to ask everybody to come back at a
23 quarter till. That's a short break, I understand.
24 But I don't have any choice.

25 (Whereupon at 10:36 a.m. the proceeding in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the above-entitled matter went off the record and
2 resumed at 10:45 a.m.)

3 CHAIR RAY: So let's resume, and we are
4 ready for Chapter 9, beginning with Amy, I guess you.

5 MS. AUGHTMAN: Yes.

6 CHAIR RAY: Please.

7 MS. AUGHTMAN: Again, Chapter 9, standard
8 content for the COL application FSAR.

9 As I just indicated we do have a couple of
10 SMEs joining us by phone from Intercon, Juan Vizcaya
11 and also Phil Kwok.

12 MR. HIRMANPOUR: Phil Kowk.

13 MS. AUGHTMAN: Kwok. And with us here at
14 the side table for fire protection is Gary Kantner.
15 And the presentation will be given by myself and Bob
16 Hirmanpour.

17 CHAIR RAY: Okay.

18 MS. AUGHTMAN: So again using the color
19 coding system we are planning to cover the sections
20 listed in blue, and for standard content. We have
21 incorporated the DCDs with no major departures. The
22 only standard departure that is taken here is with
23 respect to numbering of the sections in order, and how
24 those are priced relative to how the DCD is organized.

25 Just to point out again Section 9.2 is all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 plant specific so we will not be touching on water
2 systems today.

3 For standard supplemental information
4 we'll be covering the load handling program, and part
5 of that is also addressed by COL items. And again
6 that program is based on NUREG-0612 and vendor
7 recommendations.

8 So for the COL item discussion I'm going
9 to turn that over to Bob Hirmanpour.

10 MR. HIRMANPOUR: Good morning. I'm Bob
11 Hirmanpour with NuStart Energy.

12 As Amy we are only going to cover the
13 standard items. The majority of the Chapter 9
14 information is actually related to water systems. But
15 DCD is incorporated by reference so most of the COL
16 items are related to programmatic aspects of those
17 systems or ancillary systems.

18 The first item is called item 9.1-5, which
19 is in-service inspection program of cranks, basically
20 I have information in the FSAR that we will provide
21 programmatic controls to administrative procedures for
22 inspection and testing of the cranes, and part of that
23 is following NUREG-0612 to identify the load paths and
24 also listing of the cranes. Also we have the QA
25 requirements per NUREG-05544.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 There has been also some recent operating
2 experience related to cranes that we have also
3 considered.

4 Next item is COL item 9.1-6. Again that
5 is the commitment that we made in the FSAR any
6 machine handling fuel we will have already a monitor
7 installed while it's in use. Any question on that
8 slide?

9 COL 9.1-7, that's a metamic monitoring
10 program. Again, DCD covers the metamic monitoring
11 which identifies the numbers of coupons, surveillance
12 requirements, and provides over the next 40 cycles
13 defines when you are going to do the testing. So the
14 SR information is related to how we're going to do
15 testing and establishing your program and checking for
16 items like blistering, cracking, based on the
17 operating experience.

18 Any question on that program.

19 Continuing to COL item 9.3-1, that's the
20 air handling system. Again, that was one of the major
21 issues identified by the NRC. In the early '80s
22 because of the instrument air failures there was
23 Generic Letter 88-14 issued and NUREG-1275, against in
24 the FSAR we have committed to follow the program for
25 the air system, the compressed air system, for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 training for design and for the inspection, per the
2 Generic Letter and the NRC guidance.

3 MEMBER ARMIJO: Just go back to that
4 metamic. Now this is a newer material. But if they
5 had proposed to use a conventional boral material, you
6 would still have a monitoring program of some sort.

7 MR. HIRMANPOUR: Absolutely.

8 MEMBER ARMIJO: Is this pretty much the
9 same kind of monitoring program you'd have on any kind
10 of a material application?

11 MR. HIRMANPOUR: That is correct, and the
12 items we inspect for and test for is based on the past
13 experience. Of course we expect the metamic to do
14 much better, since they are the best of the best.

15 Okay, next item is the HVAC systems.
16 Again the COL item 9.4-1 has two aspects to it, as
17 9.4-1a and 1b. 1b is plant specific, but -1 goes back
18 to prophylactic requirements for the HVAC for testing,
19 and there are a number of the ASME codes and standards
20 we follow including HE-1, N509 and N510, and all of
21 these have been endorsed by the NUREG 1.140. And are
22 reflected in the FSAR. Any questions on that slide.

23 We are now going to put this back on
24 schedule.

25 CHAIR RAY: Much appreciated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HIRMANPOUR: And 9.5-1 actually the
2 next two slides have to do with the fire protection.
3 Again the fire protection and fire hazard analysis,
4 Appendix R, all that, are considered part of the DCD,
5 so the major section of the DCD actually dedicated to
6 fire protection. FSAR again takes out the
7 programmatic and administrative aspects of the fire
8 protection. 9.5-1, we have about 10 pages of FSAR
9 talking about the fire protection program. Again
10 those are generic administrative, the qualification,
11 training, organization, the fire brigades. Our fire
12 team members will meet and achieve the FCBA The
13 FSCBA, all of that are covered within the overall
14 program.

15 9.5-3, the regulatory conformance, the
16 FSAR Table 9.5-201 provides the comparison with the
17 Branch Technical Position 9.5-1, that's CMEB 9.5-1.
18 And basically indicated it complied with that. The
19 only exception we have taken is about four or five
20 NFPA cores that have been superseded. So we are using
21 the newer NFPA coats.

22 MEMBER STETKAR: Can I ask you a little
23 bit about that table? There are a couple of items on
24 that table that address program elements for fires
25 that -- I'm trying to get the right quote here --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 manmade site-related events that have a reasonable
2 probability of occurring at a specific plant site.

3 And the remarks section in that table 9.5-
4 201 simply says subsections 2.2.3 and 3.5 establish
5 that these events are not credible. I looked at those
6 sections of the DCD and they are simply descriptions
7 of the turbine and general site features. I was
8 curious what basis you used, since this 9.5-201 is
9 your table as the COL, is determining the
10 incredibility of whatever these non-described events
11 are.

12 MR. HIRMANPOUR: Okay, I'm going to refer
13 that to our fire protection expert, Gary Cantner.

14 MS. AUGHTMAN: Well, actually if I could
15 interject real quick. I think what you are getting at
16 is, really we are referring to the FSAR sections.

17 MEMBER STETKAR: I am referring to your
18 COL Table 9.5-201.

19 MS. AUGHTMAN: Right.

20 MEMBER STETKAR: So this is your scope.

21 MS. AUGHTMAN: And so the sections that
22 are in the remarks column would actually refer back to
23 the FSAR.

24 MEMBER STETKAR: I can't refer to the
25 FSAR, because your COL FSAR doesn't have those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sections in it. I couldn't find a 2.2.3. So I looked
2 back in the DCD thinking that perhaps it referred to
3 the DCD sections, and I find any kind of substantive
4 guidance to lead me to a determination of
5 incredibility. So I'm now confused about where the
6 supporting analyses is to support this incredibility.

7 Not credible means it can't happen as far as I'm
8 concerned, and that is difficult to justify for a lot
9 of things. Perhaps you can, but I'm curious how it is
10 justified.

11 MR. HIRMANPOUR: Gary.

12 MR. CANTNER: I'm Gary Cantner, Emerson
13 Services, representing NuStart.

14 Actually the item in the table says,
15 credible events affecting more than one reactor unit,
16 and I can't really speak on the sections 2.2.3 and
17 3.5, but --

18 MS. AUGHTMAN: Those are site-specific
19 evaluations, and discussions, that are in the FSAR.
20 Now for Vogtle those probably occur more in the ESBA
21 site safety analysis report, which is incorporated by
22 reference. So some of the details that you may be
23 looking for could have already been reviewed as part
24 of our ESB application.

25 (Simultaneous speaking)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR RAY: Okay, well wait a minute.

2 MEMBER STETKAR: This is not the standard
3 COL. So we are reviewing this right now for you and
4 for in principle any COL in the future. Not the
5 Vogtle ESB in particular.

6 MR. HIRMANPOUR: Okay, let me take that
7 question and I'll get back to you later today.

8 MEMBER STETKAR: You have to get back to
9 the whole subcommittee, not one member.

10 MS. AUGHTMAN: If I could request, is it
11 item #15 that you are looking at?

12 MEMBER STETKAR: Items 15 and 22 in
13 particular if you want the reference to go back,
14 because both of them address -- one of them says
15 multiple units, the other one is not clear that it
16 applies to multiple units; 22 doesn't seem to have the
17 multiple unit connotation. But it's almost 15 and 22
18 in that table, and they both use the same
19 justification.

20 MR. HIRMANPOUR: I will get back to you
21 later today or tomorrow anyway on those.

22 MEMBER STETKAR: Thanks.

23 CHAIR RAY: That's fine.

24 MR. HIRMANPOUR: Okay, 9.5-5, again, that
25 is the compliance with NFPA codes, tables. 9.5-4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 provides our compliance with NFPA codes and the only
2 exceptions not in that table was like for the intake
3 structure that we say we don't need the fire
4 sprinkler for the intake structure since it is all
5 masonry and there is no safety related equipment in
6 there.

7 MEMBER ARMIJO: What intake? The water
8 intake?

9 MR. HIRMANPOUR: The water intake
10 structure.

11 (Simultaneous speaking)

12 MR. HIRMANPOUR: -- take exception to it.

13 MEMBER ARMIJO: Got it.

14 MR. HIRMANPOUR: There may be other
15 exceptions to an NFPA code that are included in the
16 DCD from the core offsite and the programmatic level,
17 the software.

18 And 9.5-6, that is verification of field
19 installed fire barrier. Again, we have added and test
20 and inspection requirement to inspect those. Also we
21 followed the NFPA guidelines on the regulatory
22 guidelines on how often you inspect them, and also
23 doing the maintenance if you either do open or
24 automatic closing doors, all those requirements again
25 are described in the FSAR.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Any questions on that slide?

2 Okay, that last item in fire protection is
3 9.5-8, which is again establishing procedures. And
4 those procedures again are described in the FSAR.
5 9.5-11, that's the security communication.

6 CONSULTANT WALLIS: I don't understand
7 what you mean by procedures to minimize risk. That
8 seems a rather -- do you mean it in a qualitative
9 sense?

10 MR. HIRMANPOUR: The fire protection
11 program basically goes back to fire prevention, part
12 of that is combustible loading, all that stuff, as
13 part of the fire protection program. We will be able
14 to calculate the risk of fires in the area, and we try
15 to minimize those. One of those decisions we talked
16 about.

17 CONSULTANT WALLIS: To minimize you have
18 to have something that is a function of various things
19 and you have to twiddle those things in order to get
20 the minimum value of something.

21 MR. HIRMANPOUR: Yes.

22 CONSULTANT WALLIS: I don't think that's
23 what you mean. I think you are reducing risk as much
24 as is reasonable.

25 MR. HIRMANPOUR: That is correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CONSULTANT WALLIS: There is no risk
2 metric involved.

3 MR. HIRMANPOUR: No -

4 (Simultaneous speaking)

5 MR. HIRMANPOUR: 9.5-11 security
6 communication, FSAR is short on that point, it refers
7 to the physical security plant. So if you have any
8 questions on that we have to defer that until later;
9 we can't talk about this Safeguards information. And
10 9.5-13 is a fuel degradation protection. That is a
11 diesel fuel. Again, in the FSAR, we have committed to
12 use ASTM with grade 2D, and also we have the
13 inspection and testing. There has been many operating
14 experiences, I would say `70s and `80s, related to the
15 diesel fuel. We have incorporated those into FSAR,
16 and we are using the latest ASTM standards for
17 inspecting.

18 CONSULTANT WALLIS: Is there a
19 temperature, minimum temperature requirement, for the
20 diesel fuel?

21 MR. HIRMANPOUR: I'll have to get back to
22 you on that one. I know we check for -- we do
23 periodic tests for wire, for color, and particulate,
24 temperature I do not recall.

25 CONSULTANT WALLIS: Fuel becomes wax at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 certain temperatures.

2 MR. HIRMANPOUR: I will have to look at
3 the ASTM table, because we do incorporate the ASTM
4 testing requirements.

5 CHAIR RAY: Okay, please check on that.

6 Before you go on to the next slide, let
7 me ask, Stephanie, do you know, or maybe my more
8 experienced peers can tell me the answer to this, how
9 do we get done whatever we need to do with regard to
10 the security communications up here?

11 MS. COFFIN: The—so when we come back to
12 this group to discuss Chapter 13, I think it's 13.6,
13 security reviews, we will touch on this particular
14 item as part of that review. Right now there is
15 essentially just a pointer to 13.6.

16 CHAIR RAY: There is essentially what?

17 MS. COFFIN: A pointer in the SER I
18 believe to 13.6.

19 CHAIR RAY: I see, okay.

20 MS. COFFIN: So it's really reviewed by
21 our physical security staff.

22 CHAIR RAY: Yes, I knew we weren't going
23 to do it now, but I just wondered how it got done.

24 MS. COFFIN: When we come back to Chapter
25 13, that will be when.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR RAY: Okay.

2 MR. HIRMANPOUR: And so I will get back
3 to you on the temperature guide. We do follow the
4 ASTM D975 table one that it is all the parameters that
5 need to be tested. And I've done the COL items.

6 MS. AUGHTMAN: All right, so off the cuff
7 it would be open items we have for this chapter, and
8 the first one is 9.1-1 on the metamic monitoring
9 program. The staff received clarification that we
10 would in fact be using the number of coupons and the
11 withdrawal schedule as was stated in the DCD. So we
12 provided that confirmation. In addition we provided a
13 license condition to provide a schedule for the
14 metamic monitoring program in the form of limitation
15 milestone.

16 The second open item has to do with the
17 light load handling system inspection implementation.

18 We provided a commitment to include an inspection of
19 that system prior to fuel receipt. And then similarly
20 for the overhead heavy load handling system we have
21 provided a commitment to implement that program
22 including system inspections prior to fuel receipt.
23 So 9.1-3 actually goes along with open item 9.1-4.
24 We've potentially responded to those open items in the
25 9.1-3 open items.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And then open item 9.2-2 actually related
2 back to a Chapter 12 open item. We're potentially
3 tracking closure of the Chapter 12 open item which was
4 related to the raw water system and how the site
5 procedures for decommissioning records would be
6 maintained in accordance with 20.1406. So since we've
7 now closed open item 12.3-1, we believe that also
8 closes open item 9.2-2.

9 And that's all we have planned for Chapter
10 9.

11 CHAIR RAY: All right, you picked up 10
12 minutes for me. Thank you.

13 MS. COFFIN: Okay.

14 (Comments off the record)

15 CHAIR RAY: You are up, Stephanie. You
16 got anything to say.

17 MS. COFFIN: No, I'll just introduce
18 Tanya Simms. She's Chapter 9 project manager.

19 MS. SIMMS: Good morning, everyone.

20 Thank you for having this. We are
21 presenting standard content for Chapter 9. So we are
22 going to through -- that's already been explained
23 previously.

24 This is a list of the staff review team
25 members. But today we have five of them presenting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We have Mr. Jeff Poehler, who will be presenting the
2 first slide, and other sections of 9.1 We have Mr.
3 Gordon Curran, Nan Chien, and then as come up and
4 finish with their presentations, we'll have Mr. Thinh
5 Dinh and Gregory Makar come up to do their
6 presentation.

7 CHAIR RAY: Very well.

8 MS. SIMMS: Standard content takes place
9 in Chapter 9. Those sections relate to fuel storage
10 and handling, of which we will be discussing the
11 metamic monitoring programs, light load handling
12 systems, overhead heavy load handling systems.

13 The other sections that will not be
14 discussed because they are site specific is the water
15 system, process auxiliary. We will have standard
16 content that is available inside of air conditioning,
17 heating, cooling and ventilation systems, and we have
18 standard content that is inside of the other auxiliary
19 systems in 9.5. We will be discussing the fire
20 protection program and the diesel generation fuel oil
21 system.

22 We have four open items as was previously
23 stated from the applicant. They went over those
24 items. What we will do at this time is have our
25 presentation and the staff's review of those sections

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and of the standard content. We will begin with Mr.
2 Jeff Poehler and the standard monitoring program.

3 MR. POEHLER: Thank you, Tanya. I'm
4 going to be talking about the metamic monitoring
5 program, and specifically open item 9.1-1 concerning
6 that program.

7 For those who aren't familiar with it,
8 metamic is an aluminum-based metal matrix composite
9 material which contains boron carbide to absorb
10 neutrons. It's being used in the AP1000 spent fuel
11 racks to provide additional criticality prevention
12 margins.

13 There is a metamin monitoring program.
14 It's called out by actually the information item 9.1-7
15 from the AP1000 DCD, and they took our corresponding
16 standard COL 9.1-7 in the COLs and that COL --
17 standard COL 9.1-7 specifies the coupon surveillance
18 program for the spent fuel pool neutron absorbing
19 material.

20 And the reason for that, the reason we
21 need a surveillance program as has been touched on
22 before is there is pretty limited service experience
23 for the metamic. It's been licensed for a few
24 operating reactors, but the test data from their
25 coupon programs really hasn't come in yet, or been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 seen by the staff. It's all been within the last
2 couple of years that they've installed it.

3 So what the DCD specified about the
4 metamic is, certain aspects of the program including
5 the type and number of coupons, recommended withdrawal
6 schedule, and some of the attributes that have been
7 tested, also include things like dimensions of the
8 coupons, how they are installed in the pool.

9 It did not include the test methods and
10 programmatic controls for the program which were left
11 to the COL applicants by means of the COL information
12 item.

13 So initially -- well, when we reviewed
14 standard COL 9.1-7, it was basically -- what the COL
15 include was a restatement of the COL information
16 items. So there was really on additional information
17 provided, so that's why we initially we had an RAI,
18 and now an open item. And basically what the open
19 item is asking for is four things: whether the number
20 of coupons and withdrawal schedule would be the same
21 as described in the DCD. Secondly, the methodology
22 and acceptance criteria for the tests that are going
23 to be performed with the metamic coupons. Third would
24 be the corrective actions if the acceptance criteria
25 aren't met. And finally the administrative controls

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 applicable to the program.

2 With that I'll take any questions.

3 CHAIR RAY: I understand the response has
4 been agreed upon by the applicant.

5 MR. POEHLER: We are still reviewing the
6 response to the open item.

7 CHAIR RAY: I mean it's not a contested
8 open item. It's an open item in that it hasn't been
9 closed at least.

10 MR. POEHLER: That's right.

11 CHAIR RAY: The applicant agrees to
12 provide the information.

13 MS. SIMMS: The next section we have is
14 on the load-handling system, and we'll have
15 conversation and discussion with Mr. Gordan Curran.

16 MR. CURRAN: Okay, my section is on the
17 load-handling system. And there is a COL item that
18 the applicant was responsible for the program for in-
19 service inspection, and the heavy-load handling
20 program. And the applicant committed to develop the
21 program and the in-service inspection and provide the
22 details of what would be in it. The open items
23 were that there was no timeline milestone that was
24 indicated in their response. So the staff of the
25 applicant provided a response indicating that this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 would be provided prior to the load and that is under
2 review right now.

3 The second item that I have is on rad
4 monitoring. And the COL item is that the rad monitor
5 should be monitored on any frame-handling fuel. And
6 the applicant had stated that the plant procedures
7 require the monitors be mounted on any machine, and
8 there are no open items with that.

9 Any questions?

10 MS. SIMMS: The next section will be a
11 discussion by Mr. Danny Chien on the ventilation
12 system.

13 Danny.

14 MR. CHIEN: Okay the ventilation, SAI 9.4,
15 as Brian mentioned, DCD asked the applicant to specify
16 his own program. And the reason applicant needs to
17 talk about this is, this ASME AG-1 is very important
18 for safety function. So specific cause to ask
19 applicant to adjust their program. Now every
20 applicant needs to specify this standard and follow
21 it. That's why it is there. Any questions?

22 MS. SIMMS: Are there any questions?

23 CHAIR RAY: None.

24 MS. SIMMS: The next section is on other
25 auxiliary systems for 9.5. We'll have the image that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is up here go to the side and have Mr. Thinh Dinh and
2 Gregory Makar come up for those presentations.

3 CHAIR RAY: Thank you.

4 MS. SIMMS: For the fire protection
5 section we will have Mr. Thinh Dinh and have that
6 presentation.

7 MR. DINH: Yes, the objective of the Fire
8 Protection System is to minimize the probability of
9 occurrence and also the consequences of fires that can
10 actually occur at the plants.

11 CONSULTANT WALLIS: Does this mean that
12 you calculate the probability of occurrence?

13 MR. DINH: No, we don't.

14 CONSULTANT WALLIS: So how do you
15 minimize it?

16 MR. DINH: That's the second bullet. We
17 provide a system of defense in depth that use
18 administrative controls, fire protection system
19 features, and redundant safety-shutdown system to make
20 sure that --

21 CONSULTANT WALLIS: There isn't a measure
22 of success?

23 MR. DINH: It's defense in depth, so it's
24 not really a measure, a calculation.

25 CONSULTANT WALLIS: It says the things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that you do but it doesn't evaluate how effective they
2 are?

3 MR. DINH: Based on the current operating
4 fleet, I think we have a pretty good success program
5 for protection of fire at the plant. And to mitigate
6 those fires that occur.

7 Okay, the regulation and guidance, we use
8 10 CFR 50.48, Fire Protection; SRP 9.5.1; Reg Guide
9 1.189, which is the bulk of our requirements. It's a
10 regulatory guide, but it's -- we consider it as a
11 requirement. If they meet that they will meet the
12 fire protection requirement.

13 And also --

14 MEMBER STETKAR: Those are basically
15 deterministic fire protection requirements to follow
16 up on Graham's question.

17 MR. DINH: Yes, that's correct, thank
18 you.

19 And also, enhanced fire protection for the
20 SECYS 90-0-16, 93-087, and 94-084.

21 The staff 14 RAIs for the standard
22 contents, based on Reg Guide 1.189. And the applicant
23 largely revised the COLA to address those, those
24 issues. Except for one which we identified which is
25 not in conformity, 1.189, which is the safe shutdown

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 analysis methodology. Traditionally the safe shutdown
2 analysis is part of the fire-hazard analysis, and
3 it's including equipment and cable routing
4 information, and it is usually in large volumes of
5 analysis.

6 Based on the design of the AP1000 the
7 applicant asserted that it's not required in detail,
8 the component and cable analysis is not required,
9 because the plan is separated by three-hour barriers.

10 Throughout the plants the redundant trains are
11 separated. And also there are appropriate procedures
12 in place to identify any standard design deviations
13 that may occur during construction that violate that
14 separation. And also by law they are required to
15 identify and address those deviations.

16 And to further evaluate that assortment we
17 also performed two audits of the functional analysis
18 calculation. And based on our review of the plan
19 layout drawing and the review of the calculation
20 analysis we determined that it's adequate for now.
21 But they committed to include the as-built information
22 as the plant is built.

23 MEMBER STETKAR: This will become a COL-
24 specific item?

25 MR. DINH: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: To demonstrate final
2 compliance with as-built?

3 MR. DINH: That's correct. It will be a
4 living document maintained by the COL applicant
5 throughout the life of the plant.

6 MS. SIMMS: The next section we have is
7 the diesel generator fuel oil system, and that will be
8 discussed by Mr. Gregory Makar.

9 CHAIR RAY: Before we leave fire
10 protection let me just pursue that a little bit
11 further. So the Reg Guide from 1.189 was basically
12 set aside and specific review was done of the standard
13 content information relative to fire protection; is
14 that fair?

15 MR. DINH: That's correct.

16 CHAIR RAY: What do you foresee, is that
17 likely to be the case not just for the AP1000 but for
18 other new plant designs, the 1.189 isn't suitable or
19 applicable guidance?

20 MR. DINH: Well, 1.189 has a guidance
21 that says that safe shutdown training should be
22 separated and maintained. It doesn't go into detail
23 exactly on how you do it. But traditionally what the
24 current fleet does is having an analysis, because they
25 don't have perfect separation. So they have to keep

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 track of all the component cables from different
2 trains, to make sure they are separated, or do
3 something to ensure safe shutdown is achievable.

4 But for the new plants, since the design
5 is laid out such that everything is separated as much
6 as possible except for the containment and the control
7 rooms.

8 CHAIR RAY: Okay, well, I'm just keying
9 off of your statement here in the slide that the
10 standard content fire hazards analysis is not in
11 accordance with Reg Guide 1.189. It sounds like you
12 are telling me, well, it really is, it's just that
13 it's in accordance with it because it provides for
14 this three-hour fire separation except maybe in a
15 couple of cases.

16 MEMBER STETKAR: Maybe you could help me.
17 Reading your slide there I understood the slide to
18 say that the fire hazards analysis, the plant-specific
19 fire hazards analysis where you go from compartment to
20 compartment and look at safe shutdown paths and so
21 forth has not been performed according to the way that
22 it is traditionally performed for the existing
23 operating fleet. But the AP1000 design conforms with
24 basic criteria in 1.189, doesn't it?

25 MR. DINH: The fire hazards analysis is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actually two parts. One is the area by area, and they
2 list all the safe shutdown components in there and the
3 fire protection features in this area. But also have
4 another section where there is a safe shutdown
5 analysis, which would keep track of all the cable
6 routings and everything.

7 For the AP1000 since they have good
8 separation it is not really necessary, because if they
9 are going to do that, all they do is say okay,
10 everything here is Train A, and everything there is
11 Train B.

12 So it doesn't really add any value for
13 just listing those cables and keep track of them
14 throughout the plant.

15 MEMBER STETKAR: The other basic elements
16 of 1.189, in terms of separation and protection of a
17 safe shutdown --

18 MR. DINH: Right, it is covered.

19 MEMBER STETKAR: -- are covered, okay.

20 CHAIR RAY: Okay, and your point about
21 this living document that is a consequence of a
22 review, is what? I guess -- what is the role -- I
23 guess it's like the security plan or something like
24 that.

25 MEMBER STETKAR: If you install new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cables for example and bore a large hole in the wall
2 between the division between Train 1 and Train 2, you
3 want to make sure that either it's resealed or you
4 somehow account for that fact.

5 MR. DINH: And you don't route a Train B
6 cable into Train A.

7 MEMBER STETKAR: Right, modification of
8 the plant doesn't inadvertently route a Train B cable
9 through a Train A area or something.

10 MEMBER BROWN: I just wanted some
11 information, the three-hour separations, the question
12 I was going to ask was relative to cables. You've got
13 components, pumps, pipes, valves, et cetera. And yet
14 what I'm taking out of the conversation y'all just had
15 -- this is an education question -- is that you
16 maintain that same separation for all cables
17 associated with that, cables, switchboards, power
18 supplies, what ever sources, switches, actuation,
19 that's all separated by this three-hour barrier?

20 MR. DINH: Yes, right.

21 MEMBER BROWN: So you've got three
22 hallways worth of stuff, and there's a switchboard
23 with power coming from outside that comes into that
24 that is not going to be subject to some internal fire,
25 is that right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DINH: Except for the containment and
2 the control room.

3 MEMBER BROWN: There was some place at
4 which all this comes together.

5 MR. DINH: For the control room we have
6 an alternate shutdown panel which is totally separated
7 from the control room.

8 MEMBER BROWN: And what do you do in the
9 containment?

10 MR. DINH: Containment, spatial
11 separation and shielding.

12 MEMBER BROWN: But not walls,
13 necessarily?

14 MR. DINH: No.

15 MEMBER BROWN: I understand. I just
16 wanted to make sure I understood. Okay, thank you.

17 MS. SIMMS: Are there any other
18 questions?

19 CHAIR RAY: No.

20 MS. SIMMS: Thank you, Thinh.
21 Gregory.

22 MR. MAKAR: Okay, thank you.

23 I'm going to explain the COL information
24 requirement for the COL information requirement for
25 the diesel generator fuel oil system, and then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 describe the information they provided and our review
2 of that information.

3 Since these diesel generators are
4 classified as Class D non-seismic systems, that means
5 the functionality and integrity for these components
6 are according to standard industrial assurance,
7 industrial quality assurance standards. And based on
8 their contribution to defense in depth, and to the
9 performance of safety related passive systems, they
10 are also identified as non-safety systems that require
11 regulatory treatment or RTNSS.

12 MEMBER BLEY: Let me ask you a question.

13 Do we have any idea at this time exactly what the
14 hardware will be? Although it isn't seismic and
15 safety-related, are they actually going to be
16 different machines than we'd see in a plant where they
17 are in fact?

18 MR. MAKAR: I don't know.

19 MEMBER BLEY: We just don't know what
20 they'll be yet.

21 MR. MAKAR: I don't know. It may be --
22 I'm not up to speed on how they are described in the
23 DCD. With my familiarity with the DCD I don't expect
24 them to be different than what's -- substantially
25 different from what's out there now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: I'd be really surprised.

2 MR. MAKAR: So the RTNSS system, the
3 quality requirements --

4 CHAIR RAY: Excuse me, I'm sorry. Ed,
5 did you want to say something?

6 MR. CUMMINS: Well, the building design
7 is sort of based on the diesel, we based our building
8 design on Caterpillar four-megawatt diesels. And let
9 them put those words in the -- but that's what we
10 plan to be using.

11 CHAIR RAY: Thank you. Go ahead.

12 MR. MAKAR: So the quality requirements
13 for these RTNSS systems are described in Chapter 17,
14 this is the DCD, under the design reliability
15 assurance program. And the basis for that program is
16 the providers body of evidence and experience. So
17 with these classifications and the RTNSS
18 classification, that gets us to manufacturers'
19 recommendations, and industrial standards.

20 Now continuation with this background,
21 based on the RTNSS evaluation performed by the
22 designed, the operability of the diesels is addressed
23 in the investment protection short term availability
24 controls. And these controls look like tech specs in
25 that they have actions, completion times, conditions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And these controls address the fuel quantity but not
2 fuel quality. So there is a requirement for AP1000
3 applicants to provide, number one, information to
4 address the fuel specifications and properties
5 consistent with the manufacturer's recommendations,
6 that's the manufacturer of the generator, not the
7 fuel; and to provide a program for the fuel to protect
8 against fuel degradation.

9 So address fuel properties, address fuel
10 degradation. That's the COL information that is
11 needed. Next slide, please.

12 CONSULTANT WALLIS: Well, fuel
13 degradation involves presumably controls on the amount
14 of water that can get into it by intermittent
15 condensation in the tanks?

16 MR. MAKAR: Yes, that's one parameter.

17 CONSULTANT WALLIS: Changes in its
18 properties if it gets to a very cold region in its
19 piping?

20 MR. MAKAR: That's another, yes.

21 CONSULTANT WALLIS: It's not just the
22 fuel itself; it's the environment, and everything that
23 could affect it?

24 MR. MAKAR: That's right. And
25 specifically there is a -- oh. Now, although the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 AP1000 in this regard doesn't conform to our guidance
2 specifically, the SRP Section 9.5.4. We did use the
3 guidance that is applied to safety-related diesels as
4 a measure of this program you see for evaluation.

5 SOP Section 9.5.4 refers to a Reg Guide
6 1.137, and that is related to fuel quality and
7 testing. And in that Reg Guide we have references to
8 certain industry standards -- NASE International
9 American Nuclear Society, ASTM International. That is
10 where the technical details are for this, for the fuel
11 properties.

12 As Mr. Hirmanpour explained, they are
13 addressing this by specifying in standard COL item
14 9.513 that the fuel will be ASTM Grade 2D, and it's
15 also going to have separate content specified by the
16 engine and manufacturer.

17 And the COL information includes a
18 description of the program which is based on meeting
19 the requirements for the key parameters in ASTM D975,
20 and ASTM D4176 for clear and bright appearance.

21 D975, that is the -- that is an ASTM
22 standard for fuel oil quality that is in our Reg Guide
23 1.137. ASTM 4176 is not directly referenced in the
24 Reg Guide. It is an acceptable method within our --
25 one of the other industry standards in the Reg Guide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So together with this testing and the
2 sampling for water, we have something that is very
3 much like the program that is in the tech specs for
4 safety-related diesels.

5 We did request some additional information
6 related to the implementation of the program, since
7 it's not in the tech specs, and the applicability to
8 both new and stored fuel, and the applicant did
9 clarify that it applies both to new and stored fuel
10 and explained how it's implemented through Chapter 17
11 of the FSAR. And so therefore they have addressed
12 both points, the specification of the fuel and the
13 program for protecting against degradation.

14 MEMBER STETKAR: Greg, this is more of a
15 programmatic, general programmatic question. But
16 since we have five minutes here I can ask it.

17 You said that because the diesels are not
18 safety related they are RTNSS equipment, and they are
19 governed under the RTNSS controls and Chapter 17, the
20 FSAR. What type of regulatory oversight is there of
21 those controls? In other words if I'm a licensee and
22 decide five years from now that I want to use a
23 different fuel or not comply with certain elements of
24 the fuel quality program does the staff get involved
25 with that decision? I mean I understand the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 commitments at this point in the game to require those
2 requirements, but I was just curious how the staff in
3 terms of the oversight process is involved with that.

4 MR. MAKAR: I'm not sure exactly how that
5 works. I think that is something open to our -- the
6 implementation of the quality assurance program is
7 open to our inspections on site.

8 CHAIR RAY: We have no control on --

9 MEMBER STETKAR: That's what I was going
10 to say. I was just curious.

11 MS. McKENNA: To briefly answer, Eileen
12 McKenna here, the section the availability controls is
13 in the DCD 16.3, which ends up in the COL FSAR through
14 the incorporation by reference, so then it is now part
15 of the FSAR and it is managed like other FSAR
16 commitments if they wish to change them, there's a
17 process they go through that.

18 MEMBER STETKAR: Okay, thank you.

19 MS. SIMMS: Are there any other
20 questions?

21 CHAIR RAY: Apparently not.

22 MS. SIMMS: That concludes our
23 presentation.

24 CHAIR RAY: Good. All right, we're down
25 to 11 minutes now, let me preview -- yes, please, go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ahead. You have to use the microphone and identify
2 yourself please.

3 MR. HIRMANPOUR: Bob Hirmanpour with
4 NuStart. Do we have time to address the temperature
5 question?

6 CHAIR RAY: Yes.

7 MR. HIRMANPOUR: Basically as I stated
8 before FSAR does not talk about the temperature
9 requirement. That temperature issue is one for the
10 periodic temperature monitoring. We don't have a
11 requirement for that. However as the input that I
12 mentioned earlier they do talk about taking the
13 temperature when you do sample for the new fuel. The
14 fuel that has been stored at -- again, it depends on
15 the type of the test. Solid test you do not need the
16 temperature, a solid test, like a cladding temperature
17 becomes important, because the temperature is too
18 high, you will not see any kind of flash droplets in
19 there.

20 CONSULTANT WALLIS: So is there a
21 requirement for the fuel in order for it to work in
22 the generator properly that it not get too cold?

23 MR. HIRMANPOUR: There is no requirement
24 in the FSAR, in the licensing basis to monitor for
25 that. However, when we do specify the fuel, which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the Grade 2D part of that, it requires that you
2 specify for the region of the country and all the
3 environment or conditions are considered.

4 CONSULTANT WALLIS: Year round?

5 MR. HIRMANPOUR: Year round, right, and
6 also your 92-day test.

7 MR. MAKAR: If I could add to that, one
8 of those critical parameters in Table 1 of that ASTM
9 D975 is a low temperature flow test, and that is
10 region-specific, to be worked out between the supplier
11 and user.

12 MR. HIRMANPOUR: And your periodic 92-day
13 sampling test, those are verified and include the
14 viscosity.

15 CHAIR RAY: Okay, I think that takes that
16 item off of our list.

17 Okay, we are going to resume at 12:45. It
18 will be closed session at that time, according to the
19 agenda, and we will go as long as we need to in closed
20 session. We will then take a break and we will have
21 an open session on Chapter 15.

22 Closed session means what I read in my
23 prepared remarks at the beginning of today, that
24 everybody in attendance must be in addition to the
25 ACRS and its staff and agency staff, must otherwise be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 under a confidentiality agreement with the applicants,
2 and so like I said we will begin promptly at 12:45
3 with that and go as long as we need to, and then take
4 a break this afternoon. We want to be sure that we
5 try to get everything that is valid to Chapter 15
6 covered during that time, and I presume we will.

7 Anybody, any member have any comments
8 they'd like to make before the break, either about
9 this morning? We will hold on to this issue of the
10 pipe break as illustrative, and perhaps also
11 warranting itself a further discussion. We had some
12 useful clarification I thought, but it's still a
13 little unsure how significant I think the subcommittee
14 members feel about our ability to revisit the
15 resolution regarding pipe break analysis or what is
16 the basis for proceeding beyond this point with the
17 licensing.

18 So we'll try and come back to that. But
19 we have a whole list of action items that we are
20 keeping track of now. They're grown over the three
21 meetings and they will probably grow a little bit at
22 this meeting too, and we want to go through to make
23 sure all the members are satisfied with the action
24 items we are working, and try and work them off as
25 rapidly as we can.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Okay, anything else? We will resume here
2 in closed session.

3 (Whereupon at 11:38 a.m. the above-
4 entitled session went into closed session to reconvene
5 in open session at 4:02 p.m.)

6 CHAIR RAY: GSI 191.

7 MR. DONNELLY: Yes, if I may, over here.

8 My name is Patrick Donnelly. I'm the
9 project manager for the Chapter 6 DC Review.

10 And there are two questions that we wanted
11 to clear up. We think they have been asked and we are
12 not sure if they've clearly responded to them.

13 The first is, is it possible to approve
14 the design of the sumps when the resolutions for
15 operating reactors as far as GSI 191, if that has not
16 been resolved, can we answer, or can we come to a
17 conclusion. And our response is yes, we believe that
18 we can.

19 And the second question that we are not
20 sure --

21 CHAIR RAY: Excuse me, is that the same
22 thing as saying this amendment application can be
23 approved without resolving GSI 191?

24 MR. DONNELLY: As far as operating
25 reactors, if GSI 191 hasn't been responded to for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operating reactors, can we come to a resolution for
2 AP1000? Does that make sense?

3 CHAIR RAY: I think that's what I tried
4 to say. I said, can we approve this amendment without
5 resolving GSI 191?

6 MS. McKENNA: I think the clarification
7 we're trying to make is, we have to resolve it for
8 AP1000; we don't feel we have to resolve it for the
9 rest of the reactors.

10 CHAIR RAY: I get it, but can we approve
11 this amendment without resolving it for AP1000? And
12 the answer is no. That's what I took away from
13 reading the SER also. Okay.

14 MR. DONNELLY: Okay. And if everyone is
15 okay with that, I don't know if we need to answer the
16 second question, which is, how can we do that.

17 CHAIR RAY: Well, just need to read
18 Section 6218 of the report, right?

19 MR. DONNELLY: Yes, right. So this will
20 be addressing GSI 191 in the Chapter 6 review.

21 That should be available this summer. We
22 intend to get it to you in June and then discuss it in
23 July.

24 CHAIR RAY: Okay, that does clarify the
25 issue, because we had hypothesized earlier that -- in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fact I think Ed agreed with my hypothesis that this
2 amendment could be approved without resolving GSI 191.

3 And in that context I meant it for AP1000. The
4 answer is no, it'll be resolved for AP1000. You and I
5 discussed this, Sanjoy, at some point. So we'll look
6 forward to that.

7 Okay, any comment from Westinghouse?
8 Okay, fine, let's proceed then with Chapter 15 SER.

9 MS. CLARK: I'm the project manager for
10 Chapter 15, I'm Phyllis Clark, and for the next hour
11 we are going to be discussing the staff's review of
12 the safety analysis and the radiological consequences
13 review.

14 Technical staff -- the technical staff
15 performing the review will be Gene Hsii, Tanya Ford,
16 Jay Li and Michelle Hart. They'll be discussing
17 different topics in the Chapter 15 review. These
18 items, the summary of changes, are listed on the next
19 several pages. The bolded items we'll discuss in
20 detail, we'll go through those. I'm not going to go
21 through and read them.

22 We'll go directly to the presentations.
23 Gene Hsii.

24 MR. HSII: The first item I want to talk
25 about is the power regime uncertainty. The certified

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 AP1000 DCD Revision 15, the design analysis assumed 2
2 percent uncertainty. The use of 2 percent power
3 uncertainty is conservative throughout that section
4 there.

5 All Chapter 15 design pieces continue to
6 use 2 percent, with the exception of large break LOCA.

7 And the best estimate of large break LOCA analysis
8 assume 1 percent.

9 The DCD does not provide an
10 instrumentation methodology used to determine this 1
11 percent, so we have RAI to Westinghouse. And in
12 response to the RAI, Westinghouse proposed to make it
13 a COL item. So the COL holder calculated the
14 parametric uncertainty after they selected the
15 instrumentation and basically confirmed that the
16 calculated value is listed in the numbers assumed in
17 analysis, that's 1 percent. So they should do it
18 before first load. And we think this is acceptable.

19 CONSULTANT WALLIS: I don't quite
20 understand why it matters, when they have now got 300
21 and something degrees by using ASTRUM. Does 1 percent
22 make any difference?

23 MR. HSII: No.

24 CONSULTANT WALLIS: Unless they want to
25 get closer later on by upping the power level. One

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 percent makes no difference to the PCT that is
2 significant.

3 MR. HSII: It makes some different, but
4 not significant degree.

5 MEMBER ABDEL-KHALIK: Do we have a rough
6 order of magnitude of how much difference a PCT, does
7 that change respond to?

8 MR. CUMMINS: I don't know. Do we have
9 any large break people still here? Jill, do you know?
10 I think it's a few degrees. I mean it's nothing,
11 nothing compared to 300 degrees. So it looks
12 inconsistent, but we were trying not to change more
13 things than we had to change. So Dan, can you say how
14 much 1 percent power would affect --

15 MR. GOLDEN: I would put it in the 10 to
16 20 degree range.

17 MR. HSII: So as of now, uses 1 percent
18 uncertainty verification is a COL item, but in the
19 last session Westinghouse mentioned that they might
20 change that to ITAAAC something. We have not received
21 this submittal yet, so we are not reviewing it.

22 MR. CUMMINS: Yes, well I think we are
23 submitting something to change it to an ITAAC.

24 MR. HSII: So the next one is the ADS
25 valve operating time change. I think we already talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 about that a while ago. Basically, they change the --
2 to get ADS-1 and ADS-4 activation time will be larger.

3 ADS-1 was actuated by CMD low one signal, and ADS-4
4 is by low two signal. And the delay time was changed
5 from 20 seconds to 30 seconds for ADS-1 and from 30
6 seconds to two seconds for ADS-4. And also the valve
7 stroke time is also changed too. As a result of this
8 change, we at the RAI asked Westinghouse to evaluate
9 the impact of Chapter 15 event. And since the primary
10 purpose of ADS was for a small break LOCA analysis.
11 So they evaluate several small break LOCA events, like
12 two-inch quarter break, DBI line break. The results
13 show not much difference except the ADS, the RWST
14 injections start earlier, because ADS-4 activation was
15 changed from 30 seconds to two seconds. So we can see
16 the difference in the IRWST injection times earlier
17 because the RCS exposure is earlier too, so that's
18 why.

19 MEMBER ABDEL-KHALIK: Has the staff done
20 any independent calculation to verify this third
21 bullet?

22 MR. HSII: No, we did not do any
23 independent calculation. Because the -- we did not do
24 that.

25 MEMBER ABDEL-KHALIK: And the basis for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that decision is what?

2 MR. HSII: Well, the code is already
3 approved for large break LOCA analysis. They used the
4 same code, so we did not spend time calculate --

5 MEMBER ABDEL-KHALIK: How do you account
6 for SB LOCA? The third bullet.

7 MR. HSII: The small break LOCA, yes,
8 it's not -- do the analysis.

9 MEMBER BANERJEE: I think his question
10 is, have you validated the effect is minimal based on
11 --

12 MR. HSII: The small break LOCA code?

13 MEMBER BANERJEE: Or you just accepted
14 it?

15 MR. CUMMINS: This is Ed Cummins. Just
16 to understand what we did. I can't comment on what
17 the staff did. So what we did was we tried to time
18 these out so we would have the same ADS pressure
19 versus time, and so in each line you have to open two
20 valves, so we opened the first one earlier and the
21 second one later, and so if we didn't do it we still
22 could adjust it even. I mean we were trying to adjust
23 it to get the same ADS profile, and I think we did a
24 good job and we can still play with it a little bit.
25 The real problem is, the valve opening, times in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 valves, is a little longer, so sometimes you start
2 them early, and that's what we're doing.

3 MEMBER ABDEL-KHALIK: Well, I'm just
4 trying to verify if the staff has done any independent
5 calculations to verify the correctness of what you
6 claim.

7 MR. HSII: No, we did not do that.

8 MEMBER BANERJEE: Do you have the tools
9 to do it?

10 MR. HSII: We have -- when we do AP1000
11 small break LOCA in design certification, we have that
12 code to do it. We did that at that time, we did the
13 verification.

14 MEMBER BANERJEE: So you have the decks
15 for the small break LOCA. But you didn't think you
16 needed to verify it?

17 MR. HSII: Well, because we were asked
18 not do the impact analysis, the evaluation and we
19 found out the impact is small, so we didn't bother
20 because the margin to accept the criteria is so large.

21 CONSULTANT WALLIS: It might, because I
22 did calibrate the abilities of a trace to use it from
23 time to time just to see how it correlates with vendor
24 codes.

25 MR. DONOGHUE: This is Joe Donoghue,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 branch chief again. Indeed, for future work that we
2 expect to get with the AP1000 we are getting trace
3 step developed. But for this review the judgment was
4 made that we thought that the margin was large enough
5 that the impact wasn't going to be a challenge to that
6 margin so we elected not to expend resources basically
7 trying to get that TRACE developed.

8 CONSULTANT WALLIS: But you are ready to
9 use it when you need it? You are ready to use TRACE
10 at a more appropriate time?

11 MR. DONOGHUE: We expect to be ready to
12 use TRACE when we need it for example for future
13 amendments.

14 MEMBER BANERJEE: Is TRACE, is it to
15 handle these situations, if you have to get an
16 amendment which includes the power of something, you
17 could do it?

18 MR. DONOGHUE: I expect that we'll be
19 able to do that. Research is still finalizing that
20 work for us.

21 MEMBER BANERJEE: We haven't seen a TRACE
22 applicability report.

23 MR. DONOGHUE: Right, that's exactly what
24 I'm saying, we haven't seen research complete all that
25 work for us.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BANERJEE: Okay.

2 MR. HSII: The next topic is the change
3 in source range flux doubling setpoint boron dilution
4 block. The source range flux doubling function is
5 used for protection against boron dilution event
6 during the shutdown operation. If the source range
7 flux increase and exceed the setpoint because upon
8 dilution, you trip the -- you initiate the isolation
9 of make-up valve to isolate the water from the
10 demineralized water storage tank. In the existing
11 version of the Chapter 15.4 dilution event that
12 assumes 1.6 in 50 minutes and in Revision 17 we
13 changed to 3.0 over 50 minutes.

14 The safety analysis in 1.4 dilution event
15 demonstrates that this is critical. So this is
16 acceptable. Maybe Tanya will talk about 15.4.

17 MS. FORD: Hi, my name is Tanya Ford, and
18 I'll be discussing the DCD Section 15.4.6, boron
19 dilution events.

20 The current design realigns the make-up
21 pump suction from the demineralized water tank to the
22 boric acid tank to restore shutdown margins. The
23 proposed change would close the make-up line and
24 demineralized water tank installation valves or trip
25 the make-up pumps to terminate the boron dilution

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 event as soon as possible.

2 And long-term recovery for this event will
3 then be accomplished in either a different flow path
4 or a smaller unpurged volume by using make-up line
5 after purging most of the un-borated water.

6 And Westinghouse along with this design
7 change has proposed several text and logic changes to
8 support this modification. These changes are also
9 consistent with DCD Section 9.3.6, which is the CVCS
10 Chemical Volume and Control System, and would mitigate
11 the boron dilution event even sooner.

12 Therefore the staff finds that this change
13 is acceptable, and there are no significant impacts to
14 the transient analysis currently in the design.

15 MEMBER ABDEL-KHALIK: Now the analysis
16 assumes that the rods are in manual; is that correct?
17 Or are the rods in auto?

18 MR. CUMMINS: This is Ed Cummins. I
19 don't know. I think all the rods are in the breakers.

20 (Simultaneous speaking)

21 MS. FORD: The next change is what Gene
22 was just mentioning let's not change the source range
23 doubling setpoint from a multiplier of 1.6 to 3.0 over
24 50 minutes. And this change is basically discussed in
25 Chapter 15. It's provided in Table 15.0-4A, and DCD

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Section 15.4.6 the change is actually just removing
2 this value from the text, and they are making the
3 statement that a sufficiently large increase defined -
4 - I'm sorry, it's making the statement that upon
5 detecting a sufficiently large flux increase.

6 So the change in this section is just to
7 remove the specific value, but the value that defines
8 sufficiently large is this 3.0, which is identified in
9 the table. Next slide.

10 MEMBER BROWN: Is the table referenced,
11 or is it just -- somebody has to know that?

12 MS. FORD: In the --

13 MEMBER BROWN: Kind of an editorial
14 question. It's just a number hanging out there.

15 MS. FORD: Right. I believe in the RAI
16 response that is where it is tied to that table. I am
17 not specifically sure if the text and the DCD
18 specifically points what sufficiently large is defined
19 as, to Table 15.0-4.

20 MR. CUMMINS: This is Ed Cummins. We're
21 trying to make this a setpoint that we can -- with a
22 basis. That's why they don't --

23 MEMBER ARMIJO: You want flexibility?

24 MR. CUMMINS: Yes.

25 MEMBER ARMIJO: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: I don't have any problem
2 with that. It's just that if it's going to be called
3 out in a table I would have just expected you'd change
4 the table if you want to change it some time. I was
5 just curious, that's all.

6 MS. FORD: And the final change in 15.4.6
7 is Westinghouse proposes to change dilution flow rate,
8 the RCS water volume, critical shutdown, boron
9 concentrations, and automatic protective actions
10 initiation times for modes three, four and five. The
11 RCS water volumes were recalculated using the latest
12 geometric data available, accounting for design
13 changes made up to this point. And these changes are
14 consistent with the tech spec, the DCD Section 9.3.6,
15 and the assumed conditions for the inadvertent boron
16 dilution event. And the staff finds these changes
17 acceptable.

18 MEMBER STETKAR: I think the rest of the
19 presentation is on large-break LOCA; is that correct?

20 MS. FORD: Yes.

21 MEMBER STETKAR: Let me see if I can get
22 a couple of things in quickly here before we end the
23 day. One of the items that changed in the DCD between
24 Rev 15 and Rev 17 was that Westinghouse deleted a
25 statement regarding the need to consider a failed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operator actions as an active failure. And the SER
2 discusses that item, and the only place in the safety
3 analysis where Westinghouse takes credit for operator
4 actions is to isolate broken sample line. And you
5 conclude that while because there are more than 30
6 minutes available, therefore the analysis is
7 acceptable, and you can take full credit for that
8 operator action.

9 I guess a question to the staff is, is
10 that consistent with the guidance that you are using
11 for new reactor licensing in other areas such as
12 control room designs, and the licensing of digital
13 instrumentation control systems where the guidance
14 says, we should now no longer accept a fixed time
15 window of 30 minutes or 20 minutes or any minutes that
16 a licensee should justify that the time available to
17 perform the action versus the amount of time that is
18 required to detect and actually perform the action was
19 some margin was acceptable.

20 MR. HSII: Our position is if you take
21 credit of operator action to identify how long you
22 have the time to identify the issue. You got to also
23 have operator training to really detect the event, and
24 then you got to go through the exercise to find out --

25 MEMBER STETKAR: Well, except in the SER

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 -- I hear you saying that here in the meeting, but in
2 the SER it says that you concluded that the assumed
3 operator action delay time of 30 minutes is acceptable
4 because it is consistent with the current operating
5 plant design basis analysis of a break in a small line
6 outside containment. So there is no discussion that
7 you looked at any justification for the amount of time
8 available, or the amount of time that is required.
9 You simply said, well, because we accept it for
10 currently operating reactors, we are going to accept
11 it for AP1000. And I thought we as an agency aren't
12 doing that anymore.

13 MR. HSII: Well, this evaluation was
14 performed during the design certification. The
15 conclusion of this statement is stated in the SER in
16 NUREG-1793 for AP1000.

17 MEMBER STETKAR: Except that Westinghouse
18 for some reason removed -- I'm not familiar, I wasn't
19 here during previous times, so you are saying that
20 they took credit for that 30-minute operator action
21 before, in other words, they didn't penalize
22 themselves for an active failure in the previous --

23 MR. HSII: They took credit of that and
24 we approved it in previous meetings.

25 MEMBER STETKAR: Okay, I understand,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thanks.

2 CHAIR RAY: Well, but still, John, the
3 provision, if it was being satisfied previously, is
4 being removed here, and then the question was asked,
5 well, wouldn't you rely on operator action? The
6 answer was to isolate this sample line is the only
7 place that we take credit for operator action.

8 But it seems to me like removing the
9 statement is more profound than simply asking and
10 answering that question.

11 MEMBER STETKAR: Well, it's my
12 understanding from what they said, though, that in the
13 certified design, Westinghouse did not consider that
14 as a failure. In other words Westinghouse did not
15 assume that the operator never isolated that line. So
16 that -- and the design was certified to those
17 conditions. Is that right?

18 MR. HSII: That's right.

19 MEMBER STETKAR: So I might feel
20 uncomfortable with it today, but if there is no actual
21 change from the previously certified design.

22 MR. HSII: No, there is no change.

23 MEMBER STETKAR: The other question that
24 I had is that this again is deletion of a statement,
25 and I'd like to understand how that affects the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 previously certified design. So the following
2 statement has been deleted from Rev 17. Conservative
3 passive RHR heat exchange or heat transfer
4 coefficients low associated with a low flow rate
5 caused by reactor coolant pump trip are assumed. And
6 that is removed. And in the SER it says, in addition
7 the applicant deleted conservative PRHR heat exchange
8 or heat transfer coefficient to provide more accurate
9 information consistent with the existing analysis of
10 the event.

11 Does that mean that the heat transfer
12 coefficients in the certified design were not
13 conservative, although the DCD said they were?

14 MR. HSII: I think Westinghouse already
15 discussed that. The reason they made these changes
16 was because -- the statement there is not consistent
17 with their analysis. That's why they remove it.

18 MEMBER STETKAR: I understand that the
19 analysis probably used best estimate heat transfer
20 coefficients. On the other hand the DCD stated that
21 they were conservative.

22 MR. HSII: Because they say that
23 statement is not consistent with their actual
24 analysis. So they just deleted it to make it
25 consistent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER STETKAR: Okay, have you thought
2 about whether the heat transfer coefficients that they
3 used are appropriately conservative. I mean you
4 accepted the old analysis and did some verification
5 that indeed they bound the heat transfer under those
6 conditions?

7 MR. HSII: We did not go back -- as far
8 as the analysis it didn't approve in design
9 certification and so we -- we only review the change.

10 MEMBER STETKAR: Okay, but my question
11 is, that I can sit here and write something and say,
12 this is conservative and put it in writing. And you
13 can read that. If you don't independently go back and
14 verify that the numbers that were used are
15 conservative or optimistic or best estimate and simply
16 accept my statement that it's conservative and base
17 your conclusion on that statement, that's one thing.
18 And if I now remove that statement, saying oh well, I
19 want to change my statement, they weren't really
20 conservative; they were really best estimate. Have
21 you gone back and really examined --

22 MR. HSII: No, we did not do that.
23 Because they did not do a new analysis.

24 MEMBER STETKAR: I understand that.

25 MR. HSII: So we did not review the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 analysis; that was already reviewed and approved in
2 full. So now what they are saying is, they go through
3 the documentation change, verification and final
4 statement why it's not consistent with the actual
5 analysis, so they delete. Right now this statement is
6 not correct, so they delete it. That is my
7 understanding.

8 MR. McDONALD: This is Allen McDonald
9 from Westinghouse transient analysis. The heat
10 transfer coefficients we used in the PRHR were
11 approved in WCAP. We used the approved correlation
12 for those heat transfer coefficients are not
13 necessarily biased conservative or, you know, based on
14 the analysis. We don't bias them one way or another.
15 That is addressed in other PRHR related heat transfer
16 parameters.

17 MEMBER STETKAR: Did the staff review
18 that WTAP and accept it?

19 MR. McDONALD: Yes.

20 MEMBER STETKAR: Okay. Thanks.

21 MR. HSII: And this evaluation was done
22 previously.

23 MEMBER STETKAR: Okay, thanks.

24 CHAIR RAY: Okay, well, I'm going to --
25 be careful of that microphone -- I'm going to go back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and revisit this question. We often find ourselves,
2 and I'll get to my second question, a case where this
3 applies evidently, and say, well, you can't do this or
4 you can't do that because it's part of the Rev 15 and
5 there is nothing being changed.

6 Now in the case of the paragraph that John
7 brought up, it seems like a simple straightforward
8 revision in the existing design certification. It
9 says: a single incorrect or omitted operator action in
10 response to an initiating event is also considered as
11 an active failure. The error is limited to
12 manipulation of safety-related equipment. It does not
13 include thought process errors that could potentially
14 lead to common cause or multiple errors.

15 Now that is a generic statement. It's
16 part of the Rev. 15 certified design, correct?

17 MR. HSII: That's right.

18 CHAIR RAY: So they want to take it out.

19 And so you ask the question, well, where do you take
20 credit for operator action, and the answer was as John
21 described. Only one place, and that's at the small
22 line break. Well, even if you are totally satisfied
23 with that answer which depends on the proposition that
24 a break in the sample line will be detected and
25 isolated within 30 minutes, even if you buy that idea

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and evidently that is also part of the certified
2 design, it's not clear to me why then you think well,
3 then, it's okay to take it out.

4 MR. HSII: Well, our reason is because
5 removing that statement does not affect their Chapter
6 15 analysis.

7 CHAIR RAY: For the licensing basis it's
8 a statement that the certification was made based on.

9 Why can't it -- why shouldn't it remain there? Why
10 take it out? Because it may be that you will in fact
11 rely on it at some point in the future where you say
12 well, you defined a single action failure this way,
13 and now your design was certified on that basis. I
14 find it troubling to go through this what to me is a
15 very cramped logic to remove what is a sensible
16 provision that was part of the certified design. I
17 don't see why --

18 MEMBER STETKAR: Except, Harold, it
19 wasn't part of the certified design, because if they
20 had applied that statement literally the certified
21 design could not have taken credit for the operator
22 manually isolating that line, because that would have
23 been the single act of failure. There's not any
24 automatic isolation.

25 So the certified design did not comply

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with the logic of that statement.

2 CHAIR RAY: Well, I guess I thought, John
3 --

4 MEMBER STETKAR: They had to take the
5 statement out to make the verbiage consistent with the
6 analysis that was done.

7 CHAIR RAY: I guess I thought that the 30
8 minutes was intended to -- for whatever length of time
9 as you said -- was intended as a compensation for the
10 active failure to identify and isolate the line.

11 MEMBER STETKAR: Single active failures
12 have no time limit on it, whether it's electrical or
13 mechanical or misplaced operator. In design licensing
14 space.

15 CHAIR RAY: Well, all right, but it
16 doesn't change my concern that it's a significant
17 provision in the certified design that is being taken
18 out. And I guess if the evaluation had said they
19 can't live with this and it's got to be removed for
20 that reason, and it's an unnecessary requirement and
21 so it's okay to take it out, I'd feel better than the
22 discussion that is here now.

23 MR. HSII: Because we find out that all
24 the events analyzed did not take credit for operator
25 action except for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIR RAY: Well, you didn't find that
2 out, you asked them and they said that was the answer
3 you got, but it doesn't necessarily mean that there
4 won't be some other provision identified later. To me
5 it's simply a significant global provision that if, as
6 you say John, they can't live with it, well, okay, I
7 guess there should be an exception for the sample
8 line. It's still a good idea to consider an active
9 failure to be an incorrect or omitted operator action.
10 That is my opinion.

11 MEMBER BROWN: Well, that's an
12 interesting point. Because if you -- I'm relating
13 back to the instrumentation stuff -- if you go look,
14 we're doing Reg Guide 1.62 right now, which is manual
15 operations for protective actions, and for diverse
16 backups, et cetera, et cetera. I think we're going to
17 be doing this for the full committee; we had a
18 subcommittee. And if you go look at IEEE 6034-1991 it
19 talks about you can have protective actions that rely
20 solely on operator actions as long as you meet some
21 other conditions. You have displays that are
22 available. The environment is not going to turn him
23 into a piece of toast in the interval in which he has
24 to do something. It does not address the time
25 available or time required. That's an issue that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will be discussing. And you have to meet independence
2 and single failure for the actions that you take. But
3 it never says anything about that single failure of
4 the operator. If the operator is the single failure
5 point, what do you do about that? It seems to apply
6 across the board for manually initiated operator
7 actions.

8 So if you look and they say they take
9 credit for it, forget about what the time is, it's
10 allowed, but nobody ever says once you depend on it,
11 you have to say there are two operators, one guy may
12 die but the other guy can go take the action within 30
13 minutes. It's somewhat of a dichotomy.

14 CHAIR RAY: Well, in this case they are
15 taking credit for this operator action, and they are
16 not considering a single active failure to be a
17 failure that would isolate the broken line.

18 MEMBER BROWN: But what is the
19 alternative? If the operator, if he's the primary
20 mode of protection for that issue?

21 CHAIR RAY: There may not be any
22 alternative in this case. I'm just saying, this was a
23 good requirement. It's part of the licensing basis or
24 the certified design basis as we sit here today, and
25 it's being taken out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: But if he does not act, do
2 they fail something?

3 CHAIR RAY: If he does not act?

4 MEMBER BROWN: If he does not take the
5 action within whatever the time period is that is
6 allowable, then you are supposed to go do something
7 else, you are supposed to do something automatically
8 if that happens. That's my understanding from reading
9 all the rest of the requirements, that you can only
10 take operator action if you can do these things within
11 the time available, time required, and you have
12 displays, et cetera, but we never throw that in. So
13 this is almost a circumstance where you can't comply.
14 If he doesn't take action and you have a failure,
15 what do you do?

16 CHAIR RAY: Are you arguing the case for
17 taking this out?

18 MEMBER BROWN: Yes, because you can't do
19 anything about it unless you want to go the next step
20 and install some automatic mode of protection which
21 meets all the other rules.

22 CHAIR RAY: I'm not sure I agree with
23 that. I mean I think for example if you are going to
24 have a line break outside containment, a guy doesn't
25 recognize that there is a line break and doesn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 isolate it, then there would be a radiation alarm or
2 something that would come in at some point that would
3 be a backup.

4 But we are spending too much time on this.
5 Really. Because I think you are saying they should
6 take it out --

7 MEMBER BROWN: I'm saying I understand --
8 I'm coming up with a reason why. Nobody gave a
9 reason. I'm trying to look back at the way we do the
10 rest of the stuff and say how we would have applied
11 this logic. I'm not saying it's right, I'm just
12 saying I would have applied -- they gave me no answer,
13 I'm giving you an answer. Whether we agree that it's
14 a good answer or not, we can go discuss that in a
15 gentlemanly manner.

16 CHAIR RAY: All right. I still don't
17 like taking it out. Yes.

18 MR. HSII: Because if you don't take it
19 out, then we would consider that as a single failure,
20 and then the assumption we will say, you have to
21 assume there were single failures in the analysis.
22 Then they cannot take operator action to isolate the
23 valve.

24 CHAIR RAY: The assumption here is that
25 the guy taking the sample says, oh, there isn't any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 water coming out of here any more. I must have a line
2 break and I'll go isolate it. That's what it says.

3 MR. HSII: Well, because they have a lot
4 of indications for the operator to realize there is a
5 line break there, so they isolate it.

6 CHAIR RAY: I know, but I'm saying, it
7 seems like a good design criteria.

8 I don't want to argue about this anymore.
9 I just think that you are taking something out of the
10 existing certified design that was a good provision,
11 and there may be cases where you need to have some
12 exemption, I don't know. But it says right here that
13 they will notice that there is a break in the line
14 because there isn't any sample flow anymore. Besides
15 that it releases radioactivity and you are going to
16 get area radiation monitor alarms and so on. Okay.

17 Now does that mean that the criteria can't
18 be met because only one guy can respond and isolate
19 this thing? No, and the provision as it's worded I
20 think is a good requirement. So that's my two cents
21 worth on that.

22 Now the other question here is on the --
23 there is a long legal argument here in 15.2.4.8.2
24 about Standard Review Plan Section 15.4.8, having to do
25 with the fact that we are beyond six months after this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 provision comes out and so on. I just had one
2 question: what if we weren't six months beyond? What
3 would have had to have happened here that isn't being
4 considered? Because you already have to consider the
5 reactivity effects of a rod ejection accident. What
6 else would have happened?

7 MR. HSII: If the design certification
8 was not --

9 CHAIR RAY: Not exempted. And it had to
10 meet 15.4.8, what would have been the consequence of
11 that?

12 MR. HSII: Okay, the analysis for the rod
13 injection uses form kinetics. There is a lot of
14 margin there. In the SER they already discussed they
15 have, if they use -- I think the existing acceptance
16 criteria is 280 calories per gram. The SER indicates
17 that, if they use 3-D calculations for this event,
18 they will probably meet it, okay. First you have to
19 answer a little bit more about it. Is it 4.2 --

20 CHAIR RAY: -- I'm just trying to find
21 out a simple answer to the question.

22 MS. McKENNA: I think a simple answer is
23 as Gene was saying is that our judgment is that if
24 they did the 3-D model they would meet the kind of
25 newer criteria, if that was a requirement on them that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they'd have to do the analysis to show what the
2 criteria was met and that's what would be different,
3 if it was within that six month kind of requirement.

4 CHAIR RAY: Okay, I also heard him say he
5 thought they would meet it.

6 MS. MCKENNA: Yes, but they haven't done
7 the analysis, a judgment based on the margin in the
8 calculation that was done.

9 CHAIR RAY: Okay, because I couldn't tell
10 in this long convoluted legal analysis of backfitting
11 rule and so on what on earth was not being done that
12 would have otherwise had to be done. Just an
13 analysis, 3-D analysis, okay.

14 Okay, it's quarter to 5:00, we better get
15 on. You're spinning the large break issue.

16 MR. HSII: With large break LOCA
17 analysis, in the certified DCD Revision 15 there is
18 the so-called CCQD method, best estimate, not
19 corporate analysis. In Revision17 they changed the
20 metric to ASTRUM. Next slide , talk about the
21 comparison between CQD and ASTRUM method. First, CQD
22 and ASTRUM method use the same computer code, use
23 WCOBRA/TRAC for a global thermohydraulic calculation
24 and use HOTSPOT for the local hot rod calculation.

25 CONSULTANT WALLIS: They use the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 code, and what's in the code is the same. There is no
2 change whatsoever? There is no change in the use of
3 an equation, that is changed because it is now used in
4 a different way? Is it exactly the same?

5 MR. HSII: Exactly the same code except
6 for the different version of the code.

7 CONSULTANT WALLIS: Well, what does that
8 mean?

9 MR. HSII: I talk about that later, we
10 talk about the applicability of that. The different
11 version is because in Revision 15 they used 2000
12 formulation of the WCOBRA/TRAC. Since then there are
13 a lot of code changes, you know. For every code
14 change it's required by 10 CFR 50.46 is a conforming
15 requirement, a code change or version, evaluation,
16 model change, that exceed 50 degrees, you've got to
17 report it within 30 days. If it is higher than 50
18 degrees you've got to enter it in your report. So
19 since then, since 2000 formulation there are a total
20 of 35 changes. Okay? And so the code itself is the
21 same WCOBRA/TRAC except for this modification.

22 (Simultaneous speaking.)

23 CONSULTANT WALLIS: The modifications
24 make no difference; is that correct?

25 MR. HSII: Well, we talk about the code

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 modifications.

2 CONSULTANT WALLIS: Because it's been
3 modified. It's not really the same code, is it?

4 MR. HSII: Well, no.

5 CONSULTANT WALLIS: So the argument that
6 they used the same code really isn't solid?

7 MR. HSII: Well, from a big picture, they
8 used, for instance, in CQD that now CQD method, in
9 Revision 15, there is 2000 formulations of
10 WCOBRA/TRAC. In ASTRUM method -- when NRC review
11 ASTRUM method and approve it in 2004, the rate of some
12 change from using in 2000 formulation and 2004, those
13 have been reviewed, okay. Now we are using a newer
14 version of WCOBRA/TRAC and that has no change since
15 2004 CQD -- I mean 2004 ASTRUM method approved. And
16 so we reviewed the change, too. We see how much
17 impact it is on this change. So basically the
18 fundamental codes --

19 CONSULTANT WALLIS: The impact depends on
20 how it is used, and it might be that in order to use a
21 statistical method that you had to use a slightly
22 different formulation in order to make it a best
23 estimate value which could then have uncertainties
24 about it in order to fit the ASTRUM method in a way
25 which was not used before the CQD, I don't know. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is there any specific changes made in order to make it
2 suitable for use with ASTRUM? Because of the way in
3 which ASTRUM operates?

4 MR. FREPOLI: This is Cesare Frepoli of
5 Westinghouse. As part of submitting the ASTRUM to the
6 NRC, we made an attempt -- we actually have an
7 Appendix B that became 16009 which includes what we
8 call a revalidation of the code, a partial
9 revalidation of the code. That was reviewed by the
10 staff. The intent of that validation was kind of to
11 clear the history of all the code changes that we
12 accumulated over the years up to Rev 6, and that was
13 presented, so we selected some significant changes, we
14 didn't do a formal revalidation, but the significant
15 one has been repeated to show that the code was
16 performing essentially the same. So it's not
17 identical mathematically but it is essentially the
18 same. And that was the newest part of the ASTRUM
19 methodology and approved by the staff.

20 CONSULTANT WALLIS: That was some time
21 ago, right?

22 MR. FREPOLI: This, we got the ACR in
23 2004.

24 CONSULTANT WALLIS: And there were no
25 specific changes made for AP1000 for this meeting?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FREPOLI: There were no specific
2 change made for the AP1000.

3 MR. HSII: And since 2004 they got more
4 change too. We got the reporting requirement, all the
5 changes there. And since 2004 there is another 16
6 changes.

7 CONSULTANT WALLIS: So what you put into
8 ASTRUM has to be a best estimate code, so what you
9 have to make sure it seems to me is that you are not
10 using some old conservatism or some old treatment of
11 the physics which is not suitable for best estimate
12 use. That's the only thing that might concern
13 somebody. So the code is constructed so it's
14 strictly a best estimate code now.

15 MR. FREPOLI: It is what we referred to
16 before as better estimate because we have some --

17 CONSULTANT WALLIS: It doesn't have the
18 old conservatisms and things in it?

19 MR. FREPOLI: No, it doesn't.

20 CONSULTANT WALLIS: This is why you
21 gained some 100 and some degrees.

22 MR. FREPOLI: Right.

23 CHAIR RAY: Okay.

24 MR. HSII: So basically CQD method and
25 ASTRUM method used the same thermohydraulic code. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 other difference in the CSAU method -- they might use
2 the same CSA methodology, both methods, and in CSAU
3 methodology there are some three steps. The first two
4 steps are related to the code application assessment
5 kind of stuff. Element three is the treatment of
6 uncertainty. So the only difference between CQD and
7 the ASTRUM method is element three, how you treat
8 uncertainties. And in the CQD they use response-
9 service method, and in ASTRUM method they use all the
10 statistics -- parametric, all the statistics. That is
11 the only different. And both CQD and ASTRUM method
12 has been approved by NRC.

13 CONSULTANT WALLIS: I think one of
14 Sanjoy's concerns was approved by NRC for what? Has
15 it been approved for use with AP1000?

16 MR. HSII: The ASTRUM method has been
17 approved every BWR. And this is the first time we
18 have -- they tried to use it for AP1000. So when they
19 approve ASTRUM in 2004 it did not specifically say --

20 CONSULTANT WALLIS: Let me ask you if I
21 may, when you approve something like ASTRUM for a new
22 use, it's sort of established in use, right? It's a
23 method which makes sense. But if you approve it for a
24 new use, what do you look for, just to check to see
25 that it's still okay? What sort of things do you look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for?

2 MR. HSII: We know that the code is
3 applicable to AP1000 WCOBRA/TRAC or HOTSPOT.

4 CONSULTANT WALLIS: But the range of
5 parameters --

6 MR. HSII: That's right. So when you
7 look at the code, see if the code is applicable for
8 AP1000.

9 CONSULTANT WALLIS: You answered one of
10 the questions. Does it apply to the range of
11 parameters in the AP1000?

12 MR. HSII: Yes, and as far as the
13 difference between the ASTRUM and CQD method is in the
14 statistics part. And our argument is the treatment of
15 uncertainty, statistic method, is independent of the
16 physical system. So the method applicable for the
17 AP1000, from the point of view of statistic.

18 MEMBER BANERJEE: So let me ask you a
19 question. When they did this analysis previously,
20 they used the same code, the same way, and they did
21 sort of a linear analysis with an uncertainty. Was
22 the uncertainty the penalty they put on for
23 interactions between parameters, was that 200 or 300
24 degrees Fahrenheit? Because in a way that's exactly
25 what determined. It was 200, 2,150 before. Now it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 200 degrees or more below. And this is just the
2 penalty for the interaction in the nonlinearities
3 between parameters? It seems a bit extreme.

4 CONSULTANT WALLIS: Is it because the
5 response surface is more of an envelope of everything,
6 and the statistic thing looks at everything
7 underneath.

8 MEMBER BANERJEE: It seems like sleight
9 of hand. I am very suspicious of this whole thing.
10 How is it possible that --

11 CONSULTANT WALLIS: Maybe the response
12 surface shows, instead of it being 95/95 is 99.9999,
13 maybe it's way out on the tail of everything.

14 MEMBER BANERJEE: I find it hard to buy,
15 really. I mean physically I just don't see where you
16 gain this much of a nonlinear interaction.

17 MR. HSII: I think this question --

18 MEMBER BANERJEE: Have you sort of
19 validated this in some way?

20 MR. HSII: No, we look at the method,
21 it's approved.

22 MR. FREPOLI: It's approved, so what?
23 There is some mystery in applying ASTRUM in operating
24 plant. So we did like -- I don't know, many, more
25 than a decade for sure. What we found is that there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 was -- in some cases we had like analysis that we did
2 in the past back in the late 90s on the, with the CQD,
3 and we had to re-perform with the ASTRUM. And it was
4 quite consistent that we could gain some margin in
5 PCT, particularly, and it varies from design to
6 design. But it could be 100, 200, sometimes even 300
7 degrees.

8 MEMBER BANERJEE: So this is just part of
9 the penalty that you have?

10 MR. FREPOLI: It's hard to have like an
11 apple-to-apple comparison, but sometimes you have like
12 if you have a small uprate you can judge it, it is
13 very similar, so where the difference is coming from.

14 The thing in there with the response surface was that
15 the superposition stat was an additional eight cases
16 which we were running without the COBRA/TRAC. Then
17 you were performing a regression from those eight
18 cases, and look at the variability around the
19 regression. So you really have a very small database,
20 and then we are asked to bound that linear effect.
21 And for some plants, that stack could drive an
22 additional 300 or 400 degrees on the top of what's
23 coming out from the linear stuff, we could Monte Carlo
24 something out of the response surface. So it's not
25 surprising that with ASTRUM by eliminating the stuff,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there is some gain there.

2 MEMBER BANERJEE: But the penalty is off
3 the error of 200, that's what you're saying?

4 MR. FREPOLI: Yes, we have many plants
5 that were similar enough to see that similar behavior
6 as far as the gain that's computed through ASTRUM.

7 CHAIR RAY: Well, maybe I don't
8 understand tails, but to me it's not surprising at all
9 if you chop the tail off a 95/95 distribution you are
10 going to get a big --

11 CONSULTANT WALLIS: Sometimes those tails
12 go out a long way.

13 CHAIR RAY: You're darn right. You're
14 the expert and I'm the layman.

15 MEMBER BANERJEE: No, I'm not an expert
16 at statistics. I like deterministic stuff.

17 CONSULTANT WALLIS: The interesting
18 question is why should it be 95/95, and not 99/99.

19 CHAIR RAY: I know, I circled that, but
20 I'm not qualified to ask the question.

21 CONSULTANT WALLIS: ASTRUM at least it
22 has the virtue that you understand what's going on.

23 CHAIR RAY: I do?

24 MEMBER BANERJEE: You do.

25 CHAIR RAY: I have my own explanation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and it's that we chopped off the tail.

2 MEMBER BANERJEE: It makes sense.

3 CHAIR RAY: But when you walked in,
4 Graham, you were asking a question. Are you done?

5 CONSULTANT WALLIS: I was just waiting
6 for Sanjoy.

7 MEMBER BANERJEE: If I associate
8 different calculations, I can have very different
9 tails, right?

10 CHAIR RAY: Yes, I mean your point --

11 MEMBER BANERJEE: The sensitivity of the
12 tail is very important.

13 MEMBER STETKAR: With the Monte Carlo
14 analysis you test for --

15 CONSULTANT WALLIS: But the speed of
16 regulatory decisions, you go with 95/95, we know that
17 chops off the tail. Until they change the regulatory
18 decision, I guess we live with that. So that's the
19 way it is.

20 CHAIR RAY: That's the way I would think
21 about it, but again I'm not qualified.

22 MEMBER SHACK: Well, let's put it this
23 way. Let's do 95/95 for a large break LOCA; for as
24 small break LOCA which has a much higher chance of
25 happening, you might well want to make it some other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 number. But this into the 95/95 is the fact that
2 large break LOCAs just don't happen all that often.

3 CONSULTANT WALLIS: So if AP1000 -

4 (Simultaneous speaking)

5 CONSULTANT WALLIS: -- small break LOCA
6 was the key thing, do you want to change the way you
7 do that? If it's the large break LOCA that matters.

8 MEMBER SHACK: I don't have a best
9 estimate small break LOCA yet. And when they bring a
10 small break LOCA in we will have that discussion. At
11 the moment they probably are at the 99/99 because they
12 are using bounding analysis on the small break LOCA.

13 CONSULTANT WALLIS: Do the large breaks
14 cover a range of sizes?

15 MEMBER SHACK: Well, one foot is still a
16 --

17 CONSULTANT WALLIS: A foot.

18 (Simultaneous speaking)

19 CHAIR RAY: Okay, it's 5:00 o'clock. Let
20 me try and press on. But before we do, because people
21 here may leave before we get absolutely done done, who
22 are planning to come back tomorrow, let me say that
23 the NRC has put out a notice to employees that the
24 National Weather Service has posted a winter storm
25 warning for this area due to snow expected tonight

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 through tomorrow morning.

2 So in consultation with the full committee
3 chairmen here, we decided that we will start at 10:00
4 and end at 5:30 tomorrow. Instead of 8:30 we'll start
5 at 10:00. The reason is that this admonishes
6 employees of the NRC to take notice of the warning and
7 drive slowly to work, or don't come to work, or
8 whatnot.

9 (Comments off the record)

10 CHAIR RAY: And so because of that bring
11 a sack lunch and we will have a shortened lunch break
12 as well.

13 But anyway in all seriousness it seems
14 like a reasonable thing to do, given what little we
15 know, that those of you like Member Brown here who
16 have to drive across the Potomac River to get here be
17 given a little more time, or perhaps he will need to
18 take the Metro in that circumstance.

19 (Comments off the record)

20 CHAIR RAY: All right, let's push on.
21 This is not the last agenda topic we have today, and
22 so we've got to keep moving.

23 MR. HSII: Okay, so the next slide is
24 what's really new? In support of this large break
25 LOCA analysis in DCD Revision 17, it's now submitted a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 technical report. The application of ASTRUM is about
2 best estimate large break LOCA analysis. And that
3 technical report provides a detailed description of
4 the analysis and a lot of relevant information. So we
5 used that technical report as our basis to do a
6 review. Our review was performed with technical
7 assistance from ISL, Mr. Ed Throm, who is here today.

8 He helped us perform a detailed review.

9 Basically what we reviewed is, we reviewed
10 the applicability of WCOBRA/TRAC and HOTSPOT for
11 AP1000, as I mentioned awhile okay, the WCOBRA/TRAC
12 and HOTSPOT was already approved, CQD was Revision 15.

13 We reviewed the changes since then, since 2000, the
14 version of 2000 that was used in Revision 15.

15 Now all the changes since then we look at
16 it. The next review we did is the WCOBRA/TRAC
17 nodalization model for AP1000 analysis. And look at
18 the ASTRUM applicability to AP1000 large break LOCA,
19 the application of ASTRUM to AP1000 large break LOCA,
20 and the result.

21 MEMBER BANERJEE: Did you do anybody
22 staff validation or verification or confirmatory
23 analysis? Didn't do any confirmatory analysis at all?

24 MR. HSII: No, because the code has been
25 reviewed before, and we only look at the changes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the code. And in the validation -- Westinghouse did a
2 validation using the CGTF and UPTF, again to validate
3 the code. We look at code. We didn't do an
4 independent validation.

5 MEMBER BANERJEE: Did you have a code you
6 could use for independent checks?

7 MR. HSII: We have the RELAP5 model code
8 and TRACE code I think is available now.

9 MR. DONOGHUE: That is still under
10 development and research. But again we were in a
11 position where we were looking at a DCD revision, and
12 we looked at the changes and made a judgment that
13 wasn't necessary to do the confirmatory analysis for
14 these changes. Because the nature of the changes and
15 the margin that they have.

16 CONSULTANT KRESS: ASTRUM has to sample
17 from a probability distribution parameters. Did you -
18 - how do you go about deciding whether that
19 probability distribution is the right one?

20 MR. HSII: We follow the same methods
21 approved in ASTRUM method. The uncertainty position
22 is described in that technical report, and I think Mr.
23 Throm look at it and compare that with the ASTRUM
24 method, see if they are consistent. The
25 distribution, you look at those.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. THROM: My name is Ed Thom.
2 Basically the distributions were identical to those
3 previously approved except for one which was noted in
4 one of the change notifications, as a result of an
5 error in the analysis of a test there is a blowdown
6 heat up uncertainty that goes into HOTSPOT. That had
7 to be modified on its distribution because of the
8 error in the test. So that distribution was modified;
9 it's a different distribution.

10 The point with any of the changes that got
11 made to either WCOBRA/TRAC or HOTSPOT would be
12 independent of whether you were using CQD or ASTRUM.
13 You are making sure that the thermal hydraulic codes
14 are being corrected when errors are found.

15 Again the ASTRUM methodology is just a way
16 of -- let's you deal with the results from the codes,
17 from the statistical approach.

18 So when we say that they are the same
19 codes, they are essentially the same, but as things
20 progress you find errors, and you need to fix them, so
21 there are some small changes between the code that
22 would have been approved for Version 15 and the one we
23 are now looking at on Version 17. But regardless
24 those changes would have had to have been made, and
25 they also affect operating plants as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Otherwise the distribution is right then
2 according to what was approved when basically
3 WCOBRA/TRAC was approved for use in the statistical
4 approach.

5 CHAIR RAY: Okay, proceed please.

6 MR. HSII: So we reviewed the
7 applicability of WCOBRA/TRAC and HOTSPOT for AP1000,
8 and as I mentioned awhile ago, we look at the changes
9 since 2004, 2000, but since WCOBRA/TRAC was reviewed
10 in 2004 when we approved the ASTRUM. So we only look
11 at the recent -- the change since 2004. And there are
12 a total of 16 changes since 2004. A majority of those
13 changes are so-called discretionary change. It does
14 not impact on it. So there are only four changes that
15 are applicable in nondiscretionary change.

16 CONSULTANT WALLIS: By discretionary you
17 mean it doesn't change something like a heat transfer
18 correlation? It changes some minor thing?

19 MR. HSII: Minor some change, but the
20 impact is small. Westinghouse already look into that
21 and find out those changes have minimal impact.

22 MR. THROM: When you look at the changes,
23 some of the changes that got reported for example were
24 we changed with one of the applet file which, you
25 know, we changed the code, and it had no impact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whatsoever. Whenever a change is addressed under
2 50.46, they tell you where it is and they do an
3 assessment to determine whether or not it would have
4 impacted either the validation base or current
5 licensing analysis. For the most part except for the
6 two changes that required the one to modify the
7 blowdown heat transfer distribution multiplier, and
8 the one for the HOTSPOT fuel relocation, of course
9 they have an impact on the results.

10 The other two changes that were made to
11 the code were discretionary, and they were just a
12 different way of defining how you would calculate or
13 predict when the end of blowdown occurred, because
14 it's a point you need to go into the HOTSPOT analysis.

15 But again all the changes that get done are across
16 the board for the PWR fleet. We elected to four of
17 them are related to the AP1000, basically the two that
18 would be different in the code from Version 15 to
19 Version 17 are the heat transfer correlation and the
20 flex to the fuel relocation.

21 MR. HSII: So we look at those four
22 nondiscretionary changes, and Ed, do you want to
23 continue about these four discretionary changes?

24 MR. THROM: Well, no, two of the changes
25 were discretionary as I pointed out. They used to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 define the end of blowdown as when the pressure got to
2 40 psi, and then they decided to redefine it as when
3 the pressure is no longer decreasing. And then the
4 last change was made in 2006 when they said, well we
5 are going to define the end of blowdown as the time
6 when the collapsed level in the lower plenum reaches
7 its minimum value, and you are basically starting into
8 a refill situation. So they are just numbers that are
9 in the automated process of taking the data from
10 WCOBRA/TRAC and transferring it into the HOTSPOT
11 calculation.

12 The other two nondiscretionary changes
13 again were the heat transfer correlation and the
14 HOTSPOT fuel relocation error. Otherwise the rest of
15 them were basically things like input-output files
16 where they only addressed certain operating plants, or
17 in one case it was -- we forgot to upgrade and tell
18 you we were actually using Incanel data in the code.
19 So most of them are really benign from the perspective
20 of what gets done. Most of them are discretionary,
21 and assist Westinghouse in either automating or
22 processing, transferring information, or in the way
23 that the data goes into or is taken out of the code.

24 CHAIR RAY: Okay.

25 MR. HSII: Another thing we look at is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the WCOBRA/TRAC validation using the CCTF and UPTF
2 data. You look at the AP1000 master LOCA PIRT. One
3 of the unique AP1000 features is the injection, and
4 given for AP600 and AP1000, before they use the CGTF
5 and UPTF data to verify AP1000 and the same process is
6 in here again for the revised version. And the result
7 is almost identical. There was not much change.

8 And we also reviewed the WCOBRA/TRAC
9 nodalization.

10 MEMBER BANERJEE: But going back to the
11 comparison with AP600, AP600 had a lower energy
12 density in the core, right, than AP1000. So it's
13 consistent with the AP600 validation. What did you
14 have specifically for the AP1000 in terms of
15 validation? Was there material that was -- tests or
16 whatever?

17 MR. HSII: Ed, can you answer on that?

18 MR. THROM: The specific validation we
19 are talking about here is with the current version of
20 the code, the codes that exist today. We asked
21 Westinghouse to reconfirm that the way the code is
22 still treating the DVI line hasn't changed. What was
23 done in the AP600 the cylindrical core test and the
24 upper plenum test facility were used to evaluate the
25 DVI, and basically to evaluate the end of bypass

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conservatism that is more or less inherent in the
2 code.

3 But because their workload changes, we
4 requested Westinghouse review those validations of
5 those two tests to make sure that nothing happened in
6 the code that was unexpected in terms of the
7 performance of the DVI plant.

8 MEMBER BANERJEE: Were there any integral
9 effect, integral tests done for AP600, validations?

10 MR. THROM: I can't remember; that's
11 quite some time ago.

12 MEMBER BANERJEE: Was ROSA --

13 MR. THROM: Yes, I believe the NRC had
14 something --

15 MEMBER BANERJEE: So what was the energy
16 density in ROSA?

17 MR. THROM: I can't answer that.

18 MR. FREPOLI: Cesare Frepoli,
19 Westinghouse. Just go back to the approach that we'll
20 be taking with the 600 and 1000. Large break is the
21 same, or very similar, to regular BWR. So our
22 integral effect test facility provided it in the code
23 as being LOFT for BWR, and so that's how --

24 MEMBER BANERJEE: Were there any lab
25 break tests done on LOCA or on ROSA?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FREPOLI: We didn't look at those.
2 And again the premises were --

3 MEMBER BANERJEE: But you are injecting
4 in a different place, right? You're not injecting in
5 the cold leg?

6 MR. FREPOLI: No, and in fact to look at
7 the effect of the DVI the test selected was the full
8 scale or live scale test facility like UPTF and CCTF.

9 And again the assumption there is that conditionally
10 AP1000 and BWR are very similar from a large break
11 LOCA standpoint.

12 MEMBER BANERJEE: I think qualitatively
13 what you are saying is right, but there are a lot of
14 detailed differences, like in LOFT for example there
15 was a lot of bypass if I remember. So if you look at
16 the details of these things, they are different. So
17 I'm wondering, were there any integral tests? My
18 impression was that there were some comparisons at
19 least with RELAP. I remember this with ROSA. But was
20 there any integral test comparisons with that
21 COBRA/TRAC?

22 MR. FREPOLI: This goes back to the work
23 that we did the AP1000 design certification, would
24 look at the PIRT, we identified it was close enough,
25 and so LOFT was still applicable, and that's how the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 design got certified.

2 MEMBER BANERJEE: Based on LOFT?

3 MR. FREPOLI: Essentially based on LOFT,
4 yes.

5 MEMBER BANERJEE: With rewetting
6 thermocouples.

7 MR. CUMMINS: This is Ed Cummins. I
8 believe that, on large break LOCAs, we all agreed a
9 couple of times, AP600 and AP1000, that the large
10 break was really out of the accumulator for the
11 vessel. And it's not an integral effect. It only is
12 the accumulator and the vessel. So how do you model
13 the break and how do you model the accumulator. And
14 that is the same as we do with our current operating
15 plants, and although the phenomena are the same and we
16 didn't have any PIRTs that were AP1000-specific, and
17 we didn't have any models that were AP1000-specific,
18 so all of our tests concentrated on small breaks where
19 we had lots of differences for make-up tanks and PRHR
20 heat exchangers and IRWSTs.

21 MEMBER BANERJEE: But you are not
22 injecting into the -- I mean you are not injecting at
23 the same spot. Your breakers --

24 MR. FREPOLI: That was identified in PIRT
25 by looking at --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: It was not important?

2 MR. FREPOLI: You know, the CCS bypass
3 and impact on DVI rather than cold-leg injection. And
4 that has been addressed with UPTF that provided tasks.

5 There is a special test with the DVI injections.
6 Those were the bases -- those were in addition to
7 regular PWR that is used for an AP1000 and AP600, and
8 the staff required us to redo this when we worked with
9 the new version with the code. We showed that the
10 results were the same.

11 MEMBER BANERJEE: So this is basically
12 relying on Version 15, whatever was there is the same,
13 whatever we had proved at that point?

14 MR. FREPOLI: That is correct.

15 MR. HSII: So we also review the
16 WCOBRA/TRAC nodalization model. The WCOBRA/TRAC
17 nodalization model is essentially the same as the
18 model previously used in Revision 15 except for the
19 inclusion of some design changes. The nodalization
20 include the verification model. This model is
21 essentially the same as previous one except for the
22 change in pressurizer dimension. And the activation
23 model is also the same except for the internal change
24 that was the radial support key, the flow skirt and
25 neutron panel attached to the outside of the core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 barrel. So we look at those nodalization model. In
2 addition we also look at the -- there was a limitation
3 when we review the AP600, the nodalization. The SER,
4 AP600 SER imposed a limitation that says, if the --
5 during the blowdown exceed 1725 degree Fahrenheit, the
6 applicant is to evaluate the sensitivity of CMT and
7 passive RHR, and that they will ensure the sensitivity
8 to be small.

9 Next one is the applicability of ASTRUM to
10 AP1000 large-break LOCA analysis. The ASTRUM method
11 has been approved for the current operating PWRs, and
12 we think the uncertainty-treatment methodology is
13 implemented independent of physical systems being
14 modeled, so we think it is applicable to AP1000.

15 CHAIR RAY: Okay, and that of course is a
16 central question that we discussed earlier. We need
17 to be mindful of the fact that it is now 5:30.

18 One of the things that I think may be
19 useful, Weidong, is if we can get the report, I
20 presume a consultant report, that staff is basing
21 these statements that they are now making on, that may
22 quickly get us to where we need to go.

23 MR. WANG: Are you talking about the
24 technical report?

25 CHAIR RAY: No, I'm not talking about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Westinghouse technical report. I assume the staff has
2 gotten some report from their own consultant?

3 MR. HSII: The next one that you said,
4 the application of the ASTRUM method to AP1000, the
5 ASTRUM large break LOCA analysis is used to calculate
6 three parameters: PCT, maximum local oxidation and the
7 core-wide oxidation. By this non-parametric method in
8 ASTRUM -- it requires 124 runs. So that's what it
9 does; it runs 124 cases of WCOBRA/TRAC and HOTSPOT.
10 So for each run this uncertainty contributors is
11 randomly sampled, and input into WCOBRA/TRAC. And the
12 result of that WCOBRA/TRAC is get input to HOTSPOT
13 through LOCA model calculations.

14 MEMBER STETKAR: Does that -- I hate to
15 ask this, and perhaps that information is available in
16 the report that Harold just asked for -- the selection
17 of 124 runs must be based on some type of Monte Carlo
18 convergence process. Is that correct?

19 MR. HSII: It's the same method they used
20 in ASTRUM method for the operating plan. It's
21 described in WCAP-16009. It's formally submitted.
22 There is nothing special for AP1000.

23 MEMBER STETKAR: Okay, thank you.

24 MEMBER ARMIJO: I have a question that is
25 for the staff, and maybe for Westinghouse. If you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 applied the ASTRUM methodology to the DCD Rev 15 as is
2 with no changes in the designs, how much would the
3 peak clad temperature have been reduced? To me that
4 is a central thing. If it was reduced to a similar
5 extent, it's all the same thing.

6 MR. CUMMINS: Essentially the same
7 answer.

8 MEMBER ARMIJO: Same answer? Okay. It
9 is largely design changes.

10 MR. CUMMINS: Didn't have any affect on
11 it really.

12 MEMBER ARMIJO: We're just talking about
13 the use of ASTRUM to something that hasn't changed
14 very much. So I understand it now. Thank you.

15 MR. HSII: In the uncertainty used in
16 ASTRUM is essentially the same as was used in CQD
17 method in Revision 15 except for the parametrics and
18 uncertainty is the 2 percent, they changed to 1
19 percent.

20 For the uncertainties of the initial
21 conditions, boundary conditions, and furthermore there
22 was input into WCOBRA/TRAC analysis, and also include
23 the -- which type, which area, critical flow model, in
24 WCOBRA/TRAC.

25 In doing the analysis, there is some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 parameter that is set to a bounding value, and it was
2 determined by the sensitivity study. For instance,
3 they determined how many percent of steam tube
4 clogging. Whether the loss of off-site power is more
5 conservative or the off-site power is available is
6 conservative. It's all going through the sensitivity
7 study to determine what would be the bounding case.
8 We also checked the range of parameters compared with
9 tech spec LCO; that's what we did, too.

10 CONSULTANT KRESS: When you choose a
11 conservative bounding value for some parameter, what
12 does that mean? Do you have a distribution, you
13 choose the 95 percent level?

14 MR. HSII: Only the major ones. For
15 instance, they did a sensitivity study to determine
16 whether off-site power is available -- or not
17 available, and to determine what outside power is
18 available is not limiting. So that would be the
19 assumption.

20 CONSULTANT KRESS: I can understand that.

21 MR. HSII: And then determine what is the
22 limiting single variable, use that as extension, so
23 you don't have to do it for the staff.

24 CONSULTANT WALLIS: So these are really
25 yes-no questions rather than bounding values.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CONSULTANT KRESS: That's what confused
2 me.

3 MR. HSII: So the reserves show that the
4 PCT is 18-37 degrees less than permitted 200-degree
5 criteria, and here is a typo here. It says LCO; it's
6 local -- so isn't that supposed to be M-L-O, maximal
7 local oxidation, it's 2.25 percent. It's 17 percent
8 of acceptance criteria. And core-wide oxidation is .2
9 percent, less than 1 percent.

10 Coolable geometry, long-term cooling are
11 not affected by ASTRUM method. So the conclusion is
12 that the ASTRUM analysis show that large break LOCA
13 complies with 10 CFR 50.46 criteria.

14 MS. CLARK: So therefore staff concludes
15 that the AP1000 DCD Revision 17 provides reasonable
16 assurance that we provide adequate protection for the
17 design basis events, meeting the acceptance criteria
18 specified in GDC 10 CFR 50.46.

19 MEMBER ABDEL-KHALIK: I have a question
20 about the 1 percent uncertainty. Well presumably the
21 COL applicant will have to demonstrate that their
22 power balance measurements can conform to that
23 requirement. By the same token we have to do the
24 calibration between the power range instrumentation
25 and the energy balance measurements on a daily basis,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and there is an expected drift of .4 percent. At
2 least that's what you estimate, and you will tell us
3 some time in the future where that number comes from.

4 Now why don't the analyses also include
5 the drift? In addition to the 1 percent uncertainty
6 in the energy balance measurements?

7 MR. CUMMINS: Ed Cummins. I'm going to
8 tell you what I think; I'm not sure on this. I think
9 that if you treat this the same way the current plants
10 treat their ultrasonic flow measurements, they -- I'm
11 not sure if they check their ultrasonic against their
12 normal venturi flow, then it's periodically once a
13 month, not once a day for sure. And I believe some of
14 this drift is drift in the setpoint, and what you are
15 getting is a setpoint study, and they are very
16 conservative, and they say well, all that 8 percent is
17 going to be -- if I want to trip at 120 percent power,
18 then I have to subtract 8 percent from it to make sure
19 I trip by 120. It's not really a measurement of
20 power.

21 MEMBER ABDEL-KHALIK: I understand that.
22 But if we are recalibrating the nuclear
23 instrumentation on a daily basis, because we expect
24 that there will be a difference between what the
25 nuclear instrumentation indicates and what the energy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 balance, the real measurement, presumably, of what the
2 output of the reactor is, we are not controlling this
3 plant using the energy balance measurements. We are
4 controlling it using nuclear instrumentation.

5 MR. CUMMINS: Yes.

6 MEMBER ABDEL-KHALIK: So why aren't we
7 allowing for the fact that 23 hours and 59 minutes
8 before this -- or after the energy balance is done we
9 expect these two measurements to differ by X percent
10 which could very well be more than the 1 percent that
11 the licensee will demonstrate as far as the capability
12 of their energy balance measurements.

13 MR. CUMMINS: So I think that really the
14 errors are not related to that table. And what you
15 find is that what you determine with ultrasonic
16 measurement is the I'll say fouling of the venturi
17 causes it to read let's say 1.2 percent lower, and you
18 decide that. And whenever you do your daily
19 measurements, you can add your -- you can't do this
20 forever, but whenever, you can add your 1.2 percent
21 low bias back in, and you can calibrate your nuclear
22 instruments based on the fact that you know that the
23 venturi plus 1.2 percent measures valid flow.

24 (Simultaneous speaking)

25 MR. CUMMINS: Periodically you have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 prove that that 1.2 is still true, or maybe it's 1.3
2 or 1.1.

3 MEMBER ABDEL-KHALIK: Couldn't it go the
4 other way around?

5 MR. CUMMINS: It could, but I don't think
6 it usually does. I think -- Bill Brown, are you still
7 here? Okay, he did a lot of study on this ultrasonic,
8 so he could have helped us. But I think that people
9 are finding that plants are getting uprates by 1
10 percent because they can show that the fouling of
11 their venturis can be biased by these accurate flow
12 meters on a periodic basis.

13 MEMBER ABDEL-KHALIK: Well, I'm concerned
14 about the case where the nuclear instrumentation would
15 drift low, rather than drift high. I think that's why
16 you have to calibrate it every day. You have to bring
17 the calibration of the nuclear instrument back to the
18 heat balance everyday.

19 MR. CUMMINS: It could drift low or high,
20 I believe.

21 MEMBER ABDEL-KHALIK: Right. So the
22 question is, why are we only accounting for the
23 uncertainty in the energy balance measurements, rather
24 than also accounting for the possibility that these
25 instruments might drift low?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CUMMINS: So it should be that the
2 energy balance error is close to drift, the maximum
3 daily drift or something?

4 MEMBER ABDEL-KHALIK: Correct.

5 MR. CUMMINS: I don't know. That's
6 beyond me.

7 CHAIR RAY: Think about it overnight.

8 MR. CUMMINS: I think the maximum daily
9 drift is very little. I hope it's not much.

10 MEMBER ABDEL-KHALIK: We don't know what
11 it is. The question is equally applicable to the
12 stack.

13 MR. DONOGHUE: This is Joe Donoghue. I
14 think that the 2 percent that is in the regulations,
15 and I'm reaching back to a very hazy recollection of
16 what I think is contained in transcripts of hearings
17 for the Appendix K and 50.46 rulemaking, discusses the
18 basis which is -- includes drift studies for
19 instrumentation. And those numbers that we are
20 talking about, I think Mr. Cummins has it right,
21 there's instrumentation drift, and there's analyses
22 that assume I think conservative, but this is Chapter
23 7 INC review for purpose of this 1 percent based on
24 the low measurement, energy balance. It's -- there's
25 different contributors. And I think the answer to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your question is that 50.46 and the Appendix K to
2 50.46 were written, those things were considered.
3 What I can't tell you is exactly how. I just don't
4 remember. I could go do research, but I believe the
5 answer is that they were accounted for. But to answer
6 the question about does the point four relate to the 1
7 percent, I don't think so, but we have to get Chapter
8 7 people and INC people to explain that.

9 MEMBER ABDEL-KHALIK: Regardless of what
10 the argument is, the concern is, what is the real
11 reactor power at the time an event occurs.

12 MR. DONOGHUE: Right.

13 MEMBER ABDEL-KHALIK: And if the real
14 reactor power is different than what the indicated
15 power because of uncertainty in the energy balance
16 measurements, and because of this daily drift between
17 nuclear instrumentation and the energy balance
18 measurements, then by gosh, drift should be taken into
19 account.

20 MR. DONOGHUE: And until relatively
21 recently we've said you have to do an analysis that
22 assumes your power is 2 percent higher than what your
23 license is, so they've done that. And be sure to
24 account for all these contributors, and when they
25 started doing these measurement uncertainty uprates

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 based on some kind of -- well, ultrasonic is one
2 method, there could be others, I don't know. We have
3 come to the conclusion they could reduce that 2
4 percent not down to zero -- I don't think there are
5 any cases where we have approved that they got rid of
6 all the uncertainty -- but for purposes of this, I
7 think it showed that there is a better, more
8 dependable -- let's put it that way -- way of
9 measuring the calorimetric. They could account for
10 that uncertainty and go from 2 percent down to
11 something lower. Here they are saying it's going to
12 be down to 1 percent, and they have to demonstrate
13 that. That's what you heard earlier about a COL item.

14 CHAIR RAY: Okay, wait a minute, this is
15 way too late to be going through -- we understand all
16 of that. We are just going to make an action item
17 that says this proceeding that we are considering here
18 right now seeks to establish 1 percent, and in
19 connection with that we want to know how the drift of
20 the instrument is treated in the context of a 1
21 percent assumption of reactor power, 34-34, whatever
22 the aggregate is. How is instrument drift considered
23 in that? And that response should reflect what you
24 are talking about, but from somebody who can tell us
25 chapter and verse. We didn't consider instrument

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 drift, or we did, or something.

2 MEMBER ARMIJO: That is not an AP1000-
3 unique issue, that's generic.

4 CHAIR RAY: I understand, but we have an
5 AP1000 thing right in front of us here. I'm not
6 asking Westinghouse, I'm asking the staff, because the
7 staff has the access to how this is thought about by
8 the agency.

9 MEMBER SHACK: Well, it might be more
10 important when the licensee comes back in with his 1
11 percent analysis, has he considered all these
12 variables and lumped them in? I mean that's what Joe
13 is saying. We pretend as though that is a flow
14 measurement of uncertainty, but it really represents
15 everything, and as long as you can see that their
16 procedure includes all that, if they choose to lump it
17 in some way --

18 CHAIR RAY: I'm not sure that it does
19 include everything, Bill. And that's what I want.

20 MR. CUMMINS: One of the 2 percent
21 uncertainty is from flow measurement, and the other
22 one percent is for some other things.

23 CHAIR RAY: That's what I want to sort
24 out, and I want to start with the staff and find out,
25 so we have the right person to look at this in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 context of the AP1000.

2 My god, are we to the last page yet? Not
3 yet, let's keep trying.

4 MS. HART: I'm Michelle Hart. I'm here
5 to talk about something completely different.

6 CHAIR RAY: You've been here so long.

7 MS. HART: This is the design basis dose
8 analysis. They're still in Chapter 15, but it's a
9 slightly different area.

10 To get the good news out of the way we
11 have completed all of the review on the off-site dose
12 consequences, so we found that revision 17 is
13 acceptable with respect to that.

14 We could not make a finding on the control
15 room compatibility at this time though, because there
16 is an open item, because there is a design change to
17 control room emergency ventilation system.

18 This is open item 15.3-1. Westinghouse
19 would propose the addition of a passive control room
20 air filtration line, to the bottled air system, the
21 emergency habitability system. And it's intended to
22 allow them to do meaningful testing of the control
23 room envelope unfiltered in-leakage.

24 The staff is currently reviewing the
25 proposed design change, and when that review is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 complete we will finish looking at the dose analysis
2 that reflects that design.

3 They said earlier today that it should be
4 done this month. We have heard that it may be coming
5 into us for review beginning of March, that's the last
6 we heard.

7 We've done a preliminary audit of a
8 previous version of the calculation. It looks
9 acceptable, but it is based on we'll have to predicate
10 it on the other branch determining that the system
11 design itself is acceptable.

12 CHAIR RAY: Well, is this the first
13 application of such a thing?

14 MS. HART: This is a brand new
15 application. Nobody else has tried to do this.

16 MR. CUMMINS: So Ed Cummins, I think
17 that this will fit perfectly in our Chapter 6 review.

18 I mean we don't really need to -- when we talk about
19 the design of this thing, you'll understand it and
20 find it comfortable. Then we'll assess the doses and
21 the results of it. It's part of Chapter 6. It's like
22 changes have tentacles, we are just looking at a
23 tentacle here.

24 CHAIR RAY: Okay, we'll accept that
25 logic.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Item nine on our agenda is going to have
2 to be deferred until tomorrow. Rob, I assume you will
3 be here, and you can talk about it then.

4 MR. SISK: We have him standing by or we
5 can do it tomorrow morning.

6 CHAIR RAY: Yes, it'll be closer to noon,
7 but based on the availability of the individual.
8 Sorry about that. I haven't done a very good job
9 today, I tried, God knows.

10 (Laughter)

11 But without much success. Anyway, we'll
12 see you at 10:00 o'clock, or if the government shuts
13 down tomorrow, I don't know what to tell you.

14 MEMBER BROWN: A weather update for you.
15 My wife just told me that we are expecting six inches
16 tonight, which means this place will be blanketed.

17 MR. CUMMINS: So just -

18 (Simultaneous speaking)

19 MR. CUMMINS: We got them to open the
20 door for us.

21 CHAIR RAY: Well, I can't do anything.

22 MEMBER BROWN: That is just a prediction.
23 Hey, it could be 12.

24 COURT REPORTER: Are we still on the
25 record?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter)

2 CHAIR RAY: Let me pound the gavel and
3 we'll adjourn for today.

4 (Whereupon at 5:47 p.m. the proceeding in
5 the above-entitled matter was adjourned)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



*Bellefonte 3&4 Lee Nuclear 1&2 Summer 2&3 **Vogtle 3&4** Harris 2&3 Levy 1&2 Turkey Point 6&7*

AP1000 Reference Combined License Application Presentation to ACRS Chapter 3 Standard Topics

February 2, 2010

NuStart Energy Development, LLC - All Rights Reserved

R-COLA Chapter 3: Standard Topics

Design of Structures, Components, Equipment and Systems

3.1 Conformance with NRC GDCs

3.2 Classification of Structures, Components and Systems

3.3 Wind and Tornado Loadings

3.4 Water Level (Flood) Design

3.5 Missile Protection

3.6 Protection Against the Dynamic Effects of Piping Rupture

3.7 Seismic Design

3.8 Design of Category I Structures

3.9 Mechanical Systems and Components (Snubbers & IST)

3.10 Seismic and Dynamic Qualification

3.11 Environmental Qualification

R-COLA Chapter 3: Standard Topics

- DCD incorporated by reference
 - No Standard Departures taken
- Majority of FSAR Chapter 3 information is IBR of DCD
- Standard supplemental information
 - Dual unit turbine missile consideration
 - Snubber testing program
 - Inservice test program for valves
 - Addressing COL items (next slide)

R-COLA Chapter 3: COL Items

COL 3.6-1 Pipe Break Hazards Analysis

- still working as DCD and COL OIs
- likely a standard post-license requirement for design reports and as-built confirmations

COL 3.6-4 Primary System Inspection Program for Leak-Before-Break Piping

- confirmed materials and programs as identified by DCD

COL 3.11-1 Equipment Qualification File

- provided standard program description
- still working as DCD OI

R-COLA Chapter 3: COL Items

COL 3.9-2 Design Specifications and Reports

- post-license update of as-built information

COL 3.9-3 Snubber Operability Testing

- provided standard list of snubbers and testing criteria

COL 3.9-4 Valve Inservice Testing

- provided standard program description
- still working as DCD and COL OIs

COL 3.9-5 Surge Line Thermal Monitoring

- provided standard program description

R-COLA Chapter 3: Open Items

- OI 3.6-1 Pipe Rupture Analysis (STD COL 3.6-1)
- OI 3.10-1 Seismic Qualification Method and Schedule
- OI 3.11-1 Environmental Qualification (DCD OI closure)

R-COLA Chapter 3: Open Items

- OI 3.9-1 Inservice Testing Program (DCD OI closure)
- OI 3.9-2 IST MOV vs POV clarification
- OI 3.9-3 IST MOV testing during operation
- OI 3.9-4 IST Potential periodic dynamic testing of POVs
- OI 3.9-5 IST Flow induced vibration concerns
- OI 3.9-6 IST Tech Spec references



AP1000
DCWG



AP1000



Bellefonte 3&4

Lee Nuclear 1&2

Summer 2&3

Vogtle 3&4

Harris 2&3

Levy 1&2

Turkey Point 6&7

2/2/2010



Presentation to the ACRS Subcommittee

**AP1000 Combined License Application Review
Standard Content for**

**SER/OI Chapter 3
Design of Structures, Components, Equipment and
Systems**

February 2, 2010

Staff Review Team

- **Technical Staff**
 - **Tze-Jer Chuang**, Sr Mechanical Engineer, Structural Engineering Branch, Division of Engineering (SEB1)
 - **John Honcharik**, Sr Mechanical Engineer, Component Integrity, Performance and Testing Branch 1, Division of Engineering (CIB1/DE)
 - **Yueh-Li Li**, Sr Mechanical Engineer, Engineering Mechanics Branch 2, Division of Engineering (EMB2/DE)
 - **Thomas Scarbrough**, Sr Mechanical Engineer, Component Integrity, Performance and Testing Branch 2, Division of Engineering (CIB2/DE)
- **Project Manager**
 - **Terri Spicher**, Chapter 3, AP1000 Standard Content COL

Overview of AP1000 Standard Content COL Chapter 3 - Design of Structures, Components, Equipment and Systems

Summary of Content		Standard Content Open Items (total)
3.1	Conformance with NRC General Design Criteria	0
3.2	Classification of Structures, Components, and Systems 3.2.1 Seismic Classification 3.2.2 AP1000 Classification Systems	0
3.3	Wind and Tornado Loadings 3.3.1 Wind Loadings	2
3.4	Water Level (Flood) Design 3.4.1 Flood Protection 3.4.2 Analytical and Test Procedures	0
3.5	Missile Protection 3.5.1 Missile Protection 3.5.2 Protection from Externally Generated Missiles 3.5.3 Barrier Design Procedures	1

Overview of AP1000 Standard Content COL Chapter 3 - Design of Structures, Components, Equipment and Systems

Summary of Content		Standard Content Open Items (total)
3.6	Protection against Dynamic Effects Associated with the Postulated Rapture of Piping	1
3.7	Seismic Design	0
3.8	Design Of Category I Structures	0
3.9	Mechanical Systems and Components 3.9.1 Special Topics for Mechanical Components 3.9.2 Dynamic Testing and Analysis of Systems, Structures and Components 3.9.3 ASME Code Class 1,2, and 3 Components, Component Supports, and Core Support Structures 3.9.4 Control Rod Drive System 3.9.5 Reactor Pressure Vessel Internals 3.9.6 Inservice Testing Pumps and Valves 3.9.7 Integrated Head Package	15

Overview of AP1000 Standard Content COL Chapter 3 - Design of Structures, Components, Equipment and Systems

Summary of Content		Standard Content Open Items
3.10	Seismic and Dynamic Qualification of Mechanical and Electrical Equipment	0
3.11	Environmental Qualification of Mechanical and Electrical Equipment	1
3.12	Piping Design	0

Overview of AP1000 Standard Content COL Chapter 3 - Design of Structures, Components, Equipment and Systems

(blue font indicates open item)

FSAR SECTION		SUMMARY OF DEPARTURES/SUPPLEMENTS
3.1	Conformance with NRC General Design Criteria	none
3.2	Classification of Structures, Components, and Systems	STD SUP 3.2-1 seismic classification of safety-related SSCs
3.3	Wind and Tornado Loadings	STD SUP 3.3-1 the effects of tornado-initiated failures of non safety-related buildings on the neighboring seismic Category I structures
3.4	Water Level (Flood) Design	none
3.5	Missile Protection	STD SUP 3.5-1 Probability of turbine missiles from another AP1000 plant in close proximity affecting SSCs STD SUP 3.5-2 Turbine system maintenance and inspection program

Overview of Standard Content COL Chapter 3 - Design of Structures, Components, Equipment and Systems

(blue font indicates open item)

3.6	Protection against Dynamic Effects Associated with the Postulated Rupture of Piping	<p>STD COL 3.6-1 A pipe rupture hazard analysis is part of the piping design</p> <p>STD COL 3.6-4 Leak-before-break piping inspections</p>
3.7	Seismic Design	To be addressed at a later date
3.8	Design of Category I Structures	To be addressed at a later date
3.9	Mechanical Systems and Components	<p>STD COL 3.9-2 Reconciliation of the as-built piping</p> <p>STD COL 3.9-3 Snubber design and testing, instillation requirements, and perseverance and inservice examination and testing</p> <p>STD SUP 3.9-3 Snubber design and testing and snubber installation requirements</p> <p>STD COL 3.9-4 IST Program</p> <p>STD COL 3.9-5 Pressurizer surge line monitoring</p>

Overview of Standard Content COL Chapter 3 - Design of Structures, Components, Equipment and Systems

(blue font indicates open item)

3.10	Seismic and Dynamic Qualification	none
3.11	Environmental Qualification of Mechanical and Electrical Equipment	STD COL 3.11-1 Equipment Qualification File
3.12	Piping Design	none

Open Items

Standard Content AP1000 COL

STD SUP 3.3-1: the effects of tornado-initiated failures of non safety-related buildings on the neighboring seismic Category I structures

Two potential effects:

OI 1: Metallic Siding Missiles

OI 2: Water Tank Missiles

Open Items

Standard Content AP1000 COL


OI 1: Metallic siding of turbine and radwaste buildings need to be evaluated as a potential wind-borne missile against seismic category I structures.

This analysis is pending in the DCD as open item OI-RAI-SRP3.3.2-SEB1-01.

OI 2: Water tanks in radwaste building needs to be evaluated as a potential wind-borne missile against seismic category I structures.

This analysis is pending in the DCD as open item OI-RAI-SRP3.3.2-SEB1-02.

OI 2: Water Tank Missile



Open Items

Standard Content AP1000 COL

STD SUP 3.5-1: Probability of Turbine Missiles from Co-located AP1000 Plants

OI 1: AP1000 DCD Open Item OI-SRP10.2.3-CIB1-01 was resolved since bounding turbine missile probability analysis is applicable to high and low trajectory missiles for unfavorably orientated TGs for co-located AP1000 units.

Open Items

Standard Content AP1000 COL

STD COL 3.6-1: A pipe rupture hazard analysis is part of the piping design

OI 1: Action to be addressed by DCD: As-designed pipe rupture hazard analysis report completed. Pending DAC completion.

Open Items

Standard Content AP1000 COL

STD COL 3.9-4: IST Program

AP1000 SER Section 3.9.6

01: October 2008 audit follow-up items need to be resolved:

- Reference ASME QME-1-2007 in DCD Section 3.9
- Clarify basis for gate and globe valve seat friction coefficient
- Clarify vendors need to satisfy QME-1-2007
- Resolve RAI response and check valve piping diagram

Open Items

Standard Content AP1000 COL

- 02: Motor-operated valve (MOV) testing needs to be consistent with Joint Owners' Group (JOG) Program on MOV Periodic Verification

- 03: ASME QME-1-2007 not referenced in DCD Section 3.9

Open Items

Standard Content AP1000 COL

- 04: DCD reference to ASME Code Case OMN-1 should indicate revision accepted in Regulatory Guide (RG) 1.192, or justify alternative to ASME OM Code

- 05: Tech Specs need to be consistent with ASME OM Code

Open Items

Standard Content AP1000 COL

- 06: DCD should describe check valve acceptance criteria for flow testing consistent with RAI response

- 07: Note 31 to DCD Table 3.9-16 is not consistent with JOG MOV Program, and Section 3.9 does not discuss power-operated valve program attributes in Regulatory Issue Summary (RIS) 2000-03

Open Items

Standard Content AP1000 COL

- 08: RAI response should be clarified regarding performance of position verification testing specified in ASME OM Code ISTC-3700 in addition to exercise testing
- 09: Several valve-specific items in DCD Table 3.9-16 need to be clarified

Open Items

Standard Content AP1000 COL

COL SER Section 3.9.6

01: October 2008 audit follow-up items need to be resolved

02: Motor-Operated Valve (MOV) provisions in COL FSAR need to be clarified

Open Items

Standard Content AP1000 COL

- 03: COL FSAR needs to provide a full description of MOV testing program (such as addressing application of OMN-1 Code Case, determination of MOV operating requirements and output capability, periodic demonstration of design-basis capability, justification for extended test intervals, and successful completion of MOV acceptance criteria)

- 04: COL FSAR needs to provide a full description of Power-Operated Valve (POV) testing program

Open Items

Standard Content AP1000 COL

05: RAI response on implementation of AP1000 DCD provisions to monitor flow-induced vibration (FIV) effects should be clarified

06: Tech Specs in COL application need to be consistent with ASME OM Code

Open Items

Standard Content AP1000 COL

STD COL 3.11-1: Environmental Qualification Program

- OI 1: AP1000 SER Section 3.11
Resolve Audit follow-up items per Section 3.9.6

- OI 2: COL SER Section 3.11
Resolve Audit follow-up items for transition from initial EQ program to operational EQ program

AP1000 Reference Combined License Application Presentation to ACRS Chapter 9 Standard Topics

February 2, 2010

R-COLA Chapter 9: Standard Topics

Auxiliary Systems

9.1 Fuel Storage and Handling

9.2 Water Systems (Plant Specific)

9.3 Process Auxiliaries

9.4 Air-Conditioning, Heating, Cooling, and Ventilation System (Primarily Standard)

9.5 Other Auxiliary Systems (Primarily Standard)

App 9A Fire Protection Analysis (Primarily Standard)

R-COLA Chapter 9: Standard Topics

- **DCD incorporated by reference**
 - The only Standard Departure taken is to section numbering (STD DEP 1.1-1)
- **Majority of FSAR Chapter 9 information related to water systems is Plant Specific**
- **Standard supplemental information**
 - Load handling program
 - Addressing COL items (next slide)

R-COLA Chapter 9: COL Items

COL 9.1-5 Inservice Inspection Program of Cranes

- Added light load handling system inspection, FSAR section 9.1.4
- Added heavy loads handling system inspection per NUREG 0612, FSAR section 9.1.5

COL 9.1-6 Radiation Monitor

- Added requirement for radiation monitors on fuel handling machines, FSAR 9.1.4
- Added requirements for special procedures for heavy load handling

R-COLA Chapter 9: COL Items

COL 9.1-7 Metamic Monitoring Program

- Added description of Metamic monitoring program

COL 9.3-1 Air Systems (NUREG-0933 Generic Issue 43)

- Added description of air system procedures and training
- Addressed requirements of GL 88-14 and NUREG-1275

COL 9.4-1 Ventilation Systems Operations

- 9.4-1a Described HVAC system testing requirements and inspection per ASME/ANSI AG-1-1997 and Addenda AG-1a-2000 (Reference 201), ASME N509-1989, ASME N510-1989, and Regulatory Guide 1.140
- 9.4-1b (Plant Specific)

R-COLA Chapter 9: COL Items

COL 9.5-1 Qualification Requirements for Fire Protection Program

- FSAR section 9.5.1 describes qualifications requirements, training, and administrative procedures and controls governing Fire Protection Program

COL 9.5-3 Regulatory Conformance

- Described conformance with Fire Protection regulatory requirements including BTP CMEB 9.5-1 (FSAR Table 9.5-201) & RG 1.189

R-COLA Chapter 9: COL Items

COL 9.5-4 NFPA Exceptions

- Exception taken to automatic sprinkler protection for intake structure (NFPA 804), FSAR Table 9.5-202

COL 9.5-6 Verification of Field Installed Fire Barriers

- Testing and inspection added for items that cannot be verified through pre-operational tests (e.g., penetration seals, fire retardant coatings, cable routing, and fire barriers)
- Added periodic testing requirements (e.g., Fire hoses are hydrostatically tested in accordance with NFPA 1962)

R-COLA Chapter 9: COL Items

COL 9.5-8 Establishment of Procedures to Minimize Risk for Fire Areas Breached During Maintenance

- Added requirement for fire protection procedures when a fire are is breached

COL 9.5-11 Security Communications

- Described in Security Plan

COL 9.5-13 Fuel Degradation Protection

- Added diesel fuel sampling and testing per ASTM D4176 and D975

R-COLA Chapter 9: Open Items

OI 9.1-1 Metamic monitoring program

- Added LC for Metamic monitoring program implementation

OI 9.1-2 LLHS inspection implementation

- Added commitment to implement program prior to fuel receipt

OI 9.1-3 OHLHS program implementation

- Added commitment to implement program prior to fuel receipt

R-COLA Chapter 9: Open Items

OI 9.1-4 OHLHS inspection implementation

- Addressed by OI 9.1-3 response and current FSAR commitment on procedure development

OI 9.2-2 OI 12.03-01 completion

- This OI was tracking closure of OI 12.3-1 (NEI 08-08). Response to OI 12.3-1 has been provided implementing NEI 08-08A



AP1000
DCWG



AP1000



Bellefonte 3&4

Lee Nuclear 1&2

Summer 2&3

Vogtle 3&4

Harris 2&3

Levy 1&2

Turkey Point 6&7

2/2/2010

11



Presentation to the ACRS Subcommittee

**AP1000 Combined License Application Review
Standard Content for
Chapter 9
Auxiliary Systems
February 2, 2010**

Staff Review Team

- Technical Staff
 - Nan Chien
 - Gordon Curran
 - Tanya Ford
 - Yi Hsii (Gene)
 - Gregory Makar
 - Amar Pal
 - Robert Radlinski
 - Steven Schaffer
 - James Tatum
 - Larry Wheeler
 - Tze-Jer (Jerry) Chuang
 - Thinh Dinh
 - Raul Hernandez
 - Chang Li
 - Wendell Morton
 - Jeffrey Poehler
 - Edward Roach
 - Angelo Stubbs
 - Christopher Vanwert
 - Joshua Wilson
 - Project Manager
 - **Tanya Simms**, AP1000

Overview of AP1000 Standard Chapter 9 - Auxiliary Systems

Standard Section		Summary of Content
9.1	Fuel Storage and Handling	-Metamic Monitoring Program -Light Load Handling System -Overhead Heavy Load Handling Systems
9.2	Water Systems	-Plant Specific
9.3	Process Auxiliaries	-Air Systems
9.4	Air Conditioning, Heating, Cooling, and Ventilation System	-Inspections and Testing
9.5	Other Auxiliary Systems	-Fire Protection Program -Diesel Generator Fuel Oil System

Overview of AP1000 Standard Chapter 9 - Auxiliary Systems

SRP Section/Application Section		Open Items
9.1	Fuel Storage and Handling	4
9.2	Water Systems	0
9.3	Process Auxiliaries	0
9.4	Air Conditioning, Heating, Cooling, and Ventilation System	0
9.5	Other Auxiliary Systems	0
Totals		4

AP1000 Standard – Section 9.1

Metamic Monitoring Program

- Metamic – An aluminum-based metal matrix composite containing boron carbide (B_4C) to absorb thermal neutrons. Used in AP1000 spent fuel storage racks to provide additional criticality prevention margin.
- Metamic Monitoring Program – STD COL 9.1-7 specifies coupon surveillance program for SFP neutron absorbing material due to limited service experience with material.
 - DCD specified certain aspects of program including type and number of coupons, recommended withdrawal schedule, and attributes to be tested.
 - Test methods, programmatic controls left up to COL applicants.
- Open Item (OI) 9.1-1 because the applicant did not provide sufficient details.
- OI requested additional definition of program elements:
 - Whether the number of coupons and withdrawal schedule will be the same as described in the DCD.
 - The methodology and acceptance criteria for the tests that will be performed on the Metamic coupons.
 - Corrective actions if acceptance criteria are not met.
 - The administrative controls applicable to the program.

AP1000 Standard – Section 9.1

Load Handling System

- **STD COL 9.1-5 - Inspection & Testing Program**

The Combined License applicant is responsible for a program for in-service inspection (ISI) of the light load handling system (LLHS) as specified in subsection 9.1.4.4 and the overhead heavy load handling system (OHLHS) in accordance with ANSI B30.2, ANSI B30.9, ANSI N14.6, and ASME [American Society of Mechanical Engineers] NOG-1 as specified in subsection 9.1.5.4.

- Applicant committed to develop a program for in-service inspection of the Heavy and Light Load Handling System
- Open Items 9.1-2 (ISI-LLHS), 9.1-3 (OHLHS program), and 9.1-4 (ISI-OHLHS) the applicant did not provide defined timeline milestone for development of the program
- Applicant needed to provide a schedule milestone for developing the plant inspection program for the handling systems (such as “before receipt of fuel.”)
- The staff has received an open item response from RCOL that is currently under evaluation

- **STD COL 9.1-6 – Radiation Monitoring**

The COL applicant/holder will ensure that an operating radiation monitor is mounted on any crane or fuel handling machine when it is handling fuel.

- Applicant stated that plant procedures require that an operating radiation monitor is mounted on any machine when it is handling fuel.

AP1000 Standard – Section 9.4

Ventilation System

- STD COL 9.4-1a - The Combined License applicants referencing the AP1000 certified design will implement a program to maintain compliance with ASME AG-1 (Reference 36), ASME N509 (Reference 2), ASME N510 (Reference 3) and Regulatory Guide 1.140 for portions of the nuclear island nonradioactive ventilation system and the containment air filtration system identified in DCD subsection 9.4.1 and 9.4.7.
- The main control room / control support area HVAC subsystem of the nuclear island nonradioactive ventilation system (VBS) and the exhaust subsystem of the containment air filtration system (VFS)) are tested and inspected in accordance with ASME/ANSI AG-1-1997 and Addenda AG-1a-2000, ASME N509-1989, ASME N510-1989, and Regulatory Guide 1.140.

AP1000 Standard - Section 9.5.1

Fire Protection Program

- The objectives of the Fire Protection Program are to minimize both the probability of occurrence and the consequences of fires at nuclear power plants.
- The Fire Protection Program uses the concept of defense-in-depth utilizing administrative controls, fire protection systems and features, and redundant safe-shutdown capabilities to:
 - Prevent fires from starting.
 - Rapidly detect and promptly suppress fires that do occur.
 - Provide protection for structures, systems, and components important to safety so that fires that are not promptly extinguished will not prevent the safe shutdown of the plant.

AP1000 Standard - Section 9.5.1

Fire Protection Program

Regulations and Guidance

- 10 CFR 50.48, Fire Protection
- 10 CFR 50, Appendix A, GDC 3, 5, 19, and 23
- SRP Section 9.5.1, Fire Protection Program
- Regulatory Guide 1.189, Fire Protection for Nuclear Plants
- SECYs 90-016, 93-087, and 94-084: Criteria for enhanced fire protection for new reactors

AP1000 Standard - Section 9.5.1

Fire Protection Program

- The staff issued 14 RAIs to address various non-conformances with RG 1.189. The standard content was largely revised to conform with RG 1.189.
- The staff identified that the safe-shutdown analysis methodology included in the standard content Fire Hazards Analysis (FHA) is not in accordance with RG 1.189:
 - An FHA traditionally includes a detailed area-by-area analysis of safe-shutdown equipment and cable routing information. The standard content safe-shutdown analysis is a functional analysis only without the detailed equipment and cable routing information.
 - The applicant asserted that the redundant safe-shutdown trains are separated throughout the plant by 3-hour rated fire barriers by design; therefore, a detailed area-by-area component and cable analysis is not necessary.
 - The applicant also provided that appropriate procedures are in place to readily identify and address any standard design deviations which may occur during the construction phase, and that the FHA will be updated to reflect as-built condition.
 - The staff reviewed the AP1000 plant layout drawings to ensure that separation of safe shutdown trains are maintained by design and conducted two audits of the Westinghouse's fire hazards analysis supplemental report APP-FPS-G1R-002, Rev. 1, which provides for the functional failure analysis for each plant fire area.

AP1000 Standard - Section 9.5.4

Diesel Generator Fuel Oil System

- Fuel oil system classified in the DCD as a non-safety system
- In DCD Chapter 17, quality control for non-safety related SSCs is based on supplier procedures and practices
- Operability of the diesels is addressed by investment protection controls
- COL Information Item 9.5-13 addresses:
 - Fuel specifications and properties consistent with manufacturer recommendations
 - Fuel sampling and testing to protect against fuel degradation

AP1000 Standard - Section 9.5.4

Diesel Generator Fuel Oil System

- The staff applied acceptance criteria for fuel oil quality from NUREG-0800, Section 9.5.4
- RAI for clarification on implementation of the fuel oil quality program and applicability to both new and stored oil
- Program implementation through the Non-Safety Related SSC Quality Controls in FSAR Chapter 17
- Specification and testing described for new and stored oil in the FSAR under STD COL 9.5-13



Presentation to the ACRS Subcommittee

**Westinghouse AP1000 Design Certification Amendment Application
Review**

**SER/OI Chapter 15
Transient and Accident Analysis**

February 2 - 3, 2010

Staff Review Team

- **Technical Staff**
 - **Yi-Hsiung (Gene) Hsui**, Reactor Systems, Nuclear Performance & Code Review Branch
 - **Tanya Ford**, Reactor Systems, Nuclear Performance & Code Review Branch
 - **Jay Lee**, Siting and Accident Consequences Branch
 - **Michelle Hart**, Siting and Accident Consequences Branch
- **Project Manager**
 - **Phyllis Clark**, AP1000 DCA

Purpose

- Brief the subcommittee on the staff's review of the safety analyses and radiological consequence analyses of the Design Basis Events in Chapter 15 for the AP1000 design certification amendment application in DCD Revision 17
- Answer the Subcommittee's questions

AP1000 DCA Chapter 15 - Transient and Accident Analysis

DCD Section	Title	Summary of Change
15.0	Accident Analyses	<ul style="list-style-type: none"> • Change to Power Measurement Uncertainty • Change to pressurizer water level setpoints to accommodate pressurizer dimension change • Replace P-8 with P-10 nuclear power permissive Interlock for low-flow reactor trip • Change of CVS isolation valve closure time • Change to ADS Valve Opening Time Delay • Change to Source Range Flux Doubling Setpoint for Boron Dilution Block • Deletion of Active Failure Consideration Pertaining to Operator Action Error • DCD Documentation changes for clarification and consistency

AP1000 DCA Chapter 15 - Transient and Accident Analysis (cont.)

DCD Section	Title	Summary of Change
15.2.6 15.2.7 15.2.8	Loss of AC Power to Plant Auxiliaries Loss of Normal Feedwater Flow Feedwater System Pipe Break	<ul style="list-style-type: none"> DCD documentation changes for clarification and consistency with safety analyses
15.3.1 15.3.2	Partial Loss of Flow Complete Loss of Flow	Replace P-8 Interlock with P-10 interlock

AP1000 DCA Chapter 15 - Transient and Accident Analysis (cont.)

DCD Section	Title	Summary of Change
15.4.1	Uncontrolled Rod Cluster Control Assembly Bank Withdrawal from a Subcritical or Low-Power Startup Condition	Deletion of manual bypass to the high nuclear flux rate trip after trip reset.
15.4.3	Rod Cluster Control Assembly (RCCA) Misalignment	DCD documentation changes for clarification and consistency with TS
15.4.6	Chemical and Volume Control System (CVCS) Malfunction that Result in a Decrease in the Boron Concentration in the Reactor Coolant	<ul style="list-style-type: none"> • Modifications associated with mitigation of boron dilution events • Source range doubling setpoint for boron dilution • Dilution flow rates and RCS water volumes
15.4.8	Spectrum of Rod Cluster Control Assembly Ejection Accidents	Removed description of longitudinal and circumferential failures of the RCCA housing units.

AP1000 DCA Chapter 15 - Transient and Accident Analysis (cont.)

DCD Section	Title	Summary of Change
15.5.1	Inadvertent Operation of the Core Makeup Tanks During Power Operation	DCD documentation changes for clarification and consistency with safety analyses
15.5.2	CVCS Malfunction that Increases Reactor Coolant Inventory	
15.6.1	Inadvertent Opening of a Pressurizer Safety Valve or Inadvertent Operation of the ADS	<ul style="list-style-type: none"> • Changed the motor operated valve stroke times for ADS valves Stages 1-3 • Changed Table 15.6.1-1 to show the correct trip function modeled in the analysis.
15.6.5.4A	Large-Break LOCA Analysis Methodology and Results	Best-estimate large-break LOCA analysis using ASTRUM methodology

AP1000 DCA Chapter 15 - Transient and Accident Analysis (cont.)

DCD Section	Title	Summary of Change
15.6.5.4	Radiological Consequences (LOCA)	Increased duration for credit of aerosol removal in containment
15.7.4.5	Offsite Doses (Fuel Handling Accident)	Decay time analysis assumption increased to 48 hours to equal proposed TS 3.9.7 value
15A.3.3	Atmospheric Dispersion Factors	Changes in hypothetical control room χ/Q values to accommodate changes in design and siting assumptions
15 (various)	Each subsection with DBA radiological consequences analyses	Revised offsite dose calculations based on: <ul style="list-style-type: none"> • changes in DCD sections 15.6.5.4, and 15.7.4.5 • one set of offsite χ/Q values for all accidents
15 (var) 6.4.4	Each subsection with DBA radiological consequences analyses, and control room habitability dose results	Revised control room dose calculations based on: <ul style="list-style-type: none"> • changes in DCD sections 15.6.5.4, 15.7.4.5, and 15A.3.3 • VES filtration system design change

AP1000 DCA – Chapter 15.0

Change to Power Measurement Uncertainty

- Design basis event analyses in certified DCD, Rev. 15, assumed 2% power uncertainty for initial thermal power
- DCD Rev. 17 states that the main feedwater flow measurement supports a 1% power uncertainty; use of 2% power uncertainty is conservative
- Except for large-break LOCA, all design basis events continue to assume 2% power uncertainty
- Large break LOCA assumes 1% power uncertainty
- DCD does not specify instrumentation or methodology to support 1% power measurement uncertainty
- Westinghouse proposed COL item 15.0-1:
Following actual plant instrumentation selection and prior to fuel loads, COL holder will calculate power calorimetric uncertainty using NRC acceptable method and confirm the calculated uncertainty is bounded by the safety analysis assumed value
- Staff finds COL item acceptable, but identifies a confirmatory item to assure COL item is incorporated in next DCD revision

AP1000 DCA Chapter 15.0

ADS Valves Opening Time Delay Changes

- Valve actuation delay and opening (stroke) times of various ADS stages are changed
 - ADS-1 actuation delay – on CMT low level
 - ADS-1, 2, and 3 valve opening times
 - ADS-4 squib valve opening time - on low-2 CMT level
- Primary role of ADS is mitigation of small break LOCA
- Westinghouse evaluated the effects of changing ADS actuation delay and valve opening times for SBLOCAs. The results show minimal effects, and the core remains covered
- Non-LOCA events do not model ADS valves, therefore not affected
- Staff finds ADS valve opening time delay changes acceptable, but identifies a confirmatory item to update DCD for identified inconsistencies

AP1000 DCA Chapter 15.0

Change to Source Range Flux Doubling Setpoint for Boron Dilution Block

- Source range flux doubling function is used to isolate makeup flow to the RCS for the boron dilution event during shutdown operation
- Existing source range doubling function setpoint of 1.6 over 50 minutes has a significant likelihood of inadvertent actuation of boron dilution protection function
- DCD Rev. 17 change the source range doubling function setpoint to “3.0 over 50 minutes”
- Safety analyses of boron dilution events (DCD 15.4.6) during shutdown modes were re-analyzed with the 3.0 over 50 minutes setpoint. The results show the plant is maintained in subcritical condition
- The staff finds the change to source range flux doubling setpoint acceptable

AP1000 DCA – Section 15.4.6

Chemical and Volume Control System Malfunction that Result in a Decrease in the Boron Concentration in the Reactor Coolant

Westinghouse proposed to change the general mitigation method for the boron dilution events to be consistent with CVS design changes for boron dilution in DCD Section 9.3.6.

- The current design realigns the makeup pump suction from the demineralized water tank to the boric acid tank to terminate the potential boron dilution, and to begin to reborate the reactor coolant system to restore shutdown margin.
- The function was changed to close the makeup line isolation valves (as well as the demineralized water isolation valves) or trip the makeup pumps to terminate the event as soon as possible.
- The applicant has also proposed several text changes along with the logic changes that are required to implement this modification.
- The proposed change would terminate the boron dilution event sooner and has no safety-significant effect on the transient and the staff finds it acceptable.

AP1000 DCA – Section 15.4.6 (cont.)

Chemical and Volume Control System Malfunction that Result in a Decrease in the Boron Concentration in the Reactor Coolant

Westinghouse proposed to change the source range doubling setpoint from a multiplier of 1.6 to 3.0, over 50 minutes.

- The source range flux doubling function is used to isolate makeup flow to the RCS for the boron dilution event during shutdown operation.
- The proposed change is consistent with AP1000 DCD Table 15.0-4a and the staff finds it acceptable.
- Boron dilution analyses performed for Modes 3, 4, and 5 documented in Rev. 17 of DCD Section 15.4.6 assumed a safety analysis setpoint of 3.0 over 50 minutes; results for all cases are acceptable.

AP1000 DCA – Section 15.4.6 (cont.)

Chemical and Volume Control System Malfunction that Result in a Decrease in the Boron Concentration in the Reactor Coolant

Westinghouse proposed changes to the dilution flowrate, RCS water volume, critical and shutdown boron concentrations, and automatic protective actions initiation time for Operating Modes 3, 4 and 5.

- The RCS water volumes were recalculated using the latest geometric data available taking into consideration design changes made up to this point.
- These changes are proposed to be consistent with the TS, DCD Section 9.3.6, and the assumed conditions for the inadvertent boron dilution event and the staff finds them acceptable.

AP1000 DCA – Section 15.6.5.4A

Large-Break LOCA Analysis

Methodology and Results

- In Certified DCD Rev. 15, LBLOCA was analyzed with CQD [Code Qualification Document] method (WCAP-12945-A)
- In DCD Rev. 17, LBLOCA is analyzed with ASTRUM [Automated Statistical Treatment of Uncertainty Method] (WCAP-16009-A)

AP1000 DCA – Section 15.6.5.4A

CQD and ASTRUM Methods Comparisons

- Both CQD and ASTRUM methods use the same computer analysis codes
 - WCOBRA/TRAC for global thermal hydraulic calculation
 - HOTSPOT for local hot rod calculation
- Both methods follow CSAU methodology roadmap
- The only difference is Element 3 of CSAU method - sensitivity and uncertainty analysis
 - CQD uses response surface methodology
 - ASTRUM uses direct Monte Carlo sampling, nonparametric ordered statistics
- Both methods have been approved by NRC

AP1000 DCA – Section 15.6.5.4A

Staff Review of AP1000 LBLOCA – ASTRUM Analysis

The staff review focused on the following areas:

- WCOBRA/TRAC and HOTSPOT analysis codes applicability to AP1000
- WCOBRA/TRAC nodalization model for AP1000 LBLOCA analysis
- ASTRUM applicability to AP1000 LBLOCA analysis
- Application of ASTRUM to AP1000 LBLOCA analysis
- AP1000 LBLOCA Analysis Results

AP1000 DCA – Section 15.6.5.4A

WCOBRA/TRAC and HOTSPOT

Applicability to AP1000

- WCOBRA/TRAC and HOTSPOT Modifications
 - Reported changes per 10 CFR 50.46 reporting requirement
 - 16 changes after WCAP-16009-A approval
 - 4 changes related to AP1000
- WCOBRA/TRAC validation for unique AP1000 feature - direct vessel injection
 - PIRT: main difference between AP1000 and existing PWRs is the DVI
 - Similar to that done in AP600 validation
 - Cylindrical Core Test Facility
 - Upper Plenum Test Facility
 - Results consistent with AP600 validation (WCAP-14171, Rev 2)

AP1000 DCA – Section 15.6.5.4A

WCOBRA/TRAC Nodalization Model for AP1000 LBLOCA Analysis

- RCS Loop Model includes AP1000 pressurizer design changes
 - Maintain same volume with increased inside diameter and decreased height
 - Revised pressurizer water level setpoints
- Reactor pressure vessel and internals model, includes AP1000 design changes
 - Radial support keys/tapered periphery on lower core support plate
 - Lower reactor vessel head flow skirt
 - Neutron panels attached to core support barrel
- WCOBRA/TRAC modeling limitations from AP600 SER
 - If PCT exceeds 1725°F for any reason, sensitivity of CMT and PRHR HX modeling parameters not included in the uncertainty methodology need to be addressed
 - Sensitivity calculation of CMT/PRHR isolation from RCS

AP1000 DCA – Section 15.6.5.4A

ASTRUM Applicability to AP1000 LBLOCA Analysis

- ASTRUM methodology (WCAP-16009-A) has been approved by NRC for best estimate large-break LOCA analyses to demonstrate compliance with 10 CFR 50.46 for operating PWRs
- ASTRUM uncertainty treatment methodology is independent of physical systems being modeled and is equally applicable to AP1000 BE LBLOCA analyses

AP1000 DCA – Section 15.6.5.4A

Application of ASTRUM to AP1000 LBLOCA Analysis

- Applied to a random sample of 3 outputs
 - PCT – peak cladding temperature
 - MLO- maximum local oxidation
 - CWO – Core-wide oxidation
- Based on a 95/95 tolerance level
 - Requires 124 WC/T and HOTSPOT runs for 3 outputs
- Uncertainties and biases values unchanged from CQD method
 - Major plant parameter assumptions listed in DCD Table 15.6.5-4
 - 1% uncertainty for initial thermal power
 - Some parameters set to conservative, bounding values based on sensitivity studies
- NSSS and fuel uncertainty contributors sampled for each run
- WC/T global models include break types, break areas, and critical flow modeling
- HOTSPOT local model includes local peaking factor, fuel data, clad reaction rate, burst data, and heat transfer coefficients
- Range of parameters were compared to TS LCOs

AP1000 DCA – Section 15.6.5.4A

AP1000 LBLOCA Analysis Results

- $PCT = 1837^{\circ}F < 2200^{\circ}F$
- $LCO = 2.25\% < 17\%$
- $CWO = 0.2\% < 1\%$
- Coolable geometry not affected
- Long-term cooling not affected
- Compliance with 10 CFR 50.46

AP1000 DCA – Section 15.6.5.4A

Summary

- The staff concludes that the AP1000 DCD, Revision 17 provides reasonable assurance that the AP1000 design provides adequate protection for the design basis events, meeting the relevant acceptance criteria specified in GDCs and 10 CFR 50.46

DBA Dose Analysis Summary

- The staff concludes that the AP1000 DCD, Revision 17, provides reasonable assurance that the AP1000 design provides adequate mitigation of radiological consequences in an event of a design basis accident to protect public health and safety, meeting the offsite dose acceptance criteria specified in 10 CFR 100.21 and 10 CFR 52.47(a)(2).
- Open Item 15.3-1 regards the review of revised control room dose analysis related to control room emergency habitability system design change.

Open Item 15.3-1, “Control Room Dose”

- Westinghouse proposed the addition of a new passive control room air filtration line to the main control room emergency habitability system (VES).
- This design change is intended to allow VES to meet the dose acceptance criteria specified in GDC 19 with an increased unfiltered air in-leakage rate.
- The staff is currently reviewing the proposed design change.
- The staff will complete review of the control room dose analysis upon completion of review of the proposed design change.

Backup Slides

Change of Pressurizer Water Level Setpoints to Accommodate Pressurizer Dimension Change

- High-3, High-2, and High-1 pressurizer water level setpoints are changed to be consistent with design change in pressurizer dimension
- Percent of water levels for each setpoint is reduced to maintain the same water volume of each corresponding setpoint
- Westinghouse also proposed reactor internal changes by adding a flow skirt in the lower reactor vessel head and four neutron panels on the core barrel
- In response to RAI, WES evaluated the effects of these changes to Chapter 15 safety analyses
- The evaluation results show these design changes have minimal impact on safety analysis results, and the applicable acceptance criteria for the limiting design basis events continue to be met

AP1000 DCA Chapter 15.0

Replace P-8 with P-10 interlock

- P-8 interlock is power range neutron power above interlock that permits a reactor trip on low flow or reactor coolant pump high temperature in a single loop
- P-8 interlock is deleted because AP1000 is not licensed for N-1 loop operation
- P-8 interlock is replaced by P-10 interlock, which functions as P-8 for multiple loop but has a lower setpoint
- In Sections 15.3.1.1 and 15.3.2.1, replace P-8 with P-10 permissive interlock for a reactor trip on low flow in either hot leg for partial and complete loss of flow
- The staff find the replacement of P-8 with P-10 interlock acceptable because P-10 has a lower setpoint and therefore conservative

AP1000 DCA Chapter 15.0

Change of CVS Isolation Valve Closure Time

- The chemical and volume control system isolation valve closure time is changed from 10 seconds to 30 seconds
- Safety analysis for inadvertent CVS actuation and loss of normal feedwater events assume a 10 s valve closure time (+ 2s microprocessor time delay)
- 20s difference in makeup valve closure would increase 15 ft³ of makeup flow into RCS based on makeup flow rate
- Sufficient margin exists in pressurizer volume to accommodate additional makeup flow
- Boron dilution events in Modes 1 and 2 not adversely affected because CVS purge volume is not sufficient to return reactor to criticality
- Boron dilution events in Modes 3, 4, and 5 assume makeup closure time of 28 s. Sufficient margin exists to accommodate 2 s difference in valve closure time.

AP1000 DCA Chapter 15.0

Deletion of Active Failure Pertaining to Operator Action Error

- Certified DCD Rev 15 states that a single incorrect or omitted operator action in manipulation of safety related equipment in response to an initiating event is considered as active failure
- DCD Rev 17 deletes active failure consideration for operator action error
- The staff finds this acceptable because no operator action is credited in safety analyses of design basis events, except for small sample line break outside containment
 - Safety analysis of a sample line break assumes operator action to isolate sample line at 30 minutes after the break
 - Both sample line isolation valves inside and outside containment open only during sampling, a loss of sample flow provide an indication of sample line break to area and air radiation monitors
 - Since operator receives multiple indications of sample line break and can take corrective action within 30 minutes, no single failure was assumed for operator action (accepted in NUREG-1793)

AP1000 DCA Chapter 15.0

DCD Documentation Changes for Clarification and Consistency with Safety Analyses

The following changes made to DCD Tables 15.0-4a, 15.0-6 and 15.0-8 for clarifications and consistency with safety analyses of respective events, no changes made to analysis assumptions and results:

- Changing term “High-1” to “High-2” containment pressure for “S” signal or ESFAS (TS)
- Changing High-2 SG setpoints from 100% to 95% NR level span, adding ESF and CMT actuation on low pressurizer water level (SGTR)
- Crediting MSIVs, SFW isolation, and accumulators credited (inadvertent opening of a SGSV and SLB)
- Crediting SGSVs (inadvertent operation of CMT during power operation)
- Crediting low steam line pressure ESF actuation function (increase RC inventory due to CVS malfunction)
- Crediting sample line isolation valves (failure of small lines carrying primary coolant outside containment)
- Changing moisture separator reheat steam supply control valve to 2nd stage steam isolation valves as MSIV backup.

AP1000 DCA – Sections 15.2.6 – 15.2.8

Loss of AC to Auxiliaries, Loss of Feedwater Flow, and Feedwater Pipe Break

- In Section 15.2.6.2.1, delete statement “conservative PRHR heat exchanger heat transfer coefficient (low) associated with low flow rate caused by the reactor coolant pump trip are assumed,” for the analysis assumption of the loss of ac power to plant auxiliaries event.
- In Section 15.2.8.1, add High-3 pressurizer water level as a reactor trip function for the analysis of feedwater system pipe break event.
- These are DCD documentation changes for clarification and consistency with the safety analyses

AP1000 DCA – Sections 15.3.1 – 15.3.2

Partial and Complete Loss of Flow

- In Sections 15.3.1.1 and 15.3.2.1 of partial and complete loss of flow events, respectively, P-8 interlock is replaced with P-10 interlock to permit reactor trip in either hot leg
- P-8 is power range neutron power permissive interlock permits a reactor trip on low flow in a single loop, and is deleted because AP1000 is not licensed for N-1 loop operation
- Replacement of P-8 with P-10 permissive interlock is acceptable because P-10 interlock has lower setpoint than P-8, and is therefore conservative

AP1000 DCA – Section 15.4.1

“Uncontrolled RCCA Bank Withdrawal from a Subcritical or Low-Power Startup Condition”

- Westinghouse proposed to no longer allow the trip function to be manually bypassed after the coincident two out of four nuclear power range channels are manually reset.
 - This trip function is designed to be actuated when the positive rate of change of neutron flux on two out of four nuclear power range channels indicate a rate above a preset setpoint.
 - Previously, this trip function could be manually bypassed after the coincident two out of four nuclear power range channels were manually reset.
- The proposed change is conservative and has no effect on the analysis results for the RCCA from Subcritical transient and the staff finds it acceptable.

AP1000 DCA – Section 15.4.3

“Rod Cluster Control Assembly Misalignment”

- Westinghouse proposed to delete a sentence from the application that states “If the rod deviation alarm is not operable, the operator takes action as required by the Technical Specification.”
 - The deviation alarm alerts the operator to rod deviation with respect to the group position in excess of 5 percent of span.
 - Revision proposed to be consistent with TS 3.1.4 and TS 3.1.7 which do not require the rod deviation alarm to be operable.
- The proposed change does not affect the safety analysis of the RCCA misalignment events and the staff finds it acceptable.

AP1000 DCA – Section 15.4.8

“Spectrum of RCCA Ejection Accidents”

- Section 15.4.8 of the AP1000 DCD does not alter the rod ejection analysis
 - Revision 3 of SRP Section 15.4.8 is not therefore not used for review.
 - Any future design changes that require a revision to the DCD Section 15.4.8 analysis will be reviewed against the latest SRP revision.
- The Rev. 15 descriptions of the effects of rod travel housing longitudinal and circumferential failures were removed

AP1000 DCA – Sections 15.5.1 & 15.5.2

“Inadvertent Operation of the Core Makeup Tanks During Power Operation” & “CVCS Malfunction That Increases Reactor Coolant Inventory”

Westinghouse proposed the following changes:

- to change the operator action time to reduce the increase in coolant inventory from 30 minutes to 60 minutes after a reactor trip
 - Westinghouse states the DCD should have always cited “60 minutes after reactor trip” instead of 30 minutes which was a typographical error.
 - No new analysis was performed for Revision 17 and the current results, figures, and tables already reflect the 60 minute operator action time.
 - This change is editorial and the staff finds it acceptable.
- to add text stating “The main feedwater flow measurement supports a 1-percent power uncertainty; use of a 2-percent power uncertainty is conservative”
 - This change is consistent with Revision 17 DCD Section 15.1.
 - This change is editorial and the staff finds it acceptable.

AP1000 DCA – Sections 15.5.1 & 15.5.2 (cont.)

“Inadvertent Operation of the Core Makeup Tanks During Power Operation” & “CVCS Malfunction That Increases Reactor Coolant Inventory”

- to delete the sentence “No single active failure in any of these systems or equipment adversely affects the consequences of the accident”
 - For both events, the worst single failure assumed is the failure of one of the two parallel isolation valves in the outlet of PRHR heat exchanger to open
 - The statement is contradictory to the actual analysis assumption, and therefore deleted

AP1000 DCA – Section 15.6.1

“Inadvertent Opening of a Pressurizer Safety Valve or Inadvertent Operation of the ADS”

- Westinghouse proposed to change the motor operated valve stroke times for ADS valves Stages 1-3 and include clarification text explaining the effects on analyses.
 - These changes provide additional clarification and do not have a safety significant affect on the existing safety analysis of the event.
 - The staff finds these changes acceptable.
- Westinghouse proposed to change Table 15.6.1-1 to show the correct trip function modeled in the analysis.
 - The current table states that the low pressurizer pressure trip is credited, however, the calculation note associated with this event states that the Overtemperature DT reactor trip is modeled in the analysis.
 - This change is being proposed so that DCD Table 15.6.1-1 will be consistent with the calculation note.
 - This change is editorial and corrects an error in the current document and the staff finds this change acceptable.

Confirmatory Items

TO Be implemented in the next AP1000 DCD revision:

- CI-SRP15.0-SRSB-02
 - Incorporate COL Item 15.0-1 on verification of 1% power measurement uncertainty
- CI-SRP15.0-SRSB-04: Correct the following DCD Inconsistencies
 - (Section 7.3.1.2.4) Delete incorrect statement that ADS-2 and ADS-3 actuations are interlocked with ADS-1, and ADS-2 actuations
 - (Table 15.0-4a) Revise ADS -1 actuation on CMT low-level signal delay time of 30 seconds to 32 seconds.
 - (Table 15.0-4b) Correct listing of Table 15.6.5-1 to Table 15.6.5-10 for ADS valve opening times.
 - (Table 15.6.5-10) Add two notes:
 - Interlock for initiation of ADS-4A valves to ADS-3 actuation
 - ADS-4 valve opening time includes “arm-fire” processing delay
- CI-SRP15.6.5-SRSB-01
 - Revise Section 15.6.5.4A.5 to include results of sensitivity studies for isolation of CMT and PRHR
 - Revise Table 15.6.5-4