

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
U.S. EPR Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, April 21, 2010

Work Order No.: NRC-172

Pages 1-153

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARD

5 (ACRS)

6 + + + + +

7 U.S. EPR SUBCOMMITTEE

8 + + + + +

9 WEDNESDAY

10 APRIL 21, 2010

11 + + + + +

12 ROCKVILLE, MARYLAND

13 + + + + +

14 The Subcommittee met at the Nuclear
15 Regulatory Commission, Two White Flint North, Room
16 T2B1, 11545 Rockville Pike, at 12:30 p.m., Dr. Dana
17 Powers, Chairman, presiding.

18 SUBCOMMITTEE MEMBERS PRESENT:

19 DANA A. POWERS, Chair

20 HAROLD B. RAY

21 MICHAEL T. RYAN

22 WILLIAM J. SHACK

23 JOHN D. SIEBER

24 J. SAM ARMIJO

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NRC STAFF PRESENT:

2 DEREK WIDMAYER, Designated Federal Official

3 GETACHEW TESFAYE

4 EDWARD FULLER

5 JIM XU

6 LYNN MROWCA

7

8 ALSO PRESENT:

9 SANDRA SLOAN

10 ROBERT MARTIN

11 MICHAEL BINGHAM

12 MOHSEN KHATIB-RAHBAR

13 NISSIA SABRI-GAULTIER

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

T-A-B-L-E O-F C-O-N-T-E-N-T-S

U.S. EPR DC APPLICATION FSAR, Chapter 19.....4

U.S. EPR DC SER with

Open Items for Chapter 19.....105

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

12:26 p.m.

1
2
3 CHAIR POWERS: Let's get into session.
4 This is a continuation of a meeting this week of our
5 Subcommittee on the U.S. EPR. Today we're looking at
6 the certification aspect. And we're going to discuss
7 Chapter 19.

8 All the rules and processes for the
9 meeting are about the same, including the fact that we
10 have a bridge line and that everyone that will speak
11 will identify themselves, speak clearly and with
12 sufficient volume to be readily heard, et cetera, et
13 cetera.

14 And are you going to introduce this
15 session?

16 MR. TESFAYE: Sure. Thank you.

17 Again, my name is Getachew Tesfaye. I'm
18 the Project Manager for EPR design certification.

19 Today, we're trying to complete Phase 3
20 Safety Evaluation Report with Open Items, presentation
21 of Chapter 19, which is probabilistic risk assessment
22 and severe accident evaluation.

23 Today's presentation specifically
24 addresses severe accident portion of it that was not
25 completed back on February 18 and 19 of this year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 As I do every time I come here, for the
2 record I will briefly summarize our Phase 3 activities
3 that have taken place to date.

4 We have completed Phase 3 presentation of
5 nine chapters. We presented Chapter 8 Electric Power,
6 Chapter 2 Side Characteristics on November 3rd and
7 Chapter 10 Steam-Power Conversion System, and Chapter
8 12 Radiation Protection on November 19, 2009.

9 On February 18 and 19 of this year we
10 presented Chapter 17, Quality Assurance and portions
11 of Chapter 19 Probabilistic Risk Assessment in Severe
12 Accident Evaluation.

13 On March 3rd of this year we presented
14 Chapter 4 Reactor and Chapter 5 Reactor Coolant System
15 and Connected Systems.

16 On April 6, 2010 we presented Chapter 11
17 Radioactive Waste Management and Chapter 16 Technical
18 Specifications.

19 In addition, on April 8, 2010 we briefed
20 the ACRS full Committee on the seven chapters that
21 were completed through March 2010.

22 Although we don't have a firm schedule for
23 completion of the remaining nine chapters, our plan
24 calls for the completion of all Phase 3 activities by
25 early 2011.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mr. Chairman, that completes my
2 introductory remark, unless there is any question.

3 CHAIR POWERS: Yes, I suspect we cannot
4 complete Chapter 19 today until we get a report back
5 from our PRA specialist.

6 MR. TESFAYE: That's true. But I'm
7 talking about the formal presentation.

8 CHAIR POWERS: Oh, formal presentations
9 will probably get a good start on them today.

10 Are there any other opening comments that
11 members would care to make about this?

12 We do have Mr. Stetkar studiously plowing
13 through the details of PRA, and he will report back to
14 us in depth, in detail that anyone could possibly
15 want.

16 Sandra, I guess your team is up.

17 MS. SLOAN: Okay.

18 CHAIR POWERS: Let's see, I am reminded
19 that you're not making your presentation today on
20 mapping all the requirements against Appendix B?

21 MS. SLOAN: I hope not. Mapping all the
22 requirements? I'm not sure what you're referring to.

23 CHAIR POWERS: Well, I'm referring to the
24 job that Brian suggest we assign you because you did
25 not attend --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. SLOAN: Oh, that job. That job.

2 CHAIR POWERS: -- our last meeting.

3 MS. SLOAN: I'll work on the homework
4 assignment.

5 MS. SLOAN: All right. So I would say this
6 is the unfinished business from the previous Chapter
7 19 discussion today. The topic will be from Tier 2,
8 Chapter 19.2 on severe accident evaluations. And
9 consistent with the other presentations of the various
10 chapters, our objective is to give you a summary level
11 presentation of how this material is organized in the
12 FSAR for design certification. Our focus, as usual,
13 is on design features, analytical procedures,
14 operational aspects that are unique for the U.S. EPR.

15 And our presenter today is Dr. Robert
16 Martin. And what I would ask since we have Dr. Martin
17 here, I'd ask him to give his background and
18 credentials and then maybe pause before you start and
19 like Michael Bingham give a little introduction of
20 himself. Mike is here in a supporting role to help
21 answer questions. So maybe the most efficient thing
22 is Mike gives his introduction, which will save us
23 that trouble when we get to the Q&A where he might
24 need to pitch in.

25 So, I'll turn it over --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR POWERS: And what do you dislike
2 Mike for? You said it's trouble for him to introduce
3 himself? She must have it in for you or something.
4 Is it a particularly long introduction?

5 MS. SLOAN: So why don't you give your
6 introduction?

7 DR. MARTIN: Okay. My name Robert Martin.
8 I'm a nuclear engineer with graduate degrees from
9 Texas A&M and Penn State.

10 Been with AREVA for 13 years. I've been
11 primarily involved with methodology development, code
12 development with SRAP5 code, methodology development
13 with the realistic large-break LOCA.

14 I've had a small role with the containment
15 analysis methodology development.

16 And, of course, my primary task for the
17 last five years is regarding severe accident
18 evaluations.

19 And, Mike?

20 MR. BINGHAM: My name is Michael Bingham.
21 I'm a graduate of BYU, Brigham Young University.

22 And I spent four years working with the
23 Navy doing some analysis, most of the time with Knolls
24 Atomic Power Laboratory and doing some core thermal
25 hydraulic there. So I spent four years there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And then the last four years I've been
2 here with AREVA doing work with the severe accident
3 group.

4 MS. SLOAN: And before we start, I just
5 wanted to remind everybody there are no fewer than
6 five pages of acronyms at the end of the presentation.

7 So if you hear something, we tend to speak a lot in
8 acronyms and abbreviations because --

9 CHAIR POWERS: I know, you're very unusual
10 in that respect. Nobody does that.

11 MS. SLOAN: But there's a five page
12 decoder ring at the end if you need help on that.

13 CHAIR POWERS: Okay. What does the
14 acronym AREVA stand for?

15 MS. SLOAN: It has a history if you want
16 to talk about the name.

17 DR. MARTIN: Okay. I will I have scripted
18 a little bit here to keep me on track, more than
19 anything to keep me on time.

20 CHAIR POWERS: You have no control over
21 that.

22 DR. MARTIN: With regard to my boss here.

23 Today I'm providing an overview of the
24 content appearing in the U.S. EPR FSAR, Chapter 19,
25 Section 2 on severe accident evaluations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 This presentation emphasizes two
2 keystones, the first being a description of the severe
3 accident prevention and mitigation features. And then
4 the second being AREVA's approach to the safety issue
5 resolution regarding the former. You can see in my
6 bullets here. I'm going to try to quickly get through
7 -- quickly is not going to happen.

8 But design features, we'll discuss that.
9 And event progression which I think probably is really
10 the more valuable element since this is probably the
11 first you've heard about this U.S. EPR severe accident
12 design features and event progression, at least in the
13 formal capacity. And then, of course, the long term
14 stabilization strategy.

15 And then the other detail goes into how we
16 used analytical methods to address the safety issues
17 and how we supported that with technical basis derived
18 from experimental programs.

19 CHAIR POWERS: Well let me with a bit of a
20 philosophical question. Why do we do these analyses?

21 DR. MARTIN: Well, a lot because it's
22 expected of us.

23 It focuses us initially, and I'm basically
24 going to get into that basis right here. It's, of
25 course, the regulatory expectation. The regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 expectation begins with the SECY-90-016, the SECY-93-
2 087 where, as you probably know, there's laid out the
3 expectation for safety issue resolution incorporating
4 analytical means as well as any empirical support that
5 we deem necessary, "we" being the collective we as an
6 industry.

7 In the SECY-93-087 there are safety goals,
8 as I've listed here, that have identified beginning
9 with hydrogen mitigation and combustible gas control,
10 core debris coolability, containment over
11 pressurization, high-pressure melt ejection and
12 equipment survivability.

13 This graphic was prepared in our pre-
14 application topical submittal. Of course, by using
15 the word "pre-application," this actually showed up to
16 the desk of Ed Fuller and his team like in October
17 2006 and he had about a year there to review that
18 examining the 500 pages of content on experimental
19 approach on our approach to analytical methods, how we
20 recognized the particular regulatory precedents, the
21 precedents established by our competitors, et cetera,
22 et cetera. And then we incorporated some sample
23 problems to kind of complete that package.

24 From that point on we have been
25 implementing that methodology. Again, we started with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the empirical basis, test programs. Again, you could
2 took a look at that pre-application submittal to see
3 and there's probably a couple of hundred pages of just
4 the experimental story supporting the U.S. EPR
5 strategy for its ex-vessel mitigation approach to a
6 severe accident.

7 And then since that time, as I've said,
8 we've focused on the safety issue resolution through
9 analytical means.

10 CHAIR POWERS: Well, it appears that the
11 entire focus of this, everything you've defined up
12 there as safety goals and related issues, have to do
13 with preservation of the integrity of the containment.

14 DR. MARTIN: And I would say with severe
15 accident evaluation the emphasis is on that particular
16 fission-product barrier. Now we in devising our
17 analytical methods we are, as I will describe later,
18 certainly incorporating inputs that are, say, Level 1
19 core damage frequency-informed to, say, define what is
20 termed more likely scenarios. Again, this is
21 information that I have incorporated into this
22 presentation.

23 CHAIR POWERS: And so that means that you
24 are pretty well discounting any bypass accidents here?

25 DR. MARTIN: No, no. I mean, bypass of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 course, we are expected again through the regulatory
2 verbiage in the SECY-93-087 to address bypass. Now
3 bypass typically safety-grade isolation systems and
4 those are discussed in more detail in other sections.

5 And I do think I get to that, at least touch on it
6 briefly, a little bit later. But this section, 19.2,
7 while there's a large body of information addressing
8 analytical support in protecting the containment, the
9 other relative areas of addressing similar accident
10 issues including the bypass issue is incorporated by
11 cross reference to other sections in the FSAR.

12 CHAIR POWERS: Well, a casual thumb
13 through your presentation sees that you do not deal
14 very extensively with issue of radionuclide behavior
15 on this entire presentation?

16 DR. MARTIN: Right.

17 CHAIR POWERS: And I'm curious as why.
18 Because without the radionuclides, I really wouldn't
19 care. If you wanted to destroy your reactor, I'm
20 perfectly willing to let you do it.

21 DR. MARTIN: Of course. The issue of
22 radionuclides, at least with us following the Standard
23 Review Plan and the Reg Guide 1.206, the biggest role
24 for analysis regarding, say, radiological transport,
25 source term evaluations really feeds into inputs for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Level 3 PRA in evaluating latent fatalities, early and
2 latent fatalities. And the expectation that I was
3 interpreting from the primarily SECY-93-087 really
4 limited me to the content that I have prepared in this
5 section I can point to, and then the interface
6 primarily with regard to what you've asked,
7 radiological transport, followed on with I believe
8 it'll be sections of 19.1 that touch on Level 3 to
9 some extent. And the staff did identify particular
10 issues with radiological transport that have been
11 addressed through the RAI process as well.

12 The way we divvy up our work, the
13 responsibilities of myself and my team focused on
14 performing the calculations and the PRA team takes
15 those results and incorporates them into the PRA
16 related analysis supporting those kind of questions.

17 CHAIR POWERS: Well, the question I'll
18 have for you, you don't have to answer it right now
19 but sometime before the end of the day, is where do I
20 go to look to see how you handled things like aerosol
21 physics, iodine chemistry and the aqueous pool,
22 chlorine reactions with metal surfaces; things like.

23 DR. MARTIN: Yes. And for our purposes we
24 have, of course the MAAP code performing accident
25 evaluations. Primarily the models do exist for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fission-product transport, they exist for settling of
2 fission-products. As you probably know with the MAAP
3 code it is a lump-parameter code, but the models are
4 pretty sophisticated even for a rather, say, less
5 mechanistic type tool. Less maybe relative to say what
6 you're more familiar with MELCOR, something like that.

7 Models do exist.

8 We have had questions along that line. I
9 know we have an open question, I believe it's 19.3.35
10 with regard to some discrepancies between the MAAP and
11 MELCOR with a particular steam generator tube rupture-
12 type situation. And so we have been sensitive or
13 sensitized to that type of concern and in discussion
14 with the staff.

15 CHAIR POWERS: Well, you understand my
16 dilemma here. The only reason I care about this stuff
17 at all is because if you don't preserve containment
18 integrity, or even if you do, you get a certain amount
19 of leakage of radionuclides out and in these severe
20 accidents putting out a lot of radionuclides, I
21 presume.

22 DR. MARTIN: Of course.

23 CHAIR POWERS: And I'm struggling to know
24 exactly what you did.

25 Now, a certain amount of experience, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 very limited amount of exposure to the MAAP code
2 suggests an awful lot of versions of MAAP. And I'm
3 not exactly what version you use. And I know that
4 there are lots and lots of things that get done to it.

5 DR. MARTIN: Certainly. I'll touch on all
6 these subjects related to how we go about performing
7 our analytical studies. I'll try to be sensitive as I
8 go through to radiological transport.

9 CHAIR POWERS: Good.

10 DR. MARTIN: All right. Trying to close
11 out this slide, I guess my final point I wanted to
12 make is that the topical report that was prepared has
13 been incorporated extensively by reference. It
14 provides detail, again, on the test program,
15 analytical methods credited for demonstrating the
16 fidelity and robustness of our design to severe
17 accidents within the contents defined by the
18 applicable regulation.

19 Okay. As I've already stated, our key
20 guiding document for addressing evaluation of severe
21 accident phenomena is the SECY-93-087 with five
22 primary areas that are identified here. These are
23 emphasized in the Standard Review Plan in Reg Guide
24 1.206 as requiring a broad level of detail relating to
25 the role of design to prevent and mitigate adverse

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conditions.

2 I could go into detail on these, but I
3 would think I could probably touch on these as I go.
4 Later I have some analyses, a limited amount of
5 analyses and I'll probably make a reference to maybe
6 some of the criteria I was shooting for or what I was
7 looking at the time. So I don't think I need to read
8 this slide.

9 CHAIR POWERS: Well, let's talk little
10 bit about hydrogen control.

11 DR. MARTIN: Okay.

12 CHAIR POWERS: In this analysis are you
13 relying on passive catalytic hydrogen recombiners?

14 DR. MARTIN: That's correct.

15 CHAIR POWERS: Well, what do you do about
16 poisoning?

17 DR. MARTIN: Well, that has been a topic
18 that we've been sensitized by the staff. We've had a
19 RAI. I believe maybe Annmarie you offered that RAI.

20 We have addressed that RAI probably a few
21 months ago with regard to just that line of
22 questioning, aerosol poisoning, fires, carbon
23 contamination. And it was several other things.

24 I wasn't the key author of that RAI,
25 although I did have a role in reviewing it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We, I believe, made reference to a
2 considerable number of tests that AREVA has been
3 involved in directly, that AREVA has been involved
4 with at least through its relationship with EDF.

5 I believe there might have been some
6 other, maybe, OECD tests, there's a PHEBUS test that I
7 think we mentioned several times in that response.

8 So I would say the answer to that is we
9 had considerable amount of empirical type results to
10 discuss this, as well as some theoretical performance
11 information that would compliment that. But probably
12 focus more on experimental empirical type data in that
13 realm.

14 MS. SLOAN: And we can make sure we
15 identify that RAI response and make sure you get the
16 text of that.

17 DR. MARTIN: In fact, it was several RAIs.

18 MS. SLOAN: Yes. We can take the action to
19 get the particular RAI numbers and ADAMS accession
20 numbers so you can take a look at those.

21 DR. MARTIN: Although that was Chapter 6,
22 I believe.

23 MS. SLOAN: Well, we'll look it up.

24 DR. MARTIN: But I didn't want you to go
25 off in Chapter 19 and look because I believe it was --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR POWERS: Well the difficulty I have,
2 of course, is that in one of the tests you made
3 oblique reference to involves an environment that is
4 different than the environment that you're going to
5 have when you have corium debris penetrating your
6 vessel and coming down into your core spreading
7 device. And yet it's in that stage where you have the
8 potential of getting abundant hydrogen production.
9 And we know that these PAR devices, at least the ones
10 that I am familiar with, have platinum or palladium
11 which is very reactive toward metals or sulfides. And
12 certainly in ex-vessel stages of accidents we get a
13 lot of sulfides in the atmosphere. And I don't see
14 those in the tests that I know of that you're referred
15 to as qualifying your PARs.

16 And we go back into the literature of
17 PARS, we find particularly where they have been used
18 for diesel fuels, that's one of their primary
19 concerns, the metals and sulfides and things like that
20 that we get in abundance during these later stages of
21 reactor accident.

22 MS. SLOAN: I think Dr. Power, I've
23 captured the question that I'm hearing is it will be
24 addressed in Chapter 6. We'll follow-up and make sure
25 that you get the RAI responses and we'll take it and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 make sure that when we come back for Chapter 6 we
2 address this is that presentation.

3 MR. FULLER: This is Ed Fuller.

4 We'll also looking at this a little
5 further for the Chapter 19 review subsequent to your
6 comments at the last meeting, Dana. And we're working
7 in conjunction with Annmarie right now to make sure
8 that we do some confirmatory work as well as formulate
9 possible additional questions.

10 CHAIR POWERS: Thank you. To we have a
11 TBD down there. And he jumps off this slide quickly.
12 I just started on --

13 DR. MARTIN: The main thing my wife
14 worries about me going off on tangent and talking too
15 much, but I don't mind talking too much.

16 Unless there's anything else, I'll move on
17 to the next slide.

18 Now it sounds like you've done a little
19 bit of homework here and you're cognizant of kind of
20 the main features. Because I have not said the word
21 passive autocatalytic recombiners, but I was going to
22 get to it in this slide.

23 Here, I'll just try to gloss over real
24 quick and give everyone, just reset their bearings on
25 what we have in this plant with regard to severe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 accident design features. And as you see, I've in
2 this illustration pointed out the key ones here. And
3 I guess I'd rather go in order of, maybe, event
4 progression.

5 Assuming a severe accident the first stage
6 of moving into what we'll call the severe accident is
7 when the core exist thermocouples read about 1200
8 Fahrenheit. Upon receiving that signal, and you know
9 that's still a parameter that we will refine, say,
10 during a detailed design. So it's not the only thing
11 we'll be looking at.

12 But nonetheless, on declaration of severe
13 accident operators are to be instructed to open
14 primary depressurization valves which reside above the
15 pressurizer. Of course that provides the opportunity
16 to blow down the system with the goal, of course, to
17 prevent a high pressure melt ejection. In doing so,
18 and if you're in a severe accident, you expect in-
19 vessel hydrogen production and hydrogen again escaping
20 into the containment.

21 The primary mitigation of that hydrogen,
22 as we've just discussed, are with passive
23 autocatalytic recombiners. The performance of the
24 CGCS, the combustible gas control system is enhanced
25 by the design of the containment itself. The term now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is the CONVECT system, which comes up with the
2 containment analysis.

3 Early on we called it a hydrogen mixing
4 system, but the system with dampers and rupture foils,
5 rupture foils appearing above the equipment rooms,
6 above the steam generators and then dampers that
7 reside in the wall adjacent to the IRWST in an outer
8 containment region. In an event in which the inner
9 containment region pressurizes the rupture foils, and
10 there's also these convection foils, which open on
11 temperature --

12 CHAIR POWERS: One of the things that you
13 have in this containment is a fair amount of
14 compartmentalization and you're providing these relief
15 paths so that you get mixing. What happens if the
16 relief path doesn't open?

17 DR. MARTIN: Excuse?

18 CHAIR POWERS: Suppose your relief path
19 doesn't open and I'm blowing this mixture of hydrogen
20 and steam down there. And the steam condenses in the
21 cold structures and I'm left with individual
22 compartments that have hydrogen, presumably, that
23 could be up way into detonable regimes.

24 DR. MARTIN: Well, we have spent a lot of
25 effort to make that hypothetical situation highly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 unlikely.

2 The rupture foils themselves are designed
3 to rupture on a relatively small differential
4 pressures. These are passive systems. I believe the
5 number is 50 millibar, or is it 35 millibar? Thirty-
6 five. Nonetheless, those are passive.

7 The convective foils, these also can open
8 on a pressure differential but to avoid this situation
9 as you have described, the convection foils by virtue
10 of naming these convection foils, are allowed to open
11 on an elevated temperature. And do you know what that
12 temperature is.

13 MR. BINGHAM: I don't recall what it is on
14 that.

15 DR. MARTIN: Okay. Nonetheless, in our
16 evaluation we, of course, tested these things, these
17 components, the rupture foils, the convection foils at
18 facilities in Germany.

19 The other side of the coin are the mixing
20 dampers. Now the mixing dampers are fail-open on loss
21 of power. They are attached to an I&C system such
22 that a pressure reading, a delta pressure across the
23 dampers of, I believe, it's either 50 or 35 millibar
24 will open so dampers.

25 So to answer your question our response is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we've incorporated into our design mechanisms to
2 prevent that kind of problem. We do have, of course,
3 passive autocatalytic recombiners in the inner regions
4 of the containment to mitigate high levels of hydrogen
5 there as well as the PARs are outside of that region
6 as well.

7 CHAIR POWERS: The question I come up with
8 is you had these devices that fail on differential
9 pressures. And you test them, and they sort of do.
10 They're rupture foils, kind of classic design and
11 things like that. And they do it on the design,
12 pretty close to the design kinds of delta Ps. And
13 then you have to show that in fact you get those delta
14 Ps at the time you want them.

15 And so I guess I'm asking is how do we
16 know that we get those kinds of delta Ps because my
17 experience is with relatively but compartmentalized
18 facilities when I blow hydrogen steam mixtures down, I
19 get surprisingly low delta Ps in mine. My rupture
20 foils never work.

21 I don't have your design, but mine are
22 pretty much a failure. You do not want a higher major
23 design in your rupture foils, whatever it is. Mine
24 don't work.

25 DR. MARTIN: Like I say, we extensively

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have studied the rupture foils. And I will say that
2 the first time we tried it, it probably wasn't
3 optimal. You learn by that experience. WE probably
4 have a little bit more money to iron our any design
5 efficiencies. And I think we're rather confident in
6 the design today. But I will say that it has evolved
7 over, probably even in the period of the last four or
8 five years.

9 MS. SLOAN: And I guess, Bob, I would just
10 add that persistent functionality, we're addressing
11 that in the context of Chapter 6.

12 CHAIR POWERS: Well, Chapter 6 is going to
13 be fun.

14 MS. SLOAN: I think that really comes into
15 play with the containment pressurization analysis.
16 And, in fact, that's part of the systems described in
17 Chapter 6. And I think we don't necessarily have the
18 system engineers here that were involved with that
19 testing program. But I guess what I'm hearing is we
20 need to take that as an action and make sure that for
21 the Chapter 6 presentation we have the right folks in
22 the room to talk about the testing program and
23 qualifications of the foils and dampers.

24 MR. TESFAYE: Yes. And I'd like to add,
25 Dr. Powers, that the staff has asked significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 number of questions regarding that issue in Chapter 6.

2 CHAIR POWERS: Good. Because I mean the
3 problem is that when you test these rupture foils, you
4 know you put pipe on one end and pipe in the other,
5 put the foil in between. Delta p, it ruptures fine.

6 I put it in a room, put it a -- even if I
7 put a nitrogen gas in there, yes, it fails. When I
8 put in condensing hydrogen and steam, it doesn't fail
9 because the steam is condensing out faster than the
10 foil can respond. And so you just don't get the delta
11 P that you need.

12 I mean,, the system was compartmentalized,
13 it's that not compartmentalized. And the difficulty
14 with all that is the steam condenses out because of
15 boiling into a relative cool room here -- well the
16 hydrogen that's left, you know, goes to the top of the
17 room, up there it is and not just combustible but a
18 detonable composition. And, you know, whatever in
19 this world causes things to spontaneous denote will
20 happen. And then you're struck into the question of
21 okay, so why? And that becomes a very difficult
22 question to ask because you're now putting dynamic
23 loads on things that were never intended to get
24 dynamic loads.

25 MEMBER SHACK: Are the mixing veins in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 blowout panel redundant? That is, I mean since the
2 mixing dampers are at least operator controlled?

3 DR. MARTIN: Well, there is a automatic
4 system.

5 MEMBER SHACK: Right. But they could also
6 be manually controlled.

7 DR. MARTIN: They also can be done
8 manually and they're also, like I said, fail-open.
9 And there's eight of them.

10 MEMBER SHACK: If only those worked, would
11 you get enough convection to solve Dr. Powers'
12 problem?

13 DR. MARTIN: We had an RAI, actually I
14 think that came under 19, for what fracture of
15 failures of the overall, both the dampers and the
16 mixing foils. And I believe we got below 50 percent,
17 possibly 25 percent of the assumed area was sufficient
18 to get the kind of mixing that was necessary to
19 mitigate hydrogen.

20 MEMBER SHACK: And what fraction of this
21 area is blowout panel and mixing panel?

22 DR. MARTIN: Well, I guess I should
23 explain a little better. The mixing dampers are
24 actually regionally below the heavy floor that
25 supports the RCS. And underneath that floor is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 IRWST. And in the wall above the IRWST and in between
2 the heavy floor are these eight mixing dampers.

3 And then above the steam generators, above
4 the equipment rooms are the rupture and convection
5 ports.

6 So anyway, just to kind of keep us moving,
7 I will be talking about the core melt stabilization in
8 more detail here. So I'll just move on to -- and the
9 role of the IRWST in just a moment.

10 Okay. Here in Section 19.2.2 identify the
11 preventive severe accident design features addressing
12 several event precursors described in the SECY-90-016.

13 These include ATWS and mid-loop operation, station
14 blackout, fire protection, et cetera. And kind of
15 along the lines of what I was saying earlier with
16 bypass issues, the detail in this section is cross
17 referenced to other system description systems
18 appearing in other FSAR chapters.

19 Okay. Now the next several slides I'll
20 provide a description of the U.S. EPR's severe
21 accident mitigation features. As we go through I will
22 present this information within the context of an
23 anticipated progress of a severe accident.

24 In this first slide what I'm illustrating
25 you can focus here on the reactor pressure vessel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 There in the center I've attempted to draw a molten
2 pool. Obviously, we've already gotten to the point
3 where we've lost cooling, we've had considerable fuel
4 damage, we've had fuel melt, we've had relocation down
5 into the lower part of the core region.

6 The lower core support plate is
7 considerable larger than, say, conventional BWRs. I
8 forget the thickness, but it's larger.

9 And then surrounding the core within the
10 core barrel is a heavy reflector. Maybe you've heard
11 that from other discussions on the EPR. But the
12 consequence of this heavy material in the core is we
13 effectively create a crucible of such which holds a
14 pool for some period of time until what we expect is
15 that the failure of the heavy reflector causes the
16 relocation from the core region into the lower plenum
17 region. And the general expectation is that that
18 metal melt would reside above the oxide melt. That
19 there would be some separation --

20 CHAIR POWERS: There was a brilliant paper
21 written by a truthfully perspicacious individual
22 pointed out that that's not true.

23 DR. MARTIN: Well, not true and a possibly
24 are two different things. You can't prove something
25 not true, necessarily because the exception is always

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 possible in rare events.

2 CHAIR POWERS: I believe that we now know
3 exactly when the metal will be will less dense than
4 the oxide. And in most circumstances the metal phase
5 will be the more dense. And I believe they did this
6 in the RASPLAV and MASCA programs in Russia validating
7 a brilliant and perspicacious analysis that preceded
8 the experiments by several years, the author remains
9 unnamed, of course.

10 And so what happens when the metal comes
11 down first?

12 DR. MARTIN: Well, that's okay too.
13 Because this design has been made to accommodate that
14 particular uncertainty. Nonetheless, the assumptions
15 kind of going into some of our analytical tools have
16 incorporated this particular assumption. Again, it's
17 not that important because, as you'll see in a moment,
18 our treatment of the ex-vessel phase of event, it
19 culminates that kind of uncertainty. Nonetheless, we
20 do get relocation in a severe accident or an
21 expectation is that'd be relocation from the core
22 region to the lower plenum.

23 As a matter of fact, I believe in the pre-
24 application topical report I actually do address the
25 different possible layering effect of oxides and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 metals, including a metal on top of oxide on top of
2 metal type situation.

3 But nonetheless, one way or the other, you
4 have significant relocation to the lower plenum. We
5 can fail the reactor pressure vessel leading to a
6 relocation into the reactor cavity.

7 In this illustration in the reactor
8 activity is shaded with, I'd say, a beige color. That
9 is there to represent the sacrificial concrete.
10 Behind that layer of sacrificial concrete is a
11 zirconia brick. The sacrificial concrete is
12 engineered in a manner so that in its reaction with
13 corium it conditions the melt. As a matter of fact,
14 it does two things.

15 It provides a period of temporary
16 accumulation, a time period to account for the
17 uncertainties with the end vessel progression
18 including that which you described with, say, the
19 effects of different laying combinations of metal and
20 oxide. Just as much as any kind of influence from the
21 operator or even some unforeseen type of phenomena.
22 Nonetheless, the sacrificial concrete provides a
23 buffering, a time buffer allowing for the reactor
24 cavity to collect as much as of the material as
25 possible before the system allows it to progress to a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 long term state.

2 MEMBER ARMIJO: Is that a special
3 concrete, high silica content or something that makes
4 a different --

5 DR. MARTIN: Correct. The constituents
6 high silica improves its spreadability.

7 MEMBER ARMIJO: Flowability?

8 DR. MARTIN: Flowability. And that is one
9 of the goals here. Obviously one of the goals, again,
10 is to make sure it's there for a few hours assuming a
11 large relocation. You can also imagine if you don't
12 get a very large relocation it takes longer to oblate
13 the concrete. So its self-adjusting in that sense.

14 The zirconia backing is provided
15 everywhere but the bottom center. There there is a
16 basically engineered failure spot. It like what we
17 call a melt gate. Above it is the melt plug.

18 After the melt has obliterated through the 50
19 centimeters or so of concrete, it will reach that
20 aluminum gate. Aluminum doesn't put much of a fight.

21 And then once that hole opens up, the melt residing
22 in the cavity is allowed to relocate into the
23 transferred channel.

24 Okay. This slide covers a couple of
25 phases.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The met in this case is now relocated from
2 the reactor cavity, has flowed into the spreading
3 compartment. In doing so it has severed a thermal
4 fuse, we call it a cable effectively that's tensioned
5 with what we call a passive flooding valve. And this
6 valve in opening completes the circuit from the IRWST
7 to a header residing underneath the spreading
8 compartment. That header feeds many channels spanning
9 the floor of the spreading compartment, underneath the
10 spreading compartment. And then the water will fill
11 that up. The hydrostatic head is such that faster a
12 period of time, a number of minutes, it will fill up
13 the spreading compartment in a manner that we can cool
14 from both the bottom and from the top. And, of
15 course, initially there will be some steaming. The
16 flow rate is such that it's only like a 100 kilograms
17 a second or so. This is basically engineered with a
18 flow limiter. So there's not a significant concern of
19 rapid steam expansion and containment over
20 pressurization. Over time crusts will form.

21 One of the benefits of the conditioning
22 process in the reactor cavity is that the oxides do
23 become lighter than the metal and it lifts the oxides
24 up. The oxides themselves, again, they crust, they
25 also insulate the rest of the melt. And then in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 insulating inhibit steaming, at least briefly. As the
2 room fills up eventually you saturate that compartment
3 and then there is some steady state steaming. Its
4 around between 11 and 15 kilograms a second based on
5 our analyses of that process.

6 CHAIR POWERS: If you could come back to
7 the first stages of this process.

8 Ah, you wanted to get by. You know that
9 I'm not going to --

10 DR. MARTIN: Only because I have -- you
11 made it harder to stay to the script.

12 CHAIR POWERS: You depict an oxide melt
13 penetrating at what in the parlance of the
14 thermohydrologists in this world is the focal point of
15 the heat flux on the boundary spewing into a
16 sacrificial concrete. And so you're going to have a
17 very hot liquid coming onto a gas-evolving solid.
18 You're going to have a tremendous production of
19 aerosols at that point most of which will be heavily
20 contaminated with radionuclides in what looks like a
21 fairly tight cavity. What happens to those?

22 DR. MARTIN: Well, I mean obviously it'll
23 be pressure driven. There are, as you said, it is
24 tight. And I described in the FSAR the tortuous
25 pathways that it takes to get into the broader

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 containment region. There is some ductwork for cooling
2 and it would serve as a leak point. But, again, as
3 being a tortuous path, opportunities for settling are
4 certainly there. And again, if you failed the reactor
5 vessel, you can plow that stuff right back inside.
6 And then there's certainly plenty of surfaces inside
7 there.

8 Obviously, the closer you are to the mess,
9 you know you're going to have the biggest effect and
10 it will be reduced, you know maybe r-squared,
11 somewhat, as you get farther away from the mess.

12 CHAIR POWERS: It really it is crucial in
13 this design that you be depressurized at this stage in
14 the accident?

15 DR. MARTIN: It is crucial, absolutely.
16 And certainly that's reflected in the SECY-93-087 that
17 all these designs incorporate a primary
18 depressurization system, or what do the other
19 competitors call them? Automatic pressurization
20 systems, and what have you. But that is obviously the
21 primary purpose of such a feature to prevent high
22 pressure melt ejection or even a lesser than high
23 pressure melt ejection.

24 But MAAP does incorporate some models that
25 provide for pressure driven transport of radionuclides

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that is there. And it, again, also has the models for
2 settling out.

3 CHAIR POWERS: Have you looked at the
4 situation of a polar failure?

5 DR. MARTIN: The what failure?

6 CHAIR POWERS: Polar failure? On the pole
7 rather than on the lateral edge with a pressurized
8 vessel?

9 DR. MARTIN: I think we had a question on
10 a spallation.

11 CHAIR POWERS: That's not the one I was
12 worried about.

13 DR. MARTIN: No. Launching. I mean, the
14 launching is a question that I believe has to be
15 addressed with the SECY-93-087. I'm sure I've written
16 something in here about that issue.

17 Actually, I believe Dave Gerlits, who is
18 listening on the phone in theory, has performed the
19 phenomenological evaluation, specifically regarding
20 the launching of a --

21 CHAIR POWERS: Yes. The depressure -- how
22 depressurized do we have to be before we start doing
23 grievous things. Of course, launching the vessel is a
24 picturesque description, but the more troublesome
25 thing is ripping out the penetrations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MARTIN: Sure. Well, to compliment
2 what Dave Gerlits did for the phenomenological
3 evaluations performed with the work in 19.1 for the
4 PRA effort, we took the results from our analysis.
5 Now we were relatively conservative in our treatment
6 of the depressurization process. We assumed a degree
7 of uncertainty in timing of opening up those primary
8 depressurization valves. In fact, the rule that will
9 be provided to the operator would be to open them up
10 immediately on T-core outlet. But in our assumptions
11 in doing our analysis we delayed it by as much as a
12 couple of hours. This was an uncertainty parameter
13 which I'll talk about in a little bit. And then on
14 top of that we only assume done train. In fact, we
15 have two trains.

16 So even in a conservative analysis we
17 showed in our results that we get to in the worst
18 scenarios down to between 10 and 12 bar. Now looking
19 at the results, obviously, I wanted to see us being 1
20 or 2 bar, you know. But there was work done, I
21 believe a Sandia, maybe colleagues of yours, that
22 identify kind of a threshold of no concern around ten.
23 And so I referenced that.

24 Clearly we have cases in what I would say
25 a conservative analysis where we're just above ten.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'd prefer that we be below ten. But as we sharpen the
2 pencil, certainly we can get down I think below ten.
3 And as we go into the detail design, go into the
4 accident management realm which of course we have
5 questions on, we will sharpen the pencil in those
6 areas and I think we will find that we don't have a
7 problem with regard to that issue.

8 CHAIR POWERS: I am vaguely familiar your
9 cite 400 psi, a little marginal on that. But my
10 recollection is that was born from experiments done in
11 specific cavity configurations and in particular for
12 relatively open cavity configurations a la Zion,
13 Surry, whatnot. And I don't know what the authors
14 would have to say about tight configurations, because
15 I don't believe they ever did experiments on what I
16 would call a tight vessel with a small cavity.

17 So the question comes up is: Is there a
18 threshold that they define applicable to this
19 particular vessel and cavity configuration?

20 DR. MARTIN: Obviously, I can't answer
21 without going back and studying that particular. One
22 thing you can think of, it does open up a little bit.

23 There is insulation, of course, all around the
24 reactor vessel which is sizeable. The expectation
25 would be in a case like this that would probably rip

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to shreds. And it would, in theory, open up but it
2 would also capture a lot of the mess on its way. And
3 it would not necessarily be allowed to flow out.

4 CHAIR POWERS: And again, that's not the
5 question I'm worried about. It's the recoil in the
6 vessel ripping penetrations out and creating a direct
7 leak to the outside.

8 DR. MARTIN: Yes.

9 CHAIR POWERS: And I believe the
10 experimenters did experiments for a cavity with
11 insulation in the vessel to cavity-wall gap and found
12 that what happened in contrast to what was expected,
13 which was that the insulation would be stripped of and
14 just pushed up into the containment building, that it
15 caught on various things and jammed up.

16 DR. MARTIN: Yes.

17 CHAIR POWERS: And though they had -- it
18 was certainly not leak-tight, it certainly created a
19 substantial pressure across there.

20 DR. MARTIN: Okay. Well, I'm not an
21 expert on all of that.

22 CHAIR POWERS: Neither am I.

23 DR. MARTIN: You know, local loads or
24 other things might also be relevant in that kind of
25 questioning. And other areas may also be relevant to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the discussion.

2 All right.

3 MEMBER SHACK: Just coming back to that
4 for a second. You have the cast iron cooling system
5 underneath there. And as I understand it, the
6 sacrificial material goes. And so you have the corium
7 sitting on the cast iron and you're confident that
8 this is going to work?

9 DR. MARTIN: That's correct. Yes. We
10 have, I believe it's ten centimeters of the
11 sacrificial concrete that has been engineered on that.
12 There's been some evaluation.

13 Basically that is there to buffer to
14 provide enough time that we can get fully developed
15 flow into the cooling channel structure. And then, you
16 know we certainly have analyzed it --

17 MEMBER SHACK: To limit that flow, right?
18 I mean, that's --

19 DR. MARTIN: The flow's limited to, yes, a
20 100 kilograms a second.

21 Now we have done tests. We've done
22 basically single channel tests at our offices in
23 Urlangen. Basically putting looking at flow going
24 through the equivalent channel and then, of course,
25 increase the heat flux to something equivalent --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actually equivalent and beyond to what we would expect
2 in this situation. So we do have a considerable
3 amount of confidence that comes from this test
4 program.

5 Again, it's described primarily in the
6 pre-application topical report. I believe I do
7 briefly mention it in this report because it
8 established a criteria for us to measure the
9 effectiveness of cooling. So even though there is not
10 a explicit criteria, say in the SECY-93-087, we
11 derived a criteria that we would then use to
12 demonstrate the performance of the cooling structure.

13 And then, of course, we followed with conduction
14 analysis, the WALTER code which I'll talk about in a
15 little bit.

16 MEMBER ARMIJO: Why did you pick cast iron
17 for that component? Anything special about it?

18 MEMBER SHACK: A nice Victorian touch, I
19 thought.

20 DR. MARTIN: We have a lot of experience
21 with cast iron. We all go camping and it seems to be
22 very effective at containing my steak, or whatever I'm
23 cooking.

24 CHAIR POWERS: But it's not so good at
25 containing materials that have a substantial amount

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of unoxidized zirconium in it.

2 DR. MARTIN: And we expect a lot of
3 oxidation of zirconium when we get to this point of
4 the game. Certainly lots of opportunities to oxidize
5 zirconium

6 MEMBER ARMIJO: There must have been some
7 basis for the selection of that particular material.
8 I just wanted to know what it was.

9 DR. MARTIN: You know, I would just
10 speculate. I assume it's relatively easy to forge.
11 It's a large single component.

12 CHAIR POWERS: Cheap and highly thermally
13 conductive agent.

14 DR. MARTIN: What's that?

15 CHAIR POWERS: Cheap and highly thermally
16 conductive.

17 DR. MARTIN: Yes.

18 MS. SLOAN: I think what I would suggest
19 is we follow-up then to get the why question.

20 CHAIR POWERS: Yes.

21 MS. SLOAN: That's what I'm hearing; why
22 rather than speculate.

23 CHAIR POWERS: Right.

24 MS. SLOAN: I think we just need to take
25 that as a follow-up action.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR POWERS: And then you can explain to
2 me what happens when it gets hit with a zirconium-rich
3 melt.

4 DR. MARTIN: Okay. Okay. And this slide
5 illustrates the severe accident heat removal system.
6 This system includes that phase I just talked about
7 with the passive cooling system. Again, it's with a
8 name like severe accident heat removal, it sounds like
9 an active. But we fold in this passive phase of heat
10 removal.

11 The piping illustrates here a couple of
12 modes. One, of course, was the passive flood the
13 orange.

14 As I said earlier, we do expect at some
15 point the pool above the spreading area to saturate,
16 this was steam. Steam, of course, does pressurize the
17 containment. And we have a spray mode. Now these
18 sprays are nonsafety-related sprays. These are sprays
19 designed for severe accident. And as we'll get into
20 eventually with Chapter 6, you know we do not have a
21 spray system to address design basis analysis. But we
22 do have a spray system to address severe accident.

23 It, of course, helps mitigate the
24 pressure, hold the pressurization. It also helps scrub
25 out fission products.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The layout of containment is such that the
2 spray water will drain down. Everything drains into
3 the IRWST. And so you have a closed-loop system with
4 regard to the cooling water.

5 Again, here's the spray line. The water
6 will spray down. You will get some condensation in
7 the coalescence. And everything leads right back down
8 to here.

9 In the long term when operators have
10 decided that it's time to address recovery,
11 remediation, decommissioning and exactly what that
12 time is, is yet to be determined. For the U.S. EPR it
13 may be 24 hours, or it may be beyond that. There is a
14 active flooding stage, in which case "active" meaning
15 an active pump that would circulate, again, from the
16 IRWST through the same channel where the passive flow
17 is and then into the spreading compartment.

18 And it'll illustrate better here it will
19 flood the spreading compartment, a chimney that
20 resides above it, but also because there's a hole here
21 it will flood up into the reactor pressure vessel area
22 and recovery any remaining melt. It also provides
23 another way to kind of capture fission products,
24 particularly anything that remains in settled areas,
25 as well as anything that might come out of the spray

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 system.

2 CHAIR POWERS: Let me ask you a question
3 about your sprays. I've talked to my friends and
4 neighbors about the EPR. They're intensely
5 interested, of course. Because New Mexico is so close
6 to Maryland, no doubt, they ask me gee, the spray
7 header in the U.S. EPR is not a safety-grade system.
8 But the sprays in Finland EPR are. And the spray in
9 Flammenville in France will be. How come it's not in
10 the U.S. EPR?

11 DR. MARTIN: That stems from different
12 definitions of safety-grade. We are more black and
13 white in this country and the countries are --

14 MS. SLOAN: It, in part, goes to how you
15 treat severe accident mitigation systems and how you
16 classify those systems differently in the U.S. than we
17 do in other regulatory environments. They're not
18 credited to perform a safety function in the Chapter
19 analyses, and that's essentially the criteria you
20 would use in the U.S. to do the classification.

21 DR. MARTIN: Moving on. That kind of
22 concludes the design description. But I expected it
23 to be the longest section of the discussion.

24 CHAIR POWERS: We have tried to disabuse
25 you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. SLOAN: I don't think I could tell.

2 DR. MARTIN: You know, I've had Ed and
3 Annmarie cornered for a day doing this day. I have no
4 problem going on. But Sandra and Brain, they'd take
5 issue I spend too much time.

6 MEMBER SHACK: Which of these systems ends
7 up in the RAP program? All of them?

8 DR. MARTIN: No. Well, the RAP list has
9 been modified. I provided some input on RAP in my
10 opinions. But it does not come down to my decision.

11 MS. SLOAN: We don't the answer.

12 DR. MARTIN: Right. But there are
13 components of this that I would say it's the active
14 components of the SAHRS fall underneath that. I would
15 certainly recommend. Again, I don't have a say that
16 the passive elements do not appear on this. I don't
17 think there's precedent for that.

18 MS. SLOAN: And we'll have to follow-up
19 and make sure you have a copy of the RAP list.

20 MEMBER SHACK: Well, it may even be in the
21 RAP list. I just don't remember it.

22 DR. MARTIN: There's update to that.

23 MEMBER SHACK: I can't remember what the
24 RAP list looks like off the top of my head.

25 CHAIR POWERS: Oh, Bill, come on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But John can.

2 CHAIR POWERS: You have some starters to
3 maintain yours.

4 MEMBER SHACK: I'm not even going to try.

5 DR. MARTIN: Okay. In this one, I kind of
6 as a transition slide getting to the analytical
7 methods, I put some motherhood statements to kind of
8 address our goals in moving forward with our
9 analytical methods. You know. motherhood statements,
10 sufficient technical qualities, address the goals
11 appearing in regulatory documents with emphasis on 24
12 hours or more likely severe accidents.

13 So, let me move on to this illustration of
14 what we're using to perform severe accident valuation.

15 The centerpiece of our analytical tools
16 is, as I've said, the MAAP code, MAAP Version 4.07 was
17 effectively commissioned with models to address EPR in
18 general, U.S. EPRs specifically. And in a case or two
19 this expanded on the ex-vessel modeling that was
20 necessary for EPRs, although the older versions of
21 MAAP did have some ex-vessel capability. But we
22 needed something to address multiple pools. We needed
23 something to address the influence on the inside of
24 the heavy reflector. We needed more modeling
25 capability in the containment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We have, as you'll see in the second
2 bullet, a model with 27 control volumes. We also keep
3 a model with 11 control volumes now for other studies.

4 So we have our version. MAAP 4.07 is now
5 the latest, greatest issue provided by EPRI to the
6 MAAP users group community. So our models are
7 available to members of EPRI.

8 Along with that we have a couple of other
9 codes that we use to perform supplemental analysis in
10 areas where MAAP is deficient or where we wanted to go
11 off and do studies that related to questions that we
12 had about severe accident phenomena.

13 These are the WALTER code, which is an in-
14 house code. It is a one dimensional heat conduction
15 code with phase change, a solid to liquid, liquid to
16 solid. We used that in a couple different areas.

17 And then we had the METSPREAD code, which
18 is an NRC-sponsored code. I believe it was developed
19 at Argonne addressing spreading of corium. And corium
20 mixtures with, say, concrete.

21 So those are the suite of codes that we
22 use primarily.

23 The evaluation methodology that I was
24 working with or working towards, I tried to model it
25 off, basically, the Reg Guide 1.203, even though this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is a Reg Guide developed for design basis safety
2 analysis, it certainly -- I of course with my own
3 background in design basis safety analysis I endorse
4 its approach and wanted to emulate it to some extent.

5 Obviously, it's a little more complicated with the
6 severe accident so it gets a unique flavor with this
7 application.

8 So I have what I term a three-fold
9 approach to the safety issue resolution beginning with
10 the identification of what I termed the relevant
11 scenarios or this is where I tried to define what more
12 likely events, more likely scenarios, which it appears
13 multiple times in the regulatory documents.

14 CHAIR POWERS: Now, I think this just gets
15 you into a conundrum here. Because what we're really
16 interested is the risk-dominant and not the frequency-
17 dominant scenarios. And so you get locked into this
18 CDF and it leaves you neglecting those things that
19 have low frequency, but they're the high consequences
20 like bypass accidents and things.

21 DR. MARTIN: Well, and in my topical
22 report I try to address that. I try to draw a line in
23 the sand where I say that we examined cutsets or event
24 categories that span, I believe, 90 percent of the
25 domain of severe accidents event precursors.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR POWERS: Yes, but you're still in
2 CDF space here.

3 DR. MARTIN: I'm still in CDF space.
4 Again, we have expectation to define more likely
5 scenarios. So this is how I went about it. And it is
6 Level 1 core damage frequency-informed evaluation.

7 CHAIR POWERS: As I have characterized
8 it's CDF-informed during normal operation events.

9 DR. MARTIN: Well, you know have to draw
10 the line somewhere. I mean, we can take remote
11 events, on top of remote events and remote events and
12 you could find something that's going to cause --
13 again, your low frequency high consequence. And
14 that's a separate element of Chapter 19. We've
15 certainly had questions on that.

16 When I say "more likely," I'm excluding
17 the very low frequency type events. So that's where
18 I'd begin all this work. So, that is a key
19 assumption, and it's certainly open to scrutiny.

20 so I've identified a set of relevant
21 scenarios. I'll get into that a little bit. I focus
22 on, like I said, classes and try to capture -- maybe
23 I'm getting ahead of myself a little bit. But since
24 you asked, I'll go into it a little bit.

25 I tried to take this classes of events and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 collapse them down into kind of a manageable set. And
2 then incorporate assumptions into this set, elements
3 that might characterize bounding conditions of the
4 class itself. So I've made an attempt at that.

5 I also carry along a few extra cases which
6 I don't advertise so much, to kind of accommodate
7 changes, the review process, whatever. Just to kind of
8 protect myself from the uncertainty of the process of
9 going through this type of review.

10 So I have this set. On top of that I have
11 an uncertainty analysis. And this uncertainty
12 analysis tries to examine all those elements that are
13 of interest and specified in the SECY-93-087. Again,
14 listed there, there's a same list before.

15 And then when I look at that going there
16 are going to be holes, there's going to questions just
17 like you have, or Ed, or Annmarie, or who. And then I
18 start targeting the holes. And that's the last phase
19 of it to compliment the other two.

20 So maybe -- sorry.

21 CHAIR POWERS: Maybe just to understand
22 better, I mean one class of events that always comes
23 promptly to mind with this particular unit as we get
24 into the severe accident analysis and all the material
25 that you covered earlier is suppose we have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 earthquake as the initiating event, how much does that
2 effect the progression that you outlined for us
3 before?

4 DR. MARTIN: Well, I don't get to what
5 causes the break or what causes the loss of a
6 component. You know, if it's an earthquake what I
7 would begin with is I've lost off-site power.
8 Obviously, that's a big one as you maybe recall from
9 our February meeting. Loss of electrical loads,
10 station blackout is a key contributor to our PRA
11 numbers. So that knocks out certain things. And then
12 we have assumptions along the lines of loss of the
13 backups, loss of anything that might lead to loss of
14 core cooling, effectively. You know, whether it's an
15 additional break; you know multiple failure obviously
16 lead to a severe accident.

17 So I don't know. It may not answer your
18 question with regard to earthquake, but I got to begin
19 with --

20 CHAIR POWERS: Yes, it does.

21 DR. MARTIN: -- a loss of a component, not
22 what caused the loss of the component.

23 CHAIR POWERS: But I mean in this case the
24 initiating event has, presumably, some impact on all
25 this structure that you've got for handling this core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 melt. And so it initiates the event and now the melt
2 comes down to the lower plenum, and now what does it
3 do when the carbon steel plate has now fallen to one
4 side and the flow paths that you've developed have
5 been ruptured?

6 DR. MARTIN: Well, I think, again you can
7 apply layers of failures. And layers of failures get
8 more and more remote as you try to find that Achilles'
9 heel. You know, we don't assume a unique failure of
10 the core plate, and I think that matters because we'd
11 get relocation to the lower plenum and you wouldn't
12 necessarily sit there on top of -- you know, I've had
13 a pool maybe on top of the plate and --

14 CHAIR POWERS: You see, the trouble I'm
15 having is you tell, okay, I'm going to look at things
16 where the core damage frequency is greater than 10 to
17 the minus 8. And I have a RCOLA coming to me on a
18 site that I'm sure has 10 to the minus 6 earthquake
19 core damage frequency, since every place has a 10 to
20 the minus 6 core damage frequency due to earthquake.

21 DR. MARTIN: Right.

22 CHAIR POWERS: So, I mean it's nontrivial
23 compared to your threshold. And I don't know how that
24 system, and they're not two things here. The
25 initiating event brings the damage to the melt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 relocation system simultaneously. And I don't know
2 how sensitive it is to that sort of thing.

3 DR. MARTIN: Well, I mean the question
4 certainly -- it's an obvious question whenever you're
5 dealing with the broad uncertainty that's there with
6 complex system. It's not a unique to U.S. EPR.
7 Certainly not unique to advanced reactors. Not unique
8 to nuclear power, even. So, yes, you can combine such
9 thing, such uncertainties.

10 I think this industry does a great job by
11 incorporating PRA. I think we get a much better look
12 at this kind of question. As a matter of fact because
13 we talk about it, we ask more questions.

14 So, I mean obviously I'm being a little
15 philosophical here. But, you know, that's where we're
16 at with those kind of questions. It becomes a bit
17 philosophical where you draw the line.

18 CHAIR POWERS: Well, you drew the line.

19 DR. MARTIN: We take a pessimistic
20 approach to these kind of analyses. Again, I used the
21 PRA information to the best of my ability. I do make
22 some assumptions. I assume for these deterministic
23 studies that our features set -- you know, most of our
24 features for severe accidents work, you know most
25 important being the pumps on the SARS, you know.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 My goal here is to demonstrate that the
2 concept works. And, of course, your job is to review
3 and see if there are vulnerabilities or limitations.
4 And at some point, you can find something that you can
5 come up with a scenario.

6 CHAIR POWERS: Yes, but I wasn't
7 imaginative. And I drew it within your boundaries.

8 DR. MARTIN: Well, I don't think you have
9 to be very imaginative to get to that point. I mean,
10 you can imagine, you know a meteorite, an asteroid --

11 CHAIR POWERS: But that would be outside
12 of your boundary. I drew it within your boundary.

13 MS. SLOAN: I think I've captured the
14 comment. I don't know how much further you want us to
15 go with the discussion, Dr. Powers.

16 DR. MARTIN: Yes. Well, I would say --

17 CHAIR POWERS: Not any further. I mean,
18 there's no point in taking it even further because we
19 haven't got anything here.

20 DR. MARTIN: Okay. This slide's on the
21 relevant scenarios. And I've kind went, like I said
22 in the previous slide, I got ahead of myself a little
23 bit in describing what we do. PRA Level 1-informed. A
24 combination of the many scenarios classes. And the
25 list of classes appear in actually Chapter 19 Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 1.

2 And I went through an evaluation process
3 to identify specific core and plant damage end states
4 that emphasize the reactor pressure, reactor system
5 pressure, reactor coolant system pressure at the onset
6 of core damage and also where the heat was going at
7 the time. You know, do I have, say, a natural
8 circulation loop going out into the loops themselves
9 or is it mostly heat contained, a pop could impact
10 that. Those I felt were basically number one and two
11 when it came to categorizing my relevant scenarios.
12 Obviously, the initiating event whether it was a LOCA,
13 whether it's a loss of heat sink were all incorporated
14 into that decision making process.

15 And in the end I have a summary table that
16 lists the probability of a given risk-relevant event
17 type leading to a particular core plant damage end
18 state.

19 Next slide provides a very high level
20 description of these events. The LOOP TR is a loss of
21 heat sink, a loss of off-site power event with
22 expected the bleed valves are not open, so the RCS is
23 high pressure at the time of core damage. In fact, I
24 have to assume a delay that the operators do not
25 follow the rules there of opening up the primary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 depressurization valves. So there is even a human
2 element to the assumptions which, I would say,
3 wouldn't necessarily be required in this kind of
4 activity but it was really necessary to get us to this
5 type of category.

6 Nonetheless, you see lists there. And
7 you'll see LOCA, you'll see loss of off-site power,
8 loss of heat sink without good power so that there was
9 a pump RCP on. So I also carry a couple of others, a
10 steam line break, I carry a large break LOCA. Again,
11 just in case I need additional insights to these
12 events.

13 That, gain, defines our best estimate
14 calcs.

15 Under the cornerstone of all our
16 evaluations hinges on uncertainty analysis.
17 Uncertainty analysis is in the tradition of Reg Guide
18 1.203 or the co-scaling applicability uncertainty
19 methodology. The bottom-up, top-down type approach.

20 I went through -- we didn't do a PIRT,
21 say, phenomenological identification and rating table
22 process. However, this kind of activity has been done
23 with EPR in mind. In Europe it's been done certainly
24 for conventional PWRs. I had that information and I
25 kind of composite together to identify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 phenomenological classes, as you see here in the first
2 column, the left column in red. And I've tried to list
3 them, more or less, in even progression order. You
4 know, there could be an exception or two, but you'd
5 certainly you'd understand. Thermal-hydraulic and
6 fuel rod degradation, core melt progression in
7 vessel, on and on.

8 The next step was to look at those classes
9 and kind of break that down into what I viewed as much
10 as what I could glean from literature. I do have some
11 experience, so my judgment probably colors it
12 somewhat. But stored energy to decay heat, obviously
13 metal water reaction are important early on. On and
14 on, identified several associated problems.

15 And then the next step was to look at what
16 was in the code that would reflect an influence on
17 those phenomena. And so I broke it down even further,
18 identified particular code inputs that which would
19 enact some kind of influence on my simulation event
20 progression. So, that is what the right hand column
21 is listing there.

22 I came down to what I felt were 27 unique
23 code inputs influencing the 19 or so or 15 or 19 or so
24 phenomena classes.

25 Okay. So what do I do with that? Well,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 allow myself to be recelebrated with the expectation
2 of SECY-93-087 looking for deterministic engineering
3 analysis and judgment complemented by PRA. The
4 uncertainty analysis that I have developed with a lot
5 of help from Mike, I should say, allows for broad
6 consideration of uncertainty. And I'm looking at 27
7 different parameters and these influences on many
8 phenomena.

9 I also include in the uncertainty analysis
10 a weighting on the relevant scenarios themselves. And
11 that, of course, is Level 1 informed. It does
12 incorporate some engineering judgment. So it's
13 certainly open to that kind of qualitative scrutiny.

14 And then, of course, I had to go off and
15 do a review for what would be the uncertainty domain
16 of those 27 parameters. And, actually I had a lot of
17 help because Fauske and Associates has done a lot of
18 this work. But they're not the only ones. As you
19 know, as your friends down the hall at Sandia have
20 done similar activity with MELCOR. And I also am
21 familiar with work by Randy Gauntt in this area. I
22 know he's focused a little bit on hydrogen in
23 particular. And so I've talked to him a little bit.
24 But, you know, I use the contacts, use the broader
25 state of the art understanding in this field

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 incorporated it into our methodology and have
2 quantified, to the best of my ability, the uncertainty
3 domain for the U.S. EPR.

4 The process itself, we apply a non-
5 parametric approach. I'm not sure how much you've
6 gotten into the work and the realistic large break
7 LOCA, but it is a methodology statistical approach
8 that what we're implying is similar to that which is
9 applied in the large break LOCA analysis, either Monte-
10 Carlo-like simulations with many sampled cases. These
11 are effective experiment, numerical experiments done
12 many times by sampling the individual parameters that
13 have been identified for treatment within the
14 uncertainty analysis.

15 CHAIR POWERS: The analysis that you're
16 doing here assumes that all your parameters are
17 independent.

18 DR. MARTIN: They're all independent,
19 correct.

20 CHAIR POWERS: And why should I assume
21 that?

22 DR. MARTIN: You know, you asked me that
23 question last September when I was --

24 CHAIR POWERS: I didn't get it answered
25 then either.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MARTIN: Although your example was a
2 little bit better in September because you used the
3 metal-water example. Because the work of Cathcart
4 Powell identified two uncertainty parameters.
5 Basically it's an exponential function. There's a
6 constant on the front and then exponential
7 uncertainty. And you pointed out that there was a
8 correlation. And I did ignore that.

9 And I think my statement there is, it is
10 an inherent assumption in approach.

11 CHAIR POWERS: And what it strongly
12 effects is your bottom line there that says, okay,
13 I've sampled 95 percent of the range. True only when
14 they're there independent. As soon as there was
15 correlation between them, now you no longer can say
16 that. In fact, you've narrowed it substantially. If
17 there's any correlation --

18 DR. MARTIN: Well, right, it gets
19 narrowed. And part of my answer then is what it would
20 be now. Generally by -- and it's not a hard and fast
21 rule, but regarding the uncertainty ranges the
22 coupling of correlation tends to broaden the overall
23 uncertainty and move out that tolerance limit.

24 You know, I think you get a higher level
25 of confidence the more parameters you're looking at.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Particularly, we have 27, we had like 30 or in the
2 LOCA. The more parameters you use and the more you
3 follow that rule of thumb, I think you're okay. Again
4 --

5 CHAIR POWERS: So I would like to have
6 some demonstration that that rule of thumb has any --
7 I will agree with you it seems plausible.

8 DR. MARTIN: Right.

9 CHAIR POWERS: I don't agree that I can
10 demonstrate that in any kind of persuasive sense right
11 now. I mean I don't argue with your argue with your
12 plausibility. But I do argue --

13 DR. MARTIN: Right. There is an exception
14 to every rule. It is one of those rules that you could
15 probably find an exception to. Even in design basis
16 space the regulations don't say 95. They say a high
17 probability of meeting criteria.

18 So I would think and beyond design basis
19 we probably have a little bit more liberty to stand
20 behind that kind of -- our own definition in this
21 particular case.

22 So, yes, you found me out. I forgot about
23 September you brought that same question up.

24 Fifty-nine cases is the magic number with
25 a unvarying assumption. As a matter of fact, I'm in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the camp where it is always the case but that'll be
2 something you'll probably get into more when you talk
3 more about realistic LOCA. All I claim really in the
4 FSAR and in our methodology is that it's a good method
5 estimate of tolerance limits. And I try not to make a
6 claim behind I have here.

7 But I don't believe I've used that
8 language in FSAR, but I could be -- I was trying to be
9 sensitive to that at the time. But I'm human.

10 Here's a list of selected uncertainty
11 analysis parameters. I've highlighted several
12 parameters impacting hydrogen uncertainty and core
13 debris coolability uncertainty. As I said before, I
14 had a lot of help there from Fauske and from the
15 MELCOR team at Sandia in kind of picking these numbers
16 here.

17 One thing is notable, however. Is that
18 the 10 CFR 5044 rules regarding combustible gas say I
19 have to look 100 percent metal water reaction with
20 regard to hydrogen generation. The codes tried to
21 best estimate, as well as they can with today's state
22 of the air. As such, if you perform a best estimate
23 analysis, you don't get a 100 percent. So I'm really
24 not familiar what other people do, but what I chose to
25 do was buy us parameters that I thought would have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 greatest influence on the hydrogen generation.

2 So, for example, if you look at the first
3 one, it's a water reaction multiplier. You would
4 think best estimate would be one. A multiplier of
5 one. You can see I used --

6 CHAIR POWERS: No you wouldn't.

7 DR. MARTIN: If someone did a best
8 estimate model, you would hope the multiplier was one.

9 CHAIR POWERS: No, absolutely not. I
10 mean, you're trying to compensate here for not only a
11 zirconium reaction with steam, but also a stainless
12 steel reaction with steam.

13 DR. MARTIN: I think it's a model that's
14 applied to both. True.

15 CHAIR POWERS: I mean it has to be greater
16 than one.

17 DR. MARTIN: So, again, I'm trying to get
18 100 percent. I wasn't getting that. So you can see,
19 1.5 is above what a best estimate model would be.
20 Now, you know Fauske, I believe they don't use 1.5.
21 They'll say a low value, I believe, of one. And then
22 a high value might be 1.5 or something like that.

23 I shifted that, obviously, to get more
24 hydrogen.

25 CHAIR POWERS: And the problem that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have with that, not so much with that one, but with
2 many of these is that you said yes there's a range,
3 but I don't know what that range really ought to be.
4 And the way you sample, those are kind of fixed ranges
5 there.

6 DR. MARTIN: They're fixed ranges, that is
7 true. So the integrity analysis with these
8 assumptions.

9 CHAIR POWERS: And the other problem that
10 you have, it seems to me with this, is for instance
11 take particularly the debris size in the lower plenum.

12 What you have is a single particle sized model until
13 you pick the particle size there. But, in fact, we
14 know it's a distribution of particles.

15 DR. MARTIN: Right.

16 CHAIR POWERS: And there's no reason that
17 that behaves at all --

18 DR. MARTIN: Right.

19 CHAIR POWERS: In fact, we know absolutely
20 that mixed debris tends to behave like the smallest
21 debris particle in there. And so your range is in
22 fact, even when you were in the coolable direction,
23 where it probably should not be.

24 DR. MARTIN: Well, you know, the process
25 to come up these numbers is not just, you know -- and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 particularly in the case of Fauske and Associates.
2 They have studied these, you know, their code
3 sensitivity to the many tests that are available in
4 the severe accidents experimental domain. I think
5 Fauske's like Sandia, you know has had ample access to
6 the best that's out there. And I think we all
7 acknowledge it. You know, they are leaders in the
8 industries on this stuff.

9 So that's the pedigree. It comes back to
10 that expertise and that empirical evidence of how the
11 codes perform against that empirical evidence.

12 Granted, they themselves acknowledge that
13 one number doesn't do it by itself for all tests.
14 That's why they provide both the high and the low.

15 So there is a method to the madness. You
16 know, it's logical and we're just following on by
17 using kind of contemporary uncertainty analysis
18 methods to get to our results. But at a proper review
19 of this process, again, has to look from bottom up.
20 It also has to consider it from top down.

21 The bottom up being breaking it down like
22 this. This is the right way to do it. Breaking it
23 down to the phenomena, looking at how the codes
24 respond to the sensitivity in these particular
25 parameters. And then also where those parameters come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from. That comes from integral tests and how the
2 codes respond there. And that's how you do an
3 uncertainty analysis today. And that has been
4 captured, I think, in the Reg Guide 1.203, which is
5 only five years old now. But that's where we're all
6 moving to, and it's the right approach to doing both
7 safety analysis and, in this case, severe accident
8 analysis.

9 And all our competitors should follow our
10 lead.

11 CHAIR POWERS: And problems you run into
12 are things like corium friction coefficient, and
13 nobody knows what the corium friction coefficient it
14 is. It's a parameter in the code to compensate for
15 physics they don't care to model.

16 DR. MARTIN: Right.

17 CHAIR POWERS: And so the only recourse
18 one has with that is to run against some test and vary
19 it. And, unfortunately, there are 15 other parameters
20 in the code. And so you don't have a unique set.

21 DR. MARTIN: Right.

22 CHAIR POWERS: And consequently corium
23 friction coefficient has an obscure correlation with
24 the other core. And so ipso facto is not
25 uncorrelated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MARTIN: Right. Well --

2 CHAIR POWERS: And no one knows what the
3 appropriate range is. I mean, you take in a factor of
4 100, it looks very impressive, you know, huge range.
5 But in fact the real range on what that corium
6 friction coefficient is could be much larger.

7 DR. MARTIN: Right.

8 CHAIR POWERS: Or it could be biased in
9 the region which actually turns out to be worst in
10 these calculation. We simply don't know and nobody
11 can know because you can never measure the corium
12 friction coefficient.

13 DR. MARTIN: One thing I did as kind of a
14 sanity check. And I don't think I've incorporated it
15 in our discussions with the NRC. Is what also kind of
16 becoming best practices in best estimate analysis is
17 importance analysis or sensitivity analysis that
18 incorporates the results from this kind of analysis
19 and effectively you can use that as data effectively
20 to identify the importance of the parameters that are
21 being sampled.

22 Now, it is a function of the -- well the
23 importance of that particular -- real importance of an
24 individual parameter, but it is also a function of the
25 domain chosen. So you can take a very important

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 parameter at a water reaction site, if you held it
2 constant, you wouldn't see a sensitivity. Meaning
3 that you could take even in the case of, say, what you
4 just mentioned, the corium friction coefficient and
5 its two orders of magnitude. Obviously, it's a very
6 broad sample range. That may or may not show up in
7 the sensitivity analysis.

8 So but it is a way that allows you to kind
9 of close the loop with that decision making process.
10 Now in that particular case, corium friction
11 coefficient I don't believe come up even though it has
12 two orders of magnitude sample range. But things that
13 do come up are metal water reaction, the art of
14 cladding breakout temperature and fuel melt
15 temperature. You know, it has a big influence on both
16 the hydrogen and core debris coolability. These
17 things do pop out.

18 Now I will also say that severe accident
19 analysis, and there's a lot of uncertainty as I think
20 everyone would agree, the important elements that come
21 out of the analysis, this particular analysis, aren't
22 quite as dominant as, say, in LOCA where very clear
23 break size is really important. Heat transfer, post-
24 CHF heat transfer, these things are very dominant in
25 the progression of a LOCA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Severe accident it's a little bit grayer
2 and there are more things that kind of play a role.
3 But nonetheless, you can get a lot of insight and kind
4 of close a loop on methodology development.

5 CHAIR POWERS: I think I know what you've
6 done, I'm not absolutely certain. I assume what
7 you've done is when you say I've come up with these
8 various parameters that you considered uncertain that
9 you have subsequently looked at the correlation of
10 those parametric values with figures of merit that you
11 select --

12 DR. MARTIN: Correct. Exactly.

13 CHAIR POWERS: And I suspect that you've
14 used a Pearson-type correlation model. And so you've
15 looked at the linearity in linear correlation between
16 results and parameters values in a system that is, if
17 anything, that is nonlinear. And I think it would be
18 very useful to get those results.

19 I'd like to know why you chose Pearson
20 correlation coefficient --

21 DR. MARTIN: Spearman is also used. I
22 wanted to use something --

23 CHAIR POWERS: Spearman is identical to
24 Pearson.

25 DR. MARTIN: Right. And these are --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR POWERS: Kendal Tau, BKR, things
2 like that. BKR is used for when things that are not
3 very correlated. But Kendal Tau is nice because it
4 will reveal nonlinear correlations with the result.

5 DR. MARTIN: Yes. I focused on, again,
6 because you can almost infer because I used large
7 ranges and uniform distributions that what really
8 matters most is variance -- you know the tolerance
9 limits of the figures of merit relative to the changes
10 being incorporated into the analysis. So I tried to
11 quantify what those were.

12 The ranking process are just strictly
13 that. They're ranking and they're not given in terms
14 of, say, hydrogen concentrations. So that's why I
15 avoided the ranking methods for some of it.

16 But anyway, it is in the NURETH-13
17 proceedings. And we can certainly provide that if
18 you're interested.

19 CHAIR POWERS: Well, I think it's very
20 revealing. I find it one of the best code debugging
21 tools that I've got. And when you see a parameter
22 being important that you think ought not be important
23 you --

24 DR. MARTIN: Exactly.

25 CHAIR POWERS: -- the first thing to check

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is your code and not to try to understand the physics
2 behind a mysterious correlation.

3 DR. MARTIN: Exactly.

4 CHAIR POWERS: So, yes, it would be useful
5 to see those results. And where you see either strong
6 positive or strong negative parameters correlation and
7 then you ask the question did I make the range too
8 wide, not wide enough; things like that.

9 DR. MARTIN: Yes. It's a good exercise.
10 And, again, I expect you all to make our competitors
11 do the same thing.

12 CHAIR POWERS: I don't think people are
13 getting very active there yet.

14 DR. MARTIN: I think so.

15 CHAIR POWERS: But I continue to worry
16 about claims that you've samples 95 percent of the
17 parameter range when in fact you have not looked at
18 correlation in a realistic fashion at all, and yet
19 it's open to because you're using Monte-Carlo instead
20 of something really dumb like limited lat and hyper-
21 cube sampling. You can actually take the correlation
22 and make it one of your uncertain parameters where you
23 think that the correlation exists, or could exist.

24 DR. MARTIN: We can incorporate
25 correlation in this. It was a conscious decision made

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a long time ago that we would --

2 CHAIR POWERS: Yes, and fairly common. I
3 mean, most people do. But you choose parameters, your
4 parametric choices are, in some cases physical, in
5 some cases artefacts of the code. And when you choose
6 physical parameters, then you can choose them in such
7 a fashion that there's a high chance that they're
8 approximately uncorrelated. When you choose these
9 parameters that some code analyst has chosen to hide a
10 lot of physics in a simple parameter, they're making
11 them uncorrelated is a -- I mean, you can just never
12 argue that because nobody knows -- they can't be
13 measured, nobody knows what they are. They just match
14 a particular experiment done by some particular group
15 on particular occasion. And you don't know what the
16 correlations are.

17 DR. MARTIN: Yes.

18 CHAIR POWERS: And it reflects things.

19 Now I'm dying to see where we're
20 distributing deuterium around here.

21 DR. MARTIN: Yes, this was unfortunate
22 editing. It was not the way I shipped it out. It was
23 not a superscript, it was a subscript.

24 But anyway, I wanted to kind of just go
25 through our results. Of course, the FSAR discussed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what we got.

2 With regard to this slide, combustible gas
3 control system evaluation, our analysis met the
4 following criteria. And this comes from the SECY, so
5 I'm kind of repeating.

6 First off, that the hydrogen was well
7 distributed in the containment and removed for the
8 PARVs for load minimization.

9 This was evaluated by looking at, again,
10 we had a 27 node model and then looked at how the
11 ranges of individual compartments varied against each
12 other. And we're looking for a relatively tight band.

13 And so, you know, they don't all lay on top of each
14 other but there is a good trend in all the
15 compartments.

16 This next item is, you know, you're
17 probably most familiar with the 10 percent by volume
18 concern. Again, the PARVs do their job and keep us
19 well underneath the 10 percent limit.

20 CHAIR POWERS: When the PARV does its job,
21 it is in fact burning hydrogen. And it must surely
22 get locally quite hot on that PARV. If I have things
23 like particulate cesium iodide following through this
24 hot zone along with the hydrogen, do I convert the
25 cesium iodide into iodine gas?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MARTIN: I can't answer that.

2 CHAIR POWERS: It seems like I would.

3 DR. MARTIN: It's certainly plausible.

4 MS. SLOAN: We can take as an action.

5 DR. MARTIN: Yes, you know, you're burning
6 and you're in an environment where you could put an O₂
7 on probably a lot of things.

8 CHAIR POWERS: Isn't it true that Nelson
9 did some hydrogen combustion events, experiments with
10 -- I know nobody's suspended cesium iodide, but he
11 distributed cesium iodide in his cell and absorbed
12 iodine gas.

13 DR. MARTIN: I'm not familiar with the
14 work by Nelson. But we can look it up.

15 All right. Well, that's a good question,
16 and it kind of relates back to the early discussion
17 about RIAs that Annmarie had provided.

18 Okay. Moving on. The next one relates to
19 reducing hydrogen concentrations below 4 percent by 12
20 hours.

21 CHAIR POWERS: Were you homogeneously
22 combustible during that 12 hours?

23 DR. MARTIN: Excuse me?

24 CHAIR POWERS: You go from a maximum of 10
25 percent down to 4 percent. That's over the course of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 12 hours. So you're in the combustible regime for 12
2 hours roughly. And the probability of not getting a
3 spark or an ignition event, I mean we know from TMI
4 that there are spontaneous events are at least a non-
5 zero probability over a 12 hour period. That's only
6 true if you're not steam-inerted. You have spray
7 system which could cause you to be de-inerted in
8 there.

9 DR. MARTIN: Right.

10 CHAIR POWERS: So basically what I'm
11 asking you is did your PARVs work in the sense that
12 they perverted a global deflagration, which you tell
13 me in your next slide in your containment, and I'm not
14 surprised by that. Nevertheless, a global hydrogen
15 combustion event is non-trivial. And again we know
16 from TMI that that does damage internal equipment that
17 we might be relying on for recovery post-accident
18 safety measures and things like that.

19 DR. MARTIN: Could be.

20 CHAIR POWERS: And so the question I'm
21 really posing to you is where you combustible over
22 that entire 12 hours?

23 DR. MARTIN: And the answer is no.

24 CHAIR POWERS: No?

25 DR. MARTIN: We're not combustible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR POWERS: That means you did not
2 activate your sprays?

3 DR. MARTIN: No, we did not activate. As
4 a matter of fact, it's not a requirement in the U.S.
5 but one of the reasons for the 12 hours is to
6 demonstrate that we can accomplish these goals
7 passively.

8 CHAIR POWERS: But then the question is
9 what is the chance that the operators would observe
10 your encyclical against activating the sprays over a
11 12 period?

12 DR. MARTIN: Of course, we have to look at
13 that too. And I am co-author to a paper appearing in
14 June on the subject at ICAP. So we've done some work
15 on that as well. And basically come to the conclusion
16 is that while reducing the inerting to some extent
17 does occur, it does not create a significant impact to
18 the situation that we have a combustible problem.

19 CHAIR POWERS: That's going to be a very
20 interesting paper. I mean, your spray is extremely
21 effective at de-inerting you.

22 DR. MARTIN: Well, it goes to both how
23 much hydrogen producing. It considers the performance
24 of the PARVs. And it doesn't necessarily take 12
25 hours to reduce down to 4 percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 As a matter of fact, you'll see in the
2 next slide, and I'll talk about it in just a second, I
3 just have a lot of dots right now. But we get down
4 below one in that time period.

5 Regarding the flame acceleration, DDT that
6 situation, you know we apply methods. I'd have to go
7 back and review to what extent I described that in the
8 FSAR. We followed a methodology as it states here
9 appearing in the state of the art report on
10 containment thermal hydraulics. Maybe you're familiar
11 with it.

12 CHAIR POWERS: I'm going to have to
13 truthfully admit to being absolutely confounded by the
14 idea of DDT.

15 DR. MARTIN: What's that?

16 CHAIR POWERS: I do not understand DDT. I
17 don't understand the experiments. I don't understand
18 what's going on physically. And I certainly don't
19 understand the methodology.

20 DR. MARTIN: Right. Well, and we were
21 focus on flame acceleration, the criteria to basically
22 show no flame acceleration. Without flame
23 acceleration, we don't get DDT. So we tried to stay
24 on that side of the fence that we didn't have to focus
25 so much on those analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So if I have not done a good job in there
2 describing the methodology, it is certainly in the
3 work we've done. It's been 2½ years almost, so --

4 CHAIR POWERS: You know the problem.

5 DR. MARTIN: I'm pretty sure after 300
6 some RAIs we've had, we've probably had something on
7 hydrogen. But it hasn't been as big an issue as some
8 of the other ones that we have focused on.

9 And here's one of the plots that appears
10 in the FSAR on hydrogen. It identifies peak hydrogen
11 concentrations during significant events. And the two
12 I'll just focus on, under the two decided the peak
13 hydrogen concentration in these analyses period. And
14 you can see in the limiting case, we get about 8½
15 percent hydrogen concentration. And then you can look
16 the one corresponding to the initiation of sprays
17 which follows the 12 hours. And we didn't consider
18 that as an uncertainty parameter. Twelve hours after
19 the declaration of a severe accident we turned on the
20 sprays in these analysis. You can see it's all under
21 one percent here. Here's the little light blue
22 dashes. And the other ones are at different phases in
23 the event. You can see gate failure, two hours before
24 that is so called near-RV failure. So there are other
25 ones that are in between. These kind of bookend the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 events that are appearing in this slide.

2 CHAIR POWERS: So you activated sprays
3 only after a period of 12 hours?

4 DR. MARTIN: Correct.

5 CHAIR POWERS: And you've got peak
6 concentrations akin to those at TMI. Kind of
7 interesting. A universal constant 8.5 percent for
8 large PWRs. And it's also worth noting that the
9 pressure rise at TMI was only 26 psi.

10 DR. MARTIN: Right. Right.

11 CHAIR POWERS: So presumably it would be
12 the same here.

13 DR. MARTIN: Right. And in our analyses
14 regarding to combustion loads, our first pass at this
15 we focused on 80 adiabatic complete combustion metric
16 to evaluate those kind of limits. And maybe one of
17 the open items that we have that Ed will talk about
18 relates to the consequences of draft Reg Guide 1.203.

19 And where in December of 2008 a new expectation was
20 provided with regard to severe accident and
21 combustible gas loads. And we've addressed those in,
22 actually, we've basically sharpened the pencil because
23 it has been needed to to address the changes to -- the
24 coming changes to the consequences --

25 CHAIR POWERS: Why don't I suggest that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 before we launch into MCCI, we take a 15 minute break.

2 DR. MARTIN: Fine. I ad so much momentum.

3 CHAIR POWERS: That's okay. We will do
4 so, and then come back.

5 (Whereupon, at 2:27 p.m. off the record
6 until 2:44.)

7 CHAIR POWERS: Let's come back into
8 session.

9 DR. MARTIN: Okay. All right. The
10 previous slide was on combustible gas control. In the
11 FSAR to kind of highlight those five main areas with
12 regard to stress and prevention. This next one
13 relates to the core melt stabilization system. And
14 that really encompasses from the time the corium comes
15 into the reactor cavity until its final stabilized
16 state in the spreading area. So there's several
17 analyses that were addressed with regard to the CMSS
18 evaluation. These are identified in the first bullet,
19 the first one being examine the temporary melt
20 retention and conditioning in the reactor activity.
21 The next one as relates to gate failures and question
22 whether the gate design was appropriate, whether in
23 fact it could in some way impede the designed
24 progression. It turns out to be a no never mind, but
25 nonetheless, we looked at that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Before you leave that what
2 is the difference between the melt gate and the melt
3 plug?

4 DR. MARTIN: Good question. Often times
5 get confused.

6 The plug is that part of the concrete, the
7 sacrificial concrete. It is the same material as the
8 other sacrificial concrete that resides in the pit.

9 It is separate. I should say it's a
10 moveable piece and it resides on top of this melt
11 gate.

12 MEMBER ARMIJO: That's the aluminum thing?

13 DR. MARTIN: An aluminum thing.

14 MEMBER ARMIJO: Okay.

15 DR. MARTIN: That the plug actually rests
16 upon as a -- well, it's a steel frame and the rest is
17 aluminum, aluminum cover. It is designed so that
18 during an outage or inspection or something, it could
19 be removed. There is a mechanism, a cart say, that
20 provides a means for removing that.

21 MEMBER SHACK: I have pictures of a guy
22 lifting that plug up. And it just sort --

23 MS. SLOAN: Atlas.

24 DR. MARTIN: They're pretty strong guys.
25 They're in Finland right now. We have a program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The next study I'll briefly touch on is
2 using the MELTSPREAD code, examining the melt-
3 spreading process. Like I said, I'm not going to, of
4 course, do it complete justice in the forum.
5 Obviously, there's many really good plots and graphs
6 and explanations that goes into some of the dynamics
7 of it all. I'm just summarizing the results here.

8 And then the last one is the passive
9 flooding and the long term heat removal of the spread
10 melt.

11 Regarding the first one, the temporary
12 melt retention and conditioning analysis. This was
13 done exclusively with MAAP. Again, this is a version
14 of MAAP, the incorporated models that are there to
15 address EPR specific type issues and phenomena.

16 One of the goals was to demonstrate that
17 the MCCI in the reactor cavity is still ongoing at the
18 time in the lower head plus lower support plate have
19 failed. That is the melt plug is still intact. This
20 was a conclusion of our analyses. You can see later,
21 and it's analyses that they got a different result
22 with MELCOR, which is one of our open items that we'll
23 talk about.

24 And along that lines, all of the
25 incorporated material has been diluted in the MCCI

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pool, meaning that we have a well conditioned melt for
2 spreading purposes.

3 MEMBER ARMIJO: But it's not going to be
4 homogeneous? When you say "conditioned," what do you
5 mean?

6 DR. MARTIN: Well homogeneous, I would say
7 on some level, the mixing and the homogeneity of the
8 metal and the oxide improves over time. Now again,
9 we're adding light oxides to heavy elements of both
10 oxides and metals. And so just the addition of the
11 light oxides as well as the chemical reactions that
12 are going on encourage this mixing process. This is
13 something that has been demonstrated in test programs
14 and it's observed empirically. So, yes, fairly well
15 homogeneous.

16 The next analysis was done with WALTER.
17 Again, there was some question early on whether the
18 aluminum gate would in some way impede the progression
19 and maybe even hold up melt in the reactor cavity. So
20 we went off and showed that regardless of the melt
21 composition, you know whether it's metal coming in
22 contact which of course metal being highly conductive,
23 thermal conduction, plows right on through the
24 aluminum. And similarly the oxide it's a little bit
25 slower, but even seven minutes the scale of a severe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 accident really isn't very long. And none of is
2 considered the mechanical load that would otherwise be
3 contributing to the failure. So this, at least in my
4 mind, turned out to be a no nevermind.

5 The next one was the melt spread analysis.

6 It was a very interesting analysis in which we look
7 at, of course, the assumptions of what goes into the
8 core itself, you know, prior to any kind of accident.

9 So we considered it a constituents of fuel of the
10 structure. And then, of course, we incorporate the
11 constituents of the sacrificial concrete into a
12 mixture. This is code input. It has the models that
13 evaluate the viscosity of this composition and then
14 evaluated the flow process and the multi-dimensional.

15 Well, we a two dimensional analysis. And then it
16 examines standing weights and the subsequent dampening
17 of sanding weight. And so those are the kind of
18 results that occur in the EPR.

19 And then this last one, long term heat
20 removal analysis. A couple of goals here.

21 One, we had the question earlier about the
22 load, thermal loads on the cast iron cooling
23 structure. I mentioned at that time that we had
24 identified a heat flux limit through these tests that
25 we ran in our Erlangen offices. It turns out nine

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 kilowatts, kind of our magic number that we're
2 shooting for. And there is some margin of that, but
3 nonetheless that one like staying below nine, we are
4 below any concerned with critical heat flux in those
5 cooling channels. Although we also showed in some of
6 those analyses that even above nine we don't really
7 have a problem with a little bit of boiling.

8 So that was one element of that analyses.

9 And then the other side of it was, well, just look at
10 how long it takes to finally stabilize and finally
11 solidify and look at the temperature profiles out to
12 30 days, which I believe the next slide looks at both
13 the near term and the long term.

14 There is separate with the metal and
15 oxide. We assumed -- we took kind of limiting or
16 bounding conditions with regard to thermal loadings
17 and corresponding oxide levels, say, 90 percent oxide
18 and just whatever happened corresponding to the
19 limiting cases from our MAAP analyses. So that we
20 would maximize the thermal load onto the spreading
21 area floor, onto the cooling structure itself. And, of
22 course, we incorporated the expected constituents
23 which led to a lighter oxide on top of the metal.

24 In the left hand side plot we're looking
25 at the thermal transient over six hours. So you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 see the oxide, of course, is extremely hot. It
2 doesn't take too long for the little bit of metal
3 that's in there to get below about 2,000 degrees
4 Fahrenheit and quickly establish a crust. Actually,
5 MAAP will predict crust.

6 MEMBER ARMIJO: I can't read the
7 dimensions on those charts. Are we looking at inches
8 or what on these?

9 DR. MARTIN: Inches, correct. Yes. We
10 used English units in our section, which has probably
11 caused some frustration because we have gone back and
12 forth with units with the staff on other RIA
13 responses. But so much of the work came from Europe
14 we tend to work in metric where we can. But to be
15 consistent with the other chapters in the FSAR, we
16 stuck with English.

17 So these are inches. And you can see we're
18 about the thickness here -- well, it's like 13, 14
19 inches of melt within the spread compartment, which I
20 believe is about 1800 square feet. I forgot to mention
21 that earlier, but I believe that's right.

22 MEMBER SHACK: 1872 is what the topical
23 says.

24 DR. MARTIN: Oh, okay. Thank you.

25 CHAIR POWERS: If you have melt spread

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 over this area and its hot, you -- enormous flux of
2 radionuclides into the containment?

3 DR. MARTIN: It's a high surface area, and
4 certainly you'd expect radionuclide transport to be
5 dependent on the surface area of that. Now, of course,
6 there's a relatively narrow chimney that it would be
7 funneling through.

8 You have just a matter of seconds, really,
9 before water comes in there. Now, as you can imagine,
10 it doesn't immediately cover the surface of the --

11 CHAIR POWERS: It would be steaming.

12 DR. MARTIN: Yes, it would be steaming for
13 some period of time. I believe in some rough
14 calculations, about ten minutes I think we get a
15 significant crusting of the surface and then you can
16 start putting in some surface a bit.

17 CHAIR POWERS: You have some confidence
18 that your flooding won't produce --

19 DR. MARTIN: Excessive?

20 CHAIR POWERS: Well, first of all,
21 flooding if you bring it in, it's going to produce a
22 lot of steam.

23 DR. MARTIN: Yes.

24 CHAIR POWERS: And then it's going to blow
25 radionuclides out. The next question is, too, why

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 isn't there a fairly strong fuel-coolant interaction?

2 DR. MARTIN: Well, because at a 100
3 kilograms a second you're not -- well, one, fuel-
4 coolant interactions is also somewhat a function of
5 more driven by the fuel. It's the breakup of the fuel
6 and kind of the self-perpetuating nature of the
7 breakup that leads to the rapid energy transfer to the
8 water. But all the water converts to steam in that
9 early phase. You get a 100 kilograms of water into
10 the spreading room and a 100 kilograms of steam early
11 on until you can wet that surface. But we also --

12 CHAIR POWERS: You know, it seems to me
13 that experiments we've done in which the core melts,
14 poured water onto melts and they got detonations. The
15 core in alternate contact mode, steam explosions.

16 DR. MARTIN: Yes.

17 CHAIR POWERS: And my recollection of the
18 way -- which is reasonably accurate since I use it in
19 the class I teach, is that they bolt the concrete pad
20 underneath the crucible where they've had the --

21 DR. MARTIN: Yes. Well, you know, I'd have
22 to obviously confirm my statements. But I believe the
23 reason for the flow limiter is to keep this below any
24 sort of threshold to cause an alternate contact fuel-
25 coolant interaction type situation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR POWERS: And usually the problem
2 that you have on the -- on the surface, is you're also
3 not boiling the water very fast so that you have
4 liquid water there. And if you have any instability
5 in the molten material surface --

6 DR. MARTIN: Yes.

7 CHAIR POWERS: -- then you get into this
8 divine netherland of what causes steam explosions.

9 DR. MARTIN: Right.

10 CHAIR POWERS: And I'd have to admit to a
11 certain amount of ignorance there.

12 DR. MARTIN: And, obviously, we have a
13 high degree of uncertainty. You know, we do have
14 tests. The silica content in the sacrificial concrete
15 also improves the surface for wetability. And also it
16 improves the melt with regard to fuel-coolant
17 interaction. It also improves the radionuclide
18 transport in cases. So there's a lot of advantages,
19 of course, to having that first phase in which the
20 melt gets conditioned and the silica is a big part of
21 that.

22 So moving on to the long term, that is the
23 right hand side. We did this with the WALTER code
24 looking at six hours to 30 days we can see that under
25 the assumptions of now active flooding in which the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 SAHRs, the severe accident heat removal pumps, are in
2 operation and underneath the cooling channel,
3 basically a steady state heat removal within a couple
4 of days you can see the blue line just peaks over the
5 solidus temperature that is identified by the dotted
6 line in that figure. But within a couple of day or so
7 we've effectively solidified the melt within the
8 spreading area and long term plans, of course, can
9 then be made about eventual recovery and
10 decommissioning.

11 High pressure melt ejection. And I'll
12 somewhat combine the discussion in the FSAR on high
13 pressure melt ejection and in the next slide on fuel-
14 coolant interactions. Also cross referenced is the
15 work that was done by our PRA team, Dave Gerlits,
16 primarily. There they did their own phenomenological
17 evaluations and then we supported them.

18 I believe I mentioned earlier the analysis
19 that we did with calculating the RCS pressure at the
20 time of failure. I mentioned about the ten or 12 bars.

21 So we complicated their --

22 MEMBER SHACK: That was the one system,
23 right?

24 DR. MARTIN: That was just one train,
25 correct. So I was a little conservative going in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 You know, you don't have a lot of freedom to redo this
2 things and sharpen the pencil in all these cases. But
3 it was acceptable to go forward with those kind of
4 results and discuss about the remoteness of high
5 pressure melt ejection, even in this more extreme case
6 with the assumptions with PDS activation and the use
7 of one train.

8 Nonetheless, the high pressure melt
9 ejection is really handled primarily in 19.1
10 complimented by the qualitative discussion and the use
11 of the uncertainty analysis to demonstrate the kind of
12 results we were getting with MAAP. So it's really a
13 two-fold response to addressing high pressure melt
14 rejection.

15 CHAIR POWERS: The response addresses the
16 dispersal issue and the potential for getting
17 literally direct containment heating in the
18 atmosphere. I'm still left with this anxiety over the
19 recoil of the vessel, whether you get that or not and
20 the behavior of the penetrations through the
21 containment. Do you have anything on that?

22 DR. MARTIN: Well, again, I think in the
23 Level 1 analysis I can't recall to what extent Dave
24 Gerlits had talked about that, but I know it came up.

25 I would have to yield to the work done as part of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 PRA and following their needs with regards to
2 addressing all these issues, and that being among
3 many. But I believe it's all included in the
4 phenomonological evaluation. But it is addressed in
5 19.1 section.

6 But you can see here, my second bullet,
7 you know Dave and his team were following the
8 precedent established in the staff's NUREG/CR-6338 and
9 then some of the work done overseas. And I can't
10 pronounce FZK, but in their document in Germany.

11 CHAIR POWERS: I think that doesn't exist
12 anymore anyway, so --

13 DR. MARTIN: Did they change their name?

14 CHAIR POWERS: Oh, you betcha. Twice.

15 DR. MARTIN: Okay. In a similar vein, the
16 discussion on FCI, it focuses qualitatively on the
17 design features or the characteristics of the EP that
18 minimize the potential contact for fuel-coolant
19 interaction and also -- actually, I believe I
20 incorporate by reference the discussion in the topical
21 report where I make reference to FARO and other tests
22 that effectively in the minds of those researchers
23 resolved fuel-coolant interaction issue for other
24 plant designs. And again --

25 CHAIR POWERS: Well, it may have resolved

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it in their mind but somehow Koreans and other people
2 seem to persist in doing experiments in the area.

3 DR. MARTIN: The more experiments doesn't
4 hurt, does it?

5 CHAIR POWERS: Well, you won't like these
6 experiments. They get explosions whereas FARO seemed
7 to be star-crossed as far as their ability to get
8 explosions.

9 DR. MARTIN: And likewise, the Chapter
10 19.1 phenomenological evaluations examine this using
11 methods which precedent has already been established.
12 Again, I'd have to defer to the PRA team on specifics
13 of that. And again, I believe it was discussed at the
14 February 18-19 meeting.

15 CHAIR POWERS: Your last bullet speaks of
16 containment failures. And you'll have to forgive me,
17 where do I look for your analysis of fragility of your
18 containment?

19 DR. MARTIN: Again, as in 19.1?

20 CHAIR POWERS: It's in 19.1.

21 DR. MARTIN: Yes. And of course, that's
22 much bigger than 19.2, so --

23 CHAIR POWERS: And this was an ABAQUES-
24 type calculation?

25 DR. MARTIN: Can you speak to that Nissia.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. SLOAN: Introduce yourself and --

2 MS. SABRI: Nissia Sabri.

3 I joined AREVA two years ago. I have been
4 working since then with the PRA group on the U.S. EPR,
5 mainly on Level 2.

6 My degrees are in nuclear engineering,
7 graduate degrees from engineering schools in France
8 and University of Florida.

9 CHAIR POWERS: Which schools in France?

10 MS. SABRI: INPD, it's in Grenoble.

11 I'm afraid I didn't actually hear the
12 whole question.

13 CHAIR POWERS: What I did was confess to
14 not doing all my homework. And I have not looked at
15 the containment fragility analysis.

16 MS. SABRI: Okay.

17 CHAIR POWERS: And I asked where it was,
18 and then I was told, fairly I had not my homework and
19 I knew I hadn't. And that I asked if that fragility
20 analysis was done with something like ABAQUS?

21 MS. SABRI: Well, to answer your first
22 question, the containment fragility is addressed in
23 the FSAR. There is specific section where we have the
24 fragility curve that we have generated using Monte-
25 Carlo methods based on deterministic inputs from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 structural group that was done using ANSYS.

2 I will not be able to give you all the
3 details, but the thermalistic structure analysis I
4 believe it will be covered when that chapter will have
5 the ACRS meeting. However, I can just give you on how
6 the composite fragility curve derived. It was
7 basically the containment was divided into six
8 sublocations and we had as input, the median pressure
9 of failure as well as the uncertainties that depend on
10 the methodology and the material. They have been
11 given to us and evaluated by the structural team. And
12 then using that, we did a composite fragility, as I
13 said earlier, using Monte-Carlo methods. And the
14 composite reflected actually the weakness location in
15 the containment, and that was the base of the dome in
16 the containment.

17 CHAIR POWERS: The base of the dome?

18 MS. SABRI: Yes.

19 CHAIR POWERS: What we see fairly
20 routinely in experiments with containment models is
21 hat failures seem to occur always at details in the
22 construction that are below the resolution of models.
23 And it is common for equipment hatches and things like
24 that to be those locations.

25 And the question is have you done a fine

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 enough gridding to identify the most susceptible
2 locations for failures and is there a sufficient
3 margin between the pressures we anticipate and the
4 failure pressures at those localized areas?

5 MS. SABRI: Well, we have actually a
6 margin between the design basis pressure and ultimate
7 pressure, factor of about 2.9 almost --

8 CHAIR POWERS: You saying 2.9?

9 MS. SABRI: Yes. And for the completeness
10 of the study at this stage it focused on fragility
11 concerning rupture of the containment. It did not
12 cover equipment actually penetrations that are, for
13 example, personnel hatch. A discovered hatch,
14 however, a closed hatch basically. A discovered hatch,
15 the hatch was one of the locations that was explicitly
16 modeled. However, it's when the hatch was closed and
17 there is --

18 CHAIR POWERS: That's fair. I don't
19 object to that.

20 The other question is we routinely
21 critique these is that they use core properties. Did
22 you use core properties or did you have temperature
23 dependent properties?

24 MS. SABRI: We did initially have
25 different fragility curves depending on temperature,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and that was on cold temperature transients as well as
2 third type of accident. I believe it's in the process
3 of a revision of the containment fragilities for any
4 other temperature than just the design basis
5 temperature.

6 CHAIR POWERS: Okay.

7 MS. SABRI: So the current fragility curve
8 in FSAR is only represented for one temperature.

9 DR. MARTIN: Okay. Thanks, Nissia.

10 The next subject is equipment
11 survivability. In this section we identify, of
12 course, several systems, structures, components for
13 which equipment survivability evaluation is necessary.

14 We incorporated our uncertainty analysis to identify
15 key figures of merit, pressure, temperature, humidity,
16 radiation. We also looked at certain specific areas
17 for survivability questions. For example, thermal
18 loadings on the PDS valves. Let's see, I had another
19 example in mind.

20 Oh, loadings in the reactor cavity for
21 which we make a statement about a 20-bar limit and we
22 have analysis accompanying that.

23 We can also add in, you know through the
24 PRA process, we had several questions with regard to
25 thee bar survivability. That certainly falls in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 same vein.

2 This particular plot is one of a couple
3 that take the results from the uncertainty analysis
4 and look at different events and create an envelope, in
5 this case pressure and temperature, that we might
6 expect during a severe accident event. And these are
7 kind of bounding results.

8 Now we will incorporate these results. We
9 will certainly refine these results with best estimate
10 type analyses as well and come up with a complete
11 equipment survivability plan so that we can move into
12 procurement element. This is a detail design task,
13 but it's a considerable amount of effort that goes
14 into the detail design effort to identify the
15 specifications and components and particular
16 instrumentation. Much of the severe accident response
17 in the EPR is passive because of the ex-vessel
18 approach. But one of the most important things
19 becomes the monitoring element and the
20 instrumentation. And so there's an emphasis there
21 when it comes to survivability questions. And as a
22 matter of fact, we're kind of working in that area
23 right now back in Lynchburg.

24 Okay. This slide kind of follows up the
25 three-fold strategy that I mentioned early on. Of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 course, I've talked about the estimate calcs and the
2 uncertainty analyses extensively and then how they are
3 reflected in the results and presented in the FSAR.

4 Complimenting those are, again, analyses
5 that we did in the beginning to determine the fidelity
6 of the model. I've talked about the WALTER and the
7 METSPREAD analyses, some of those survivability
8 calculations are incorporated here. But I wanted to
9 incorporate this slide to kind of reflect and kind of
10 close the loop on the methodology approach to the
11 calculation metrics. This of course can be added on
12 to or probably has been added on through RAI process,
13 primarily. And even going beyond as we look at the
14 next subject, accident management.

15 Again, we'll have a considerably more
16 deterministic studies to compliment an uncertainty
17 analysis base approach, a similar approach.

18 This slide, of course, moves away from the
19 severe accident studies focused primarily on
20 containment integrity. Moves into the severe accident
21 management guideline development space. Obviously,
22 the utility is expected to have all its emergency
23 plans in place prior to getting an operation license.

24 And we as AREVA provide a lot of the kind of leg work
25 through a methodology we call Operating Strategies for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Severe Accidents. Of course, the whole point is that
2 severe accident management extends to the defense-in-
3 depth philosophy to plant operating staff by extending
4 operating procedures beyond the plant design basis.

5 What I've provided staff so far, or at
6 least initially through FSAR, is a summary of this
7 approach where we describe some severe accident
8 challenges, some candidate entrance/exit criteria,
9 some preliminary response strategies, some end
10 products.

11 Through the RAI process if we got a more
12 detailed question, and we've provided an extensive
13 response. So that we've gotten a follow-up question.

14 Well again, that'll go more into it. And then we'll
15 expect to have even more information along this line.

16 But it's like emergency operating procedures. It's
17 part of detailed engineering. And what we have today
18 are methodologies. We've done some analyses.
19 Certainly it's farther along at OL-3 in Finland, so we
20 have insight from their experience and certainly we're
21 drawing on that to the best of our ability. You know,
22 there are some design differences and we have to
23 address that as well.

24 So it's a work in progress today. We have
25 methodology and an ongoing dialogue with the NRC staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with regard to what we term OSSA, Operating Strategies
2 for Severe Accident.

3 Section 19.6 address severe accident
4 mitigation design alternative or the analysis for
5 SAMDA. It's an evaluation of plant design
6 alternatives that could significantly reduce a
7 radiological risk from core damage.

8 What was prepared for the FSAR applied
9 existing precedent in SAMDA analyses incorporating the
10 work by NEI and also NUREG/BR-0184 reports. We also
11 expanded the analyses methodology in those reports to
12 incorporate our own, U.S. EPR-specific hardware and
13 actions and procedures.

14 In that original analysis we identified
15 the maximum benefit of 51,000. We've gotten some
16 feedback. And you see the last bullet, because I'm
17 jumping a little bit, a rev to that last year. And I
18 believe the maximum jumped up to like 71,000. But
19 don't quote me exactly on that.

20 So nonetheless, the evaluation completed
21 that additional plant modifications are not cost
22 beneficial.

23 And if you like, we could talk about the--
24 maybe we'll save that.

25 CHAIR POWERS: Any other questions you'd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like to pose to the speaker?

2 MEMBER ARMIJO: Yes, I got a question. On
3 your page 70, and I got to confess I'm not familiar
4 with your system design. So the drawing shows the
5 spreading compartment. Slide seven zero.

6 DR. MARTIN: Okay. All right.

7 MEMBER ARMIJO: Yes. And the same cooling
8 line that cools that cooling plate also provides a
9 flooding of the melt in this spreading compartment, is
10 that correct?

11 DR. MARTIN: Let's see.

12 MEMBER ARMIJO: That line goes --

13 DR. MARTIN: You were looking here?

14 MEMBER ARMIJO: Yes.

15 DR. MARTIN: This is the passive line.

16 MEMBER ARMIJO: Right.

17 DR. MARTIN: And maybe, Mike, you can help
18 me with this a little bit. Because you've got the most
19 experience I think with the FSAR.

20 MR. BINGHAM: Yes. When the thermal
21 actuator opens the valve in the spreading room, it
22 opens one of these little valves to the right there.

23 MEMBER ARMIJO: Right.

24 MR. BINGHAM: Yes. So the water flows
25 through the passive outflow reducer, that circle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there, and flows passively along the orange path
2 through the clean channels and then up on top of the
3 melt.

4 MEMBER ARMIJO: Right.

5 MR. BINGHAM: That's just the passive
6 portion. So then during the active --

7 MEMBER ARMIJO: Now that same cooling line
8 cools the plate, this cooling plate?

9 MR. BINGHAM: The cooling channels?

10 MEMBER ARMIJO: Yes.

11 MR. BINGHAM: Yes. That's right.

12 MEMBER ARMIJO: Now if in the event if you
13 had a blockage of that line for whatever reason, do
14 you have another way of flooding the melt in the
15 spreading compartment? Is there another way that you
16 get water in there?

17 MR. BINGHAM: There are two lines. This
18 only shows one, but there are two lines.

19 MEMBER ARMIJO: There's two lines?

20 MR. BINGHAM: That's right.

21 DR. MARTIN: Fifty kilograms is right,
22 isn't it?

23 MR. BINGHAM: Right. I think so.

24 DR. MARTIN: More or less.

25 MEMBER ARMIJO: But they're just --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BINGHAM: Passive.

2 MEMBER ARMIJO: -- passive. So it's just
3 the head water is moving back and forth?

4 MR. BINGHAM: That's right. That's right.

5 CHAIR POWERS: Any other questions?

6 Well, thanks very much.

7 MS. SLOAN: Mr. Chairman, before we go,
8 Hanh was nice enough to share with me one of your
9 questions was what components of the SAHRS are in the
10 RAP list and Hanh has had the RAI number, it's RAI 268
11 question 17.4-22.

12 CHAIR POWERS: So there. Now you know.

13 MR. TESFAYE: Good afternoon. Let me just
14 get started here.

15 Prosanta Chowdhury is the Chapter PM.
16 Since he has to leave early, I'm taking over as
17 Chapter PM.

18 This portion is the staff's presentation
19 of SER open items. You're familiar with Ed Fuller who
20 got his Ph.D. in the last century, the middle of last
21 century.

22 MR. FULLER: A few years before Dana got
23 his.

24 CHAIR POWERS: The day before yesterday we
25 had a speaker introduce himself by saying that he'd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 worked in six different decades.

2 MR. FULLER: That's all?

3 MR. TESFAYE: And I think with that, I'll
4 let Ed get started with page 77. That's where we
5 stopped back in February. And then Jim Xu will have a
6 portion of this presentation also. Ed Fuller who got
7 his Ph.D. in the last century, the middle of last
8 century.

9 MR. FULLER: Okay. I am not going to go
10 through our entire review. I'm just going to focus on
11 open items. That's not to say that if you have any
12 questions of us about items that we don't discuss, we
13 wouldn't be prepared to answer them.

14 CHAIR POWERS: Yes. I think it's fair to
15 say that we're going to be back on this stuff.

16 MR. FULLER: Yes. We're jumping right to
17 severe accident mitigation features. We won't be
18 discussing the prevention features because we had no
19 open items there.

20 Besides, you know, Bob really gave an
21 excellent presentation to give a really perspective on
22 the breadth of their application for Chapter 19
23 Section 2. So it's okay for me to skip, I think.

24 Let's start off with hydrogen generation
25 and control systems related to severe accident

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mitigation.

2 We reviewed the combustible gas control
3 system and the hydrogen monitoring system descriptions
4 and various analyses. Asked quite a few RAI questions
5 and got some extremely detailed responses. I think I
6 told you last time that we designed some of our
7 questions to get as much information on the docket as
8 possible. And a couple of RAI responses related to
9 the hydrogen control to hundreds of pages because they
10 gave us all kinds of graphs that came out of MAAP
11 calculations. I was impressed, but obviously didn't
12 look at them all. But we did look at key things.

13 And we thought, at least in terms of the
14 overall conclusions, that their analyses were
15 reasonable. Of course, we did ask for additional
16 information pertaining not only to the PARs, but also
17 to the way the gases would mix in this normally "two-
18 region containment," which opens up to a one-region
19 containment when these dampers open and so on and so
20 forth.

21 So we asked some questions related to
22 potential for flame acceleration to DDT conditions.
23 And we got some responses that we thought were
24 reasonable.

25 In particular, Question 19-235 the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 response to that did show large margins to potential
2 flame acceleration or detonation in the various
3 regions as they were modeled by AREVA.

4 We did perform some confirmatory
5 calculations, and actually we're still doing this. We
6 did calculations for the representative accident
7 scenarios, not just the "relevant ones" that Bob
8 talked about, but representative of certain scenarios
9 that may not have necessarily been the big ticket CDF
10 items.

11 And we did confirm that as far as, at
12 least when their model was working as designed,
13 efficiently recombined the hydrogen and the oxygen as
14 we determined that as long as this system works as
15 designed, there would be little potential for forming
16 pockets of high hydrogen concentrations. And
17 therefore, we wouldn't expect a large deflagration
18 during any of those scenarios.

19 We are, though, looking at conditions
20 where the efficiency of the FSARs is reduced, sort of
21 step-wise downward, to see what the impacts would be.

22 And we're doing this work with our contractor ERI and
23 working in conjunction with the Containment Branch.
24 So that we're going to make sure that we get
25 comprehensive set of responses that satisfies our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 needs for both Chapter 6 and 19 out of this.

2 Okay. Let's go to the next slide.

3 We probably spend more time on systems
4 related debris coolability than to any other ones in
5 all of our reviews of design certifications for severe
6 accident evaluation. This one's no exception. So
7 we've asked a lot of questions. We still have some
8 open items here which I'll get into in a second.

9 CHAIR POWERS: Let me ask you question.

10 MR. FULLER: The next four or five --

11 CHAIR POWERS: Let me ask you question.

12 MR. FULLER: Yes.

13 CHAIR POWERS: Did you do an analysis in
14 which you just assumed that all of this stuff doesn't
15 work? The melt comes down, close out, there's no
16 water at all and look at the containment pressure
17 there versus the containment pressure when it does
18 work?

19 MR. FULLER: Yes. We actually asked AREVA
20 to provide us with that kind of an analysis. And they
21 did provide it.

22 CHAIR POWERS: And did they get into
23 trouble with that kind --

24 MR. FULLER: Well, the short answer is
25 yes. If for some reason the melt plug/gate never

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 works and the debris gets trapped in the cavity, then
2 you get significant basemat penetration within 24
3 hours.

4 If the severe accident heat removal system
5 doesn't work and you get core debris into the
6 spreading room and no water comes in, likewise the
7 calculation is that you will have a significant core
8 debris concrete interaction leading to significant
9 ablation.

10 So, yes, we did do those. In those I'm not
11 sure if -- yes, we got down to the plate. Definitely
12 got down to the plate.

13 CHAIR POWERS: Yes. But you didn't
14 overpressurize containment?

15 MR. FULLER: Well, eventually you did,
16 yes. I don't remember the details.

17 CHAIR POWERS: No.

18 MR. FULLER: And hold on, I think I want
19 to ask Mohsen Khatib-Rahbar to talk about what our
20 melt core calculations might have shown here too.

21 MR. KHATIB-RAHBAR: We did the calculation
22 where we assumed the cooling on the spreading area
23 would not occur, and this would result in MCCI. We
24 do, of course, get significant penetration of the
25 concrete but it does not pressurize the containment as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 failure condition. The pressure still remains low in
2 the containment.

3 MEMBER SHACK: Is that with the spray
4 working or that's without the spray?

5 MR. KHATIB-RAHBAR: Without spray. Dry,
6 totally dry.

7 MEMBER SHACK: Totally dry?

8 MR. FULLER: Okay. The next three slides
9 I'm going to skip because Bob did a much better job
10 than I could do explaining how the core melt
11 stabilization system work, as well as the severe
12 accident heat removal system. So unless you want to
13 revisit any aspect of that, we'll just skip those and
14 go to Slide 81.

15 I want to focus on one of our open items
16 here. And we're in the cavity or the pit here. Just
17 after vessel breach the debris would have to, as you
18 know, penetrate the sacrificial material and then fail
19 the melt plug and go through the gate. And AREVA's
20 calculations using MAAP indicated that by the time
21 this happens you've gotten essentially all of the core
22 debris out of the vessel. And it's mixed itself quite
23 nicely with concrete, core concrete interaction
24 reaction products and then flows down the channel into
25 the spreading room.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We find that, you know we had some
2 questions about the refractory material behind the
3 sacrificial material both in the walls and on the
4 floor. And noting that these bricks have a low
5 thermal conductivity and mechanical strength greater
6 than concrete, but we're not sure about what happens
7 when its attacked because it's brittle and subject to
8 failure by thermal shock. So we asked the applicant
9 to demonstrate that its integrity could be maintained
10 during severe accident conditions. And we were
11 referred and they provided us with some priority
12 reports that we looked at. And by in large, we're
13 getting pretty comfortable with their argument but
14 there are some questions that still remain. And
15 because of that, this RAI 19-332 remains an open item.

16 I would guess that we have to really talk
17 about these in detail, we would have to arrange a
18 closed meeting.

19 MEMBER ARMIJO: My question would be on
20 the bricks. Are they bonded to the concrete as those
21 failure of those bonds could result in the bricks,
22 basically? Not providing any protection.

23 MR. FULLER: I don't know the answer. Is
24 that a priority set of piece of information?

25 DR. MARTIN: I'll just comment. Again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this is Bob Martin.

2 It's part of your question, I believe, 19-
3 332. And we're addressing that --

4 MEMBER ARMIJO: There is an RAI on that?

5 DR. MARTIN: Yes. This is referred to as
6 19-332. This was issued after the SE draft was given
7 to us. We got a handful -- actually we continue to get
8 a few questions here. This 332 said 349 was received
9 by the late January time frame, I believe.

10 MR. FULLER: Yes.

11 DR. MARTIN: And we've started the work
12 activity to address that. And that element of your
13 question is --

14 MEMBER ARMIJO: Well, you know the other
15 part of my question is there's all kinds of
16 formulations of zirconia: The density, there can be
17 additives to stabilize the zirconia, yttrium for
18 example. So I just wondered does the staff have that
19 level of detail information?

20 MR. FULLER: Well, I think in the response
21 to question 312 we might because that was a very
22 detailed response. And again, there's a lot of
23 priority information in there, which I'm sure you
24 folks could get privately.

25 MEMBER ARMIJO: I'd like to get that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR POWERS: I mean, it's kind of
2 surprising not to use stabilizer zirconium, because
3 it's not that much more expensive than unstabilized.

4 MEMBER ARMIJO: It may be, he just says
5 zirconium, and I don't know if it --

6 CHAIR POWERS: Yes. Stabilized zirconium
7 is dirt cheap.

8 MEMBER ARMIJO: Yes.

9 CHAIR POWERS: I mean, none of them are
10 dirt cheap, but they're not that much different.

11 MR. FULLER: They're testing programs too.
12 I'm sorry in respond.

13 CHAIR POWERS: The interesting question
14 that comes up is how you choose the sacrificial
15 material. Because if it's the highest silica
16 materials, that creates a acidic melt which corrodes
17 zirconia pretty badly. And if you choose a more
18 calcium-rich material, that's a basic melt and it goes
19 after zirconia very quickly.

20 So choosing the right sacrificial material
21 is kind of an interesting problem.

22 MR. TESFAYE: I will take an action to
23 provide you these RAI responses.

24 MEMBER ARMIJO: Yes. Thank you.

25 MR. FULLER: Okay. Let's go to slide 82.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Continuing on, another question that we
2 had regarding behavior in the pit is because, as I
3 said before MAAP calculations indicated that all of
4 the core debris was out of the vessel by the time the
5 plug failed, whereas in our confirmatory MELCOR
6 calculations that wasn't the case. And that there may
7 be quite a bit left when it fails. And this has some
8 implications on possible energetic molten fuel-coolant
9 interactions. Because if you think about it, if the
10 core melt goes into the spreading room and whatever
11 the inventory was at that point, and then water comes
12 in on top, floods back up the channel and perhaps into
13 the cavity, if at that point a substantial portion of
14 the core debris that was still in the vessel comes
15 out, you're opening yourself to the possibility of an
16 ex-vessel steam explosion.

17 And so we've asked them to evaluate this.

18 And this follow-up RAI 349 question, 19-332 it's one
19 that they're still evaluating as well. So this is an
20 open item at this juncture.

21 CHAIR POWERS: Did you look at the delta
22 contact mode explosion potential?

23 MR. FULLER: We didn't look at them, per
24 se. We were asking them to evaluate the potential.

25 CHAIR POWERS: Yes. It just seems to me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that they have a potential of alternate contact mode.
2 Now the consequences of that I'm uncertain of. I mean,
3 it's in the lower cavity, who cares. You can blow
4 things up like crazy and it just doesn't make any
5 difference because there's nothing to damage there.
6 But this is interesting that we don't seem to have --
7 you know, we have elaborate detail in some aspects and
8 then here's this explosive potential demonstrated by
9 experiment that putting water on top of melts they
10 will explode even when the water won't wet the melt
11 because you're above the Liedenfrost temperature. And
12 that gets no never mind and it's kind of curious.

13 MR. FULLER: Right. So this is something
14 we need to get a better handle on before we can close
15 this particular item.

16 Okay.

17 CHAIR POWERS: The reason to pay attention
18 to ex-vessel steam explosions as far as I see it is
19 it's a way to mechanically commutate the melt and you
20 get otherwise relatively nonvolatile fission products
21 launched into the atmosphere and available to leak
22 from the containment, even if the containment has not
23 grossly failed. And that changes the mix of fission
24 products you're dealing on the great out of doors and
25 a different consequence analysis then you might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 otherwise expect.

2 MR. FULLER: Slide 83. Continuing on in
3 debris coolability space, there is a set of questions
4 that are basically trying to get at what some of the
5 differences are between the MAAP calculations that
6 AREVA did for this application and our MELCOR
7 confirmatory assessment calculations. I don't list
8 the details here, but if you look at these questions
9 you can get a feeling for what they might be. I also
10 list in the SER with open items.

11 There's some questions that I list here
12 that are related directly to debris coolability. And
13 there were one or two other questions related to the
14 hydrogen control as well in that set.

15 Assuming that we resolve these, we believe
16 that if the core melt stabilization system works as
17 they designed it, they'd probably with pretty good
18 reliably be able to arrest the core concrete attack.
19 And in conjunction with a severe accident heat removal
20 system design they could avoid basemat melt-through
21 and keep the pressure from failing in the containment,
22 and temperature relatively cool as well.

23 CHAIR POWERS: Have you looked at what
24 happens in an earthquake-induced accident for this
25 system?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FULLER: No. I think you've made an
2 interesting point before when you talk about how an
3 earthquake can probably degrade certain structures in
4 some way which might alter the course of an accident
5 progression. But I haven't the foggiest idea how that
6 would work out.

7 CHAIR POWERS: Yes. I mean, I don't know.
8 Certainly can't do the integration in my head, so --

9 MR. FULLER: No, we haven't looked at
10 that. The way we look at earthquake-initiating
11 events, they are basically contributors to losses of
12 systems and loss of off-site power is obviously high
13 up on the list.

14 Back in one of my former jobs when I was a
15 consultant doing a project for EPRI, we looked at
16 steam generator tube integrity risk assessment. And we
17 did a project on the Diablo Canyon plant. Obviously,
18 that one is probably the most studied plant in the
19 country with respect to seismic events.

20 It turned out that the major contributor
21 to risk was from earthquake-induced station blackout
22 type of events leading to a possible induced steam
23 generator tube ruptures is the tubes are damaged. Now
24 it wasn't even close. It was more than twice the
25 internal events of power. Of course, that's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 extreme.

2 But I think if you look at various plants
3 carefully you would find that seismic initiators are
4 quite important.

5 Okay. Let's go to the next one.

6 We talked about high pressure melt
7 ejection a little while ago. And, of course, the EPR
8 design has the primary depressurization system which
9 with a very high reliability, would lower the RCS
10 pressure if you started off an accident with transient
11 in high pressure. And not only that, we discussed the
12 cavity with its tight confined vessel above it and the
13 tortuous paths, which happen to lead, actually, to
14 steam generator compartments and pump rooms, and the
15 like.

16 When I looked at some of their MAAP
17 analyses, I saw that after depressurization their RCS
18 pressure wasn't all the way down. It was in the order
19 of a little less than 200 psi. And that would mean
20 given the tortuous paths is very little core debris
21 would make it into the upper containment. However,
22 there would be significant relocation into these other
23 compartments. And this is consistent with the set of
24 experiments that were done at Karlsruhe. And I think
25 I brought these up last time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And what concern is that we believe that
2 in developing their accident management technical
3 basis, which would turn into SAMG eventually, that
4 they need to take the presence of core debris in these
5 rooms into account and whatever that core debris might
6 do to fail certain monitoring systems or other things
7 that are usually expected to be there during the
8 severe accident.

9 We realize that AREVA's really taking a
10 close look at this kind of thing from the equipment
11 survivability point of view, and they do talk about
12 this in their OSSA documentation. But this is one of
13 these follow-up accident management items that we just
14 recently asked them to consider.

15 Next.

16 Containment bypass. Well, there are two
17 classical ways to look at it in these PWRs. One is
18 from steam generator tube ruptures. The other one is
19 from interfacing system LOCAs. And they've gone out
20 of their way to beef up the piping systems so that
21 they can withstand as much pressure as the primary
22 pipes can.

23 So looking it over we don't believe we
24 need to worry too much about severe accident
25 consequences from an ISLOCA. The probabilities seem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to be very, very low. However, the possibility of
2 induced steam generator tube rupture in high pressure
3 scenarios is still something that we're concerned
4 about. And we believe that it is important to have
5 the depressurization valves open in a timely fashion.

6 We asked them a question, question 19-240
7 in RAI 133 asking them questions about this. And they
8 gave in their answer some information that indicated
9 that the time between when the core exit temperature
10 reaching 1200 Fahrenheit and when induced steam
11 generator tube rupture might occur if you hadn't
12 depressurized after that, might be expected to be
13 between 18 to 20 minutes assuming a hot leg nozzle
14 wouldn't fail it first. And that was a function of the
15 degree of core tube damage.

16 We also asked them to do this for
17 scenarios where the secondary side was depressurized,
18 because that's when you get in trouble.

19 So that gives us a good feeling for what
20 we're looking at. But we believe that they need to
21 make sure that this kind of information is factored
22 into their OSSA, their severe accident management
23 technical basis. And so another question we've asked
24 in that latest set is to give us more information on
25 this on how they're going to address it in OSSa and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 how their Human Reliability Assessment would be
2 utilized in this regard.

3 Okay. Now we have a little break because
4 Jim is going to be discussing the containment
5 performance.

6 MR. XU: You want me to introduce myself?

7 MR. TESFAYE: Yes, go ahead and introduce
8 yourself.

9 MR. XU: My name is Jim Xu. Senior
10 Structural Engineer from Structural Engineering
11 Branch, NRO.

12 I have been with NRO for three years and
13 I've been primarily responsible for review of COLAs
14 related to structures, circulating structures, the
15 components.

16 And prior to joining NRC, I worked at
17 Brookhaven National Lab for 20 years. I primarily
18 worked on the NRC and the DOE projects to address
19 seismic and nuclear safety issues.

20 And then I have a Ph.D. in structural
21 engineering. I think I should be qualified to answer
22 all your questions that you have.

23 CHAIR POWERS: Okay. How does the cross
24 nodalization system behave in an earthquake?

25 MR. XU: I could answer that question --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 but then I'll answer whatever question you may have.

2 Okay. On the containment performance
3 capability, what we're focused here is on the
4 structural aspects. And the staff's review focused on
5 two issues.

6 The first issue has to do with Regulation
7 50.44, you know that series is related for pressure
8 build up in the containment due to 100 percent fuel-
9 coolant interaction for the hydrogen burning, what is
10 the structural class. And according to 50.44(c)(5)
11 and Reg Guide 1.7 the applicant needed to perform
12 analyses assuming 100 percent fuel-coolant interaction
13 and develop the pressure and the temperature time is
14 free from containment and to perform a structural
15 analyses of containment that determine that the demand
16 on the containment and compare that with the ASME
17 Service Level C limit to ensure that whatever demand
18 due to the water-metal reaction will be below the ASME
19 Service Level C stress and strength limit.

20 MEMBER SHACK: How does that Level C limit
21 compare with the ultimate limit that I get from a
22 fragility analyses?

23 MR. XU: There are two different
24 attributes. The Service Level C elements are a very
25 conservative limit because these are design limit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But it's like twice the
2 design limit, right? Something like that, roughly?

3 MR. XU: Yes, it's --

4 MEMBER SHACK: That's the number I keep in
5 my head.

6 MR. XU: It may be even bigger. It may be
7 even bigger, yes. Because, for example, for the liner
8 strength the ASME Service Level C limit is .3 percent.

9 And if you go over the fragility and test that, it
10 will show the liner can stretch to, you know, 2
11 percent or higher. So the Service Level C limit is a
12 very conservative capacity.

13 So we have open area on this issue. And we
14 didn't receive AREVA's response to our RAIs, but that
15 was received after we prepared an SER on these slides.

16 So, as a matter of fact, next week we're going down
17 to AREVA's site to perform all the analyses related to
18 this RAI. So we'll probably examine more in details.

19 And basically on their RAI response, and
20 the response basically formulated to answer our RAI
21 questions and it basically said that they analyses.
22 They have, you know, checked with ASME Service Level C
23 limit, and they demonstrated that the demand is below
24 the limits. But we have to verify that. And to see if
25 the containment analysis did perform adequately. That

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will be done next week. That's my first slide.

2 On my second slide this one deal with the
3 containment deterministic performance goal, which is
4 the staff goal approved by the Commission through SRM
5 through SECY-93-087.

6 This goal is very similar to the previous
7 slides, except the loading is different. Because the
8 previous slide deal with the hydrogen load, which
9 probably has a lower frequency then what would be in
10 here.

11 And according to SECY-93-087 there are
12 three aspects -- or two aspects they need to address.

13 For the more likely internal challenges, I mean this
14 is a very fuzzy kind of term. And we do have Reg
15 Guide which the pre-decisional form has been
16 development, I think end of the last year. I don't
17 know the status of that right now. It's Reg. Guide
18 1.216. So I don't know the status, if it has
19 officially been issued yet. But that guide provide,
20 you know detail guidance how --

21 MR. FULLER: We're going to be looking at
22 that shortly.

23 MR. XU: That will be good, yes.

24 And for more likely internal challenges, I
25 mean when we review the -- and we found out that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 had not drafted this issue. So we had to issue an RAI
2 and this is the same situation, actually in the same
3 set of RAI response, they responded after we prepared
4 an SER. So it's not reflected in here.

5 But the issue has three parts. One is the
6 group of the more likely accident events. And the
7 applicant regarding the second accident need to
8 demonstrate for the pressure temperature generated
9 from those events but containment structures will be
10 below -- that the event will be below Service Level C
11 limits. Okay. For initial 24 hours after the core
12 melt. And then the applicant need to demonstrate
13 after 24 hours the containment would continue to
14 provide a barrier against uncontrolled release of
15 fission product.

16 And, you know I looked at the response and
17 they did have addressed all the issues, you know we
18 asked for. And they have demonstrated that the
19 demands due to the internal challenges are formed
20 below the Service Level C limit and that they also
21 show the up to 24 hours the pressure and the
22 temperature do not increase again. So it's basically
23 from decay half of melt.

24 So, but again, we will review in detail
25 next week their containment analysis and to see if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they have found that was always in details. So want
2 to see the containment analyses.

3 So these are the structural issues we have
4 asked for the containment structural performance.

5 And if you have any question on the
6 seismic, you know, I'd be glad to answer it.

7 CHAIR POWERS: Okay.

8 MR. XU: In fact, I also want question
9 because it continue to come up on whether the severe
10 accident analyses has considered the seismic as an
11 initiating events. And the answer is that the severe
12 accident space and the seismic space do not intersect.

13 But that mean as their feeling was extremely low
14 probably events.

15 Even if you include that low sequences in
16 the seismic PRA, the old seismic core damage purpose
17 it will not change much. The seismic core damage
18 frequency are critical in the range of ten to the
19 minus 4 and ten to the minus six. Okay. What didn't
20 here is lower than ten to the minus eight core damage
21 sequences. So, you know, whether you include them or
22 not, it will not impact seismic.

23 CHAIR POWERS: I guess I just don't
24 understand the argument there. It seems to me we have
25 a low internal event frequencies at this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. XU: Yes. Right.

2 CHAIR POWERS: Consequently, the seismic
3 initiator, which is roughly ten to the minus six --

4 MR. XU: Yes.

5 CHAIR POWERS: Argue with me plus or minus
6 a factor of ten and it didn't make any different. And
7 so it becomes kind of frequency-dominant initiator
8 here.

9 MR. XU: That's right. Yes.

10 CHAIR POWERS: And so you ask well what
11 does that do with all of this accident phenomena that
12 I've looked at? I mean, here I have a structure, it
13 has a connection of fairly weak nature between that
14 and the containment foundation. Those things seem to
15 be ripe for the discontinuity of motions renouncing
16 one of the dominant consequences of earthquake event.
17 I mean, to me it's a fairly obvious question. What
18 happens to this core stabilization system --

19 MEMBER SHACK: If you're going to mitigate
20 a severe accident, why not pick the most likely severe
21 accident --

22 CHAIR POWERS: That you're going to have.

23 MEMBER SHACK: -- that you're going to
24 have.

25 MR. XU: The frequency is low. In the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 seismic PRA you have a screening criteria. So it
2 would not have any contribution -- the situation would
3 not have any contribution on core --

4 MEMBER SHACK: Yes. But I think the
5 argument is here, you know a mitigating system to
6 mitigate internal event core damage, which has a
7 frequency of ten to the minus seven and your guess is
8 that seismic are going to be larger than that by some
9 number, ten to the minus six.

10 MR. XU: I think the impact would be not
11 on the core damage frequency side, it would be on the
12 LRF. And for that, I mean I haven't seen any seismic
13 for PRA perform for our --

14 MR. FULLER: Well right now all they're
15 doing is seismic margins analysis.

16 MEMBER SHACK: Well, you know, Dana looks
17 at the structure, I look at the SAHR system and wonder
18 if it's seismic qualified. I mean, that would be my
19 sort of question about it. I'm less worried about the
20 structure, but the SAHR system certainly ought to hang
21 together and work.

22 MR. XU: But the containment typically has
23 a very high seismic -- typically has more than 1g
24 HCLF.

25 MEMBER SHACK: That's the containment?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. XU: Yes.

2 MEMBER ARMIJO: What about the piping, you
3 know the water line that goes into the spreading
4 compartment, those kind of components.

5 MEMBER SHACK: The pump?

6 MEMBER ARMIJO: Yes.

7 MEMBER SHACK: The pipe, the valves?

8 MR. XU: Well, the only part I know that
9 is not seismic for design is the containment spraying,
10 but I don't know other components --

11 MEMBER SHACK: Well, they're non-safety.

12 MR. XU: They're non-safety. If they're
13 non-safety, then they're not seismic qualified. So we
14 cannot credit that in seismic events, which would
15 assume them to fail during seismic.

16 MEMBER SHACK: Well then it does come back
17 to it just seems strange to have a mitigating system
18 that doesn't work on my most likely initiator of a
19 severe accident.

20 MEMBER ARMIJO: Yes.

21 MR. XU: But at least they cannot credit
22 the containment spray for seismic event.

23 MR. FULLER: Shall we go to the accident
24 management now?

25 Yes, I was leading up to this with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 couple of slides before.

2 AREVA's has got this operating strategies
3 for severe accidents project which actually looks
4 really good to me. They're still in the stage of
5 putting together all of the details of it. And I do
6 know when they do get it together, they would like it
7 to do is to provide mitigation strategies to cover all
8 events leading to core melt, I guess including
9 seismic, and to stop or reduce the release of fission
10 products to the environment.

11 And they, of course, tie this just like
12 the existing severe accident management strategies for
13 existing plants, they tie it to the emergency
14 operating procedures that would presumably prevent
15 core damage.

16 And they've actually got a -- I wish they
17 would put up this OSSA figure showing the transition
18 between the operating --

19 CHAIR POWERS: I think they did at one
20 time, didn't they?

21 MR. FULLER: It's got three regimes in it.

22 CHAIR POWERS: Yes.

23 MR. FULLER: It's in there OSSA
24 documentation.

25 CHAIR POWERS: I think in one of their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 presentations they showed that transition, the various
2 regimes.

3 MR. FULLER: But it gives you a good
4 feeling for what they're up to.

5 The way I see it, it boils down to being a
6 passive approach for the first 12 hours relying on the
7 combustible gas control system and the other hydrogen
8 flow control system to work, and the core melt
9 stabilization system and severe accident heat removal
10 system.

11 So, and then after 12 hours they would
12 utilize those non-safety related, shall we say,
13 sprays. Because they are an important part of
14 maintaining a long term approach to a safe stable
15 state.

16 CHAIR POWERS: And it seems to me that
17 because we're working in severe accident space at this
18 point that there is no reluctance to grant them that
19 their spray system is likely to be functional. And
20 barring something that --

21 MR. FULLER: You would certainly hope that
22 it's going to be functional, and you certainly hope
23 they're use it, yes.

24 CHAIR POWERS: Barring something that
25 makes failure of those system unequivocally follows

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 directly from the accident phenomena.

2 MR. FULLER: Right. Right.

3 CHAIR POWERS: And of course one of those
4 things, I mean you've mentioned debris dispersal into
5 the sections and things like that, that raises a
6 question about that that we need to explore a little
7 bit. But otherwise, I mean the fact that the spray
8 system is not declared a safety system relates more to
9 the Chapter 15 analyses and not to the Chapter 19
10 analyses. And in Chapter 19 we're perfectly willing to
11 give you condition credit on that system. I mean, it
12 seems to me that's the way I look at things.

13 So I took my shot and you rebuffed it
14 nicely.

15 MEMBER RAY: Maybe we should discuss it
16 another time, Dana, if we're being consistent here.
17 Because I'm declined to agree with what Bill said,
18 which is the most likely cause of this catastrophe
19 is==

20 CHAIR POWERS: Yes, absolutely. If you're
21 initiated by the seismic event and that guarantees
22 that you failed, despite independent event and became
23 multiplied probabilities and we're stopped. Okay.
24 Fair enough.

25 MR. FULLER: Okay. Let's go to the next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 slide. So what we wanted to do is we know that AREVA
2 really wants to do this right. They told us that, and
3 they're giving us information that it suggests to us
4 that the ultimate goal would be reached. But that's
5 only half of the battle. The other half is to make
6 sure that the COL applicants get this information in a
7 timely way and start using it to put together their
8 emergency operating guidelines, EOPs, SMAGs, training
9 in the use of these. So we've asked them to provide a
10 means to assure that.

11 So we requested them to identify a COL
12 action item that would basically have the COL
13 applicant provide us some documentation of the severe
14 accident management technical basis, which of course
15 they would get from AREVA. So that was our first
16 question.

17 So we asked the follow-up question,
18 Question 19-243. So I'll go to the next slide, slide
19 91.

20 And we asked them to elaborate. So what
21 they did is they did send at that point the detailed.

22 So if you look at the response to this question, and
23 go into the file, you get a nice long attachment which
24 is their first crack at the OSSA technical basis
25 documentation. And in addition, in the RAI response

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they provided these words for a COL information item
2 that are recorded in this sub bullet. So that they're
3 saying that the COL applicants would reference -- will
4 develop and implement the guidelines prior to fuel
5 loading using the OSSA. And basically we want this to
6 appear in the version of the FSAR, Chapter 19. And so
7 that they say they'll put it there, and we're waiting
8 for the next revision to make sure it's there.

9 Since I wrote this slide we have completed
10 our first crack through the OSSA review. We've
11 participated with our regulatory cohorts in Europe
12 because they are either going to get their versions of
13 OSSA or already have. And we actually had a meeting
14 with them about three weeks ago in which we went over
15 what we got from AREVA and what IRSN got from EDF,
16 which they got from AREVA. And what the British hope
17 to get and what the Finns hope to get.

18 And so we put our heads together and got a
19 much better understanding of the breadth of what OSSA
20 is going to be. And so we discussed some of these
21 detail questions that would arise out of our review
22 with them and got some additional ideas. We prepared
23 a set of follow-up questions which, they've been sent
24 now, right?

25 MR. TESHAYE: I think everything that's in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 my inbox has been sent.

2 MR. FULLER: So we have received this
3 package of about 15 or 20 questions.

4 MEMBER SHACK: Man with a clean inbox. I'm
5 impressed.

6 MR. FULLER: That's as of this morning.

7 CHAIR POWERS: You do not want to get on
8 his distribution list, that's all I can say.

9 MR. FULLER: Okay. Let's go to the next
10 slide.

11 So our approach is that we'd review
12 accident management plans at the COL stage and audit
13 each COL applicant to ensure that they would have the
14 commitments in place and intend to meet them. And
15 provide a means of systematically assessing, enhancing
16 and maintaining their accident management capabilities
17 consistent with our guidance and our agreement between
18 the nuclear industry and the NRC that's in NEI 91-04.

19 And COL applicants should develop their
20 plans based on the final as-go plant. You know,
21 obviously we cannot give them a COL until -- we would
22 give them a COL before they had their final procedures
23 in place and training in place, obviously. But we
24 want to make sure that they bought into the path
25 towards making the correct ones.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR POWERS: Yes. It's like our stage 3.

2 MR. FULLER: Okay. Finally, I have a
3 couple of slides on severe accident mitigation design
4 alternatives.

5 You know, the main reason for this in
6 design certification space is to satisfy the NEPA
7 requirement arising from the Limerick action way back
8 when. And so they have to do this, our regulations
9 require that the design certification application has
10 to produce an Environmental Report, which is no and no
11 less than the SAMDA evaluation. The Environmental
12 Report is the SAMDA evaluation, okay? And AREVA did
13 that. And ANP-10290 Rev 1 is their latest versions of
14 that.

15 We saw the original versions, had
16 questions, they responded to the questions and on that
17 basis revised that report.

18 Basically in the report they conclude that
19 because they really have gone out of their way to put
20 these radical by current plant standards severe
21 accident mitigation features in their plant, that
22 there isn't much else they can do. They couldn't find
23 anything that was cost beneficial.

24 Nevertheless, we just for the record we
25 gave them some comments and asked them to comment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pertaining to some of the assumptions made in the cost
2 benefit assessment they did. For example, they
3 question point estimate core damage frequencies and
4 not mean values. And we asked them to do mean values.
5 They did.

6 And then we did identify some shortcomings
7 in that initial response. Asked them some follow-up
8 questions. And to make a long story short they
9 basically addressed all of those subsequently.

10 And so we have no more open items on the
11 SAMDA.

12 So let's go to the last one, our
13 conclusion.

14 MR. TESHAYE: Previously?

15 MR. FULLER: Page 94.

16 MR. TESHAYE: Ninety-four.

17 MR. FULLER: Sorry.

18 So in summary we find that they meet our
19 requirement. RAI questions have been resolved and
20 there aren't any open items associated with SAMDA or
21 the Environmental Report.

22 We did have more conservative estimations
23 of what the maximum benefit would be than they did.
24 But, still, nothing comes close to being cost
25 beneficial. So even those that do come relatively

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 close, we don't feel they need to include in their
2 design. And we didn't ourselves uncover any
3 additional design alternatives that they should have
4 considered.

5 With that --

6 CHAIR POWERS: Look --

7 MR. FULLER: Pardon me?

8 CHAIR POWERS: Did you consider the
9 alternative between using PAR and using spark igniters

10 MR. FULLER: No. They've already got PARs
11 in their design. You have to do this as basically a
12 delta to the design you're reviewing.

13 CHAIR POWERS: So there's really no
14 benefit, so it didn't matter what they cost?

15 MR. FULLER: Yes. Now if they had meter
16 in there, now we're talking a different story.

17 CHAIR POWERS: Yes. So it's really that
18 if you can't define a benefit, unless you find
19 something about the PARs just makes them not work and
20 either from the get-go, all right, some portion of the
21 accident --

22 MR. FULLER: Yes.

23 CHAIR POWERS: -- there's no benefit to be
24 gained.

25 MR. FULLER: Now I imagine, I don't know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what their thought process was, but I imagine back
2 when they were first considering what they were going
3 to put into this design, they probably evaluated PARs
4 and igniters both.

5 CHAIR POWERS: PARs have the wonderful
6 feature that you don't have to have power to them.
7 And furthermore, they work at even relatively modest
8 levels of hydrogen, typically between one and two
9 percent hydrogen you get recombination --

10 MR. FULLER: So we know what we you would
11 have chosen.

12 CHAIR POWERS: No. I myself don't know. I
13 mean, I'm very attracted to PARs, but I do know that
14 the down side is that they poison, and they poison
15 unless one's careful, during normal operating
16 procedure. Paint something, the organic gets on them
17 and they coat and things like that. And in a previous
18 life, like you I had a previous life, I look a
19 degradation of catalyst surfaces as a function of
20 environmental considerations. And yes, I mean
21 catalysts are wonderful things but you can
22 irreversible or reversibly poison them.

23 MEMBER SHACK: Yes. I remember you raised
24 this issue I think 15 years ago when Mike Snodderly
25 was doing some initial analysis. It comes up every

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 time somebody mentions it now.

2 I'd like the staff to come up with a
3 definitive --

4 CHAIR POWERS: In other words, shut up.

5 MEMBER SHACK: It's one of those perennial
6 issues that come up.

7 CHAIR POWERS: Boiling of pants off you,
8 huh?

9 MEMBER SHACK: Well, no. I just added to
10 my little list of responses. Remember you put
11 together one time --

12 CHAIR POWERS: Yes.

13 MR. TESFAYE: I think that's all we have.
14 If you don't have anymore questions of the staff.

15 CHAIR POWERS: Very good. Do we have any
16 questions that people would like to pose to the
17 speakers?

18 And here's our situation. My feeling is
19 that we're still struggling a little bit, not with
20 getting through Chapter 19. We have PRA expert out
21 exploring the details, plowing into the details,
22 plunging into the details and then we'll be interested
23 to hear what he has to come back with.

24 In this particular area I know -- it's a
25 lot of a situation of no good deed goes unpunished

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 here. That indeed, the applicant has struggled
2 heroically to come up with a way to accommodate severe
3 accidents in a way well beyond what any existing plant
4 does. And they have done quite a lot here. And, of
5 course, to assure that they're not too content we
6 raise a lot of questions on these.

7 My own feeling is that out of this
8 questioning we've identified a couple of areas where
9 there is some crucial behavior that we need to assure.

10 That is we need to understand how the system
11 depressurizes, that it depressurizes, how far it
12 depressurizes and what to my mind the consequences of
13 that is, is really do we rattle the vessel around
14 enough to cause penetrations to the vessel so we get a
15 prompt leak out of there. And we need to assure
16 ourselves the PARs will function as designed. And
17 apparently we will hear about that when we go into
18 Chapter 6. And I'm perfectly willing to wait for
19 doing that. Because I think we understand well how
20 the PARs interface with this severe accident analyses.

21 I myself see a credible analysis of the
22 progress of accidents. We did not go into a lot of
23 the details of the core degradation process, and as Ed
24 has pointed out there are questions in that area on
25 the extent of core degradation at the time of vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 failure which is an area of discrepancy between the
2 MAAP code and the rest of the world that MAAP tends to
3 melt down cores very completely and quickly, and
4 probably is an element of conservatism in there. For
5 anything we've learned that's what conservative in one
6 aspect of an accident may not be conservative in
7 another aspect. So there could be differences there.

8 And apparently that's one of the questions to be
9 resolved. And I think there is a pathway to resolve
10 that. I don't have any troubles letting that move
11 forward.

12 See, the question of how a seismic
13 initiator effects this system I think is an open
14 question.

15 MEMBER SHACK: When are we going to hear
16 about the seismic margins analysis? I mean, I'm not
17 really saying this should be a Class 1 seismic
18 analysis --

19 CHAIR POWERS: No, no.

20 MEMBER SHACK: But that you got to have a
21 seismic margin of 1.67.

22 CHAIR POWERS: You think so?

23 MR. XU: We discuss about that on the
24 last-- we discussed that last time.

25 MEMBER SHACK: We did that already? Did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we do that system-by-system? Okay. I missed it.

2 MR. XU: There's a 19.1 --

3 CHAIR POWERS: Well, it remains unclear to
4 me how this system is effected by it.

5 And the other area that, you know. we need
6 incorporate progression and if they get their melt
7 densities wrong and things like that, but I think we
8 understand that that's not going to make a qualitative
9 change in things. It may change the quantitative
10 nature of things and whatnot. You know, the system
11 seems to be robust to those criticisms.

12 I come away not very confident in an
13 understanding of what the radionuclides behavior is in
14 these accidents. Now a lot of that will get clarified
15 when we go into the Chapter 15 analysis because I
16 assume there are similarities in the modeling and we
17 can think about doing it in connection with Chapter
18 15.

19 Those are kind of my gross -- I mean, I
20 got lots of detailed things. But those are the things
21 that I see as making a qualitative -- you know, how we
22 access this thing qualitatively. Which is really what
23 we're doing here. I mean, we're in accident space and
24 we're not asking them for 95 percentile things and
25 whatnot. Yes, it's to get a feel for things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Qualitative is pretty good here in this area, but it's
2 the radionuclide I don't come away with a good
3 qualitative feel on how that is handled.

4 Bill?

5 MEMBER SHACK: If I'm assured the SAHR has
6 a 1.67 seismic margin --

7 CHAIR POWERS: That's not a threat, Bill,
8 or is that a --

9 MEMBER SHACK: Add that to my flaw
10 distribution.

11 CHAIR POWERS: Mike?

12 MEMBER RYAN: I am good. Thank you.

13 CHAIR POWERS: Sam, you've asked for some
14 specific things.

15 MEMBER ARMIJO: Yes. Mainly because I
16 haven't done my homework, I'm sort of a guest member
17 of this Subcommittee.

18 CHAIR POWERS: An honored member of the
19 Committee.

20 MEMBER ARMIJO: Thank you very much.

21 But anyway, first of all, I think the
22 systems that AREVA has designed really go into a space
23 where we've never been and addressed accidents in a
24 way that no existing plant does. But we're all
25 engineers and whatever you put in, we all want to make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sure they work.

2 And in the case of the SAHRs and the core
3 melts, the stabilization system to me the most
4 important thing is to make sure that the cooling water
5 lines that cool that core plate and ultimately flood
6 the spreading room actually don't get blocked. Of
7 course, in Bill's seismic event or somehow work in
8 some degraded way so they don't put in as much water.

9 Yes, you have two lines but what if each of them is
10 not working quite. So I don't have a feeling for the
11 margin in the system.

12 Obviously, if everything works like it's
13 supposed to we shouldn't even be wasting time. But
14 that's an area where I'd like to learn some more. I'd
15 like to learn a little bit more about the ceramic
16 materials, the zirconia. I think I asked a question on
17 that.

18 That's all I have.

19 MR. WIDMAYER: There's an RAI that we'll
20 get to.

21 MEMBER ARMIJO: Right. Right. And I asked
22 the question a little bit more about cast iron is
23 something that I learned about as a young metallurgist
24 many, many years ago. And I thought it had just --

25 MEMBER SHACK: It had just come out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: And there's brittle cast
2 iron and there's -- cast iron. I don't know if this is
3 welded. So any document that describes that system a
4 little bit more.

5 MEMBER SHACK: It's a big hunk of cast
6 iron.

7 MEMBER ARMIJO: It must be.

8 MEMBER SHACK: Because that's a big room.

9 MEMBER ARMIJO: So I'd just like to get a
10 copy of that.

11 CHAIR POWERS: Well, just understand that
12 it has some advantages over the bronze you're used to.

13 MEMBER ARMIJO: So anyway, the request is
14 any other information, a topical report or something
15 like that, a technical report on these materials would
16 be of interest to me.

17 MR. TESFAYE: We will look into that.

18 MEMBER ARMIJO: Thank you.

19 CHAIR POWERS: Harold?

20 MEMBER RAY: You've captured everything.

21 CHAIR POWERS: Okay.

22 John?

23 MEMBER SIEBER: I guess the only thing
24 that sort of struck me quantitatively as opposed to
25 quantitatively is the idea that somehow or other in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the whole core assembly the way it is operating I
2 still have to decide whether there is a potential for
3 a steam explosion or not. And I have to do some more
4 research, but maybe somebody can assure me at the full
5 Committee meeting that they have looked at all the
6 various aspects that would cause me, and they tell me
7 that it can't happen.

8 CHAIR POWERS: If they can do that, we
9 will be praying to them shortly afterwards. The
10 disability of steam explosive is vanishingly small.

11 MEMBER SIEBER: Yes, but it just seems to
12 me the potential is there.

13 CHAIR POWERS: Yes.

14 MEMBER SIEBER: Okay.

15 CHAIR POWERS: You bring up a good point,
16 though, John. The ACRS at it's last meeting has
17 indicated they're giving substantial discretion in the
18 future to the subcommittees to decide when they bring
19 things forward tot he full Committee. And I intend to
20 take liberal use of that discretion. Because
21 especially and quite frankly in connection with this
22 plant we're not getting a lot of issues that require
23 the wisdom and judgment of the full Committee as a
24 whole. And so I am moving in the direction of the
25 amount of time that we spend in front of the full

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Committee. And my preference, my personal preference
2 is to come before the full Committee when we say we
3 have moved from this stage to the next and focus on
4 why we think we can move to the next. But I am going
5 to leave that discretion open to input both from the
6 staff, the applicant and the members of the Committee
7 that is if there are points at which you think it
8 would be useful short of that milestone to bring
9 things forward to the full Committee.

10 And one of the candidates is that when you
11 have -- I think we're going to need another meeting on
12 Chapter 19 just to tie all the bows and get the inputs
13 from our experts and things like that, and round out
14 some of the issues here.

15 One of the possibilities is Chapter 19
16 might be one to take forward to the full Committee,
17 and so I toss that out. And I'm certainly open to
18 suggestions from everybody on that regard.

19 But otherwise, my intention with this
20 reactor is to until we run into what I would call
21 significant issues in the process -- there always
22 could be issues and things like that, but the way it's
23 organized now it really didn't come to us until things
24 are going to be pretty well resolved and there's not
25 much to tell the full Committee. The exception, of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 course, is this Chapter. Another Chapter that might be
2 a candidate would be 15 just because its figured so
3 prominently in the regulatory process. I toss that
4 out.

5 MEMBER SHACK: Yes.

6 (Member Shack gesturing ten.)

7 CHAIR POWERS: Of course, unavoidable
8 there. But that keeps getting pushed back farther and
9 farther in time.

10 Any other comments people want to make?

11 Well, it's been a very enjoyable session.
12 I think you very much for your presentation. It was a
13 heroic job. And one of these days you'll get the met
14 density properly set.

15 MEMBER SHACK: He gives us a 95/95 and we
16 still complain about it.

17 CHAIR POWERS: Yes, because he didn't take
18 into account correlations. And he keeps using that
19 ridiculous Pearson linear correlation instead of a
20 decent one like a Kendal Tau.

21 MS. MROWCA: Dr. Powers?

22 CHAIR POWERS: Yes, sir.

23 MS. MROWCA: This is Lynn Mrowca and I
24 have a question for you what you said before about
25 meeting again Chapter 19. I guess it would help us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 maybe to understand if there are specific issues that
2 you want to talk about. And for our schedule, I was
3 wondering if you're talking about, and right now we
4 move on to Phase 4 which is where we take our safety
5 evaluation with open items and close them. So are you
6 talking about sometime in that time frame?

7 CHAIR POWERS: You ask me to remember
8 calendars -- no, I think we just need to find a time
9 that we can meet to go over again. I mean, we did not
10 finish the PRA itself. I think I have raised some
11 questions about the severe accident analysis,
12 especially radionuclide behavior, the seismic issue
13 remains open to us. And I think we just need to round
14 those out.

15 And quite frankly, it's a question of
16 scheduling. I know that's a problem because right now
17 the members are covering way too many systems all at
18 once. So finding the time is a chore. And so that's
19 why you get the big bucks.

20 MS. SLOAN: Dr. Powers, I guess I had a
21 similar question. Is the meeting you're talking about
22 on Chapter 19 a meeting in addition to like the Phase
23 5 type --

24 CHAIR POWERS: Yes. It's much like this
25 meeting, except we will give you a list of questions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we're trying to address. And if you come back to
2 us and say we would prefer to address this in
3 connection with another chapter, I think that's okay.

4 Quite frankly, I mean to all concerns,
5 staff and applicant both, this is going smoothly
6 enough that I don't have trouble moving things among
7 chapters. I'm not encountering a difficulty with that
8 myself, and I'm not hearing from any of the members of
9 the Subcommittee have difficulties shifting from one
10 chapter to the other. If you'll put up with our
11 seemingly foolish questions because we've gotten
12 confused from chapter-to-chapter, you know. And if
13 you do find that frustrating, you know let me know and
14 we'll make a more rigid structure for those.

15 Yes, I'm willing to work very collegially
16 on this process right now. Because I see excellent
17 intentions on the parts of both. I mean I truthfully
18 believe the staff is tried to do a heroic job on this.

19 I know the applicant is trying very hard to do a
20 technically responsible job here. So I'm willing to
21 work you guys very collegially, in both parties, on
22 scheduling and what we cover and things like that.
23 And if you think we're not being specific enough in
24 what we're asking you to present -- you'd be surprised
25 how thick my skin is and my ability to tell you that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 why you get the big bucks, too.

2 Okay. Any other comments that people
3 would like to make?

4 Well thank you very much.

5 Again, congratulation to all. I think
6 you're gone well beyond what's required of you.

7 (Whereupon, at 4:43 p.m. the Subcommittee
8 meeting was adjourned.)

9

10

11

12

13

14

15

16

17

18

19

20

21

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701