

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Regulatory Policies and Procedures

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, May 19, 2010

Work Order No.: NRC-244

Pages 1-99

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

DISCLAIMER

1
2
3
4
5 UNITED STATES NUCLEAR REGULATORY COMMISSION'S
6 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
7
8

9 The contents of this transcript of the
10 proceeding of the United States Nuclear Regulatory
11 Commission Advisory Committee on Reactor Safeguards,
12 as reported herein, is a record of the discussions
13 recorded at the meeting.
14

15 This transcript has not been reviewed,
16 corrected, and edited, and it may contain
17 inaccuracies.
18
19
20
21
22
23

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5 (ACRS)

6 + + + + +

7 SUBCOMMITTEE ON REGULATORY POLICIES AND PROCEDURES

8 + + + + +

9 WEDNESDAY

10 MAY 19, 2010

11 + + + + +

12 ROCKVILLE, MARYLAND

13 The Subcommittee convened at the Nuclear
14 Regulatory Commission, Two White Flint North, Room
15 T2B1, 11545 Rockville Pike, at 1:00 p.m., Dr. William
16 Shack, Chairman, presiding.

17 SUBCOMMITTEE MEMBERS PRESENT:

18 WILLIAM J, SHACK, Chair

19 SAID ABDEL-KHALIK

20 J. SAM ARMIJO

21 MARIO V. BONACA

22 MICHAEL CORRADINI

23 MICHAEL T. RYAN

24 JOHN D. SIEBER

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CONSULTANTS TO THE SUBCOMMITTEE PRESENT:

2 BOZIDAR STOJADINOVIC

3
4 NRC STAFF PRESENT:

5 ZENA ABDULLAHI, Designated Federal Official

6 ROBERT ROCHE-RIVERA

7 JOSE PIRES

8 GOUTAM BAGCHI

9 DON DUBE

10 SYED ALI

11
12 ALSO PRESENT:

13 RICH MORANTE (via teleconference)

14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

	<u>Page No.</u>
1	
2	
3	Opening Remarks, WILLIAM J. SHACK , Chairman 4
4	RG 1.216 (DG-1203)
5	Discussion 6
6	Background, NRC Roche & Pires 7
7	Objective, BNL: Morante
8	Description
9	Public Comments
10	Subcommittee Caucus
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

1:00 p.m.

1
2
3 CHAIRMAN SHACK: The meeting will now come
4 to order. This is a meeting of the Regulatory Policy
5 and Practices Subcommittee.

6 I am William Shack, the Chairman of this
7 Subcommittee meeting. ACRS members in attendance are
8 Said Abdel-Khalik, Mike Ryan, Mario Bonaca, Sam
9 Armijo, Jack Sieber. Our ACRS Consultant for this
10 review is Professor Bozidar Stojadinovic. Zena
11 Abdulah of the ACRS Staff is the Designated Federal
12 Official for this meeting.

13 In today's meeting, we will be discussing
14 Regulatory Guide 1.216, Containment Structural
15 Integrity Evaluation for Internal Pressure Loading
16 Above Design Basis Pressure. This is a new regulatory
17 guide that was issued for public comment and
18 subsequently revised in order to address some of the
19 public comments.

20 As you know, the version of the Reg Guide
21 that we started to review has been revised somewhat
22 further.

23 The Reg Guide is intended for new light
24 water reactive mines. It deals only with design basis
25 conditions and describes methods the staff finds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 acceptable for predicting the internal pressure
2 capacity for containment structures above the design
3 basis accident pressure, demonstrating containment
4 structural integrity related to combustible gas
5 control, and demonstrating containment structural
6 integrity to meet the Commission's performance goals
7 related to the prevention of mitigations to their
8 accidents.

9 We have received no requests from the
10 public to make a statement at today's meeting. The
11 meeting will be open to the public. The rules for
12 participation in the meeting have been announced as
13 part of the notice of this meeting previously
14 published in the Federal Register.

15 A transcript of the meeting is being kept
16 and will be made available as stated in the Federal
17 Register Notice. Therefore, we request that
18 participants in the meeting use the microphones
19 located throughout the meeting room when addressing
20 the Subcommittee.

21 The participants should first identify
22 themselves and speak with sufficient clarity and
23 volume so they may be readily heard.

24 We will receive requests for telephone
25 participation. We asked that telephone participants

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 identify themselves before the start of the meeting.

2 Is anybody on?

3 Please mute your phone so that you
4 participate by listening only.

5 We will now proceed with the meeting, and
6 I will call upon Mr. Robert Roche-Rivera of the NRC
7 Office of Research to begin.

8 MR. ROCHE-RIVERA: Thank you.

9 My name is Robert Roche-Rivera, and this
10 afternoon we are going to be presenting on Reg Guide
11 1.216 on Containment Structural Integrity Evaluation
12 for Internal Pressure Loading Beyond Design Basis
13 Pressure.

14 Here with me today is Jose Pires. We are
15 both from the Office of Research, Division of
16 Engineering, Structural, Technical and Seismic
17 Engineering Branch.

18 On the line -- I think here they
19 identified themselves, but on the line I believe we
20 should have our contractors from BNL, Rich Morante and
21 Joseph Braverman.

22 So, today's agenda for the presentation
23 consists of background, objective, description, and we
24 have the public comments available as background, and
25 we are proposing going over the presentation slides,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 which provide an overview of the Regulatory Guide, and
2 then we propose moving forward with the discussion of
3 the ACRS observations.

4 As far as the background for this
5 Regulatory Guide, it is intended to ensure appropriate
6 and consistent implementation of regulatory criteria
7 related to structural integrity of the containment for
8 beyond design basis pressure loading.

9 One key aspect of the Reg Guide is the
10 evaluations are of a deterministic nature, and I would
11 like to mention that motivations that resulted in this
12 Reg Guide were to consolidate and complement available
13 guidance related to three regulatory positions
14 presented in the Reg Guide in one document.

15 Examples of documents that included this
16 guidance include Reg Guide 1.136, 1.157, 1.7, and
17 1.206. That was one of the motivations.

18 A second motivation was to address the
19 issues identified during recent license review.

20 MEMBER SIEBER: Does that mean that those
21 four Reg Guides will then be withdrawn, once this is
22 approved, or will they still be there, and the effort
23 is duplicated?

24 MR. ROCHE-RIVERA: They will still be
25 there. Our intention is to complement, provide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 additional guidance. We decided -- these three
2 different loading cases, what they have in common is
3 that the loading are above the same basis pressure,
4 for our three different loading cases, and the staff
5 decided that this -- including these three cases in
6 one regulatory guide, a different one, a new one, was
7 a good approach for others in that need.

8 But, the other Regulatory Guide is still
9 remaining in place.

10 MEMBER SIEBER: Okay.

11 MEMBER CORRADINI: So, the other guides
12 have different purposes?

13 MR. ROCHE-RIVERA: Yes, the other
14 Regulatory Guides have other topics besides the topics
15 addressed in this Regulatory Guide.

16 CHAIRMAN SHACK: One sense, a lot of them
17 provide the loads that you have to deal with in this
18 kind of thing.

19 MR. ROCHE-RIVERA: Yes.

20 CHAIR SHACK: You know, they sort of set
21 the boundary conditions on the structural problem.

22 MEMBER CORRADINI: Okay.

23 MR. ROCHE-RIVERA: Moving forward.

24 As far as the motivation, we indicated
25 there were some issues identified during recent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licensing reviews.

2 Some examples of these issues include the
3 use of internal pressure loading for the combustible
4 gas generation, that containment, equal to 45 psig,
5 without the consideration of the pressures generated
6 by 100 percent fuel cladding-water reaction.

7 When we get to Regulatory Position No. 2,
8 our discussion on Regulatory Position No. 2 will
9 address how we are providing clarity regarding this
10 issue.

11 And also, there were questions from the
12 Applicant regarding what were the severe accidents
13 that needed to be considered for the evaluation. And,
14 we also provide some guidance in that regard,
15 Regulatory Position No. 3.

16 Here for reference and information, we
17 present the timeline for the regulatory guide. One
18 comment I would like to say regarding this timeline is
19 that submitting by the date of when the public
20 comments were received, February, 2009, to when we
21 proceed to have a public meeting, where we discussed
22 every solutions to these comments, there were many,
23 many staff interactions, many meetings regarding this
24 Regulatory Guide, to achieve consistency, and to reach
25 consensus, and I think we succeeded in that regard.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now, our projection is to -- respecting
2 the interoffice concurrence, in this case the Office
3 of New Reactors by this month, and we are having the
4 first Subcommittee briefing today, and we'll have the
5 Full Committee briefing on June, 2010, and it is our
6 expectation that the Regulatory Guide will be publicly
7 available by July.

8 Overall, as I mentioned, the Regulatory
9 Guide includes three regulatory positions, and the
10 purpose is to provide guidance on what is acceptable
11 to the NRC staff, and we list here the three
12 regulatory positions, a description of the three
13 regulatory positions, and that is -- the first one is
14 the purpose is to predict internal pressure capacity
15 for containment structures of a design basis accident
16 pressure, we'll list the related regulations as well.

17 We also provide the guidance for
18 demonstrating containment structural integrity related
19 to combustible gas control, and in addition, the third
20 guide, the third regulatory position is related to
21 demonstrating containment structural integrity for an
22 analysis versus Commission's performance goals for the
23 prevention and mitigation of severe accidents.

24 Now, this is Regulatory Position No. 1.
25 We have mentioned previously the purpose of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 regulatory positions, to provide an acceptable method
2 for predicting the internal pressure capacity for
3 containment structures above the internal pressure for
4 the design basis LOCA.

5 We highlight that this is a pressure
6 capacity at which the structural integrity switching,
7 and a failure leading to a significant release of
8 fission products does not occur.

9 One thing we'd like to mention is that the
10 Regulatory Guide is consistent with the Standard
11 Review Plan, the applicable SRP sections, and also
12 some of the items -- a summary, an overview of the
13 items that we are addressing in our Regulatory Guide
14 1.216 with the staff, and this is again Regulatory
15 Position 1, are the staff expectations regarding the
16 use of a non-linear finite element analysis to
17 evaluate the containment response, and also we provide
18 the expectations regarding a simplified method of
19 analysis.

20 Two key items of this simplified methods
21 are the strain limits, specific for the evaluation,
22 and also the concrete failure modes near this
23 continuity.

24 CHAIRMAN SHACK: On this one, I mean, I
25 read the original draft regulatory guide. There was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 section in there on fragility of containments, and
2 that's something that you need, presumably, for your
3 PRA.

4 It's not so clear to me what this problem
5 is really addressing. I mean, we've, in the past,
6 assumed that for design basis accidents you had
7 sufficient margin when you met the code, and you used
8 conservative methods to compute the pressures and
9 temperatures. This one, actually, seems to follow
10 more from the SRP, and that just seems to me a
11 somewhat strange regulatory basis.

12 It doesn't become a starting point for the
13 fragility analysis. I mean, it's not a median
14 calculation of anything. It's not a -- would you
15 consider a conservative -- it's not a -- I guess maybe
16 it is a 95th percentile of the containment pressure
17 capacity.

18 MR. ROCHE-RIVERA: You might want to
19 consider it in that manner. It is also a useful
20 number, as it also puts in the -- provides a
21 quantitative assessment of the margin above the design
22 basis pressure. It is already implicit on the design
23 procedures, but this provides a quantitative value
24 that the staff can use on their assessment.

25 MEMBER CORRADINI: How would the staff use

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it? I'm struggling to understand this.

2 So, there's a design pressure, which this
3 is not, and then there is a pressure leak rate
4 performance for any particular containment design, and
5 is this the pressure at which it leaks such that the
6 dose is above 10 CFR 100? I'm just trying to
7 understand where along the leakage -- pressure leakage
8 curve this pressure is, and how would one use it?

9 Am I off base? You tell me if I'm off
10 base.

11 CHAIRMAN SHACK: No, it's a related
12 question to what I was asking.

13 MEMBER CORRADINI: Oh, I'm worry, then I
14 don't want to -- I want to be related, not unrelated.

15 CHAIRMAN SHACK: We are related.

16 MEMBER CORRADINI: Okay.

17 MEMBER SIEBER: More or less.

18 MR. ROCHE-RIVERA: You know, originally
19 the requirements for the calculation of these ultimate
20 capacity or motivations for that, would be like to the
21 Three Mile Island. Those are not as explicit today.

22 They are still present in the Standard Review Plan,
23 the Standard Review Plan still asks for an assessment
24 of the ultimate pressure capacity.

25 We are trying to maintain consistency with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that, in the context of three positions that are here.

2 It's also a useful number, because it also can be
3 used to compare with the pressure capacity that are
4 calculated using the limits that are defined in the
5 other two positions.

6 So, it does help provide also an
7 assessment of whether the limits for the combustible
8 gas with a severe accident are still close, or what is
9 the margin above those.

10 MR. BAGCHI: Can I -- my name is Goutam
11 Bagchi, I'm with the Office of New Reactors, Division
12 of Site and Environmental Evaluations.

13 This was a request I always had in mind,
14 and this request went to the Office of REserach, to
15 try to address the Commission's expectation, which was
16 described in a deterministic manner, so that is in
17 Service Level C, and concrete containments, the
18 ultimate strength criterion would be met.

19 So, there is very little probabalistic
20 thinking that went on with it. This is a reliable
21 estimate of the containment capacity beyond design
22 basis.

23 The Commission didn't want to go into the
24 probabalistic framework, so the SECY-93-087 and the
25 SRM didn't change anything. The expectation is based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on the coding situation.

2 CHAIRMAN SHACK: You know, that's
3 Regulatory Position 3, I think, though, isn't it? I
4 mean, I understand the clear connection there for 2
5 and 3 with the position requirements. It's 1 that has
6 me a little puzzled.

7 MR. BAGCHI: So, really, the regulatory
8 positions cannot be in conflict with each other,
9 although it could be.

10 My original expectation was that we will
11 provide some methodology for site -- the containment
12 capacity for doing the calculation that would support
13 PRA later on. But, we did not go that far, because
14 the back-up NUREG studies, or something like that,
15 were not available, and there were large public
16 comments with respect to the fragility portion that we
17 wanted to include in the original draft. So, that was
18 taken out.

19 But, that's why you see a little bit of --

20 MEMBER CORRADINI: But, if I could just
21 ask my question again, because I don't -- I guess I
22 don't appreciate -- I guess going back historically,
23 so, let's say tomorrow this was published and somebody
24 computed it, or measured it. Historically, what this
25 number would be used for --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: There is not much left of
2 the containment after you measure it.

3 MR. BAGCHI: -- I mean, this would be used
4 to demonstrate, we have to write the safety evaluation
5 on Chapter 19 on containment capacity. There is a
6 Chapter 19, DCD requirement that describes the
7 containment capacity.

8 So, the staff evaluation will have to be
9 that it meets the Commission goal based on these
10 evaluations.

11 MR. PIRES: One result I find useful for
12 these, like you mentioned on the fair leakage or
13 performance of the containment, these really should
14 bound the pressures on the other two positions. So,
15 it can provide a context for the other two margins.
16 not only with regards to the design basis pressure,
17 also with the margins regarding the metal/water
18 interaction, and the severe accident policy, it can
19 provide a margin of the results of the other two.

20 Also, these provide a method of analysis
21 that's in capacity or loading clarity.

22 MEMBER CORRADINI: So, let me try
23 historically. So, when they were trying to construct
24 new NUREG 1150 with the five, or, eventually, six
25 plants they used as surrogates, for Surry they used

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 120 psia as the ultimate capacity of the Surry
2 containment when compared to all the containment loads
3 for the Level 2 analysis for NUREG 1150.

4 Is it in this context that such a number
5 would be used?

6 MR. PIRES: There is only one difference,
7 that is, in this number we prefer to use the code base
8 of the property, so it is somewhat smaller, that
9 number.

10 MEMBER CORRADINI: But, it's of that type,
11 such that in a Chapter 19 analysis, you wouldn't use
12 the design pressure, you'd use this pressure as the
13 thing to compare to for some sort of off-site release
14 analysis?

15 I'm just trying to get where I use it.

16 MR. PIRES: The review evaluation is what
17 we use.

18 MR. DUBE: Don Dube, Office of New
19 Reactors. Maybe I can shed some perspective.

20 In Commission paper SECY 93-087, which is
21 about 17 years now, the Commission wanted to provide
22 some distinction between prevention of severe
23 accidents and mitigation.

24 So, this issue addresses the mitigation
25 aspect, and there were two aspects to that. One was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 more deterministic, and one was more probabalistic.
2 The probabalistic has to do with for severe accidents
3 leading to core damage, on average the conditional
4 containment failure probability should be,
5 approximately, 0.1, or 10 percent. So, approximately,
6 only 10 percent of core damages could lead to a large
7 release from the containment failure.

8 The more deterministic nature here, which
9 is specified in that SECY, says, and you probably get
10 to it in slide 13, but it says, "The containment
11 should maintain its role as a reliable leak-tight
12 barrier for, approximately, 24 hours following the
13 onset of core damage under the more likely severe
14 accident challenges." We'll get to that in a second.

15 "Following the initial 24 hour period, the
16 containment should continue to provide a barrier
17 against the uncontrolled release of fission products."

18 So, for the purpose of this is to define
19 what is meant by containment capability, and
20 demonstrating that for the more likely severe
21 accidents the containment integrity on a deterministic
22 basis most likely would be maintained for those 24
23 hours.

24 So, it's a deterministic aspect.

25 MEMBER BONACA: In the same context, I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 still trying to understand the need for this Reg
2 Guide. I'm not denying it, I'm saying -- and what it
3 does, I mean, it says on page three, "Motivation is to
4 complement and consolidate guidance specified in other
5 regulatory guides."

6 It seems to me that there are additions in
7 this reg guide here that make the other reg guides
8 obsolete, or is it true; I mean I don't know. It
9 seems to have combined all these reg guides into a new
10 reg guide, which is the one we are reviewing now, and
11 then you are saying that you address different issues
12 and et cetera. What happens to the other reg guides,
13 are they still applicable to existing plants, and
14 what's the difference with the new reg guide, it's
15 only tied to the defined reactors?

16 MR. PIRES: There is one position in the
17 Regulatory Guide that is not available in the others,
18 that is Regulatory Position 3 that addresses the
19 Commission's performance goals. That is not available
20 in any of the other regulatory guides. So, that's a
21 new aspect.

22 The other positions that have parts of it
23 are already addressed in other regulatory guides.
24 What this does primarily is provide what is the method
25 of -- they focus more on the criteria. This one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 complements them by providing the methods of analyses
2 that the staff considers acceptable.

3 So, that is the major new aspect on this.

4 The other consideration was that it was
5 deemed useful to have these topics together in a
6 single regulatory guide, because they are all the
7 deterministic methods that are used to deal with the
8 beyond design basis pressure.

9 MEMBER BONACA: Would expect that some of
10 the requirements, you know, the computer codes, et
11 cetera, would still be applicable to the existing
12 plants?

13 MR. PIRES: Most of these approaches here
14 are also applicable to the existing plants, but there
15 was an intention behind the Reg Guide that would
16 address mostly those that followed the process of Part
17 52.

18 MR. ALI: Excuse me. My name is Syed Ali
19 from Office of Research. Maybe I can add something to
20 clarify, I think, two questions.

21 One was about the other reg guides. If
22 you have the Reg Guide, if you look at the references,
23 you will see, and I will just read the titles quickly,
24 that those reg guides go to a lot more than just what
25 is in this site. For example, 1.136 is titled, Design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Limits, Loading Combination Materials, Construction
2 and Testing of Concrete Containments. That's a much
3 broader scope.

4 Reg Guide 1.57 is Design Limits and
5 Loading Combinations For Metal Primary Reactor
6 Containment System Components.

7 Regulatory Guide 1.7 is composed of
8 Combustible Gas Concentrations In Containments.

9 And, I think 1.7 is just the format.

10 So, this Reg Guide only takes portions of
11 those reg guides and kind of consolidates portions
12 that are related to the capacity beyond design.

13 The other thing I want to get back to, on
14 Dr. Shack's point, if you want to clarify or want to
15 say what kind of a capacity this is, it's a best-
16 estimate capacity, because a lot of methodology that
17 you will see later on in this presentation is based on
18 a lot of test specs, and when they did those tests
19 they find certain strains in the free field or away
20 from the discontinuities, at the time that the
21 containments failed. So, it's really based on some
22 tests and just a best estimate, it's not -- it's very
23 difficult to put in probability, because it's not
24 based on a lot of studies where you can say what is
25 median or 95 percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: I have one last question
2 which is, does Reg Guide 1.216 stands alone, I mean,
3 can you go through it and without any reference to the
4 other reg guides?

5 MR. PIRES: It stands alone for the most
6 part. It is the type of reg guide that deals with the
7 context of applications, and in many ways it mirrors
8 the Standard Review Plan. So, it does stand alone,
9 but some of the guidance there is very, very limited.

10 For instance, with respect to the severe
11 accident policy, all it does is just a simple
12 reference to the SECY paper 93-087. We tried to
13 provide some more guidance here that the Applicants
14 have found have been -- you know, the review of the
15 application, the staff concluded that a bit more
16 guidance would be useful.

17 MEMBER BONACA: Okay.

18 MR. PIRES: We took lots of pains to be
19 consistent with what exists already. So, no changes
20 are needed to the previous regulatory guides.

21 MR. ROCHE-RIVERA: Moving forward?

22 CHAIRMAN SHACK: Yes.

23 MR. ROCHE-RIVERA: Going back to the
24 discussion on the Regulatory Position 1, as I say, we
25 provide guidance for non-linear finite element

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 analysis, and also for simplifying that, and
2 highlights of the simplifying methods are the strain
3 limits specified for the evaluation, and also concrete
4 failure modes near this containment.

5 Questions regarding this use of a
6 simplified method, as I mentioned previously, again,
7 this position is consistent with the criteria percent
8 in the SRP sections, with addition and clarification.

9 Such as, a new position regarding the
10 verification of concrete shear and actual failure
11 modes, actual compression failure modes, and also a
12 clarification on the limits for pre-stress concrete
13 containment, and that is the limits for the free-field
14 hoop strain in the present standards apply to the
15 total strain, which is the strain for initial pre-
16 stressing, plus the strain from pressurization.

17 And also, we clarify, we add and defined,
18 a global-free field hoop strain limit for pre-stressed
19 concrete containments, something in addition as
20 compared to the SRP.

21 We indicated where the information needs
22 to be provided as part of the FSAR, that is in Section
23 3.8.

24 Now moving to Regulatory Position 2, this
25 is the one that relates to combustible gas control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 inside containment. We present here the regulations
2 related to this regulatory position, and 52.47(a)(12),
3 and 52.79(a)(8), requiring an unofficial description
4 of the equipment and system for combustible gas
5 control, as required by 10 CFR 50.44. Now 50.44
6 requires that the analysis must address an accident
7 that releases hydrogen generated from 100 percent fuel
8 clad coolant reaction, accompanied by hydrogen
9 burning.

10 So, the purpose of the Regulatory Guide is
11 to present a method acceptable to analysis of
12 containment structural integrity to this type of load.

13 This regulatory guide is consistent with
14 other regulatory guides, as we had mentioned
15 previously. In this case is Regulatory Guide 1.7, and
16 in agreement with the Regulatory Position 5 in
17 Regulatory Guide 1.7, our Regulatory Guide 1.126
18 provides the acceptance criteria for the analysis,
19 which is that service level see and factor low
20 category requirements of the ASME code for steel and
21 concrete containments, respectively. This is the
22 allowable criteria, acceptance criteria.

23 And also, we provide this clarification of
24 the loading combination, and this is where we address
25 that issue that was found during recent licensings

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 review, where we clarify that the appropriate
2 combination for this case to be comprised of that load
3 and the highest of these other two loading conditions
4 that are represented here in these two bullets. That
5 is, again, the pressure rising from in cladding water
6 reaction and hydrogen burning and post-accident
7 inerting, probably goes to all 45 psig.

8 Now, the issue mainly was that some of the
9 applicants were just using the 45 psig, even if the --
10 without the consideration of this other case.

11 So again, this regulatory position is
12 related to the one, just by referencing it,
13 referencing the method of analysis, which is, we say
14 that the finite element model presented in Regulatory
15 Position 1, it's acceptable with some limitations.

16 And then, we also say where the
17 information should be submitted, and that is in
18 Section 3.8 of the FSAR.

19 Now moving to Regulatory Position No. 3,
20 that's Commission's severe accident performance goal,
21 and we list the appropriate regulations.

22 Now, these regulations require a
23 description and an analysis of the same features for
24 the provisional mitigation of severe accidents. In
25 relation to these regulations, we have SECY 93-87, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the respective SRM, which provides guidance regarding
2 the allowable criteria for the analysis involving
3 severe accident.

4 Now, this SECY 93-87, is endorsed by
5 reference in Regulatory Guide 1.206. And Regulatory
6 Guide 1.206, basically, says that the review related
7 to meeting the regulations 52.47 and 52.79 listed
8 above should specifically address the issues
9 identified in SECY 90-16 and SECY 93.87, of course,
10 with respect to the SRM.

11 MEMBER BONACA: Now does it address also
12 LOLAs, large fires and explosions?

13 MR. ROCHE-RIVERA: Do you mean the
14 Regulatory Position No. 3 if it address?

15 MEMBER BONACA: Well, the description and
16 analysis of design features to prevent and mitigate
17 severe accidents.

18 MR. ROCHE-RIVERA: Yes.

19 MEMBER BONACA: And, you know, there have
20 been lots of work done under B.5.b to look at the
21 severe accidents due to large fires and explosions?

22 MR. ROCHE-RIVERA: Well, we go into some
23 details, we are going to go into some details
24 regarding what accident sequences should be selected.

25 MEMBER BONACA: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ROCHE-RIVERA: We don't specify
2 specific data, but we just present some criteria that
3 would lead to the section of those severe accident
4 sequence.

5 MR. PIRES: And they are a part of the Reg
6 Guide.

7 MEMBER BONACA: Okay.

8 MR. ROCHE-RIVERA: So again, the purpose
9 for this regulatory position, Regulatory Position 3,
10 is to provide an acceptable method for an analysis
11 that specifically addresses the performance goals,
12 identifies the SECY 90-16 and SECY 93-87, for
13 containment structure in nuclear power plants under
14 severe accident conditions.

15 MEMBER CORRADINI: So, what is the time
16 limit? Don quoted from the 93 SECY, I thought he
17 quoted from the 93 SECY.

18 MR. ROCHE-RIVERA: Yes.

19 MEMBER CORRADINI: Which was 24 hours.
20 But, 24 hours has now transitioned to 72 hours. So, is
21 it 72 hours or is it 24 hours? What is the time
22 limit, or is it to understand the range of accidents
23 and analysis so that deterministically you know you
24 fall below best estimate calculations? So I'm
25 struggling to -- is there a time window here since

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there's not a probability?

2 In the SECY paper, you either took a
3 probabalistic one out of ten approach, or you said
4 that it must hold for 24 hours.

5 MR. ROCHE-RIVERA: There's still time
6 frames presented in the SECY. First, we have the
7 initial 24 hours right after the onset of core damage,
8 and then we just have time after those initial 24
9 hours.

10 Now, there's acceptance criteria for those
11 two time frames. And well the reg guide, actually,
12 will present what is the proposed acceptance criteria
13 for those two time frames.

14 MEMBER CORRADINI: Okay.

15 MR. ROCHE-RIVERA: In Regulatory Position
16 No. 3, so two of the items that we want to highlight
17 in this Regulatory Position No. 3, which, actually,
18 resulted in changes in the regulatory guide as
19 compared to the draft guide version, both due to
20 public comments and NRC staff comments, are the
21 identification of more likely severe accident
22 challenges, and also the criteria for that time frame
23 after the initial 24 hours.

24 MEMBER CORRADINI: "More likely severe
25 accidents."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ROCHE-RIVERA: Yes.

2 MEMBER CORRADINI: That's an interesting
3 set of words.

4 MR. ROCHE-RIVERA: Yes, they are.

5 MR. PIRES: That is what it is in the SECY
6 paper, and we are trying to help people interpret
7 that.

8 MEMBER CORRADINI: So, you will help us in
9 following slides, right?

10 MR. PIRES: I don't know. I hope, yes.

11 MR. ROCHE-RIVERA: We are trying.

12 MEMBER CORRADINI: The criterion, and a
13 fairly precise one, I see.

14 MR. ROCHE-RIVERA: It was a concern, of
15 course, from the public as well.

16 MEMBER ABDEL-KHALIK: Excuse me, I'm not a
17 concrete person, but how do you define failure?

18 MR. PIRES: For the --

19 MEMBER ABDEL-KHALIK: For the analysis.

20 MR. PIRES: -- containment?

21 You are talking regarding the position 1
22 or position 2, or position 3?

23 MEMBER ABDEL-KHALIK: Take your pick.

24 MR. PIRES: Well, for instance, I would
25 take for proposition 2, it's an easy one, I guess. In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 position 2 that is related to the combustible gas
2 controls, I mean, our limit state. It's really more
3 our limit state than failure, is to meet the limits
4 that are already specified in some design codes, they
5 are referred to as the level C limits. These limits
6 allow for stresses that are higher that are
7 essentially the onset of yield.

8 So, that is our failure specified in that
9 case.

10 MEMBER ABDEL-KHALIK: So, the definition
11 of failure --

12 MR. PIRES: In that particular case.

13 MEMBER ABDEL-KHALIK: -- depends on which
14 position you are talking about, whether 1, 2 or 3?

15 MR. PIRES: Yes, yes. And so this is a--

16 MEMBER ABDEL-KHALIK: Perhaps you can
17 enlighten us as to how much difference is there
18 between the definitions of failure in those three
19 positions.

20 MR. PIRES: Yes, yes, I think I can try
21 it, at least.

22 It is in the Position 2 and 3, it's, in a
23 sense, using the words that I used before, is that the
24 containment must hold in terms of being leak-tight.
25 And so these criteria more strict because the onset of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yield, essentially provides a guarantee that you are
2 not trying to have free flow of deformations up to
3 that pressure.

4 In the Position 1, you allow more
5 deformation. The deformation, you can go beyond the
6 yield point of the steel liner, for instance, in a
7 concrete containment or up to the steel plates
8 themselves in a steel containment.

9 So, you allowed the pressure to be such
10 that will induce deformation beyond yield. Now the
11 point there is that how far can you go beyond yield
12 before you get either a rupture of the containment,
13 the containment ruptures itself, or leakage becomes
14 excessive --

15 MR. BAGCHI: Can I try to address your
16 question about the reinforce time?

17 MEMBER ABDEL-KHALIK: Please do.

18 MR. BAGCHI: My name is Goutam Bagchi.

19 It's a very simple declaration that the
20 ultimate capacity, as determined by the code equation,
21 is equal to the value that you come up with there.

22 You have a pressure, and you calculate the
23 maximum bending moment, or the maximum shear, or
24 whatever governing failure forces might be, and then
25 you compare it to the ultimate capacity of the section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to develop that strength. If it doesn't, then there
2 is a failure.

3 MEMBER CORRADINI: That may have helped
4 Said, but that didn't help me at all. I'm sorry.

5 Can I try to restate his question?

6 I guess I thought when you were answering
7 him, I apologize because I'm not attacking this in a
8 structural manner --

9 MR. BAGCHI: Sure. Sure.

10 MEMBER CORRADINI: -- I'm attacking it
11 from a response standpoint. I think you guys are --
12 every time we ask it this way, you answer it in a
13 structural manner. So, that's probably where my
14 disconnect is.

15 But, I think of pressure and leakage,
16 right? And what I thought you told me, or at least
17 what I heard you say was, that along that curve as I
18 continue to pressurize, and let's use the Sandia test
19 as an example, there was some sort of various ways in
20 which the structure starts deforming, but at any point
21 there's a leakage rate. When I cross the design
22 point, I'm absolutely, positively sure with high
23 confidence and a lot of conservatism that I won't
24 essentially get beyond the leak rate that I designed
25 the plant and licensed the plant to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now, I proceed up that curve, and now I
2 start leaking a bit, bit not much, and I'm still not
3 violating 10 CFR 100 site limits, but I'm leaking.

4 Then at some point I start leaking more,
5 and then I thought your answer was, Regulatory
6 Positions 1, 2 and 3 are different points on this
7 curve.

8 MR. PIRES: Exactly.

9 MEMBER CORRADINI: Okay. So, just from a
10 visual standpoint, I'm looking for some sort of curve
11 that says dink, donk, dink, here are the three points,
12 and relative to the design one, so that it all fits
13 together in some form.

14 MR. PIRES: Regulatory Position 2 is one
15 point on that curve. Regulatory Position 2 is what we
16 are asking for is what the applicant considers to be
17 the last point on curve.

18 MEMBER CORRADINI: Regulatory Position?

19 MR. PIRES: 1, on the ultimate capacity,
20 what, in the opinion of the applicant, is the last
21 point on that curve. The end point.

22 MEMBER CORRADINI: Before you get a
23 catastrophic -- before you get such a large
24 radioactivity release, we don't satisfy 10 CFR 100?

25 MR. PIRES: Or, maybe it might even be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 beyond that.

2 MEMBER CORRADINI: Well, that's what I'm
3 trying to understand.

4 MR. PIRES: We are not putting a specific
5 criteria there on what the leakage rate is. We let
6 the applicant make their proposal, and it is assessed
7 on a case-by-case basis.

8 MEMBER CORRADINI: Okay, thank you.

9 MR. BAGCHI: Radiation leakage response
10 really is not amenable to a code type of verification,
11 because when you reach the ultimate strength of a
12 reinforced concrete code there is still some margin.

13 And, when you did the test, when we did
14 the Sandia test, how did you determine failure?
15 Because we couldn't pressurize anymore. So, it's
16 really not linked to pressure versus leakage rate.

17 MR. STOJADINOVIC: This is Bozidar
18 Stojadinovic. If I can also chime in.

19 There is very, very, very few tests, maybe
20 two or three, that attempted to assess the leakage
21 through a cracked concrete wall, which is essentially
22 what we are talking about.

23 The missing link here, between your
24 position, your question about what is the pressure
25 versus leakage, is the data on how much are you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actually leaking through a partially yielded, or semi-
2 cracked wall, and how does that leakage rate increase
3 with increasing cracking, or yielding, or some kind of
4 a through-crack failure formation in the steel kind of
5 containment.

6 And, in some sense we really do not have
7 an ability to link the two yet. And so, the
8 Commission, what I understand, because over time they
9 have taken a very conservative view in this sense;
10 that the code equations for reinforced concrete, which
11 are aiming at failure of the members, and those that
12 are they used here by ASTM are not even named at
13 cracking and breaking of the members, they are aimed
14 at onset of yielding.

15 Those are very conservative estimates of a
16 member that is fairly lightly cracked, and in that
17 sense there is an assumption that the leakage rates
18 through the kind of sort of kind of global shell that
19 this containment represents are going to be low.

20 MEMBER CORRADINI: Okay.

21 So, above the design, but definitely not
22 at a point where you'd have massive leakage or a
23 substantially noticeable leak?

24 MR. STOJADINOVIC: Well, my thinking here
25 is that the Positions 2 and 3 are essentially

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 controlled as stated in this reg guide by the same
2 limits.

3 MEMBER CORRADINI: Okay.

4 MR. STOJADINOVIC: Which is very low. It
5 is very -- it is there is always going to be leakage.
6 The liner will prevent it, but you could always
7 assume there's going to be just a little bit, and that
8 is still going to be okay.

9 And then in Position 1, the way I
10 understand it is, the next operative point on the
11 fragility curve.

12 Now, it is very, again, not difficult,
13 it's not impossible, but it is unsupported by tests,
14 the tests of the actual things were not done. The
15 Sandia tests were beautiful in the sense that they are
16 already there, but it was cold water and the pressure
17 couldn't be pumped up all the way, and some of them
18 broke, and it was very difficult to measure what
19 happened. And, there is a lot of things going on.

20 So, it is useful to have a best estimate.

21 It is useful to have a best estimate position, but
22 what the leakage rate is at the best estimate
23 conditions, as suggested by this reg guide, is an open
24 question.

25 MEMBER CORRADINI: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STOJADINOVIC: We do not know. It is
2 larger than in Positions 2 and 3.

3 MEMBER CORRADINI: Just larger?

4 MR. STOJADINOVIC: Larger. But we can't
5 really tell whether that will be a CFR 50 violation on
6 the perimeter of the plant or not.

7 MEMBER CORRADINI: Okay, that helps.
8 Thank you very much.

9 MR. PIRES: And, essentially, what we are
10 trying to do is put in the structural engineering
11 terms, the type that you mentioned.

12 MEMBER CORRADINI: Okay.

13 MR. STOJADINOVIC: But you are missing the
14 very fundamental link, because no normal conventional
15 structural engineering was interested in leakage off
16 of radiation. There is leakage of water, there is
17 leakage of some liquid natural gas, and things like
18 that have been tried, and there are some ideas as to
19 what the crack sizes are.

20 There are some French tests that have
21 attempted to do this, and there are a couple of
22 analyses in San Diego has attempted to do this. But,
23 say the San Diego stuff is based on computer modeling,
24 not on the actual test, and then pressurize both
25 sides.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So, there is room to find out more, but
2 this is, I think, a fairly conservative estimate of
3 what happens.

4 And, just to make it clear, I don't think
5 in Positions 2 or 3 anything is going to be close to
6 failing. It's going to look really good. I mean, the
7 surface is going to look fine, and it is going to be
8 just yielding. So, in that sense I think the
9 structure will be quite safe.

10 For Position 1, that's based on Sandia
11 test and we can take a look at the pictures of what
12 that looks like.

13 MR. PIRES: Yes, we have some additional
14 data. We are reluctant to put their leakage criteria.

15 There is test data, and there are measurements in it
16 the precision of tests and measurements that show, for
17 instance, what is the nominal leak-rate curve up to
18 the design basis pressure, and that's normally a very
19 small percentage of the voluntary --

20 MR. BAGCHI: That really was an excellent
21 characterization. I completely agree with your
22 characterization, that the surfaces might look just
23 fine, even though it has failed.

24 MR. STOJADINOVIC: Yes, and the leak rate
25 may be very small, but the lack of exact understanding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the leak rate is what forces us, I think, what
2 forces us into this position. If we had a better view
3 of the leak rate, we could speculate more, we could --

4 MR. PIRES: The general estimate for the
5 for the hole for the nominal leak rate is a very small
6 hole, like this. So it's very visually not detectable
7 on the entire surface face. So that can be --

8 MR. PIRES: That's an allowable leak rate,
9 the nominal leak rate.

10 MR. BAGCHI: That's the nominal allowable
11 leak rate, but that would certainly be a lot lower
12 than the limit acceptable.

13 MR. PIRES: Yes, certainly, yes.

14 MR. STOJADINOVIC: And, I would like to
15 hear more, especially, not so much about the global,
16 but when we get to dealing with penetrations and the
17 different changes in the shell that are made to let
18 pipes through, or at the foundation level, and so to
19 see how those discontinuities will be treated. I'd
20 like to hear more about that.

21 MR. PIRES: Yes, we have our second part
22 will address the comments that we have received
23 before. We would like to go one-by-one on those
24 comments if time allows.

25 MR. ROCHE-RIVERA: Moving on?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So, in Regulatory Position 3, the criteria
2 we are proposing for the more likely severe accident
3 challenges, for defining those sequences, is as
4 follows.

5 The applicant provides technical basis for
6 the identification of more likely severe accident
7 challenges to be reviewed by the staff on a case-by-
8 case basis.

9 And, an example of an acceptable way would
10 be to identify the more likely severe accident
11 challenges of identifying the more likely severe
12 accident challenges if to consider the sequences or
13 plant damage states, which when ordered by percent
14 contribution represents 90 percent or more of the core
15 damage frequency.

16 MR. DUBE: This is Don Dube. If there any
17 risk-informed aspect to this Reg Guide, it's in this
18 one sentence or paragraph.

19 MR. ROCHE-RIVERA: Yes.

20 MR. DUBE: But, the 90 percent figure
21 wasn't pulled out of the air. We wanted to make sure
22 that it was consistent with previous design
23 certifications that have been approved or
24 significantly --

25 CHAIRMAN SHACK: It's sort of like the 10

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 percent failure.

2 MR. DUBE: -- review, yes. And when we
3 looked at what was done for two of the design
4 certifications, one used 90 percent and one used 95
5 percent. So, we felt comfortable using a value like
6 90 percent based on precedents.

7 Obviously, 50 percent is too low, and 99
8 percent is too high. So, you know, the out here is
9 there is the opportunity for the applicant to come up
10 with some other criteria which the staff would review.

11 Again, this is just guidance, not
12 regulation.

13 MEMBER CORRADINI: So, the only reason
14 that this is not the same as the other part of the
15 SECY memo is the fact there may be a chance that the
16 final 10 percent, some of those would survive, the
17 containment would survive?

18 Otherwise, if you pick 90 percent, you've
19 simply got a one in ten probability that you'd bust
20 the containment based on criteria 3 definition.

21 MR. PIRES: The probability, if I may say,
22 might be a little bit less than 10 percent. Because
23 even if that occurs, the containment rate is stronger
24 than what he is talking about.

25 MEMBER CORRADINI: Sure, no, I understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that.

2 MR. PIRES: So, probably it would be less.

3 MEMBER CORRADINI: I understand that. But
4 I'm saying by this example, which I would suspect you
5 give an example, the licensees will gladly accept your
6 example, you've linked in some indirect way Part A of
7 the SECY and Part B of the SECY.

8 MR. DUBE: Yes.

9 MR. STOJADINOVIC: This, I thought, was a
10 very interesting statement, and I like to think -- I
11 mean, I agree, this is the way towards risk
12 information.

13 But, one thing that I don't know is --
14 there are two things. One is, what was done in the
15 past? Is this consistent with what was approved by
16 ACRS before?

17 And, the second one is, in this stacking
18 graph, these events that may lead to core damage
19 frequency, you are going to say this event provides 37
20 percent, and the other one 17, and the other three,
21 and they add up to 90.

22 Within those events, is there a
23 possibility that the pressure and temperature outcomes
24 from those events will be different, in the sense that
25 maybe the one that provides half of the 90 percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 produces pressures that are lower, and temperatures
2 that are lower than the other value produces the last
3 3 percent that keel you over.

4 And so, my fear is that, unless we focus
5 in some sense or try to make sure that the applicants
6 don't take an out here and they designate the very
7 high pressure temperature event as the one that is
8 falling out of this category, that we eliminate that
9 option and that we kind of sort of include really the
10 most severe events in this group.

11 There is the statement now the ordering is
12 fine, but it may not include -- it doesn't distinguish
13 between the severity of core damage events.

14 MEMBER CORRADINI: So, what I think you
15 just asked was, do you take the worst of the best, or
16 the best of the best?

17 MR. STOJADINOVIC: Yes.

18 MEMBER CORRADINI: In terms of the loading
19 pattern?

20 MR. STOJADINOVIC: And so, here, the
21 applicant may could be considering the best of the
22 best, and they declare then to be 90 percent of
23 everything. And the worst of the worst may truly be 1
24 percent, but that may be out.

25 MEMBER CORRADINI: But that fence-sitter,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the worst of the best might be the one you have to use
2 to do your calculations?

3 MR. STOJADINOVIC: Yes, so how would we
4 deal with this?

5 MR. BAGCHI: This is a good time, again,
6 may I offer my structural insight to this?

7 The most important driving mechanism for
8 containment failure is, really, direct pressure.

9 MR. STOJADINOVIC: Yes.

10 MR. BAGCHI: Temperature sometimes causes
11 additional pressure, but that's far less important
12 than the pressure itself.

13 So, we do capture the accident, severe
14 accidents that produce the highest pressure. And
15 there is coordination between the reactor systems
16 folks and the accident analysis folks, and the people
17 who do the structural audit. I've done a few in my
18 life. And I don't think we'll let go of a severe
19 pressure phenomenon that may really trigger the
20 failure initiation.

21 MR. STOJADINOVIC: Well then, maybe if I
22 can add a little bit of dissent and saying that within
23 this 90 percent, the severe pressure accident must be
24 included, or something like that.

25 So, you know, there is absolutely no --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: Isn't that what they are
2 trying to do with their second bullet?

3 MR. STOJADINOVIC: Well, maybe.

4 MR. BAGCHI: I really wanted to have that
5 kind of statement in the guide itself, but somehow,
6 because of revision or whatever, it might have been
7 taken out.

8 MR. STOJADINOVIC: Maybe it's in the
9 second bullet.

10 MR. PIRES: Don, do you want to make a
11 comment?

12 MR. DUBE: Yes, I mean, we looked at this
13 pretty carefully. I understand what you are saying.

14 We are taking a quote directly from a
15 Commission policy paper which the Commission endorsed
16 or approved.

17 If the words of the Commission had chosen
18 said the most limiting severe accident challenges,
19 then I would agree with you. But, that's not what the
20 words say.

21 The more likely severe accident
22 challenges, which means, in my opinion, that means the
23 most likely core damage sequences and then look at the
24 most likely severe accidents core damage sequences.
25 As I said before, one way to do it is a rank order it,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 make sure that the containment can take the pressure
2 temperature envelope for the top 90 percent.

3 Otherwise, where does one draw the line,
4 95 percent, 99 percent? You are starting to get away
5 from the words "more likely," and getting to be "most
6 bounding."

7 CHAIRMAN SHACK: But, he is enveloping the
8 90 percent.

9 MR. STOJADINOVIC: Yes, I mean, as long as
10 -- my fear is that I do not know what the pressure --
11 whether core damage accidents can cause different
12 pressures.

13 If they don't, then this is not a problem,
14 but if they do cause severely different pressures,
15 then I think that the wording should be stated such
16 that within those 90 percent that are emulated by a
17 counting the pressure should be included.

18 MR. PIRES: We consulted with PRA folks,
19 and with severe accidents people in NRO, and I think
20 the work that they did is more likely severe accident
21 challenges, I think that's very critical in this case.

22 Even the probability criteria is only on
23 10 percent conditional probability of failure. So
24 here, if we pick up 90 percent of the sequences, and
25 then even if the containment failure probability is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 one, we are still below the 10 percent of the
2 conditional.

3 So, this seemed to be sufficient with the
4 intention of the Commission in their SECY paper. I
5 think we are consistent with that. My understanding
6 also is that there are a few sequences that contribute
7 to these 90 percent, and most of the others are very
8 low probability of occurring. Their probability of
9 occurrence, with the air ducts to add to the last 10
10 percent, but it is very small for each one of them.
11 So this, in the judgment of the persons in NRO that we
12 dealt with in the severe accidents and with the
13 containment, these appear to be appropriate and
14 consistent with the more likely severe accident
15 definition of the Commission. Is not the most
16 bounding.

17 MEMBER CORRADINI: So, just to clarify,
18 because I think your explanation satisfies or at least
19 explains. So the second bullet, I interpret the
20 second bullet under pressure temperature demands to
21 mean that if, for example, we were to take your
22 suggested approach and you found 90 percent of all the
23 sequences, and they are the more likely ones, I would
24 look for a pressure temperature response that
25 envelopes that 90 percent, and apply it. That's what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I interpret enveloping means.

2 Am I interpreting that right?

3 MR. PIRES: It is that meaning with one
4 exception, that is we also must that they be
5 physically reasonable. Because it could be that there
6 is within those 90 percent the very high pressure, and
7 that may not, really will never co-exist with a very
8 high temperature.

9 MEMBER CORRADINI: No, no, that I
10 understand.

11 MR. PIRES: So that if we ask for that--

12 MEMBER CORRADINI: No, no, that I
13 understand. But let's just pick three possibilities.

14 So, I have a station blackout sequence.
15 All right. I have a large break LOCA sequence, and I
16 have some sort of something else. Those two are the
17 two that pop in my head.

18 And based on the core damage or the core
19 and the containment damage state, I might get a series
20 from those six different sequences and six different
21 pressure temperature curves, I would take that
22 pressure temperature pair that envelopes all six of
23 those, all six adding up to 90 percent, I'd use that
24 pressure temperature consistent pair.

25 That's what I interpret that bullet to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mean.

2 MR. PIRES: No, no. It is essentially
3 that, but the only small difference from that is
4 essentially that the only small difference is that we
5 think it is acceptable if they judge -- I'm sorry, I
6 think I misunderstood. You are talking about the
7 particular pair, just a single pair.

8 MEMBER CORRADINI: I'm just trying to
9 figure out what select physically reasonable
10 enveloping pressure temperature demands.

11 CHAIRMAN SHACK: But, he doesn't take the
12 worst pressure and the worst temperature.

13 MEMBER CORRADINI: No.

14 MR. BAGCHI: That word, as it appears in
15 the slide "enveloping," maybe is distorting your view
16 of this.

17 We are emphasizing --

18 MEMBER CORRADINI: I'm a basically,
19 distorted person.

20 MR. BAGCHI: No, sir, I wouldn't say that.

21 MEMBER SIEBER: I would.

22 MEMBER CORRADINI: He would.

23 MR. BAGCHI: The point is that we take the
24 pressure time history that produces the highest
25 pressure load, and then the associated temperature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that goes with it.

2 MEMBER CORRADINI: That's consistent with
3 what I was trying to understand it to be.

4 MR. BAGCHI: But, not an envelope of all
5 the sequences.

6 MEMBER CORRADINI: Right.

7 MR. STOJADINOVIC: But then, this would
8 satisfy what I was wanting to say, that there is a
9 fairly high probability if you'll choose the worst
10 physically consistent combination of pressure and
11 temperature that would happen here, and maybe we'll,
12 through the 90 percent process miss one, but then you
13 are still within the right probabilities.

14 MEMBER ABDEL-KHALIK: I think, you know,
15 this discussion probably can be clarified if that
16 first sub-bullet in the pressure temperature demand is
17 modified to read, select physically reasonable
18 enveloping pressure demand from the identified
19 sequences and associated temperature, is that what you
20 do?

21 MR. STOJADINOVIC: Yes, if that's what you
22 do. then that's just exactly it.

23 CHAIRMAN SHACK: Now, what the actual text
24 says is "which pairs of pressure and corresponding
25 temperature loadings envelope the entire set of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pressure and temperature loading." So, that gets very
2 close to where you are at.

3 MEMBER ABDEL-KHALIK: Right. But that's
4 probably a little confusing, whereas if you say
5 "reasonably enveloping pressure demand from the
6 identified sequences and associated temperature," that
7 would be a more precise --

8 CHAIRMAN SHACK: Associated rather than
9 corresponding. Okay. You're right. Whatever.

10 MR. PIRES: It might be more precise, but
11 in the regulatory guide the word that is there, and I
12 think the interpretation of that is you may not just
13 select, necessarily, the pair. You may want to have
14 probably -- you know, it provides a little bit more
15 flexibility than what you say for the applicant. I
16 guess people can see that.

17 MR. BAGCHI: I have hardly seen in that
18 condition where temperature controls any of the
19 pressure capacity.

20 The pressure rise is relatively slow. It
21 is even quasi static. Most of the sequences that we
22 evaluate for.

23 CHAIRMAN SHACK: But, you captured that
24 with the sub-bullet up there for the concrete where
25 you are more or less telling them to just look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pressure.

2 Steel is a little bit iffier.

3 MR. PIRES: Yes, that's the intention of
4 that second bullet was to address exactly that.

5 MR. ROCHE-RIVERA: Moving on?

6 Now, for the time frame following the
7 initial 24 hours after the onset of core damage, the
8 regulatory guide provides criteria for addressing this
9 case, and basically we present four options, actually.

10 And, the first two options relate
11 basically to performing an analysis that shows that
12 the containment structure is strong over the first 24
13 hours, basically the intent and evaluation.

14 And if this is not met, then the third one
15 says since this condition or the calculated release
16 for the more-likely severe accident challenges
17 following the initial 24-hour period meets the site-
18 specific design criteria for fission product released
19 from the containment in accordance with the
20 requirements of 10 CFR 100.21 and 10 CFR 50.34.

21 We also provide the option that the
22 applicants can submit alternate methods, and this will
23 be evaluated by staff on a case-by-case basis.

24 So, basically, for the two time periods we
25 presented in this Regulatory Position, we quote the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 method of analysis presented in Regulatory Position
2 No. 1, and we take exceptions in the Reg Guide.

3 MEMBER CORRADINI: So, can I say it back
4 to you in less words?

5 So, in the first 24 hours they've got a
6 match up. In the second 24 hours one possibility is,
7 they continue to match up with the load, or they meet
8 the site-specific design criteria for fission product
9 released at the site boundary? I'm trying to remember
10 what the -- in accordance with the requirements, 10
11 CFR 100.21 are. Is that the site boundary release?

12 MR. PIRES: Yes.

13 MEMBER CORRADINI: Okay. Or something
14 else that they can justify?

15 MR. PIRES: That is -- yes, exactly.

16 MR. STOJADINOVIC: This CFR 100.21 and
17 50.34, be the site-specific design criteria for
18 release is key for establishing any space that has
19 confirmed the regulation in this area. This is how it
20 should be done.

21 We are missing a lot of pieces, but if
22 anyhow possible I would like to keep this in this Reg
23 Guide for the future, for future develops. Because if
24 we had had the ability to compute this, we could do
25 it, this is the way it should be done.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So it is very difficult to do it. It is
2 very difficult to do this, given what we know about
3 reinforced concrete and steel in a containment.

4 MEMBER CORRADINI: Oh, okay. So you've
5 answered what I was going to ask, which is you told us
6 earlier this is damn hard, if not impossible.

7 MR. STOJADINOVIC: Yes.

8 MEMBER CORRADINI: But, you are okay with
9 letting this option in there, even though you know
10 it's very hard.

11 MR. STOJADINOVIC: Because we will get
12 better. I mean, I personally think we could be doing
13 better right now. But over the years we will get
14 better along these lines. I mean, that's how the CFR
15 50.61(a), the thermal pressure shock people got there.
16 They are there now.

17 And, I would like to keep this as a goal
18 for a version of this that is very similar to
19 50.61(a).

20 MEMBER CORRADINI: Let me ask on the
21 fourth dash, is there an alternative method the staff
22 has accepted on a case-by-case basis in the past that
23 isn't the second dash and the third dash?

24 MR. ALI: No.

25 MEMBER CORRADINI: Okay. I didn't think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 so. I was just curious.

2 MR. STOJADINOVIC: There is one, explode
3 the containment.

4 MR. ROCHE-RIVERA: And now the information
5 first related to Regulatory Position 3 should be
6 reported in Section 19 of the FSAR.

7 Going forward?

8 Basically, we just wanted to be included
9 in this presentation just for reference a tabulation
10 of the public comments that we received, and this is
11 based on the letter from the NEI. The categories were
12 defined by them in the letter, so this is just for
13 reference, the numbers associated with each category.

14 And, we categorized ourselves these
15 comments on the Regulatory Position. And we formed a
16 working group to work on the resolution of these
17 comments. And, as I have mentioned, over the
18 presentations there were some key changes that were
19 based on those public comments and recommendations
20 from the staff.

21 Now, I would like to highlight some of
22 those major revisions, and basically it's that the
23 Regulatory Guide scope includes -- it's only
24 applicable for new water reactors.

25 We received some comments in the line of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the organization of the Reg Guide. So we clarified
2 the purpose and also clarified the relationship
3 between the regulation and the regulatory positions.

4 Also, one thing that was identified by the
5 public was that they wanted more criteria in terms of
6 what was the more likely severe accident challenges,
7 and we are providing that criteria.

8 And also, they were asking for original
9 criteria; what to do for that period following the
10 initial 24 hours.

11 And, one of the biggest ones I would say
12 is the removal of the Regulatory Position No. 4, that
13 Dr. Shack has mentioned previously. We think it is
14 that this item may require further development of
15 technical basis and subsequent publication in a report
16 or standard, in that we think that that has to happen
17 first.

18 And also regarding the intention of this
19 Reg Guide, it's our intention that this Reg Guide
20 should focus on deterministic methods and to
21 subsequent research provides the technical basis for
22 risk-informed performance regulatory guide.

23 Basically this concludes our presentation.

24 We have here as background slides some examples of
25 key public comments. I leave it up to you if you want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to go over these.

2 The other thing we had planned for this
3 afternoon was to go over the ACRS observations.

4 CHAIRMAN SHACK: Consultant's
5 observations.

6 MR. ROCHE-RIVERA: Consultant's
7 observations, and our proposed response to those
8 observations. I think this will be a good time to --

9 CHAIRMAN SHACK: I just had a question,
10 whether anybody had an alternate suggestion for the
11 criteria for 2 and 3.

12 MR. PIRES: For Regulatory Position 2 and
13 3?

14 CHAIRMAN SHACK: Yes. You know, I assume
15 that the 90 percent was -- I mean, nobody actually
16 proposed anything less than that, did they?

17 MR. PIRES: There was no specific proposal
18 on the comments. There were requests for proposals
19 from our side.

20 CHAIRMAN SHACK: Okay.

21 MR. PIRES: Guidance from our side, but
22 there were no specific requests, as far as I recall.

23 CHAIRMAN SHACK: You mean all the comments
24 on the choice of the level C, you know, that's already
25 Commission policy. I mean, that's not Reg Guide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 decisions.

2 MR. PIRES: But it's a general feeling
3 that the level C, like the consultant said, is strict
4 criteria, but it's not the only. You know, by default
5 on the Reg Guide, it's just one acceptable method, you
6 know, and the applicant can choose another method to
7 be reviewed.

8 MR. ROCHE-RIVERA: So, we will pass on to
9 the consultant's recommendations and our proposed
10 resolution.

11 The recommendation here is that, I'll go
12 one-by-one.

13 MR. PIRES: If I could comment, some of
14 them are very similar, so one sometimes --

15 CHAIRMAN SHACK: Never ACRS guidance.

16 MEMBER CORRADINI: Response to ACRS
17 comments?

18 CHAIRMAN SHACK: No, consultant comments.

19 MR. ROCHE-RIVERA: Consultant.

20 CHAIRMAN SHACK: There's no ACRS comments
21 until we write a letter.

22 MEMBER SIEBER: Delete this slide.

23 MR. STOJADINOVIC: Yes, I don't know if
24 you want to go through everything, but really, 9, 10,
25 11 and 12, so if you want to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Yes, where the money
2 is, yes.

3 MR. ROCHE-RIVERA: Yes. Well if you
4 prefer just to go on those first.

5 MR. STOJADINOVIC: Well, just to
6 summarize, I think that the first four or five
7 comments were basically background and just
8 clarification of the scope. And I think -- well,
9 let's go through them anyway because your responses
10 are important to get. Okay, yes.

11 Okay. So we'll go fast through here.

12 MR. ROCHE-RIVERA: Okay. So I'll proceed
13 and read the comment and read the response.

14 Comment No. 1, the objective and the
15 regulatory basis for this Reg Guide are described
16 clearly and in sufficient detail. However, the
17 Regulatory Guide provides the guidelines for a
18 deterministic evaluation of containment structural
19 integrity for internal pressure loads that are above
20 the design basis. The margin of safety, expressed in
21 terms of multiples of design pressure arrived at using
22 these guidelines does not contain sufficient
23 information for probabilistic risk analysis of the
24 containment integrity.

25 This version of the Regulatory Guide may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 need to be modified to clearly state its deterministic
2 mission.

3 Our response is that we concur with the
4 comment and we propose to add a clarification in
5 Section B.

6 MR. STOJADINOVIC: So, in some sense,
7 according to what we talked about today, we will
8 identify three points along the pressure leakage
9 curve, but those probabilities associated with those
10 points are unknown.

11 MR. ROCHE-RIVERA: Yes, we don't propose
12 to add a statement to that level of detail. I mean,
13 just a statement saying that the Regulatory Guide
14 addresses deterministic method.

15 MR. STOJADINOVIC: Yes, that's it, thank
16 you.

17 MR. ROCHE-RIVERA: Comment 2, statement of
18 a direct link between the three regulatory positions
19 in this Reg Guide and the three tasks stated in the
20 first sentence may help clarify the structure of this
21 Reg Guide.

22 MR. STOJADINOVIC: Yes, I agree.

23 MR. ROCHE-RIVERA: Comment No. 3, the
24 scope of applicability is stated to be for light water
25 reactor containment structures using steel reinforced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concrete and pre-stressed concrete. However, it is
2 not clear whether the deterministic guidelines of this
3 Regulatory Guide should be applied to non-light water
4 reactor containments using these materials for
5 containment structures, might use other materials.

6 And, the reason the last sentence of this
7 section may need to be deleted.

8 So, the staff understands that the comment
9 means that the last sentence in this code section of
10 Part B may indicate that this guidance might be
11 applicable to containments of non-light water reactors
12 constructed of materials other than metal or concrete.

13 We proposed using two sentences to clarify
14 that this is not the case, basically, made it specific
15 that it is made out of concrete.

16 MR. STOJADINOVIC: Yes. But hat I would
17 like to avoid is, somebody comes up with a Generation
18 4 Kevlar containment, something very, very, very
19 different. So, even the principles used here may not
20 work, or some kind of bubble-gummy material. We don't
21 know.

22 So, we would write the next Reg Guide for
23 that.

24 MEMBER CORRADINI: You are saying that the
25 analysis -- I just want to make sure I understand just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for the sake of my understanding. You are saying that
2 the analysis techniques that are discussed are
3 definitely applicable to metal and concrete.

4 MR. STOJADINOVIC: Yes.

5 MEMBER CORRADINI: But, if somebody comes
6 up with something innovative --

7 MR. STOJADINOVIC: Yes.

8 MEMBER CORRADINI: -- they may not be
9 applicable.

10 MR. STOJADINOVIC: Exactly.

11 MEMBER CORRADINI: Okay.

12 MR. STOJADINOVIC: Because say something
13 that doesn't leak, even though it's yielding, whatever
14 that is, if somebody comes up with that, we need a new
15 Reg Guide, we cannot throw them into this one.

16 MR. PIRES: And, that was our intention,
17 but the sentence is awkward.

18 MEMBER CORRADINI: Okay.

19 MR. PIRES: And, I think that we will work
20 with the technical editor to clarify that.

21 MEMBER CORRADINI: I mean, the intent
22 certainly is --

23 MR. BAGCHI: Not to quibble about this,
24 but if you don't have a national standard, consensus
25 standard, you are not going to build or design any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 kind of a containment structure the staff will ever
2 accept.

3 MEMBER CORRADINI: That sounds like
4 something you guys should solve over a beer.

5 CHAIRMAN SHACK: You know, I mean, you've
6 always said they could have alternate approaches for
7 the position 2 and 3.

8 MR. ROCHE-RIVERA: Moving forward.

9 Yes, there is a little bit more than that.

10 Okay, moving forward.

11 The glossary of this Regulatory Guide
12 eloquently defines the notions of global and local
13 response. The explanation of the weld hoop strain
14 limits for pre-stressed concrete walls should be
15 augmented by stating that the strength in hoop tendons
16 of typical containments is about 24 percent before
17 pressurization.

18 Similarly to the statements in Section
19 C.1.f.(2), it may be clearer to express the limiting
20 strengths for pre-stressed containments as increments
21 with respect to the pre-pressurization strength.

22 We agreed with the first part of the
23 comment, and will augment Part B to state that the
24 strength in hoop tendons of typical containments is
25 about .4 percent before pressurization.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. STOJADINOVIC: Just to clarify for
2 everyone, there was an email that accompanied the May
3 12 version that Ms. Abdullahi sent me, and in that
4 email this was very nicely stated.

5 MR. ROCHE-RIVERA: Yes.

6 MR. STOJADINOVIC: So, presenting the Reg
7 Guide, it was nicely stated in the email, that would
8 be really good to have in the Reg Guide.

9 MR. ROCHE-RIVERA: Thank you, yes.

10 Comment five, the fairly significant
11 release of fission products should be defined. If the
12 Regulatory Guide opens the door for releases less than
13 significant. One option is to define it in terms of
14 uncontrolled release of fission products is by SECY
15 93-87. Another option is to place the burden on the
16 applicant to show that a release will not be
17 significant in terms of 10 CFR 50, as seen in approach
18 of lining section C.1.j.

19 We propose to delete the second part of
20 the first sentence in the first paragraph of Section
21 C.1.

22 Now, the guidance in the Regulatory
23 Position 1, Section C.1.j, already states that the
24 applicants should consider the potential for
25 containment leakage of pressure levels below the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 calculated control capacity. A reference to 10 CFR 50
2 might be construed as a staff position for leakage
3 criteria for ultimate pressures, which instead should
4 be evaluated on a case-by-case basis.

5 MEMBER CORRADINI: So, you are opting out,
6 you are going to remain silent on this?

7 MR. PIRES: Well, the concern was that it
8 might be construed to have some other meaning.

9 MEMBER CORRADINI: I just want to make
10 sure that's what you are doing.

11 MR. PIRES: Yes.

12 MR. ALI: This is just to focus on the
13 structure aspects.

14 MR. STOJADINOVIC: I mean, when I was
15 reading this and other SECYs, there are several terms
16 that are used. And uncontrolled release of fission
17 products was in SECY, and then significant. We want
18 to be very careful about terminology, so as to be
19 either silent or very clear.

20 MR. PIRES: And, that's why we don't want
21 to use "controlled" here, because it's on the other
22 positions.

23 MR. ALI: I agree.

24 MEMBER CORRADINI: Although, you know, as
25 a statement of purpose, I think it's reasonable. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in a sense your simplified criteria, you know, it sort
2 of -- it's like saying level C is what you need to
3 keep it tight in 2 and 3, and so you've got criteria
4 here that can be interpreted as your interpretation of
5 what -- if you meet these, then you are going to have
6 less than a significant one, even if you don't know
7 exactly what it is.

8 And then if they want to propose anything
9 else, they have to come in and justify it. So, you
10 know, I'm not sure that I have any problems with it,
11 myself.

12 MR. PIRES: I didn't have problems,
13 though, we were just trying to address the concerns.
14 Because it's always what -- if it is not significant,
15 then what significant is. We don't define
16 significant.

17 MEMBER CORRADINI: Well, you've sort of
18 got an operational definition of significant, if it
19 meets these structural criteria, you said it doesn't
20 have significant leakage. That's okay. Like I say,
21 it's sort of like leak tight in Level 3.

22 MR. PIRES: I mean, we were not divided.
23 We didn't really know what way to choose, and what you
24 just said was something that we thought also about.
25 So we might consider leaving it, too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. STOJADINOVIC: Yes, I mean, I'm open
2 to this as long as there is an understanding among us
3 in some kind of past practice in dealing with similar
4 situations.

5 MR. PIRES: Yes. The main reason why it
6 was there was to later refer to that position j, so
7 that people will not just bypass it.

8 MR. STOJADINOVIC: Okay.

9 MR. PIRES: So, that was the main reason
10 why it was there. So, in that sense, I think it might
11 be useful probably to keep it.

12 MR. STOJADINOVIC: I'm fine, just as long
13 as we know what we are doing.

14 MR. ROCHE-RIVERA: Comment 6, the scope of
15 the load effects should be clearly stated. They are
16 effects of internal pressure on temperature, and
17 effects of permanent load. The fact that it affects
18 loads such as seismic loads or impact, and as
19 considered in this Reg Guide, may need to be stated.

20 Section C.1.c defines the analysis
21 process, which also defines the loads that need to be
22 considered for this evaluation, which do not include
23 the air quick load.

24 MR. STOJADINOVIC: Okay. So by not saying
25 that they are there, you are meaning that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PIRES: I think it is normally
2 understood by the people who would make these
3 assessments that these loads are not included. It's
4 just the pressure and the dead loads.

5 MR. STOJADINOVIC: Yes.

6 MR. PIRES: I think it normally is --
7 there has not been confusion on that, as far as I
8 know.

9 MR. STOJADINOVIC: So, there is no need to
10 do --

11 MR. PIRES: No, I don't think there is a
12 need to do that.

13 MR. STOJADINOVIC: The other reason why
14 this is, is really in the ASME code there are impact
15 guidelines which allow significant yielding. And so,
16 just to make absolute -- I mean, this is -- if there
17 hasn't been any confusion before, impact will not be
18 considered together with these things at all ever.

19 MR. PIRES: No. No. I think because
20 these are already considered events that are unlikely,
21 so that they will not combine it. This version is not
22 to combine with other unlikely event.

23 MR. STOJADINOVIC: Yes, I agree. Okay.

24 MR. ROCHE-RIVERA: Comment 7, second
25 paragraph in Section C.1 may be consolidated in items

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 A and B. Item C.1.a should be expanded to include a
2 statement about appropriate boundary conditions of the
3 model.

4 The second and third paragraphs in C.1
5 address the organization of this section, which
6 includes a finite element analysis approach, and
7 approaches using simplified methods, while A and B are
8 specific to finite element analysis approach.

9 Boundary conditions can be -- this is for
10 the second part of the comment -- boundary conditions
11 can be containment specific and their listing would
12 only address a limited number of designs.

13 This is a level of detail that is not
14 intended for this Regulatory Guide. Nevertheless,
15 Section C.1.i refers to Appendix A to NUREG/CR-6906,
16 which provides detailed guidance on developing finite
17 element models, including boundary conditions.

18 MR. STOJADINOVIC: Okay. I mean I said
19 may, if you go along too, that's fine. Either way it
20 okay.

21 MR. ROCHE-RIVERA: Comment 8, I think d
22 and e should be expanded to include a statement of the
23 initial pre-stress and the residual strains should be
24 accountable. The Appendix to NUREG/CR-6906 contains
25 recommendations that may be identified as acceptable.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So we actually are requesting further
2 clarification of this comment.

3 MR. STOJADINOVIC: Yes, when I was reading
4 this NUREG, there were, I think in Chapter 4 and in
5 the Appendix, they were talking about how the initial
6 pre-stress and the residual strains -- I mean, the
7 initial pre-stress is already there in the analysis.
8 But the residual strains are very often not. And,
9 there was one statement there saying the residual
10 strains, even though they are difficult to capture,
11 may represent 20-30 percent of the stress capacity of
12 the material and should be included. And they
13 suggested some kind of a pre-stress that is available,
14 it says LS-DYNA now or some other method that's
15 available in ABAQUS.

16 And so my question here is not so much
17 that -- have there been confusions about this, can you
18 get in trouble with applicants doing this or
19 deliberately not doing this, or is this a problem that
20 should be regulated?

21 And, if so, I think maybe there's a
22 statement in the modeling part that something like
23 that, pre-stress and residual strain should be
24 modeled.

25 MR. STOJADINOVIC: Is this part of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pre-stress containment, concrete containments? It
2 would be part of pre-stress concrete.

3 MR. ROCHE-RIVERA: Yes, and the residual
4 strains are more so for the steel.

5 MR. STOJADINOVIC: Steel, okay.

6 MR. ROCHE-RIVERA: Because when you forge
7 them, or somehow weld them, there are --

8 MR. PIRES: Yes, normally, in the 6906,
9 they had the modeling considerations. We referred
10 already to those modeling considerations. They
11 expressed those models terms of the residual stresses.

12 They were expressing these modeling terms of the
13 resident stress from the forging and the cold work.
14 And in that case, yes there were some comments there
15 on the Appendix D. They said that for those residual
16 stresses, usually they are not included in -- they
17 were not including them in the analysis and that they
18 were already accounted for in the criteria. The point
19 is the criteria in the ASME already has allowances for
20 the residual stresses.

21 Also, many of these tend to be of a
22 bending pipe.

23 MR. STOJADINOVIC: Yes.

24 MR. PIRES: Instead of being the membrane
25 ones, which typically are the more important one for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this case. And so, I guess what we may want to do is
2 discuss further with BNL whether it would lead to a
3 confusion to make a point specifically to those parts
4 on the NUREG.

5 MR. STOJADINOVIC: Maybe the possible way
6 to make it in the Reg Guide, but not make it very big,
7 is to mention it within the finite element modeling
8 guidelines as one item that is in this appendix.

9 What I would like to avoid is some kind of
10 a vessel design that is very heavily pre-stressed, or
11 has a large set of residual stresses, that for some
12 manufacturing reason are there, but are not accounted
13 for in the analysis. Because then, you know, we
14 haven't done it before, therefore we will not do it
15 again, ever.

16 And so, so as to have -- for NRC to have a
17 way of saying, well, you know, in this review we found
18 that residual stresses are high, and here we say but
19 you've got to include them.

20 MEMBER ARMIJO: Some of those residual
21 stresses could be beneficial, though. Welding
22 stresses could, typically, shrinkage stresses leave
23 you in a compressive state. Is that really what you
24 are looking for?

25 MEMBER CORRADINI: I mean, typically, when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 residual stresses are harmful, I mean, you know, the
2 code would require you to anneal the vessel, for
3 example, to get rid of them.

4 We typically don't calculate residual
5 strains in highly ductile materials, just because they
6 generally don't enter into the -- you know, for
7 whatever role they may play in stress corrosion
8 cracking and such, they don't really enter into the
9 failure kind of criteria.

10 MR. PIRES: That was the comment also from
11 our contractor, the BNL contractor, that again the one
12 comment he made was that some of these are bending
13 stress, they are not the membrane strengths that we
14 are worried about. Particularly, the other was that
15 normally the criteria is for brittle material, the
16 concern, not for these ductile materials of the
17 containments.

18 MR. STOJADINOVIC: So, in some sense, what
19 I want to do is to make sure that the NRC has a leg to
20 stand on if you require further analysis of this area.

21 But I do believe that you are right, we are most
22 bending, and most cases they are going to be okay, in
23 some cases they are even going to be okay, more than
24 okay.

25 MEMBER CORRADINI: In some cases, yes, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 put them in.

2 MR. STOJADINOVIC: We like to have them.

3 But just so that there is a place where
4 the NRC could say, well, okay, guys, we think that the
5 residual stresses here matter, therefore you've got to
6 analyze it.

7 MR. PIRES: I understand.

8 MR. STOJADINOVIC: For pre-stress, or
9 whatever.

10 MEMBER CORRADINI: Go ahead.

11 MR. MORANTE: Jose?

12 MR. PIRES: Yes, can you identify
13 yourself? Can you say your name please.

14 MR. MORANTE: This is Rich Morante. Can
15 you hear me?

16 MEMBER CORRADINI: Yes.

17 MR. MORANTE: Okay. This is a very
18 difficult area to request an applicant to factor into
19 an analysis of capacity in any kind of quantitative
20 way.

21 Just the prediction of what the residual
22 stress or strain patterns would be is a major task in
23 and of itself.

24 MR. PIRES: No, I understand, Rich. But I
25 understand, if I may say, that the comment from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 consultant is that he's not asking that that analysis
2 is addressed there. He just wants a mechanism in the
3 Regulatory Guide that if there is a particular
4 occasion which we think is important, we'll have the
5 means to invoke it.

6 So, I think he's in concurrence with you.

7 MR. MORANTE: I have no problem with that,
8 but I heard mention of LS-DYNA and ABAQUS.

9 MR. PIRES: No, I don't think we need to
10 go into that detail. It's just a means that we can
11 invoke in the Regulatory Guide.

12 MR. MORANTE: Okay.

13 MR. PIRES: Thanks, Rich.

14 MR. ROCHE-RIVERA: Thanks.

15 Comment 9, Item f should be expanded to
16 clarify the difference between the simplified method
17 and the more complex methods. For example, it may be
18 assumed that the strain base on the simplified method
19 evaluation is intended to cover the weld strengths
20 away from significant discontinuities.

21 Conversely, the straining of those
22 discontinuities is to be evaluated on a case-by-case
23 basis, using other more complex methods and models.
24 However, this may not be the intent of this Reg Guide.
25 Therefore, the Reg Guide should clearly state when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the simplified method evaluation can be done, and when
2 a more complex method, or more model, is needed.

3 Our response, it is implicit in Part B
4 that the strain limits for simplified methods are
5 intended to account for weld strengths away from
6 discontinuities.

7 Where applicable, the simplified method is
8 intended to compensate for local strain effects by
9 using a conservative strain limit on the membrane
10 behavior away from discontinuities.

11 Paragraph 3 in C.1 indicates that
12 simplified methods are an alternative to the more
13 detailed finite element analysis. In addition, C.1.f
14 lists those containment types and the parts of those
15 containments for which the strain limits for the
16 simplified method are applicable.

17 MR. STOJADINOVIC: Okay. I mean, what I
18 wanted to make sure here is that no applicant is
19 tempted to use the strain limits near a discontinuity.

20 MR. PIRES: I think we specifically states
21 for cylindrical containments of reinforced concrete of
22 pre-stress.

23 MR. STOJADINOVIC: So, just to make sure
24 that you don't get someone saying, well, the strain
25 here, this hole is less than 1 percent, therefore,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it's okay.

2 MR. PIRES: No.

3 MR. STOJADINOVIC: Okay. So, as long as
4 you can use whatever is in the Reg Guide now to
5 prevent that, I'm fine with it.

6 MR. PIRES: Okay.

7 MR. ROCHE-RIVERA: Comment 10, the
8 strains limits specified for reinforced concrete, pre-
9 stressed concrete, and steel in item f are
10 conservative. They're approximately one half of the
11 rupture strength. The strain limits specified for
12 reinforced concrete, pre-stress containment and steel
13 -- oh, sorry.

14 Given that this Regulatory Guide is
15 deterministic in nature, the choice of such limit
16 strain levels could be acceptable.

17 It should be noted that these strain
18 levels are well in the non-linear response range of
19 the three materials.

20 MR. STOJADINOVIC: So, just so that for
21 everybody to be aware that f goes quite a bit along
22 the pressure-leakage curve, but it is about halfway to
23 where the vessels burst according to NUREG/CR-6906.

24 So, I don't know that this gives us an
25 idea where the next point is going to be, but that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just what I wanted to point out.

2 And also, I wanted to ask you guys, was
3 there any thinking then along the lines of where the
4 limits were set, or did you just half them, or how did
5 you come up with the numbers?

6 MR. PIRES: For the pre-stress?

7 MR. STOJADINOVIC: No, for all three.

8 MR. PIRES: All three?

9 MR. STOJADINOVIC: Yes, because, you know,
10 for the pre-stress it's about half, and for the
11 concrete it's about half. For the steel, it's a bit
12 less than half. Any method?

13 MR. PIRES: It was essentially based on
14 the recommendations, if I recall, in 6906.

15 MR. STOJADINOVIC: Yes.

16 MR. PIRES: Yes, and that was,
17 essentially. And the motivation was that there may be
18 strain rises on the actual containments that are most
19 be attenders on the test vessels.

20 So, that was part of it.

21 The other motivation is, you know, not to
22 go all the way. To have, like you say, not to be so
23 close to the catastrophic area that it might happen.

24 But, these recommendations are on 6906.

25 MR. STOJADINOVIC: Okay. So there is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basis and you can defend this if an applicant comes
2 in?

3 MR. PIRES: Yes.

4 MR. STOJADINOVIC: Okay.

5 MR. PIRES: And, it is also consistent
6 with the Standard Review Plan that is already in
7 effect. This part is consistent with that Standard
8 Review Plan, so it's already been used by some
9 applicants.

10 MR. STOJADINOVIC: Okay.

11 MR. ROCHE-RIVERA: Comment 11, Item f.3
12 should be modified to specifically state that concrete
13 compression failure modes may occur near
14 discontinuities. For example, out-of-plane bending at
15 the containment structure wall near its foundation may
16 induce concrete crushing at the outside surface,
17 before the concrete wall reaches the membrane strain
18 identified in Item f.1. However, the concrete
19 crushing limits state it will be specified. It may be
20 acceptable to specify that the applicant should
21 conduct an analysis that preserves cross section
22 strain compatibility across different materials to
23 demonstrate that the concrete compression stress is
24 smaller than the nominal concrete compression stress
25 capacity f^i_c , reduce using at 0.9 reduction factor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Our response, C.1.f.(3) already addresses
2 the failure modes in comments 11 and 12. The first
3 sentence in this section will be modified to refer
4 that these failure modes may occur near discontinuity.

5 This Regulatory Guide does not address
6 specific limit stated conditions based on code methods
7 for each of these failure modes. And this might
8 already by the first choice of an applicant, while for
9 others such guidance might be construed as
10 unnecessarily prescriptive.

11 MR. STOJADINOVIC: Okay.

12 MR. PIRES: And, this is also our response
13 to Comment 12. It's kind of similar to this.

14 MR. STOJADINOVIC: Yes. Well, I mean, for
15 Comment 11, the strain limit, stress limits that are
16 suggested, the strain limits that were suggested in f,
17 I mean, this is fine, and this was in response to I
18 guess some of your questions more directly where
19 concrete compression may occur.

20 And, the ASME Code and the ACI 359 Code
21 are applicable in these situations cover these quite
22 well.

23 And then, for Comment 12, it was referring
24 to basically the same thing as this is for shear. I
25 am personally happy with the fairly conservative

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 approach of the ASME Code and ACI 359, they work
2 together. The shear capacities there are sufficiently
3 low to be pretty conservative, from what I understand.

4 So, as long as the applicants understand
5 that not only that the f, the Part f that you specify
6 here, that those things cannot be applied in shear, I
7 think I'll be fine with this.

8 MR. PIRES: I think they will. We hope
9 that they will see that this is separate paragraph,
10 and we were mentioning there that it was specifically
11 not for the cases in which this failure might occur
12 before the hoop failures occur, the tensile membrane
13 failures.

14 We also, and the one reason why we didn't
15 want to indicate particular methods is because we felt
16 they would do what you suggest, they would go to ASME
17 Code. But that the stated one-quarter scale tests
18 there were some studies done for containment under
19 internal pressure, they might be conservative, very
20 conservative.

21 So, we don't want to -- there was a study
22 sponsored by the NRC at University of Illinois, it's
23 in NUREG 5674, in the CR. So we want to let them be
24 able to -- if they would like to address other
25 studies, if they thought that it might be necessary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. STOJADINOVIC: Okay. So there will be
2 a very -- I mean, you think there is sufficient
3 clarity in the Regulatory Guide, such that concrete
4 strain of, say, 2 percent is not used in shear.

5 MR. PIRES: I hope there is. I hope that
6 it will be --

7 MR. STOJADINOVIC: It's very clearly
8 stated, it's an additional failure mode than the one
9 that we've been talking about.

10 MR. PIRES: I think it will be.

11 MR. STOJADINOVIC: As long as it kicks it
12 over to ASME C. ASME C is very particular about
13 shear, that is, I mean I guess half of it is about
14 shear stress limits.

15 MR. PIRES: Right.

16 MR. STOJADINOVIC: And, those are quite
17 conservative, and I would use them until we come up
18 with better ones.

19 MR. PIRES: Yes, we probably -- but I
20 think that there is sufficient clarity there. I think
21 that they are clear it's a different material.

22 MR. STOJADINOVIC: I mean, underlying
23 this, that was my primary concern that is there
24 sufficient guidance so that people don't go using
25 crazy strains where they should not be used.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PIRES: Yes, and we will put that
2 these are near the discontinuities, so that it will be
3 clear.

4 MR. STOJADINOVIC: Okay.

5 MR. ROCHE-RIVERA: Comment 13, item f3
6 should be expanded to include the steel liner and
7 steel liner anchorage failure modes.

8 Response, these failure modes are already
9 accounted for in the strain limits for C.1.f.(1) and
10 (2).

11 MR. STOJADINOVIC: Okay. So people will
12 know there will be no confusion that the strains can
13 be used for the liner, because the ASME Code says the
14 liner should not provide strength.

15 MR. PIRES: Right, yes.

16 MR. STOJADINOVIC: No, I think the other
17 designers are aware. They never use the liner
18 strengths for the reinforced concrete for the design.

19 MR. PIRES: Yes, so for this, same for
20 buckling, same for the next comment. Okay.

21 MR. ROCHE-RIVERA: Comment 15 is now in
22 Section C.2. This Section is based on the
23 deterministic capacity criteria in Regulatory Guide
24 1.7, and Regulatory Guide 1.57, and the deterministic
25 load demand criteria in Regulatory Guide 1.57 and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Regulatory Guide 1.136.

2 This guidance provides an engineering
3 interpretation of the combustible gas containment
4 requirement. The capacity criteria for the
5 containment structure based on ASME Code and
6 essentially elastic response of the steel and concrete
7 containment structures are significantly more
8 stringent than the strain based limits specified in
9 Section C.1.f in this Regulatory Guide.

10 Comments 15 and 18 are related. We concur
11 with the comments, and no response is necessary.

12 MR. STOJADINOVIC: Yes, I just wanted to
13 say that, you know, with respect to what we discussed
14 also at the beginning of the meeting, that the limit
15 states 2 and 3, our Regulatory Positions 2 and 3 are
16 going to be much, much more conservative,
17 significantly enveloped by Position 1.

18 No. 16, Item A.2 should clarify the stress
19 or strain range where the use of an equivalent linear
20 model for concrete response is acceptable, and clarify
21 if it is acceptable to take credit for the tensile
22 strength of concrete. And an acceptable method to
23 evaluate concrete shear strength could be specified as
24 well.

25 So, we will clarify in Item A.2 the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tensile strength concrete shouldn't be neglected as in
2 C.1.e.

3 Now, our Regulatory Position is that the
4 use of an equivalent linear model is acceptable. Any
5 equivalent linear model will have to be adequately
6 justified for the containment and application for
7 which it is used and evaluated in a case-by-case
8 basis.

9 Genetic of containments and application of
10 genetic prescriptions are not recommended. It is
11 assumed that the finite element analysis and the
12 interpretation of these results will account for
13 concrete shear failure as in Section C.1.

14 MR. STOJADINOVIC: Yes, okay. In terms of
15 shear I'm okay and they will be held to ASME C, no
16 problem.

17 The reason why I was asking this is
18 because, depending on how far into the stress or
19 strain range for concrete you could go, people could
20 come up with very different elastic, essentially,
21 secant moduli for that material, and that may become a
22 bone of contention.

23 And so as long as you are going to develop
24 this on a case-by-case basis, for example, for
25 Regulatory Position 2 and 3, the moduli for concrete

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are going to be much higher than the secant moduli
2 used in Position 1, and you will be able to argue
3 this. I'm okay with it. But what I wanted to do is
4 to, if there is some thinking to do this, yes, but
5 probably it's best to leave it out of the Reg Guide.

6 MR. ALI: Can I say something? This is
7 Said Ali.

8 I think that this part and why it was
9 involved in the review process for this Reg Guide and,
10 actually, I missed that equivalent linear model.

11 You know, my personal recommendation is to
12 take that out, because this can cause a lot of
13 misinterpretation of how this would be used.

14 So either that, or it needs more
15 clarification of this. So I think that does need
16 clarification.

17 MR. PIRES: Somehow I'd like to leave it
18 there, because there have been precedents for people
19 using equivalent linear models in manufactured load
20 category applications. But maybe we could add some of
21 the words that are here, that they would have to be
22 adequately justified and reviewed on a case-by-case
23 basis.

24 MR. STOJADINOVIC: Well, for reinforced
25 concrete, especially, you know, you are not in elastic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 range, you are going beyond the elastic range. So the
2 stress block for the concrete, you know, it is
3 modular, it's rectangular, but it's actually some kind
4 of hyperbolic shaped. So, I don't see how anybody can
5 come up with a linear concrete stressed in diagram,
6 beyond elastic range.

7 MR. PIRES: Well, I think this has been a
8 procedure that has been allowed, I mean acceptable by
9 the NRC, and for it is in earthquake loads people use
10 these secant models for the concrete, what they refer
11 to as crack stiffness and that.

12 So it has been used, and we would not like
13 to deviate from that practice, provided that the
14 justification is provided.

15 MR. ALI: Yes, I think this is something
16 that ought to go back and look and hash out.

17 MR. PIRES: This is only for Positions 2
18 and 3. And in Position 2 and 3 we are not going very
19 much into non-linear range, we are just going slightly
20 on the non-linear range.

21 And so --

22 MR. ALI: If you are not going in the non-
23 linear range, then --

24 MR. PIRES: No, we still go. We still go.
25 But we are not going there by very large factors. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think it might be --

2 MR. ALI: Maybe -- were you thinking about
3 something like .5 EIg kind of estimate, or are you
4 thinking about the modulus of concrete, Ec.

5 MR. PIRES: We are thinking, depending on
6 the analysis, again, that's why we don't want to be
7 very prescriptive here, because it depends on the
8 analysis.

9 For the hoop strengths, for the most part,
10 it's just tensile, and we are neglecting this.

11 So, that is the biggest non-linearity in
12 many ways. And then where this is going to appear is
13 under these discontinuities where you are going to
14 have bending, and you are going to point to the basis,
15 the connection. So, you would likely use a stiffness
16 that is not trying to constrain the rest of the
17 containment very much.

18 So, it's very much a case-by-case
19 application, when are you going to use these
20 equivalent linear approaches? So we don't want to be
21 prescriptive, but we don't want to exclude that,
22 provided it's justified.

23 MR. ALI: But, I think it came from the
24 SRP, you know, which was written in the '70s, when we
25 did not have the computer codes that we have today and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have the ability to model non-linear stress diagrams.

2 MR. PIRES: But, the goal of the SRP was
3 also was updated recently.

4 MR. ALI: It was updated also then.

5 MR. PIRES: And, they still had -- no, you
6 know, I am inclined to suggest that we leave it and if
7 anything, just make it clear that the adequate
8 justification needs to be provided to be evaluated on
9 a case-by-case basis. Because there is experience
10 with that.

11 MR. STOJADINOVIC: I would be happy with a
12 case-by-case basis statement. I mean, what I really
13 want to protect is somebody cherry picking concrete
14 moduli because they think that this is going to be
15 some kind of a secant, and then saying, well, this is
16 softer than the other thing, without any reference to
17 the actual range in which it is.

18 So, I'd like the reviewers to be in a
19 position to challenge that selection, rather than to
20 specify what the selection is going to be.

21 MR. PIRES: I understand. I think I
22 understand better. Maybe even requires some iterative
23 process.

24 MR. STOJADINOVIC: Whatever is so that you
25 guys can challenge the particular number that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 taken by the analyst if you think it is not good
2 enough.

3 MR. ROCHE-RIVERA: Comment 17, now we are
4 in Section C.3.

5 This section provides guidance on how the
6 applicant should satisfy the containment performance
7 goals in accordance with SECY 90-16 and SECY 93-87.

8 The Regulatory Guide provides some
9 engineering interpretation of the containment
10 performance goals following the onset of core damage
11 due to plant damage states, and represents 90 percent
12 or more of the core damage frequency.

13 MR. STOJADINOVIC: This is what we
14 discussed this morning. I wanted to have it here, but
15 I didn't want to put my interpretations, what I asked
16 about whether within the 90 percent we are going to be
17 taking the worst off the wall or not.

18 And so, I wanted to have you there so that
19 during the discussion we'd have it, but other than
20 that, I think we covered it very well in the beginning
21 of the meeting.

22 MR. ROCHE-RIVERA: Comment 18, Section
23 C.3.d prescribes the capacity criteria in ASME code
24 Service Level C, for metal containment, or fracture
25 load category for concrete containments, as a method

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to demonstrate that the containment continues the role
2 of a reliable leak-tight barrier for the first 24
3 hours following the onset of core damage.

4 The selected criteria are conservative, as
5 they stimulate essentially elastic response of the
6 containment to internal pressure on temperature due to
7 core damage during the 24 hour period. However, it is
8 difficult to relax this criteria without substantial,
9 and unethical or experimental basis.

10 MR. STOJADINOVIC: Now also, we covered
11 this in the morning.

12 MR. ROCHE-RIVERA: Comment 19, Item C.1
13 should clarify the stress or strain range for the use
14 of an equivalent linear model for concrete response is
15 acceptable and clarify if it is acceptable to take
16 credit for the tension strength of concrete.

17 MR. STOJADINOVIC: This is a cut and
18 paste, because this was -- the other one was for
19 Regulatory Position 2, Regulatory Position 3, so the
20 same thing.

21 MR. PIRES: It is the same that we
22 discussed before.

23 MEMBER CORRADINI: Same response.

24 MR. STOJADINOVIC: Right. But the reason
25 why we cut and paste is that I wasn't 100 percent sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whether you want to regulate Position 2 different from
2 Position 3. And if you do, okay. If not, okay again,
3 just that's why I cut and pasted.

4 MR. PIRES: Okay.

5 MR. ROCHE-RIVERA: Comment 20, the
6 Regulatory Guide does not allow for an alternative to
7 the ASME code acceptance criteria to demonstrate
8 containment performance goals during the first 24
9 hours after the onset of core damage.

10 Item d may be expanded to allow such
11 alternative methods, as we've done in Item A.3 and
12 Item c of Section 3, to Section C.3.2 of this
13 Regulatory Guide.

14 MR. ALI: Did you mean AISC code here?

15 MR. STOJADINOVIC: I think I mean the ASME
16 code, yes, ASME.

17 MR. ROCHE-RIVERA: The reg guide by
18 default allows for alternatives, but it does not
19 provide guidance on what those alternatives can be.

20 The guidance in C.3.1 is one acceptable
21 approach that is consistent with existing regulatory
22 guidance, and we provide the example.

23 MR. PIRES: Yes, I think that, if I
24 understand this, we are explicit on the other part,
25 here we are not, So it's a bit --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. STOJADINOVIC: Yes.

2 MR. PIRES: -- but by default really
3 alternatives are always allowed.

4 MR. STOJADINOVIC: Yes, exactly. That's
5 what I recall now, yes. The other parts you were
6 explicit in here with like within the cutting and
7 pasting of everything, it's like a line was dropped
8 out.

9 MR. PIRES: And, the motivation somehow
10 for that was that -- on the 3.2, it's a more complex
11 situation, and we felt that we needed to be more
12 explicit, it was really.

13 MR. STOJADINOVIC: Yes, next comment. I
14 think this is also cut and paste.

15 MR. ROCHE-RIVERA: Yes, it's the same one
16 as before.

17 MR. STOJADINOVIC: Because again, I didn't
18 know whether you want to regulate this the same as the
19 other ones or not.

20 MR. ROCHE-RIVERA: Comment 22, Item C
21 allows the applicant to use alternate methods to
22 demonstrate that their containment design meets the
23 performance goal, that the containment should continue
24 to provide a barrier against the uncontrolled release
25 of fission products after the initial 24 hour period,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 since the onset of core damage.

2 This is an important step towards
3 performance based, risk-informed regulation. This
4 item should be expanded by referring to the NRC
5 documents that quantify the extremely low probability
6 for accidents that could result in the release of
7 significant quantities of radioactive fission products
8 said in 10 CFR 50.34.

9 This item should refer to the Appendix in
10 10 CR-6906 for recommendations on modeling of
11 confinement structures.

12 MR. STOJADINOVIC: Containment.

13 MR. ROCHE-RIVERA: Containment structures.

14 This regulatory guide focuses on the
15 deterministic method, and invoking this extremely low
16 probability for accidents might lead to confusion in
17 Section C.3.2.c.

18 The reference to NUREG/CR-6906 is already
19 in C.1.i.

20 MR. STOJADINOVIC: What I wanted to say
21 here is that if we are to develop a NUREG, something
22 like a statement that we should control the releases
23 and models that build on the ones that are suggested
24 in the Appendix with additional modeling to talk about
25 permeability and leakage should be the basis of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 future regulation. I do agree that this may cause
2 further confusion, and maybe the invocation of low
3 probability doesn't take place here right now. But in
4 the future guides my reading is that it is very
5 important to keep statements like this, as we could
6 entice people to analyze more and become more precise,
7 and, hopefully, save money by doing more precise
8 analysis and reducing the margins.

9 And the way forward is something I guess
10 to determine how they should satisfy the uncontrolled
11 release criteria, and what those probabilities are,
12 and what modeling they should be deploying to prove
13 that they are really meeting those criteria.

14 But anyway, I do like this particular
15 section a lot.

16 MR. PIRES: Yes, I understand.

17 The next comment is about what you already
18 just said.

19 MR. STOJADINOVIC: Yes.

20 MR. PIRES: So, that was complete.

21 MR. STOJADINOVIC: And, yes, the CFR 561a,
22 and the NUREG that accompanies it are very good in
23 terms of providing a roadmap as to how to develop
24 similar regulations for containment. Those are, in my
25 opinion, very well done documents.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ROCHE-RIVERA: Thanks.

2 So, this, basically, concludes our
3 presentation for this afternoon.

4 Now, if you have any additional questions.

5 MEMBER ARMIJO: I have a historical
6 question. In your October public meeting, there were
7 a number of comments from different people. And NEI
8 came out with a general comment that the Reg Guide
9 imposed significant requirements, implication of new
10 requirements, and you commented, no, it doesn't.

11 But you also removed what had been
12 Regulatory Position 4, which took out a lot -- there
13 were a number of other comments.

14 I just wanted to know, was the NEI issue
15 focused on what had been Regulatory Position 4, and
16 not really on the other 1, 2 and 3? Because it's kind
17 of -- you know, well, maybe this is just a boilerplate
18 comment to make to any new regulatory guide. But I
19 think I just want to know if they were really being
20 responsible in addressing a real problem that you
21 might have agreed to. You know, why did you remove
22 Regulatory Position 4 from the Reg Guide?

23 MR. PIRES: The main reason, I think, we
24 can refer to one slide that we had before, that was --

25 MEMBER ARMIJO: I missed it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PIRES: -- yes, was slide 20, it was
2 because we eventually concluded -- first of all, it
3 was deemed better that we just concentrate on the
4 deterministic methods, again, not to confuse methods.

5 The other was that we realized later with
6 our working group that this item might require further
7 development, the technical bases are not yet there.
8 And that was another motivation and the other bullet
9 below that the use of the fragility or probability
10 with the risk-informed performance based guidelines or
11 it ought to be PRA, and we were not quite there yet to
12 provide the guidance in that regard whole the other
13 guidance was absent, and then we could provide it.

14 MEMBER ARMIJO: Okay. So taking that
15 position out had to do with technically you are not
16 ready to do it, it had nothing to do with whether it
17 was a new regulatory requirement?

18 MR. PIRES: Exactly. And also, there is
19 not a place where to use that fragility yet, as far as
20 our understanding. Even if the fragility were
21 available, there is not a place where to use it as far
22 as we know, at least according to standards. Maybe an
23 applicant could always provide a use.

24 MEMBER ARMIJO: Okay. Thank you.

25 MR. STOJADINOVIC: After hearing all this,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I am actually sorry that this was taken out, but I
2 realize there is not enough basis for it just yet.

3 MR. PIRES: Yes, that is right. I
4 understand that Level 2 PRA standard is still being
5 developed by the ANS.

6 MR. STOJADINOVIC: But all in all in the
7 end, I mean the real need is fragilities like this,
8 and don't throw away the fire wood when you add this
9 regulatory position.

10 MR. PIRES: No, no, I understand. We have
11 studies being done with Sandia and other organizations
12 looking at developing containment fragilities. But
13 for a guideline we need to be very -- for a regulatory
14 guide we need to be very specific on what is the use
15 of what we are providing guidance on.

16 MEMBER CORRADINI: Any other questions?

17 Any comments on what things should be
18 presented at the full Committee?

19 I think, basically, the initial portion --
20 you know, we don't need to go through all the comments
21 at the full Committee, but, you know, I think your
22 initial position, sort of laying out the big picture,
23 should work reasonably well, I think, for the full
24 Committee.

25 When in doubt, shorten it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: How much time is
2 allotted for that presentation at the full Committee
3 meeting? How much time is allotted? What's their
4 slot.

5 MS. ABDULLAHI: It should not be more than
6 an hour. I will have to look it up.

7 MEMBER CORRADINI: Stick to the usual
8 guidelines, but cover the big picture.

9 MR. PIRES: Okay.

10 MEMBER CORRADINI: Don't try to address
11 all the details that we've dealt with here in the
12 Subcommittee meeting.

13 MR. PIRES: Okay.

14 MEMBER CORRADINI: If there are no
15 additional questions or comments, I'd like to thank
16 the presenters for their endurance and their general
17 responsiveness to questions and issues raised by our
18 consultant and the members.

19 Thank you very much.

20 With that, I think we can adjourn.

21 (Whereupon, the above-entitled matter was
22 concluded at 2:58 p.m.)
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701



U.S. NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

RG 1.216 on Containment Structural Integrity Evaluation for Internal Pressure Loadings Above Design-Basis Pressure (For New Reactors)

Prepared by: Robert Roche and Jose Pires, NRC/RES/DE/SGSEB
Joseph Braverman and Richard Morante, BNL

ACRS Briefing
May 19, 2010
Rockville, MD

Outline:

- Background
- Objective
- Description
- Public Comments



Background:

- This RG is intended to ensure appropriate and consistent implementation of regulatory criteria related to structural integrity of the containment for beyond design-basis pressure loadings.
 - The RG will provide detailed and up-to-date guidance on deterministic methods to evaluate containment structural integrity under pressure loads above design-basis pressures for new light water reactors design.
- Motivation:
 - Complement and consolidate guidance specified in other regulatory guides (i.e. RG 1.136, 1.57, 1.7 and 1.206)
 - Issues identified during licensing reviews



Background (Cont.):

- Example of issues identified during licensing reviews:
 - Use of internal pressure loading for the combustible gas generation inside containment equal to 45 psig, without consideration of pressures generated by a 100% fuel cladding-water reaction.
 - Questions regarding what severe accidents and acceptable structural integrity criteria should be considered for an analysis that addresses NRC's deterministic containment performance goals in SECY-90-16, SECY-93-087, and corresponding SRMs.

Background (Cont.):

Timeline:

- Dec 2008 – Issued for public comments
- Feb 2009 – Received public comments
- DG revision with staff working group and BNL
- Oct 2009 – Category 2 public meeting
- May 2010 – Interoffice concurrence
- May/June 2010 – ACRS briefing
- July 2010 –RG publication

Objective:

- To provide guidance on methods acceptable to the NRC staff for:
 - predicting the internal pressure capacity for containment structures above the design-basis accident pressure
 - 10 CFR 50, Appendix A, GDC 50
 - demonstrating containment structural integrity related to combustible gas control
 - 10 CFR 52.47(a)(12), 52.79(a)(8), 50.44(c)5
 - demonstrating containment structural integrity for an analysis that addresses Commission's performance goals for the prevention and mitigation of severe accidents.
 - 10 CFR 52.47(a)(23), 52.79(a)(38).

Regulatory Position 1: Prediction of Containment Internal Pressure Capacity above Design-Basis Pressure

- 10 CFR 50, GDC 50:“Containment design basis. containment heat removal system shall be designed so that the containment structure and its internal compartments can accommodate, without exceeding the design leakage rate and with sufficient margin, the calculated pressure and temperature conditions resulting from any loss-of-coolant accident...”
- **Purpose:** to provide an acceptable access method for predicting the internal pressure capacity for containment structures above the internal pressure for the design-basis LOCA.
 - Internal pressure capacity at which the structural integrity is retained and a failure leading to a significant release of fission products does not occur.

- **Related SRP sections**
 - 3.8.1 and 3.8.2, SRP Acceptance Criteria 4.K and 4.D, respectively.
- **Items Addressed:**
 - Staff expectations regarding the use of a nonlinear finite element analysis to evaluate the containment response
 - Staff expectations regarding the use of a “Simplified Method”
 - Strain limits specified for the evaluation
 - Concrete failure modes near discontinuities

- Staff expectations regarding the use of a “Simplified Method” (Cont.)
 - The positions are consistent with criteria in SRP sections 3.8.1 and 3.8.2 with addition and clarification such as:
 - new position regarding verification of concrete shear and axial compression failures.
 - limits for the free-field hoop strain in the prestressing tendons apply to the total strain which is the strain from initial prestressing plus the strain from pressurization.
 - Defines global free field hoop strains limits for prestressed concrete containments
 - Information to be submitted in the FSAR and in which sections of the FSAR (i.e. Section 3.8).

Regulatory Position 2: **Combustible Gas Control Inside Containment**

- 52.47(a)(12) and 52.79(a)(8) for DC and COL applications respectively, require an analysis and description of the equipment and systems for combustible gas control as required by 10 CFR 50.44
- 50.44(c)(5)
 - “Structural analysis. An applicant must perform an analysis that demonstrates containment structural integrity... The analysis must address an accident that releases hydrogen generated from 100 percent fuel clad-coolant reaction accompanied by hydrogen burning...”
- **Purpose:** to provide an acceptable method to evaluate containment structural integrity to pressure loadings associated with hydrogen generation due to the reaction between fuel cladding and the water coolant.

Regulatory Position 2: (Cont.)

- This RG complements the guidance in RP 5 in RG 1.7
- In agreement with RP 5 in RG 1.7 it provides acceptance criteria to meet requirement in 10 CFR 50.44(c)(5).
 - Service Level C and Factored Load Category requirements of the ASME Code for steel and concrete containments respectively.
 - Load combination consisting of dead load and the higher of the following:
 - Pressure arising from fuel cladding-water reaction, hydrogen burning, and post accident inerting (if applicable), or
 - 45 psig.
- Additionally, it references the finite element model described in RP 1 of this RG, with some limitations, as an acceptable method to evaluate the containment structural integrity.
- Information to be submitted in the FSAR should be reported in section 3.8.

Regulatory Position 3: **Commission's Severe Accident** **Performance Goal**

- 52.47(a)(23) and 52.79(a)(38) for DC and COL applications respectively, require a description and analysis of design features for the prevention and mitigation of severe accidents.
- Section C.I.19.8 of RG 1.206 provides the following guidance:
 - “The applicant should provide a description and analysis of the design features to prevent and mitigate severe accidents, in accordance with the requirements in 10 CFR 52.47(23) or 10 CFR 52.79(a)(38), for a DC or a COL application, respectively. This review should specifically address the issues identified in SECY-90-016 and SECY-93-087, which the Commission approved in related SRMs dated June 26, 1990, and July 21, 1993, respectively, for prevention (...) and mitigation (...).”

Regulatory Position 3: **Commission's Severe Accident Performance Goal (cont.)**

- **Purpose:** to provide an acceptable method for an analysis that specifically addresses the performance goals identified in SECY-90-016 and SECY-93-087 and related SRMs for containment structures in nuclear power plants under severe accident conditions.
- SRM (July 21, 1993) to SECY-93-087 states:
 - “The containment should maintain its role as a reliable, leak-tight barrier (for example, by ensuring that containment stresses do not exceed ASME Service Level C limits for metal containments, or Factored Load Category for concrete containments) for approximately 24 hours following the onset of core damage under the more likely severe accident challenges and, following this period, the containment should continue to provide a barrier against the uncontrolled release of fission products.”

Regulatory Position 3: Commission's Severe Accident Performance Goal (cont.)

- Key items:
 - Identification of more likely severe accident challenges
 - Criteria for structural integrity evaluation of the containment for the period after the initial 24 hours following the onset of core damage as it relates to the ability of the containment to continue to provide a barrier against the uncontrolled release of fission products.

More Likely Severe Accident Challenges

- Selection of accident sequences for consideration:
 - “The applicant provides the technical basis for the identification of the more likely severe accident challenges to be reviewed by the staff on a case-by-case basis. An example of an acceptable way to identify the more likely severe accident challenges is, to consider the sequences or plant damage states, which, when ordered by % contribution, represent 90% or more of the core damage frequency.”
- Pressure-temperature demands
 - Select physically reasonable enveloping pressure-temperature demands from the identified sequences.
 - These demands define the deterministic loads for the structural analysis.
 - For concrete, it is generally acceptable to analyze the containment for the sequence or damage state with the highest pressure load and its co-existing temperature loading

Period Following Initial 24 hours after the Onset of Core Damage:

- “...the containment should continue to provide a barrier against the uncontrolled release of fission products.”
- Acceptable ways for meeting the performance goal:
 - The maximum pressure/temperature demands following the initial 24-hour period is enveloped by the maximum pressure/temperature demands during the initial 24-hour period; or
 - The containment response under the maximum pressure/temperature following the initial 24-hour period meets applicable Level C or Factored Load acceptance criteria (as in the case of the first 24 hour period); or
 - The calculated release for the more likely severe accident challenges, following the initial 24 hour period, meets site-specific design criteria for fission product released from the containment, in accordance with the requirements of 10 CFR 100.21 and 10 CFR 50.34; or
 - Another alternative method if adequate justification is provided.
- For the evaluations to be conducted for the two time periods under consideration, the RG recommends using a finite element model such as that described in Regulatory Position 1.
- Information to be submitted in the FSAR should be reported in Section 19.

Public Comments

- Public comment period: December 9, 2008 to February 9, 2009.
 - 38 comments received by February 9, 2009.
- Comments by category as per NEI submittal:

Purpose	6
Applicability	11
Methodology	3
Acceptable Analysis Codes	2
Definitions	1
Limitations	10
Criteria	5

Public Comments (Cont.):

- Comments by Regulatory Position:

RP 1	4
RP 2	1
RP 3	7
RP 4	12
RP 1 and RP 3	2
RP 1 and RP 4	2
RP 3 and RP 4	1
Other	9

- Staff formed a working group for the resolution of the public comments that resulted in major revisions to the DG.



Public Comments (Cont.):

Major revisions include:

- The DG scope is for new light water reactor designs
- Clarification of the DG purpose and relation to existing requirements and guidance documents.
- Severe accident performance goals (SECY 93-087/SRM)
 - Approach to identify the more likely severe accident challenges.
 - Additional criteria for the period following the initial 24 hours after the onset of core damage.



Public Comments (Cont.):

Major revisions include:

- Removal of Regulatory Position (RP) 4, “Containment Fragility under Pressure Loads”
 - Item may require further development of technical bases and subsequent publication in a NUREG report or a standard.
 - This RG should focus on deterministic methods until subsequent research provides the technical bases for risk-informed performance-based regulatory guidelines.



Background Slides

Resolution of Public Comments on RP 1:

1. **Comment:** “No leakage criteria is identified for C.1 item k.”

Staff Response: Currently there is no regulation or guidance to specify leakage criteria for this purpose. In past licensing review process, the applicants provided their acceptance criteria which were reviewed on a case-by case basis. Presently, it is more productive to continue to review criteria presented by the applicant on a case-by case basis rather than establishing leakage criteria. Therefore, no change was made.

Resolution of Public Comments on RP 1:

2. **Comment:** This comment addresses the acceptable membrane strains in steel and concrete containments to define the ultimate pressure capacity. The comment also addresses leakage failures as opposed to catastrophic failures for concrete containments.

Staff Response: These strain limits are for use with an alternative “Simplified Method” to the more rigorous nonlinear FEM of analysis. The strain limits incorporate reductions to account for strain risers in actual containments that are more severe than those in the models tested and for results in NUREG/CR-6810 and NUREG/CR-6809. Leakage failures are addressed in comment 1 (slide 20).

Resolution of Public Comments on RP 3:

1. **Comment:** Several terms appear to be in need of definition to effectively use the proposed Regulatory Guide and these include the following:
- “More Likely Severe Accident Challenges” is not defined. This leads to an open-ended analysis criteria.
 - Containment should maintain “leak-tight barrier” for 24 hours. (“Leak-tight” is not defined.)
 - Containment should continue to provide a barrier against “uncontrolled release” of fission products after 24 hours. (“Uncontrolled release” is not defined.)
 - “Design Basis Accident Temperature” is not defined (See p.7 of DG-1203).

Staff Response:

- Selection of the “more likely severe accident challenges” is addressed in the RG (see slide 15).
- In agreement with the Commission’s performance goal the RG guidance is that a reliable “leak-tight” barrier is provided by ensuring that containment stresses do not exceed ASME Service Level C limits for metal containments, or Factored Load Category limits for concrete containments.
- The RG provides guidance on how to meet the Commission’s performance goal related to the “uncontrollable release” of fission products (see slide 16) after 24 hours following the onset of core damage.
- The “design-basis accident temperature” is the temperature used in the design of the containment for the design-basis loss-of-coolant accident (LOCA) in agreement with General Design Criteria 50 in App. A of 10 CFR part 50.

Resolution of Public Comments on RP 3:

2. **Comment:** Section C.3: For initial 24 hours, linear elastic material properties may be used. This does not appear to allow for use of inelastic material evaluations in a realistic ultimate pressure/temperature calculation.

Staff Response: RP 3 for the initial 24-hour period is not intended to calculate the ultimate pressure/temperature capacity of containment. It is intended to show that for the “more likely severe accident challenges” a “leak tight barrier” is provided if Service Level C limits in the ASME Code are satisfied for steel containments and the Factored Load Category limits are satisfied for concrete containments (per the Commission’s performance goals).

In accordance with the ASME Code, Service Level C and Factored Load Category criteria are verified using linear elastic analysis methods.

Acronyms:

- ACRS Advisory Committee on Reactor Safeguards
- ASME American Society of Mechanical Engineers
- BNL Brookhaven National Laboratory
- CFR Code of Federal Regulations
- COL Combined License
- DC Design Certification
- DG Draft Guide
- FEM Finite Element Method
- FSAR Final Safety Analysis Report
- GDC General Design Criterion
- LOCA Loss-of-coolant accident
- NEI Nuclear Energy Institute
- NRC Nuclear Regulatory Commission
- RG Regulatory Guide
- RP Regulatory Position
- SECY Secretary of the Commission, Office of the
- SRMs Staff Requirement Memoranda
- SRP Standard Review Plan



U.S. NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

Response to ACRS Guidance to the Staff on RG 1.216

Prepared by: Robert Roche and Jose Pires, NRC/RES/DE/SGSEB
Joseph Braverman and Richard Morante, BNL

ACRS Briefing
May 19, 2010
Rockville, MD

Comment 1

- **(Section A)**
- The objective and the regulatory basis for this RG are described clearly and in sufficient detail. However, the RG provides the guidelines for a deterministic evaluation of containment structural integrity for internal pressure loads that are above the design basis. The margin of safety, expressed in terms of multiples of design pressure, arrived at using these guidelines does not contain sufficient information for probabilistic risk analysis of the containment integrity. This version of the Regulatory Guide may need to be modified to clearly state its deterministic nature.
- **The staff proposes to add that clarification in Section B (scope section).**

Comment 2

- **(Section A)**
- A statement of a direct link between the three Regulatory Positions in this RG and the three tasks stated in the first sentence may help clarify the structure of this RG.
- **The items in the first sentence of Part A are repeated in the remainder of Part A, in Part B (Background) and then again in Part C (Regulatory Positions) to provide the direct link between those three items, the background and the positions.**

Comment 3

- **Section B: Scope)**
- The scope of applicability is stated to be for LWR containment structures, using steel, reinforced concrete and prestressed concrete. However, it not clear whether the deterministic guidelines of this RG should be applied to non-LWR containments, using these materials for containment structures made using other materials. In addition, the last sentence of this section may need to be deleted.
- **The staff understands that the comment means that the last sentence in the scope section of Part B may indicate that this guidance might be applicable to containments of non-LWRs constructed of materials other than metal or concrete. We proposed using two sentences to clarify that this is not the case.**

Comment 4

- **(Section B: Prediction of Containment Internal Pressure Capacity above Design Pressure)**
- The Glossary of this RG adequately defines the notions of global and local response. The explanation of the wall hoop strain limits for prestressed concrete walls should be augmented by stating that the strain in hoop tendons of typical containments is about 0.4 percent before pressurization, similar to the statements in Section C.1.f.(2). It may be clearer to express the limiting strains for prestressed containments as increments with respect to the pre-pressurization strains.
- **The staff agrees with the first part of the comment, and will augment Part B to state that the strain in hoop tendons of typical containments is about 0.4 percent before pressurization.**

Comment 5

- **(Section C.1)**
- The term “significant release of fission products” should be defined. As is, the RG opens a door for releases less than significant. One option is to define it in terms of “uncontrolled release of fission products” used by SECY-93-087. Another option is to place the burden on the applicant to show that a release will not be significant in terms of 10 CFR 50, using an approach outlined in Section C.1.(j).
- **We propose to delete the second part of the first sentence in the first paragraph of Section C.1.**
- **The guidance in regulatory position 1, section C.1.j , already states that the applicants should consider the potential for containment leakage at pressure levels below (and up to) the calculated structural capacity. A reference to 10 CFR 50 might be construed as a staff position for leakage criteria for ultimate pressures which instead should be evaluated on a case-by-case basis.**

Comment 6

- **(Section C.1)**
- The scope of the load effects considered should be clearly stated. They are: effects of internal pressure and temperature, and effects of permanent loads. The fact that effects of loads such as seismic loads or impact are not considered in this RG may need to be stated.
- **Section C.1.c defines the analysis process which also defines the loads that need to be considered for this evaluation which do not include the earthquake loads.**

Comment 7

- **(Section C.1)**
- Second and third paragraph may be consolidated in items a. and b. Item C.1.a should be expanded to include a statement about appropriate boundary conditions of the model.
- **The second and third paragraph in C.1 address the organization of this section which includes a finite element analysis approach and approaches using simplified methods, while (a) and (b) are specific to the finite element analysis approach.**
- **Boundary conditions can be containment specific and their listing would only address a limited number of designs. This is a level of detail that is not intended for this Regulatory Guide. Nevertheless, section C.1.i refers to Appendix A to NUREG/CR-6906 which provides detailed guidance on developing finite element models including boundary conditions.**

Comment 8

- **(Section C.1)**
- Items d. and e. should be expanded to include a statement that the initial pre-stress and residual strains should be accounted for. The Appendix to NUREG/CR-6906 contains recommendations that may be identified as acceptable.
- **The staff requests further clarification of this comment.**

Comment 9

- **(Section C.1)**
- Item f. should be expanded to clarify the difference between the simplified method and the more complex methods. For example, it may be assumed that the strain-based on the simplified method evaluation is intended to cover the wall strains away from significant discontinuities. Conversely, the strains near discontinuities need to be evaluated on a case-by-case basis, using other more complex methods and models. However, this may not be the intent of this RG. Therefore, the RG should clearly state, when the simplified (item f. strain based) evaluation can be done, and when a more complex method or model is needed.
- **It is implicit in Part B that the strain limits for simplified methods are intended to account for wall strains away from discontinuities. Where applicable, the simplified method is intended to compensate for local strain effects by using a conservative strain limit on the membrane behavior away from discontinuities.**
- **Paragraph 3 in C.1 indicates that simplified methods are an alternative to the more detailed finite element analysis. In addition, C.1.f lists those containment types, and the parts of those containments, for which the strain limits for the simplified method are applicable.**

Comment 10

- **(Section C.1)**
- The strain limits specified for reinforced concrete, pre-stressed concrete and steel in item f. are conservative. They are approximately one half of the rupture strain. The strain limits specified for reinforced concrete, pre-stressed concrete and steel in item f. are conservative. They are approximately one half of the limits identified in NUREG/CR---6906 for the three materials. Given that this RG is deterministic in nature, the choice of such limit strain levels could be acceptable. It should be noted that these strain levels are well in the non-linear response range of the three materials.
- **We concur with the comment and no response is needed.**

Comment 11

- **(Section C.1)**
- Item f.(3) should be modified to explicitly state that concrete compression failure modes may occur near discontinuities. For example, out-of-plane bending of the containment structure wall near its foundation may induce concrete crushing at the outside surface, before the concrete wall reaches the membrane strain identified in item f.(1). However, a concrete crushing limit state should be specified. It may be acceptable to specify that the applicant should conduct an analysis that preserves cross-section strain compatibility across different materials to demonstrate that the concrete compression stress is smaller than nominal concrete compression stress capacity f'_c reduced using a 0.9 reduction factor.
- **C.1.f.3 already addresses the failure modes in comments 11 and 12. The first sentence in this section will be modified to refer that these failure modes may occur near discontinuities. This regulatory guide does not address specific limit state conditions based on code methods for each of these failure modes. Some of these might already be the first choice of an applicant while for others such guidance might be construed as unnecessarily prescriptive. (also response to comment 12)**

Comment 12

- **(Section C.1)**
- Item f.(3) should be expanded to include concrete shear failure modes. It can be reasonably expected that out-of-plane wall shears may be high near discontinuities and containment structure boundaries. These locations include the ones where high moments may induce concrete compression failure because it is likely that moment gradients at these locations will also be high. Concrete shear limit state is difficult to define, but the shear strength provisions of ASME Code or ACI 359 Code could be considered as acceptable.
- **See response to comment 11.**

Comment 13

- **(Section C.1)**
- Item f.(3) should be expanded to include the steel liner and steel liner anchorage failure modes.
- **These failure modes are already accounted for in the strain limits for C.1.f.(1) and (2). (also response to comment 14)**

Comment 14

- **(Section C.1)**
- Item f.(4) should be expanded to include the steel liner local and global buckling failure modes. Section C.1.(h) contains appropriate modeling guidance.
- **See response to comment 13.**

Comment 15

- **(Section C.2)**
- This section is based on the deterministic capacity criteria in RG 1.7 and RG 1.57 and deterministic load (demand) criteria in RG 1.57 and RG 1.136. This guidance provides an engineering interpretation of the combustible gas containment requirement. The capacity criteria for the containment structure, based on ASME Code (and essentially elastic response of the steel and concrete containment structures), are significantly more stringent than the strain-based limits specified in Section C.1.f in this RG.
- **Comments 15 and 18 are related. We concur with the comments and no response is necessary.**

Comment 16

- **(Section C.2)**
- Item a.(2) should clarify the stress (or strain) range where the use of an equivalent linear model for concrete response is acceptable, and clarify if it is acceptable to take credit for the tension strength of concrete. An acceptable method to evaluate concrete shear strength could be specified as well.
- **We will clarify in item a(2) that the tensile strength of concrete should be neglected (as in C.1.e). The regulatory position is that the use of an equivalent linear model is acceptable. Any equivalent linear model will have to be adequately justified for the containment and application for which it is used and evaluated in a case by case basis. Given the variety of containments and applications generic prescriptions are not recommended. It is assumed that the finite element analysis and the interpretation of its results will account for concrete shear failure as in section C.1. (similar to response to 19 and 21)**



Comment 17

- **(Section C.3)**
- This section provides guidance on how the applicant should satisfy the containment performance goals in accordance with SECY-90-16 and SECY-93-087. The RG provides an engineering interpretation of the containment performance goals following the onset of core damage due to plant damage states that represent 90 percent or more of the core damage frequency.
- **We concur with the comment and no response is needed.**



Comment 18

- **(Section C.3.1)**
- Section C.3.d. prescribes the capacity criteria in ASME Code Service Level C (for metal containments) or Factored Load Category (for concrete containments) as a method to demonstrate that the containment maintains the role of a reliable, leak-tight barrier for the first 24 hours, following the onset of core damage. The selected criteria are conservative, as they stipulate essentially elastic response of the containment to internal pressure and temperature due to core damage, during the 24 hour period. However, it is difficult to relax these criteria, without substantial analytical or experimental basis.
- **See response to comment 15.**

Comment 19

- **(Section C.3.1)**
- Item c.(1) should clarify the stress (or strain) range where the use of an equivalent linear model for concrete response is acceptable and clarify if it is acceptable to take credit for the tension strength of concrete. An acceptable method to evaluate concrete shear strength needs to be specified.
- **We will clarify in item C.3.1.c(1) that the tensile strength of concrete should be neglected (as in C.1.e). The regulatory position is that the use of an equivalent linear model is acceptable. Any equivalent linear model will have to be adequately justified for the containment and application for which it is used and evaluated in a case by case basis. Given the variety of containments and applications generic prescriptions are not recommended. It is assumed that the finite element analysis and the interpretation of its results will account for concrete shear failure as in section C.1. (similar to response to 16 and 21)**

Comment 20

- **(Section C3.1)**
- The RG does not allow for an alternative to the ASCE Code acceptance criteria to demonstrate containment performance goals, during the first 24 hours after the onset of core damage. Item d. may be expanded to allow such alternate methods, as was done in item a.(3) and item c. of Section C3.2 of this RG.
- **The RG by default allows for alternatives but it does not provide guidance on what those alternatives can be. The guidance in C.3.1 is one acceptable approach that is consistent with existing regulatory guidance (i.e., SECY/SRM 93-087, RG 1.7, RG 1.57 and RG 1.136).**

Comment 21

- **(Section C.3.2)**
- Item b.(1) should clarify the stress (or strain) range, where the use of an equivalent linear model for concrete response is acceptable and clarify if it is acceptable to take credit for the tension strength of concrete. An acceptable method to evaluate concrete shear strength may need to be specified.
- **We will clarify in item C.3.2.b(1) that the tensile strength of concrete should be neglected (as in C.1.e). The regulatory position is that the use of an equivalent linear model is acceptable. Any equivalent linear model will have to be adequately justified for the containment and application for which it is used and evaluated in a case by case basis. Given the variety of containments and applications generic prescriptions are not recommended. It is assumed that the finite element analysis and the interpretation of its results will account for concrete shear failure as in section C.1. (similar to response to 16 and 19)**

Comment 22

- **(Section C3.2)**
- Item c. allows the applicant to use alternate methods to demonstrate that their containment design directly meets the performance goal that “the containment should continue to provide a barrier against the uncontrolled release of fission products” after the initial 24---hour period since the onset of core damage. This is an important step forward towards performance-based risk-informed regulation. This item should be expanded by referring to the NRC documents that quantify “the extremely low probability for accidents that could result in the release of significant quantities of radioactive fission products” stated in 10 CFR 50.34. This item should refer to the Appendix NUREG/CR---6906 for recommendations on modeling of confinement structures.
-
- **This RG focuses on deterministic methods and invoking the extremely low probability for accidents might lead to confusion in section C.3.2.c. The reference to NUREG/CR-6906 is already in C.1.i.**

Final Comment

- The staff should be commended for their effort to provide and clarify the guidance for applicants on how to evaluate containment structural integrity for internal pressure loadings above design-basis pressure, and how to demonstrate containment structural integrity to control combustible gases inside the containment and to perform as desired after the onset of core damage in more likely severe accidents. The staff successfully integrated several decades of experience in modeling and testing containment structures (presented in NUREG/CR---6906), relevant NRC requirements and containment design codes. This RG is deterministic in nature. Given the Commission's overarching intent, it is imperative to continue working toward risk-informed performance-based regulatory guidelines.
- Section C.3.2.c of this document is a good start. An example of such risk-informed performance-based regulation is NRC rule 10 CFR 50.61a that provides new Pressurized Thermal Shock requirements. Development of similar new rules and regulatory guidelines for containment integrity may require additional research and advances in modeling and analysis methods to provide containment structure fission product release fragility curves.