

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Radiation Protection and Nuclear Materials
Domestic Licensing for Source Material

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, May 18, 2010

Work Order No.: NRC-242

Pages 1-128

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2 DISCLAIMER

3
4
5 UNITED STATES NUCLEAR REGULATORY COMMISSION'S
6 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

7
8
9 The contents of this transcript of the
10 proceeding of the United States Nuclear Regulatory
11 Commission Advisory Committee on Reactor Safeguards,
12 as reported herein, is a record of the discussions
13 recorded at the meeting.

14
15 This transcript has not been reviewed,
16 corrected, and edited, and it may contain
17 inaccuracies.
18
19
20
21
22
23

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 UNITED STATES OF AMERICA

2 + + + + +

3 NUCLEAR REGULATORY COMMISSION

4 + + + + +

5 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

6 (ACRS)

7 + + + + +

8 SUBCOMMITTEE ON RADIATION PROTECTION AND

9 NUCLEAR MATERIALS

10 + + + + +

11 TUESDAY,

12 MAY 18, 2010

13 + + + + +

14 ROCKVILLE, MARYLAND

15 + + + + +

16 The Advisory Committee met at the Nuclear
17 Regulatory Commission, Two White Flint North, Room
18 T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. Michael
19 T. Ryan, Chairman, presiding.

20
21 COMMITTEE MEMBERS PRESENT:

22 MICHAEL T. RYAN Chairman

23
24 ACRS STAFF PRESENT:

25 DEREK WIDMAYER, Designated Federal Official

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT :

2 JIM DANA, FSME

3 ANDREW CARRERA, FSME

4 GARY COMFORT, FSME

5 DUNCAN WHITE, FSME/MSSA

6 SOLOMON SAHLE, FSME/DILR

7 CANDACE J. CLEMONS, FSME/DILR

8 JOHN KLOS, FSME/DILR

9 KIM MORGAN MUTLER, FSME/DILR

10 MARK THAGGARD, FSME/DILR

11 KATHRYN BROOK, OEDO

12 VANESSA COX, FSME/DILR

13 CHARLES T. SIMMONS, ESQ.

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

	<u>AGENDA ITEMS</u>	<u>PAGE</u>
1		
2	Introduction	4
3	Briefing on Development of Proposed	
4	Rulemaking on the Distribution of	
5	Source Materials to Exempt Persons and	
6	to General Licensees as well as Proposed	
7	Revision to the General License for	
8	Small Quantities of Source Materials,	
9	Including Proposed Changes to Certain	
10	Product Exemptions in 10 CFR Part 40	6
11	Remarks by Mr. Charles Simmons, NRC 40.22	
12	Rulemaking and Unintended Consequences	98
13	Open Dialogue	122
14	Adjourn	128
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(8:35 a.m.)

CHAIRMAN RYAN: Okay. If I could have everybody's attention, the meeting will now come to order.

This is a meeting of the Radiation Protection and Nuclear Materials Subcommittee. I am Mike Ryan, Chairman of the Subcommittee. Other ACRS members who will be in attendance shortly are Jack Sieber and Dennis Bley.

Derek Widmayer of the ACRS is the Designated Federal Official for this meeting.

The purpose of this meeting is to inform the Subcommittee about the staff's plan to amend 10 CFR Part 40, Domestic Licensing for Source Material, to require specific licenses for the initial distribution of source material to exempt persons and to persons operating the general license for small quantities of source material, 10 CFR 40.22.

The proposed amendment would modify the existing possession and use requirements for a Part 40.22, general license, to better align the requirements with current health and safety and security standards.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Finally, the proposed amendment would
2 revise, clarify, or delete certain product exemptions
3 in 10 CFR 40.13, unimportant quantities, to make the
4 exemptions more risk informed. This rule would effect
5 manufacturers and distributors of certain products and
6 materials containing source material and certain
7 persons using source material under general license
8 and under exemptions from licensing.

9 The proposed rule has not undergone public
10 comment.

11 The Subcommittee will gather information,
12 analyze relevant issues and facts, and will formulate
13 proposed positions and actions, as appropriate, for
14 the full Committee to deliberate.

15 The rules for participation in today's
16 meeting have been announced as part of the notice of
17 this meeting previously published in the Federal
18 Register. Later today under stakeholder comments will
19 hear from Mr. Charles Simmons of Thompson & Simmons,
20 located in Washington, D.C.

21 We have received on additional written
22 comments or additional requests for time to make oral
23 statements from members of the public regarding
24 today's meeting.

25 We have received no requests for people to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 participate via a bridge phone line regarding today's
2 meeting.

3 A transcript of the meeting is being kept
4 and will be made available as stated in the Federal
5 Register notice. Therefore, we request that
6 participants in this meeting use the microphones
7 located throughout the meeting room when addressing
8 the Subcommittee.

9 The participants should first identify
10 themselves and speak with sufficient clarity and
11 volume so they may be readily heard.

12 We will now proceed with the meeting and
13 the presentations by the staff. We will hear first
14 from Mr. Andrew Carrera of the Office of Federal and
15 State Materials Environmental Management Programs.

16 Welcome.

17 MR. CARRERA: Good morning ACRS Committee
18 members and staff and Charlie Simmons and members of
19 the audience. My name is Andrew Carrera and I work in
20 the Office of Federal and State Materials
21 Environmental Management Program in the Division of
22 Intergovernmental Liaison and Rulemaking.

23 Today I'm here to brief you on our efforts
24 to develop proposed rulemaking on the distribution of
25 source materials to exempt persons and to general

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licensees as well as proposed revision to the general
2 license for small quantities of source materials and
3 some proposed changes to certain product exemptions in
4 10 CFR Part 40.

5 Before I begin, I would like to ask for
6 your indulgence so that I may read from my prepared
7 script. It is going to be a long presentation.

8 Also, I have with me Mr. Gary Comfort,
9 Cathy Mattsen, and Branch Chief Jim Danna. They are
10 the experts in this particular rulemaking and are here
11 to help me answer any questions that you may have.
12 Additionally, I would like to correct -- make a
13 correction to the meeting notice. The correct SECY
14 reference number is SECY, S-E-C-Y-09-0179.

15 CHAIRMAN RYAN: Just say that one more
16 time just to make sure we all have it right please.

17 MR. CARRERA: Yes, one more time, SECY-09-
18 0179.

19 CHAIRMAN RYAN: Okay. Thank you.

20 MR. CARRERA: Next slide please.

21 And during this discussion, I plan to
22 cover a number of topics. First I plan to briefly
23 discuss in very general terms only background of Part
24 40 and current general licensing exemption conditions.

25 I'll follow this with a brief discussion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on the history of this particular rulemaking. Then
2 I'll discuss why we believe the rulemaking is
3 necessary by describing the problems we see with the
4 current Part 40 rule and how we proposed to resolve
5 these issues through the proposed rulemaking.

6 Finally, I'll introduce specific questions
7 that we plan to solicit from the public.

8 Next slide please. We will move forward
9 with the background information on 10 CFR Part 40 and
10 current general license and exemption conditions.

11 Slide 4 please. As these slides indicate,
12 the purpose of Part 40 is to establish regulations for
13 use and possession of source material and byproduct
14 material. However, this particular rulemaking only
15 deals with source material.

16 Next slide please. The book of the
17 regulation in Part 40 applies towards possession and
18 use of source material. So what is source material?
19 Source material is defined as uranium and thorium ores
20 containing greater than .05 percent by weight of
21 uranium or thorium. Source material does not include
22 anything that would be considered special nuclear
23 material. In other words, enriched uranium.

24 There is a significant difference between
25 source material and most everything else that NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 regulates in that as we all know, uranium and thorium
2 exists throughout nature. Most other radioactive
3 materials NRC regulates are generated by men. And,
4 therefore, can be more easily controlled from cradle
5 to the grave.

6 However, source material can be possessed
7 with a person realizing it because it comes NRC's
8 jurisdiction after the uranium or thorium is removed
9 from its place in nature.

10 Slide six please. NRC regulates source
11 materials under Part 40 in three basic approaches:
12 under specific license, under general license, or
13 through issuance of exemptions for products. I've
14 listed a few examples of activities or products that
15 would fall under each category.

16 However, this proposed rulemaking would
17 primarily effect activities associated with general
18 license and exemption. Although most people working
19 with NRC understand what a specific license is, many
20 people are more confused about how general license and
21 exemption works.

22 So what are general license and
23 exemptions? And I will start with exemption. Most
24 materials and products that are provided an exemption
25 are determined to present an insignificant impact to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 public health and safety without further regulation.

2 Normally they have no additional
3 requirements for safe use when possessed by general
4 public. And they are allowed to be disposed of
5 without any restriction.

6 NRC does not generally know who possesses
7 radioactive materials under exemptions. And in case
8 of source material, does not know how much material is
9 distributed for possession and use under an exemption.

10 General license, general license falls in
11 a space between specific license and exemptions.
12 Whereas a specific license requires an application to
13 the NRC to become a licensee, a general license is
14 granted to any person without an application to the
15 NRC as long as they meet the underlying conditions of
16 a general license.

17 Requirements under general license can
18 vary from exemption like to having a number of
19 conditions for operation. As we'll see shortly, not
20 all general license currently have reporting
21 requirements. And so NRC may not be directly aware of
22 all persons who possess radioactive materials under a
23 general license.

24 CHAIRMAN RYAN: Andrew, are you going to
25 talk a little bit more about water treatment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 facilities in the special place there -- radium,
2 uranium, and other constituents?

3 MR. CARRERA: Water treatment facilities,
4 sir, yes. That will be discussed later.

5 CHAIRMAN RYAN: Okay. You're going to get
6 to that. All right. Great.

7 MR. CARRERA: And how they are not
8 required to comply with the proposed new regulation.

9 CHAIRMAN RYAN: Right.

10 MR. CARRERA: Next I'll discuss the
11 current general license and exemption condition, which
12 we are proposing to revise under this proposed rule.

13 Next slide please. One of the areas that
14 the staff is proposing to revise in our rulemaking is
15 the general license from small quantities of source
16 material in Section 40.22. Section 40.22 currently
17 provides a general license to commercial and
18 industrial firms, research, educational and medication
19 institutions, and federal and state and local
20 government agencies to use and transfer not more than
21 15 pounds of source material at any one time and no
22 more than 150 pounds total in any one calendar year.
23 And this is for their operational purposes.

24 If a person can operate within these
25 limits, they are exempted from the requirements in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Part 19, 20, and 21, which basically covers training
2 and notification, health and safety, and reporting of
3 defects and noncompliance.

4 These exemptions apply unless a general
5 licensee already has a specific license issued under
6 Part 40. This general license includes no reporting
7 or registration requirements. And so NRC has no easy
8 way to identify persons operating under this general
9 license.

10 Because of the minimal operating
11 requirements and lack of reporting and registration
12 requirement, this general license operates similar to
13 an exemption. I'll discuss why this presents problems
14 for the staff when I get into discussion about the
15 proposed rulemaking.

16 Slide number eight please. Exemptions for
17 licensing are found in Section 40.13 and are known as
18 unimportant quantities. Persons receiving these
19 products are exempt from requirements to obtain
20 license. Under NRC consumer protection policy,
21 product exemptions should only be able to impose a
22 small fraction of NRC's public dose limit to persons
23 possessing the products.

24 There are three major categories of
25 exemptions in Part 40. Section 40.13(a), exempt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 person possessing uranium and thorium in concentration
2 less than .05 percent of weight of source material.
3 Section 40.13(b) exempt person possessing unprocessed
4 source material. And Section 40.13(c) which are
5 essentially product exemptions. The proposed rule
6 deals solely with exemption in 40.13(c).

7 Next slide.

8 CHAIRMAN RYAN: Just a question on this
9 .05 percent by weight. What's the basis for that. I
10 mean I've always thought of it as simply a number
11 below which it is difficult to recover uranium from
12 ore economically.

13 So from a health and safety perspective, I
14 don't see much difference between .049 and .051. So
15 can you help shed some light on why this .05 percent
16 by weight is still carried forward?

17 MR. COMFORT: Our understanding, I mean
18 historically, is basically that it was a number
19 developed when Part 40 was originally delegated in the
20 1946 act, I guess, or '47, I can never remember what
21 years those are.

22 CHAIRMAN RYAN: '54 -- 40 was the original
23 Atomic Energy Act.

24 MR. COMFORT: Yes. And basically when
25 they set in in there, there was no regulation of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 health and safety put into the act at that point. It
2 was purely for national security to make sure there
3 was material available for government use.

4 And then it came under, you know,
5 availability when it was taken from the ground. So
6 the .05 percent was purely, at that point, an
7 economic, you know how easy was it to remove it from
8 the ores at that point.

9 When the act was changed in '54, they did
10 add health and safety requirements into the act. But
11 when Part 40 was modified in 1959, they decided to
12 keep the .05 percent. And we haven't been able, in
13 our research, to make a real good determination if
14 there was much of a health and safety evaluation with
15 that number at that point.

16 CHAIRMAN RYAN: I think that's an
17 important perspective on that number. You know the
18 original McMahon Act really dealt with the strategic
19 value of the materials that it regulated. And, you
20 know, we're superimposing on that, of course, the
21 health and safety structure.

22 So it is important to ascribe, I think,
23 the right meaning to numerical values and based on
24 their origin rather than based on what we currently
25 think in terms of health and safety today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Would you think that's a fair assessment?

2 MR. COMFORT: I think it's a good
3 assessment, yes.

4 CHAIRMAN RYAN: Okay.

5 MR. CARRERA: That was Mr. Gary Comfort,
6 ladies and gentlemen.

7 You have to state your name before you
8 speak.

9 Slide number nine please. Now that we
10 have a general idea of what Part 40 covers and what
11 are the conditions for a general license and
12 exemption, let's go back in history and follow the
13 journey of Section 40.22 rulemaking up to this point.

14 Next slide please. The journey can
15 actually be followed much further back as we had a
16 number of starts and stops in modifying Part 40. But
17 I'll start our discussion of this particular journey
18 in the late 1990s.

19 Although NRC has already considered
20 revision to Part 40, but in 1999 the State of Colorado
21 and the organization of agreement states submitted a
22 petition for rulemaking designated as PRM-40-27. In
23 their petition, they identified concerns regarding the
24 use of source materials under a general license
25 granted by Section 40.22.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 In particular, petitioners were concerned
2 that general licensees are specifically exempt from
3 meeting the requirements of Part 19 and 20, despite
4 the fact that situation exists where the use of
5 materials could result in exposures to workers above
6 100 millirems per year. And I will discuss the
7 details of PRM-40-27 in later slides.

8 And in the same year, the staff proposed
9 multiple activities associated with Part 40 to the
10 Commission as part of a SECY paper, SECY-99-259. One
11 of the activities that the staff recommended was to
12 develop a rulemaking plan for the possible changes to
13 Section 40.22, general license.

14 And in 2000, the Commission directed,
15 among other things, for the staff to move forward on
16 developing the rulemaking plan. The rulemaking plan
17 that the staff developed discussed issues with the
18 current general license in Section 40.22. And
19 introduced numerous options in how to proceed forward.

20 These options include just addressing PRM-
21 40-27, which I mentioned earlier, or just implementing
22 distribution reporting to gather information before we
23 did a bigger rulemaking to address concern with
24 Section 40.22. In addition, the staff offered up
25 options for a more complete rulemaking, which would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 both resolve issues in Section 40.22 and impose new
2 distributor reporting requirements. This rulemaking
3 plan was submitted in April 2001 to the Commission.

4 Next slide please. And also in 2001, the
5 staff finalized NUREG-1717, which included an
6 assessment of the exemptions in Part 40. These
7 findings resulted, in part, in the development of
8 recommendations for revising the exemption in Part 40,
9 which were submitted the Commission as SECY paper,
10 SECY-02-0196 in 2002.

11 The staff informed the Commission that it
12 would make any revisions to exemptions in Part 40 in
13 conjunction with the rulemaking described in the 2001
14 rulemaking plan.

15 It was not until June of 2003 the staff --
16 I'm sorry, the Commission returned the staff required
17 memorandum, or SRM on Part 40 rulemaking, which
18 directed the staff not to make changes to Section
19 40.13 or Section 40.22 at this time but to instead try
20 to collect more data to support a rulemaking. This
21 was despite the fact that the staff had informed the
22 Commission about the difficulties of collecting data
23 about operation under a general license without having
24 a requirement for reporting.

25 Slide number 12 please. And as a result

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the Commission's direction, the staff began to try
2 to collect data about general licensees. Through a
3 search of NRC records, the staff had identified that
4 in 1986, the staff had requested and received three
5 years' worth of distribution reports from six specific
6 licensees who distributed source materials to general
7 licensees. However, in 2004, the staff had learned
8 that five of those six specific licensees were no
9 longer in business.

10 The staff contacted the remaining
11 distributor and was able obtain distribution reports
12 for the three previous years. In addition, the staff
13 obtained the services of the Pacific Northwest
14 Laboratories, also known as the PNNL, to try to
15 identify general licensees and how source material was
16 used.

17 PNNL's data indicated that the majority
18 use of source materials was in the manufacture of
19 thorium-coated lenses and proceeded to contacted nine
20 manufacturers to evaluate their practices. PNNL
21 provided a final report of their findings in 2007.
22 And I will discuss part of that study in later slides.

23 Around the same time that PNNL was doing
24 their evaluation, the staff also developed and
25 submitted a SECY paper on tracking and providing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 enhanced control for Category 3 sources to the
2 Commission. One of the issues identified in the SECY
3 paper was that certain isotopes of the uranium and
4 thorium could be possessed in quantities up to
5 Category 1 of the International Atomic Energy, or the
6 IAEA categorization system, under the Section 40.22
7 general license and, therefore, without NRC's
8 knowledge.

9 And in light of the 9/11 attack, that
10 immediately represented a security and safety issue.
11 As a result, the staff recommended that the rulemaking
12 envisioned in the 2001 rulemaking plan be restarted to
13 address this concern.

14 In the SRM, the Commission approved the
15 staff's recommendation. Among other things, directed
16 the staff to amend the general license in Section
17 40.22 and its associated manufacturing requirements.

18 In 2007, the staff provided the Commission
19 with an information paper that included the data that
20 had been collected on source material, general
21 licensees to date, and the result of the PNNL
22 evaluations. The information also described what the
23 staff planned to accomplish in this proposed
24 rulemaking. These efforts culminated in the staff's
25 providing the proposed rule package that we are now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussing to the Commission in late December of 2009.

2 Next slide please. Now that I have
3 provided you with a basic understanding of what Part
4 40 encompasses, how it regulates source materials, and
5 a history behind this rulemaking, are there any
6 questions on what has been covered so far?

7 CHAIRMAN RYAN: Just a placeholder, I
8 think, at this point, Andrew, I've got the PNNL report
9 and I wrestled a little bit with the idea that we were
10 going to create bounding but realistic scenarios for
11 public exposure. Those seem mutually exclusive to me.

12 How can it be a bounding analysis if it is a
13 realistic scenario?

14 I know this is the dosimetric basis for
15 some for the thinking you've committed. And I'd like
16 to understand that picture a little bit better. I
17 mean are we risk informed? Are we bounding case? Are
18 we bounding but realistic? And I'm not sure what that
19 means but if you could help me understand that a
20 little at some point in the morning, that would be
21 great.

22 MR. CARRERA: Yes. I remember when I went
23 through this report, in the areas where they looked at
24 source thorium exposures to routine use, accident, and
25 manufacturers, they did say that it was a bounding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 scenario. However, I thought it was -- in my personal
2 experience, I thought they mislabeled that. You know,
3 looking at the assumptions that they make, I thought
4 it was very reasonable.

5 The bounding part of it comes later in the
6 calculation where they look at a situation in a
7 pottery shop where, you know, one person runs a small
8 pottery shop with a low ventilation system, not as
9 clean an environment as others. And no particular
10 protection. Then I thought that would be, you know,
11 just as far as a bounding.

12 CHAIRMAN RYAN: Again I think that's a
13 little loose in terms of understanding exactly where
14 we are in the risk profile. So maybe we can a little
15 bit more about that later.

16 MR. COMFORT: We will get to that section.

17 CHAIRMAN RYAN: Okay.

18 MR. CARRERA: Okay.

19 CHAIRMAN RYAN: I mean I think it's
20 important because the dose tables that result in this
21 report are really the basis for you action. And so I
22 think it's got to be crystal clear whether that basis
23 is bounding, conservative, ultra conservative, not
24 conservative, whatever it might be, you know, from an
25 overall risk perspective. So that, to me, is kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a key point.

2 MR. CARRERA: Thank you.

3 Now let's look at what are the issues with
4 the current requirements in Part 40 and how we propose
5 to resolve them for the proposed Section 40.22
6 rulemaking. Slide number 14 please.

7 These issues include one, potential health
8 and safety impacts to Section 40.22, which are not
9 fully in alignment with health and safety standards in
10 10 CFR Part 40, and two, the lack of complete and
11 timely information on the types and quantities of
12 source material distributed for either use under
13 exemption or by general licensees, three, changes in
14 how some products are used under exemptions, and four,
15 there is a lack of clarity in certain requirements in
16 Section 40.22 such as waste disposal.

17 Next slide please. So in the next few
18 slides, we'll go into the depth of each of these
19 issues and how this rulemaking will resolve them.
20 Let's first look at the first issue, the current
21 health and safety impacts in Section 40.22 in greater
22 details.

23 Slide number 16 please. The staff's first
24 concern with Part 40 was to determine if the current
25 regulatory structure in Part 40 was consistent with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the current radiation safety requirements in 10 CFR
2 Part 20. The regulations for source materials in Part
3 40 have not been significantly revised since 1961.

4 After the health and safety regulations in
5 Part 20 were significantly revised in 1990, the
6 impacts of these revisions on Part 40 were never fully
7 evaluated. In particular, as we'll discuss shortly,
8 the staff is concerned that the general licensee for
9 small quantities of source material in Section 40.22
10 may not be fully aligned with current radiation
11 protection standards.

12 In addition, the IAEA has categorized
13 radioactive sources according the potential for
14 radiological consequences that a source poses. The
15 IAEA categorization system is based primarily on the
16 potential for radioactive sources to cause
17 deterministic health effects without any regulatory
18 control in place.

19 After the evaluation, for security
20 reasons, NRC identifies a person who possesses certain
21 isotopes of uranium and thorium. Examples are
22 uranium-232, thorium-228 and 229. Under the 40.22
23 general license that could result in quantities that
24 would fall under Category 1 of the IAEA categorization
25 system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Either the staff is unaware of these
2 isotopes being used in discreet quantities, it is a
3 concern because we have no method to identify general
4 licensees under this section nor what the materials
5 they are using.

6 CHAIRMAN RYAN: The IAEA categorization
7 system really is a system to try and identify the risk
8 sources falls under bad guy circumstances, people
9 doing bad things for bad intent with the material.
10 Yet we license on the assumption that people are going
11 to do the right things with the materials. Do you see
12 any disconnects there or difficulties with that
13 strategy or comparison?

14 MR. COMFORT: If the material -- I mean I
15 don't think that there is a big disconnect on it. It
16 just means that the material that is going to cause a
17 problem, you've got to have better oversight so the
18 bad guys can't get it basically.

19 CHAIRMAN RYAN: Okay.

20 MR. COMFORT: You still having the
21 licensing structure to do that. And that's part of
22 what we're looking on this is even though we're not
23 aware of anybody who even possesses these isotopes
24 other than DOE might have a small -- you know a small,
25 very, very small quantities of it, it's not used in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the commercial manufacture.

2 What we're trying to do is make it that,
3 you know, without license, somebody shouldn't be
4 manufacturing this stuff to start with so that those
5 who do have it, we at least know who they are and
6 where that source is going to come from. I mean this
7 isn't going to be particularly easy material to create
8 on their own, you know. I mean it's similar to, you
9 know, enriched uranium, which there is difficult --

10 CHAIRMAN RYAN: And just to refresh you on
11 those isotopes -- thorium --

12 MR. COMFORT: It's thorium-228, thorium-
13 229, and uranium-232, they all have high specific
14 activities.

15 CHAIRMAN RYAN: And they're pretty hard to
16 come by.

17 MR. COMFORT: They're very hard to come
18 by. It's just closing a loophole on that aspect of
19 doing it. It's easier to say you can't have it under
20 the general license. But we have no idea who has it.

21 Rather than think that there is a real concern about
22 it at this point.

23 CHAIRMAN RYAN: And that kind of covers
24 the gap between the fact that the general license says
25 uranium or thorium --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COMFORT: Correct.

2 CHAIRMAN RYAN: -- and this, you're
3 specifically talking the high specific activity
4 isotopes out of that loop but not the others.

5 MR. COMFORT: Well, we're taking out any
6 isotope other than depleted uranium. And basically
7 saying if you want to use isotopic uranium or thorium,
8 you've got to go through and get a specific license.

9 CHAIRMAN RYAN: As opposed to naturally-
10 occurring thorium or uranium isotope mixes.

11 MR. COMFORT: Right.

12 CHAIRMAN RYAN: The language of how that's
13 laid out has to be pretty precise to make sure it
14 doesn't miscommunicate.

15 MR. SIMMONS: Totally agree.

16 CHAIRMAN RYAN: We have to go in order.

17 MR. SIMMONS: Okay.

18 CHAIRMAN RYAN: And please hold your
19 comments until then.

20 MR. SIMMONS: Right.

21 CHAIRMAN RYAN: So I think that's a
22 specific point, to me, that has to be just crystallly-
23 clear laid out in the rules to make sure that it's --
24 you know every understands that you are talking about
25 specific isotopes under the question of question of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 security-kind of risk, which is a deterministic
2 endpoint as you well pointed out, Andrew, versus the
3 health and safety aspect of exposures in a work
4 setting over a lifetime --

5 MR. COMFORT: Correct.

6 CHAIRMAN RYAN: -- of work. So I think
7 some language, whether it is in the text or as notes
8 to a table, or whatever it might be, that just nails
9 that down so everybody clearly understands, that would
10 be a real good way to get all of that across.

11 MR. CARRERA: Thank you.

12 MR. COMFORT: We hope that we've done that
13 we'll get comments on it later.

14 CHAIRMAN RYAN: Okay, yes, okay, great.
15 Anyway, on we go, sorry to interrupt.

16 MR. CARRERA: And as promised in the next
17 two slides, I will discuss PRM-40-27 where we have a
18 real live case and PNNL dose assessment report where
19 we have a theoretical case of how health and safety of
20 Section 40.22 general licensees may potentially be
21 impacted by the current licensing condition.

22 Next slide please. PRM-40-27 --

23 CHAIRMAN RYAN: Just one more comment on
24 the PNNL report, if I may, this is one version of a
25 health and safety assessment for the use of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 materials. And, you know, they are really good folks
2 that are on the report. I know most of them
3 personally.

4 But is there any provision for a licensee
5 to do an alternate assessment in the rule?

6 MR. COMFORT: The assumption under the
7 general license is that that type of person who is
8 going to normally be using the material isn't going to
9 -- we're not -- we didn't want to put a structure in
10 there to require them to have to. In the same case,
11 we didn't allow them to have any out to do their own
12 evaluation under the current proposal.

13 CHAIRMAN RYAN: I wonder if that's -- I'll
14 just throw this out for discussion -- I wonder if
15 that's worth thinking about. Because, for example, if
16 a general licensee, for whatever purpose, for whatever
17 endpoint wants to use material but is doing something
18 that is not really well represented by the scenarios
19 analyzed in the PNNL report, can they offer an
20 alternative?

21 MR. COMFORT: Currently -- and one of the
22 difficulties, again, is because we don't have a
23 registration system or anything of that sort, you're
24 basically relying upon after the fact that, you know,
25 did they do their assessment correctly? You know we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 come in and discover that there is a problem. I mean
2 it's just the structure of how this general license,
3 it doesn't make it really convenient to allow the
4 licensee to make its own -- you know, the general
5 licensee to make its own assessments easily.

6 CHAIRMAN RYAN: But a general licensee
7 would be then constrained to whatever the general
8 license conditions were.

9 MR. COMFORT: Right.

10 CHAIRMAN RYAN: I'm asking the question if
11 you put in a scheme where you could get a general
12 license or you could have a general license category
13 prime or something where you were allowed to come in
14 and say I want to get a general license but I want to
15 do these things. And I've done a similar analysis to
16 what created the general license requirements. Could
17 I do that? I don't even know if that's possible.

18 MR. COMFORT: I'm not aware of any general
19 licenses.

20 Cathy?

21 CHAIRMAN RYAN: Maybe that makes me a
22 specific licensee all of a sudden.

23 MR. COMFORT: Yes, that's usually --

24 CHAIRMAN RYAN: So I mean I guess that's
25 the options. I can apply for a specific license and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 be in that category.

2 MS. MATTSEN: You don't apply for a
3 general license. It's in the regulation.

4 CHAIRMAN RYAN: Right.

5 MS. MATTSEN: We have to set it up for --
6 to apply it generally to anyone. And that point is
7 for them to be able to be exempt from a lot of the
8 requirements of the specific license.

9 CHAIRMAN RYAN: Please, Kathy, just for
10 the record, tell us who you are. You have to say your
11 name.

12 MS. MATTSEN: Kathy Mattsen.

13 CHAIRMAN RYAN: Yes, okay. I don't think
14 he can see your name tag.

15 MS. MATTSEN: So they are exempt from Part
16 20 where they would have to make sure evaluations.
17 And we have to put constraints in there that protect
18 them without them having to do all that.

19 CHAIRMAN RYAN: It just strikes that the
20 PNNL report is a pretty bounding kind of analysis. So
21 what is that -- I mean what does a bounding analysis
22 tell us?

23 MS. MATTSEN: It's so that we can allow
24 people to use small quantities and not have a lot of
25 requirements and still know that they are perfectly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 safe.

2 CHAIRMAN RYAN: I understand. But I'm
3 just -- you know, because the other side of that is
4 the amount you can use is small because -- and maybe
5 too small for some health and safety considerations.

6 MR. COMFORT: And part of the other thing
7 I'd like to also put on the general license, we look
8 at a variety of different ways to look at this, you
9 know that we can present it. And, you know, one of
10 the options we've done on the original rulemaking plan
11 was to do some sort of tiering. And it could have
12 been based on what the uses are.

13 We've done a little bit of that in this
14 current version. But you could have gotten into a
15 variety of forms, what practices -- the problem with
16 the current general license and the way that we have
17 got it right now, it doesn't have any limit in how you
18 can actually the material. So you are basically
19 trying to get the whole realm of what types of
20 activities.

21 Some people, you know, are going to be
22 using the small quantities in very, very, you know,
23 very, very safe -- you know they could use the full 15
24 pounds even though they are operating processing it
25 and all and stuff. And, you know, you could show an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 assessment on that.

2 But on the other hand, we've also got to
3 limit the folks who aren't doing it. They are putting
4 dust in the air, inhaling it. You know their
5 operations cause a lot of dust in the air. We've got
6 to do the same limits.

7 So what we're trying to do instead of
8 requiring a general licensee to have a health physics
9 person on staff doing these kinds of calculations,
10 we're trying to find an easy medium as to where those
11 levels could be cut off without them having to do
12 those assessments where we're pretty certain that the
13 folks aren't going to be getting a significant impact
14 from the use of the material.

15 CHAIRMAN RYAN: So you kind of ended up
16 with an all or none kind of situation rather than
17 trying to tier it.

18 MR. COMFORT: Yes, that's exactly it.

19 CHAIRMAN RYAN: Okay.

20 MR. COMFORT: Now if we want to go back
21 and limit some of the uses under the general license,
22 we could, you know, potentially increase what those
23 amounts are back. And actually if you go back to the
24 history of this general license, it was originally at
25 the limits for all uses that we're proposing to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just for the materials that are basically dispersible
2 on it down to the three-pound limit.

3 And when they modified it back up to the
4 15 pound, it was based mostly on, at that point, the
5 limits were constrained to educational, research, and
6 a couple others. But one of the things that they
7 added at the same time but we can't find any
8 indication that they did an analysis of was commercial
9 use, which broadens out tremendously what you can do
10 with it.

11 And that's one of the things that we're
12 finding is a potential problem is people are using the
13 material in ways that wasn't originally envisioned I
14 think when they expanded the limits. And so what
15 we're basically doing is in combination that we now
16 have reduced health and safety limits in Part 20,
17 we're going back to what was really originally in
18 40.22 general license for the limits.

19 CHAIRMAN RYAN: Okay.

20 MR. CARRERA: PRM-40-27, January of 1999,
21 the Colorado Radiation Control Program was notified
22 that a dumpster had activated a radiation alarm at a
23 landfill. The dumpster had been used for construction
24 debris resulting from a remodeling project.

25 After exposure level on the dumpster

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 exterior was measured to 4.9 millirem per hour, an
2 investigation revealed that it was a source material
3 general licensee who was responsible for the
4 radioactive material. And had vacated the facility.

5 According to the petitioner, further
6 investigation found the licensee ensured that
7 procurement did not exceed 150 pounds per year limit
8 as specified in 10 CFR Part 40.22(a) and had left the
9 building with thorium contaminated level of 734
10 millirem per year, which exceeded the 25 millirem per
11 year annual limit for release for uncontrolled use.

12 CHAIRMAN RYAN: Tell me what -- it
13 couldn't be contaminated to a dose level. It is
14 contaminated and a dose level can be --

15 MR. COMFORT: It was calculated.

16 CHAIRMAN RYAN: -- calculated --

17 MR. CARRERA: It was calculated, yes.

18 CHAIRMAN RYAN: -- for what? A 365, 24-
19 hour occupant? Or a 40-hour a week worker? Or --

20 MR. COMFORT: We believe based on it that
21 it is a 40-hour a week worker because it was a work
22 location.

23 CHAIRMAN RYAN: Were there external
24 components?

25 MR. COMFORT: External.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: All external?

2 MR. COMFORT: Yes. That's what my guess
3 is.

4 CHAIRMAN RYAN: You don't have --

5 MR. COMFORT: I don't have the detailed
6 calculation.

7 CHAIRMAN RYAN: I take it from your
8 comment you don't have the documentation, right?

9 MR. COMFORT: We don't have the detailed
10 calculation from the state.

11 CHAIRMAN RYAN: Okay. Then it's probably
12 not a good idea to put it out there then if you don't
13 know what the basis is really. I mean it could be
14 internal/external, 365 days a year. I don't know.
15 That would be a big change. Not that it is, you know,
16 a huge thing but the basis for that number is kind of
17 important. Okay.

18 MR. CARRERA: And as a result of this
19 finding, the petitioner requested in Petition for
20 Rulemaking 40-27 that Section 40.22 be modified to
21 remove the exemption in 10 CFR 40.22(b) to Parts 19,
22 20, and 21 so that this and all other general
23 licensees who use similar quantities of source
24 material would have note to meet the same health and
25 safety requirements for specific licensees.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Next slide please. Now we get to Mike's
2 favorite study. The PNNL dose assessment report. As
3 I mentioned earlier that the staff obtained the
4 services of Pacific Northwest Laboratory, or PNNL, to
5 try to identify general licensees and how source
6 materials was used.

7 PNNL's data indicated that the majority
8 use of source material was in the manufacture of
9 thorium-coated lenses and proceeded to contact nine
10 manufacturers to evaluate their practices. PNNL
11 provided a final report of the finding in 2007. The
12 report is known as PNNL-16148, titled Dose Assessment
13 for Current and Projected Uses of Source Material
14 under NRC General License and Exemption Criteria.

15 The study was conducted in three phases.
16 Phase One consists of data researches. Phase Two
17 consists of scenario development and dose analysis.
18 And Phase Three consists of refining dose analysis.

19 In the dose analysis, individual exposure
20 scenarios were developed for each type of use or
21 selected specific uses. Assume parameters as exposure
22 time, exposure distance, and inhalation rate was
23 selected on the basis of daily exposure usually in an
24 occupational setting at a typical radionuclide
25 concentration.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Calculations were made with appropriate
2 computer code to standardize the data for a large
3 number of radionuclides or variance of exposures.
4 Radiation dose commitments from inhalation or
5 ingestion were estimated using dose coefficient from
6 the ICRP, Publication 68 and 72.

7 As summarized on this slide, the study
8 reported that the committed effective dose to
9 unprotected workers during routine use in the
10 manufacture of thin-film optical coatings could
11 approach about 800 millirems for the case of a single
12 worker processing up to 150 pounds per year of thorium
13 with progeny via inhalation and ingestion pathways.

14 This 800 millirem exposure dose became the
15 basis for our proposed new possession limit of
16 lowering from the current 150 pounds per year to 15
17 pounds per year, thus reducing the exposure dose to a
18 worker by a factor of ten, from 800 millirem per year
19 to 80 millirem per year.

20 Next slide please. The study also
21 reporting the bounding dose assessment for an
22 individual that uses 150 pounds of uranium or thorium
23 powder in a small room with low ventilation and not as
24 clean an environment as a standard industrial
25 operation. This was considered to be an operation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 such as a commercial public pottery facility in which
2 an owner or employee works full time preparing, mixing
3 pigments, and firing customers' creations. In such a
4 bounding scenario, the study reported half a committed
5 effective dose reaching close to five rems per year.
6 However, this dose estimate is highly conservative and
7 assuming the worker does not take an caution in
8 protecting his or herself.

9 Mike?

10 CHAIRMAN RYAN: Yes, you know, I guess on
11 both of these, it's hard to really judge the meaning
12 of a number on, you know, the -- I mean the 768 for
13 example on the previous one and, you know, 4,680
14 millirem. You know it is a bounding scenario yet we
15 have several significant digits up there. I always
16 take note of that. Around four rem would be a good
17 number or around 40 for a half rem.

18 I guess you always are stuck with how do I
19 interpret that conservative scenario based against
20 reality. And I guess my understanding is did PNNL or
21 have you or has anybody gone out and made actual
22 measurements in these facilities to see what's
23 happening?

24 MR. COMFORT: PNNL in regards for the --
25 well, PNNL did not go out and do any measurements in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the facilities themselves. As part of their survey,
2 they did ask some of the sites to provide information
3 of what doses they were seeing.

4 If I remember correctly, none of them
5 provided that information to them. They described a
6 little bit about the information. It was a voluntary
7 survey and all. So they had to make assessments based
8 upon what information they were able to get from those
9 on how the practices were done.

10 CHAIRMAN RYAN: And I guess I don't mean
11 this as any criticism of the PNNL study team, but it's
12 real tough to interpret that as to what, you know,
13 where are we in terms of reality versus these
14 estimates.

15 MR. COMFORT: Yes. Well -- and that's
16 part of what the proposed rulemaking process is
17 supposed to be going through is they provide -- get
18 comments because we don't have easy access to who is
19 using these materials and how they are using them.
20 And the hope is that, you know, we're going to get
21 some of that information from people saying hey, this
22 is totally out of place.

23 Now the other consideration that we
24 haven't gotten into on this is what is the overall
25 impact on this. And we're hoping to find out from --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 when people comment on the rule.

2 But the fact that we are going to be doing
3 distributor requirements that are going to require
4 specific licensing anyways is a lot of the folks who
5 are using the bulk of the material are likely
6 producing products for somebody else. And they are
7 going to come under that specific license.

8 So we're expecting the impact from
9 reducing the limits to what we think are better to
10 ensure safety with a wide spectrum of what we don't
11 know what they can do with this material is going to
12 be relatively limited because the folks who are using
13 most of the material are going to have to be
14 specifically licensed under a different condition
15 anyways.

16 So it's kind of a combination of we don't
17 know what the material is there but on the other hand,
18 we're trying to allow people to be able to use the
19 material without concern that they are exceeding what
20 we'd normally have for additional requirements for a
21 specific licensee and all.

22 And some folks, you know, aren't going to
23 ever have that problem. And they are going to be
24 limited by what they can do. Other, you know, we are
25 helping to limit it. But --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: I guess it would be really
2 helpful, you know, if I'm thinking about if I was on
3 the receiving end of this request for comment, I'd
4 want to understand or, you know, I think it is helpful
5 if the Agency makes folks understand or gives them the
6 information to hopefully allow them to understand that
7 that is an upper estimate based on the technical
8 analysis that you think is conservative but is not
9 cuckoo, you know, it's not --

10 MR. COMFORT: Right.

11 CHAIRMAN RYAN: -- we're not having people
12 spooning it into their sugar and their coffee --

13 MR. COMFORT: Right.

14 CHAIRMAN RYAN: -- or anything like that.
15 But, you know, but the rulemaking will be enhanced by
16 realistic information provided by licensees. And any
17 dosimetric data they have, whether it is air samples
18 or film badges or TDLs or whatever they might have
19 might be -- would be very helpful --

20 MR. COMFORT: Definitely.

21 CHAIRMAN RYAN: -- to understanding the
22 environment that you are creating a regulation for. I
23 think it has got to be clear that you really don't
24 have any solid, real, operational, health physics data
25 from this arena that you are trying to develop a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 regulation for.

2 MR. CARRERA: And that's because of the
3 lack of reporting requirements.

4 CHAIRMAN RYAN: But we said that in the
5 beginning, Andrew, but I think, you know, that's got
6 to be made clear that you are really seeking the
7 information. You need to make sure that the rule
8 makes sense. Is that fair?

9 MR. COMFORT: It's fair. I mean hopefully
10 it comes across, again, as the proposed rulemaking
11 that we try to make it clear in that document --

12 CHAIRMAN RYAN: Yes, I'd make it crystal
13 clear right up front.

14 MR. COMFORT: -- that we don't have that
15 information and that's one of the reasons why we're
16 asking for, you know, to get distributor requirements
17 and all in making these assumptions.

18 And the whole idea of going out for the
19 proposed is for people to correct, you know, our
20 assumptions that we've made based on the data that we
21 do have available.

22 CHAIRMAN RYAN: You know and this number
23 is spectacular in the sense that that's higher than
24 any worker gets, you know, in a year from anything
25 that is regulated --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COMFORT: Right.

2 CHAIRMAN RYAN: -- pretty much if that's
3 right.

4 MR. COMFORT: You have the potential, yes.

5 CHAIRMAN RYAN: The if it's right is the
6 big question that, you know, I don't know that was
7 have a clear answer that that is right.

8 MR. COMFORT: And even though this one
9 scenario that they're talking about for the bounding
10 and stuff, I mean I've gotten people calling saying,
11 you know, where can I get material for doing, you
12 know, my pottery making. I mean they use it in their
13 glazes and all that they want to do.

14 And they've run out of it and actually
15 about the same time that I was trying to find
16 distributors, that question came up. And I told the
17 distributor hey, I've got somebody who is looking for
18 this material. And their response was, you know, we
19 consider that a frivolous use. We're not going to
20 provide that material to them.

21 So the industry is a little bit self-
22 limiting in itself as this point from letting people
23 use it in methods that may be, you know, to the
24 extreme that we're looking at here.

25 CHAIRMAN RYAN: Sure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COMFORT: You know but there is
2 nothing limiting it in the current regulation.

3 CHAIRMAN RYAN: No, I understand the no
4 limit. Thanks.

5 MR. CARRERA: Kathy, do you have anything
6 to add? No? Okay.

7 I think, Mike, we're going to have to
8 leave your favorite subject now.

9 Slide 20 please.

10 CHAIRMAN RYAN: One of my many favorite
11 subjects.

12 MR. COMFORT: We can come back to it if he
13 wants to.

14 MR. CARRERA: To resolve our concern with
15 Section 40.22 being not in alignment with current
16 health and safety standards, the staff's proposing to
17 make significant revision to Section 40.22. If you
18 remember the current general license allows for the
19 possession and use of up to 15 pounds of source
20 material at any one time and receipt of up to 150
21 pounds per year independent of form or use.

22 The first significant revision the staff
23 is proposing is to limit source material covered under
24 the general license to uranium and thorium in its
25 natural isotopic concentration or in the form of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 depleted uranium. This would remove the possibility
2 that a person could possess radionuclides of concern
3 to security under the general license.

4 Secondly, the staff found that the biggest
5 impact from the use of source materials is resulted
6 from the processing of dispersible source material
7 primarily because of the inhalation and ingestion
8 pathway.

9 CHAIRMAN RYAN: So this proposed change to
10 40.22 is really a direct result of interpreting those
11 calculations?

12 MR. COMFORT: Yes.

13 CHAIRMAN RYAN: And you dropped -- as you
14 said, it drops it down by a factor of ten in the dose
15 so --

16 MR. COMFORT: Correct.

17 MR. CARRERA: Yes.

18 CHAIRMAN RYAN: -- that's important to
19 understand. And, again -- I'm sorry --

20 MR. COMFORT: I was going to say not
21 necessarily the bounding calculation but the more --
22 what we consider the more realistic with the thorium
23 lense manufacturing. We looked at that.

24 MR. CARRERA: Yes.

25 CHAIRMAN RYAN: But they were up in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 same general range.

2 MR. COMFORT: Well, I mean they are almost
3 a factor of ten apart. One is 700 millirem per year,
4 the other one is, you know, 4,000 -- or, you know,
5 four rem basically.

6 CHAIRMAN RYAN: Okay. Well how did you
7 get to the lense manufacturer to this number?

8 MR. COMFORT: How did we -- they were
9 calculated to be about 700 -- well, around 800
10 millirem trying to lower it below 100, you know, just
11 doing a nice round factor of ten basically. You
12 attribute a little bit to that you could go higher
13 than that on the bounding but we're not trying to --

14 CHAIRMAN RYAN: I got you. Sorry. I
15 misunderstood you earlier. That's fine. Thank you.

16 MR. CARRERA: The PNNL report indicated
17 that it was possible for doses to persons operating
18 under known operations to be near one rem per year.
19 That could exceed at this level in other less likely
20 bounding scenarios.

21 Although it is expected that most general
22 licensees may implement procedures such as hot cells
23 to maintain doses well below this level, the staff
24 believes that the reduction of possession limit would
25 be ensure that these materials are safety handled

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 without adequate training.

2 Currently specific licensees are required
3 under Part 19 to provide training to a person who
4 could potentially receive in excess of 100 millirem
5 per year. Because of the exemption to Part 19,
6 general licensees do not have this requirement despite
7 the fact that there are potential scenarios where 100
8 millirem per year could be exceeded.

9 Rather than revoke the exemption to Part
10 19 and require a general licensee to obtain expertise
11 to evaluate whether their operations may exceed 100
12 millirem per year, the staff is proposing to limit the
13 possession of source material under the general
14 license to levels where they are unlikely to exceed
15 100 millirem per year.

16 So by limiting the amount of source
17 material a general licensee can possess, we are
18 limiting the risk associated with having inadequate or
19 no training.

20 As we saw, staff is proposing to reduce
21 possession limits for source material to 3.3 pounds at
22 any one time down from 15 pounds and receive up to
23 15.4 pounds down from 150 pounds per calendar year.
24 However if the source material is possessed in a
25 solid, nondispersible form or accumulated from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 treatment of drinking water to remove uranium, the
2 licensee could continue to possess up to a total of 15
3 pounds at any one time and receive up to 150 pounds
4 per calendar year.

5 The staff believes that these uses have
6 been sufficiently evaluated to reduce the likelihood
7 that excessive dose would occur to workers or the
8 public from these later forms of uses. General
9 licensees would continue to remain to the most part
10 exempt from requirements in Parts 19, 20, and 21.

11 Although this may result in some general
12 licensees requiring specific licenses, it is expected
13 that the majority of larger users are likely to be
14 distributors of exempt products which would,
15 therefore, be required to obtain specific license
16 under the proposed new distributor requirements. And
17 that I will discuss shortly. Or they would be able to
18 reduce possession limits to within the new limit.

19 CHAIRMAN RYAN: Again, is that based on a
20 survey of folks? Or --

21 MR. COMFORT: That's based upon the
22 information that we have to distributor -- that we've
23 seen going to distributors or from a distributor to
24 their clients of what type of operations that we've
25 been able to assess from that information. You know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 again, most of them are thorium lense manufacturers,
2 which would fall under the requirement to get a --
3 they would be distributing an exempt product so they
4 would have to get a license and all for that.

5 CHAIRMAN RYAN: Okay.

6 MR. CARRERA: The staff is also proposing
7 to require the general licensee to ensure that the
8 facility minimizes contamination during operation.
9 This should help limit the amount of contamination
10 remaining when operations cease.

11 However, when a Section 40.22 general
12 licensee ceases operation, if they identify that there
13 is the potential that significant levels of
14 contamination occur, the general licensee would notify
15 the NRC or the agreement state to determine what
16 actions are necessary and to allow the regulator to
17 confirm additional clean up if necessary.

18 Currently because of the exemption to
19 Parts 20, a general licensee may decide that they have
20 no obligation to clean up their facility. And instead
21 abandoning it in place such as what I identify PRM-40-
22 27.

23 Implementation of this proposed
24 requirement would help regulators in two ways. First,
25 it would provide a regulator with a more clear trigger

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to call a former licensee back to restore an abandoned
2 site if significant contamination is found after the
3 site is abandoned. And second, because many general
4 licensees may take precaution and speak with the NRC,
5 due to this provision we would be better able to
6 identify those general licensees that cease operation.

7 It is expected that the burden to the
8 regulator from this provision would be minimal because
9 of a number of general licensee ceasing operations
10 that possess large enough quantities of source
11 materials under this general license to warrant a
12 concern will be relatively small in any one calendar
13 year.

14 Next slide please.

15 CHAIRMAN RYAN: How about a facility
16 that's not abandoned but changes use to say food
17 manufacturing?

18 MR. COMFORT: That they no longer use the
19 source material -- once they no longer operate under
20 their general license, I mean if they've got
21 operations that can result in a lot of contamination
22 or they see contamination, the expectation would be
23 that they would notify NRC that they have ceased
24 operations and do we need to do anything about that.

25 CHAIRMAN RYAN: I'm just thinking out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 loud. I've got a facility I make stuff with uranium
2 and thorium.

3 MR. COMFORT: Right.

4 CHAIRMAN RYAN: I sell the building to
5 Derek. He's going to make something -- open up an ice
6 cream store.

7 MR. COMFORT: Right.

8 CHAIRMAN RYAN: How is that -- I mean
9 abandonment I understand. There is an empty building.
10 Somebody is going to take notice.

11 MR. COMFORT: Well, when we're talking
12 about abandonment, we mean they're just ceasing
13 operations and leaving whatever is there in place for
14 future operations to come.

15 CHAIRMAN RYAN: So it could be a future
16 sale of the property for some other use.

17 MR. COMFORT: Right. And that is similar
18 to what happened under the PRM-40-27. Somebody came
19 in -- now they happened to gut the place to be using
20 it for other things and identified a lot of
21 contamination. But what they didn't get, there was
22 still a lot of contamination.

23 CHAIRMAN RYAN: But how would they know to
24 look for it if I don't tell them.

25 MR. COMFORT: They don't. That's one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the issues. That what we're trying to do.

2 CHAIRMAN RYAN: Trying to create that
3 trigger so that a general licensee has to say
4 something about the former use?

5 MR. COMFORT: Yes, I mean they should
6 identify that they do. Now again, because we don't
7 know who -- and even under this new rule, we won't
8 know who everybody is under a general license so there
9 may be difficulties identifying and getting them to
10 follow up.

11 The other part, though, as was stated,
12 what this is if we do identify it or when we do
13 identify it, that we have a better trigger to have the
14 person who is responsible to come back and clean up.

15 Under the current, they are exempt from
16 the requirements in Part 20 so there's not a real easy
17 trigger to say hey, you violated some regulation.
18 You've got to come back and clean up at your own cost.

19 CHAIRMAN RYAN: So are you saying there's
20 going to be some requirement to do a closure survey of
21 some kind?

22 MR. COMFORT: No, I mean it is basically
23 an identification that there is a potential that there
24 is contamination there. And they should talk to NRC
25 and we'll help them determine if they've got to do a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 closure survey or any additional action that should be
2 taken.

3 Again, the expectation is that we're not
4 going to -- that the general licensee is not going to
5 have the health physics knowledge, et cetera, to try
6 to do calculations for a specific number.

7 CHAIRMAN RYAN: Every general licensee
8 will have that obligation?

9 MR. COMFORT: They'll have -- yes, to
10 identify contamination if there is any and notify us
11 if they determine that there is.

12 CHAIRMAN RYAN: But how about if they
13 don't -- you just said they might not know to notify
14 you. Are they required to notify you and say I'm not
15 going out of business as a general licensee at this
16 location?

17 MR. COMFORT: No, they aren't right now.
18 And again we may not know that they are a general
19 licensee to start with I mean even under the new --
20 currently we definitely know that. We don't have
21 either end of the spectrum covered on it.

22 Under the new proposal, we'll know who
23 some of those general licensees are or a greater
24 percentage. And then on the other end because of this
25 requirement for them, we're hoping that most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 general licensees will notify us when they shut down
2 just to be on the safe side.

3 I mean it's not hard to make a phone call
4 to say I've been using this material. Do you think
5 I've got a concern that I've got to do something
6 further on this?

7 CHAIRMAN RYAN: What would trigger them to
8 do that?

9 MR. COMFORT: There's just the requirement
10 in the new proposed requirements that say if you
11 identify contamination, you know you should call NRC
12 to find out what you need --

13 CHAIRMAN RYAN: But there's no requirement
14 to even do a survey.

15 MR. COMFORT: Right.

16 CHAIRMAN RYAN: So how are they going to
17 know they've got contamination that needs attention?
18 The logic of it escapes me.

19 MR. COMFORT: If you think that you -- I
20 mean if you've got a solid source that you're not
21 doing anything with, you're not going to have
22 contamination. If you're using things like, you know,
23 an educational institution using small vials of uranyl
24 acetate and stuff, unless there has been a spill,
25 you're not going to really have any contamination.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It's looking at these, you know, folks who
2 are using it in dispersible forms so they're doing
3 some sort of dust manufacturing operation. They are
4 going to have to have an assumption that there is
5 contamination that was left behind, you know, that
6 they should contact us to determine is there enough to
7 worry about.

8 You know if they were again using only,
9 you know, half a pound total, it may not be a big
10 concern when they've said they've gotten rid of most
11 of it. If they're, on the other hand, processing
12 their full throughput per year in a dusty form, it's
13 likely they've got significant contamination.

14 CHAIRMAN RYAN: And, again, I understand
15 that. But I'm struggling a little bit with the logic
16 of all of it. You've got a general licensee that's
17 probably adept at the radiation protection question --

18 MR. COMFORT: Right.

19 CHAIRMAN RYAN: -- or contamination
20 control questions. And I can see somebody saying well
21 I swept up all the dust and vacuumed it, I'm done.

22 MR. COMFORT: Yes.

23 CHAIRMAN RYAN: I don't need to call
24 anybody.

25 MR. COMFORT: Yes, given that, that could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 be the finding.

2 CHAIRMAN RYAN: And that may not be right.

3 MR. COMFORT: They may not be sufficient,
4 yes.

5 CHAIRMAN RYAN: So what do we do with
6 that?

7 MR. COMFORT: Well, I mean there are two
8 approaches. You know you could make everybody call in
9 when they cease operations, which there is some
10 benefit but there's burden associated with that, of
11 course, for the staff also on it.

12 But versus what we currently have in
13 place, this is just a step forward to try to reduce
14 these problems that we've had in the past. You know
15 we're not going to catch all of them.

16 Part of the problem is we're not going to
17 catch everybody who has general license material. And
18 in some cases, they may not even be aware of it when
19 they have it. So if they don't know, we're certainly
20 not going to know. That's one of the problems when
21 we're talking about something ubiquitous.

22 CHAIRMAN RYAN: Okay. I understand the
23 scope of what you're wrestling with.

24 MR. COMFORT: Yes, we're trying to reduce
25 the impact but we're not going to catch all of it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CARRERA: It's a start.

2 CHAIRMAN RYAN: Okay.

3 MR. CARRERA: Slide 21 please. Issue
4 number two is one of the biggest problems we found in
5 the development of this rulemaking and it was the lack
6 of verifiable information about what quantities of
7 source materials were being distributed to persons for
8 use under Section 40.22 general license and how the
9 source material was actually being used under this
10 general license.

11 Next slide please. Currently there are no
12 regulatory mechanism for the Commission to ensure
13 that products and material distributed for us general
14 license in Section 40.22 are used and exemptions are
15 maintained within the applicable constraints of the
16 requirements for their uses. This is inconsistent
17 with how we handle Part 30 byproduct material where we
18 have requirements for distributors to be specifically
19 licensed by the NRC.

20 Even the general license in Section 40.25
21 for source material requires manufacturers of
22 materials to be specifically licensed and to report
23 the transfer to and from general licensees to be
24 reported to the NRC. Because the staff cannot readily
25 identify who possesses source material under general

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 license in Section 40.22 or how and in what quantities
2 the source material are being used, the staff cannot
3 fully assess the resulting risk to the public health
4 and safety from the use of source material under
5 Section 40.22 general license.

6 Next slide please. To resolve the issue
7 with the lacking of complete and timely information on
8 the types and quantities of source materials
9 distributed for use under exemption or by general
10 licensees, the staff is proposing two new specific
11 licenses for initial distribution of source material,
12 one for the initial distributors of source materials
13 to exempt persons under the newly proposed Section
14 40.52. And the second is for the initial distributors
15 of source material to the general licensees in the
16 newly proposed Section 40.54.

17 The proposed new specific license for
18 initial distribution to exempt person would only be
19 issued by the NRC, including for the initial
20 distributors in agreements states. The category of
21 the initial distributor could include manufacturers or
22 importers of exempt products containing source
23 materials.

24 Both importers and persons located in
25 agreement state would be exempt from requirements in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Parts 19 and 20 although it is expected that the
2 agreement state who would be responsible for the
3 protection of public health and safety in the state
4 would likely require such initial distributor to
5 obtain specific licenses from agreement states.

6 Manufacturers of exempt products located
7 in non-agreement states would also be required to be
8 specifically licensed by NRC for possession and use
9 with all the associated requirements.

10 The distribution license would implement
11 quality control requirements like exempt products be
12 manufactured and labeled consistent with requirements
13 of any exemption that applies. In addition, initial
14 distributors would be required to report annually
15 about the types of products distributed, the
16 quantities of product distributed, and the source
17 material type and content in a product.

18 The staff would use this information to
19 better understand how much source material has been
20 distributed to the public and in what form to better
21 ensure that the evaluations supporting the exemptions
22 are reasonable. It should be noted that these new
23 requirements may force some persons manufacturing
24 exempt products under Section 40.22 general license,
25 such as thorium-coated lens manufacturers to become

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 specific licensees.

2 In addition, it is expected that the
3 importer of exempt products containing source
4 materials would be reduced or centralized to a smaller
5 number of importers because of licensing fees that
6 would apply.

7 Slide number 24 please.

8 CHAIRMAN RYAN: Just kind of a side
9 question maybe. Where do gemstones fit into all of
10 this that contain thorium?

11 MR. COMFORT: That contain thorium?

12 CHAIRMAN RYAN: People who import
13 gemstones?

14 MR. COMFORT: I mean presuming they fall
15 currently under exemption, you know, the change would
16 be whoever is importing those, if they are falling
17 under one of the 40.13(c) products, you know, because
18 under .05 percent, you know, under that exemption it's
19 not an issue. But if it is under one of the product
20 limitation -- you know, exemptions, then that
21 distributor -- or that importer would have to get a
22 license to distribute it, you know, once it gets into
23 the U.S.

24 Now they wouldn't have any health and
25 safety requirements that they would have to meet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 They'd just have to get a pure, you know, license that
2 would meet the requirements for distribution. They'd
3 be exempt for Parts 19 and 20 on that.

4 MS. MATTSEN: The main gemstone issue is
5 irradiated gemstones. And that is regulated under
6 Part 32.

7 MR. COMFORT: Where?

8 MS. MATTSEN: Potential byproduct
9 material.

10 CHAIRMAN RYAN: And that's irradiated to
11 change the color of whatever it might be?

12 MS. MATTSEN: Yes. And that produces
13 byproduct material. So that's under Part 32 now.

14 MR. COMFORT: And those importers need to
15 be a specific license for distribution also, is that
16 correct?

17 MS. MATTSEN: Yes.

18 CHAIRMAN RYAN: Okay. But that's under
19 Part 32?

20 MS. MATTSEN: Yes.

21 CHAIRMAN RYAN: Yes, okay. I guess just
22 in your background material, it might not be a bad
23 idea to cover that difference. I think it is helpful
24 for people to realize what is in Part 32 and what's
25 not. I mean what's in this part versus Part 32.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COMFORT: Okay.

2 CHAIRMAN RYAN: And that this is not
3 effecting the requirements or obligations under Part
4 32.

5 MR. COMFORT: Right. I mean we do in our
6 background materials state that, you know, this is
7 currently how it is done under the byproducts in Part
8 32.

9 CHAIRMAN RYAN: Okay.

10 MR. COMFORT: And we're not currently
11 requiring it. And that's what we're trying to mimic
12 to a certain extent. The big difference in that is
13 that if I remember correctly under the Part 32
14 specific licenses, the exemptions to Part 20 aren't
15 included in there. Is that correct?

16 MS. MATTSEN: Pardon?

17 MR. COMFORT: The Part 32, you know,
18 distributors, initial distributors still have to meet
19 Part 20?

20 MS. MATTSEN: Yes.

21 MR. COMFORT: Whereas we're not requiring
22 that because we're not looking at as big an external
23 dose that if you have an accumulation of material that
24 you would have an impact at the importer versus, you
25 know, somebody importing a bunch of source material or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if products contain source material, the health and
2 safety impact is not considered an external dose
3 problem of having a large accumulation. It's more if
4 it is going to be dispersible or anything of that
5 sort.

6 CHAIRMAN RYAN: Okay.

7 MR. CARRERA: Slide number 24 please.
8 Similarly, the initial distribution of source material
9 for general licensees would also require a specific
10 license issued either by the NRC or the agreement
11 state. Requirements under this new license would
12 require the initial distributor to label the materials
13 and provide quality control so that the recipient
14 knows what they are receiving.

15 In addition, prior to or with the first
16 shipment of source material to the general licensee,
17 the distributor would be required to include
18 information that notifies the recipient about the
19 requirements of a general license and the appropriate
20 safety precautions for handling, use, storage, or
21 disposal.

22 The NRC staff has concern that some
23 persons receiving these source materials may not even
24 be aware that they are operating under a general
25 license. So this would help alleviate those concerns.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Finally, the distributor would be required
2 to provide annual reports not only to the Agency that
3 is licensing them but also to any agreement state
4 where the source material is sent. The reports would
5 include the quantity and types of source material that
6 was distributed by quarters and to whom it was
7 distributed, including contact information.

8 This would allow the NRC and the agreement
9 state to better identify what persons are operating
10 under a general license for source material. And
11 these persons could be contacted to better understand
12 how it is being used and to ensure that it is being
13 used safely and possessed safely and disposed of
14 safely.

15 As stated earlier, NRC is currently aware
16 of only one initial distributor of source material.
17 It is expected that this requirement will only have a
18 small impact on any distributor since they would
19 usually already be specifically licensed.

20 It should be noted these new requirements
21 would not allow NRC to identify all of general
22 license. Neither the secondary recipient of source
23 material or from other general licensees nor those
24 that generate their own source material such as water
25 treatment facilities, would be able to identify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through these new requirements.

2 However, the staff believes that these new
3 requirement will have NRC to both identify and better
4 under how most source materials is used under a
5 general license and to better ensure public health and
6 safety while providing minimal additional impact to
7 general licensees themselves.

8 Next slide please.

9 MR. COMFORT: And one quick point is the
10 differences between the distributor license from, you
11 know, for exempt products versus the general licensees
12 is NRC will require to specifically license all
13 initial distributors of exempt products. So the
14 agreement state would not be doing that portion of
15 licensing. And that's because of 10 CFR 150.15
16 because it doesn't allow that afforded to the
17 agreement state.

18 On the other hand, where the general
19 distribution to general licensees could be done either
20 through the agreement state which, you know, currently
21 they only identify distributors located in the
22 agreement state or from NRC. So just to make that
23 clear that slight difference in who would be licensing
24 on those.

25 CHAIRMAN RYAN: How many general licenses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are there?

2 MR. COMFORT: We have no clue. I mean get
3 calls all the time, you know, just from out of the
4 sort places. You know it could be an educational
5 institution. How do I deal with this material that
6 I've been holding under general license for 25 years
7 or whatever? You know, as I said, persons doing
8 pottery. But we just have no clue how many general
9 licensees there really are out there that are
10 possessing source material under this 40.22 general
11 license. And that's been our big difficulty is both
12 identifying how many, how much material, and how it is
13 being used because there is no requirements.

14 CHAIRMAN RYAN: When you are counting the
15 little bit of uranium that was used in a high school
16 lab to demonstrate radioactive material that is still
17 there in the back corner, probably nobody at the
18 school knows they are a general licensee.

19 MR. COMFORT: Oh, yes, I mean that's -- I
20 think the State of Illinois had done a thing probably
21 about ten years ago that they realized a lot of their
22 high schools, et cetera, had some uranyl acetate or
23 whatever held under a general license. And they
24 realized that and started going through to collect it.

25 And, you know, that's one of the problems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was how do you dispose of it, et cetera, that came up
2 and all on it. So those are some of the issues that
3 we're also trying to resolve in this as we'll talk
4 about shortly.

5 CHAIRMAN RYAN: Yes, okay.

6 MR. CARRERA: Slide number 25 please.

7 With issue number three, after its review
8 of NUREG-1717, the staff determined that the original
9 use of certain products possessed under the exemption
10 in 10 CFR 40.13(c) have changed over time. As a
11 result, the staff is proposing to revise certain
12 exemptions to address dose changes.

13 Next slide please. You remember back in
14 the history discussion in the 1990s, the staff
15 evaluated the uses of exempt source material. And has
16 identified changes in the industry practice that we
17 believe should be addressed.

18 These identified changes include certain
19 source material-exempted products are no longer being
20 manufactured or contain reduction in the concentration
21 of source material used in the manufacturing practice
22 or more prep and use than before of an exempted source
23 material product.

24 The main exemption we determined should be
25 considered for revision are those listed. As

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 indicated in this slide, some products are no longer
2 being manufactured. Or as in the case of uranium
3 smoke detectors, they were never manufactured in the
4 first first place.

5 The staff determined that removing the
6 exemption for future distribution of such products
7 would be more protective of help and safety with no
8 impact to the industry. Similarly, certain products
9 do not contain as much source material as what was
10 originally permitted under the exemption. As the
11 result, the staff is proposing to reduce the allowable
12 concentration of source materials without impacting
13 the current manufacturers.

14 And finally the staff found that some
15 products have changed over time and the exemption does
16 not clearly fit the product any more. In this case,
17 the staff approach to expand the exemption to fit the
18 new product after a safety evaluation was completed
19 indicating that the newer product provides less
20 potential impact to health and safety than the
21 original exempted product.

22 CHAIRMAN RYAN: You mean less or equal?

23 MR. CARRERA: Less.

24 MR. COMFORT: Less.

25 CHAIRMAN RYAN: Impact.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CARRERA: Less impact.

2 CHAIRMAN RYAN: Well, if the other one was
3 an exempt product and it was okay why should the new
4 one be less?

5 MR. COMFORT: Well, I mean they still
6 provide a dose. It is just a lower -- I mean the
7 overall calculated dose is significantly lower because
8 you're using a lot less material.

9 CHAIRMAN RYAN: It might be the same
10 though.

11 MR. CARRERA: Well but they're using a lot
12 less material within the individual product.

13 CHAIRMAN RYAN: Okay.

14 MR. CARRERA: Slide 27 please. To be more
15 specific, first the staff is proposing to remove the
16 exemption for uranium smoke detectors. The staff is
17 unaware of any product that has ever been distributed
18 under this exemption and believe there is no reason to
19 continue to allow it.

20 Second, the staff would prohibit further
21 distribution of clay ceramic tableware. The staff is
22 unaware of any product currently being newly
23 distributed. The staff's evaluation indicated that
24 the possibility of ingestion could result in doses in
25 excess of a small fraction of the public dose limit,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 which is NRC's policy for exemption of products.

2 Products already distributed will continue
3 to be exempt.

4 CHAIRMAN RYAN: Just a question. I mean
5 I've seen an awful lot of Fiestaware and I've seen an
6 awful lot of the green glass. How do you get uranium
7 out of those products into your food? I mean it's
8 just -- unless you ingest chips of some kind off of
9 the plate, you know, how do you get uranium out of the
10 glaze?

11 MS. MATTSSEN: Well, when it is just a
12 glaze if you have like juice sitting in it or
13 something --

14 CHAIRMAN RYAN: I'm sorry?

15 MS. MATTSSEN: When it is a glaze on the
16 surface, there is significant potential for leaching
17 into particularly acidic foods like juice or
18 something.

19 CHAIRMAN RYAN: And where is the study
20 that shows that?

21 MS. MATTSSEN: That's in NUREG-1717.

22 CHAIRMAN RYAN: I mean where you've done I
23 mean lab studies to actually try and leach uranium out
24 of plates?

25 MS. MATTSSEN: Yes, well I think that type

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of research had been done earlier that then used as
2 part of the assessment. But that hasn't been done for
3 a long time. And what's out there now is primarily a
4 collectible.

5 So we're just going to assure that nobody
6 does this in the future.

7 CHAIRMAN RYAN: Right. The Fiestaware is
8 because it is -- it has uranium in it, the orange is
9 much more expensive than any other version of it.

10 MS. MATTSSEN: As far as ingestion goes
11 though glassware is not a significant hazard.

12 CHAIRMAN RYAN: Well, I was just curious,
13 you know, what the ingestion risk is. And if the data
14 that you've got supports that concern. I mean we may
15 have to go back and start --

16 MR. COMFORT: We'll have to go back and
17 look --

18 CHAIRMAN RYAN: -- and again get it but I
19 think it is helpful to bring in the context that if
20 you eat off of Fiestaware and you eat some kind of
21 acidic foods or whatever, you know your potential
22 ingestion is -- what's the risk we're regulating here.

23 MR. COMFORT: I have to go back to the
24 report.

25 MS. MATTSSEN: Well, it is inappropriate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 given our consumer product policy but you would have
2 to be using this as your routine daily --

3 CHAIRMAN RYAN: I'm just trying to get a
4 number. I'm trying to understand it if there is a
5 leaching problem or not. I would suggest that some
6 pottery probably doesn't leach much at all. I mean
7 think about it.

8 MR. COMFORT: I'd have to go back and look
9 at the report to see the specific --

10 CHAIRMAN RYAN: If you think about the
11 glassware -- it's greenish, you know, and it's glasses
12 and all that.

13 MS. MATTSSEN: Well, there it is throughout
14 the glassware. And it isn't a leaching problem.

15 CHAIRMAN RYAN: Right. Okay.

16 MS. MATTSSEN: It is an external hazard
17 only.

18 CHAIRMAN RYAN: Right. But, again,
19 without the hard data to back up some of the
20 assertions, I think your case isn't as strong as it
21 could be with, you know, solid data to say this is the
22 reason why we're doing it.

23 MR. COMFORT: Well, I mean we can go back
24 and reference the specific numbers and studies that
25 were done for the NUREG-1717 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Yes, that would be
2 helpful.

3 MR. COMFORT: -- that provide us that
4 information.

5 CHAIRMAN RYAN: Thanks. Okay.

6 MR. CARRERA: Next, the staff reduced the
7 allowable concentration of source material in
8 glassware from 10 percent by weight to two percent by
9 weight of source material. This would include things
10 such as glass figurines or other show pieces.

11 The staff is unaware of products currently
12 being distributed above this new limit. Previously
13 distributed product would continue to be exempt.

14 The biggest revision is proposed for the
15 next -- for the product exemption in Section
16 40.13(c)(7). This exemption currently applies to
17 thorium contained in lenses up to 30 percent by
18 weight. Industry practice has changed from
19 homogeneously incorporating the thorium in the lens to
20 instead coating the lense with thorium.

21 This has led to numerous questions about
22 the applicability of the exemption to the coated
23 lenses. The staff's evaluation of coated lenses four
24 that significantly less thorium is applied in a lens
25 coating them incorporating homogeneously throughout

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the lense. And thus resulting in an even lower
2 potential dose.

3 Therefore, the staff is proposing to
4 expand the exemption to specifically apply to thorium-
5 coated lenses. The staff also has found that such
6 coating are also applied to mirrors and believe that
7 it is appropriate to allow such use under an
8 exemption.

9 The staff learned that uranium may also
10 something be used as part of the coating. And so the
11 staff proposed to expand the exemption to include
12 uranium.

13 CHAIRMAN RYAN: Andrew, did you get any
14 insights as to how tight the bond is between the
15 coating and the lense. I mean is it something that
16 has to be physically scratched off? Or does it wear
17 off over time through, you know, casual contact?

18 MR. COMFORT: Based on the information
19 I've read and stuff, it's got to be actively tried to
20 scratch it off if you want to try to remove it.

21 CHAIRMAN RYAN: Or grind it?

22 MR. COMFORT: Yes.

23 CHAIRMAN RYAN: You'd have to physically
24 abrade it --

25 MR. COMFORT: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: -- to try and get it off.

2 MR. COMFORT: Yes.

3 CHAIRMAN RYAN: Okay.

4 MR. COMFORT: That's my understanding from
5 what I've read in the reports that I've seen.

6 CHAIRMAN RYAN: All right. Thank you.

7 MR. COMFORT: Because that was our first
8 concern is are you going to run into an issue that it
9 is going flake off and you are going to have a higher
10 likelihood of ingestion and all.

11 CHAIRMAN RYAN: Right. Yes.

12 MR. COMFORT: But the process basically,
13 from my understanding on doing it, is they basically
14 put the lenses in a hot cell and they put the thorium
15 up in the air. And basically, you know, put an
16 electrical charge through the lense and it attracts
17 it.

18 CHAIRMAN RYAN: Yes. It's electric
19 deposit.

20 MR. COMFORT: So --

21 CHAIRMAN RYAN: Okay.

22 MR. CARRERA: Finally, the staff found
23 that current practices generally maintain
24 concentration on lenses to less than ten percent by
25 weight. And so the staff is proposing to reduce the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concentration limit for lenses to this lower limit.
2 Again, previously distributed products would remain
3 exempt.

4 The staff hopes that the public will
5 provide comments during the comment period for the
6 proposed rule if the products are still being
7 distributed above the proposed concentration
8 reduction.

9 Slide number 28 please. Finally, issue
10 number four, over time the staff must learn that there
11 are a few issues that aren't particularly clear in how
12 they should be addressed in Section 40.22.

13 Next slide. It item, we've seen a lot of
14 confusion on the waste disposal requirements, if any,
15 under Section 40.22 general license. For example,
16 because the general licensee is exempt from Parts 20,
17 which contain NRC requirement for disposal of source
18 material. Many general licensees have concluded that
19 they can dispose of the waste or abandon them without
20 further consideration.

21 However, the recipient of such waste
22 unknowingly be in possession of source material such
23 that they eventually become required to obtain
24 specific license. This, of course, creates a problem.

25 In real terms, the fact that a general licensee is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 exempt from Parts 19, 20, and 21, they are not exempt
2 from the remaining requirements in Part 40.

3 For example, the transfer of provisions in
4 10 CFR Part 40.51 apply to all licensees, including
5 general licensees. And would limit the transfer of
6 materials to someone who is authorized to receive it
7 under specific license, general license, or exemption.

8 As a general licensee cannot know how much
9 materials a recipient has, they should not arbitrarily
10 disposing of its material as the recipient may exceed
11 its general license condition. And not be able to
12 legally receive the additional source material without
13 obtaining a specific license.

14 There are also a few other sections --

15 CHAIRMAN RYAN: Just a question, Andrew.
16 Do you have any insight as to whether or not typical
17 municipal county landfills have general licenses? Or
18 specific licenses to receive these materials?

19 MR. COMFORT: Well, general, I mean
20 general county landfills, you know, they may
21 unknowingly have enough materials to require them to
22 get a specific license, and the same thing with water
23 treatment plants and stuff, too, that if people are
24 disposing of it down that they may get quantities but
25 they may not know it exactly themselves because, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 know, there may be no indication.

2 Now most landfills may have, you know,
3 some sort of radiation alarm that will help trigger a
4 little bit of that material as to whether they have it
5 or not. But the idea is --

6 CHAIRMAN RYAN: Well, yes, that's -- I
7 mean that's the typical, you know, medical material
8 showing up in a dumpster load somewhere.

9 MR. COMFORT: Right. Or it could be
10 something as simple as the cat litter setting it off.

11 They look at what the material is that includes it
12 before they let it go into the site a lot of times.
13 But as shown in the PRM-40-27, sometimes they will go
14 back and say where is this material from. And they
15 can't find a good organization or good rationale that
16 it is allowed to be in the landfill and they'll reject
17 the material.

18 But some landfills don't have that sort of
19 requirement or any type of system to detect it. So
20 people could be disposing of this material wherever.

21 CHAIRMAN RYAN: Okay.

22 MR. CARRERA: There are also a few other
23 sections in Part 40 that general licensees might not
24 normally be aware of if they focused their attention
25 solely on the tax in Section 40.22. This is because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Section 40.22 does not currently alert them about
2 other requirements in Part 40 that may apply to them.

3 Slide number 30 please. We saw concerns
4 in the area of source material waste disposal
5 requirements. The staff is supposed to implement new
6 requirements for disposal to ensure that contamination
7 and the betterment of source material possessed by
8 general licensees become less of a concern.

9 The staff is proposing revision in Section
10 40.22, to clarify certain activities including
11 specific requirements that general licensee not
12 abandon it's source mater, and to properly dispose of
13 it.

14 The staff is allowing a general licensee
15 to transfer up to .5 kilograms per year for permanent
16 disposal in a solid non-disbursible form and would
17 exempt the recipient from requiring a license.

18 Disposal of source material above this
19 level would be required to be consistent with the
20 requirements for disposal in Parts 20. These
21 requirements would allow small users such as
22 educational institutions to say safely and
23 economically dispose of source materials.

24 The staff is also proposing to include the
25 recitations in Section 40.22 to other applicable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sections in Part 40 to make sure that general licensee
2 is better aware of the additional regulations that
3 have always been applicable to general licensee under
4 Part 40.

5 Next slide please. During the rulemaking,
6 the staff identifies certain areas the we believe
7 public insight would be very, very helpful in
8 directing our future course of this rulemaking or
9 other related issues that we may consider for
10 rulemaking in the future.

11 Slide number 32 please. As part of the
12 Federal Register notice requesting comments on the
13 proposed rule, the staff is soliciting comments on
14 certain open issues.

15 First, is the concentration limit
16 appropriate for coating on a lense when the
17 concentration can easily be reduced by increasing the
18 lense size? Should we instead implement something
19 such as an activity limit? And if so, what should
20 that limit be?

21 Similarly, we are asking should we limit
22 the Section 40.22 general license by activity limit
23 rather than total weight of source material? Taking
24 such an approach would allow the general licensee to
25 apply to additional isotopes over what we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 currently proposing. However, many persons using
2 source material may not be as knowledgeable about how
3 to calculate activity limits versus determining the
4 total weight.

5 And as I discussed earlier, one of the
6 concern about the Section 40.22 general license was
7 source material contamination being abandoned at a
8 site. Although the staff is proposing to require that
9 contamination be examined when ceasing activities at a
10 site, we are asking if we should require a survey in
11 our situation.

12 The staff is also soliciting comments for
13 potential future rulemaking topics. These would
14 include the latter three items. For example, should
15 Section 40.22 general license be expanded to include
16 the 11e(2) byproduct material? And if so, how should
17 it be implemented? Currently a lab requires a
18 specific license just to evaluate even a small sample.

19 Also, should a provision be added to --

20 CHAIRMAN RYAN: I'm sorry. Just so I
21 understand it a little better, 11e(2) byproduct
22 material, say that part about a sample. I don't
23 understand what we're trying to regulate here.

24 MR. COMFORT: Okay. Basically if somebody
25 is doing an analysis of a mill tailings pile and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 want to have it evaluated, there is no minimal
2 quantity for that lab to be able to use that material
3 and try and sample it and all.

4 What we're looking at is should we be
5 providing, you know, some minimal level that they can
6 have material without getting a specific license to
7 such an analysis.

8 CHAIRMAN RYAN: That contained in samples,
9 you know, et cetera, and so on.

10 MR. COMFORT: What was that?

11 CHAIRMAN RYAN: Contained in samples --

12 MR. COMFORT: Right.

13 CHAIRMAN RYAN: -- for the purpose of
14 analysis, et cetera, and so on.

15 MR. COMFORT: Correct.

16 CHAIRMAN RYAN: So you're looking to add
17 an exemption so I can --

18 MR. COMFORT: Or expand the general
19 license.

20 CHAIRMAN RYAN: -- expand the general
21 license so a lab can make these analysis without a
22 further permit --

23 MR. COMFORT: Correct.

24 CHAIRMAN RYAN: -- or licensing.

25 MR. COMFORT: We're asking should we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 consider that for rulemaking and stuff?

2 CHAIRMAN RYAN: I would guess a lab is
3 already going to have a radioactive materials license.

4 MR. COMFORT: Many of them probably will.

5 CHAIRMAN RYAN: And I'm wondering why they
6 wouldn't have that already licensed under their
7 radioactive materials license.

8 MR. COMFORT: Well, they do right now.
9 We're just trying to offer more opportunities, you
10 know, for folks because there could be some other
11 small uses, you know. If you want to use it for
12 educational uses, you know, this is what mill tailing,
13 you know, material looks like. Technically you've got
14 to have a specific license to be --

15 CHAIRMAN RYAN: Well, we're back to the
16 classroom example which has sort of faded away from
17 most classrooms. But the laboratory licensee, I'd
18 probe that a little bit differently.

19 I'd look and see who is doing analyses of
20 11e(2) materials and see how they are currently
21 licensed.

22 MR. COMFORT: Okay.

23 CHAIRMAN RYAN: And if they're licensed to
24 receive it, possess it under their lab license, why
25 would they need another license?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COMFORT: Well, I mean a general
2 license, again, you don't have to apply for it.

3 CHAIRMAN RYAN: My question still stands.
4 Why do they need it?

5 MR. COMFORT: Why do they need to have
6 that, yes.

7 CHAIRMAN RYAN: If their laboratory is
8 licensed to have uranium, you know, materials, or
9 uranium in some isotopic limit, I'm good.

10 MR. COMFORT: Okay. Let's say somebody
11 wants to determine is there a better way to, you know,
12 do some research on that material. You know, again,
13 specific to that, they're not using any other
14 radioactive material. That's what we're kind of
15 looking at. It's not just for sample analysis.

16 CHAIRMAN RYAN: Well, again, if they are
17 going to run a laboratory analysis of some kind, it is
18 not something they are going to do under a general
19 license.

20 MR. COMFORT: Well, I mean if they only
21 need small quantities of it to see is a waste form
22 going to work under this kind of thing, you know.
23 They may not need it.

24 CHAIRMAN RYAN: Okay. Let me pose it this
25 way. You are the university RSO. Are you going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 let them go hog wild under a general license? Or are
2 you going to say no, you're going to work under the
3 broad scope license the university has?

4 MR. COMFORT: On the other hand, if I'm a
5 small company that wants to try to get into business
6 and stuff like that, too.

7 CHAIRMAN RYAN: I guess.

8 MR. COMFORT: You know that's just a
9 question should we. I mean we're just putting it out.
10 We're not saying that we are necessarily. But we
11 want to find out should we or should we not allow
12 that.

13 CHAIRMAN RYAN: And I guess I'm asking,
14 you know, you should also ask, you know, would this be
15 an option for folks that are not otherwise licensed to
16 have samples and do analysis on it? I mean I think
17 you've got to recognize that a lot of people are
18 already going to be licensed to do this.

19 MR. COMFORT: Okay.

20 CHAIRMAN RYAN: And what I'm trying to
21 avoid is the confusion that in order to do these
22 11e(2) samples, I would need a new license in addition
23 to the one I already have.

24 MR. COMFORT: Right, no, you wouldn't need
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Yes. So that's got to be
2 explicitly clear in the request for information that
3 you are specifically not looking to do that.

4 CHAIRMAN RYAN: Okay. What's next? I'm
5 sorry, go ahead, Andrew?

6 MR. CARRERA: Also should provisions be
7 added to require sources containing source material or
8 special nuclear material be included in the source and
9 device registry? Currently there is no such
10 requirement.

11 CHAIRMAN RYAN: Are you thinking of a
12 lower end below which you wouldn't require? I'm
13 thinking of all the hundreds and thousands perhaps of
14 check sources that are out there that are sealed
15 sources, instrument check sources.

16 MR. COMFORT: That would be a lot.

17 CHAIRMAN RYAN: Those?

18 MR. CARRERA: The lower limit for --

19 MR. COMFORT: I mean that's something we'd
20 have to consider.

21 CHAIRMAN RYAN: You know I mean I can
22 understand above some quantity you might be interested
23 in a registry. But below some quantity, you probably
24 aren't.

25 MR. COMFORT: Correct. I mean that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something we would be sourcing --

2 CHAIRMAN RYAN: Just think about it as a
3 band rather than as a zero.

4 MR. COMFORT: Oh, yes, I agree.

5 MR. CARRERA: Yes.

6 MS. MATTSSEN: Right now we have some
7 source material in the registry but there's nothing in
8 Part 40 that addresses it at all.

9 CHAIRMAN RYAN: Yes.

10 MS. MATTSSEN: And in Part 32, it's really
11 written up as kind of a voluntary thing right now even
12 though in practice it's not voluntary. That's the
13 subject of another rulemaking.

14 CHAIRMAN RYAN: Yes. Something is either
15 voluntary or it's not. You can't have partially
16 voluntarily.

17 MS. MATTSSEN: Well, if you want to get a
18 license and we say we're going to issue a certificate
19 and a license --

20 CHAIRMAN RYAN: Again, I mean some of
21 these questions have to do with burden. How many
22 pieces of paper do I need to fill out and send in?
23 You know most licensees will want to do the right
24 thing but if they have to do the right thing three or
25 four different ways, it can get pretty confusing. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm just offering you some of these insights having
2 been a six or seven licensee person and an RSO on,
3 that, you know, some of things have to be crystal
4 clear. And some of them shouldn't really duplicate
5 what I do -- what one does in another license or in
6 another part.

7 MR. COMFORT: Well, usually I mean a
8 specific license will trump the requirements of a
9 general license anyways. So doing anything with a
10 general license wouldn't really impact decisions.

11 CHAIRMAN RYAN: It would be real nice if
12 you said that in the guidance for a general license.
13 I mean I would think about that. You might to say if
14 you have a specific license that covers activities
15 with X, you don't need a general license.

16 MS. MATTSSEN: Well, there are
17 circumstances where the general license is just there
18 to provide a convenience for specific licensees to not
19 have to add something specific like this calibration
20 reference sources with americium. It wouldn't have to
21 be specific. There is a general license for that that
22 only applies to specific licensees. Then they don't
23 have to amend to add that particular radionuclide.

24 CHAIRMAN RYAN: But, you know, and I'll
25 give you just an example from my own experience as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 broad scope licensee, any check source, americium or
2 otherwise is high on the inventory of sources that I
3 have under the one license because I want to be able
4 to track it specifically to that license and not have
5 to worry about this license because that's a whole new
6 tracking things.

7 And, you know, sometimes these things can
8 get more complicated than they need to be. They
9 create confusion rather than clarity. So that's
10 something to thing through.

11 And, again, I'd ask those kinds of
12 questions of the licensees off of the survey.

13 MR. COMFORT: 40.22 specifically already
14 has -- if you've got a specific license, this doesn't
15 apply to you, you know, kind of clause into it. So
16 that's the -- if you have a specific license under
17 Part 40, it doesn't apply.

18 MS. MATTSSEN: Well, the general license
19 does apply. They don't have to necessary tack
20 something on to that license. But the exemption from
21 Parts 19 and 20 do not apply.

22 CHAIRMAN RYAN: And that's the part I'm
23 trying to get across. I have let's say a South
24 Carolina broad scope license. And I want to get an
25 americium check source. I'm going to get it under the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 South Carolina license. Right?

2 MR. COMFORT: Correct. I mean --

3 CHAIRMAN RYAN: I don't need to worry
4 about a general license.

5 MR. COMFORT: That's that's way I would
6 understand it.

7 CHAIRMAN RYAN: I think that's going to be
8 --

9 MS. MATTSSEN: A general license isn't
10 something to worry about. It's just something that
11 extra you can do, yes.

12 MR. COMFORT: Yes.

13 CHAIRMAN RYAN: Fine.

14 MR. COMFORT: Okay.

15 CHAIRMAN RYAN: Okay, sorry. When you
16 need to come in I think needs to be crystal clear.
17 And when you don't need to come in, it needs to be
18 just as clear.

19 MR. COMFORT: Okay.

20 MR. CARRERA: Finally various general
21 license in Section 40.25, which applies to the use of
22 products or devices to have the purpose for providing
23 concentrated mass in a small volume such as shielding.
24 However, the manufacturing requirements, which are
25 found in Section 40.34 are considered overly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 burdensome.

2 So this general license has not been
3 utilized much. In fact, we are aware of only one
4 specific licensee who does manufacture such product
5 for use under the general license.

6 We are asking we should modify the
7 manufacturing requirements and broaden the general
8 license to make it easier for persons to obtain
9 license for manufacture of such devices.

10 Slide 33 please.

11 CHAIRMAN RYAN: Are the DU uses civilian
12 or military mainly?

13 MR. COMFORT: Under the general license?

14 CHAIRMAN RYAN: Yes.

15 MR. COMFORT: Again, we're not aware. You
16 know there could be some uses under civilian that are
17 going on that we're just not aware of.

18 CHAIRMAN RYAN: Again, the whole survey is
19 aimed at gathering more information about it.

20 MR. COMFORT: Well, that's what we -- when
21 we start doing the -- or getting the distributor
22 information, we would hopefully be able to identify
23 better how some of this material is being used by, who
24 it goes by.

25 The intent is afterwards we'd collect the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 data and go talk to specific general licensees to see
2 how they're actually using that material that they are
3 receiving, particularly once we were using larger
4 quantities. Of it.

5 MR. CARRERA: All right. In conclusion,
6 I'd like to summarize a few points. First, the staff
7 is aware that the proposed revision related to the
8 distribution requirement and reduction in possess
9 limits will require a number of persons currently
10 operating under a general license to come in as
11 specific licensees. The staff expects most of these
12 persons impacted will be manufacturers and initial
13 distributors of product to an exempt person.

14 A second but smaller category is expected
15 to be the persons impacted by the reduced possession
16 limit. However, since we expect that most of the
17 larger users likely produce exempt products, the group
18 who can't reduce their quantities below the reduced
19 limit we expect to be small.

20 The last category that would require a
21 specific license would be any one possessing specific
22 isotopes of uranium and thorium under Section 40.22
23 general license. Again, we believe this would be a
24 very small number of persons, if any.

25 However, because of a lack of available

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information, we hope to get a better indication of the
2 impacts during the public comment period.

3 The proposed rule changes are expected to
4 increase health and safety to workers and the general
5 public through the reduction of the limit allowed
6 under Section 40.22 general license for dispersible
7 forms and for possessing of source material by
8 providing clarification for disposal, limiting
9 contamination, and making general licensees more aware
10 of all the requirements that apply to them.

11 The new distribution license will allow
12 NRC to better understand and react to the use of
13 source material under exemption and general license.
14 This new information would allow us to better refine
15 our regulations to adapt to changing situations by
16 both reducing allowed activities or expanding them as
17 we better learn how source materials is being used.

18 And throughout development of the proposed
19 rulemaking, we try to minimize the impact to all
20 persons involves while at the same time ensuring that
21 adequate protection of health and safety is provided.

22 We have tried to clarify the regulation to
23 make it easier for person to operate under Part 40 of
24 the regulation. Overall because of a lack of
25 available information, we look forward to hear form

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the industry and the general public to provide
2 comments on the proposed rule after it is published to
3 help us improve this proposed rule.

4 Slide number 34 please. And with that,
5 I'm open to any other questions. Thank you.

6 MR. COMFORT: Real quickly, one of the
7 first questions or questions I've heard from, you
8 know, a variety of people is, you know, we don't know
9 who these general licensees are. There's not an
10 expectation they are going to be reading the Federal
11 Register notices, you know, on a common basis. How
12 are they going to know to comment?

13 And one of the things that we are planning
14 to do is anybody that we've identified previously
15 through any of these distribution reports that we have
16 received from distributors, also from other contacts
17 that we've gotten phone calls even off of this rule
18 being, you know, on the NRC website, even though it is
19 not available for public comment yet, we've gotten
20 calls.

21 But anybody that we get sources through
22 that, we're planning on trying to provide direct
23 communication when the rule is published so that we
24 can get the biggest expense. We'll probably also try
25 to identify some trade magazine where general

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licensees or people who are maybe, you know, in the
2 general license business may be reading to identify
3 this rule is available for public comment.

4 So we're going to try to get it out to as
5 many people --

6 CHAIRMAN RYAN: What about CRCPD and OAS?

7 MR. COMFORT: Yes, well they will be
8 definitely aware of those and stuff on it. They have
9 been involved actually -- we've had a CRCPD rep and an
10 OAS rep on the rulemaking group also.

11 CHAIRMAN RYAN: Great.

12 MR. COMFORT: And the agreement states got
13 an opportunity to look at the rule and provide comment
14 on it when it was in the draft form, too, before it
15 went to the Commission.

16 CHAIRMAN RYAN: Did you get many comments?

17 MR. COMFORT: Only got a couple of
18 comments on it and stuff. One of them -- the more
19 significant ones was a concern about the disposable
20 requirements. Again, the State of Illinois had gone
21 and done that -- looked at all their schools trying to
22 collect, you know, loose amounts of general license
23 material because of the concerns about disposal of it.

24 And they were concerned by limiting the
25 disposal, they were collecting it all themselves to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dispose of because trying to do minimal amounts could
2 be very expensive, particularly if you treat it as
3 low-level waste.

4 Instead, you know, what we basically said
5 is we're still allowing a minimal quantity that we're
6 making it clear you can dispose of which would usually
7 hit, you know, meet the requirements of most of these
8 real small, you know, school users and stuff that they
9 wouldn't have to do anything.

10 CHAIRMAN RYAN: By that disposal you're
11 meaning --

12 MR. COMFORT: Minimal disposal exactly.

13 CHAIRMAN RYAN: Subtitle D?

14 MR. COMFORT: D is it? Or is it B?

15 CHAIRMAN RYAN: D.

16 MR. COMFORT: But not if you go to a low-
17 level waste site or something like that.

18 CHAIRMAN RYAN: Okay. That's great.
19 Thank you.

20 Derek, do you have any questions?

21 MR. WIDMAYER: No.

22 CHAIRMAN RYAN: Okay. We are a little bit
23 ahead of schedule which is a rare thing for an ACRS
24 Subcommittee but it's probably because I'm here by
25 myself. So I think we're scheduled for Mr. Simmons to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 give some comments at 11. We'll do that on schedule
2 so that, you know, anybody else is dialing in or may
3 dial in on the bridge line -- I don't think we have
4 anybody signed up to do that -- or if anybody else
5 wants to come here physically, we'll be here at the
6 right time.

7 So I'm going to suggest we take about --
8 let's try to reassemble at say quarter of 11. And
9 we'll take up any other questions or comments. And
10 then have Mr. Simmons give his presentation and
11 comments at 11. And go from there. Fifteen minutes
12 satisfactory? That works for you?

13 MR. SIMMONS: That's fine.

14 CHAIRMAN RYAN: Okay. Great. Terrific.
15 So we'll convene at quarter of 11 and pick up from
16 there. And on we go.

17 MR. CARRERA: Mike?

18 CHAIRMAN RYAN: Yes, sir?

19 MR. CARRERA: You're not going to use the
20 gavel?

21 CHAIRMAN RYAN: I sure can if you want.
22 We're adjourned until 11 o'clock. Thank you.

23 (Whereupon, the foregoing matter went off the record
24 at 10:22 a.m. and went back on the record
25 at 10:51 a.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Okay. The meeting will
2 come back in session.

3 We'll now have a presentation from Mr.
4 Charles Simmons, NRC 40.22 Rulemaking, Unintended
5 Consequences.

6 Mr. Simmons, welcome.

7 MR. SIMMONS: Thank you very much, Mr.
8 Ryan. And thank you to the Subcommittee for inviting
9 me to speak today.

10 By way of background, I'm an attorney
11 practicing in Washington, D.C. and I've worked in the
12 minerals industry for approximately 20 years where I
13 have been experienced in typically the unimportant
14 quantities of source material under 40.13(a) but often
15 encounter the generally licensed situation, which I
16 will speak to this morning.

17 The suggestion by my title of the talk is
18 that this proposed or contemplated rulemaking may have
19 some unintended consequences to industry in the United
20 States and I would like to offer some thoughts for the
21 Subcommittee to take into consideration as they
22 proceed with the drafting of this proposed rule.

23 Going back to the very fundamentals, we
24 must look at the Atomic Energy Act definition of
25 source material where we see that source material is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 either uranium or thorium or ores containing one or
2 more of the foregoing materials, uranium or thorium,
3 in such concentration as to be determined by the NRC.

4 NRC's regulations at 10 CFR 40.4 more
5 narrowly describe the definition of source material
6 as, again, a sort of -- in a bifurcated way as uranium
7 or thorium or any combination, which I understand to
8 be the elemental uranium or thorium or ores which
9 contain, by weight, 0.05 percent or more of uranium or
10 thorium or any combination.

11 An ore, of course, is not defined in NRC
12 regulations anywhere or in the Atomic Energy Act so we
13 must then look to the common dictionary definition as
14 an ore as any mineral that can be used or useful for
15 extracting the metal or mineral value therefrom.

16 These definitions become extremely
17 important and they are, of course, precisely imprecise
18 to a certain extent when it come to concluding from a
19 user's standpoint whether they are in possession of
20 source material requiring a general or a specific
21 license.

22 Of course, Section 62 of the Atomic Energy
23 Act makes it clear that no person can transfer,
24 receive, or possess source material without a general
25 or specific license except that no license is required

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for unimportant quantities of source material. Within
2 in this context, we start looking at what are
3 unimportant quantities of source material when it come
4 to the minerals context that I'm speaking to.

5 Under 10 CFR 40.13(b), we see that one
6 form of unimportant quantity is unrefined and
7 unprocessed ore that contains source material provided
8 that except as authorized in a specific license, no
9 person can refine or process that ore.

10 What I understand from that definition in
11 40.13(b) is that an ore, a material that is useful for
12 extracting a metal value or is otherwise mined or a
13 process of some mineral exploration containing 0.05
14 percent by weight or more of uranium or thorium may be
15 possessed without refining it. The moment it is
16 refined or processed, it becomes licensable source
17 material.

18 So what then is unrefined and unprocessed
19 ore? Turning to 10 CFR 40.4, unrefined and
20 unprocessed ore is defined as ore in its natural form
21 prior to any processing such as grinding, roasting, or
22 beneficiating, or refining. There is an old health
23 physics position paper, HPPPOS paper published by NRC
24 pertaining to unrefined and unprocessed ore. And I
25 believe, if I recall correctly, that it had a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 situation, an enforcement situation dealing with
2 crushed ore.

3 So that is one of the few instances where
4 unrefined, unprocessed has made it into an enforcement
5 situation. And I believe that that particular
6 determination suggests that any crushing of ore would
7 render it processed for the purposes of becoming
8 licensed source material.

9 Well, this brings us to issue number one
10 that I see with the contemplated rulemaking. And that
11 has to do with the minerals research and development
12 efforts in the United States, particularly with regard
13 to rare earth elements, rare metals, and certain
14 transition metals such as the zirconiums and hafniums.

15 In the context of strategic materials, we
16 have an issue in the United States with rare earths.
17 This has been noted by a report to Congress that was
18 released in April of this year. And it has been noted
19 in a very recent --

20 CHAIRMAN RYAN: That's the House Bill --
21 I'm sorry, that's the House Bill 4866?

22 MR. SIMMONS: House Bill 4866 also
23 released in April.

24 At 91 percent, according to the U.S.
25 Geological Survey of our rare earth elements, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 come from China between 2005 and 2008. And it is
2 probably higher than that in more recent years.

3 April, as I mentioned, as was mentioned, a
4 House Bill 4866 was introduced to reestablish a
5 competitive domestic rare earth mineral production
6 industry. The rare earths, rare metals, and
7 transition metals include neodymium, cerium,
8 lanthanum, scandium, zirconium, titanium, hafnium, and
9 all of which are typically associated with ore bodies
10 that are affiliated with uranium and thorium contents.

11 This is just a fact of nature.

12 And those kinds of ores include the
13 monazites, the bastnaesites, and sometimes the
14 zircons.

15 In order to develop a rare earth industry
16 in this country, there is going to have to be a lot of
17 sample collection. There's going to have to be
18 mineral exploration. And there is going to have to be
19 a lot of analysis going on.

20 Typically in a mineralogical situation,
21 samples are collected in the field, they are crushed,
22 they are packaged. They are sent to a laboratory
23 where they are ground, pelletized, and then submitted
24 for -- what's usually done is an x-ray fluorescence
25 analysis to identify their elemental concentrations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Laboratories and mineral exploration and
2 R&D facilities will keep samples for reference. They
3 keep samples in a library and they keep samples as
4 standards for subsequent analysis. Many of these
5 samples contain .05 percent uranium or thorium by the
6 nature of the ore body.

7 It is okay under the current general
8 licensing scheme to maintain 15 pounds of licensable
9 source material or an adequate sample library, 150
10 pounds in a year. But we start lowering that to 3.3
11 pounds, I think it is going to have an effect upon the
12 collection, the transfer for analysis, and the
13 cataloging for future reference of mineralogical
14 specimens by strategic industries that have been
15 identified as very important.

16 So what the net effect might be is a
17 disincentive to mineralogical laboratories and R&D
18 folks engaged in the rare earths, especially alloys
19 and certain advance ceramics that if it is going to be
20 a hassle, if we have to have a specific license to
21 engage in our sample collections, our transfers of
22 samples to laboratories and back again, or sharing
23 samples among mineral exploration facilities, it is
24 going to be a lot easier to do it elsewhere rather
25 than the United States.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 There was note from the Pacific Northwest
2 National Laboratory report. It noted correctly that
3 the lanthanides and certain other elements such as
4 zirconium are increasingly used as substitutes for
5 thorium in many traditional thorium activities. That
6 is absolutely correct. But the reality is is all of
7 these substitute elements have to be obtained from
8 somewhere. Right now they're coming from China.

9 If we want to develop a robust industry
10 for rare earths and rare elements in this country,
11 we're going to have to consider what the effect could
12 be of a proposed modification to 3.3 pounds per -- 3.3
13 pounds or more at any given time in possession. I
14 think it is going to be a disincentive and it is going
15 to discourage the use or the development of the U.S.
16 resources and industries in this area.

17 CHAIRMAN RYAN: Just a comment on that.
18 And I appreciate the point that you're looking at
19 going from 15 to 3.3 as the it kind of limits the
20 working inventory they can have. What are the -- can
21 you give me the details of the burden? What would the
22 burden be? I mean is it more interaction with the
23 regulator or is it more waste control for the
24 disposal? Is it higher cost for these activities?

25 MR. SIMMONS: In the minerals industry --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the minerals industries that I am familiar with,
2 the zirconium and titanium and certain other elements,
3 specific licensing is sought to be avoided, that
4 materials standards for importation of zircon and
5 zirconia and titanium ores coming from Australia,
6 coming from South Africa, the materials specifications
7 issued by U.S. importers are that this material must
8 be less than 0.05 percent.

9 The minerals industries are using these
10 minerals for other purposes rather than their
11 radioactive properties. The uranium, the natural co-
12 occurrence of uranium and thorium is to the minerals
13 industries, an unfortunate and undesired thing. The
14 only problem is being not in the radioactive materials
15 business, a producer or a manufacturer does not want
16 to become a licensee.

17 It is expensive from the standpoint of
18 personnel, from the standpoint of recordkeeping, and
19 maintaining compliance with all the requirements,
20 inventory control, and so on. And moreover, it is not
21 the primary purpose that these entities are in
22 business.

23 CHAIRMAN RYAN: Okay. So if their
24 specifications is it has to be less than .05 percent
25 by weight, how do they even get in the game?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SIMMONS: I'm sorry?

2 CHAIRMAN RYAN: How do they even get to
3 licensing because theoretically if I'm less than .05
4 percent by weight, I'm not a licensee of any kind.

5 MR. SIMMONS: Well, that's correct. You
6 are a possessor of an unimportant quantity.

7 CHAIRMAN RYAN: Right.

8 MR. SIMMONS: What is see though in --
9 that question responded to materials coming into the
10 country now. What I see on the other hand is in
11 certain elements, people would like to import and do
12 import certain quantities but maintain the 15 pounds
13 at any one time, 150 pounds a year and possess under a
14 current 10 CFR 22 general license.

15 CHAIRMAN RYAN: All right. Okay. So
16 we're not talking about the less than .05 percent by
17 weight stuff. We're talking about I get a little bit
18 higher than .05 percent by weight and I want to
19 maintain my ability up to 15 pounds as a general
20 licensee rather an a specific licensee.

21 MR. SIMMONS: I'll give you a perfect
22 example that in the advanced refractory issue number
23 two coming up in a moment.

24 CHAIRMAN RYAN: All right. Great. I'll
25 wait. That's fine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SIMMONS: Okay. Issue number two has
2 to do with high performance ceramics and refractories.

3 In certain metallurgical applications involving the
4 so-called superalloys that are used to manufacture
5 things like airfoils that are used as blades in jet
6 turbines, hip joint replacements, other very high
7 performance alloys of exotic metals that perform under
8 extreme conditions of temperature, corrosion, stress,
9 and so on, that are being used in advanced
10 applications, these types of alloys require a certain
11 type of ceramic material in order to be able to melt
12 them and cast them into the desired shapes.

13 In some cases, they use a natural
14 zirconium oxide mineral baddeleyite, which is around
15 550 or so parts per million uranium and thorium. And
16 that is used to make refractory articles under a
17 specific license issued by an agreement state. I know
18 of two such facilities that have licenses to
19 manufacture this type of refractory, both agreement
20 state licenses.

21 The manufacturer makes the ceramic shape
22 or the casting part, the refractory under the specific
23 license. The user, being the manufacturer of the jet
24 engine or the exotic material, is possessing that
25 refractory under the general license, the current

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 general license, 40.22.

2 Example, crucibles used for melting the
3 superalloys, each one being less than 15 pounds of
4 source material but nevertheless containing natural
5 uranium and thorium.

6 CHAIRMAN RYAN: Just for scale, how big
7 are these crucibles?

8 MR. SIMMONS: Oh, they're not big. I
9 would say the smallest one is the size of a Dixie cup.

10 CHAIRMAN RYAN: Okay.

11 MR. SIMMONS: This is an example of the
12 specialty refractories in use. On the lefthand side,
13 there are workers that have a, as you can see, a small
14 ladleful of superalloy and are pouring it into what is
15 called an investment casting mold where a ceramic
16 material has been built up over a wax model of the
17 part to be cast. The ceramic material is then baked
18 to make it hard. The wax melts and leaves a mold
19 cavity which, when the mold is properly heated, the
20 melt is poured into the mold and it fills the cavity
21 and creates the part.

22 An example shown on the right is a turbo
23 fan blade for a jet engine made using that exact
24 process.

25 So you can see from the lowering the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 possession limit under Part 22 is certainly going to
2 effect the use of these advanced ceramics, advanced
3 refractories by the users.

4 Query at this point what, if any, burdens
5 are going to be added to the manufacturer who already
6 operates under a specific license? I asked the
7 manufacturer about recordkeeping and do they keep
8 track -- how do they know that they are only giving 15
9 pounds of source material to a given person or a given
10 user?

11 The answer I get back from that was that
12 these materials are very expensive. They are
13 specialty manufactured for a given user. And the
14 manufacturer maintains in his inventory records who
15 gets what and how much. So the records, at least in
16 that particular instance, exist and I do not know
17 what, if any, additional effect the changes or
18 contemplated changes to 40.22 might have.

19 A couple of observations I'd like to make
20 further to those two issues is that for the Part 40
21 general license, it seems that applications are quite
22 different in many instances than the Part 30 general
23 byproduct license. Under the Part 30 license, the
24 byproduct material is being used to exploit its
25 radioactive properties. It is being used to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 illuminate a gun site or some other object. It is
2 being used as a check source perhaps.

3 It is not necessarily the case with the
4 Part 40 general license where in certain situations,
5 an article made of a mineral is being used for
6 purposes other than its radioactive properties.

7 The typical Part 40 general license
8 product is also used in industrial situations and in
9 industrial applications whereas many Part 30
10 generally-licensed devices arguably are consumer use
11 items or can be used by the general public.

12 And what I'm thinking of there is a lot of
13 tritium-illuminated objects that are sold, commonly
14 bow and arrow sights, gun sights. There are certain
15 illuminated watches and other luminous devices. Exit
16 signs, I believe, is another one that is commonly
17 found Part 30.

18 However, generally licensed materials
19 under Part 40 are, at least from what I can see, can
20 be distinguished from consumer products because they
21 are industrial application materials.

22 A comment on the proposed changes to the
23 glassware concentration of source material on
24 40.13(c)(2)(3), I see that the proposed language would
25 exempt glassware containing not more than two percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 by weight source material or for glassware made prior
2 to the effective date of the rule, it is the ten
3 percent by weight is grandfathered. But excluded from
4 this exemption are commercially manufactured glass,
5 brick, pane glass, ceramic tile, or other glass or
6 ceramic used in construction.

7 And by that I think it is apparent that
8 building construction, whether it is for commercial or
9 residential occupancy, would be excluded from this
10 particular exemption. That is important that in that
11 I see ceramics and glasses and bricks all being fairly
12 well addressed in this one exemption but from the
13 prior discussion on some of these advanced ceramics,
14 one can see that there are a lot of ceramics and maybe
15 specialty glass is out there, or I should say more
16 correctly bricks, for their refractory bricks, that
17 are not used in any kind of construction but are used
18 in certain industrial operations.

19 I would suggest for the Subcommittee to
20 consider as they are looking at that particular
21 glassware example is that the classes of industrial
22 ceramics could be very easily included there if a
23 distinction is made between those items that are used
24 in industrial situations and excluded from any type of
25 construction whether it is residential or commercial.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Some of the problems that I think are
2 sought to be addressed by the proposed rule could be
3 considered to be resolved by perhaps less restrictive
4 means. There is, from what I've discussed on the
5 minerals applications, this is not a situation where a
6 source material is intentionally or chemically
7 processed to use its source material content.

8 These are situations where source material
9 is possessed and used for some other purpose. It is
10 not intentionally exploited for its radioactive or
11 elemental properties.

12 The Colorado petition, as was explained,
13 included the extraction of source material and the use
14 of source material for its chemical or radioactive
15 properties. And certainly limitation of possession
16 quantities under a general license for this particular
17 purpose I think is appropriate.

18 The chemical and physical processing
19 perhaps, more so the chemical, is perhaps more likely
20 to create environmental mobilities and lead to
21 exposure and contamination situations, which are
22 rightfully a regulatory concern.

23 As I mentioned with the case of the
24 crucibles, the tracking of transfers from a specific
25 licensee to a general licensee, at least in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 particular instance because of the nature of the
2 refractory itself, that one, the industry has a
3 standard practice of maintaining tracking of those
4 types of things. And whether this needs to be
5 underscored by some regulatory provision perhaps, that
6 would be not so burdensome.

7 Where it becomes burdensome is when there
8 are restrictions of the quantities that can be
9 possessed and used.

10 CHAIRMAN RYAN: Just so I understand if
11 you would back up a second please. The Colorado
12 petition is designed to limit the extraction of source
13 material for its chemical or radioactive properties.
14 Can you tell me a little bit more about --

15 MR. SIMMONS: No, no, maybe I mis -- I
16 didn't clearly state it. The Colorado petition is
17 seeking to limit possession of the quantities of
18 source material by general licensees and impose, I
19 believe, the requirements of Part 19, 20, and 21 on
20 general licensees.

21 CHAIRMAN RYAN: Oh, I see. Okay.

22 MR. SIMMONS: The origin, the reason for
23 the Colorado petition was a general licensee that was
24 using source material and processing it for its source
25 material content to apply the thorium to a lense, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 believe. This is quite a different situation than a
2 general licensee who is in possession of some
3 refractory or a crucible and is not processing it.

4 CHAIRMAN RYAN: He was processing the ore
5 and skipping the middle man and applying the processed
6 material.

7 MR. SIMMONS: Right.

8 CHAIRMAN RYAN: Yes, okay. All right. I
9 got it.

10 MR. SIMMONS: I have the Colorado petition
11 here if you wish --

12 CHAIRMAN RYAN: Actually it would be good.
13 If we could get a copy, that would be great.

14 MR. SIMMONS: Okay.

15 CHAIRMAN RYAN: Thank you.

16 MR. SIMMONS: Other considerations that I
17 mentioned on the mineralogy, research and development,
18 and typically in minerals exploration the uranium and
19 thorium content is unknown prior to analysis.

20 And so it is a matter of grabbing the ores
21 from the field and sending them to the lab that the
22 actual content is found out -- 3.3 pounds certainly is
23 a small quantity when you're limiting the amount that
24 can be possessed under a general license.

25 And so technically you are transferring to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and from the laboratory. And it seems that the entire
2 aspects of sample handling and laboratory analysis in
3 a laboratory setting might be reconsidered as to
4 limiting the quantities to 3.3.

5 CHAIRMAN RYAN: I resonate with that a
6 little bit just from my own experience, that a lot of
7 times, you know, you are in an unknown situation in
8 the laboratory. And, you know, it could create a
9 circumstance where I have to dispose of material much
10 more frequently to make sure I don't break through
11 that limit whereas if I bounce up, you know, pick some
12 number between three and 15, maybe the right number is
13 nine.

14 You know but three pounds of anything is
15 an awful small amount, particularly if you are running
16 a fairly robust laboratory program. There aren't that
17 many labs in the country that will do uranium analysis
18 any more.

19 So I just -- I think it is probably worth
20 thinking through and maybe gathering some info on is
21 three the right number? Or does six give them more
22 operational flexibility without impacting any health
23 and safety concern? You know that kind of thing. Why
24 did we pick three?

25 PARTICIPANT: (Speaking from an unmiked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 location.)

2 CHAIRMAN RYAN: Absolutely, yes. Just in
3 a minute. But I'm just raising that question myself
4 to think about.

5 Please continue.

6 MR. SIMMONS: Certainly one of the guiding
7 principles of all radiation protection programs is to
8 maintain dose as low as reasonably achievable. The
9 ALARA definition is often only quoted for that first
10 clause. And often times the remainder is taken for
11 granted or ignored entirely.

12 And that is that what must be taken into
13 account is the state of technology, the economics of
14 improvements in relation to the state of technology,
15 the economics of improvements in relation to the
16 benefits, and the socioeconomic considerations and in
17 relation to utilization of nuclear energy and licensed
18 materials in the public interest.

19 In considering the general license, it
20 certainly must be considered as what are these uses
21 under a general license? Are they frivolous uses?
22 And is there a significant societal and economic
23 benefit from these uses that justifies the
24 continuation of the general license?

25 And certainly if it is suspected that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there are doses which are an unacceptable fraction of
2 the public dose limit, this information, I believe,
3 ought to be confirmed with some robust field
4 collection of data rather than some speculative
5 modeling which certainly, as was discussed, the PNNL
6 report is -- it's a fine document but it also is a
7 little bit of a concern that it is both bounding and
8 realistic.

9 I think that it is perhaps very
10 conservative in some respects. And why I say that is
11 that one of the dose situations that was mentioned is
12 the use of a source material, airborne source
13 material, it's .05 percent uranium or thorium, and it
14 is assumed that the facility is maintaining a TLV,
15 threshold limited value, for nuisance dust at ten
16 milligrams per cubic meter.

17 CHAIRMAN RYAN: What page are you on
18 please?

19 MR. SIMMONS: I'm on page A9.

20 CHAIRMAN RYAN: A9? Okay. Thank you.

21 MR. SIMMONS: At, you know, the standard
22 breathing rate, 1.2 -- okay, all of this is an extreme
23 situation, 2,000 hours per year at ten milligrams per
24 cubic meter of nuisance dust. That's a heck of a lot
25 of dust if there is anybody who know what ten

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 milligrams per cubic meter looks like in air.

2 And moreover, I think that what I did not
3 see -- I think it is correct that they used the ICRP
4 68 methodology but what I would be interested in
5 seeing is what was the assumed aed and particle size
6 distribution for this material as well because I think
7 it is going to be very dense and it is going to settle
8 fast.

9 The other observation I would make on this
10 one is that in a pottery facility, principle concern
11 is exposure to crystal and silica, not other
12 materials, because of the feldspars and the other
13 materials that are used in ceramics manufacture.

14 The Occupational Safety and Health
15 limitation for crystal and silica is .1 milligrams per
16 cubic meter as an eight-hour time weighted average.
17 And certainly if this was a pottery shop, it would be
18 most likely in violation of the law to obtain this
19 type of exposures.

20 So basic conclusions for the moment, I
21 think the current Part 22 in industrial settings with
22 the types of materials that I have discussed, the
23 minerals, the refractories, if used in setting that
24 are complying with Occupational Safety and Health
25 Standards, in particular in respiratory protection,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that I think that a more robust study will confirm
2 that the current Part 22 is protective and it
3 maintains ALARA.

4 I believe that the current Part 22 is
5 certainly ALARA in minerals R&D operations performed
6 in laboratory settings. Again, more data are required
7 to justify these conclusions. But I think such could
8 be obtained if the right sources are sought out.

9 Dusty situations identified by the PNNL,
10 we see that ALARA has not complied with OSHA. And I
11 would point to a paper by David Bernhardt presented at
12 the 2009 Health Physics Society meeting July 13th,
13 2009, that as the implications of granite countertop
14 construction and uses, where Bernhardt did a third job
15 on the dry grinding of granite countertops. And it
16 was a very well documented analysis of inhalation
17 exposures from extremely dusty conditions.

18 The sources of information, I think, that
19 ought to be looked at and as the group goes forward,
20 there are a lot of potential -- there is a lot of
21 potential documentation coming out of Europe that
22 could be very useful to this exercise in that the
23 European scheme of things does not take into
24 consideration the .05 percent being the threshold for
25 licensing. It is a concern over exposure to natural

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sources of ionizing radiation in the workplace under
2 the directive 9629 EURATOM, which under Title 7 of
3 that directive, said employers shall evaluate
4 workplace exposures to natural radiation. And confirm
5 that they are going -- exposures, worker exposures are
6 going to be acceptable.

7 And each member state of the European
8 Union has gone about this in a different way. Data
9 have been in the process of being collected in France,
10 I know, since about 2005 when the French Ministry of
11 Labor issued a directive to ten identified NORM
12 industries to start collecting data.

13 Currently the European basic safety
14 standards and several different directives are being
15 recast or rolled into one, including the Directive
16 9629, and it is a wholesale revision of the European
17 basic safety standards, which is involving a great
18 deal of data analysis and collection from the so-
19 called NORM industries, all of which could be highly
20 relevant to this particular topic.

21 Among the various groups that I think
22 ought to be apprised of -- groups including trade
23 associations and perhaps other interests that would
24 have no way of knowing about this exercise or being
25 able to contribute any information, certainly the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 American Ceramics Society, the Investment Casting
2 Institute, there is a Tantalum Niobium Information
3 Council based in Brussels, which keeps track of some
4 of these issues.

5 Insofar as the European NORM issues go,
6 there is -- the European Commission has a group of
7 experts. I believe it's called DG6 on natural
8 radioactivity in the workplace. There is also a
9 European ALARA Network, which is on the internet.

10 The IAEA has written much about natural
11 materials. And a good source -- well, I will
12 backtrack on that to underscore one piece of
13 commentary which has been seen from the earlier
14 questions asked, the IAEA, through a fellow named
15 Dennis Wymer, published a paper at the NORM V
16 conference in Seville, Spain in 2008.

17 And in that paper, it described the
18 evaluation of doses to natural materials in workplace
19 settings. And it was underscored that modeling only
20 gets you so far. You really need to have some kind of
21 information obtained from sampling the workplace
22 exposures because in particular with natural
23 materials, it is very easy to overestimate doses, that
24 occupancy times, dust loadings, particle sizes and
25 particle size distributions are often assumed using

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 default values which will tend to dramatically
2 overestimate doses.

3 And so that's all of the commentary I
4 have. And I hope that this has been useful to the
5 Subcommittee.

6 CHAIRMAN RYAN: Thank you, Mr. Simmons. I
7 think your insights and the references you have
8 pointed us to will be helpful and enrich the
9 discussion I think we're going to have with staff as
10 this proceeds along.

11 So thanks very much for taking your time
12 and being with us today.

13 MR. SIMMONS: Okay. Well, thank you.

14 CHAIRMAN RYAN: I guess we have some time.
15 I would suggest that we -- if you guys want to come
16 up and sit at the table and have a dialogue and
17 questions and understand, you know, any additional
18 points you guys want to make. And wrap it up from
19 here.

20 MR. COMFORT: Hi, I'm Gary Comfort again
21 from NRC. And, Charlie, thank you very much. That
22 was an insightful presentation.

23 I just had a couple of clarifying
24 questions I had. With your concerns about the 15
25 pounds going down to three pounds, are we talking --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are they limiting themselves to the total amount of
2 the ore material or are we talking, you know, how much
3 uranium and thorium is there?

4 MR. SIMMONS: This is an interesting
5 question, Gary, because it has to do with how does one
6 determine, for general licensing purposes, the weight
7 of the source material that is to be accounted for for
8 general licensing purposes?

9 It is my understanding that if a material
10 is an ore that it is licensable source material
11 because it has been processed, then ore is source
12 material in its entirety. So if you have 15 pounds of
13 processed ore, you have 15 pounds of source material.

14 Okay. But on the other hand, if one has a
15 say composite material, a mixture of a uranium,
16 thorium, and some other matrix where it has not been
17 chemically reacted to create a product, it is rather a
18 mixture, then it would be, for accounting purposes
19 under the general license, it would be the mass of the
20 uranium and thorium in that matrix that is accounted
21 for.

22 CHAIRMAN RYAN: But just to be very clear
23 now, not the weight of the entire matrix --

24 MR. SIMMONS: Not the weight of the matrix
25 unless the matrix is an ore.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Right.

2 MR. SIMMONS: Okay. Now I have yet to see
3 that written and expressed in any regulation or
4 guidance document. But I do recall prior discussions
5 with NRC over the years that is generally how things
6 are decided.

7 And that's one of the things I want to
8 point out that we probably could have highlighted is,
9 as you stated, the current general license states 15
10 pounds of source material. The proposed one that
11 we're doing is 15 pounds of uranium or thorium. So
12 actually it is getting away from that question because
13 we've seen that ourselves in the past of are you
14 talking the ore is the total 15 pounds versus you can
15 have 15 pounds --

16 CHAIRMAN RYAN: Sounds like you need
17 clarification.

18 MR. SIMMONS: So we're clarify in the rule
19 that it is now just we're talking uranium and thorium
20 total content. So you may not see as much limitation
21 as you may have been looking at before. But you have
22 to look at that.

23 The other question --

24 CHAIRMAN RYAN: That clarification isn't
25 going to be in the draft rule?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COMFORT: Well, it is already. I mean
2 the language is already in the rule and stuff.

3 CHAIRMAN RYAN: Yes.

4 MR. COMFORT: The other question, you, I
5 think, stated crucibles are basically manufactured
6 under specific license and then they are provided to
7 the general licensee for use. Are they modified after
8 that in any way? Or are they just used, you know, to
9 contain a material?

10 MR. SIMMONS: The crucibles themselves are
11 used to contain the molten alloy.

12 MR. COMFORT: Right.

13 MR. SIMMONS: At the end of their useful
14 life, and this is a question that I was curious about,
15 too, is what happens to the spent crucible?

16 At the end of the useful life of the
17 crucible, it is either A, disposed of as a RCRA
18 hazardous waste because it has picked up hazardous
19 constituents such as chromium during its use and then
20 will not pass the RCRA hazardous waste test.

21 So it goes to a RCRA C disposal facility
22 on the one hand or it will go into the industrial
23 solid waste, nonhazardous waste landfill where the
24 other slags, casting sands, and other junk left over
25 from foundry operations --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Do these crucibles get
2 used more than once? I would think that they get
3 broken off the piece once it is molded.

4 MR. SIMMONS: They get -- a crucible, I
5 don't know what a life of a crucible is. It is
6 sufficient expensive so that if it is holding the
7 molten metal and used for pouring, I would expect it
8 to be used more than once.

9 CHAIRMAN RYAN: Yes.

10 MR. SIMMONS: For the ceramic investment
11 casting mold substrate, that, itself, is going to be
12 used once, broken, and then thrown away, discarded.

13 CHAIRMAN RYAN: Yes. There is no
14 recycling of the crucible materials like grinding them
15 up and reforming the crucibles?

16 MR. SIMMONS: Not to my knowledge.

17 CHAIRMAN RYAN: Okay.

18 MR. SIMMONS: Because of -- again, in
19 foundry operations, often times it is unknown what
20 metals are used for the casting. And people don't
21 want to pick up a hazardous waste issue. So they will
22 limit themselves in their recycling.

23 MR. COMFORT: Because my point on that one
24 is also because if it is not further manufactured or
25 processed and it stays as a solid, the 15-pound limit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would then still, you know, apply. That wouldn't be
2 changed at all on it. So, again, that's an area not
3 seeing an impact on.

4 Now I think a broader question I'd have is
5 that it sounds to me a lot of your concern is how
6 materials that are basically not used for the uranium
7 and thorium content are going to be impacted and all
8 of the stuff by this. And I can understand that.

9 And I think you are aware that we've got
10 another effort that we are considering of trying to
11 remove that from our jurisdiction. So that would
12 resolve, at least from that side of it, those issues.

13 It may have some other issues it brings up. But --

14 MR. SIMMONS: But I'd be talking to
15 somebody else at that point.

16 MR. COMFORT: Right, right. So, okay,
17 that's what I have.

18 CHAIRMAN RYAN: Okay. Anything else? Any
19 other comments?

20 (No response.)

21 CHAIRMAN RYAN: Well, I want to thank all
22 of the participants for an excellent morning. It
23 really have been very informative. The staff
24 briefings were terrific.

25 And, Charlie, thank you for being here and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sharing your views. And we've had a nice dialogue
2 touching on some of these points. So I chalk it up
3 as a successful meeting. And we'll look forward to
4 the draft revision.

5 MR. CARRERA: Thank you, Mike.

6 CHAIRMAN RYAN: Thank you.

7 And with that, we will close the record.

8 (Whereupon, the above-entitled
9 Subcommittee meeting on Radiation Protection and
10 Nuclear Materials was concluded at 11:38 a.m.)
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

Proposed Rulemaking on Distribution of Source Material to Exempt Persons and to General Licensees and Revision of General License and Exemptions

Andrew Carrera, Health Physicist

Rulemaking Branch A

Division of Intergovernmental Liaison and Rulemaking

FSME

May 18, 2010

Topics

- Background on Part 40 and current general license and exemption conditions
- History of rulemaking.
- Current issues and proposed resolution through rulemaking
- Requesting public input

Background on current general license and exemptions conditions

What does 10 CFR Part 40 cover?

40.1 Purpose

Establish procedures and criteria for the issuance of licenses to receive title to, receive, possess, use, transfer, or deliver source material and byproduct materials, as defined in this part, and establish and provide for the terms and conditions upon which the Commission will issue such licenses.

What is Source Material?

Source Material is defined as:

- (1) Uranium or thorium, or any combination thereof, in any physical or chemical form, or
- (2) Ores which contain by weight one-twentieth of one percent (0.05%) or more of: (i) uranium, (ii) thorium or (iii) any combination thereof.

Source material does not include special nuclear material.

* *Uranium and thorium are found naturally throughout the environment*

Regulation of Source Material

- Specific License
 - Yellow cake processors
 - Uranium conversion facilities
 - Mineral extractors
 - Uranium Mills (byproduct material)
- General License
 - Thorium-coated lens manufacturers
 - Water treatment facilities
- Exemption
 - Thorium lantern mantles
 - Thorium welding rods
 - Depleted Uranium Counterweights

“Small quantities” general license

- Section 40.22 provides a general license for “small quantities of source material”
 - Less than 15 pounds at any one time
 - Less than 150 pounds per calendar year
- Exempts licensee from Parts 19, 20, and 21
 - Exemption does not apply to Part 40 specific licensees

Exemptions

- Section 40.13(a) exempts source material in concentrations less than 0.05 percent by weight
- Section 40.13(b) exempts “unprocessed” source material
- Section 40.13(c) provides exemptions for use of certain products

History of section 40.22 rulemaking

What is the history of the rulemaking?

- 1999** NRC received PRM-40-27 petitioned by the Officers of the Organization of Agreement States and the State of Colorado
- 1999** Staff proposed multiple activities associated with Part 40 to the Commission in SECY-99-259
- 2000** Commission directed staff to move forward with developing rulemaking plan
- 2001** SECY-01-0072, “Draft Rulemaking Plan: Distribution of Source Material to Exempt Persons and to General Licensees and Revision of 10 CFR 40.22 General License”

What is the history of the rulemaking?

- 2001 NUREG-1717, “Systematic Radiological Assessment of Exemptions for Source and Byproduct Materials” finalized and resulted in staff’s recommendation to revised exemptions in conjunction with rulemaking plan
- 2002 SECY-02-0196, “Recommendations Stemming from the Systematic Assessment of Exemptions from Licensing in 10 CFR parts 30 and 40; and a Rulemaking Plan for Risk-informing 10 CFR Parts 30, 31, and 32”
- 2003 SRM to SECY-01-0072

What is the history of the rulemaking? (cont)

2004 - Data Collection

2006

2006 SECY-06-0094, “Tracking or Providing Enhanced Controls for Category 3 Sources”

SRM to SECY-06-0094

2007 PNNL-16148, Rev. 1, “Dose Assessments for Current and Projected Uses of Source Material under U.S. NRC General License and Exemption Criteria”

SECY-07-0196, “Information about Products and Quantities of Source Material Distributed to and Used by Exempt Persons and 10 CFR 40.22 General Licensees”

What are the issues with the current Part 40
and how do we resolve them through the
proposed rulemaking?

Current identified issues with 10 CFR Part 40

1. Health and safety impacts in § 40.22 are not in alignment with current standards.
2. Lacking complete and timely information regarding distribution of source materials.
3. Changes in how some products are used under exemption.
4. Lacking clarity in certain requirements in § 40.22.

1) Health and safety impacts in § 40.22 are not in alignment with current standards

Health and safety requirements in § 40.22 are not in alignment with current standards

- Issues:
 - Part 40 not significantly revised since 1961.
 - Possession of certain isotopes could result in quantities greater than Category 1 of the IAEA categorization system.
 - PRM 40-27.
 - PNNL-16148, Rev.1 “Dose Assessment for Current and Projected Uses of Source Material Under a U.S NRC General License and Exemption Criteria”

Health and safety requirements in § 40.22 are not in alignment with current standards

PRM-40-27

- In January, 1999, Colorado Radiation Control Program was notified of activated radiation alarm at a landfill by dumpster used by a source material general licensee.
- 4.9 mR/hr (1.3 uCi/kg-hr) was measured on the exterior of the dumpster and initiated an investigation.
- General licensee vacated building with contamination level of 734 mrem/year (regulatory limit is 25 mrem/year).

Health and safety requirements in § 40.22 are not in alignment with current standards

Radiation Dose Assessment for Routine Use, Accidents, and Manufacturing Involving Thorium + Progeny Thin-Film Optical Coatings. (PNNL-16148, Rev. 1)

Scenario	Annual Scenario Dose (mrem)		
	Ingestion	Inhalation	Effective*
Routine Use (TV Camera Operator)			4.0 E-3
Accidents	8.2 E-4	6.4 E-2	6.5 E-2
Manufacturing	206	562	768

* Contribution from external dose considered negligible (except in routine use scenario where external dose predominates)

Health and safety requirements in § 40.22 are not in alignment with current standards

Radiation Dose Assessment for Bounding Scenario Involving Thorium + Progeny in 10 CFR 40.22 (PNNL-16148, Rev. 1)

Bounding Scenario	Annual Scenario Dose (mrem)		
	Ingestion	Inhalation	Effective*
10 CFR 40.22 , Handling of 150 lb/yr of Thorium Powder	1030	3650	4680

* Contribution from external dose considered negligible (except in routine use scenario where external dose predominates)

Health and safety requirements in § 40.22 are not in alignment with current standards

Resolution:

- Would make changes in possession limits.
 - Only in natural isotopic concentration or as depleted uranium.
 - Limited to 1.5 kg (3.3 lb) at once or 7 kg (15.4 lb) per calendar year if processed or in dispersible form.
 - No effective change in possession limit for non-dispersible materials or when removing uranium from drinking water.
- Would require contamination to be addressed when activities completed.

2) Lacking complete and timely information regarding distribution of source materials

Lacking complete and timely information regarding distribution of source materials

Issue:

- No method to allow understanding of amounts of source material distributed to exempt persons and general licensees.
- Difficulties in identifying general licensees.

Lacking complete and timely information regarding distribution of source materials

Resolution:

- New specific licenses for initial distribution of source material to exempt persons (§ 40.52) .
 - Would require specific license by NRC only.
 - Certain health and safety requirements would not apply to persons in Agreement States (AS) or importers.
 - Would require annual reporting of product types, quantities of products, and source material content of products.
 - May result in certain general licensees manufacturing exempt products to become specific licensees

Lacking complete and timely information regarding distribution of source materials

Resolution:

- New specific licenses for initial distribution of source material to general licensees (§ 40.54)
 - Would require specific license for distribution (issued by either NRC or an AS)
 - Would require labeling and quality control
 - Would require recipients to be notified of § 40.22 (or equivalent AS) requirements and appropriate safety precautions for handling, use, storage, and disposal
 - Would require annual reporting to NRC or AS where source material is distributed including to whom and how much to allow identification of general licensees

3) Changes in how some products are used under exemption

Changes in how some products are used under exemption

Issue:

- Changes in industry practices
 - Exempt products no longer being manufactured (i.e. uranium smoke detectors and glazed ceramic tablewares)
 - Reduced the concentration of source material used in the manufacturing practice (i.e. glasswares)
 - More prevalent use of thorium coated lenses

Changes in how some products are used under exemption

Resolution:

- Revision of certain exemptions.
 - Would remove exemption for uranium smoke detectors [§ 40.13(d)].
 - Would allow no new distributions of glazed ceramic tableware [§ 40.13(c)(2)(i)].
 - Would reduce allowable concentration of source material in glassware [§ 40.13(c)(2)(iii)].
 - Would expand exemption for thorium lenses [§ 40.13(c)(7)] to include coatings, but reduce allowable concentrations.

4) Lacking clarity in certain requirements in § 40.22

Lacking clarity in certain requirements in § 40.22

Issue:

- Waste disposal requirements
- Lack of direct citations to other applicable sections in Part 40

Lacking clarity in certain requirements in § 40.22

Resolution:

- Would clarify disposal and transfer requirements.
 - May not abandon.
 - May dispose of up to 0.5 kg per year for permanent disposal.
 - Disposal of other material must be consistent with § 20.2001.
- Direct citations to other applicable sections of Part 40 for general licensees.

Specific Questions to the Public

Questions to solicit public input

- Use of concentration limit for coatings
- Use of activity limits in possession limits in § 40.22
- Should surveys be required when § 40.22 licensees cease activities?
- Should § 40.22 be expanded to cover 11e.(2) byproduct material from mills?
- Should provisions be added to include source material and special nuclear material in items in the sealed source and device registry?
- Should § 40.25 and § 40.34 be revised to make them more useful?

Conclusion

- New specific licensees
- Providing additional health and safety
- Minimizing impacts

Questions?



***NRC 40.22 Rulemaking:
Unintended Consequences***

Charles T. Simmons

MAY 18, 2010

AEA Definition of Source Material

The term “source material” means (1) uranium, thorium, or any other material which is determined by the Commission pursuant to the provisions of section 61 to be source material; or (2) ores containing one or more of the foregoing materials, in such concentration as the Commission may by regulation determine from time to time (42 USC 2014(z)).

NRC 10 CFR 40.4

Source Material means: (1) Uranium or thorium, or any combination thereof, in any physical or chemical form or

(2) ores which contain by weight one twentieth of one percent (0.05%) or more of: (i) Uranium, (ii) thorium or (iii) any combination thereof. Source material does not include special nuclear material

Section 62 of the AEA

Unless authorized by a general or specific license issued by the [Nuclear Regulatory] Commission, which the Commission is authorized to issue, no person may transfer or receive in interstate commerce, transfer, deliver, receive possession of or title to, or import into or export from the United States any source material after removal from its place of deposit in nature, except that licenses shall not be required for quantities of source material which, in the opinion of the Commission, are unimportant (42 USC 2092)

Unimportant quantities of source material 10 CFR 40.13(b)

(b) Any person is exempt from the regulations in this part and from the requirements for a license set forth in section 62 of the act to the extent that such person receives, possesses, uses, or transfers unrefined and unprocessed ore containing source material; provided, that, except as authorized in a specific license, such person shall not refine or process such ore.

10 CFR 40.4 Unrefined Ore

Unrefined and unprocessed ore
means ore in its natural form
prior to any processing, such as
grinding, roasting or
beneficiating, or refining.

Issue #1 : Minerals R&D – particularly Rare Earth Elements, Rare Metals, Transition Metals

- ◆ U.S. Geological Survey (USGS): 91 percent of U.S. consumption of rare earths came from China between 2005 and 2008.
- ◆ April 2010: House Bill 4866 “reestablish a competitive domestic rare earths minerals production industry”
- ◆ Rare Earths, Rare Metals & Transition Metals include Nd, Ce, La, Sc, Zr, Ti, Hf and ore bodies typically associated with U, Th (e.g., monazite, zircon, bastnaesite)
- ◆ Sample collection, preparation (grinding), laboratory analysis and cataloging reference samples permitted under current General License, but not at 3.3 lb!

Issue #1 (continued)

- ◆ Disincentive to U.S. mineralogical laboratories, R&D for Rare Earth Elements, specialty alloys, advanced ceramics.
- ◆ PNNL (2007) Report correctly notes that lanthanides, cerium, yttrium, zirconium are increasingly used as substitutes for Th in many applications... **BUT YOU HAVE TO OBTAIN THESE SUBSTITUTE ELEMENTS THROUGH EXPLORATION AND LABORATORY ANALYSIS.**
- ◆ Current General License allows sample collection, transfer, analysis, cataloging, etc.
- ◆ Specific licensing at 3.3 lbs would discourage development of U.S. resources and industries.

Issue # 2: High Performance Ceramics and Refractories

- ◆ **Certain superalloy casting requires ultra-high performance ceramic refractories (crucibles, shapes)**
- ◆ **In some cases: natural ZrO₂ (Baddeleyite) ~550 ppm U, Th used to make refractory articles under specific license**
- ◆ **User possesses refractory under current general license**

Issue #2 (continued)



Issue # 2 (continued)

Specialty Refractory in use:



Part 30 vs. Part 40 General License

- ◆ Unlike Part 30 Byproduct General License, most Part 40 general licensed materials are not intended to use source material (U, Th) for its chemical or radioactive properties.
- ◆ Unlike Part 30, Part 40 general licensed materials are industrial use, NOT consumer products

Proposed 40.13(c)(2)(iii)

Glassware containing not more than 2 percent by weight source material, or for glassware manufactured before [insert effective date of rule], 10 percent by weight source material; but not including commercially manufactured glass brick, pane glass, ceramic tile, or other glass or ceramic used in construction;

Suggested Alternative

Glassware and industrial ceramics containing not more than 2 percent by weight source material, or for glassware manufactured before [insert effective date of rule], 10 percent by weight source material; but not including commercially manufactured glass brick, pane glass, ceramic tile, or other glass or ceramic used in construction;

Problems sought to be addressed by the proposed rule can be resolved by less restrictive means

- ◆ **Colorado petition: intentional extraction of source material for its chemical or radioactive properties.**
- ◆ **Limit quantities for this particular purpose.**
- ◆ **Tracking Transfers from S/L to G/L:
- refractory applications maintain records as standard industry practice**

Transfer Tracking (continued)

**Mineralogy R&D – typically U, Th
content unknown prior to analysis**

Technically a “transfer” to/from lab

**Samples handled in laboratory
setting**

Current General License adequate

General License should maintain

ALARA

ALARA (acronym for "as low as is reasonably achievable") means making every reasonable effort to maintain exposures to radiation as far below the dose limits in this part as is practical consistent with the purpose for which the licensed activity is undertaken, taking into account the state of technology, the economics of improvements in relation to state of technology, the economics of improvements in relation to benefits to the public health and safety, and other societal and socioeconomic considerations, and in relation to utilization of nuclear energy and licensed materials in the public interest.

Conclusions

- ◆ **Current Part 22 is ALARA in industrial applications that comply with OSHA standards**
- ◆ **Current Part 22 is ALARA in minerals R&D performed in laboratory settings**
- ◆ **Dusty situation identified by PNNL is neither ALARA nor compliant with OSHA (see Bernhardt 2009 HPS paper Implications of Granite Counter Top Construction and Uses"**

Conclusions– cont'd

- ◆ **Increasing restrictions on G/L could be a significant deterrent to Rare Earths Exploration and development in the US**
- ◆ **Advanced metallurgical operations dependent on specialty refractory: easier to make in China**
- ◆ **Overall negative effect: loss of strategic materials and industries**