

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Subcommittee on AP1000 - Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, October 5, 2010

Work Order No.: NRC-471

Pages 1-16

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5 (ACRS)

6 SUBCOMMITTEE ON AP1000

7 + + + + +

8 TUESDAY

9 OCTOBER 5, 2010

10 + + + + +

11 ROCKVILLE, MARYLAND

12 + + + + +

13 The Subcommittee met at the Nuclear
14 Regulatory Commission, Two White Flint North, Room
15 T2B1, 11545 Rockville Pike, at 8:30 a.m., Harold B.
16 Ray, Chairman, presiding.

17 COMMITTEE MEMBERS:

18 HAROLD B. RAY, Chairman

19 SANJOY BANERJEE, Member

20 MARIO V. BONACA, Member

21 MICHAEL CORRADINI, Member

22 MICHAEL T. RYAN, Member

23 WILLIAM J. SHACK, Member

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ACRS CONSULTANTS:

2 THOMAS S. KRESS

3 GRAHAM B. WALLIS

4

5 ACRS STAFF PRESENT:

6 WEIDONG WANG, Designated Federal Official

7 DANNY CHIEN

8 PATRICK DONNELLY

9 JOE DONOGHUE

10 CHRISTOPHER JACKSON

11 EILEEN MCKENNA

12 JOHN MCKIRGAN

13

14 ALSO PRESENT:

15 CHUCK BROCKHOFF, Westinghouse

16 NICK SALKELD, Westinghouse

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

A G E N D A

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

OPENING REMARKS AND OBJECTIVES 4

Harold B. Ray, ACRS

REMAINDER OF CHAPTER 6 7

Bob Davis, Anne-Marie Grady - NRC Staff

CLOSING REMARKS 26

Harold B. Ray, ACRS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(8:30 a.m.)

CHAIRMAN RAY: The meeting will now come to order. This is a meeting of the AP1000 Reactor Subcommittee, standing Subcommittee of the Advisory Committee on Reactor Safeguards, and I'm Harold Ray, Chairman of the Subcommittee.

ACRS members in attendance are Bill Shack, Sanjoy Banerjee, and Mario Bonaca. We expect Michael Corradini and perhaps Mike Ryan later on. ACRS Consultants, Tom Kress and Graham Wallis are present. Weidong Wang is the Designated Federal Official for this meeting.

This meeting is a part of the ongoing delivery of a proposed amendment to the AP1000 Pressurized Water Reactor Design Control Document. In the past, we have had eight AP1000 Subcommittee meetings in July, October, and November of 2009, and in February, April, June, July and September 2010.

This AP1000 Subcommittee meeting will continue to review the Safety Evaluation Reports, or Revision 17 to the AP1000 DCD. We will review Chapter 6, which includes Generic Safety Issue 191 and long-term core cooling issues. If times permits, we will review Chapter 15, and Action Items from the past

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 AP1000 Subcommittee meetings.

2 We will hear presentations from the DCD
3 applicant, Westinghouse, and from the NRC Staff. We
4 have received no written comments, or requests for
5 time to make oral statements from members of the
6 public regarding today's meeting.

7 Presentations on GSI-191 will be closed,
8 and that will occur shortly, in order to discuss
9 information that is proprietary to the applicant and
10 its contractors pursuant to 5 USC 552BC-3 and 4.

11 Attendance at the closed portion of the
12 meeting dealing with such information will be limited
13 to Westinghouse representatives, the NRC Staff and its
14 consultants, and those individuals and organizations
15 who have entered into an appropriate confidentiality
16 agreement with them. Consequently, we will need to
17 confirm shortly that we have only eligible observers
18 and participants in the room for the closed portion of
19 the meeting.

20 The Subcommittee will gather information,
21 analyze relevant issues and facts, and formulate
22 proposed positions and actions, as appropriate, for
23 deliberation by the Full Committee.

24 The rules for participation in today's
25 meeting have been announced as part of the notice of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this meeting previously published in the Federal
2 Register. A transcript of the meeting is being kept,
3 and will be made available, as stated in the Federal
4 Register Notice. Therefore, we request that
5 participants in this meeting use the microphones
6 located throughout the meeting room when addressing
7 the Subcommittee. The participants should first
8 identify themselves, and speak with sufficient clarity
9 and volume so that they may be readily heard.

10 With that, we'll proceed with the meeting,
11 and I'll ask first, still in the open meeting portion,
12 Eileen, do you have anything you want to start with?
13 Okay. Fine. Then I believe we're ready to proceed
14 into the closed portion of the meeting, unless any
15 member has anything they'd like to say before. Okay.

16 If not, then I'll turn to Salon and ask if we can
17 close the open phone line, and verify what that the
18 attendance is as I indicated.

19 (Whereupon, the proceedings went off the
20 record at 8:34 a.m. to begin closed session. Open
21 Session resumed at 6:08 p.m.)

22
23
24
25
NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

CHAIRMAN RAY: Eileen do you really want to go forward with this next section?

MS. MCKENNA: Well we really would like to because I think as we had indicated we had a staff member who is here in town and is intimately involved in this review and we would really like to benefit from his participation. So if the committee will indulge us we would like to try to get through this.

CHAIRMAN RAY: We have to go with the applicant first though right?

MS. MCKENNA: That's what we are going to process and we think that's still a good idea, yes.

CHAIRMAN RAY: All right.

MR. WANG: This session is open to the public.

(Closed Session)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JACKSON: Thank you very much. I
2 appreciate it. It's good to be back. I don't live here
3 and I would hate to make another trip. I will just get
4 started.

5 Good morning. It's a pleasure to be here.
6 We are here to discuss AP1000 amendments on control
7 room habitability. This is an exciting review and we
8 look forward to sharing our findings with you.

9 My name is Christopher Jackson. I am a
10 senior reviewer in the containment systems branch.
11 This is my colleague Danny Chien, who participated in
12 the review and this is Patrick Donnelly, our project
13 manager.

14 Third slide please. Regulatory guidance on
15 this. GDC 19 is the overarching requirement, which
16 covers control room habitability. We have SRP 6.4
17 addressing control room habitability. In this review
18 we used Reg Guide 1.52 for the safety related filters,
19 Reg Guide 1.197 for demonstrating control room
20 integrity.

21 We also have Reg Guide 1.195 and 1.196 on
22 dose analysis and habitability.

23 The Rev 15 design which was certified had
24 no fission product removal in the control room,
25 canister there was only supplied to replace stale air.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 There was no AC power for the system. The applicant
2 wanted to expand the Chi over Q values, encompass more
3 sites.

4 The control room integrity program in Rev
5 15 was the responsibility of the COL under a COL
6 information item and the applicant wanted to address
7 it in the DCD.

8 The applicant had a difficult time
9 developing a design basis in-leakage that could be
10 demonstrated through an integrity program. As a
11 result, increased margin, increased in-leakage and to
12 expand the Chi over Q values in the certified design
13 fission product removal system was added to the
14 design.

15 Next slide please. Are we on 5?

16 A filter train was added and an integrity
17 program was developed. Additionally design changes
18 were made to reduce in-leakage. Unrelated changes were
19 made to increase operational flexibility, including
20 changes to the design of the technical support area.

21
22 MEMBER RYAN: You are going pretty quick.
23 Just back up this slide 4 for a second.

24 MR. JACKSON: Certainly.

25 MEMBER RYAN: The system did not clean the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 air it just replaced the stale air with fresh air.

2 MR. JACKSON: Yes.

3 MEMBER RYAN: What does that have to do
4 with contamination control? Does that link in some
5 way, can you tell me?

6 MR. JACKSON: It had nothing to do with --

7 MEMBER RYAN: Have you got positive
8 pressure going out away from the source --

9 MR. JACKSON: That was the only thing. It
10 pressurized the control room.

11 MEMBER RYAN: Okay.

12 MR. JACKSON: But what they wanted to do
13 was bring in new air to keep the carbon dioxide levels
14 down.

15 MEMBER RYAN: How long does it stay
16 pressurized with this new system?

17 MR. JACKSON: 72 hours under the old
18 system, 72 hours under the new system.

19 MEMBER RYAN: Okay. Thank you.

20 MR. JACKSON: That part of the design basis
21 didn't change.

22 Slide six. Once again a simplified
23 drawing. You got the four banks on the left. You got
24 two flow paths into the system. You got the eductor.
25 And then if you look right here you have a bypass

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 around the eductor in case the eductor gets clogged.

2 Slide seven please. Because there was
3 limited nuclear experience with eductors, the staff
4 asked the applicant for operating experience on
5 eductors. They provided it. Eductors have been used in
6 industrial applications for many years. They are
7 rugged, passive components that have been used in non-
8 nuclear applications for many years.

9 That was one aspect of the review. We also
10 looked at the HEPA absorber and combined filter
11 testing and we made sure that it met the requirements
12 of Reg Guide 1.52 or the intent of Reg Guide 1.52.

13 With regard to flow instrumentation, we
14 verified that the appropriate aspects of the system
15 are safety related. Obviously the flow going into the
16 control room was in fact safety related flow, so the
17 operators could take action if something was wrong.
18 The flow out of the eductor out of the filter trains
19 was not safety related and we were satisfied that
20 these would not be used in an accident by the
21 operators.

22 And last, single failure. The applicant
23 eliminated all single failures. You saw by the
24 drawing. However that postulated a passive failure
25 clogging the eductor, somehow damaging the eductor and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the applicant address this concern by demonstrating
2 that filtration wasn't actually needed after 24 hours.
3 The principle dose impact was in the first 24 hours
4 and we don't postulate a passive failure in the first
5 24 hours.

6 I'm sorry, with the addition of the bypass
7 line the operators could take manual action to bypass
8 the filter train if it should become clogged. They
9 meet the single failure criteria.

10 Slide eight. Control room in-leakage
11 testing. The program used tracer gas testing and
12 meets Reg Guide 1.197. Tech specs meet the TSTF
13 standard technical specifications which were generated
14 after the generic letter on control room habitability.
15 They have allotted 10 SCFM for in-leakage which is
16 demonstrable through in-leakage testing. They have
17 allotted five SCFM for ingress and egress.

18 5 SCFM for ingress and egress is the
19 standard assumption for control room with a vestibule.
20 It's common.

21 Slide nine. The applicant made changes to
22 reduce unfiltered in-leakage as well. They have
23 provided a continuous vestibule purge which improves
24 the system. They have eliminated duct work entering
25 the control room envelope, they've dealt with the pipe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there and they have actually added isolation
2 capability for some of the various control room
3 penetrations.

4 Once again the vestibule is a common
5 assumption, a standard assumption. The in-leakage that
6 they have used is standard for the vestibule. And all
7 of the other design features just improve this from
8 what we would typically see in an operating reactor
9 control room.

10 Slide 10 please. There are changes to
11 improve operational flexibility. They have
12 redesignated in chapter 6 the technical support
13 center. Technical support center is obviously a
14 requirement in emergency preparedness. It's not
15 typically described in chapter 6. It's not required to
16 be described in chapter 6. It's in chapter 18 or 13,
17 so this removal from chapter 6 is fine.

18 They have also changed the tech spec on
19 fuel handling. Obviously the fission product,
20 inventory and the fuel assembly is based on the time
21 after shutdown. The applicant redid the dose analysis
22 with new outage times to justify a change in the tech
23 spec, which allowed them to begin moving fuel a little
24 bit earlier.

25 They have created four isolable banks of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 canistered air rather than one gigantic bank. This
2 allows them to remove one bank. They have created a
3 tech spec which we are satisfied will allow them the
4 flexibility to remove one bank, put it back into
5 service with compensatory actions in place.

6 Slide 11 please. In conclusion we think
7 this is an innovative, highly-reliable ESF filter
8 system, meets the requirements and conforms to
9 applicable portions of Reg Guide 6.4, Reg Guide 1.52
10 and Reg Guide 1.197.

11 There are ITAAC place to demonstrate that
12 the system works. The performance characteristic in
13 both ITAAC and tech specs verify that the system will
14 perform its function and the applicant did do proof of
15 concept testing which showed that it is in fact
16 constructable and buildable.

17 And with that, that concludes my
18 presentation.

19 CHAIRMAN RAY: All right. Well done. Any
20 questions? Thank you very much and have a good trip
21 home.

22 MR. JACKSON: Thank you so much. I
23 appreciate you taking time out of your schedule to --
24 coming back would have been a hassle.

25 CHAIRMAN RAY: Well, I thank everybody for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the very, very long day. I think most of the time -- I
2 won't say all of it -- was constructively applied to
3 trying to make life easier. At the end of the day we
4 still have some outstanding items. I won't say they
5 are all closed. I think we have made them clear thus
6 far.

7 It is projected that we will try and craft
8 a recommendation to the full committee for
9 consideration at the November meeting to the extent
10 that other things occur before then, which allow us to
11 even further narrow the issues that may be identified
12 at that time, that will certainly be in everybody's
13 interests to do.

14 But the next occasion when we address
15 AP1000 will be just prior to the November full
16 committee meeting. We will see what has to be taken up
17 at that time and I would ask Eileen, do you have any
18 comments further?

19 MS. MCKENNA: No, I think we thank you for
20 your indulgence, staying late. I think we managed to
21 cover what we were thought were the major items in
22 chapter 6. There were some other more minor ones that
23 you can read at your leisure, but we did want to make
24 sure that we covered the GSI 191 in whatever depth the
25 committee wanted and to have you all have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 opportunity to hear about 6.4 because as Chris said,
2 this is again -- you ask about innovative and unique
3 things, and we saw that element in this design.

4 CHAIRMAN RAY: I doubt we will see any
5 leisure in the future but nevertheless. Anyway Ed did
6 you have anything you wanted to say?

7 MR. CUMMINS: No thanks. Thank you.

8 CHAIRMAN RAY: We stand adjourned.

9 (Whereupon the above-entitled matter went off the
10 record at 6:35 p.m.)

11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701



United States Nuclear Regulatory Commission

Protecting People and the Environment

Presentation to the ACRS Subcommittee

**Westinghouse AP1000 Design Certification
Amendment Application**

**AFSER Section 6.4
Control Room Habitability Systems**

October 5, 2010

Staff Review Team

- Technical Staff
 - Christopher Jackson
 - Danny Chien
- Project Management
 - Patrick Donnelly

Regulatory Guidance


- General Design Criterion 19 - Control Room
- SRP 6.4 – Control Room Habitability System
- Regulatory Guides 1.52, 1.195, 1.196 and 1.197

Overview

- The certified design uses canistered air tanks to provide control room with breathable air
- The system did not clean the air it just replaced the stale air with fresh air
- The passive system doesn't use AC power
- Additional dose margin was needed so a passive filter train was added

Overview (cont'd)

- Chapter 6.4 changes included --
 - An eductor driven filter train
 - A control room integrity program
 - Changes to reduce the unfiltered in-leakage
 - Redesignation of the technical support center
 - Changes to improve operational flexibility
 - Editorial changes



Passive Filter Train

- Eductor in the Passive Filtration Line
- HEPA Filter in the Passive Filtration Line
- Adsorber in the Passive Filtration Line
- Combined Filters Pressure Drop Test Frequency
- Passive Filtration Flow Instrumentation Safety Class
- Single Failure of the Passive Filtration Line

Control Room In-Leakage Testing

- Program that used tracer gas testing and meets RG 1.197
- Technical specification TSTF-448 Rev 3
- 10 SCFM allotted to in-leakage
- 5 SCFM allotted to ingress/egress

Reduce Unfiltered In-Leakage

- Continuous vestibule purge
- Eliminated ductwork penetrating the CRE
- Isolation capability for various control room penetrations

Improve Operational Flexibility

- Re-designated in Chapter 6 the TSC to the operational support center
- Revised fuel handling TS
- Created four isolable banks of canisters rather than one large bank
- TS actions included for one bank of canisters out of service

Conclusions

- Innovative and highly reliable ESF filter system that meets the requirements and conforms to SRP 6.4, RG 1.52 and RG 1.197
- ITAAC and TS programs verify the system performs consistent with accident analyses
- Proof-of-concept scale testing demonstrates functionality